

STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION COMMISSION FOR
THE PURPOSE OF CONSIDERING:

CASE NO: 20708

APPLICATION OF SALT CREEK
MIDSTREAM, LLC FOR AUTHORIZATION
TO DRILL, COMPLETE AND OPERATE
AN ACID GAS INJECTION WELL AT THE
AMEREDEV SOUTH GAS PROCESSING FACILITY IN
LEA COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS
COMMISSIONER HEARING
Agenda Item 5
December 11, 2019
Santa Fe, New Mexico

BEFORE: ADRIENNE SANDOVAL, CHAIRWOMAN
NIRANJAN KHALSA, COMMISSIONER
DR. THOMAS ENGLER, COMMISSIONER
MIGUEL LOZANO, ESQ.

This matter came on for hearing before the New Mexico Oil Conservation Commission on Wednesday, December 11, 2019, at the New Mexico Energy, Minerals, and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

Reported by: Irene Delgado, NMCCR 253
PAUL BACA PROFESSIONAL COURT REPORTERS
500 Fourth Street, NW, Suite 105
Albuquerque, NM 87102
505-843-9241

1 APPEARANCES

2 FOR THE APPLICANT:

3 TOM HNASKO
 DANA HARDY
 4 HINKLE SHANOR LLP
 P.O. Box 0268
 5 Santa Fe, NM 87504
 505-982-4554

6
 7 FOR THE STATE LAND OFFICE:

8 ANDREA ANTILLON
 NEW MEXICO STATE LAND OFFICE
 310 Old Santa Fe Trail
 9 Santa Fe, NM 87504-1148
 505-827-5752

10 FOR THE OIL CONSERVATION DIVISION:

11 ERIC AMES
 12 ASSISTANT GENERAL COUNSEL
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 13 1220 S. St. Francis Drive
 Santa Fe, NM 87505
 14 505-476-3463

15

16 INDEX

17	Opening Statements:	
	Applicant	06
18	State Land Office	11
	OCD	12
19	Closing Argument:	
20	Applicant	155
	State Land Office	159
21	OCD	159
22	Closed Session	161
23	Reporter Certificate	166

24

25

1	WITNESSES	
2	BRIAN PERILLOUX	
3	Direct by Ms. Hardy	13
4	Commission Examination	37
5	(Recalled)	
6	Direct by Mr. Hnasko	112
7	Cross-Examination by Mr. Ames	120
8	ALBERTO A. GUTIERREZ	
9	Direct by Mr. Hnasko	42
10	Commission Examination	76
11	Redirect by Mr. Hnasko	95
12	(Recalled)	
13	Direct by Mr. Hnasko	122
14	DAVID A. WHITE	
15	Direct by Ms. Hardy	99
16	Commission Examination	107
17	Redirect by Ms. Hardy	111
18	PHILLIP R. GOETZE	
19	Direct by Mr. Ames	133
20	Commission Examination	145
21	Cross-Examination by Mr. Hnasko	149
22	Redirect by Mr. Ames	154
23	EXHIBITS	
24	Admitted	
25	Prehearing Statements	
26	Salt Creek Exhibit 1	37
27	Salt Creek Exhibit 2	37
28	Salt Creek Exhibit 3	37
29	Salt Creek Exhibit 4	75
30	Salt Creek Exhibit 5	75
31	OCD Exhibit 1	135
32	OCD Exhibit 2	140
33	OCD Exhibit 3	142
34		
35		

1 MR. HNASKO: Thank you, Madam Chair,
2 Commissioners. Good morning. My name is Tom Hnasko,
3 together with Dana Hardy, we represent Salt Creek Midstream,
4 the applicant for a permit to advance that is acid gas to
5 Delaware Mountain Group the sequestration of acid gas.

6 MR. LOZANO: Mr. Hnasko, I apologize, I don't
7 want to interrupt you, we have a few preliminary matters
8 that the Director will address before we take your opening
9 statement. I apologize.

10 MR. HNASKO: I apologize. Thank you so much.

11 CHAIRWOMAN SANDOVAL: This is hearing Case Number
12 20780 to consider the application submitted by Salt Creek
13 Midstream LLC for authorization to inject treated acid gas
14 into the proposed well located at the Ameredev South Gas
15 Processing Facility.

16 The State Land Office has entered its appearance
17 in opposition of this application. The Oil Conservation
18 through timely notice has intervened for purposes of this
19 hearing.

20 Will the parties please make their appearances
21 for the record beginning with the applicant.

22 MR. HNASKO: Good morning, Commissioners, Madam
23 Chair, Tom Hnasko and Dana Hardy on behalf of the applicant
24 Salt Creek Midstream.

25 MR. AMES: Good morning, Madam Chair. Eric Ames,

1 general counsel, Energy, Minerals and Natural Resources
2 Department, here on behalf of the Oil Conservation Division.

3 MS. ANTILLON: Good morning, Madam Chair, Andrea
4 Antillon on behalf of the State Land Office.

5 CHAIRWOMAN SANDOVAL: Thank you.

6 This hearing will be conducted in accordance with
7 the Commission's adjudication rules and in a fair and
8 impartial manner to ensure that the relevant facts are fully
9 elicited and to provide a reasonable opportunity for all
10 interested parties to be heard.

11 The hearing shall proceed as follows:

12 One, all testimony will be taken under oath;

13 Two, I will admit any relevant evidence unless I
14 determine that the evidence is unduly repetitious otherwise
15 unreliable or of little value;

16 Three, any party who wishes to make a brief
17 opening statement before presentation of direct testimony
18 may do so;

19 Four, the applicant will present direct testimony
20 first;

21 Five, other interested or intervening parties who
22 have standing and who filed a timely prehearing statement or
23 notice of intent to present testimony may present direct
24 testimony;

25 Six, any party to this hearing may cross-examine

1 witnesses. Only the Commissioners and participating parties
2 shall have the right to cross-examine a witness.
3 Cross-examination by the Commission will be conducted at the
4 conclusion of each presentation, followed by
5 cross-examination by any other participating party;

6 Seven, redirect examination will be permitted,
7 but such testimony is limited to testimony relevant that was
8 offered during cross-examination;

9 Eight, if time permits, and at my sole
10 discretion, a party who wishes to give rebuttal testimony or
11 make a brief closing argument may do so at the conclusion of
12 the testimony in the same order as the direct testimony;

13 Nine, any objection concerning the conduct of
14 today's hearing may be stated orally during the hearing with
15 the party raising the objection briefly stating the grounds
16 for the injection. The ruling I make on any objection and
17 the reasons for it will be stated for the record.

18 We will now proceed with the hearing. Is there
19 any admission of evidence or facts stipulated by the
20 parties?

21 MR. HNASKO: No.

22 MR. AMES: No.

23 CHAIRWOMAN SANDOVAL: The applicant may now make
24 a brief opening statement.

25 MR. HNASKO: Thank you, Madam Chair and

1 Commissioners. I apologize for the precipitous opening,
2 statement, but --

3 CHAIRWOMAN SANDOVAL: You were excited.

4 MR. HNASKO: I'm so excited about the efficacy of
5 our current application I couldn't hold back.

6 Madam Chair, Commissioners, as I mentioned, this
7 is an application to advance an AGI well to the Delaware
8 Mountain Group formation.

9 And in response, as the Chair noted, there was an
10 initial entry of objection by the State Land Office and by
11 the staff of the OCD to this, and we have, since those
12 objections have been filed, we have gotten together and
13 resolved the concerns of both intervenors such that they no
14 longer oppose the application.

15 And I would like to briefly discuss what we
16 resolved, and then we will elucidate that in our testimony
17 this morning.

18 First of all, there is a preference by the OCD to
19 drill these wells in advance to the Devonian formation. We
20 have agreed to do so through an application for a Devonian
21 well within six months after the Delaware Mountain well is
22 approved.

23 It will be a redundant well, but at such time as
24 the Devonian well is drilled and equipped and completed, we
25 will switch disposal activities to that well as the primary

1 disposal source, and as a result we will use the Delaware
2 Mountain Group well, assuming it's permitted by this
3 Commission, as a redundant well at that time.

4 And as a result of ultimately transforming the
5 Devonian redundant well to the primary well, we will have
6 minimal treated acid gas in the Delaware Mountain Group
7 well. It will only last for a short period of time.

8 After having said that, even though the issues
9 today are somewhat mooted by the agreement of the parties to
10 ultimately complete that Devonian well, obviously it's
11 extremely important that we establish we are competent to do
12 so that the Delaware Mountain Group well in this particular
13 location is not only appropriate, but is actually ideal for
14 the treatment and disposal of TAG.

15 We are going to establish today through our
16 evidence, our presentations, that the proposed location of
17 this Delaware Mountain Group well has a perfect geologic
18 seal, a good geologic seal of caprock to contain this TAG.
19 It's isolated from the Capitan Reef, so we believe there is
20 virtually no chance of infiltration to that reef.

21 The is no potential effect to oil and gas
22 operations in the area, so correlative rights will be
23 protected. From a geologic standpoint, it has good porosity
24 and very good permeability in this area. What that does
25 from our perspective is achieve the goals that everyone has,

1 and that's to maintain a very small plume of TAG within the
2 reservoir.

3 We believe the porosity of this particular
4 location, as well as the permeability fully support the
5 disposal activities over a 30-year period. Our calculations
6 over a 30-year period show that the plume itself would
7 extend only 0.15 miles in radius from the disposal location,
8 which is a very small plume. Nonetheless, these concerns,
9 as I mentioned at the outset, are largely mooted by our
10 agreement to proceed with the Devonian well and ultimately
11 transform our operations to that area.

12 So today, Commissioners, what we are going to
13 establish and show, we are going to have three witnesses;
14 Mr. Brian Perilloux, he is a professional engineer with Salt
15 Creek Midstream. Mr. Perilloux has extensive experience in
16 handling, management and treatment of TAG. He did so with
17 Williams prior to his position here at Salt Creek Midstream,
18 and he will tell you about the company.

19 Salt Creek Midstream is an interesting company
20 because it's fully committed -- it's an equity-based
21 company -- it's fully committed not only to New Mexico as a
22 capital investment project, but it's committed to safety and
23 environmental protection.

24 Salt Creek Midstream has internal policies that
25 go above and beyond OSHA requirements and other requirements

1 imposed for safety.

2 And of course you know Mr. Gutierrez. He has
3 been here many times. He is going to describe the relevant
4 hydrology and geology that I briefly summarized for you. He
5 is going to show you about the injection zone, and why it is
6 an ideal location for the deposit of this TAG, and why it's
7 fully protective of the Capitan Reef, all fresh water
8 supplies. It does not have the potential to impair upon
9 correlative rights by interfering with any oil and gas
10 production.

11 Mr. Gutierrez will talk about all aspects of the
12 C-108 application and primarily explain the permit
13 conditions that we have agreed to with the State Land Office
14 and the OCD to proceed with the Devonian well application
15 and to transfer operations to that particular well. It will
16 be a little clumsy, but it won't be -- I think we can handle
17 it.

18 Mr. David White will interrupt Mr. Gutierrez's
19 testimony in a sense because he is going to talk about the
20 seismic analysis he performed. He's an expert in that area,
21 in the fault slip probability modeling.

22 And after Mr. White discusses the seismic
23 analysis, Mr. Gutierrez will come back on the stand and talk
24 about the design characteristics of the well itself and show
25 that it's going to meet and exceed all standards for best

1 available practices in constructing this well.

2 And primarily all of the geologic features that
3 Mr. Gutierrez has determined in the C-108 application will
4 be verified and unverified by the drilling program itself
5 because we'll have core analyses to show the conditions of
6 the formations, the conditions of the -- of the injection
7 zone that we encounter, and of course whether any oil and
8 gas is present in the area, which there is not.

9 So with that, Commissioners, we would begin with
10 our case to present Mr. Perilloux to discuss the
11 organizational structure of Salt Creek Midstream and his
12 background in handling TAG and other related features of
13 that disposal.

14 CHAIRWOMAN SANDOVAL: So I think before we do
15 that, we want to go ahead and allow the Division and the
16 Land Office to make an opening statement if they choose to
17 do so. The State Land Office may make an opening statement
18 if you chose to do so, or may do so at the beginning of your
19 presentation of evidence.

20 MS. ANTILLON: The State Land Office will make an
21 opening statement now.

22 Thank you, Madam and Commissioners. As has been
23 noted today, the State Land Office initially did oppose this
24 application by Salt Creek and through our concerns with
25 injection into the Delaware Mountain Group, protection of

1 the Capitan Reef, and also concerns with the proximity of
2 that proposed well to state trust land.

3 The parties here today were able to reach a
4 settlement in this matter which addresses the concerns of
5 the State Land Office. That settlement included payment by
6 Salt Creek for use of the state trust land space and
7 additional permit for additions that the applicant will be
8 speaking of today.

9 So due to that settlement agreement, the State
10 Land Office now supports Salt Creek's application subject to
11 the parties' agreed-to special conditions.

12 CHAIRWOMAN SANDOVAL: Thank you. The Division
13 may make an opening statement if you choose to do so, or may
14 do so at the beginning of presentation of evidence.

15 MR. AMES: Thank you, Madam Chair. The Division
16 declines the opportunity to make an opening statement. We
17 endorse what the State Land Office said about the resolution
18 of the matter. OCD does not oppose the application, and we
19 do not support it, but we do not oppose it either, and we
20 will rely on our testimony to present our case. Thank you.

21 CHAIRWOMAN SANDOVAL: Thank you.

22 The applicant may now present direct testimony
23 regarding the application. Will those persons that wish to
24 testify at this hearing on behalf of the applicant please
25 come forward so the court reporter can administer the oath.

1 (Oath administered.)

2 CHAIRWOMAN SANDOVAL: Thank you. Please call
3 your first witness.

4 MR. HNASKO: Thank you, Madam Chair. The first
5 witness of the applicant Salt Creek is Mr. Brian Perilloux.

6 BRIAN L. PERILLOUX

7 (Sworn, testified as follows:)

8 DIRECT EXAMINATION

9 BY MS. HARDY:

10 Q. Good morning, Mr. Perilloux.

11 A. Good morning.

12 Q. Please state your full name for the record.

13 A. Brian L., middle initial, Perilloux.

14 Q. Where do you reside?

15 A. Katy, Texas.

16 Q. By whom are you employed and in what capacity?

17 A. I'm employed by ARM Energy and assigned to Salt
18 Creek Midstream, which is a subsidiary owned by ARM Energy
19 and ARES, a JV partner.

20 Q. What are your responsibilities in your position?

21 A. I am senior vice president over operations and
22 engineering, and I oversee and manage the operations of the
23 physical assets of Salt Creek Midstream.

24 Q. Are you familiar with the information contained
25 in Salt Creek Midstream's application for injection

1 **authority?**

2 A. Yes.

3 **Q. Have you ever testified in an administrative**
4 **hearing?**

5 A. No.

6 **Q. Given that, would you please summarize your**
7 **educational background and professional experience.**

8 A. Yes. I have a bachelor of science degree in
9 mechanical engineering. I'm a registered professional
10 engineer in the state of Louisiana. I have approximately 34
11 years of oil and gas industry experience, beginning my
12 career with an engineering consulting firm principally
13 focused on the offshore and onshore oil and gas production
14 facilities.

15 I was at one point seconded to Exxon Mobile,
16 known as Exxon at that time, for approximately three years
17 to provide engineering and project management services for
18 their sour gas treating facilities located in Alabama and
19 Florida, along with their gas plant facilities located in
20 Louisiana, Alabama and Florida.

21 Subsequently or about that time I became co-owner
22 of an engineering consulting firm, again providing services
23 to the oil and gas industry in various types of facilities,
24 including sour gas treating facilities. That company
25 existed for 14 years and was sold, at which time I took a

1 position at Williams companies, which is one of the larger
2 publicly traded companies in Midstream space.

3 I held various positions at Williams for
4 approximately nine years, including director of E&C,
5 engineering and construction, vice president of Midstream in
6 the Gulf Region, and senior vice president of operational
7 excellence.

8 The latter role included a group of about 800
9 people in the organization, and I was responsible for
10 regulatory compliance, high level engineering, safety, and
11 other aspects of mechanical integrity for all of Williams'
12 assets.

13 In summary, I think I'm very well versed in most
14 aspects of oil and gas production, processing and
15 transportation, and I consider myself to be an expert
16 accordingly.

17 MS. HARDY: Madam Chair, I tender Mr. Perilloux
18 as an expert in petroleum engineering.

19 CHAIRWOMAN SANDOVAL: Okay. Do the members have
20 any questions for the expert?

21 COMMISSIONER ENGLER: Quick question. What
22 school did you get your bachelor's in?

23 THE WITNESS: Actually, the University of New
24 Orleans.

25 COMMISSIONER ENGLER: New Orleans, okay, thank

1 you.

2 CHAIRWOMAN SANDOVAL: Any other questions?

3 (No response.)

4 CHAIRWOMAN SANDOVAL: All right. The Commission
5 will recognize this individual as an expert.

6 MS. HARDY: Thank you.

7 BY MS. HARDY:

8 **Q. Mr. Perilloux, can you please identify the**
9 **document that's before you and is identified as Salt Creek**
10 **Exhibit Number 1?**

11 A. Yes.

12 **Q. What is that document, please?**

13 A. That is an application for an AGI well in the
14 State of New Mexico.

15 **Q. Is Exhibit 1 a PowerPoint presentation?**

16 A. Sorry, my mistake. Yes, this is the
17 presentation, the application to inject and C-108
18 application.

19 **Q. Is the PowerPoint presentation marked as**
20 **Exhibit 1?**

21 A. Yes, it is.

22 **Q. Who prepared the PowerPoint presentation?**

23 A. Salt Creek Midstream and Mr. Gutierrez prepared
24 the presentation.

25 **Q. Are you familiar with the content of the**

1 presentation?

2 A. Yes, I am.

3 Q. And Mr. Gutierrez will be testifying; correct?

4 A. That is correct, yes.

5 Q. Who prepared Salt Creek's application for
6 injection authority?

7 A. Geolex Company.

8 Q. Why did Salt Creek select Geolex to prepare the
9 application?

10 A. Well, we sought to select a company that had the
11 expertise that we thought was premiere, and knowledge of the
12 State of New Mexico, and, in particular, AGI wells in the
13 State of New Mexico, so we picked what we believed to be the
14 best company to handle the application.

15 Q. Did Geolex perform its work at Salt Creek's
16 direction?

17 A. Yes.

18 Q. Did you delegate to Geolex the responsibility for
19 providing notice of the filing of the application and the
20 Commission hearing?

21 A. Yes.

22 Q. Let's talk about the slide that's up now which is
23 the organizational structure of Salt Creek. When was Salt
24 Creek founded?

25 A. Salt Creek was founded in 2017.

1 **Q. How many individuals does Salt Creek employ?**

2 A. Salt Creek proper has approximately 86 employees
3 who are assigned from ARM Energy, the parent company, which
4 is approximately 200 employees.

5 **Q. Okay. Is Salt Creek committed to working**
6 **cooperatively with producers in the area?**

7 A. Yes.

8 **Q. Can you please generally describe Salt Creek's**
9 **organizational structure?**

10 A. Sure. So on this particular slide, I mentioned
11 ARM Energy is the parent company. ARM Energy has existed
12 since 2004 in the space of marketing and trading, working
13 with multiple producers in the industry, and it's built a
14 reputation of -- in the -- in the energy industry. In 2017
15 ARM Energy formed a JV with ARES equity backer to form Salt
16 Creek Midstream to build assets in Texas and New Mexico.

17 **Q. Look at the next slide which discusses the**
18 **treatment and disposal of sour oil and gas. What is sour**
19 **oil and gas and how is it treated?**

20 A. So sour oil and gas, by definition, is natural
21 gas that contains one of three contaminants, hydrogen
22 sulfide or H₂S; mercaptans, which are sulfur-based
23 compounds; and/or carbon dioxide. It's very common to see
24 H₂S and carbon dioxide together which is traditionally
25 called acid gas.

1 And the acid gas or these contaminants, if you
2 will, in the natural gas are considered to be contaminants
3 that in order to make the natural gas marketable, you have
4 to remove those contaminants and dispose of them.

5 **Q. Let's go to the next slide. Can you please**
6 **describe the method that can be used to dispose of the H2S?**

7 A. Sure. So when I think of disposing of H2S, first
8 off, H2S is naturally occurring in, in nature. In fact,
9 even the human body produces small, small amounts of H2S and
10 it is, at higher concentrations, a toxic gas, and it is
11 very lethal.

12 The negative quality of H2S is it doesn't take a
13 very large amount, relatively speaking, to be lethal.
14 Traditionally speaking, on the order of 500 to 1000 parts
15 per million is a lethal, potentially lethal dose to humans.

16 In the wells in New Mexico, in this particular
17 area, particularly Lea County, often the produced gas coming
18 from production wells will have anywhere from 10 to 20 or
19 more thousand parts per million. So it's a very con --
20 very concentrated in the natural gas.

21 So to treat the natural gas to remove the sour
22 components, there is what I think the foremost prevalent
23 methods starting with an amine system. Amine is an aqueous
24 solution, so it's a water-based solution that chemically
25 combines with the H2S and carbon dioxide to strip it out of

1 the natural gas, thereby purifying the natural gas.

2 And once removed in the amine solution, by
3 heating the amine solution, as a chemical reaction it
4 reverses the reaction, releases the H₂S and the CO₂ as acid
5 gas, commonly known as TAG, total acid gas, and that total
6 acid gas is then disposed of.

7 In my option one we would dispose of that acid
8 gas in an AGI well. I think the benefits of that particular
9 solution is it's a tried and true method of disposal. The
10 chemical is regenerated and reused. It only has to be
11 replenished over time in small concentrations due to
12 incidental losses which ultimately go down the disposal
13 well.

14 The only real negativity of that is the acid gas
15 well has to be located reasonably close in proximity to the
16 treating facility, and depending on the formation -- and
17 Mr. Gutierrez will testify to -- we have to select the ideal
18 location for the well, for the acid gas disposal well, which
19 may or may not be in close proximity to the production field
20 of the oil and gas. So that's the down side of the AGI well
21 is you can't just put one anywhere, and you can't pick it up
22 and move it to another location.

23 One added benefit of the first method is
24 sequestration of carbon dioxide which also would be injected
25 into the disposal well thereby not an emission as a

1 greenhouse gas emission.

2 The second method, also amine treater on the
3 front end, but on the back end the TAG gas would actually be
4 converted elemental sulfur through what's called a Claus
5 plant. That's another well recognized and readily used --
6 utilized method of converting H₂S to elemental sulfur. It
7 normally comes out as a liquid sulfur on the back end of a
8 Claus plant and is trucked or railed out of the facility
9 either to a landfill for disposal or can be commercialized
10 and sold to fertilizer industries and other such uses.

11 Currently the market for sulfur is, is not very
12 favorable to disposal, so anyone with a Claus plant today
13 would most likely be sending sulfur to a landfill. The
14 downside, whether it's being commercialized or sent to a
15 landfill, with liquid sulfur is the numerous trucks trucking
16 liquid sulfur on the highways from the Claus plant to the
17 disposal or market sites.

18 Secondly, in this particular method, the Claus
19 plant does not sequester the CO₂. The CO₂ is naturally
20 vented to atmosphere usually through a thermal oxidizer,
21 combust incidental BOCs.

22 The third method that's commonly used in the
23 industry is chemical scavengers or iron sponge. Iron sponge
24 is, think of it basically as steel wool in a vessel. It
25 basically captures the H₂S and converts it to essentially

1 rust and iron sulfide. Iron sulfide is not necessarily
2 toxic, but it is pyrophoric, meaning it will auto ignite and
3 burn.

4 So iron sulfide, also as you dispose, and this
5 particular method is not regenerative, so you dispose of
6 your iron sponge as it's consumed and replace it with new
7 iron sponge. The disposal product goes to a landfill, which
8 has a risk of pyrophoric ignition and fires in landfill and
9 that sort of thing, so it has to be disposed of accordingly.

10 The chemical scavengers in this category are
11 commonly -- a common chemical is triazine, which is also an
12 aqueous solution similar to amine, but is not able to be
13 regenerated, so it is a consumed chemical and can, in this
14 particular area of New Mexico with the high concentrations
15 of H₂S, it takes very large quantities of chemical on a
16 daily basis.

17 Just to give you an idea, in the 10 to 20 million
18 cubic feet per day range, you might consume 10,000 to 20,000
19 gallons of chemical on a daily basis which has to be trucked
20 in and both out of the facility for disposal.

21 The spent chemical is normally injected into
22 waste disposal wells which, again, is -- it requires
23 trucking to those locations. The other negative here on
24 this particular method, it does not sequester carbon
25 dioxide, so carbon dioxide would have to be removed by other

1 methods, typically an amine system, in which case you would
2 then vent or dispose of the CO₂ into the atmosphere through
3 a thermal oxidizer, again, a greenhouse gas emission.

4 Lastly, another process that is a fairly old and
5 well-known process called redox or reduction oxidation,
6 redox uses a chemical, essentially iron chelate, which you
7 think of it as rusty water, that actually absorbs the H₂S
8 through an oxidation process, and you can reverse the
9 process by aeration and large amounts of air bubbles through
10 the solution causing the sulfur to fall out in a solid cake
11 form.

12 That solid cake is then pressed and dried, put
13 into bins, roll off bins that are put on the back of trucks,
14 and it's trucked to landfills to dispose of the solid cake
15 sulfur.

16 The particular down side of the redox process is
17 it's limited in its capacity to treat. Typically the
18 systems are 15 to 30 million cubic feet per day as a
19 maximum. They also have limitations in terms of the amount
20 of sulfur cake that you can pull out of the regeneration
21 side of the process.

22 They have a tendency to have other emissions such
23 as detoluene and benzene and other emissions that during the
24 reverse process or regeneration of blowing air through it,
25 that is emitted to the atmosphere, small quantities but it

1 is possible.

2 It has a very high operating cost and capital
3 cost, and again, with the limited volume of production it
4 makes it mostly non-economical to use that as a solution.
5 And lastly, it does not sequester CO₂, once again, which
6 would have to be removed by another process such as amine
7 and vented to the atmosphere.

8 **Q. Would you tell me what other factors must be**
9 **considered in the disposal of H₂S?**

10 A. In my opinion, again, I mention that the treating
11 facilities should be located in close proximity to the oil
12 and gas production facilities. If they're not, then the
13 sour gas, sour natural gas, some go out of the wells would
14 have to be transported over some distance from the well
15 production site to the treating facility.

16 The longer that distance, the more exposure the
17 public would have. So ideally you want to put your treating
18 facility in close proximity, and likewise, the acid gas
19 injection well in close proximity to both the treating
20 facility and the production wells as close as possible or
21 practical.

22 Secondly, I think the TAG or acid gas should only
23 be transported in very short distances, and I consider short
24 up to one mile. And the reason is, obviously, the TAG gas
25 is concentrated H₂S, and very high concentrations typically

1 in this area 30 percent of the TAG stream or more could be
2 H₂S, which is 300,000 parts per million. And 300,000 parts
3 per million, if released to the atmosphere, would require a
4 fairly large radius of exposure to be diluted down to
5 something under 100 parts, which is about the limit that we
6 consider human exposure.

7 So we would prefer to have the acid gas well very
8 close to the amine treating facility just to limit the
9 distance that you have to move the acid gas.

10 **Q. In the four methodologies you discussed, is the**
11 **AGI well the only one that allows for sequestration of CO₂?**

12 A. Yes, that is correct.

13 **Q. How is CO₂ handled if not sequestered?**

14 A. As I previously mentioned, CO₂ is a contaminant
15 to natural gas, and in quantities above approximately 2
16 percent in the natural gas, it becomes non-marketable.

17 The second point is, is natural gas goes to a gas
18 treating -- I'm sorry -- a gas processing facility where
19 natural gas liquids are extracted, that's the ethane,
20 propane, butanes, et cetera, to render the methane
21 principally as the natural gas that's distributed to the end
22 users.

23 In that gas processing facility, it's generally
24 done by cryogenics, and cryogenics will have a -- actually
25 CO₂ into the inlet of a gas plant will cause freezing inside

1 the plant or plugging, ice plugs of CO₂, so it has to be
2 removed from the front end of the gas plant. Even if the
3 natural gas only has 2 percent, most natural gas processing
4 plants have an amine system to remove the CO₂ which is
5 either vented to the atmosphere or vented through a thermal
6 oxidizer to the atmosphere.

7 **Q. Based on the information you have provided**
8 **regarding the options for disposing of acid gas, what is**
9 **your conclusion here?**

10 A. My conclusion is the most environmentally
11 friendly, commercially available, and economically feasible
12 solution is an amine treating facility with an acid gas
13 disposal well located at the site to dispose of the TAG.

14 **Q. Look at the next slide which relates to the**
15 **Current and Future H₂S Treating Investment. Can you please**
16 **describe the H₂S treatment facilities?**

17 A. Yes. So we are located in Lea County just north
18 of the Texas-New Mexico border. And in the graphic, the
19 diamond is identified as the AGI well location, which is the
20 site of our existing amine treating facilities.

21 We also considered a Valkyrie unit, and that's a
22 trade name for a redox system, about three to four miles
23 north, which is also denoted here. We have since suspended
24 the installation of that in favor of going forward with our
25 AGI well.

1 We currently have at the AGI treating location,
2 treating plant, a system that's capable of about 35 million
3 cubic feet of gas treating. It has a 475 GPM amine
4 circulation system, which is comparable to the 35 million
5 cubic feet of gas, and we are capable of removing about 7
6 percent CO2 and approximately 25,000 parts per million or
7 2.5 percent H2S to the inlet gas stream.

8 **Q. Does Salt Creek have a contingency plan?**

9 A. Yes. We have a contingency plan filed, and we've
10 updated that plan accordingly as we have made changes, and
11 we will have an additional update once the AGI well is
12 drilled and in service.

13 **Q. Does Salt Creek plan to add additional treatment**
14 **capacity?**

15 A. Yes. We do look to the future, and based on
16 producer activity in the area, we would expect to add up to
17 an additional 50 million cubic feet of capacity, and that
18 would be done in some time late 2020, perhaps the end of the
19 third quarter.

20 **Q. Have Salt Creek, New Mexico State Land Office,**
21 **and OCD reached an agreement regarding permit conditions**
22 **that require Salt Creek to drill a redundant medium well?**

23 A. Yes.

24 **Q. You have a document before you that's marked as**
25 **Salt Creek Exhibit 2.**

1 A. Yes.

2 **Q. What is that document, please?**

3 A. Sorry, would you repeat the question?

4 **Q. Can you identify that document?**

5 A. Yes. I can identify that document. It is the
6 special conditions for Salt Creek Midstream, Case Number
7 20780.

8 **Q. And is Exhibit 2 a true and correct copy of the**
9 **permit conditions agreed upon by Salt Creek, the State Land**
10 **Office and OCD?**

11 A. Yes, it is.

12 **Q. Will Mr. Gutierrez address these conditions in**
13 **more detail in his testimony?**

14 A. Yes, that is correct.

15 **Q. Go to the next slide. Can you please describe**
16 **Salt Creek's natural gas infrastructure.**

17 A. Yes. I, I like to identify this graphic or map,
18 if you envision a smiley face there, and kind of at the chin
19 of the smiley face, right in the middle is a diamond.
20 That's the location of our Pecos Natural Gas processing
21 plant, and I like to use it as a central point because it's
22 easy for me to describe the graphic from that point.

23 From that diamond, if you move to the right, we
24 have a 30-inch natural gas gathering trunk line that extends
25 up to the right and gradually curves up northward towards

1 New Mexico. As it crosses the Pecos River, it reduces to a
2 16-inch natural gas gathering line which extends all the way
3 up into New Mexico to our gas treating facility located in
4 Lea County.

5 MR. LOZANO: Mr. Perilloux, I don't mean to
6 interrupt you. Could you point to that? I think it would
7 be helpful to know exactly where you are looking.

8 A. Okay. I'm referring to this as the smiley face,
9 and right in the center here is the diamond that's located
10 just out of Pecos, Texas, known as our Pecos Gas treating --
11 I'm sorry -- gas production facility or gas processing
12 facility.

13 So this line extending to the east is a 30-inch
14 gas line that crosses the Pecos River here, reduces to a
15 16-inch that extends all the way up into New Mexico past our
16 gas treating facility in New Mexico and about another three
17 miles -- three to four miles north.

18 From the west side we have a 30-inch gas trunk
19 line or gathering line that extends through the west up to a
20 location here that we affectionately call the junction.

21 From the junction it reduces to a 20-inch gas
22 gathering line, extending up into Eddy County into New
23 Mexico. That 20-inch extends northward almost to Carlsbad
24 or southeast of Carlsbad.

25 From the junction we have a 16-inch gas gathering

1 line extending due west, and an extension northward up to
2 south of the New Mexico border, and I will come back to this
3 side in just a moment.

4 Just for incidental, we have another gas, small
5 eight-inch line extending southward here, and a couple of
6 laterals located off the main trunk lines.

7 Overlaid with this we also do crude oil
8 gathering. We have a crude oil line which is a green line,
9 I will start off from this case in New Mexico in Lea County.
10 This line is not fully constructed this far north, but we
11 are up, I believe, to a point right about here.

12 This crude oil gathering line extends down to a
13 terminal. This is the location of our Wink Terminal in
14 Winkler County, Texas. The crude oil gathering system has a
15 south gathering line that extends down to another terminal
16 called the Liberty Terminal which is currently under
17 construction, not yet in service.

18 On the west side, the green over here once again
19 represents crude oil gathering lines. We have a, a tank
20 that's currently being commissioned in Texas called the Oila
21 Terminal with gathering lines extending over to the junction
22 and up into the -- I'm sorry -- to the junction, also
23 gathering up into the New Mexico -- it's underneath the red
24 line, so you can't see it -- over to the west to this
25 location and extending up into -- this is not built yet or

1 constructed yet, but built up into New Mexico, and this site
2 would be the intention.

3 We recognize there is some challenges along this
4 area with karst, so -- or caves, and so we may abandon this
5 extension of the crude oil line on this side, but that's
6 another matter.

7 So in essence, this represents -- map represents
8 the infrastructure that we have put in place. It represents
9 more than a billion dollars of investment, all constructed
10 within approximately the last year and a half.

11 MR. LOZANO: Thank you, sir.

12 BY MS. HARDY:

13 **Q. Look at the next slide, natural gas**
14 **infrastructure. Can you explain what's on this slide**
15 **generally?**

16 A. Yes. So this infrastructure really looks at the
17 Pecos Processing Plant, and so the graphic is the plant
18 layout. It's approximately 325 acres, I believe, if my
19 memory serves me correctly. We have actually two trains, so
20 two 200 million cubic feet per day gas processing plants
21 located in service at that site.

22 From that gas plant, as I mentioned on the
23 previous slide, we have gas gathering. So we have 325 miles
24 of gas, high pressure gas pipeline that range from eight
25 inch to 30 inch with approximately a billion cubic feet of

1 gathering capacity.

2 At that particular site at the Pecos location we
3 have the ability to install up to three more gas processing
4 increase the total capacity to a billion cubic feet or more.

5 We have approximately 5,000 barrels per day of
6 condensate stabilization equipment in that location, so
7 retrograde condensate that comes in in the natural gas
8 gathering lines we can process and actually sell stabilized
9 condensate from the facility.

10 We have slug catching capacity, approximately
11 40,000 horsepower of compression, much of which is installed
12 at that facility, but we also have field compression
13 stations that gather low pressure gas from producers, put it
14 into the high pressure gas line and move it to the plant.

15 On the residue system, we are connected to
16 El Paso and ONEOK Roadrunner pipeline in Texas. We have NGL
17 transportation capacity leaving the plant over to Waha up to
18 about 450,000 barrels per day of NGL capacity. Part of that
19 NGL capacity is in a JV with Apache, now known as Altos
20 Midstream Company, where we move NGL from the Apache or
21 Altos plant as well.

22 And on the NGL side we have interconnects with
23 EPIC and Enterprise via the line to the Waha system.

24 **Q. How will the treated acid gas be transported to**
25 **the AGI well that Salt Creek wants to drill here?**

1 A. We will move the total acid gas or TAG from the
2 treating facility to the well which will be in very close
3 proximity to a pipe. And personally I like to clarify that
4 that pipe is, is not necessarily a pipeline. I personally
5 -- this is my definition. I'm not sure if it's generally
6 accepted, but I think of a pipeline as connecting two
7 separate facilities, so -- as opposed to a pipe which is on
8 the same facility.

9 And so in this particular case, the AGI well will
10 be located on the same site or facility -- or at the same
11 facility as the acid gas -- I'm sorry -- the sour gas
12 treating equipment, so the amine treating system is located
13 on the same site.

14 It's a matter of hundreds of feet, not miles,
15 between the amine treater and the acid gas well proper. In
16 contrast, if the AGI well were not at this particular site,
17 but located remotely, you would have an acid gas pipeline
18 extending from the treating facility to the AGI well
19 location. So I just wanted to make sure I clarified, when I
20 say a pipe, it means it's on the same facility.

21 **Q. Will the pipe be designed and constructed in**
22 **accordance with standard industry practices?**

23 A. Yes, that is correct.

24 **Q. Go to the next slide, please, Operational**
25 **Excellence. Can you please describe Salt Creek's approach**

1 **to protecting health, safety and the environment?**

2 A. Yes. There's quite a few words on this slide,
3 but I like to start with kind of the foundation of what I
4 think Salt Creek calls near and dear. And that is, there is
5 two things in the industry we hear, and one that you
6 typically hear first is, is someone will say safety.

7 We think safety is paramount and most important,
8 but I also like to couple that with another word, and that's
9 integrity. In my opinion you need both of those in equal
10 proportion. In fact, I might argue that integrity should be
11 first and safety is second, and the reason is that your
12 safety program doesn't matter if you don't have integrity to
13 support it. And so those two words to me underscore what we
14 principally believe in.

15 You know, handling sour gas, acid gas, is -- is
16 something that has a lot of risk associated with it. And if
17 I could borrow the words of a former Blue Angel pilot named
18 John Foley, I once saw a presentation by John Foley and
19 someone asked him if what he did was dangerous, meaning Blue
20 Angel formations, planes flying at 600 miles an hour, 36
21 inches apart, wing tip to wing tip, and his answer I thought
22 was pretty good.

23 His answer was, "What we do is not dangerous,
24 it's just unforgiving." And I like to use that with my
25 operations team because I think of that exactly the same

1 way. Maybe another analogy is, I think of operating sour
2 gas treating facilities and handling of sour gas and acid
3 gas is a path walking along the edge of a cliff, or imagine
4 walking along the edge of the Grand Canyon. My job and our
5 company's job is to provide enough guardrails to make that a
6 safe operation. In the absence of those guardrails, you are
7 depending on luck, and I don't believe luck is a strategy.

8 Coming from a leadership position in Williams,
9 which again I mentioned is one of the larger publicly traded
10 Midstream companies, I brought a lot of the learnings from
11 Williams in my 34 years of experience in the industry.

12 I have been at locations where they have had
13 releases of sour gas. I personally was involved in a sour
14 gas release at a plant in Alabama once. At 2 o'clock in the
15 morning the release was happening in the plant. I had to
16 put on an emergency air pack like the firemen wear, the
17 Scott air pack at 2 o'clock in the morning to evacuate the
18 facility. It was either that or I would not be here today.

19 So I treat sour gas and sour gas production very
20 seriously, and I treat it as being very unforgiving. It can
21 be very safe in the operation as long as we establish the
22 guardrails that are necessary to prevent a loss of
23 containment.

24 Part of the strategy of preventing loss of
25 containment is having a very competent person leading the

1 compliance, both regulatory compliance area and the
2 mechanical integrity area, which we do have currently in our
3 company. And that integrity program, coupled with the
4 programs to meet all regulations and industry standards
5 provides those guardrails along the path to prevent us from
6 slipping over the edge.

7 Q. Mr. Perilloux, can you please look at the
8 document before you that's marked as Exhibit 3?

9 A. Yes.

10 Q. Can you please identify that document for the
11 record?

12 A. Yes. That is the First Amendment of the Term
13 Right-Of-Way Agreement between Beckham Ranch and Salt Creek
14 Midstream.

15 Q. Are you familiar with the terms of that
16 agreement?

17 A. Yes, I am.

18 Q. Is Exhibit 3 a true and correct copy of the
19 agreement?

20 A. Yes, it is.

21 Q. Does the agreement allow Salt Creek to install
22 and operate an AGI well on the proposed site?

23 A. Yes, it does.

24 Q. Mr. Perilloux, will the ability to inject treated
25 acid gas into the proposed well result in more efficient

1 operation of the plant?

2 A. Yes.

3 Q. In your opinion, will Salt Creek's proposed
4 method of disposing of treated acid gas protect public
5 health and environment?

6 A. Yes.

7 MS. HARDY: Madam Chair, I would move the
8 admission of Exhibits Salt Creek 1 through 3.

9 CHAIRWOMAN SANDOVAL: Are there any objections
10 from the Division or State Land Office to the entry?

11 MR. AMES: No objection.

12 MS. ANTILLON: No objection.

13 CHAIRWOMAN SANDOVAL: They can be entered into
14 the record.

15 (Exhibits Salt Creek 1 through 3 admitted.)

16 MS. HARDY: I have no further questions of
17 Mr. Perilloux.

18 THE WITNESS: Thank you.

19 CHAIRWOMAN SANDOVAL: Thank you. Does the
20 Commission have questions or wish to cross-examine this
21 witness?

22 COMMISSIONER ENGLER: I would like to question,
23 Madam Chair.

24 Your facility, you said you have 35 million for
25 capacity. Is it running at full capacity? How much are you

1 running through there now, just like a general average.

2 THE WITNESS: Presently we are running
3 approximately 6 million cubic feet of gas, and we have
4 capacity with the triazine system that's currently being
5 used to remove the H2S capacity to run up to about 12 to 18
6 million cubic feet of gas, but currently it's 6 million at
7 the facility.

8 COMMISSIONER ENGLER: Was that 6 million, and you
9 have -- I think you mentioned some -- a percentage or how
10 much CO2 you're actually pulling out of that.

11 THE WITNESS: Yeah. So we are pulling out
12 approximately 2.5 percent H2S. The CO2 is actually being
13 flared at the facility.

14 COMMISSIONER ENGLER: And in your proposal, you
15 want to up that capacity another 50 million?

16 THE WITNESS: That is correct.

17 COMMISSIONER ENGLER: And so I guess the
18 expectation that, that Salt Creek sees is that you are going
19 to have a massive increase in input that you are going to
20 need to be able to treat?

21 THE WITNESS: That's correct.

22 COMMISSIONER ENGLER: And so I guess you expect
23 your CO2 volume -- CO2 and H2S volumes going up even higher
24 than what you are right now in terms of treating and/or --

25 THE WITNESS: Yeah, the percentages remain

1 relatively stable.

2 COMMISSIONER ENGLER: The same?

3 THE WITNESS: But the volume increases as
4 production increases. That is correct.

5 COMMISSIONER ENGLER: Okay. Thank you.

6 COMMISSIONER KHALSA: No questions.

7 CHAIRWOMAN SANDOVAL: So you referred to your
8 gathering system. What does that look like, at least on the
9 New Mexico side in terms of a -- you mentioned you have a
10 compression station.

11 THE WITNESS: Yes. Currently the compressors in
12 New Mexico are located at the treating facility in Lea
13 County.

14 CHAIRWOMAN SANDOVAL: Okay.

15 THE WITNESS: And we have two compressors
16 currently installed to provide approximately 18 million
17 cubic feet of inlet gas compression into the treater.

18 CHAIRWOMAN SANDOVAL: So most of your gathering
19 system is on the Texas side?

20 THE WITNESS: That is correct.

21 CHAIRWOMAN SANDOVAL: Okay. But you do have a
22 contingency plan in place with the Division for all of the
23 assets in New Mexico?

24 THE WITNESS: That is correct.

25 CHAIRWOMAN SANDOVAL: Would you guys have a GIS

1 map of that gathering system?

2 THE WITNESS: Yes, we do.

3 CHAIRWOMAN SANDOVAL: Is that something you would
4 be willing to share with the Division as part of this
5 process?

6 THE WITNESS: Yes.

7 MR. LOZANO: Madam Chair, if you don't mind, I
8 have one question. Mr. Perilloux, I understand the
9 agreement is to build the Devonian well within 15 months of
10 this well issuance or permit issuance.

11 THE WITNESS: Correct.

12 MR. LOZANO: Do you have any of the same concerns
13 with regard to location of that well? You mentioned, you
14 know, transporting, things like that are an issue.
15 Currently it will be on the same facility --

16 THE WITNESS: Yes.

17 MR. LOZANO: -- with the Devonian well. Will
18 that also be or will you have it in a different location.

19 THE WITNESS: It would be approximately -- it
20 would be on the same surface site within a couple hundred
21 feet --

22 MR. LOZANO: Okay.

23 THE WITNESS: -- of the facility like the, like
24 the Delaware.

25 MR. LOZANO: Okay. That's all I have.

1 CHAIRWOMAN SANDOVAL: Okay.

2 Are there any other questions from the
3 Commission?

4 (No response.)

5 CHAIRWOMAN SANDOVAL: Okay. Does the State Land
6 Office wish to cross-examine?

7 MS. ANTILLON: No questions from the State Land
8 Office.

9 CHAIRWOMAN SANDOVAL: Does the Division wish to
10 cross-examine?

11 MR. AMES: No, Madam Chair. Thank you.

12 CHAIRWOMAN SANDOVAL: Is there any redirect of
13 the witness from the applicant?

14 MS. HARDY: No, Madam Chair.

15 CHAIRWOMAN SANDOVAL: Does the applicant have any
16 additional witnesses?

17 MR. HNASKO: Yes, Madam Chair, we do.

18 CHAIRWOMAN SANDOVAL: Okay.

19 MR. HNASKO: Our next witness for Salt Creek,
20 Madam Chair, will be Alberto Gutierrez.

21 May I proceed, Madam Chair?

22 CHAIRWOMAN SANDOVAL: Yes.

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ALBERTO A. GUTIERREZ

(Sworn, testified as follows:)

DIRECT EXAMINATION

BY MR. HNASKO:

Q. State your name for the record, please.

A. Alberto A. Gutierrez.

Q. Where do you live, Mr. Gutierrez?

A. I live in Albuquerque.

Q. What's the name of your company?

A. Geolex Incorporated.

Q. What does Geolex Incorporated do?

A. Geolex Incorporated specializes in the permitting, construction, operation and analysis of acid gas injection wells, and we also do a significant amount of work in the investigation and remediation of contaminated groundwater and soil.

Q. And what's your job at Geolex?

A. I'm the president.

Q. I put up Slide Number 2, and this is a brief summary of your education and experience. Could you describe your education and experience, please?

A. Yes. I am a geologist. I have bachelor's degree from the University of Maryland in 1977, and a master's from the University of New Mexico in 1980. My -- I have had experience since about 1975 in the environmental area, and

1 since the early '80s in the oil and gas area. And for the
2 last 20 years we have been very active in the acid gas
3 injection arena and have developed a national and
4 international reputation in that area.

5 **Q. And did you prepare Salt Creek's C-108**
6 **application?**

7 A. My -- I did, and my staff under my direction,
8 yes.

9 **Q. And which members of your staff participated in**
10 **that preparation?**

11 A. There are a number of people that participated,
12 but primarily David White and Jim Hunter.

13 **Q. All right. I take it, Mr. Gutierrez, based on**
14 **your experience you have prepared a number of applications**
15 **for acid gas injection wells?**

16 A. Yes, I have.

17 **Q. How many?**

18 A. At least a couple dozen in New Mexico.

19 **Q. And --**

20 A. And others in Texas and other locations.

21 **Q. With respect to the applications in New Mexico, I**
22 **assume you have testified at each of those hearings?**

23 A. I have.

24 **Q. All right. And you were recognized as an expert**
25 **petroleum geologist and hydrogeologist in those areas?**

1 A. Yes, sir.

2 MR. HNASKO: Madam Commissioner, based on Mr.
3 Gutierrez' past acceptance as an expert in proceedings, I
4 tender him as an expert in petroleum geology and
5 hydrogeology.

6 CHAIRWOMAN SANDOVAL: Do any of the Commissioners
7 have any questions for the witness?

8 COMMISSIONER ENGLER: No.

9 CHAIRWOMAN SANDOVAL: The Commission will
10 recognize Mr. Gutierrez as an expert.

11 BY MR. HNASKO:

12 **Q. Mr. Gutierrez, could you please identify Exhibit**
13 **Number 4?**

14 A. Certainly. Exhibit Number 4, which is in the --
15 right behind Tab 4 in your bound booklet is a copy of our
16 original C-108 application submitted for this well.

17 **Q. And I take it that's the same application that**
18 **you testified you and your staff prepared?**

19 A. That is correct.

20 **Q. And that's a true and correct copy of the**
21 **application you submitted in this proceeding?**

22 A. I haven't gone through detail each exact page,
23 but it is. I provided it to you.

24 **Q. You have no reason to believe it is not; is that**
25 **correct?**

1 A. That is correct.

2 Q. All right. Mr. Gutierrez, I placed Slide 15 up
3 on the screen for us to review, and this briefly summarizes
4 the key elements of the C-108. Could you go through those,
5 please?

6 A. Sure. First of all, the C-108 has all of the
7 required information that is necessary to evaluate and
8 hopefully approve this acid gas injection well proposal. I
9 just want to point out some of the key elements of the
10 project.

11 Some of these are not unique to this project
12 because they are part of the things that Mr. Perilloux, for
13 example, testified to in terms of the benefits of acid gas
14 injection.

15 However, the AGI project has substantial
16 environmental benefits because it allows for the production
17 of sour gas and results in the sequestration of the CO2
18 associated with that gas as opposed to liberating it, using
19 other kinds of technology like an SRU unit.

20 It also the aids facility in meeting its air
21 quality regulation because SRUs and the associated units and
22 some of these other treatment units are more prone to upsets
23 that require flaring. So it eliminates a lot of flaring.
24 It also -- the well design -- the way I like to look at
25 AGIs is that you really have two primary aspects of how to

1 safely design an AGI well.

2 One is the actual design of the well itself,
3 but -- and that's important in terms of the integrity of
4 the well and making sure there is -- it minimizes any kind
5 of potential for gas, treated acid gas to get out of the
6 injection zone due to the well construction itself.

7 Equally important is the natural conditions of
8 the geology in the area and the ability of the reservoir to
9 accept the acid gas that is being disposed of in there, to
10 do it in a way that's consistent with the existing formation
11 water and not cause an issue, and also to have an adequate
12 seal that will keep the acid gas in the intended injection
13 zone.

14 So all the nearby oil and gas wells and water
15 wells, whichever few there are, are protected by this
16 combination of these factors.

17 **Q. We will get into that in some detail, but can you**
18 **continue with some of the key elements of the C-108?**

19 **A.** As I mentioned, it's got all of the
20 application -- it has all the details necessary to evaluate
21 it. The adjacent producers and operators strongly support
22 the project. The operators and owners, surface owners have
23 received proper notice, and there has been no objections to
24 the proposed AGI project from either operators or surface
25 owners.

1 And, as Mr. Perilloux mentioned, the facility has
2 a Rule 11, an approved Rule 11 plan which will be modified
3 to incorporate the AGI and the AGI compression facilities
4 and will be submitted to the OCD for their approval prior to
5 the use of the well.

6 **Q. All right. Let's discuss briefly the location**
7 **background and the purpose of this particular well.**

8 A. Right. Obviously the purpose of the well, as
9 Mr. Perilloux alluded to is to provide a disposal facility
10 for the total acid gas and treated acid gas that comes out
11 of the amine unit at that facility. It is located in
12 Section 21 of 26 South and 36 East in Lea County.

13 You can see it on the map shown on the next
14 slide. Right there. And it gives the location in terms of
15 the coordinates for the well and its relationship to the
16 facility. The well will allow the facility to dispose of
17 the total acid gas generated from about ultimately 80 to 85
18 million cubic feet of inlet gas, as Mr. Perilloux described.

19 It will be a vertical well, and it's located
20 approximately 600 feet from the west line, which is actually
21 5594 feet from the west line and 2379 feet from the south
22 line, in that section.

23 **Q. All right. And we've already discussed the**
24 **location and the map you were citing to?**

25 A. Yes.

1 **Q. Slide 18.**

2 A. This next slide is a picture of the facility. It
3 looks kind of like a pretty open area because there is not a
4 lot of the facility having been built at the time when this
5 image was taken, but it also shows the location of the acid
6 gas well and other wells in the immediate vicinity of the
7 well.

8 **Q. All right. Following up with that particular**
9 **slide would you discuss in some more detail the plant site**
10 **characteristics on Slide 20?**

11 A. Sure. As Mr. Perilloux also mentioned, the
12 facility is located on an easement that has been provided as
13 Exhibit 3. The underlying mineral rights are owned by the
14 US and administered by the BLM and by the State Land Office
15 immediately adjacent to the -- on the section just to the
16 west and to the south.

17 The field gas will be sweetened, as Mr. Perilloux
18 aptly described. We don't need to go into all of that. And
19 it will be all the surface equipment, including the well and
20 compression facilities, if you show the next slide, you can
21 see will all be located within the outlined area. The next
22 slide is the map --

23 **Q. Before we do that. Let's take a look at**
24 **Exhibit 3, if you would, please, and identify that for us.**

25 A. Yes, sir. Exhibit 3 is the First Amendment of

1 the Right-of-Way Agreement between Salt Creek and Beckham
2 Ranch, which was described earlier, and this agreement
3 provides for the ability for Salt Creek to place an AGI on
4 their land.

5 Q. Gives them the right to enter on the surface and
6 do so?

7 A. That is correct.

8 Q. You mentioned Slide 21, which is the schematic of
9 the plant. Could you explain that to the Commissioners?

10 A. Yes. It's just a general schematic of the
11 processing plant showing the location of the existing
12 process equipment, inlet compression and processing down in
13 this area. The area for future expansion, as Mr. Perilloux
14 described, are there. And this is the location of the
15 flare, and that's the approximate location of the AGI well.

16 Q. Okay. Thank you. Let's move on here to some of
17 the calculations of the injections and competition for the
18 AGI well. Could you describe the proposed injection fluid
19 volume?

20 A. Right. At full capacity, this facility would be
21 generating approximately 8 million cubic feet a day of
22 treated acid gas or total acid gas that would be comprised
23 of approximately 22 percent H₂S, 78 percent CO₂, and some
24 trace hydrocarbons which flow over.

25 The injected fluid compatibility was -- had been

1 determined by 20 years of nearby injection experience and by
2 looking at the types of brine that is currently in the
3 proposed injection zone.

4 We calculated the MAOP which we are proposing of
5 of 2149 psi based on the density of the acid gas and the --
6 and the depth of the well as per NMOCD guidelines.

7 Obviously we are going to do a step rate test
8 when the well is completed, but we don't envision any need
9 for raising that pressure at this point unless we encounter
10 something we don't anticipate in the injection zone. We
11 anticipate the actual injection pressure will be somewhere
12 in the 1400 to 1600 psi range.

13 **Q. Let's move on to the Reservoir Volume and Area**
14 **Calculations. Could you explain how you went about**
15 **performing calculations?**

16 A. Sure. I'm going to summarize, they are
17 summarized on this slide. The next slide gives details of
18 those calculations, but basically under the anticipated
19 reservoir conditions, we have to remember that, unlike water
20 injection, when you inject treated acid gas, you are
21 injecting a fluid is that compressible, in other words,
22 atmospheric, temperature and pressure that is in a gas state
23 and it occupies a certain volume.

24 Well, as you compress that to what we call a
25 super critical state, the mixture of CO2 and H2S becomes a

1 liquid, basically, and it is handled as a liquid. And when
2 it enters the well, it enters as a liquid, but as a
3 relatively lower density.

4 And then as it travels down the well itself, it
5 becomes denser and denser and then when it enters the
6 reservoir, based on existing reservoir pressure, it will
7 remain in that compressed state in the reservoir. And what
8 that means is that at full capacity, this facility would be
9 injecting something under 20 -- 3270, 3268 barrels of acid
10 gas a day into the reservoir.

11 The next table shows those calculations. This is
12 included in the -- in the C-108 --

13 Q. Can we go back though to this --

14 A. Sure.

15 Q. -- for one moment. I just want to point out your
16 fourth arrow, and you indicate after 30 years of operation
17 the TAG will occupy a particular area.

18 A. Oh, yeah.

19 Q. Could you describe that, clearly given the
20 agreement to go forward with the Devonian well as a
21 redundant well and then transfer that well as a primary
22 disposal option the 30 years of operation won't likely
23 occur. But can you explain where you arrived at the
24 conclusion that the TAG would occupy only an area of
25 approximately 0.15 miles radius from the bottom of the well?

1 A. Basically when you inject acid gas into a
2 formation, it displaces the existing reservoir fluid,
3 typically a brine, in that formation, and it replaces it
4 with essentially this treated acid gas liquid to fill that
5 available floor space less the irreducible water, of course.

6 What we do is calculate volumetrically, and in
7 this case, as Mr. White will describe in his testimony, we
8 did a seismic analysis of the DMG, and we got some pretty
9 massive sands that are good and permeable, and we saw that
10 about from both the well logs and the seismic. And so
11 therefore the porosity and permeability are such that even
12 if you injected at full capacity, basically the 3300 barrels
13 a day, roughly, of acid gas, it would only reach a radius of
14 about 800 feet or .15 miles.

15 **Q. Okay. Moving on to 24, we've got the maximum**
16 **allowable operative pressure. Could you describe that**
17 **determination?**

18 A. Yes, certainly. The, the maximum injection
19 pressure is taken into this formula which is shown in this
20 area of the table that is OCD's standard formula for
21 calculating the injection pressure maximum, MAOP, absent of
22 a separate test.

23 And when we do that calculation we come up with
24 about 2149 psi for MAOP. And you can see in the -- we've
25 got conditions at the wellhead, and you can see the density

1 of the TAG is only about .36 at the wellhead under these 110
2 and 1200 psi conditions.

3 But by the time you get to the bottom of the
4 well, the pressure is 2976 pounds because of the depth and
5 the hydrostatic head, and the TAG is now about .81 in
6 density. So what we do is calculate the average density of
7 that TAG over the well, and we put that into this equation.
8 That's how we calculate our MAOP.

9 Also we, as you can see here at the reservoir,
10 the space occupied by that TAG is significantly less than it
11 is at the surface. At the surface when we first entered the
12 well we are looking at about 7400 barrels a day, and by the
13 time it's in the bottom it's about 3268.

14 **Q. All right. That's due to compression of the TAG?**

15 **A.** That is correct.

16 **Q. Slide 25 you calculated the radius of the TAG**
17 **plume after 30 years. Could you describe that, please?**

18 **A.** Sure. This is just that 800 foot radius around
19 the well. We really, in this case, given the seismic
20 information as David will present, we feel pretty
21 comfortable that this will be roughly a radial plume because
22 the sands are fairly conducive to that kind of a plume.

23 Now what we are showing on here, there's a number
24 of permitted wells. That's these blue squares. Those are
25 typically horizontal wells that have been permitted that

1 haven't yet been drilled. These green dots that you see are
2 all oil wells that are completed in the area, but they are
3 not necessarily wells that all penetrate the injection zone.

4 Some of them do, in terms of the vertical
5 component of the well, but typically these horizontal wells
6 go through our whole injection zone and then the zone they
7 are producing out of several thousand feet below our
8 injection well.

9 **Q. As a result of that, what impact, if any, would**
10 **the proposed AGI well have on these wells you described?**

11 A. Well, based on the fact that all of them are
12 largely outside or not -- largely, they are all outside of
13 the maximum 30-year potential extent of the plume, we don't
14 think it will have any impact on any of those wells.

15 **Q. All right. Let's talk about notice to operators**
16 **and surface owners. Did you provide notice of Salt Creek's**
17 **application in this particular hearing?**

18 A. We did.

19 **Q. Go ahead and explain that.**

20 A. We basically took, as has been the practice of
21 this Commission for many years now, although for most C-108s
22 the area of review is only half a mile, for AGIs we always
23 use one mile.

24 So we notified every operator, every mineral
25 owner, every surface owner within the one-mile radius of the

1 proposed well, and in Appendix B of our application which is
2 Exhibit 4, there is a sample notice letter like the ones
3 that were sent to the individual notice, and also a sample
4 public notice that then the Commission published for an
5 announcement of the hearing.

6 We had not received any objections from any of
7 the operators in the area, and we did receive an initial
8 objection from the State Land Office and from the OCD which
9 has been discussed before.

10 **Q. All right. Your last arrow has some benefits of**
11 **the project. Can you summarize those for the Commission?**

12 A. Sure. It's going to allow, obviously, for the
13 producers to increase their production and have some place
14 to process the gas because without doing that, they can't
15 produce the oil. The oil comes up -- the gas comes up
16 entrained with the oil. It's not an either ordeal. So you
17 have to do something with that gas. You can't flare it.

18 It will also increase royalties to the State of
19 New Mexico from that additional production, and in fact from
20 the payment that Salt Creek is making for the use of the
21 floor space to the State Land Office, and it will also
22 protect fresh land water resources and correlative rights.

23 **Q. For purposes of the hearing today, Mr. Gutierrez,**
24 **did you provide a sample of the notice letter?**

25 A. I did.

1 **Q. And that proposed exhibit, could you look at**
2 **Exhibit 5 and identify that?**

3 A. Exhibit 5 is a copy of the notice letter that was
4 sent to Beckham Ranch, for example, and then copies of all
5 the certified mail receipts and the subsequently received
6 green cards, if you will, from the various individuals that
7 were noticed.

8 In addition, there were a couple of notices that
9 we got back because there was some changes in address or
10 some changes in ownership, and we followed those up with
11 some Federal Express notices to make sure they got to the
12 right person.

13 **Q. All of those receipts were returned as being**
14 **delivered.**

15 A. That is correct.

16 **Q. And you mentioned I believe that notice was**
17 **published by the Commission?**

18 A. That is correct.

19 **Q. Let's move on to the reservoir criteria which is**
20 **the right here. Could you generally describe in summary**
21 **form, there's detail, but what is depicted on Slide 27 with**
22 **respect to reservoir characteristics?**

23 A. Yeah. I think these are all things that I have
24 already mentioned it, but it's one slide that says, okay,
25 when I am looking for an AGI reservoir, what are the main

1 things I look for? And this is what they are.

2 One, we need a geologic seal above and below to
3 permanently contain the TAG. We need some isolation and
4 fully protective from any fresh water resources, which is
5 very easy to do in our state because unfortunately we don't
6 have a lot of fresh ground water at depth in these areas.

7 We do have some potential water in the Capitan
8 Reef, but that is not necessarily fresh ground water, but it
9 also has been deemed to be protectable, and that is another
10 issue that we have considered.

11 We also are looking for something that's not
12 going to have an effect on existing or potential gas and oil
13 production. And we are looking for laterally extensive,
14 high porosity and high permeability reservoirs to allow that
15 gas to be injected at reasonable pressures.

16 We are looking for excess capacity in that
17 reservoir so that it will take what we want to give it and
18 then some without significant pressure, and then we are
19 looking for compatible chemistry in the --

20 **Q. Do you have an opinion, Mr. Gutierrez, as to**
21 **whether Salt Creek's application satisfies each of these**
22 **criteria?**

23 **A.** I believe that the location and the physical
24 geology at the site and the well design satisfy all of these
25 criteria.

1 Q. All right. And did you also take a look at
2 offset oil and gas and injection wells in evaluating the
3 proposed location?

4 A. We did. As required by the C-108 application
5 process and the process that has evolved with this
6 Commission over the past 12 or 15 years, we look at all of
7 the wells, as I mentioned, within a one-mile radius. We
8 also, of course, provide a C-108 that has the two-mile
9 radius wells shown and list it.

10 But we also provide the one-mile radius, and this
11 is the result of that analysis. There are 56 wells within a
12 mile of the proposed AGI, 22 of which are active, 21 of
13 which are plugged and abandoned.

14 Now it's very important to note that the majority
15 of these wells never even reach the injection zone. They
16 are completely above the injection zone in the caprock.
17 They are very shallow producers.

18 Now, of the completed wells there are six that
19 penetrated deeper than the top of the injection zone. Five
20 are active and one is plugged, and most of those are
21 producing wells that have a vertical section that penetrate
22 that zone, but then a producing zone below it. And then
23 also there are some saltwater disposal wells also in the
24 Delaware Mountain Group within that one-mile area.

25 Q. Okay. The wells you mentioned that went deeper

1 than the proposed injection zone, those would be Bone Spring
2 and Wolfcamp wells?

3 A. Yes.

4 Q. And on your last arrow, you have reached a
5 conclusion as to how the injection zone and the proposed AGI
6 location would affect, potentially affect any of the wells
7 or correlative rights in that area, and what did you come up
8 with?

9 A. We feel confident that the injection as proposed
10 with a maximum volume of 8 million even if we were to
11 continue to the operate the well for 30 years would not have
12 any deleterious effect on the zone.

13 Q. Okay. Can you describe what's on Slide 29,
14 please?

15 A. This slide is just a picture of what I just had
16 described on the previous slide. You can see these are the
17 existing and proposed wells. The proposed wells are shown
18 in blue squares. The existing wells are shown in green, and
19 the ones that are circled in red are the ones that actually
20 penetrate the injection zone.

21 Q. All right. And what's the depth of those
22 particular wells.

23 A. Well, I don't know off the top of my head
24 exactly, I could look them up, but some of them were actual
25 dry holes that were plugged that were deeper zones or

1 plugged back, and some are plugged old wells, and then some
2 are these new horizontal, vertical and horizontal.

3 Q. Okay. Let's discuss the stratigraphy of the
4 proposed injection area on Slide 30 and can you describe to
5 the Commission what you have here?

6 A. Sure. The proposed well is in -- if we could,
7 if we could just switch forward to the next slide, I think
8 that -- this is a good way to show it. The Permian Basin is
9 comprised of several structural elements. The Midland Basin
10 here, which is a relatively deeper portion of the basin, the
11 Central Basin Platform, which we are off the edge of here in
12 our proposed location which separates the Midland and the
13 Delaware Basin, the two deeper portions of the -- of the
14 Permian Basin.

15 And we have a -- this Diablo Platform which
16 merges into the northwest and eastern shelf that defines the
17 northern and western portions of the basin.

18 So basically the stratigraphy here is the
19 typical -- if you switch back to the previous slide, yeah --
20 the injection zone is capped by about 1500 feet of tight
21 shelf transitional facies carbonates and shales, as well as
22 the Castile Formation anhydrite.

23 The Bell Canyon and Cherry Canyon are porous
24 portions of the upper part of our injection zone in kind of
25 a sweet spot where we are going to look for our injection.

1 And then, like I said, the next -- the next couple of
2 figures, Number 6, which we just saw, and Number 7 which
3 shows the stratigraphy, I can describe that in detail.

4 Q. Let's describe in some more detail what you call
5 the sweet spot of the Bell Canyon and the Cherry Canyon
6 formation, how is it that the porous sandstone in that area
7 will be keeping the plume minimal?

8 A. Well, basically it's pretty simple. The, the
9 more porous space you have in that rock, the less distance
10 that the plume will migrate away from the well because it's
11 basically filling up first the space nearest the well. So
12 it's kind of like pouring water in a bucket, the bigger the
13 bucket, the less amount of space that the water takes up.

14 In the stratigraphy, here this is a pretty
15 good -- this is a well nearby that is an offset well that
16 shows what the low permeability units that I was talking
17 about that are above the -- the injection zone running from
18 about where the Lamar Limestone is to the Castile, and you
19 can see are very, very low porosity. We get much better
20 porosity in the Bell Canyon, Cherry Canyon and the upper
21 portions of the Delaware Mountain Group which is the area
22 that we are selecting for an injection zone.

23 In the Delaware Basin in this area, you know, we
24 have production in the Bone Spring and Wolfcamp that's below
25 us here, and you've got a fair amount -- a significant

1 amount of Brushy Canyon, very low porosity Brushy Canyon
2 between our proposed injection zone and these producing
3 zones in the Bone Spring and the Wolfcamp.

4 And then there are some older zones in some of
5 the wells that I said were plugged. They tested the
6 Devonian for production, and then they tested a variety of
7 other zones including the Delaware Mountain for production
8 and were not able to find any.

9 Q. So the low porosity zones you spoke about, those
10 essentially form the cap?

11 A. They do.

12 Q. And make sure that the -- ensure that the plume
13 doesn't migrate?

14 A. They do. And I want to add something that
15 isn't -- that is not, I mentioned this in the discussions
16 that we had with both the OCD and the State Land Office that
17 we just recently completed less than a year ago a well in
18 the Delaware Mountain Group in Texas. It's quite a ways
19 from here, but it's on what we would call -- if you could go
20 back to that slide -- on strike with this well.

21 So the formation that -- the Central Basin
22 Platform, our other well is about down about here in Winkler
23 County, Texas, and we saw a very, very similar kind of
24 stratigraphy. And when we drilled that well, we actually
25 have gotten much better performance that we even anticipated

1 out of that well.

2 In other words, we anticipated the injection
3 pressure for the amount of volume that we are putting away
4 in that well, which is about 3 to 4 million, an injection
5 pressure of somewhere around 16- or 1700, something like
6 with what we said here, and actually we are seeing more like
7 1300, so it really is -- we believe it's an excellent
8 reservoir.

9 **Q. You anticipate similar results in this particular**
10 **location?**

11 A. We do. Although, you know, it's not -- it's
12 never over until the fat lady sings. So we are going to do
13 coring of that injection zone and the caprock. We are going
14 to do very detailed FMI logging of those zones, and with
15 that we should be able to correlate and to have a much
16 better understanding of what we are looking at.

17 **Q. Okay. All right.**

18 A. Would you like to go on to Slide 33 and talk
19 about the structure of the proposed injection area?

20 A. Again, being a geologist, I need a map to talk
21 about it intelligently. The next one, there you go. So we
22 can see the proposed AGI is located here in Section 21.
23 This is a cross-section that's a very long cross-section,
24 but it's because we are trying to capture all the wells that
25 really penetrate that zone to get a better idea of what it

1 looks like.

2 But what we got is from this northwest shelf, we
3 have these progressions into the basin. These are a
4 structure contour map showing the top of the Bell Canyon.
5 So you can see it dips here. It's got a shallow trough
6 here. It's got a small raised area in this location. And
7 generally it's slightly dipping here, and it -- there are
8 no significant structures or faults in this area.

9 We did look at the -- at the seismic in great
10 detail, and David will talk about that. We did identify
11 some things that we thought might be potential faults, and
12 so we, in a conservative manner, treated those in that
13 analysis that way. But there really isn't any significant
14 evidence of faulting in this area.

15 **Q. All right.**

16 A. This is, by the way, the next map is an isopach
17 map of the -- and you can see that during the time when
18 this Bell Canyon and the Delaware Mountain Group was
19 deposited, there were numerous essentially channels draining
20 off of this higher area and which were filled with sand from
21 the, the erosion off of this Central Basin platform area,
22 and therefore you've got these thicker zones of the sands
23 that you can see in here going to as much as a 1000 or 1100
24 feet thick in places.

25 We are not located -- ideally, you know, if we

1 wanted to even maybe minimize the plume size further, we
2 might have gone into one of these deeper zones, but
3 unfortunately it probably wouldn't have made too much
4 difference because the bottom of those zones, the Brushy
5 Canyon is not very permeable, it won't take much, and a lot
6 of the excess fill in this area is Brushy Canyon.

7 So you can see we are in an area where we've got
8 about 800 to 900 feet of Delaware Mountain here in our
9 location, and David will describe a little bit more about
10 the detailed stratigraphy and structure or detailed
11 structure.

12 **Q. Let's talk about the anticipated porosity some**
13 **more. You probably have to go to Slide 37, but Slide 36 is**
14 **a summary of that. Could you describe that, please?**

15 A. Sure. Basically what we see in the cross-section
16 that was in the C-108, which is the next slide, is that
17 these yellow zones are the zones that are indicated with
18 higher porosity. Our current proposed well is here. We are
19 grading to kind of a shelf facies above our injection zone
20 here, and that's what provides this very low permeability,
21 low porosity formation that is immediately above our
22 injection zone.

23 And you can see the best porosity really is in
24 the upper portion of the Delaware Mountain Group in the Bell
25 Canyon, Cherry Canyon. And by the time you get down to this

1 portion of the section, it's really pretty low porosity, and
2 that's what provides these alternating seals for the basal
3 portion.

4 Of course, even though the -- you know, there is
5 this kind of concept that because the TAG that is in this
6 reservoir is less dense than the fluid that is around it,
7 that it tends to be buoyant in there. But what we have
8 seen, really, is that while that has a tendency and it's
9 very difficult for acid gas to travel down through that if
10 it can travel up or out, as in most geologic environments,
11 the vertical permeability is usually some fraction, more
12 like a tenth of the horizontal permeability. So the main
13 expansion is going to be in that zone up to that about
14 800-foot radius after 30 years.

15 **Q. And the lower porosity top and bottom essentially**
16 **form the bookends for the injection zone and ensure that**
17 **they are contained within that zone?**

18 A. That is correct.

19 **Q. Let's go back to Slide 36. You talked about the**
20 **investigation of subsurface structures. If you discuss your**
21 **findings there.**

22 A. Yes. As I mentioned from the well log
23 information and stuff, we couldn't really see any
24 significant indication of structures in the area. But when
25 we took a look at the 3-D seismic, we did see two kind of

1 NNW-SSE trending faults that are approximately three miles
2 east and northeast outside the area of review.

3 And I think those are discussed and will be
4 discussed by David in his analysis, and they are included in
5 our induced seismicity risk assessment. And these
6 structures, though, pose no hazard to the project. And as
7 you will see from David's analysis today, there is no
8 indication of a probability of increased seismicity due to
9 that injection.

10 Q. All right. I think you covered Slide 37.

11 A. I have.

12 Q. But notwithstanding your testimony on Slide 37,
13 you're aware, of course, that the State Land Office and the
14 OCD had some concerns with the application. Correct?

15 A. Yes.

16 Q. And you participated in discussions about those
17 concerns in an attempt to resolve them?

18 A. Yes, sir, I did.

19 Q. Okay. Let's look at, before we talk about the
20 resolution, let's talk about the concerns.

21 A. Sure.

22 Q. Slide 38, would you please summarize the concerns
23 as expressed to you?

24 A. Yes. The concerns that were expressed to us by
25 the State Land Office and ultimately echoed by the OCD was

1 that there was a potential for nearby production in the
2 proposed injection zone, that their presence of horizontal
3 wells that penetrate that injection zone, there is potential
4 for communication between the zone and the Capitan Reef.

5 There is an elevated health and safety risk to
6 nearby producing well operators because they may have to
7 drill through a zone that has treated acid gas in it, and
8 then that the migration of the acid gas in the producing
9 wells into the Delaware and deeper formations could occur.

10 Those were, in a very summarized fashion, the
11 main concerns that were laid out to us.

12 **Q. Is it your understanding, Mr. Gutierrez, that the**
13 **concerns have been resolved through Exhibit 2?**

14 A. That is correct.

15 **Q. Let's talk about them anyway, if we can, how we**
16 **addressed them, and your point-by-point rebuttal or response**
17 **to the SLO and OCD concerns.**

18 **First of all, the concern about production in the**
19 **area is potentially affected by the proposed AGI well and**
20 **it's location.**

21 A. There is two things that, that were, I think, of
22 potential concern to the OCD and the State Land Office
23 relative to this issue. One was whether or not there is
24 unknown or potential production in the Delaware that we
25 don't know about that could be negatively affected.

1 Well, what is the -- what is the data that we
2 have to look at there? What we have is that, the closest
3 thing we have is this well, which was tested back in the
4 early '90s in the Delaware Mountain Group, and it basically
5 burped a little bit of gas and oil for about a month, and
6 then it was plugged because it was not commercially
7 productive.

8 In addition, there are -- there are a number of
9 saltwater wells that are kind of -- there are some
10 production wells in this Delaware Mountain Group, but those
11 are located basically a township away to the west, and there
12 are saltwater wells, a number of them, between us and those
13 in the Delaware Mountain Group.

14 So we felt from that, from that perspective, we
15 really -- and again, remember, we are talking about 800
16 feet. I mean, that's probably smaller than the red dot
17 that's shown on the map which is what 30 years of injection
18 will do.

19 So you see it's very far removed from the nearest
20 potential production in that zone and even farther removed
21 from where it was tested here. And this was
22 stratigraphically a much higher position. So if there was
23 any oil and gas in the Delaware Mountain, it would be in
24 this area, that's why they drilled the well there in the
25 first place, but that didn't happen.

1 So that was one item. The next item is that --
2 and this ties into the concern about the adjacent producers
3 being potentially exposed to this H2S while drilling through
4 the zone.

5 Well, the main thing that's protecting us there
6 is our proposed plume injection zone will only result in a
7 plume after 30 years of only about 1600 feet in diameter and
8 800 feet in radius, and you can see it's away from the
9 vertical portions of those wells except for this one on the
10 edge. But again, that's kind of a moot point given what
11 agreements have been reached.

12 But nonetheless, it's important to note this,
13 very important, I think, because producers in this area
14 routinely deal with H2S. In other words, the whole reason
15 why we are doing this and why there is a processing plant
16 there is because we produce sour oil and gas, so these guys
17 have to be prepared.

18 Now, it's very different when you are looking at,
19 you know, 20,000 parts versus 20 percent, clearly, but what
20 we have found over the last 25 years of doing research in
21 this area is that these plumes do not mix. They stay as a
22 lens, if you will, of TAG within the injection zone with a
23 very, very small reaction boundary.

24 And so that effect of the TAG is going to be very
25 limited to the facility area and not cause any problems from

1 that perspective either.

2 **Q. All right.**

3 A. So that took care of basically Item Number 1 and
4 again Item Number 4 that we talked about, but there is also
5 no horizontal wells that are currently penetrating the
6 proposed injection area and plume except this one at the
7 very edge of the 30-year plume. If we go to the next slide.

8 **Q. All right.**

9 A. The next concern was the Capitan Reef. Well the
10 Capitan Reef really lies east of where we are, and the four
11 shelf deposits are much, much lower porosity deposits that
12 you see here in the -- above the Bell Canyon, and so we feel
13 pretty comfortable that these are going to produce an
14 excellent -- here is 500 feet of this material, a little
15 higher porosity here, and then another 3- or 400 feet of
16 very low porosity, very low and so we feel that these zones
17 will protect the Capitan Reef because we are not really
18 drilling through the Reef, we are in the four reef area.

19 Of course, again, as I mentioned, what's really
20 going to determine where the well is is, what -- I mean,
21 where it is relative to these features is the logging and
22 coring that we will do before we even complete the well.

23 **Q. All right.**

24 A. This --

25 **Q. You have shown this more on --**

1 A. Yeah. This just shows, again, the -- these type
2 four reef, four slope deposits that we have immediately
3 above our proposed injection zone, we see them in wells in
4 the area, and then, as you go off to the west, they do tend
5 to go away, but in the area where we are, we see about 670
6 feet of those very type deposits above our zone.

7 **Q. And those type deposits, in your opinion, will**
8 **protect the Capitan?**

9 A. They separate us from the Capitan.

10 **Q. All right.**

11 A. And then this was the last concern that I
12 mentioned, and that is that the -- these producing zones
13 are significantly lower in the, in the Bone Spring and the
14 Avalon. They are a good -- you can see like the Bone
15 Spring 8300 feet is approximately over 1000 feet of
16 sandstones, silt stones and very tight shales between us and
17 the Bone Spring from the bottom of the Brushy Canyon.

18 **Q. Did you address the concern about the health and**
19 **safety risks to nearby operators?**

20 A. Yes. As I mentioned, I think, in fact, those
21 risks are ones that they deal with on a regular basis, but
22 they will be reduced because of the small size of our plume.
23 In fact, those health and safety risks are reduced because
24 you are no longer having to treat this stuff on the surface
25 with iron sponge and moving large amounts of disposal

1 material that Brian described earlier, which is a big
2 benefit.

3 Q. All right.

4 A. So in summary, I think just right here as I got
5 it, the Delaware Mountain Group provides necessary
6 protection and is a viable option for -- and I think,
7 frankly, in this area, and you after you see what David's
8 seismic analysis showed, we believe it's a really good zone.

9 Q. Is it a fair statement to say that the particular
10 zone must be evaluated on its own merits, regardless of
11 whether it's in the Delaware Mountain Group or elsewhere?

12 A. Absolutely. I think it's critical for ensuring
13 the safety of these operations, that the detailed
14 information of each site be evaluated.

15 Q. All right. Notwithstanding your responses to the
16 concerns, we did enter into --

17 CHAIRWOMAN SANDOVAL: I just want to interrupt
18 real quick. I think, let's take a ten-minute break and give
19 the court reporter a second, because there are not a lot of
20 breaks in here.

21 THE WITNESS: I've only got one more slide.

22 CHAIRWOMAN SANDOVAL: All right.

23 THE WITNESS: And then we are switching to David.

24 CHAIRWOMAN SANDOVAL: Continue, please.

25 THE WITNESS: Just one.

1 BY MR. HNASKO:

2 Q. Let's talk about how these concerns were resolved
3 in Exhibit 2.

4 A. Well, I think Exhibit 2 has been outlined and the
5 Division and the State Land Office are well aware of these
6 conditions, but they are summarized here. As you mentioned,
7 after six months of the issuance of this permit, we'll file
8 a C-108 for a Devonian redundant well, and we will complete
9 the well no longer than 15 months after the OCD approves
10 that Devonian well. We still need to prepare the
11 application, make sure we can find a good location, et
12 cetera.

13 Then no more than six months after placing the
14 well into service, SCM will begin using the Devonian well as
15 a primary injection well and maintain the Delaware Mountain
16 Group well as a redundant well.

17 Q. All right. Just so -- we'll conclude with this
18 if we can, Mr. Gutierrez, but just for the clarity's sake,
19 is it a correct statement to say that because of these
20 conditions you reached, agreed upon with the State Land
21 Office and the OCD, your calculations of the 0.15 radius of
22 the 30-year plume will never come to fruition. Is that
23 fair?

24 A. It will only come to fruition if we inject 8
25 million a day for 30 years.

1 MR. HNASKO: Madam Chair, at this time we pass
2 Mr. Gutierrez with the right to bring him back for more
3 direct testimony on the specific characteristics of the
4 well.

5 CHAIRWOMAN SANDOVAL: Okay.

6 MR. HNASKO: And with that, Your Honor -- Madam
7 Chair, I would like to offer into evidence Exhibits 4 and 5.

8 CHAIRWOMAN SANDOVAL: Are there any objections?

9 MR. AMES: No objection.

10 CHAIRWOMAN SANDOVAL: From the State Land Office?

11 MS. ANTILLON: No objection.

12 CHAIRWOMAN SANDOVAL: Exhibits will be included.

13 (Exhibits Salt Creek 4 and 5 admitted.)

14 CHAIRWOMAN SANDOVAL: With that, let's take a
15 15-minute break, so we will come back at 5 after 11, so at
16 11:15 -- or 11:05.

17 (Recess taken.)

18 CHAIRWOMAN SANDOVAL: All right. It is 11:07,
19 and we will come back to order.

20 Mr. Gutierrez, I think the Commission has some
21 questions and then we will finish.

22 Does the Commission have any questions or wish to
23 cross-examine this witness on what he spoke about prior to
24 the break?

25 COMMISSIONER ENGLER: I do, yes.

1 COMMISSIONER KHALSA: Uh-huh, I do have a
2 question.

3 CHAIRWOMAN SANDOVAL: You can start us off.
4 Dr. Engler can start it off.

5 COMMISSIONER ENGLER: I'd like to try to get this
6 right. Slide 37, I too also like figures more than words.
7 So I want to ask, you have yellow on the highlighted yellow
8 zones which you consider areas of porosity of greater than
9 12 percent.

10 So in the Delaware Mountain Group, as you
11 explained it, it's a series of sands and shales that are
12 coming off the shelf edge and being deposited. Would you
13 agree then that -- and like your yellow indicators show that
14 you have quite a bit of lateral variation and vertical
15 variation of these sands.

16 THE WITNESS: In a general sense, I would agree
17 with Delaware Mountain Group, but what we saw with this
18 seismic is that at least from the Bell Canyon for about 200,
19 300 feet, we had a pretty massive sand. I mean, it did have
20 some stringers in it, but it was pretty massive.

21 COMMISSIONER ENGLER: So you are going to have
22 some really good sands, a certain thickness, and a series of
23 small ones. And your log data as you point out with the
24 yellow coloring shows a lot of sands with certain porosity
25 greater than 12 percent.

1 THE WITNESS: Correct.

2 COMMISSIONER ENGLER: Hopefully you have
3 something off the top of your head here, the Eagle Feather
4 Well, that be the well to the left of your proposed well.

5 THE WITNESS: Yes.

6 COMMISSIONER ENGLER: How many feet greater than
7 12 percent?

8 THE WITNESS: In the Eagle Feather?

9 COMMISSIONER ENGLER: Yeah.

10 THE WITNESS: I don't know off the top of my
11 head, but I would say probably about 400.

12 COMMISSIONER ENGLER: So about 400 feet, and
13 that's 12 percent -- I guess I better ask a little bit of
14 detail here. When you are saying porosity of 12 percent,
15 you are planning total porosity?

16 THE WITNESS: Yes.

17 COMMISSIONER ENGLER: That well has two porosity
18 pools, the density and neutron. So I'm assuming you are
19 using some type of cross plot porosity out of that?

20 THE WITNESS: That's correct.

21 COMMISSIONER ENGLER: Is that correct?

22 THE WITNESS: That's correct.

23 COMMISSIONER ENGLER: So I'm also going to say or
24 ask, since these are mostly sands, you have corrected those
25 calculations for the fact that it's sands and not limestone?

1 THE WITNESS: Absolutely. Because, I mean, we
2 are using that correction on the logs.

3 COMMISSIONER ENGLER: Well, let me -- I
4 forgot to check. The logs were one run on an assumed
5 limestone.

6 THE WITNESS: Yes.

7 COMMISSIONER ENGLER: Since you did cross
8 plotting --

9 THE WITNESS: That's right.

10 COMMISSIONER ENGLER: -- in the sand, you have
11 taken that into account, the lithology variation?

12 THE WITNESS: We have indeed.

13 COMMISSIONER ENGLER: So you have about 400 feet
14 of 12 percent, and on the log to the right to the well, you
15 know, you probably have, again, I would say more, maybe 600
16 feet.

17 THE WITNESS: That's right. That's right.

18 COMMISSIONER ENGLER: All right. So what
19 confuses me then is, one of the things that I want to ask
20 is, in your volume calculations, you know, it's very
21 important because you are trying to estimate a radius or
22 area for an injection area here, is you use 17 percent
23 porosity and not 12.

24 THE WITNESS: That's right. Because -- because
25 in the areas where we -- I mean, what we did for the purpose

1 of this cross-section is to outline where we had 12 percent
2 or greater, but in many places we had like 17, 18, 20
3 percent porosity in those areas, so we took what we felt was
4 a representative average over the -- the injection zone,
5 and we basically reduced the footage to accommodate for
6 that.

7 COMMISSIONER ENGLER: Well, in your calculations
8 you are using 17 percent as an average over a 900 foot
9 thickness, not 4- or 500. That's in your Table 3 in your
10 table data. So when you're calculating a higher porosity,
11 your thicknesses should be less than what you show here in
12 terms of porosity, therefore your total volume should be
13 different.

14 So there is a disconnect to me in the
15 petrophysics between what you identify as 12 percent and
16 what you are using in your slide. So if you -- you are
17 using 900 percent at 17 percent, that's probably way
18 overestimated because you are showing 4- or 500 feet at 12
19 percent.

20 THE WITNESS: Right.

21 COMMISSIONER ENGLER: So my position here is that
22 I think those volume calculations are way underestimated in
23 terms of the area because of that. Okay.

24 Another question. So in your volume calculation
25 you have an SWR, you call it -- I guess you call it residual

1 water saturation, I like to call it water plume.

2 THE WITNESS: Yes.

3 COMMISSIONER ENGLER: The main difference is what
4 you are using for mobile displacement -- mobile water,
5 mobile fluid which you are displacing with your injection.

6 THE WITNESS: Yes, sir.

7 COMMISSIONER ENGLER: So 36 percent is your, is
8 your residual water. I asked this last time, and I still
9 don't know. How did you calculate that in a particular zone
10 like this which is not oil saturated?

11 THE WITNESS: Well, we just use the, the RW
12 calculation to cal -- let's see, I think I've got to refer
13 back to the application because I have that in there.

14 COMMISSIONER ENGLER: It's dangerous when you
15 have a practicing professor on it.

16 THE WITNESS: That's all right. I mean, I have
17 to say also that in part experience and our calculations on
18 here is informed by the detailed FMI logs, et cetera, that
19 we got on this other well in Texas that is very similar
20 stratigraphically, and what we found is that it has
21 significantly higher porosity than what we were able to
22 derive from those adjacent logs. Of course we only know
23 what it is at this particular location once we drill the
24 well and analyze the logs.

25 COMMISSIONER ENGLER: I have no doubt about that,

1 I agree with you there, but you have to have -- you have a
2 certain set of data right now, and that is what's presented
3 in evidence that I'm using to try to make a decision. If
4 you have other data that you would -- FMI data that you are
5 willing to show, I can analyze that just as well, but that's
6 different evidence or data. This is what I'm looking at
7 right now.

8 My -- my main concern, if you go to -- let's see
9 what slide -- it's the figure with the circles on it, 4
10 or 5. That's fine. You know, the main thing is your --
11 you've calculated an area based on what I would call is
12 over-optimistic values, hence your area is small.

13 Would you agree that there is a certainty in a
14 lot of this data, as you said, there's only so many well
15 logs and so much data, so wouldn't you agree then that
16 instead of having a single area, maybe have a range of data
17 in like an uncertainty analysis, and therefore you would
18 have a range in your drawn area of injection such that you
19 go from different parameters from 400 feet of whatever
20 porosity up to your mins and your max, and if you generated
21 these areas in terms of this range, that would help maybe,
22 again, demonstrate where this particular bubble would go.
23 Correct?

24 THE WITNESS: I think where it might help is to
25 more accurately bound the limits rather than presenting a

1 certain specific projection which I would agree with you is,
2 is on the optimistic side from the porosity perspective.

3 However, I will point out one thing, one of the
4 practices that we used to do -- we haven't been doing it,
5 but we certainly could do it -- again, is we would -- in
6 order to deal with that uncertainty, what we typically had
7 done in the past would be to show the radius of injection
8 after 30 years with both the proposed maximum volume and
9 twice the proposed maximum volume. Okay?

10 So I mean, in a way that is accommodating for
11 these uncertainties in the porosity and in the thickness of
12 the specific porosity because we are basically saying we are
13 putting in twice as much fluid as we -- as we anticipate
14 ever putting in, and what we find, and I think we will find
15 if I -- if we were to do what you just described in terms of
16 a calculation is that because that volume expansion, it's
17 not by any means linear.

18 I mean, in other words, you -- if you have less
19 volume, or if you put in twice as much volume, that doesn't
20 mean the plume is twice as large, obviously. And so that is
21 one way we have handled that uncertainty before. It might
22 be equally useful or perhaps more instructive, and I mean,
23 that would be an improvement in our process, and I take that
24 as a good suggestion, to use a range rather than, than a
25 fixed number.

1 COMMISSIONER ENGLER: Well, I know you are
2 looking at uncertainty in certain operating conditions such
3 as changing the volume of injection rates, and I think
4 that's a correct approach in terms of what if this happens
5 in terms of that.

6 What I'm seeing is the uncertainty that I would
7 like to see is related to the petrophysic properties because
8 that is also another set of parameters that are influencing
9 that calculation.

10 THE WITNESS: Sure.

11 COMMISSIONER ENGLER: So to me, when I see this,
12 because right now you are strongly proposing, because of
13 that area, that that area is so small that the influence is
14 going to be minimal or zero, and -- and to me, I like to see
15 more of uncertainty variation there so I can make a better
16 decision.

17 If I, if I even went -- just -- again, this would
18 be off the top of your head, even if I said I reduced your
19 porosity value to 12 or your thicknesses down from 900 to
20 400, like you said, that area is going to expand.

21 THE WITNESS: Yes.

22 COMMISSIONER ENGLER: If you put that area onto
23 that map, would you suspect that you would see some
24 significant change?

25 THE WITNESS: I would suspect that I would see

1 probably somewhere in the neighborhood of a 300 to maybe 400
2 foot range increase in that radius. So let's say instead of
3 800 it might be 1300 or 1200.

4 COMMISSIONER ENGLER: And again, on that map when
5 you have that, that relative to the wells that you have
6 displayed --

7 THE WITNESS: Right.

8 COMMISSIONER ENGLER: -- you could then have
9 something, you know, that would influence those wells, or
10 you say it's still -- again, that that's still a small
11 radius to deal with uncertainty, there is not really going
12 to be an impact on those wells.

13 THE WITNESS: Well, remember, if I can go back to
14 showing another slide that shows the wells around -- first
15 of all, by the way, I want to just make clear that this
16 slide, this is the one-mile circle, this is not the plume.

17 COMMISSIONER ENGLER: I know that.

18 THE WITNESS: But if we go back to this one,
19 let's just say that, you know, we say that the most
20 optimistic look of this is what you see right here. If you
21 added 300 or 400 feet, it would be about like this. You
22 see -- and now what I wanted to do is go back to one of
23 those slides from the SLO objection because it shows where
24 the nearest -- here we go.

25 Okay. So here you can see, I mean, even the

1 nearest saltwater wells, I mean, we are talking not a few
2 hundred or 1000 feet away, we are talking like 1, 2, 3
3 miles; right. Here six, seven miles, nearest production
4 over seven miles away. And there is no way that even with
5 the uncertainty that we are talking about, even if you
6 were -- which I don't believe that, based on my experience
7 and looking at the well logs that I have seen there, if you
8 were to take the most pessimistic look, you might, at worst,
9 increase that by 5- or 600 feet, not quite double it, the
10 extent of this plume after 30 years.

11 So it still is going to be very, very far away
12 from any potential production in the, in the Delaware
13 Mountain, and it -- I mean, these other wells that are
14 already drilled there, the vertical portion of those wells
15 possibly could be partially invaded, that's true, but again,
16 this is after 30 years of operation.

17 COMMISSIONER ENGLER: Right. Yeah, the first top
18 diagram is the Delaware, I understand that. My concern of
19 course is with the radius of this area of course, what the
20 nearest well, like you said, there are some horizontal
21 wells, their vertical borehole, I guess, is away from you,
22 and then there are the green dots. So again, if I expanded
23 that radius --

24 THE WITNESS: But all of these green dots,
25 remember those are all --

1 COMMISSIONER ENGLER: Shallow.

2 THE WITNESS: These are all either -- these are
3 shallow, yes, right here, but -- or they are vertical
4 components to horizontal wells. They are not -- there is
5 no, no producing wells in the Delaware Mountain anywhere in
6 that area.

7 COMMISSIONER ENGLER: Right. But there are
8 boreholes penetrating through the Delaware.

9 THE WITNESS: Nine of them, yes, within a
10 one-mile radius.

11 COMMISSIONER ENGLER: It's not the concern so
12 much as to the Delaware as to what wellbores are there to
13 penetrate that, because, again, if I have this TAG gas going
14 to a reservoir, and if it migrates and is going to hit an
15 existing wellbore, you know, that could really lead to a lot
16 of issues or problems. That's what I'm -- that's why you
17 are trying to display in terms of what the radius is and why
18 it's not going to happen.

19 THE WITNESS: Yes.

20 COMMISSIONER ENGLER: One other, one other last
21 question on this topic, though. Is it possible, you know,
22 you identified, like you said, that you have seen some of
23 these sands are fairly thick, nice clean sands, you know,
24 20, 30 foot or whatever they might be, is it possible, based
25 on the nature, deposition and the lenticular nature of these

1 type sands that when you inject, the majority of the gas
2 will go into that high porosity, high perm zone, and if so,
3 what kind of monitoring or what kind of steps is Salt Creek
4 going to try to do to make sure they get conformance on
5 injections all across that major zone?

6 THE WITNESS: Well, there -- in answer to that
7 question, I mean, we are going to evaluate what are the best
8 zones when we drill the well and log it and core it, and
9 then we are going to perforate selectively those zones. We
10 are not perforating that entire interval.

11 COMMISSIONER ENGLER: Right. But the zones that
12 -- so from the 900 feet or whatever you are saying that it's
13 going to take, you are going to perforate only certain zones
14 that are going to be, I guess, have the highest value to
15 you, highest porosity?

16 THE WITNESS: Right. I mean, we are going to
17 perforate the entire interval, but we are going to exclude
18 zones that we know won't take any fluid based on the logs.

19 COMMISSIONER ENGLER: When you start injecting,
20 how are you going to know that all the zones that you
21 perforated take that gas?

22 THE WITNESS: Well, when we do our step rate test
23 initially, we do a DTS profile so that we can see which
24 zones took the majority of the fluid from the step rate
25 test, and by that is what we will presume that those zones

1 are going to take the majority of the TAG. And the only --
2 the way to monitor the overall effect is by monitoring the
3 change in bottom hole pressure in the well itself and -- but
4 there is no direct way to monitor exactly how far that plume
5 goes out.

6 COMMISSIONER ENGLER: Would you agree with me,
7 the fact that you have the different sands like that and
8 certain sands have much better capability of injectivity,
9 that the -- then your -- since your volume calculation,
10 since your area is so dependent upon that volume, that you
11 are going to have areas that are going to go much further
12 out and others that maybe won't go so far out because of the
13 variation in those properties?

14 THE WITNESS: Yes, it could.

15 COMMISSIONER ENGLER: So would that not also then
16 impact -- again, I could have potentially a main zone that
17 might actually go out and drain and have an injectivity rate
18 that could be thousands of feet.

19 THE WITNESS: I do not agree with that at all. I
20 do not think that you could have a zone that, in other
21 words, a zone that's just going to preferentially push out
22 thousands of feet away from -- you know, again, you have to
23 remember the kind of volumes we are talking about. We are
24 talking 3000 feet a day. This is not a 10- or 12,000
25 barrel -- 3- to 3200 barrels a day. It's not a 12- or

1 15,000 barrel a day saltwater injection well. I mean, so
2 the -- the volumes relative to the available volume in, in
3 the, in the reservoir are very small.

4 COMMISSIONER ENGLER: In your experience, since
5 you have done many of these, so have you seen some of that,
6 you know, like post completion data, and you can see
7 something in terms of a large area, large thicknesses that
8 are being injected and can -- have you seen things where
9 you see equal distribution through that? Or in terms of
10 injection, in your past experience, what have you seen?

11 THE WITNESS: Okay. It's limited because, as you
12 know, I mean the whole point of trying to keep the integrity
13 of the injection zone is you don't -- it's not like we are
14 going to drill monitor wells to try and see where the plume
15 is going. But we have had several instances where by the
16 situation we have been able to determine how far the plume
17 has extended.

18 And I will give you two examples here in the
19 state that have been heard by this Commission, and Linam AGI
20 for DCP Midstream is one of them. We put in a single AGI
21 well into it, and it's not in the Delaware Mountain, but it
22 is in the Wolfcamp near Hobbs in a -- in a not productive
23 portion of the Wolfcamp, but a reef detrital portion and
24 that had a similar kind of thickness over which we
25 calculated that volume and estimated what the plume

1 distances would be.

2 And we injected into that well for like seven
3 years before we obtained a permit for a redundant well in
4 the same zone to be drilled at that same facility about 450
5 feet away from the -- and in this case we had an estimated
6 plume that would be about, I would say, .3 miles in, in
7 radius after 30 years, so it's about double of this one.

8 And based on that same calculation, we
9 determined, after seven years, how far that plume would have
10 migrated from the injection of the first well using not
11 only, not our predicted maximum rate, but the actual rate
12 that we had injected during that period of time.

13 It predicted that we would see acid gas within
14 about 400 feet, approximately, of the AGI at that time. So
15 one of the things that we had to do when we drilled the
16 redundant AGI was to be very careful. Obviously we had some
17 loss circulation zones and a lot of other stuff I won't go
18 into, but we basically said we are going to have to extend
19 the intermediate casing all the way down to the top of
20 injection zone because we want to make sure that when we
21 drill into that injection, since we have been putting 30
22 percent acid gas into that, that we can control that when we
23 drill into it.

24 So, long story short, we drilled into the zone
25 after having injected for that period of time, and nowhere

1 within the entire injection profile did we get anything more
2 than a few hundred ppm of H2S when we expected to be in
3 basically 15 percent H2S.

4 One of the -- so that's one example. That's a
5 direct measurement after having injected to evaluate that.
6 We had a similar situation where we injected -- where we put
7 a redundant well long after another well had been drilled at
8 Targa's Monument Facility and had a similar experience. We
9 had anticipated entering essentially the TAG plume with the
10 well based on how long it had operated, and we didn't. I
11 mean, so --

12 COMMISSIONER ENGLER: I think those examples are
13 interesting. I think those are things that are helpful. It
14 does lead you to, if you are expecting to hit it and you
15 don't hit it, then that would suggest that your original log
16 and model wasn't quite right to start with.

17 THE WITNESS: That's right.

18 COMMISSIONER ENGLER: But that is a good example.
19 I appreciate that. No further questions, I will stop now.

20 CHAIRWOMAN SANDOVAL: Ms. Khalsa?

21 COMMISSIONER KHALSA: Mr. Gutierrez, in your --
22 you are telling us that there were no faults mapped in the
23 immediate vicinity. I wondered if you had a map of regional
24 faults that were mapped in that area.

25 THE WITNESS: We do, and David will present that,

1 and we did look at the seismic and the one fault I mentioned
2 to the north, northeast.

3 COMMISSIONER KHALSA: That's it.

4 CHAIRWOMAN SANDOVAL: So as a part of the changes
5 that were agreed upon with the State Land Office and the
6 OCD, so you will be drilling a second Devonian well. Where
7 is that going to be located?

8 THE WITNESS: I don't know yet. I haven't done
9 the application yet.

10 CHAIRWOMAN SANDOVAL: Do you expect it's going to
11 be located on the same site?

12 THE WITNESS: Yes.

13 CHAIRWOMAN SANDOVAL: Okay. So near the other
14 one?

15 THE WITNESS: That's right.

16 CHAIRWOMAN SANDOVAL: So can you go -- I think it
17 was Slide 25. Yeah. So it looks like there is an existing
18 SWD just southwest. Is that what that little triangle is,
19 the little blue guy?

20 THE WITNESS: Yes.

21 CHAIRWOMAN SANDOVAL: Where is that injecting
22 into?

23 THE WITNESS: I believe that's in the Delaware
24 Mountain Group.

25 CHAIRWOMAN SANDOVAL: The same formation that we

1 are planning to inject in --

2 THE WITNESS: That's correct.

3 CHAIRWOMAN SANDOVAL: -- for the --

4 THE WITNESS: I believe. I would have to go back
5 and look. It isn't? So I would have to go back and look at
6 the application.

7 CHAIRWOMAN SANDOVAL: Okay.

8 THE WITNESS: But I didn't think it was in the
9 Delaware Mountain Group because the nearest ones we found
10 were the ones I showed early.

11 CHAIRWOMAN SANDOVAL: So either the Delaware
12 Mountain Group or Devonian?

13 THE WITNESS: I don't know. If you could ask
14 David the question, he'll -- I just don't remember.

15 CHAIRWOMAN SANDOVAL: Okay. Then most of my
16 questions I can direct towards David. So until that second
17 well is drilled and in service, how do you guys plan to
18 handle any situations where the initial well goes out of
19 service?

20 THE WITNESS: I mean, I guess the -- the -- it
21 would depend on what the initial well going out of service
22 means. If it means that we had a problem with the
23 compression and that needed to be resolved, then the
24 facility has a limited amount of flaring that is permitted
25 under their air permit, they would, I would presume, flare

1 according to those limitations.

2 And then if they, if the well was not repaired
3 and working when those limitations would be reached, they
4 would have to shut in production.

5 CHAIRWOMAN SANDOVAL: And then you would
6 basically just force the producers to flare or shut in?

7 THE WITNESS: That's correct. That's the normal
8 way in which any gas plant operates.

9 CHAIRWOMAN SANDOVAL: It is. That is correct.
10 But I mean, this is a slightly different situation here when
11 you have H2S. Has there been any communication with the
12 producers as to how you would manage that situation if it
13 arose so that there was proper planning to make sure there
14 were no health or safety impacts due to flaring either at
15 the plant or down the production side?

16 THE WITNESS: I don't know. That would be a
17 question for Salt Creek. We have not had those discussions
18 with producers. That is not our role.

19 CHAIRWOMAN SANDOVAL: Okay. So it doesn't really
20 answer my question, but thank you.

21 THE WITNESS: I'm sorry, I can't answer -- the
22 answer is no, we have not -- we at Geolex have not had any
23 of those discussions.

24 CHAIRWOMAN SANDOVAL: Okay. Fine. Does the Land
25 Office wish to cross-examine right now?

1 MS. ANTILLON: No questions.

2 CHAIRWOMAN SANDOVAL: Does the Division wish to
3 cross-examine right now?

4 MR. AMES: No, Madam Chair.

5 CHAIRWOMAN SANDOVAL: Is there any redirect of
6 this witness from the applicant?

7 MR. HNASKO: Yes, Madam Chair, appreciate that.
8 And point of clarification, Madam Chair, if we -- I'm used
9 to a different forum.

10 CHAIRWOMAN SANDOVAL: Right, that's fair.

11 MR. HNASKO: Madam Chair, to answer your
12 question, we can recall Mr. Perilloux to discuss the issue
13 of communication with the operators in the event something
14 were to occur. We would be happy to do that.

15 Brief follow-up if I may. You can sit and get
16 comfortable.

17 REDIRECT EXAMINATION

18 BY MR. HNASKO:

19 Q. Follow up on the questions of Dr. Engler, if I
20 get this correctly, Dr. Engler was proposing a more
21 conservative analysis of the diameter of the plume, and
22 there are a few ways to do that, I suppose; correct?

23 A. We would do it in the same way, we would just
24 presume that there -- we would just allow for lower volume
25 in the reservoir.

1 Q. Why don't we -- we can take a range of volume,
2 right, and that would give us a more conservative or worst
3 case scenario of the size of the plume after a while, after
4 a 30-year period. Is that a fair assessment?

5 A. Yes.

6 Q. We can also reduce the porosity. Instead of
7 assuming an average of 17 percent we can use 12, or even a
8 lower number, and that again would be a conservative
9 precaution when evaluating the worst case scenario of plume
10 size. Is that a fair assessment?

11 A. Yes, sir.

12 Q. A third way would be to reduce the time, in other
13 words, the injection time. Instead of 30 years, assuming an
14 injection over a 30-year period, assume it for a much lesser
15 period of time.

16 A. Well, of course. I mean, the bottom line is just
17 a reduction of volume, so yes, that is.

18 Q. All right. So if I look at Exhibit 2, if you
19 would, please, the special conditions, I'm trying to
20 calculate the limitations on time and how that would affect,
21 if at all, the estimates you have put forward for the size
22 of the plume after a 30-year period.

23 So one of the conditions, if I understand it
24 correctly, is to submit an application for a Devonian well
25 within six months after the approval of this particular

1 application assuming the Commission does so. Is that
2 correct?

3 A. Yes, sir.

4 Q. After that application, we don't know the time
5 for the Commission and OCD to act on it, and other parties,
6 but assuming six to eight months, 12 months is a reasonable
7 time to get a hearing, in your estimation?

8 A. Yes.

9 Q. So let's say 18 months. If that's approved, we
10 have another 15 months thereafter to place it in service; is
11 that correct?

12 A. Yes.

13 Q. All right. So where are we?

14 A. Three years. Two and a half years down the road.

15 Q. So at that point in time it's essentially going
16 to be the primary well, with the existing Delaware Mountain
17 Group well as a redundant well; correct?

18 A. Yes, sir.

19 Q. So that's a three-year period. And would it be a
20 fair assessment to state that the calculations based on a
21 three-year injection assuming volumes you have estimated
22 would be much different than the calculations of the plume
23 after a 30-year injection?

24 A. Absolutely.

25 Q. How would that be? From my own perspective it's

1 **ten percent.**

2 A. It would be -- it doesn't correlate directly in
3 terms of, like I said, the linear volume, but probably in
4 terms of the volume that you would see, it would be even
5 less than ten percent of that.

6 Q. **Is, based on your experience and opinion today,**
7 **would imposing such a time constraint and effects this has**
8 **on volume limitations satisfy some of the concerns raised by**
9 **Dr. Engler concerning the conservative estimate of the size**
10 **of this plume over time?**

11 A. I believe so. I mean, clearly there's one other
12 thing that we haven't talked about that affects that
13 estimate, and that is that we estimated the injection to be
14 8 million a day from day one for 30 years. And clearly, the
15 well is not even injecting anywhere near that volume now,
16 and based on the expansion plans that Brian testified to,
17 probably not going to even reach that 8 million volume in
18 the, this time frame that we are talking about.

19 So we are even -- you know, by even using the 8
20 million for that period of time, that's a conservative move,
21 also.

22 Q. **Okay.**

23 MR. HNASKO: Thank you, Madam Chair. I will pass
24 the witness.

25 CHAIRWOMAN SANDOVAL: Does the applicant have any

1 more witnesses?

2 MR. HNASKO: Yes, Your Honor, we do -- or Madam
3 Chair. You are going to be Your Honor by the time we get
4 out of here.

5 MR. AMES: She is fine with Your Honor.

6 CHAIRWOMAN SANDOVAL: That is my expectation.

7 MR. HNASKO: May we proceed?

8 CHAIRWOMAN SANDOVAL: Yes, please.

9 MR. HNASKO: Our next witness, Salt Creek calls
10 David White.

11 DAVID ALAN WHITE

12 (Sworn, testified as follows:)

13 DIRECT EXAMINATION

14 BY MS. HARDY:

15 Q. Could you please state your full name for the
16 record?

17 A. David Alan White.

18 Q. Where do you reside?

19 A. Albuquerque, New Mexico.

20 Q. By whom are you employed?

21 A. By Geolex Incorporated.

22 Q. What is your position with Geolex?

23 A. I'm a geologist and project manager.

24 Q. Are you familiar with the matters addressed in
25 Salt Creek's application?

1 A. I am.

2 **Q. Have you previously testified in a Commission**
3 **hearing?**

4 A. I have not.

5 **Q. Given that, would you please summarize your**
6 **educational background and professional experience?**

7 A. So I received my bachelor of science in geology
8 from the University of Tennessee. And I did my master of
9 science at the University of New Mexico. At Geolex I've
10 contributed directly and prepared -- or I have prepared and
11 worked directly with Mr. Gutierrez to prepare injection well
12 applications for New Mexico, for the NMOCD, for the Texas
13 Railroad Commission and associated applications with the
14 Bureau of Land Management.

15 I have conducted seismic survey reviews to
16 support many of these injection well applications that
17 included analysis of seismic surveys, that included model
18 simulation or fault slip analyses model simulations. I have
19 gained experience in project management overseeing the
20 drilling and completion and commissions of acid gas
21 injection wells and provided support, geologic support for
22 AGI projects.

23 Let's see. We -- I have assisted Midstream
24 operators with regulatory support for AGI systems, as well
25 as AGI well maintenance and also contributed to designing

1 and administering acid gas injection system training
2 sessions for the Midstream operators in the basin.

3 MS. HARDY: Madam Chair, I tender Mr. White as an
4 expert in petroleum geology.

5 CHAIRWOMAN SANDOVAL: Do the Commissioners have
6 any questions for the witness?

7 COMMISSIONER ENGLER: No objection.

8 CHAIRWOMAN SANDOVAL: Okay. The Commission will
9 recognize the witness as an expert.

10 BY MS. HARDY:

11 Q. Mr. White, let's look at Slide Number 46 which
12 discusses the seismic review. Did you evaluate the
13 potential for induced seismicity in the proposed location of
14 the well?

15 A. I did.

16 Q. What were the components of your analysis?

17 A. So our analysis, first off, this analysis was not
18 formally requested as part of this application, but with our
19 experience in other applications for saltwater disposal
20 wells that have been requested by the Division, we chose to
21 include it as an important portion of this application.

22 And it consists of two, two components. First
23 being an analysis of seismic or of 3-D seismic data with the
24 main focus of identifying any faults in the area or
25 subsurface structures that might be affected not only by our

1 proposed injection scheme, but by what's going on around us,
2 whether it be other saltwater disposal wells or other
3 injection wells of any type.

4 Upon that review of the subsurface data, we then
5 take what information was gleaned from that and conduct a
6 fault slip probability model based on that specific
7 injection scenario.

8 And for Salt Creek, this fault slip modeling
9 scenario consisted of a six well injection scenario over the
10 full duration of at least 30 years of injection at the
11 anticipated maximum injection rates for each well. And to
12 complete this evaluation we utilized the Stanford Center for
13 Induced and Triggered Seismicity's Fault Slip Potential
14 Model.

15 **Q. Looking at the next slide, can you describe the**
16 **seismic review that you performed?**

17 A. Yeah. So shown in the figure here is the results
18 of that initial review of seismic survey data. We evaluated
19 courtesy of Ameredev LLC, we were able to evaluate and
20 discuss and evaluate their interpretations of the South Lea
21 Seismic Survey, and the map shows the results of these --
22 this evaluation.

23 Within the general vicinity of the proposed Salt
24 Creek AGI we found potentially two faults east of the
25 location, striking approximately NNW to SSE, approximately

1 three miles from the proposed AGI.

2 To add to this evaluation, we reviewed NMOCD well
3 records to identify nearby injection wells in the area, and
4 those are shown by the blue dots. There were five
5 additional injection or saltwater disposal wells, in
6 addition to our proposed AGI, located in the western portion
7 of the area of review.

8 Our initial thoughts on the subsurface structures
9 and the injection wells, our initial reaction to this was we
10 didn't feel there was going to be much of an impact based on
11 this injection scenario due to the observation that the
12 injection wells mainly being concentrated in the western
13 portion of the area and the faults being observed much
14 further away.

15 Nevertheless we still decided to run the model
16 just to ensure and have some sort of quantitative or
17 modeling to support those opinions.

18 **Q. Look at the next slide. Can you explain how you**
19 **identified conditions of the fault slip?**

20 A. So this is part of the model simulation
21 which is -- perhaps people are familiar with the model, but
22 it's deterministic and probabilistic model simulation. And
23 one of the first steps it does, it would take the input
24 parameters, whether it be the fault orientation, their
25 length, their dimension and local stress field

1 characteristics, and it would individually determine, based
2 on those input parameters what conditions along the fault
3 would be needed to induce slip.

4 And shown in the table there is the model
5 predicted pressure increases at the fault mid points that
6 would be required to induce slip. And I'm sorry I didn't
7 say this previously, but there are two main faults or
8 potential faults that we identified.

9 In order to depict their non-strictly linear form
10 and the model simulation, they were broken up into six fault
11 segments to characterize their actual expression.

12 **Q. Okay.**

13 A. So that's the first step in the model simulation
14 is to identify the features and calculate deterministically
15 what pressure increase would be required to induce motion
16 along those features.

17 **Q. Looking at the next slide, can you describe the**
18 **injection zones that are in the model?**

19 A. Yes. So this slide we see a table illustrating
20 all of the injection wells, SWDs, and the proposed AGI that
21 were included in the model simulation, as well as their API
22 numbers and their simulated injection rates.

23 So these modeled injection rates do not reflect
24 accurate or the actual injection rates. A lot of these
25 wells, if you look at their injection records, you will see

1 that their -- what they have actually reported injecting is
2 much lower than the anticipated maximum volumes.

3 So if we -- if it was available in NMOCD records
4 we would utilize the maximum injection volumes for this
5 simulation. You will also see that some of them, I said it
6 in the initial introduction, that the simulation was run for
7 at least 30 years, but we have some wells, for instance the
8 West Jal B and the Momentum State that began operation in
9 2017, so the model was allowed to run for those additional
10 years to -- to accommodate for the previously-injected
11 materials.

12 **Q. Next slide?**

13 A. Yes. The figure to the right, the next step the
14 model takes is to take all of your injection parameters, as
15 well as your reservoir parameters, and run the model over
16 the duration and predict a result in pressure in response to
17 that injection scenario.

18 So the panel to the right there shows the result
19 at year 2050 after all six wells have been operating under
20 those conditions. And it's not included in this, but the
21 model will also return radial solution for pressure fronts,
22 and as you can see, if you want to really look at the
23 colors, by about less than three miles or around the
24 three-mile mark you have significant drops in the pressure
25 front. So in a sense the greater distances, you are really

1 having only minor increases in pressure on the order of
2 maybe 150 to 200 psi or so.

3 **Q. What have you concluded as a result of your fault**
4 **slip analysis?**

5 A. So based on -- or the fault slip analysis model
6 prediction suggests for this injection scenario that there
7 is zero probability for induced seismic events along the
8 features included in the model.

9 And in order to -- part of what the model does
10 is when it -- as it is estimating the probabilities of
11 slip, it not only determines or makes this calculation
12 deterministically, but for this portion it calculates
13 probabilistically across the range of uncertainties.

14 So when it's determining this section of the
15 probability results, it may consider variations in dip of
16 features, or variations in porosity within your reservoir or
17 permeability within your reservoir. And allowing the model
18 to -- or completing the simulation based on the model
19 parameters input and the nearby injection wells and
20 subsurface features in the area, this model has confirmed
21 our initial observations that the faults and -- or the
22 distance between faults and injection wells, both proposed
23 and active in place, are -- is great enough that it's not
24 predicted estimated to be a risk of slip in the area.

25 **Q. In your opinion, is there any potential for**

1 **induced seismicity as a result of the proposed well?**

2 A. Not under these conditions, no.

3 MS. HARDY: I have no further questions for
4 Mr. White.

5 CHAIRWOMAN SANDOVAL: Does the Commission have
6 any questions or wish to cross-examine the witness.

7 COMMISSIONER KHALSA: I have a question. Is it
8 typical on any of these types of AGI projects to have
9 seismic monitoring during operations?

10 THE WITNESS: I believe it is -- well, no. Let
11 me refrain. For AGI projects I have not heard of any that
12 do. I have heard that for some saltwater disposal wells
13 there are operators that have real time seismometers. And I
14 believe that it is in places like Alberta that it is more
15 standard for that to be the case.

16 COMMISSIONER KHALSA: Thank you.

17 COMMISSIONER ENGLER: Go back one slide, please.
18 So I guess first to clarify, if I remember right, so all of
19 those SWD wells are all in the Delaware?

20 THE WITNESS: Yes.

21 COMMISSIONER ENGLER: So when you are modeling,
22 obviously your AGI well is Delaware. They are all Delaware?

23 THE WITNESS: Yes.

24 COMMISSIONER ENGLER: In this simulation model,
25 so that's very dependent upon whatever input parameters are

1 put in?

2 THE WITNESS: It is.

3 COMMISSIONER ENGLER: I guess this is more of a,
4 of a request in the future is I would really like to see
5 that input data because any model is very dependent on that
6 input data. So again, I'm not sure --

7 THE WITNESS: Well, the input data is included in
8 the C-108 injection application.

9 COMMISSIONER ENGLER: I'm sorry, I missed that.

10 THE WITNESS: No, no, it's fine.

11 COMMISSIONER ENGLER: Because you have to be able
12 to generate some type of characterization field so it can
13 run that model.

14 THE WITNESS: Yes.

15 COMMISSIONER ENGLER: This pressure data, the
16 result of pressure data, this is surface pressure or
17 subsurface?

18 THE WITNESS: This is the -- this is subsurface.

19 COMMISSIONER ENGLER: Subsurface, yeah.

20 THE WITNESS: Yeah.

21 COMMISSIONER ENGLER: Okay. On the next slide on
22 the fault slip potential, you mentioned -- and I might have
23 missed this, and I apologize -- when they go through fault
24 slip analysis, it's going to vary on a lot of parameters to
25 see what was drilled, what will be -- what will occur, and

1 what will be the outcome.

2 THE WITNESS: Yes.

3 COMMISSIONER ENGLER: So -- and again, this is --
4 if I missed this, I'm sorry, but again, it's sometimes for
5 me nice to know what all those parameters are that were
6 considered such that I know the range of everything that was
7 happening. And I see in your conclusion or your final
8 analysis it says it will be limited or no seismicity, but to
9 me I like to see all what was considered into that.

10 THE WITNESS: Yes.

11 COMMISSIONER ENGLER: And that might also have
12 been in there.

13 THE WITNESS: All the input parameters are all
14 included in the C-108 application --

15 COMMISSIONER ENGLER: C-108?

16 THE WITNESS: -- on Page 14, along with
17 everything.

18 COMMISSIONER ENGLER: You did good. Thank you
19 I skipped through because I went to Albert's
20 stuff, so thank you.

21 THE WITNESS: Uh-huh.

22 CHAIRWOMAN SANDOVAL: So I'm trying to reconcile
23 the map -- maybe two -- go back two slides, there. So here
24 it doesn't like look like there any SWDs near, but on the
25 map earlier in the presentation it looked like there was one

1 directly southwest.

2 THE WITNESS: Yes, so I can clarify that. These
3 are, on this map these are Delaware injection wells.

4 CHAIRWOMAN SANDOVAL: Okay.

5 THE WITNESS: The previous one, if you look at
6 NMOCD records, the injection well or the saltwater disposal
7 well that southwest of the proposed site, NMOCD records show
8 that this well is in the Capitan Reef pool. However, logs
9 for this well show it only going to I think about 2900 feet
10 or something, so it's definitely not in Capitan and it's
11 definitely not in Delaware.

12 CHAIRWOMAN SANDOVAL: Okay. So it's an older --

13 THE WITNESS: It is also included. It might be
14 more difficult to find quickly, but in the C-108
15 application, there is a table of all wells within two miles
16 or one mile. Both are in there.

17 CHAIRWOMAN SANDOVAL: Okay. So but we don't
18 expect that, that there is going to be any issues with
19 either this initial well that's going into the Delaware or
20 the next well that's going to go into the Devonian with that
21 injection well existing?

22 THE WITNESS: I do not believe so. I will need
23 to find out which well this is, but I'm not sure if it's in
24 operation.

25 CHAIRWOMAN SANDOVAL: Well, I think we have

1 concluded with our questions. Does the Land Office or
2 Division have any questions for the witness?

3 MS. ANTILLON: No questions from the State Land
4 Office, Madam Chair.

5 MR. AMES: No questions, Madam Chair.

6 CHAIRWOMAN SANDOVAL: Thank you. Is there any
7 redirect of this witness?

8 MS. HARDY: Just one question.

9 REDIRECT EXAMINATION

10 BY MS. HARDY:

11 Q. Mr. White, if you look at Appendix A to the
12 C-108, does that list the wells that were evaluated in the
13 fault?

14 A. Yes.

15 Q. Okay. And I think you have already testified
16 that the saltwater disposal well that we have been
17 discussing is above the injection zone; is that correct?

18 A. Yes.

19 MS. HARDY: That's all I have. Thank you.

20 CHAIRWOMAN SANDOVAL: Does the applicant have any
21 additional witnesses?

22 MR. HNASKO: Madam Chair, we would like to recall
23 Mr. Gutierrez.

24 MR. LOZANO: Mr. Hnasko, if it -- it's up to the
25 Chair, but if you believe it would be helpful to recall

1 Mr. Perilloux, I believe they have questions for him.

2 MR. HNASKO: Absolutely. I was going to do that
3 after.

4 MR. LOZANO: That's fine. I don't want to remove
5 your order, but if you thought it will be helpful first,
6 that would be fine.

7 MR. HNASKO: I think it would be. I'm going to
8 take that advice. I think it would be better to call
9 Mr. Perilloux.

10 CHAIRWOMAN SANDOVAL: Please proceed.

11 BRIAN L. PERILLOUX

12 (Previously sworn, recalled and testified as follows:)

13 DIRECT EXAMINATION

14 BY MR. HNASKO:

15 Q. Mr. Perilloux, you were in the hearing room when
16 the Commissioner asked a question about what would happen if
17 something went wrong with this particular well, and how the
18 operators would proceed in such an event.

19 A. Right.

20 Q. Including protecting human health and
21 environment.

22 A. Right.

23 Q. Could you explain what steps, if any, Salt Creek
24 has taken to cover that potential?

25 A. Yes. Let me first describe the operation in very

1 general terms, and then I'll address your specific question.

2 So in very general terms we have an amine system
3 removing the acid gas, and that technology is a very proven
4 technology with very clear understanding of what routine
5 maintenance requirements are, and we have redundancy in
6 certain pieces of equipment to minimize the risk of having
7 to shut that unit down. In fact, I would say that an amine
8 system is most happy when it's running continuously. It
9 does not like to be interrupted in its operation.

10 Going specifically to the acid gas injection, our
11 plan is, as we construct the injection well and the
12 associated compression is to have redundant compression
13 which is the most routine -- or the piece of equipment that
14 has the most routine maintenance during a typical operation.

15 So just by example, if we look at the 8 million
16 cubic feet of injection, we are planning to initially put in
17 two, 4 million cubic feet of day compression units in.

18 Now, that correlates to our initial 35 million
19 cubic feet of inlet gas. And I know I stated the CO₂ was
20 about 7 percent and the H₂S was about 2, 2.5 percent, so I'm
21 going to round up to make this easy math to 10 percent acid
22 gas. At 35 million cubic feet of inlet gas we've got about
23 3.5 million cubic feet of acid gas.

24 So one of the two compressors that we plan to
25 install will actually accommodate the full acid gas stream

1 at 35 million a day inlet compression. As we increase the
2 capacity of the system pursuant to our 80 million a day
3 target, we would add a third 4 million a day acid gas
4 injection compressor which effectively would give us a 50
5 percent redundancy such that we can perform any routine
6 maintenance without interrupting the flow of acid gas.

7 So the equipment in the most likely scenario of
8 interruptions is around routine maintenance as far as
9 predictable. Certainly there are non-predictable events
10 that occur, faulty instrumentation, lightning strikes, other
11 things that take the facility down. In most of those cases
12 what, what would take us down might also take a producer's
13 well down. And what I would tell you is, we have 24-7
14 manned attendance at this facility such that the operators
15 can respond immediately. So if something trips off line
16 unexpectedly, we have the ability to bring it back into
17 service certainly within a one-day time frame. Normally
18 it's matter of hours, not days.

19 And in terms of routine maintenance, we do
20 coordinate with the producers such that they can take wells
21 down at the same time to do their routine maintenance while
22 we are doing our routine maintenance. And we do have, at
23 the field level, regular communications established between
24 the producers and our operating teams to make sure that
25 communication is undertaken routinely.

1 MR. HNASKO: No further questions, Madam Chair.

2 CHAIRWOMAN SANDOVAL: Do the Commissioners have
3 any questions.

4 COMMISSIONER KHALSA: No.

5 COMMISSIONER ENGLER: No, ma'am.

6 CHAIRWOMAN SANDOVAL: So on -- you were talking
7 about redundancy in terms of compression, but what would
8 happen if something took the actual well down and it needed
9 to -- there needed to be maintenance or something, and you
10 have referenced potentially a one-day time frame. So what
11 would the scenario be during that one day time frame say if
12 it didn't take the production companies down?

13 THE WITNESS: Yeah.

14 CHAIRWOMAN SANDOVAL: I want to make sure that
15 there are plans in place if -- if something does happen to
16 that initial well before the second one is drilled and on
17 line. That's the entire intent of having redundant wells
18 because we have had issues in the past where the single well
19 has gone down and there have been issues.

20 So if the well goes down before the redundant
21 well is drilled, you have a plan in place for the
22 compression, but if there is something other than that, you
23 know, what do you have in place to make sure that, you know,
24 human health and the environment are not impacted?

25 THE WITNESS: Yeah. So let me address that a

1 couple of ways. One, I would first say, I am not a downhole
2 well expert, and so I don't have intimate knowledge of all
3 the inner workings of the well completion and what might
4 cause a, a potential non-injectivity scenario.

5 However, being familiar with injecting into
6 wells, I would suggest that, especially in this interim
7 period of getting the redundant well, the probability of
8 risk is very low.

9 Generally speaking, if a well performs adequately
10 day one, it usually takes a matter of time before you start
11 to see things like downhole plugging and that sort of thing
12 that might restrict the injectivity.

13 So I don't want to speculate any further than
14 that because, again, my knowledge of downhole subsurface
15 conditions is limited. What, what I would say from a
16 surface perspective is, if we have an event where we
17 recognize there's a problem with the well that we do need to
18 shut down for any case, we would coordinate that with the
19 producer. And it depends on whether it's a complete shut
20 down or partial or restricted flow to the well.

21 So I would suggest that a complete shut down is
22 probably highly unlikely. A restricted flow scenario may be
23 more realistic, and in that case, what we normally do and
24 what we have done in the past to now even with running a
25 triazine scavenger system is we actually contact the

1 producer, and they shut in what we call the bad actor wells.

2 They have wells that are in excess of 25,000
3 parts per million, they shut off the bad actors and flow the
4 cleaner wells to accommodate our capacity in the system. So
5 we have a very active communication plan to address that,
6 and the producers work with us. We work with them. We know
7 in advance. We certainly plan for those events.

8 If we don't know in advance, it's usually an
9 immediate phone call to say, "Hey, we have a restricted
10 capacity. You need to respond accordingly."

11 Addressing the flaring event, I probably share
12 most -- most people have an opinion that flaring is bad for
13 the environment, and I agree with that. In this particular
14 case S02 emissions are prevalent when you flare acid gas,
15 which I think is, is -- well, it's certainly a cause of acid
16 rain and that sort of thing.

17 So we want to minimize the flaring of H2S to form
18 S02 by all means possible. Our state permit currently has a
19 95 ton per year limit. And to put that in perspective, at
20 10 million cubic feet a day of production, which is probably
21 the maximum we are at today, if we flared 100 percent of the
22 acid gas, we would probably produce about three and a half
23 tons of S02 emissions a day. So it's -- it doesn't take
24 very long to reach a permit limit. It's a matter of days,
25 not even months.

1 Even if we were to acquire a Federal Title 5
2 permit, the limit is 250 tons per year. And at our design
3 capacity of 80 million cubic feet a day, we could be flaring
4 on the order of 8 to 10 million -- 8 to 10 tons per day of
5 SO2. So, again, we would be even limited under Title 5 in a
6 one-year operation.

7 So my personal goal and the goal of Salt Creek
8 Midstream is not to flare. The other consequence to Salt
9 Creek when we do flare is the amount of fuel gas necessary
10 to flare TAG. And it's roughly about 20 percent of our
11 inlet gas. So if we are taking in 10 million cubic feet of
12 inlet gas, we remove a significant portion of the gas -- and
13 I will go back to the 10 percent -- we remove 1 million in
14 acid gas, we would need approximately another 2 million
15 cubic feet of gas for fuel.

16 So of 10 million inlet, we only send 7 million
17 cubic feet to market, which is not a very good strategy.
18 What, what we really want to do is not flare, not use fuel
19 gas, and that sort of thing. So there's no ideal perfect
20 answer to prevent flaring. We consider flares emergency
21 flares.

22 So if we have, again, the lightning strikes or
23 equipment malfunction in the electronics is one of the more
24 common causes, if we see that two or three times, or even
25 half a dozen times per year, we want that to be measured in

1 half a dozen times, let's call it 12 hours or less of
2 flaring is our ideal goal, and redundancy helps prevent
3 that.

4 And if we are flaring gas and shut our flare off
5 or shut our facility off completely, you are correct in
6 saying that backs up to the producers, and the producers
7 would then, in turn, be required to flare in order to
8 continue flowing their wells.

9 CHAIRWOMAN SANDOVAL: Yeah. So from our
10 perspective, you know, we see flaring as a waste of a
11 resource that potentially could be salable. You know, I
12 would be interested, as part of the modification of your H2S
13 contingency plan, having some of these scenarios mapped out
14 and what the responses specifically would be, both your
15 actions, how you communicate to the producers to ensure
16 there is no impact to human health and the environment.

17 THE WITNESS: Right. I will take that advice,
18 Madam Chair.

19 CHAIRWOMAN SANDOVAL: Do the Division or Land
20 Office wish to cross?

21 MS. ANTILLON: No questions, Madam Chair, from
22 the State Land Office.

23 MR. AMES: Yes, Madam Chair, I do have a couple
24 of questions.

25 CROSS-EXAMINATION

1 BY MR. AMES:

2 Q. Mr. Perilloux, the Chair raised the question of
3 the disposition of TAG when there are well issues prior to
4 the construction of the redundant Devonian well. And in
5 your testimony you mentioned a plan to handle partial or
6 complete restrictions in injection. Is that a written plan?

7 A. I'm going to say our operating procedures that we
8 have for the facility address temporary operations. I don't
9 know that it specifically addresses all scenarios of, of
10 what a temporary operation may be.

11 I would say the, the operations team, my direct
12 operations managers and the field support staff are very
13 well versed in, in what I would call typical oil and gas
14 facilities. And response is usually a fairly routine
15 response.

16 For instance a facility trips off, there are
17 certain alarms that indicate what piece of equipment caused
18 the, the shutdown or the failure, and the operators respond
19 appropriately by addressing the specific shutdowns,
20 rectifying the situation, and using the normal start-up
21 procedures to restart the facility.

22 Q. Thank you. So the chair asked you if you would
23 submit or supplement your H2S contingency plan to address
24 some of these issues arising during temporary operations.
25 Will you -- are you prepared to address the disposition of

1 TAG during these temporary operations in your modifications
2 to the H2S plan that you will submit at the Chair's request.

3 A. I would like to answer that with a couple of
4 thoughts. One, the requirement to file an H2S contingency
5 plan is specifically to address the loss of containment.
6 And under Rule 11, it does not specifically ask questions
7 about operation and alternative operating states of the
8 facility.

9 I'd have no, no problem committing Salt Creek to
10 include that, as part of the H2S contingency plan, but I
11 would just like to clarify that the specific requirements,
12 in my understanding, is on loss of containment, and we are
13 not talking about loss of containment here, we are talking
14 about interruption of flow.

15 So I'm very well prepared, both individually and
16 as a company, I can commit to including interruption of flow
17 in the contingency plan, if that's, if that's what's being
18 requested, noting that it's not a specific requirement of
19 the state's rules presently.

20 Q. Thank you, Mr. Perilloux. I appreciate the
21 clarification. So maybe I will modify the request. Will
22 Salt Creek submit a separate written plan addressing the
23 disposition of TAG during temporary operations?

24 A. Yes, if that is required, I would certainly
25 commit to that, yes.

1 Q. We will leave it for the Commission to direct
2 when and what to submit, but we appreciate your commitment
3 to doing so as requested. Thank you.

4 A. Yes.

5 MR. AMES: Nothing further. Thank you.

6 CHAIRWOMAN SANDOVAL: Do you have any further
7 witnesses?

8 MR. HNASKO: I have no redirect, and we do have a
9 further witness, Madam Chair, which is Alberto Gutierrez.

10 ALBERTO GUTIERREZ

11 (Previously sworn, was recalled and testified as follows:)

12 DIRECT EXAMINATION

13 BY MR. HNASKO:

14 Q. Mr. Gutierrez, before we continue on with the
15 design of the AGI system, I would like to go back and clean
16 something up on Slide 25, and in doing so, direct your
17 attention to the application, C-108, which is Exhibit 4, in
18 particular, Appendix A to Exhibit 4, which identifies the
19 wells within one mile of the proposed Salt Creek AGI 1. Do
20 you see that, sir?

21 A. Yes, sir.

22 Q. All right. Were you able to garner some
23 information on these particular wells that would be
24 responsive to the Commissioner's questions?

25 A. Yes, and I can apologize for my bad memory.

1 Q. Don't worry about that.

2 A. But I would like to, if I could --

3 Q. Yes.

4 A. -- explain that and clarify. First of all, I
5 want to explain that the blue square wells are wells that
6 are permitted that would be the Ameredev horizontals. These
7 greens wells that you see are all canceled Yates above our
8 injection zone. These are not -- none of those wells
9 penetrate the injection zone.

10 Similarly, I misspoke relative to this well that
11 was pointed out by the Chair. This well is listed -- by
12 the way, the API Number is 30-025-25957. And it is an
13 active Yates saltwater disposal well with a TD of 3420 feet,
14 so it is way above our caprock. Okay. It was spudded in
15 1978, and it has not injected -- it has been decreasing its
16 amount of water injection over the past six years, and no
17 injection has taken place, at least according to the NMOCD
18 website records, no injection has taken place since 2018 in
19 that well.

20 But again, this well, injection well, as well as
21 all of these green producing wells of which there is a
22 concern that if this modeling was too conservative could be
23 incorporated in that plume can't happen because they are all
24 completed above the injection zone.

25 The closest well that penetrates the injection

1 zone here is this well, which is 30-025-26134, which is a
2 well that was -- the well that was plugged back that I
3 described that we used as a well in our cross-section. And
4 those -- so that is three-quarters of a mile away, so even
5 if you even doubled or even tripled the extent here, it
6 wouldn't even reach that well. And certainly these others
7 are not in the game because they are above the injection
8 zone, so I apologize for not remembering that earlier.

9 Q. All right. Mr. Gutierrez, let's move on to the
10 general design of the AGI system. I'll direct your
11 attention to Slide 51. Could you describe for the
12 Commission the design of the system, please?

13 A. Yes. The design of the AGI well is a fairly
14 standard AGI design that involves the use of corrosion
15 resistant materials in every aspect of the case -- of the
16 design of the well. It is a well with surface casing
17 extending down to 2080 feet which protects all potential
18 fresh water.

19 And then the injection string extending beyond
20 that with the lower most portion of that injection string
21 being constructed out of CRA casing, and the injection
22 tubing, the bottom portion of that also included as CRA
23 casing, and it includes a subsurface safety valve, and a
24 permanent packer, both of which are incoloy coated and
25 completely corrosion resistant, and it also includes bottom

1 hole pressure temperature monitoring.

2 If we go to the next slide, this is just a
3 generic schematic slide that just shows the compression at a
4 facility and the schematic going into the well. And if we
5 just go to the next slide I can give you the details of the
6 well.

7 They are laid out here, but if we just go to the
8 next slide I can show you. That's easier. We have the
9 surface casing here which will be cemented to the surface.
10 Then the production string extended down through the
11 injection zone of which the upper 300 feet where the packer
12 is set will be CRA casing, as well as the design of the
13 tubing immediately above the packer and the mandrel that
14 holds the subsurface PT measurement equipment.

15 The annulus of the well is filled with diesel
16 fuel corrosion inhibited and biocide treated diesel fuel
17 that is measured and continually measured in terms of
18 pressure at the surface in the annulus, and the well will
19 then be perforated in the injection zone.

20 Again, the exact location and number of
21 perforations will depend on what we actually find when we
22 log the well. But this is basically the design that we have
23 for the injection wells which are basically state-of-the-art
24 design what is being used now in the industry.

25 **Q. Including the casing and cement program?**

1 A. Yes. The casing and cement program, the casing,
2 all of the cement is cemented to the surface, and all of the
3 cement in the injection zone and immediately above the
4 injection zone extending through the CRA section is
5 completed with well -- with resin well loss or equivalent
6 cement, which is a corrosion resistant specifically for sour
7 gas wells.

8 **Q. And in your opinion will these design factors for**
9 **the well protect the integrity and safety of the well?**

10 A. Yes. I believe it will.

11 **Q. And how about ground water conditions, did you**
12 **analyze the water wells within a one-mile radius of the area**
13 **of review?**

14 A. We did. Based on the New Mexico State Engineer's
15 Office, we have one water well within the one mile area.
16 It's about 9/10 of a mile to the southeast, has a total
17 depth of about 800 feet. The surface casing will extend to
18 2080 feet and will be cemented to the surface and then have
19 the injection string inside of that surface casing also
20 cemented to the surface. And so therefore it will certainly
21 protect all ground water in the area.

22 **Q. How about surface water analysis?**

23 A. Yes. I mean, clearly there is no standing
24 surface -- there is no surface water bodies within the one
25 mile area, but similarly this surface casing will protect

1 any -- basically the shallow ground water and the surface
2 water.

3 **Q. Moving on to our next slide, if you -- what do**
4 **you deem to be the key elements of this application?**

5 A. Well, I think the key elements are the -- the
6 quality and the stratigraphy and the reservoir
7 characteristics of the proposed injection zone in the DMG
8 from 5400 to 7000 feet. And the maximum injection rate of 8
9 million cubic feet a day for 30 years is what it was
10 calculated on, as Dr. Engler so adequately pointed out,
11 there is uncertainties there in the design and in the
12 modeling of the extent of that.

13 And yet, because of, as I expressed in that
14 earlier slide, the -- we believe that that uncertainty is
15 well taken care of by the lack of wells in the immediate
16 vicinity of the well, plus the fact that we are -- we have
17 severely restricted this volume that we are going to put
18 into that well based on the agreements that we have with the
19 State Land Office and the OCD.

20 **Q. All right.**

21 A. Also, for the well itself, it's got all the
22 appropriate materials and drilling procedures which will
23 ensure the integrity of the design of the well and prevent
24 the well itself as being a potential source of exit to the
25 injection zone.

1 And then as we mentioned, the six wells that do
2 penetrate the injection zone, there are only six of them.
3 There are five active wells that are completed greater than
4 1300 feet below the proposed injection zone. Those are the
5 horizontal wells we are talking about, and one plugged well
6 that is .68 miles to the north, and this well is properly
7 plugged and abandoned, and we provided that information to
8 the state.

9 And so we don't, we don't believe that these
10 wells will have any potential for -- for being a way to get
11 material out of the injection zone.

12 **Q. All right. At the risk of being redundant, would**
13 **you summarize the geologic factors you believe in your**
14 **opinion ensure the integrity and safety of this well?**

15 A. Sure. I think that the wells that penetrate the
16 target injection zone within the area of review are well
17 isolated and protected from that, just as I described
18 relative to the predicted plume. The cap, even with the
19 uncertainties associated with them, because they are so far
20 away and because the wells that are close proximity are well
21 above the caprock.

22 The caprock is low porosity impermeable rock. We
23 will confirm that through our coring and logging. The
24 injection zone is vertically isolated from, and horizontally
25 isolated from adjacent producing zones. The fresh water

1 zones are all going to be isolated by surface casing and
2 conductor casing.

3 The proposed injection pressure is well below the
4 anticipated fracture pressure of the caprock. Separate
5 testing we will do and we will verify what zones take what
6 fluid, and that information will be shared with OCD prior to
7 when we perforate the well, because in this situation we are
8 going to have some communication.

9 We always have communication with the OCD about
10 where we are going to perforate things, but in this case, in
11 particular, to address some of those concerns about the
12 proximity of the Capitan Reef, those are things we will
13 discuss with the OCD in that interim period before we
14 perforate. So the proposed zone is fully capable of
15 sequestering that gas over time. And for all of those
16 reasons, I think that this well will be protective of ground
17 water, fresh water resources, as well as correlative rights
18 for other producing wells.

19 **Q. All right. And Mr. Gutierrez, based on your**
20 **permit application that Geolex prepared and the conditions**
21 **reached between -- or among the OCD, State Land Office, and**
22 **Salt Creek, what are you asking precisely for the Commission**
23 **to do today?**

24 **A.** Basically we want approval for the ability to
25 construct this AGI well in accordance with the C-108

1 application, and we would like -- typically we ask for two
2 years, but of course in this case we know that we are going
3 to be drilling the well pretty quickly.

4 As a matter of fact, one thing I didn't mention,
5 but that I think the, the Division is aware of, we have
6 already submitted a C-101 and C-102 application for drilling
7 permit and have paid the fees associated with that, and the
8 district is waiting for the outcome of this hearing to
9 approve those applications so we can move on.

10 We want to inject 8 million cubic feet a day for
11 a maximum operating pressure of 2149 for at least 30 years,
12 and we recognize that we are going to use the well as a
13 redundant well, so this is somewhat modified by those
14 constraints.

15 We will be begin drilling as soon as we get that
16 C-102 permit on this order. I think we're planning to spud
17 in February. We want to be able to resolve any small
18 variations, like some of these things that may come up
19 during drilling and the coring and logging of the well with
20 the Division so that the Division's director and the
21 Division's staff can approve those variations
22 administratively.

23 Let's say, for example, that when we drill we
24 find that really our injection zone is 20 feet higher, comes
25 in 20 feet higher or 20 feet lower, that those kinds of

1 things we can resolve with the Division administratively.
2 And we believe that the well will enhance the reliability of
3 the plant and that the project is supported by the adjacent
4 producers.

5 The proposed well will dispose of acid gas
6 safely, and the injection of TAG will only begin after the
7 Rule 11 plan is submitted and approved by OCD with the
8 required modifications of the AGI.

9 Q. All right. And the permit conditions agreed upon
10 will be part of the order?

11 A. That's correct.

12 Q. And finally, I believe you were here when
13 Mr. Perilloux affirmed that Salt Creek would indeed submit
14 the written policy on interruption of the well, and the
15 activities that would be undertaken to protect human health
16 and the environment should that occur.

17 A. Yes, that's correct. I just want to clarify one
18 thing also, and this is to make sure there is a clear
19 understanding that if, for example, the plant goes down or
20 the well goes down, it's not like there is TAG that is
21 continuing to be made. If the plant goes down it's a two
22 step process, so there is no like TAG other than what's in
23 the system that would have to be flared. So it's not like
24 there is a big store of TAG that we have to deal with if
25 there is an interruption.

1 MR. HNASKO: Thank you, Madam Chair. Pass the
2 witness.

3 CHAIRWOMAN SANDOVAL: Commissioners, do you have
4 any questions?

5 COMMISSIONER ENGLER: No further questions.

6 CHAIRWOMAN SANDOVAL: Land Office, do you have
7 any?

8 MS. ANTILLON: No questions, Madam Chair.

9 CHAIRWOMAN SANDOVAL: Division?

10 MR. AMES: None, Madam Chair.

11 CHAIRWOMAN SANDOVAL: All right. Is there any
12 redirect of this witness from the applicant?

13 MR. HNASKO: No, Your Honor -- Madam Chair.

14 Do it one more time.

15 CHAIRWOMAN SANDOVAL: All right. So we will now
16 hear from the State Land Office.

17 MR. AMES: Madam Chair, would it be appropriate
18 to take a lunch break?

19 CHAIRWOMAN SANDOVAL: Oh, gosh.

20 MR. AMES: People might get a little testy.

21 CHAIRWOMAN SANDOVAL: Yes, it is 12:38 right now.
22 Why don't we take an hour for lunch and come back at 1:40.

23 MR. AMES: Thank you.

24 (Lunch recess taken at 12:38 p.m. The proceeding
25 resumed at 1:44 p.m. as follows:)

1 CHAIRWOMAN SANDOVAL: All right. It is 1:44 on
2 December 11, 2019. We now will come back to order. We will
3 now hear from the State Land Office.

4 MS. ANTILLON: The State Land Office doesn't have
5 any witnesses today.

6 CHAIRWOMAN SANDOVAL: Okay. We will now hear
7 from the Division. The Division may now make a brief
8 opening statement -- oh, you already did that.

9 Will all persons who wish to testify on behalf of
10 the Division please come to the witness table and stand so
11 the court reporter may administer the oath.

12 (Oath administered.)

13 CHAIRWOMAN SANDOVAL: The Division may now
14 present its direct testimony on the application. Please
15 call your first witness.

16 MR. AMES: The OCD calls Phillip Goetze.

17 PHILLIP R. GOETZ

18 (Sworn, testified as follows:)

19 DIRECT EXAMINATION

20 BY MR. AMES:

21 **Q. Mr. Goetze, please state your name for the**
22 **record.**

23 A. My name is Phillip R. Goetze.

24 **Q. Where do you work?**

25 A. I work for the Oil Conservation Division in the

1 Santa Fe office.

2 Q. What is your position there?

3 A. At this point I have been designated the UIC
4 program manager and previous -- and also hearing examiner
5 and other things, but mostly UIC.

6 Q. As the UIC program manager, what are your
7 responsibilities?

8 A. At this point it is to make sure that the permits
9 or applications provided to us are properly processed, to
10 review the UIC program and ensure that the certain
11 requirements that we have under our agreement with the EPA
12 are enforced, and to provide the director with
13 recommendations based upon our findings as a group.

14 Q. Have you prepared a curriculum vitae?

15 A. Yes, I have. It's been submitted as OCD Exhibit
16 Number 1.

17 Q. Can you tell the Commission a bit about your
18 educational background.

19 A. I'm a graduate of New Mexico Tech. Bachelor's of
20 science in geology in 1977. I have been with the Division
21 since 2013 in various capacities including doing the UIC
22 program.

23 Prior to that I have worked with both private
24 industry and general -- well, public interests such as the
25 the Bureau of Land Management, United States Geological

1 Survey, United States Bureau of Mines.

2 As private entities I have worked with large
3 corporations such as TetraTech and Roy F. Weston and smaller
4 firms known in this area, such as Glorieta Geoscience,
5 Charles B. Reynolds and Associates, Billings and Associates,
6 and have covered a wide spectrum of both environmental,
7 governmental and somewhat engineering aspects of geology.

8 Q. Have you testified before the Commission before?

9 A. On several occasions, yes.

10 MR. AMES: I move the admission of OCD Exhibit 1,
11 the curriculum vitae of Mr. Goetze.

12 CHAIRWOMAN SANDOVAL: Are there any objections?

13 MR. HNASKO: No objection, Madam Hearing Officer.

14 MS. ANTILLON: No objection.

15 CHAIRWOMAN SANDOVAL: It can be entered into the
16 record.

17 (Exhibit 1 OCD admitted.)

18 MR. AMES: OCD would ask that Mr. Goetze be
19 recognized as expert in petroleum geology.

20 CHAIRWOMAN SANDOVAL: Do you have any questions
21 for the witness?

22 COMMISSIONER ENGLER: No.

23 CHAIRWOMAN SANDOVAL: The Commission recognizes
24 Mr. Goetze as an expert.

25 MR. AMES: Thank you.

1 BY MR. AMES:

2 Q. Mr. Goetze, have you reviewed Salt Creek's
3 application?

4 A. Yes, I have.

5 Q. What is your opinion regarding the application?

6 A. We generally disfavor the use of the Delaware
7 Mountain group as a disposal zone, and we have tried to
8 follow a pattern of moving away from this interval for
9 commercial, especially commercial disposal of saltwater.
10 But we have reached an agreement with Salt Creek
11 with the participation of the State Land Office, and with
12 that, came up with a set of conditions that we believe
13 alleviates a lot of our concerns.

14 Q. Mr. Goetze, in your testimony just now you said
15 that OCD generally disfavors Class 2 wells in the DMG
16 formation for saltwater. Did you mean to include acid gas
17 injection as well?

18 A. We do, anything in disposal we try to limit it.

19 Q. As a result of Salt Creek's agreement to the
20 proposed conditions, what is OCD's position regarding Salt
21 Creek's application now?

22 A. Well, with the -- after consideration and
23 negotiations, we do not oppose this application.

24 Q. So let's take a step back to your earlier
25 testimony about OCD's position generally disfavoring Class 2

1 **UIC wells in the DMG formation. Can you explain in more**
2 **detail for the Commission the basis for OCD's position for**
3 **that?**

4 A. Over the last few years we have conducted several
5 studies with the cooperation of the New Mexico Oil and Gas
6 Association, and in doing so we have come to recognize that
7 the Delaware Mountain Group has certain characteristics
8 which give it a, a higher level of concern, especially with
9 the formation parting pressure being lower.

10 We currently utilize a .2 psi per foot gradient.
11 We have come to recognize that in certain cases where this
12 has been approved, in the area of review we have had
13 incidences of impacts to production as well as correlative
14 rights.

15 The second concern, we have also had several
16 cases involved with having the issue of drilling through a
17 disposal zone. We've had several cases by operators trying
18 to limit disposal there in the Delaware Mountain Group
19 because of the fact of increased cost to change an entire
20 plan for a development for an area would include increasing
21 casing size, a cement program change, as well as drilling
22 mud programs that have to be altered.

23 And then finally, in this case, you know, we are
24 in the DMG, and we know that our targets are in the permian,
25 so we always try to avoid having a situation where we create

1 more of a problem.

2 And finally, the location and proximity to the
3 Capitan Reef, because we are either in or adjacent, that we
4 have always tried to maintain the reef at this time until
5 further delineation as recognized in our primacy agreement
6 underground source of drinking water. So we try to ensure
7 that any activity and disposal, that we are not going to
8 impact that source.

9 Q. Mr. Goetze, do you have an exhibit showing the
10 location of the Class 2 UIC wells in the Delaware Mountain
11 Group or DMG formation?

12 A. Yes, we do. We have Exhibit Number 2.

13 Q. Would you like to describe some things on that
14 exhibit for the Commission?

15 A. Well, this is --

16 Q. Would it help the Commission to have that map
17 out?

18 A. Well, we are going to see how well you can fold
19 it back up. So basically this is a project which the
20 Division has worked with NMOGA and independent operators, as
21 well as disposal operators in, order to get a better
22 understanding of what was happening with Delaware Mountain
23 Group and injection.

24 For clarification, we will make note to the
25 bottom, right-hand side of the map, you will see the

1 proposed Salt Creek AGI well approximate location. What is
2 plotted on here are all of our Delaware Mountain Group
3 disposal wells.

4 And an outline has been shown, and this was
5 developed by NMOGA, as to what was concern for them at this
6 this time which was the potential for injection impact in
7 Avalon which would be top of Bone Spring.

8 There are also included in here several red
9 circles. These are areas where there have been historical
10 or demonstrated influences in Avalon, as well as the Brushy
11 Canyon production.

12 One particular point is in the middle there is an
13 oval which says, Application to Revoke Authority to Two SWD
14 Wells Denied, 15 -- Case 153 -- 23112 and then 15219.

15 Actually there's four wells in this area. What
16 happened here, and this was the initiative to do the review,
17 is that we had four disposal wells in close proximity, the
18 result being that it washed out Bobco's production in the
19 Lower Brushy Canyon.

20 So with this recognition, the Division, over the
21 last few years, has tried to move away from disposal in the
22 Delaware Mountain Group. And this is primarily our
23 motivation we have now with looking at Devonian as being the
24 principal disposal or ideal location, even though there are
25 trade-offs, as opposed to Delaware Mountain Group at this

1 time.

2 The only thing I would say about this is that
3 each of these red circles represents the testimony of an
4 expert saying injection will not occur out of interval and
5 will stay within the area of review.

6 With that, this is one of our projects that we
7 are continuing on and are utilizing as a means of filtering
8 through applications.

9 MR. AMES: Thank you. I think that's the last
10 question I have with respect to Exhibit 2. I will move
11 Exhibit 2 for admission.

12 MR. HNASKO: No objection.

13 MS. ANTILLON: No objection.

14 CHAIRWOMAN SANDOVAL: Exhibit 2 is entered into
15 the record.

16 (Exhibit 2 OCD admitted.)

17 MR. AMES: You folks want to put it aside or fold
18 it up --

19 THE WITNESS: We offer services to fold it up for
20 you after.

21 BY MR. AMES:

22 Q. Mr. Goetze, what standard do you apply when
23 evaluating whether to approve a Class 2 UIC well?

24 A. The basis of it is the directives given in our
25 statute which is to prevent waste, to protect correlative

1 rights, to protect public health and environment, including
2 underground sources of drinking water as directed under the
3 UIC program.

4 Q. Do you have been an exhibit showing the
5 conditions to which OCD, State Land Office and Salt Creek
6 agreed?

7 A. Yes, we do. That's Exhibit 3.

8 Q. Is Exhibit 3 the same document as Salt Creek
9 presented during their direct testimony?

10 A. That is correct.

11 Q. Do the conditions in -- do these conditions
12 adequately address your concerns regarding UIC wells in the
13 DMG formation?

14 A. Yes, and if adopted, the OCD will not be opposed
15 to this application.

16 Q. Would you like to take a moment to look at
17 Exhibit 3 and point out what you consider to be the most
18 important conditions for this purpose.

19 A. Well, I think we have a set of general conditions
20 which we have always attached, and those, of course, are on
21 the last two pages.

22 On the front page, the special conditions, we
23 recognize that, as Salt Creek was willing to have a second
24 well, a redundant well, which is something that we try to
25 have for our AGI sites now, we also are satisfied with the

1 redundancy being that the Delaware Mountain Group well will
2 be the one used as a backup or as an alternative, and the
3 Devonian well being the primary.

4 We also went back and forth on where the
5 locations of the top perforations should be. We do have a
6 logging and the location of wells in this area is, is spread
7 wide apart in correlations are very subjective, and Salt
8 Creek agreed to actually go with the logging concept of
9 actually looking what is in the hole, and therefore decide
10 at that point where the perforation should be, as well as
11 giving us a handle, are we really in the reef or not. So
12 that's significant.

13 Other than that, most of these things were
14 working out the details of scheduling.

15 **Q. Thank you.**

16 MR. AMES: I would like to move admission of OCD
17 Exhibit 3.

18 CHAIRWOMAN SANDOVAL: Is there any objection?

19 MR. HNASKO: No objection.

20 MS. ANTILLON: No objection.

21 CHAIRWOMAN SANDOVAL: Exhibit 3 is entered into
22 the record.

23 (Exhibit 3 OCD admitted.)

24 MR. AMES: Thank you, Madam Chair.

25 BY MR. AMES:

1 Q. So before we move on from these conditions, Mr.
2 Goetze, I would like to follow up on Dr. Engler's concern in
3 Salt Creek's dispersion model. Do you recall Mr. Gutierrez'
4 testimony there is no way to directly monitor the extent of
5 the plume in the DMG?

6 A. I do.

7 Q. And did you hear Mr. Gutierrez give examples of
8 wells like the Linam Ranch AGI where the plume was much less
9 than expected in their model?

10 A. I did.

11 Q. Do you consider the testimony of Mr. Gutierrez to
12 be anecdote or data?

13 A. At this point I would only say it's not supported
14 by data and is observations only.

15 Q. What does -- what does -- what do Mr. Gutierrez's
16 examples show with respect to uncertainty in modeling plume
17 dispersion from AGI wells?

18 A. Well, we are always looking for a better model.
19 At this point we are limited by a single data point and our
20 understanding from that single data point, the well that is
21 a disposal well, what the characteristics of the reservoir
22 are. Unlike other operations, such as production wells
23 where we have more information in an area, we rely strongly
24 on a lot of parameters that are variable, but still within a
25 defined limit we know where we are starting from. As we go

1 away from the well we always have concerns, especially if we
2 have something that the Delaware Mountain Group represents,
3 which is a little bit of a variation.

4 Q. And in the context of that variation, do you
5 recall Dr. Engler's pointing out that the Salt Creek model
6 over-estimated the percentage of porosity and the thickness
7 of the injection interval?

8 A. Yes, I do.

9 Q. Do you think that these errors may have caused
10 Salt Creek to underestimate the radius of the plume
11 dispersion?

12 A. It may. Yes, yes.

13 Q. So do you share Dr. Engler's concern?

14 A. I do.

15 Q. Does the Commission requiring Salt Creek to
16 install the Devonian well and make it the primary disposal
17 well address your concern?

18 A. Yes, it does.

19 Q. How so?

20 A. Well, again, what was presented is that since we
21 are moving away from the Delaware Mountain Group as the
22 primary disposal well, we will have the opportunity to use
23 something in a Devonian which we will have hopefully a
24 better understanding reservoir-wise, and, in our opinion,
25 something that would have less characteristics of getting

1 away from it, so --

2 Q. Thank you. And finally, in your opinion, will
3 the conditions agreed to by Salt Creek, the Land Office and
4 OCD provide adequate assurance that the proposed well will
5 not cause waste or harm correlative rights and protect
6 public health and environment including underground sources
7 of drinking water?

8 A. Yes, I do.

9 MR. AMES: Thank you. Nothing further.

10 CHAIRWOMAN SANDOVAL: Thank you.

11 Does the Commission have any questions?

12 COMMISSIONER KHALSA: I have one. Mr. Goetze, I
13 am interested to know, if Salt Creek at some point decides
14 for whatever reason they need to switch over into injecting
15 into the DMG well because the primary goes down for some
16 reason, are they required to inform you and you monitor that
17 activity?

18 THE WITNESS: The permit is usually written for
19 the capacity to be in either well.

20 COMMISSIONER KHALSA: Okay.

21 THE WITNESS: So typically we do get a sundry
22 notice if it's been shifted, but there is no requirement
23 that they do it in our agreement right now.

24 COMMISSIONER KHALSA: Okay. Thank you.

25 COMMISSIONER ENGLER: Is that it?

1 COMMISSIONER KHALSA: Yes.

2 COMMISSIONER ENGLER: Mr. Goetze, the map is very
3 good. I have some questions relative to the map, so I will
4 make you pull it back out. I just want to make sure, I have
5 some clarifications and some questions. So this is only
6 Delaware Mountain Group; correct?

7 THE WITNESS: Yeah, these are only Delaware
8 Mountain Group wells that are presented on here.

9 COMMISSIONER ENGLER: So for the injection wells
10 that you indicated, are there any other acid gas injection
11 wells in Delaware right now?

12 THE WITNESS: We do have two, I believe. Let's
13 check. We have the Red Hills AGI Number 1 which is operated
14 by Lucid Energy Delaware, which is injecting in the Cherry
15 Canyon.

16 And we have a second one, the Zia AGI, operated
17 by DCP, and it is both Cherry Canyon and Brushy Canyon.

18 COMMISSIONER ENGLER: So in your experience and
19 your knowledge, are you aware of any issues relative to
20 those wells?

21 THE WITNESS: Not at this point. It would be --
22 and inform you that with regards to the Zia AGI, there are
23 two there, the Zia AGI Number 2 was issued as a permit in
24 the same interval, and there was an operator who said that
25 they were kind of nervous about that and offered to foot the

1 bill for drilling, in which case the well was reissued with
2 the Devonian. So we have a situation where we do have a DMG
3 and a Devonian well at the same facility.

4 COMMISSIONER ENGLER: For some of the issues that
5 you were expressing about the Avalon, and then I think also
6 some about the Brushy Canyon, these wells are injecting,
7 whether it's gas or well for the water, are they mostly
8 injecting into the Bell Cherry.

9 THE WITNESS: Yes. The case of the revocation of
10 the two wells in the Bobco area, they migrated vertically
11 and came out of interval and the quantity of water was
12 significant, so it was a large volume.

13 COMMISSIONER ENGLER: And that was in the Bell?

14 THE WITNESS: That was Bell and Cherry.

15 COMMISSIONER ENGLER: Cherry. Again, you
16 indicate these red circles as orange.

17 THE WITNESS: Red.

18 COMMISSIONER ENGLER: Whatever you call that,
19 these were areas that were influenced by that injection --

20 THE WITNESS: Correct.

21 COMMISSIONER ENGLER: -- outside -- even though
22 they were they were approved as injection. If I can
23 clarify, you are saying these are areas where the injection
24 has gone beyond what was originally approved?

25 THE WITNESS: Well, when considering the area of

1 review, we have a mandatory one-half mile. So yes, we have
2 areas where they have extended beyond that, so that raises
3 the question of notification of correlative rights, as well
4 as looking at any type of wells that have been plugged and
5 abandoned or inactive outside of that area.

6 So when you do a review around a well, and you
7 assess the plugging and cement work and casing work, if
8 these flows go outside of where you have looked at these
9 wells, then you are starting to head towards a penetration
10 that may be a conduit to shallower formations.

11 COMMISSIONER ENGLER: Thank you.

12 THE WITNESS: You're welcome.

13 COMMISSIONER ENGLER: I'm done.

14 CHAIRWOMAN SANDOVAL: Do you think that there
15 could be any current or future impacts to production from
16 this injection well?

17 THE WITNESS: The basis for what we are mandated
18 under statute is the prevention of flooding of any
19 productive zone. Historically DMG offers a problem in that
20 many of the assessments were done and made on plugged and
21 abandoned wells that were vertical wells, and the design was
22 prior to 2006 when horizontal.

23 The operators towards the Big Eddie, the
24 horizontal wells would not appear until 2010, and actually
25 that's the incident where Devon had a disposal well -- this

1 is where we have this issue of where a disposal well was
2 already approved, a horizontal came along, and all of a
3 sudden they intercepted the disposal waters, even though
4 Devon had addressed what they saw in the Brushy Canyon as
5 being productive.

6 Now, I will weigh that with we are getting away
7 from what has been identified by the professionals as being
8 the highest potential for Brushy Canyon development, so I
9 would say it is a low probability at this time.

10 CHAIRWOMAN SANDOVAL: But it's a possibility?

11 THE WITNESS: There is a possibility.

12 CHAIRWOMAN SANDOVAL: From your conversations
13 with Salt Creek, did they present why they want to inject
14 into the Delaware and not into the Devonian?

15 THE WITNESS: The presentation was stated that
16 this was an ideal target, that the injection interval in the
17 Delaware Mountain Group represented the best geologic and
18 reservoir characteristics that they were looking for.

19 CHAIRWOMAN SANDOVAL: Thank you. Does the
20 applicant wish to cross-examine the witness?

21 MR. HNASKO: I do, Madam Chair. Thank you.

22 CROSS-EXAMINATION

23 BY MR. HNASKO:

24 Q. Mr. Goetze, a lot of my questions are somewhat
25 mooted by the agreement to the special conditions between

1 the parties. However, I just have a couple of issues I
2 would like to clarify for the record.

3 A. Uh-huh.

4 Q. You talked about the Bobco production being
5 washed out.

6 A. Uh-huh.

7 Q. And I think, was there four injection wells in
8 that particular area?

9 A. That's correct.

10 Q. All right. And here we've got one; correct?

11 A. That's correct.

12 Q. All right. And I take it the outline of this
13 area of concern was developed jointly by industry and the
14 OCD?

15 A. Correct.

16 Q. And this area was chosen as a particular
17 problematic geographic area of the Delaware Mountain Group
18 for including both production and injection wells?

19 A. Well, it's problematic associated with what the
20 potential for injection in the Delaware Mountain Group may
21 have on the Bone Springs.

22 Q. Got it. So this line wasn't arbitrarily drawn, I
23 take it, it was drawn based on data?

24 A. Correct.

25 Q. Which indicated to the parties that there might

1 be an issue in general if there is injection within this
2 production area?

3 A. This is what they felt would be a concern for
4 them in development of the resources.

5 Q. Would you agree with me that each injection area
6 or each application for a particular injection area ought to
7 be analyzed on its own merits with the data available for
8 that, or should it be done in a general sense?

9 A. Unfortunately the four wells from Bobco were
10 issued by four individuals at four different times. So
11 historically we have just looked at single wells, so we have
12 moved away from that because we understand the collective
13 influence of several wells in the same interval.

14 Q. So when there are several wells in the same
15 interval and not separated by much geographic space --

16 A. Uh-huh.

17 Q. -- that's going to exacerbate the problem I
18 assume. Is that a fair statement?

19 A. Their proximity is an issue, yes.

20 Q. Let's look at the particular data for this well,
21 because I think Madam Chair asked you a question, is there a
22 potential it will impact production. And this proposed
23 location is outside of the area of concern presented by the
24 New Mexico Oil and Gas Association and the OCD; is that
25 correct?

1 A. For the Avalon Shale, correct.

2 Q. And in this particular area, I'm not sure I have
3 got this totally accurate, but looking at it from a birds-
4 eye view, it appears, based on the exhibit, that the nearest
5 production is about six miles away?

6 A. The statute states the flooding of productive
7 horizons.

8 Q. I understand what the statute says, I just want
9 to know where the nearest production is. I just want to get
10 the idea in the record of what the actual distance is.

11 A. It is what has been stated in testimony already.
12 It is some distance away.

13 Q. About six miles?

14 A. Uh-huh.

15 Q. Even if we were to accept the notion that the
16 plume might have been overly optimistic in depressing its
17 size, would you agree that it's certainly not going to get
18 six miles away?

19 A. But again, under the rules, I have to look at
20 the, cannot flood stratum which has the potential for
21 production.

22 The Delaware Mountain Group went from being a
23 disposal zone to a productive zone, and even though I don't
24 have proven production there, I still must weigh the factors
25 that once I have disposal in that interval, its mineral

1 resource potential goes away.

2 Q. I understand, and I understand your statutory
3 charge. I'm just curious about actual production, and we
4 are looking at production six miles away. This plume is
5 certainly not going to get there.

6 A. That's correct.

7 Q. And it appears that the proposed location of this
8 AGI well is about a township outside the area of risk?

9 A. It's outside what industry has stated their
10 concerns are, yes.

11 Q. And together with the conditions agreed by Salt
12 Creek, I want to reiterate that you are satisfied that your
13 statutory duty is satisfied to protect correlative rights
14 and make sure that there is not any impact to potential
15 production in this area?

16 A. I would agree that with the Devonian well, and
17 the conditions that have been agreed to, that we have
18 significantly reduced that risk.

19 Q. Thank you. I appreciate that. Thank you, Mr.
20 Goetze.

21 MR. HNASKO: Pass the witness.

22 CHAIRWOMAN SANDOVAL: Does the Land Office wish
23 to cross-examine?

24 MS. ANTILLON: No cross-examination.

25 CHAIRWOMAN SANDOVAL: Any redirect from the

1 Division?

2 REDIRECT EXAMINATION

3 BY MR. AMES:

4 Q. I would like to follow up on the questions from
5 the Commissioner, Mr. Goetze. You were asked whether OCD
6 gets notice when an AGI well operator switches between the
7 redundant well, and I think your answer was, we usually get
8 a sundry?

9 A. That's correct.

10 Q. But otherwise the permit doesn't require notice?

11 A. Unless it's specified, notice is not required.

12 Q. Would you object to the Commission stipulating or
13 requiring that as a condition that OCD be given notice when
14 Salt Creek switches between wells?

15 A. I would take back and modify that when we do have
16 two wells systems, we have reporting that's provided for
17 each well, so there are pressure monitoring and information,
18 so we do see when they move back and forth.

19 Do we get operational notice once the
20 monitoring -- the monitoring report comes after the fact.
21 Notice at the time of the conversion is very limited, so --
22 but we would enjoy the factor of having some sort of notice
23 to the district so they could be informed of when the well
24 is changed over.

25 MR. AMES: Thank you. Nothing further.

1 CHAIRWOMAN SANDOVAL: Does the Division have any
2 additional witnesses?

3 MR. AMES: We do not. The Division rests.

4 CHAIRWOMAN SANDOVAL: If it will choose, the
5 applicant may make a closing argument.

6 MR. HNASKO: Thank you, Madam Chair. In the
7 interest of time, I will be brief. I think it's been well
8 covered today.

9 What we have established in our submittals and
10 with what the questions have been and how we worked together
11 with the objecting parties to satisfy concerns, and we think
12 that the application, we are in a receptive area, our
13 proposed interval for disposal, we are very confident in
14 that.

15 I think the one thing that hasn't occurred today
16 is emphasis on the fact that we are going to undertake a
17 core drilling program to determine exactly what the geologic
18 conditions are so we can verify those as we go.

19 We are confident that our porosity calculations
20 look good, and even if they were at 17 percent, as opposed
21 to 12 percent, I think we would still have a very receptive
22 area for the disposal of this TAG.

23 So all things considered, we think that, rather
24 than going through the Devonian, our intention was simply to
25 find the best location, whether it be the Devonian or

1 Delaware Mountain Group. That's how we started. We started
2 with a blank slate, the idea being we are not going to have
3 a preferential predisposition for one place or the other,
4 but let the geology tell us.

5 In this instance we felt that we had sufficient,
6 more than adequate protection, both above and below the
7 disposal zone such that we had impermeable rock layers that
8 would protect the Capitan Reef. We don't think we are in
9 the reef, but in any event, we will have sufficient
10 protection below and above to ensure that we contain the TAG
11 in the manner represented.

12 We felt that because of the absence of production
13 in this area, the well to the east that we spoke about
14 watered out quickly. There is no production in any close
15 interval, so we were satisfied there.

16 We felt that the sandy nature of the permeability
17 aspect of this area really made it the ideal receptor for
18 this TAG, so we went there. And when we got there, we found
19 out the generalized objections as we have seen in the OCD
20 Exhibit 2, and we understand that, and appreciate that.

21 But there have been some issues. On the hand you
22 can say there's generalized issues. Does that mean that
23 disposal in the Delaware is always inappropriate? You can't
24 say that. Not sure if you can say it's always appropriate.
25 It should be based on the facts of the particular

1 application.

2 But nonetheless we understand that, and the last
3 thing we want to do is affect correlative rights or create
4 waste or cause harm to human health or environment.

5 So we reached out after the objections were filed
6 with both the State Land Office and the OCD. I must say we
7 had very productive conversations with the OCD, and they
8 listened, and we listened and came to an arrangement without
9 much haggling. Because we knew that if that's the result
10 they want, we accept that, and we appreciate that, and we
11 want to participate in that as a good corporate citizen.

12 So we are going to go forward with these special
13 conditions and submit our application for the redundant well
14 as soon as possible, and transfer our primary disposal
15 operations to that well and use this as a redundant well.

16 The OCD will, because it's AGI, they will receive
17 quarterly reports on what is being disposed of, and
18 certainly we have a good working relationship at all times
19 and would inform them of our intentions without simply doing
20 it.

21 So we will monitor this very closely. We think
22 there is very little chance of affecting any correlative
23 rights, and certainly of anything of that nature and fresh
24 ground water sources or anything else or in the Capitan
25 Reef, we want to be fully protective of that.

1 From a human health and environment standpoint,
2 this is the ideal solution. And it's unfortunate this
3 is -- we don't have a perfect solution for the disposal of
4 oil field waste. We have to do the best we can with the
5 data we have, and under these circumstances, the handling of
6 H2S is extremely dangerous. It can be. If it actually
7 happens, it's unforgiving, as Mr. Perilloux said, totally
8 unforgiving. So we want to make sure we are doing that in
9 the most environmentally sensitive and beneficial way we
10 can.

11 The added benefit here is the sequestration of
12 CO2. We are very proud of that, because that's going to go
13 a long way to helping with our environment. So I think -- I
14 think you got the impression from Mr. Perilloux, I could
15 certainly vouch for him, but I don't think I need to, he
16 knows exactly what he is doing in this company. And they
17 are a very sound operator, and they take it very seriously.

18 And their commitment to New Mexico has been
19 shown. Their commitment to human health and environment has
20 been shown, and they basically agreed to all conditions that
21 are reasonable -- reasonably imposed on them.

22 We have had no issue at all with the State Land
23 Office. We thought they raised some very good points. We
24 have no issue at all with the OCD. I think we might have
25 met with them two or three times, and we resolved

1 everything. And that's the way we are going to go forward
2 here.

3 And we know there is a preference not to be here,
4 I get that, in Delaware, but under these circumstances the
5 data established that we should be here. But regardless,
6 because we know there is uncertainty, the conditions will
7 take care of any concerns that we have.

8 So with that, Commissioners, we respectfully
9 request that you grant the permit application and issue the
10 permit with the conditions agreed to by the parties.

11 CHAIRWOMAN SANDOVAL: Thank you. If it wishes,
12 the Land Office may now make a closing argument.

13 MS. ANTILLON: I would just reiterate what I had
14 presented during my opening statement, that we would ask
15 that the Commission accept the application, but subject to
16 those special conditions that we had agreed to.

17 CHAIRWOMAN SANDOVAL: The Division may now make a
18 closing argument if it wishes.

19 MR. AMES: The only thing I would add, Madam
20 Chair, we second what the State Land Office just said, I
21 think that's clear from our testimony. Mr. Goetze made
22 clear his concerns of OCD regarding potential impacts of DMG
23 wells and correlative rights and on public health,
24 environment, the possibility of waste.

25 And he also made clear in his testimony that we

1 believe these conditions will adequately address those
2 concerns and ensure that OCD and the OCC complies with its
3 statutory obligations. Thank you.

4 CHAIRWOMAN SANDOVAL: The record of this
5 application hearing is now closed. The Commission will
6 immediately deliberate to reach a financial decision on the
7 application pursuant to the Administrative Adjudicatory
8 Deliberations Exception, the Open Meetings Act, Section
9 10-15-1(H)3, the Commission may deliberate in closed
10 session.

11 I will entertain a motion to go into closed
12 session.

13 COMMISSIONER ENGLER: I move the meeting closed
14 pursuant to the Administrative Adjudicatory Deliberations
15 Exceptions to the Open Meetings Act, Section 10-15-1(H)3 to
16 deliberate Case Number 20405.

17 MR. LOZANO: Actually, 20780.

18 COMMISSIONER ENGLER: I read it as it was
19 written.

20 CHAIRWOMAN SANDOVAL: May I have roll call?

21 COMMISSIONER ENGLER: Take a second.

22 CHAIRWOMAN SANDOVAL: May I have a second to the
23 motion to go into --

24 COMMISSIONER KHALSA: Second.

25 CHAIRWOMAN SANDOVAL: May I have a roll call?

1 MS. DAVIDSON: Chair Sandoval?

2 CHAIRWOMAN SANDOVAL: Yes.

3 MS. DAVIDSON: Commissioner Engler?

4 COMMISSIONER ENGLER: Yes.

5 MS. DAVIDSON: Commissioner Khalsa?

6 COMMISSIONER KHALSA: Yes.

7 CHAIRWOMAN SANDOVAL: We will now go into closed
8 session at 2:23.

9 (Commission in closed session.)

10 CHAIRWOMAN SANDOVAL: The Commission is back in
11 open session and on the record. The current time is 3:26.

12 Let the record show that the matters discussed
13 during the closed session were limited only to those
14 specified in the motion for closure and that no votes or
15 official actions were taken.

16 I will entertain a motion to adopt the proposed
17 order as amended during closed session.

18 COMMISSIONER ENGLER: Madam Chair, I move that we
19 approve the C-108 application submitted by Salt Creek
20 Midstream LLC for construction and use of the AGI well
21 described in the application under the special conditions
22 stated in the applicant's Exhibit 2 with the following
23 amendments:

24 Under special conditions 1 through 4 shall be
25 stated as written.

1 5A and C shall also be stated as written.

2 Under 5D shall be added stating, once the
3 Devonian well commences injection, SCM will notify in
4 writing the Engineering Bureau of the OCD when primary
5 injection is transferred between the Devonian and DMG well.

6 Also under special condition 6 and 7 they also
7 shall stay as written.

8 Under standard conditions, Number 1, we shall
9 require an MIT annually, conditioned to the word annually.

10 2 through 7 shall be stated as written.

11 Number 8 shall require that the biocide component
12 include biocide corrosion inhibiting diesel.

13 9 through 10 shall be stated as written.

14 Under Number 11 shall also state that the plan
15 shall include a contingency plan for impacted gathering
16 lines with a GIS mapping layer also subject to OCD approval.

17 It shall also be stated that operator will also
18 prepare a response plan if the DMG well is temporarily
19 inactive for any period prior to the Devonian well
20 commencing injection. This response plan is subject to
21 OCD's approval.

22 12 shall stay as written.

23 13 shall state that operators shall also submit
24 core data if applicable.

25 14 and 15 stay the same as written.

1 Number 16 shall be amended to require reporting
2 after the fifth year of injection. Reports shall include
3 seismic model and an in-person presentation of the report
4 shall be provided to the Commission at its request.

5 The following additional conditions shall be
6 included:

7 In the event SCM transfers ownership of the well,
8 SCM shall seek approval of such change in ownership from the
9 Division pursuant to 19.15.9.9 NMAC.

10 Number 2, after 30 years from the date of the
11 Commission's order in this case, the authority granted by
12 the order shall terminate unless applicant or its successor
13 in interest shall make application before the Commission for
14 extension and authority to inject.

15 And the last quick item for the purpose of all
16 the proposed order, any reference to the OCD in these
17 conditions shall refer to the OCD Engineering Bureau here in
18 Santa Fe.

19 That's it.

20 CHAIRWOMAN SANDOVAL: Can I have a roll call
21 vote -- oh, can I have a second to --

22 COMMISSIONER ENGLER: Approve the --

23 CHAIRWOMAN SANDOVAL: -- approve the motion? Do
24 I have a second?

25 MS. DAVIDSON: Do you have a second?

1 CHAIRWOMAN SANDOVAL: Is there a second
2 to approve the amendment?

3 COMMISSIONER KHALSA: Yes.

4 CHAIRWOMAN SANDOVAL: Can I have a roll call
5 vote, please?

6 MS. DAVIDSON: Chair Sandoval?

7 CHAIRWOMAN SANDOVAL: I approve the amendment.

8 MS. DAVIDSON: Commissioner Engler?

9 COMMISSIONER ENGLER: I approve.

10 MS. DAVIDSON: Commissioner Khalsa?

11 COMMISSIONER KHALSA: I approve.

12 CHAIRWOMAN SANDOVAL: Thank you.

13 MR. LOZANO: Just a couple of things. I think
14 first for the OCD, just for future purposes, the changes
15 that we made to the standard conditions, the OCD should
16 expect that those will be added to the standard conditions
17 in the future, so just for your knowledge.

18 And then I think the professor wanted to make a
19 statement with regard to the information that was provided
20 today.

21 COMMISSIONER ENGLER: Oh, yeah. We have had a
22 really good discussion on certain items in terms of data,
23 some uncertainty analysis, and what I would like to see is
24 to at least have that included in any subsequent type of
25 actions or requests in terms of AGI.

1 I think we are all on board that we do have a lot
2 of uncertainty, so for me I would like to see a little more
3 of that fleshed out in any of the presentations.

4 For me, that's just -- I want to give you like a
5 heads-up, you know, you have heard me say this, I would like
6 to have that, kind of a better description of some of these
7 in the future. That's it.

8 CHAIRWOMAN SANDOVAL: All right. We will move
9 on to -- oh, gosh, yeah, I forgot about that part.

10 Counsel, please draft an order for the committee
11 to review at the January 16 hearing in 2020.

12 Now we will move on to Item Number 6.

13 (Agenda Item 5, Case Number 20780 concluded at.

14 3:28 p.m.)

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 REPORTER'S CERTIFICATE

5

6 I, IRENE DELGADO, New Mexico Certified Court
7 Reporter, CCR 253, do hereby certify that I reported the
8 foregoing proceedings in stenographic shorthand and that the
9 foregoing pages are a true and correct transcript of those
10 proceedings that were reduced to printed form by me to the
11 best of my ability.

12 I FURTHER CERTIFY that the Reporter's Record of
13 the proceedings truly and accurately reflects the exhibits,
14 if any, offered by the respective parties.

15 I FURTHER CERTIFY that I am neither employed by
16 nor related to any of the parties of attorneys in this case
17 and that I have no interest in the final disposition of this
18 case.

19 Dated this 11th day of December 2019.

20

21

Irene Delgado, NMCCR 253
License Expires: 12-31-19

22

23

24

25