

STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

CASE NO: 20965

APPLICATION OF EOG RESOURCES, INC.
FOR A GAS CAPTURE PILOT PROJECT INVOLVING
THE OCCASIONAL INJECTION OF PRODUCED GAS INTO
THE BONE SPRING FORMATION,
LEA COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING
December 12, 2019
SANTA FE, NEW MEXICO

This matter came on for hearing before the New Mexico Oil Conservation Division, EXAMINERS LEONARD LOWE, DEAN McCLURE, DYLAN COSS and LEGAL EXAMINER ERIC AMES, on Thursday, December 12, 2019, at the New Mexico Energy, Minerals, and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

Reported by: Irene Delgado, NMCCR 253
PAUL BACA PROFESSIONAL COURT REPORTERS
500 Fourth Street, NW, Suite 105
Albuquerque, NM 87102
505-843-9241

1 A P P E A R A N C E S

2 FOR THE APPLICANT:

ADAM RANKIN

3 HOLLAND & HART

110 North Guadalupe, Suite 1

4 Santa Fe, NM 87501

505-954-7286

5

FOR MARATHON OIL PERMIAN LLC:

6 DEANA BENNETT

MODRALL SPERLING ROEHL HARRIS & SISK PA

7 500 4th Street, NW, Suite 1000

Albuquerque, NM 87102

8 505-848-9710

deana.bennett@modrall.com

9

FOR BTA OIL PRODUCERS:

10 JAMES BRUCE

P.O. Box 1056

11 Santa Fe, NM 87504-1056

505-982-2151

12 jamesbruce@aol.com

13

INDEX

14	CASE NO. 20965 CALLED	04
	TAKEN UNDER ADVISEMENT	103
15	REPORTER CERTIFICATE	104

16

WITNESSES

17 DAVIS LUNSFORD

Direct by Mr. Rankin 05

18 Examiner Questions 23

19 CHARLES BASSETT

Direct by Mr. Rankin 27

20 Examiner Questions 34

21 BRICE A. LETCHER

Direct by Mr. Rankin 35

22 Examiner Questions 56

Redirect by Mr. Rankin 66

23

JENNA HESSERT

24 Direct by Mr. Rankin 68

Examiner Questions 76

25

1	DAVID CARLOS MACOSSAY SONKA	
	Direct by Mr. Rankin	79
2	Examiner Questions	95
3	EXHIBIT INDEX	
4		Admitted
5	Exhibits 1-4 (And any attachments)	23
6	Exhibits 5-8 (And any attachments)	34
7	Exhibits 9-16 (And any attachments)	56
8	Exhibit 17 (And any attachments)	76
9	Exhibits 18 and 19 (And any attachments)	94
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 HEARING EXAMINER COSS: I'm going to call us to
2 order again. The Division would now like to hear Case
3 Number 20965. Call for appearances.

4 MR. RANKIN: Good afternoon, Mr. Examiner. Adam
5 Rankin appearing in this case on behalf of the applicant,
6 EOG Resources Incorporated. We have five witnesses today.

7 HEARING EXAMINER COSS: Any other appearances?

8 MS. BENNETT: Good afternoon. Deana Bennett on
9 behalf of Marathon Oil Permian LLC.

10 MR. BRUCE: Mr. Examiner, Jim Bruce representing
11 BTA Oil Producers LLC. I have no witnesses, and I would ask
12 that I be excused so that I can save myself time and my
13 client money.

14 HEARING EXAMINER COSS: You're excused as long as
15 Mr. Rankin agrees.

16 MR. BRUCE: My client has spoken with EOG.

17 MR. AMES: I don't think Mr. Rankin has the right
18 to require Mr. Bruce to be present, so it's all good.

19 MS. BENNETT: Just for the record, I don't have
20 any witnesses, either, on behalf of Marathon, and I don't
21 intend to ask any questions.

22 MR. AMES: Very well. Thank you.

23 HEARING EXAMINER COSS: At this point then I
24 would ask that the witnesses in Case Number 20965 to stand
25 and be sworn in.

1 (Oath administered.)

2 MR. RANKIN: Thank you, Mr. Examiner. May it
3 please the Division, I would like to call our first witness
4 in this case, Mr. Davis Lunsford. Watch the wire.

5 DAVIS LUNSFORD

6 (Sworn, testified as follows:)

7 DIRECT EXAMINATION

8 BY MR. RANKIN:

9 Q. Will you state your full name for the record.

10 A. Davis Lunsford.

11 Q. By whom are you employed?

12 A. EOG Resources

13 Q. And in what capacity do you work for EOG?

14 A. I'm a senior facilities engineer in the Midland
15 Division.

16 Q. Have you previously testified before the Oil
17 Conservation Division?

18 A. No, sir.

19 Q. Would you please review for the Examiners your
20 education and work experience as a facilities engineer?

21 A. Yes. So starting with education, I graduated
22 from Baylor University with a degree in mechanical
23 engineering. While I was at Baylor University, I had an
24 internship with BP working as a mechanical reliability
25 engineer for an offshore platform.

1 Immediately after graduation I went to work for
2 EOG in our Ft. Worth division, where I worked on various
3 facilities and pipeline design and construction projects.

4 And then in March of 15 I moved to the Midland
5 Division where I have had some experience in the field as a
6 production completion and drilling engineer, and then my
7 current role as a facilities engineer where I design and
8 construction for a geographic area for transportation and
9 process equipment.

10 **Q. Mr. Lunsford, are you familiar with the**
11 **application that was filed in this case?**

12 A. Yes, sir.

13 **Q. Have you conducted a review on how to design and**
14 **plan the project that EOG is seeking approval for today?**

15 A. Yes, sir.

16 MR. RANKIN: Mr. Examiner, at this time I would
17 ask Mr. Lunsford be -- I tender Mr. Lunsford as an expert in
18 facilities engineering and ask that he be recognized as
19 such.

20 MS. BENNETT: No objection. If I may, I will
21 just make a standing no objection to any of his witnesses.
22 Thank you.

23 HEARING EXAMINER COSS: The witness is so
24 recognized.

25 MR. RANKIN: Thank you so much, Mr. Examiner.

1 BY MR. RANKIN:

2 Q. Mr. Lunsford, as an initial matter, would you
3 briefly state what it is that EOG is seeking today from the
4 Division with this application?

5 A. Yes, sir. EOG is seeking permission to
6 temporarily inject gas into a producing well during periods
7 of gas market interruptions, and then to produce that gas
8 through existing production facility equipment when the
9 market interruptions are over.

10 Q. Now, just to be clear, what you are asking for
11 here is injections of only small volumes for a very
12 temporary period of time and only during those market
13 interruption periods?

14 A. That's right. This would be during market
15 interruptions, which would be intermittent and minority of
16 the time.

17 Q. If you would, referencing what I'm going to put
18 up here on the screen, and what is before in your exhibit
19 packet, what's been marked Exhibit Number 1, will you just
20 explain for the Examiners what a market interruption is,
21 what you mean by that term. And then just reference this
22 exhibit and the diagram and explain how -- what happens to
23 EOG when there is such a market interruption.

24 A. Yes, sir. So this exhibit shows EOG's gathering
25 system as it exists today, EOG's infrastructure. And so

1 starting at the production facilities shown. Gas is
2 gathered from surrounding wells to production facilities
3 where the oil, gas and water are separated.

4 The oil and water are stored and then transported
5 away from production facility. And the gas is metered
6 through meters shown with those blue boxes, and then it
7 leaves the lease and enters EOG's gas gathering system shown
8 with the red lines. And the gas flows through the gas
9 gathering system to an EOG-owned compressor station where
10 the boost -- where the gas is boosted in a compressor that's
11 shown with the triangular shape, boosted to the pressure
12 needed to deliver to a third-party purchaser. The gas is
13 metered through a custom meter shown with the blue rectangle
14 and then on to a third party.

15 So when I talk about an interruption, I'm talking
16 anything in this system or further downstream on a third-
17 party system that would prevent the flow of gas.

18 And so EOG has worked to improve the reliability
19 of its systems, the production facilities, the gas gathering
20 system and the compressor station to the point where now the
21 largest source of interruptions is not on EOG systems, but
22 on third-party systems. And so when those interruptions
23 occur, we lose the ability to sell the gas, and, as a
24 result, wells are either flared or shut in.

25 **Q. Tell me a little bit about EOG's current status,**

1 current ability to -- current rate of gas capture at its
2 production facilities, and explain, if you would, to the
3 examiners how this project will aid in the ability to
4 further improve the gas capturing abilities.

5 A. Yes, sir. By improving the reliability of EOG's
6 systems, we have increased our gas capture rate to year to
7 date to around 99 percent, and I think that's competitive
8 with just about anyone in the industry. And so as we think
9 about how to improve it further, we are really targeting --
10 we want an options to respond to what we have previously
11 been unable to respond to, which is the third-party
12 interruptions. And the idea that we have come up with that
13 we are calling closed loop gas capture is what we are here
14 to talk about today.

15 Q. Explain a little bit more about why it is that
16 EOG, in addition to increasing its gas capture percentage
17 and ability, why is it EOG is looking to temporarily inject
18 gas in this type of project?

19 A. Sure. So you know the gas capture percentage is
20 just a metric used to reflect flaring, and so the goal here
21 is to reduce flaring and to avoid waste that occurs either
22 by flaring or by not being able to operate the wells as we
23 desire and having to shut in at times we don't want to shut
24 in.

25 Q. The only alternative here to shut in is flaring,

1 so you are trying to avoid either one of those detrimental
2 outcomes, and that's the ultimate goal?

3 A. Correct.

4 Q. Now, let's talk about, this is a generalized view
5 of what the current system is. Let's talk about what is EOG
6 is proposing here in a general case.

7 Looking at Exhibit 2, what's been marked as
8 Exhibit 2 in your packet, just review for the Examiners what
9 this next exhibit shows and what each of the pictures
10 represent.

11 A. Yes, sir. Exhibit 2 is a diagram that includes
12 what we have previously seen in Exhibit 1, but it's zoomed
13 out further and it includes the system that we are
14 proposing.

15 So again, gas flows from the production
16 facilities, and they are in the middle of the page, through
17 the EOG gas gathering system, to the compressor station, and
18 when that third party interruption occurs, what's new that
19 we are proposing is shown here with the blue lines.

20 So that would be a valve, when that third party
21 interruption occurs, we would open a valve, flow gas through
22 a pipeline, through an injection meter, and to a nearby
23 well. We would inject gas into that well during the time
24 period of the interruption so that we can continue to
25 produce the wells throughout the field.

1 And then when the interruption is over and the
2 third party is back up and running, we will open the well,
3 reproduce the gas from the well to the production facility,
4 through the production facility and back into the EOG gas
5 gathering system, closing the loop, and allowing that gas to
6 ultimately move to the third-party purchaser.

7 Q. So just to be clear, where you are proposing to
8 put the control valve to divert gas during a third-party
9 interruption, it would be upstream from the custody transfer
10 meter in your system?

11 A. Yes, sir.

12 Q. Now, this is a -- the generalized idea, and now
13 for this specific pilot project, you have something that's
14 slightly different that you are proposing and seeking
15 authority for; is that right?

16 A. That's right. So to implement this project we
17 have to lay the blue pipeline from a compressor station to a
18 nearby well, but if you will reference Exhibit 3, we --
19 this looks a lot like something we currently do which is gas
20 lift.

21 So in the Midland Division, we have two types of
22 compressor stations. The first is a sales compressor
23 station like we discussed before that exists to take gas
24 from the EOG gathering system, boost it to the pressure unit
25 to deliver to a third party.

1 We also have compressor stations that we call
2 localized gas lift stations or LGLs. Those exist to gather
3 gas from the EOG gas gathering system and deliver it to
4 nearby wells for gas lift, a form of artificial lift, to
5 increase the well's production.

6 So what we would like to do for a pilot project
7 is to mimic the -- mimic the process of closed loop gas
8 capture with an LGL station. So we currently have a
9 compressor station, and from the compressor station a
10 pipeline to a nearby well, and that pipeline currently
11 exists for the purpose of gas lift, and again will mimic the
12 closed loop gas capture with that pipeline and that's shown
13 here in purple.

14 So this line that exists from an LGL compressor
15 station to a nearby well for the purpose of gas lift will be
16 used for our test pilot project. And really the only, the
17 only difference you will see from surface between gas lift
18 and this project is it will close the production valve
19 during the injection period.

20 **Q. That valve will be on that -- the wellhead. Will**
21 **you indicate where the injection well is on this diagram so**
22 **the Examiners are clear?**

23 A. Yes. The well is here in the middle of the page
24 shown in this section labeled wellpad, and the production
25 valve is the valve that allows the flow from the wellhead to

1 the production facility on the left side of the page.

2 Q. The only difference between what EOG is proposing
3 for approval in this case and what the generalized concept
4 would be for future cases is that rather than having a
5 control valve off the gas transfer meter where it's
6 indicated on the compressor station, you are going to have
7 an existing line off the LGL compressor station?

8 A. That's right. In full development where we will
9 need a new outlet is at the sale station where the
10 disruptions are occurring.

11 Q. The only reason you are not doing that now is
12 because you have to extend that pipeline and pay, you know,
13 have to implement that additional pipeline where you already
14 have this pipeline existing?

15 A. Correct.

16 Q. Okay. Now, you mentioned the term gas lift. And
17 I would -- if you would just briefly take a moment to
18 explain and make clear what gas lift is and how EOG is
19 currently using gas lift as part of its production strategy?

20 A. Yes, sir. So gas lift is an artificial lift
21 method where you inject gas into the wellbore to lighten
22 the -- the gradient from the tubing, and, and decrease the
23 bottom hole pressure. So it's very common for EOG. It's
24 our most dominant form of artificial lift in the Midland
25 Division. It's something we do on hundreds of wells.

1 Q. Okay. So the only difference between a gas lift
2 type of operation which you are currently using in hundreds
3 of wells across the basin and what you are proposing here is
4 what exactly?

5 A. So we will inject into the well with the
6 production valve closed. So the difference -- that will
7 result in the difference of gas lift usually travels down
8 the well and then back up and circulates within the
9 wellbore. This gas will exit the wellbore and stay near the
10 wellbore in the fracture network, and then the recovery will
11 just happen later when the disruption is over and we open
12 the well.

13 Q. Let's talk about this more with witnesses later,
14 but the principal difference then is really not in the
15 construction of the wellbore itself, but in its operation.

16 A. That's right. Yes, sir.

17 Q. And you are going to be -- we will talk about
18 that with another witness, but just to be clear, this is a
19 process that EOG is familiar with and implementing it across
20 many of its wells, but the only difference being
21 operationally how, how the well is being operated?

22 A. Yes, sir.

23 Q. Okay. Now, just to be clear, this -- this
24 proposal here is targeting one pilot project well; is that
25 correct?

1 A. That's right.

2 Q. Where is the well you are targeting here that you
3 are seeking approval for?

4 A. The Caballo 23 Fed Number 2.

5 Q. Where is that well located, approximately?

6 A. Section 23 of Lea County.

7 Q. And we will talk about that in more detail when
8 we talk with another witness and identify the specific
9 location. Now, has EOG, prior to this hearing, did EOG meet
10 with the Division to review this proposed project?

11 A. We met with the Division a couple of times.

12 Q. What was the purpose of that meeting?

13 A. The purpose of that meeting was really to seek
14 the Division's guidance on how to move forward, number one,
15 operationally; but, number two, from a regulatory
16 perspective since this project currently falls outside of
17 kind of established regulatory frameworks.

18 Q. With the idea being that the regulations address
19 certain types of injection, but this type of injection is
20 not directly addressed in any of the regulations for
21 injection; is that correct?

22 A. Yes, sir.

23 Q. So therefore you were seeking a pathway forward
24 for approval from the Division where there wasn't a clear
25 regulatory path in the Division's regulations?

1 A. That's right.

2 Q. So in addition to the Division, who else -- did
3 you meet with any other regulatory agency?

4 A. We have. We met with the BLM a couple of times,
5 and with the Land Office. They are both aware of the
6 project, supportive of the project and aware of this
7 hearing.

8 Q. Now, as a result of the meeting with the
9 Division, did the Division director send EOG a letter
10 outlining conditions and information that the Division
11 wanted to see in order to approve a project such as you are
12 proposing?

13 A. Yes, sir.

14 Q. Has that been marked in your exhibit packet as
15 Exhibit Number 4?

16 A. Yes, sir.

17 Q. Now, looking at Exhibit Number 4, you have
18 already addressed some of the issues that the Division
19 requested that EOG prepare and present. You have already
20 discussed the project description generally. Is that
21 correct?

22 A. Yes, sir.

23 Q. Look here on Page 1 of the exhibit and just below
24 where the heading project description, there is an item that
25 says duration. What is EOG's proposal for how long it

1 intends to take to implement this pilot project and when it
2 believes it will have sufficient data to determine its
3 viability?

4 A. Yes, sir. Our current time line is one to four
5 months to install the process and production equipment
6 needed, and another one to four months to test various
7 injection scenarios. So that would put us reporting back to
8 the Division in approximately eight months, which is within
9 the one-year guidance that we received.

10 Q. Okay. Now, there is other topics in here that we
11 will describe about what line of reporting is to be done,
12 and we will address that later in just a moment, but as to
13 the viability, if EOG determines that this project is
14 viable, does EOG then intend to seek to implement this type
15 of project in other wells across the basin in New Mexico?

16 A. Yes, sir. We would consider implementing this
17 anywhere we have sales compressor stations where we might
18 experience market disruptions.

19 Q. You know other witnesses are here today to
20 address other aspects of the Division's requests and
21 conditions. Looking at Exhibit Number 4, Mr. Lunsford, if
22 you go to the second page, you will see an outline here of
23 some additional items that the Division has requested EOG
24 address.

25 Will you be addressing items Roman Numeral IV

1 through IX on that list -- not that group, sorry. You will
2 be addressing the headings titled Monitoring, Reporting,
3 Corrective Action, and Post-Project Report?

4 A. That's correct.

5 Q. Didn't mean to throw you a curve ball there. So
6 let's go ahead and jump down to the monitoring portion of
7 your testimony.

8 The Division has asked that EOG install certain
9 monitoring equipment and so forth. Will you please just
10 review what EOG's plans are for meeting those conditions and
11 requirements?

12 A. Yes, sir. We want to collect any data that will
13 really influence the safe operation of this project. So, if
14 you will, turn back maybe to Exhibit 3, the diagram. To
15 highlight a few areas where we will monitor, not all of the
16 areas we'll monitor, but some of those relevant ones, we'll
17 -- we'll be monitoring our volumes and pressures and rates
18 through our injection gas meter shown there in the middle of
19 the page near the wellpad.

20 We'll monitor casing and tubing pressure on the
21 well, and also casing and tubing pressure on adjacent wells.
22 We'll monitor the production rates, oil, gas and water rates
23 through the facility. We'll monitor pressures in the
24 facility. We'll also have automatic shutdowns on the well
25 itself so that we can shut the well in remotely either

1 automatically or from a manned EOG control room, 24-7
2 control room that we will be watching this operation.

3 We will also have automatic shutdowns on our
4 compressors, for instance, in case our injection pressure
5 starts to rise, we will have an automatic shut down on our
6 compressor, and we will talk more about where we set those
7 shutdowns and why.

8 **Q. Now, Mr. Lunsford, you mentioned that this is**
9 **going to be monitored remotely. What type of systems will**
10 **you have in place to actually do the monitoring? What type**
11 **of equipment is it that will be testing, keeping track of**
12 **all the information?**

13 **A. Yes, sir. So this will be coming in through our**
14 **SCADA system, which is a system to collect, store and**
15 **display information from instruments in the field, and**
16 **that's essentially live.**

17 **Q. So it's real time monitoring and it will be**
18 **visible at the -- through your Midland data center, and then**
19 **also be -- the alarm should be set so your personnel will**
20 **realize there is issues and can go to the field?**

21 **A. Yes, sir.**

22 **Q. What's the typical response time when an issue**
23 **arises through a monitoring system for personnel to actually**
24 **arrive in the field?**

25 **A. So these are, any alarms that we get in the**

1 control room, the control room operators are trained to
2 direct the response, and we usually measure that response in
3 minutes rather than hours.

4 Q. Okay. Now, let's talk about the next topic
5 here -- and is everything that's been -- that was requested
6 of EOG under the heading -- under the Monitor heading in
7 Exhibit 4?

8 A. Yes, sir.

9 Q. Moving down to the heading under Reporting, the
10 Division is asking EOG to submit a C-115 each month. Will
11 you just review the reporting information and data that EOG
12 intends to submit to the Division every month?

13 A. Yes, sir. We will submit the standard C-115
14 which will show production and injection and any other data
15 that we think is helpful to understand the project.

16 Q. Okay. So EOG will keep track of when it's
17 injecting, when it's producing and report the volumes
18 injected and produced every month?

19 A. Yes, sir.

20 Q. And any other volumes or data and pressure data
21 that the Division requests?

22 A. Yes, sir.

23 Q. Okay. Looking at the next heading under
24 Corrective Action, what plans does EOG have in place to
25 respond to the potential engineering and/or environmental

1 **issues that may arise during operation of this pilot**
2 **project?**

3 A. Yes, sir. So multiple -- multiple ways to
4 respond to environmental and engineering emergencies. The
5 first is to prevent them, and we will do that through a
6 pre-startup safety review, design review, where it's common
7 for us as facility engineers to take every piece of this
8 process and look at it from a safety and reliability
9 standpoint, and first ensure ourselves of its safety and
10 reliability; and then, second, make sure the operators who
11 will be working on it understand it and know how to respond
12 to different scenarios.

13 We will also in our EOG 24-7 control room will be
14 watching this project and can direct any, any response
15 needed. And that will be based really on our EOG safe
16 practices manual, which is kind of the foundation of our, of
17 our safety culture, and then on monthly safety trainings
18 that all of our operators are required to go to.

19 And, again, I will just point out that, that this
20 is, this looks a lot like gas lift which is something that
21 we do very routinely, so the operators will be familiar with
22 really the dynamics of the project.

23 Q. So operate -- operationally and as a matter of
24 **personnel standpoint, this project is going to look like the**
25 **LGL gas lift projects that you guys are doing at hundreds of**

1 wells across the Basin already?

2 A. Yes, sir.

3 Q. How long, just so we know, how long has EOG been
4 using gas lift as a form of artificial lift?

5 A. Gas lift has been used as a form of artificial
6 lift for decades in the Midland Division. It's been the
7 predominant form of artificial lift since I have been with
8 EOG for the past five years.

9 Q. Thank you very much. Now, last topic to discuss
10 is the under the heading Post-Project Report on Page 2 of
11 Exhibit Number 4. And just, if you would, the Division has
12 identified numerous data and information that they would
13 like EOG to report on at the end of the project. Is EOG
14 prepared to submit a post-project report that addresses each
15 of those elements?

16 A. Yes, sir.

17 Q. Mr. Lunsford, were Exhibits 1 through 4 either
18 prepared by you under your direction and supervision or do
19 they consist of EOG business records?

20 A. Yes.

21 MR. RANKIN: At this time, Mr. Examiner, I would
22 move the admission of Exhibits 1 through 4 and pass the
23 witness.

24 HEARING EXAMINER COSS: Exhibits 1 through 4 are
25 so admitted.

1 (Exhibits 1 through 4 admitted.)

2 MR. RANKIN: Thank very much. No further
3 questions.

4 HEARING EXAMINER COSS: Examiner Lowe?

5 EXAMINER LOWE: Good afternoon --

6 THE WITNESS: Good afternoon.

7 EXAMINER LOWE: -- Mr. Lunsford, I have a few
8 questions for you.

9 In your -- in the latter part of your
10 presentation here you indicated environmental and
11 engineering concerns. What are your environmental and
12 engineering concerns?

13 THE WITNESS: Yes, sir. We have very few
14 environmental or engineering concerns, again, because this
15 is something similar to what we currently do. And some of
16 the key differences we have analyzed under the direction of
17 the Division, and I think that our reservoir engineer and
18 geologist and production engineer will go through this.

19 My point on environmental and engineering
20 emergencies is really that we are equipped to respond to
21 anything unforeseen.

22 EXAMINER LOWE: Okay. And you mentioned that
23 your installment would take one to four months?

24 THE WITNESS: Yes, sir.

25 EXAMINER LOWE: And then you mentioned, I think,

1 after that another, what was -- you indicated another one to
2 four months. What was that?

3 THE WITNESS: That's to test various injection
4 scenarios. So under full development, you know, the
5 injection rates and volumes will be determined by the
6 magnitude and duration of the market interruptions, so
7 however much, you know, market capacity we lose will kind of
8 dictate how much injection that we will be trying -- how
9 much we will be trying to inject in this well.

10 Again, that will be intermittently and a minority
11 of the time, but during that one- to four-month period, what
12 we will want to do is play with some combination of rates
13 and volumes in terms how long we inject and how quickly we
14 inject to really understand the response both during
15 injection and during recovery of that gas.

16 EXAMINER LOWE: Okay. You also mentioned that
17 you met with the OCD to discuss this prior to coming to, to
18 coming -- to starting it. Who did you meet with here in the
19 OCD, environmental or engineering?

20 THE WITNESS: The engineering bureau.

21 EXAMINER LOWE: Engineering bureau. Will Jones,
22 or who did you meet with?

23 THE WITNESS: I believe Will was there. I don't
24 remember.

25 EXAMINER LOWE: Okay.

1 THE WITNESS: I don't remember for sure.

2 MR. AMES: Leonard, I was there. Adrienne was
3 there as well.

4 EXAMINER LOWE: Okay. And your C-115 you
5 mentioned, but I guess that will be on our side. That is
6 all the questions I have for you. Thank you.

7 THE WITNESS: Thank you.

8 EXAMINER McCLURE: Yes. You mentioned that your
9 duration you are looking at is anywhere from two to eight
10 months. How long is EOG actually asking for the permit to
11 be extended to for this pilot project?

12 THE WITNESS: One year.

13 EXAMINER McCLURE: One year?

14 THE WITNESS: Yes, sir.

15 EXAMINER McCLURE: The other question I had, and
16 I'm not sure if you've talked about it yet and that is your
17 surface pressure I guess.

18 THE WITNESS: Yes.

19 EXAMINER McCLURE: Is that for another witness?

20 THE WITNESS: Another witness will -- both Brice,
21 our production engineer, and Carlos our reservoir engineer
22 will go and calculated that. The surface pressure we have
23 recommended is 3500 pounds, and that's -- to briefly kind of
24 frame how we selected that, it's to be low enough to ensure
25 the integrity of the wellbore, of the reservoir, and of the

1 surface equipment, but high enough to allow us to inject the
2 volumes and rates we anticipate we will need. But I figure
3 they will answer your questions more fully.

4 EXAMINER McCLURE: My only question in regards to
5 that, that maybe should be directed to you, as far as your
6 pipelines, your facilities, your compressor for your gas
7 lift, all of that is perfectly fine with the pressure you
8 have selected, obviously?

9 THE WITNESS: That's right. Our current sales
10 compressor station --

11 EXAMINER McCLURE: Well, you are going to use
12 your artificial gas lift compressor; is that correct?

13 THE WITNESS: That's correct.

14 EXAMINER McCLURE: Is that what you are referring
15 to? I'm sorry, go ahead.

16 THE WITNESS: Yes. So when we are in full
17 development with the sales compressor station or during the
18 pilot project with the localized gas lift compressor, the
19 equipment currently on the ground won't even allow us to get
20 to 3500 pounds. That equipment is good to discharge
21 pressure of roughly 1440.

22 And so if we do see the need to increase above
23 our current capacity, to something under 3500 pounds, we can
24 do that with a booster compressor on site, and the slot for
25 that booster compressor is shown on Exhibits 3 and -- 2 and

1 3.

2 EXAMINER McCLURE: Okay, I'm with you. So
3 initially you will try to run up to 1400 PSI, and if needed
4 to get the results you are looking you are looking for you
5 may put another booster compressor on site itself. Is that
6 correct?

7 THE WITNESS: Yes, sir.

8 EXAMINER McCLURE: Okay. I don't think I have
9 any more questions for this witness. Thank you.

10 HEARING EXAMINER COSS: I don't have any
11 questions. Do you have any redirect?

12 MR. RANKIN: I have absolutely none. Thank you
13 very much, Mr. Examiner. I ask that Mr. Lunsford be excused
14 so I can call our second witness.

15 HEARING EXAMINER COSS: Mr. Lunsford may be
16 excused.

17 MR. RANKIN: Mr. Examiner, at this time I would
18 ask that Mr. Charles Bassett take the stand.

19 CHARLES BASSETT

20 (Sworn, testified as follows:)

21 DIRECT EXAMINATION

22 BY MR. RANKIN:

23 Q. Good afternoon, Mr. Bassett. Will you please
24 state your full name for the record.

25 A. Charles Bassett.

1 **Q. By whom are you employed?**

2 A. I'm employed by EOG Resources, Midland Division,
3 as a landman, Permian Basin.

4 **Q. Have you previously testified before the**
5 **Division?**

6 A. Yes, I have. I've testified several times before
7 the Division.

8 **Q. For the Examiners, briefly recount your education**
9 **and relevant work experience as a landman.**

10 A. Sure. Bachelor's in business in 1998, followed
11 by a master's in business in 2008, Texas A & M University
12 Commerce. And EOG, let's see, I have worked there the last
13 three years. Prior to that, ten years with Williams
14 companies, which was Barnett Shale, followed by San Juan
15 Basin, followed by Permian Basin. I can keep going, but
16 that's kind of all I remember.

17 **Q. That's a good high level of accounting your**
18 **experience as a landman. You are familiar with the**
19 **application filed in this case?**

20 A. I am.

21 **Q. Did you conduct a study of the lands that are the**
22 **subject of the pilot project and any of the offsetting**
23 **proposed injection area?**

24 A. Yes.

25 MR. RANKIN: At this time, Mr. Examiner, I would

1 retender Mr. Bassett as an expert in petroleum land matters.

2 HEARING EXAMINER COSS: He is so recognized.

3 MR. RANKIN: Thank you very much.

4 BY MR. RANKIN:

5 Q. Mr. Bassett, will you please review for the
6 examiners what has been marked as number, Exhibit Number 5
7 and orient the Examiners to the general location of this
8 proposed pilot project?

9 A. Sure. So Exhibit Number 5 is an overview map
10 identifying the Caballo, the area where the Caballo 23 Fed
11 Number 2H Well is. It's located in Section 23 of Township
12 25 South, Range 33 East, Lea County, New Mexico.

13 Q. And, Mr. Bassett, you are familiar with the
14 letter that the Division sent to EOG outlining it's
15 requirements for approval of this pilot project?

16 A. I am.

17 Q. You're aware the Division asked EOG to identify
18 parties entitled to notice in accordance with this injection
19 rule?

20 A. I am, yes.

21 Q. Have you undertaken a study to identify all
22 parties within the half mile area of review surrounding
23 those injection wells?

24 A. I have.

25 Q. Will you review for the Examiners what Exhibit 6

1 **shows?**

2 A. So Exhibit 6 here is the -- it depicts the
3 half-mile radius of notice around the Caballo 23 Fed 2H
4 Well, and it also identifies the operators within each tract
5 within that half-mile radius of notice by color.

6 Q. So following the Division's regulations to
7 **identify in the hierarchy of affected parties, you have**
8 **identified the operators of each tract as being parties**
9 **entitled to notice for purposes of this hearing?**

10 A. That's correct.

11 Q. And are those parties identified in the minute
12 **type in the top left corner of the exhibit?**

13 A. That's correct.

14 Q. And those parties, for the Examiners who can't
15 **see, who are those parties?**

16 A. Those parties are EOG and BTA and XTO. XTO is
17 considered orange. I can't really tell.

18 Q. **It changed colors.**

19 A. Excuse me. I forgot I had this line. So XTO is
20 in Section 15. BTA is 22 and 27, and then -- yeah, that's
21 right. EOG, of course, is 14, 23 and 25. EOG is also in 15
22 as well.

23 Q. Okay. So let's talk about the land in tracts
24 **that EOG operates. Is EOG 100 percent working interest**
25 **owner in those tracts identified in this map?**

1 A. That is correct.

2 Q. Okay. And now, as to Section 15 where it
3 references XTO, does EOG in fact own -- is it the operator
4 for the shallower depths down in top of the base of the
5 Wolfcamp?

6 A. Yes, EOG is the operator for those depths.

7 Q. And XTO is operator for the depths below the
8 Wolfcamp?

9 A. That's correct.

10 Q. Now, the portion that EOG is the operator, those
11 are below the stratigraphic equivalent of this pilot
12 project; is that correct?

13 A. Repeat that.

14 Q. EOG -- I'm sorry -- EOG -- I'm sorry. XTO is the
15 operator in depths in Section 15 below the stratigraphic
16 equivalent of this pilot project?

17 A. That's correct.

18 Q. But EOG had noticed them out of abundance of
19 caution as well?

20 A. That's correct.

21 Q. Now, as to the other sections, those are operated
22 by BTA?

23 A. That's correct.

24 Q. Okay. Now, did you identify each of the owners
25 that were entitled to notice based on records at the time

1 the application was filed?

2 A. Yes.

3 Q. And in your opinion, did EOG undertake a
4 good-faith effort to locate and identify the correct parties
5 and valid addresses for all of those parties entitled to
6 notice?

7 A. Yes.

8 Q. In addition to those offsetting operators, did
9 you also identify the owner of the surface owner where the
10 well is located?

11 A. Yes, we did.

12 Q. Who is that?

13 A. That would be BLM.

14 Q. So in addition to those parties, you also gave
15 notice to the BLM?

16 A. Correct.

17 Q. Did you provide a list of those parties and their
18 addresses to me and my law firm so we could send out
19 certified letters giving them notice of the application and
20 of the hearing?

21 A. Yes.

22 Q. And is Exhibit 7 in your notice packet a copy of
23 the affidavit prepared by me and my law firm reflecting that
24 we have provided notice to those parties under the addresses
25 you gave us?

1 A. Yes.

2 Q. The second page of that exhibit is a copy of a
3 letter we sent out providing notice of today's hearing date
4 as well as the application?

5 A. Yes, it is.

6 Q. And the follow page is the certified mailing
7 receipt status showing that each party actually did receive
8 notice?

9 A. That's correct.

10 Q. And the following pages are just the reports from
11 the US Postal Service showing we did send out by certified
12 mail?

13 A. That's correct.

14 Q. And is Exhibit 7 a copy of an affidavit of
15 publication from the newspaper in the county where the
16 wellbore is, reflecting that we went ahead and published
17 notice of this application and the hearing in the newspaper
18 of circulation in that county?

19 A. Yes.

20 Q. And we identify each of the parties by name in
21 that notice of publication?

22 A. We did.

23 Q. Okay.

24 A. Yes.

25 Q. Mr. Bassett, were Exhibits 5 and 6 prepared by

1 **you or compiled under your direction and supervision?**

2 A. Yes, they were.

3 MR. RANKIN: At this time, Mr. Examiner, I would
4 move the admission of Exhibits 5, 6, 7 and 8, which include
5 the affidavits prepared by myself and newspaper here into
6 the record.

7 HEARING EXAMINER COSS: Exhibits 5, 6, 7 and 8
8 are so admitted.

9 (Exhibits 5, 6, 7 and 8 admitted.)

10 MR. RANKIN: Thank you, Mr. Examiner. At this
11 time I have no further questions and pass the witness for
12 questions by the Examiners.

13 HEARING EXAMINER COSS: Examiner Lowe?

14 EXAMINER LOWE: I know you mentioned it, but who
15 is the surface owner again?

16 THE WITNESS: BLM.

17 EXAMINER LOWE: BLM. Okay, that's all the
18 questions I have. Thank you.

19 EXAMINER McCLURE: I have no questions for this
20 witness.

21 HEARING EXAMINER COSS: And I have no questions
22 for this witness.

23 MR. RANKIN: If there are no further questions, I
24 ask Mr. Bassett be excused and ask that we can call our
25 third witness.

1 HEARING EXAMINER COSS: You are excused and you
2 can call your third witness.

3 MR. RANKIN: At this time I call Mr. Brice
4 Letcher to the stand.

5 BRICE LETCHER

6 (Sworn, testified as follows:)

7 DIRECT EXAMINATION

8 BY MR. RANKIN:

9 **Q. Would you please state your full name for the**
10 **record?**

11 A. Brice Letcher.

12 **Q. By whom are you employed?**

13 A. EOG Resources.

14 **Q. In what capacity?**

15 A. As a senior production engineer in our Midland
16 Division.

17 **Q. Have you previously had the opportunity to**
18 **testify before the Division?**

19 A. No, sir, I haven't.

20 **Q. Would you review briefly your education and**
21 **relevant work experience as a production engineer.**

22 A. Yes, sir. I graduated from Texas Tech University
23 in 2014 with a bachelor's in civil engineering. I then went
24 to work for Yates Petroleum in Artesia as a production
25 engineer.

1 And for the six years leading up to the EOG
2 acquisition of Yates, I worked for Yates as a production
3 engineer and completions engineer.

4 Since the EOG acquisition of Yates, I have since
5 transferred to EOG's Midland Division where I continue to
6 work as a production engineer. And also obtained my
7 master's in business in 2018 also from Texas Tech. Also
8 certified as a professional engineer in the State of New
9 Mexico.

10 Q. And you are familiar with the application filed
11 in this case?

12 A. Yes.

13 Q. And you have been involved with and helped with
14 the design of the proposed pilot project well as well as its
15 operation?

16 A. Yes.

17 Q. And you have also conducted a study of the wells
18 within the area of review, half mile surrounding the
19 proposed pilot project?

20 A. Yes, sir.

21 MR. RANKIN: At this time, Mr. Examiner, I would
22 tender Mr. Letcher as an expert in production engineering.

23 HEARING EXAMINER COSS: He is so recognized.

24 MR. RANKIN: Thank you very much.

25 BY MR. RANKIN:

1 Q. Mr. Letcher, for purposes of orienting the
2 Examiners to your testimony, what aspects of the pilot
3 project did you work on and what will you be testifying to
4 today?

5 A. I've been responsible for investigating,
6 verifying our wellbore integrity, and designing the downhole
7 equipment setup for this project, and also for the
8 production operations for the well. And since the well
9 falls in my production area, I'm also responsible for
10 overseeing the general production operations of the well.

11 Q. And so referring to what's been marked as Exhibit
12 4 in your packet, which is now up on the screen, will you be
13 providing testimony on topics identified by the Division as
14 a condition of approval labeled item numbers Roman Numeral
15 IV through IX?

16 A. Yes.

17 Q. So let's go ahead and start with Item Number IV
18 first on that list. Division has requested that EOG provide
19 a well diagram, casing information, drilling reports, and a
20 CBL or cement bond log for the well.

21 Let's take the first of those items in sequence
22 here, and if you would, please review for the Examiners what
23 has been marked as Exhibit Number 9 and review for the
24 Examiners what it shows.

25 A. Yes. So this is a well diagram for our proposed

1 pilot test well, the Caballo 23 Federal Number 2H. You see
2 in the top right-hand corner of the diagram we have the
3 location noted as being 50 feet from the north line, 2200
4 feet from the west line, located in Section 23, Township 25
5 South and Range 33 East.

6 In the center you see the well diagram which is
7 really just a simple depiction of the well design where we
8 have casing set at a casing size and grade and also a
9 description of the cement that was placed behind each casing
10 string.

11 And so we can probably just run through those
12 real quick for the record. Surface casing was set at 1190
13 feet. That's 11 and 3/4 inch, 42 pounds. It was cemented
14 to surface.

15 And our intermediate casing is set at 5005 feet.
16 That's eight and 5/8 inch, 32 pound casing, and that casing
17 sleeve is also cemented to surface.

18 Our production casing string is 5.5 inch, 20
19 pound, casing that was set at 14,097 feet in the lateral,
20 that sets a total vertical depth of 9456 feet. The cement
21 bond log that we ran recently in November verified that our
22 top cement for our production casing string is at 4806 feet.

23 **Q. So just to touch on a couple of things you**
24 **identified. Based on the casing and cement you just**
25 **reviewed, is it your opinion that this well effectively**

1 seals off the shallow, fresh water zones around this well?

2 A. Yes.

3 Q. And you identified that the well was drilled to a
4 total vertical depth of 9456 feet. That will effectively be
5 your injection interval there, the depth of that lateral?

6 A. Yes.

7 Q. What is the zone, the formation at that depth?

8 A. That's in the Leonard A Formation. I think you
9 all use quite a bit more specifics on the details of the
10 geologic location.

11 Q. Some people also call it the Avalon; is that
12 correct?

13 A. Yes.

14 Q. Now, the other aspect of this wellbore diagram,
15 which is a little bit different is the tubing. If you
16 would, Mr. Letcher, just review for the Examiners how this
17 well is constructed and why it is constructed in that way.

18 A. Sure. So this also shows that we have our tubing
19 set at 9451 feet. That's about 55 degrees on the curve.
20 This is a pretty typical opening, the tubing insulation that
21 we do on many wells that we are gas lifting. And so for
22 production operations, we are injecting gas down the casing
23 to the end of tubing and lifting up the tubing, producing up
24 the tubing.

25 Q. So what's the -- is there a reason -- you call it

1 open-ended. That simply means there is not a packer, no
2 packers that are isolating the annulus from the production
3 casing; is that right?

4 A. That's correct. And for the purpose of this
5 project, by leaving the tubing set open-ended, we would be
6 able to take advantage of being able to inject down both the
7 casing and the tubing, which would give us a larger cross
8 sectional area to inject gas down and reduce the frictional
9 back pressure that we would see during gas injection, so
10 allow us to inject at lower surface injection pressures, and
11 it will also help us inject at the rates and volumes that we
12 are looking for.

13 Q. Okay. And that setup is typical for all your gas
14 lift wells that you have been operating for a number of
15 years across the Basin?

16 A. Yes.

17 Q. This is how the well is currently constructed,
18 you are not changing any aspect of the construction of this
19 well?

20 A. That's correct.

21 Q. And the only change is going to be operationally,
22 as Mr. Lunsford testified, to close off the production well
23 while you are injecting?

24 A. Yes.

25 Q. Very good. So that's the wellbore diagram. You

1 also have prepared an exhibit reflecting the casing, the
2 drilling reports. Is that right?

3 A. Yes.

4 Q. It's the next exhibit. Will you review for the
5 Examiners the highlights to take away from this very small-
6 print exhibit so they know what purpose it serves.

7 A. Yes, sir. So Exhibit 10 is a summary of the
8 operations when the well was originally drilled in 2011, and
9 really the take-away from this is just verifying what we
10 were showing in the wellbore diagram, verifying that we
11 successfully installed and cemented the casing in place.

12 Q. Okay. Now, in addition, under that same item,
13 Roman Numeral IV here in Exhibit 4, the Division asked for a
14 cement bond log as well. Is that your next exhibit?

15 A. Yes.

16 Q. Exhibit Number 11. And what's the take-away on
17 this exhibit? Review for the Examiners what this shows and
18 the significance of the different log tracts on this
19 exhibit.

20 A. Okay. Yeah. So this is a CBL that we obtained
21 in November of this year to verify the top of cement. And
22 for anybody that may not be familiar with radial cement bond
23 logs, what we are looking at here, starting on the left-hand
24 side, I know it's going to be hard to read, and we will be
25 sure to get you the PDF version of this or an actual log for

1 you to look at, but on the left-hand side here you have your
2 gamma ray and your casing collar located, and that serves as
3 a reference point in the wellbore.

4 And so the next portion over on the log is
5 measuring amplitude. And so measuring amplitude of the
6 waves as they return to the acoustic tool. And so the way
7 that that is interpreted is this is measuring amplitude from
8 the, I think, the scale is negative 100 to 100.

9 And so higher amplitude indicates that there is
10 more free pipe, so lower amplitude indicates that there is
11 some attenuation or, you know, resistance behind the pipe
12 indicating there is cement behind the pipe.

13 The next portion over is the variable density
14 which is the actual acoustic wave form shown by the tool.
15 And then the far right is just a cement map which is nice to
16 look at because it gives you a view of what the log is
17 radioing, so completely around the pipe, so --

18 And so, you know, this top portion where it's
19 showing that this is a, you know, free pipe, you can see
20 that amplitude is showing a higher value, so we see
21 completely free pipe. But as you go down the log, I think
22 it is probably Page 3, and again, it's hard to view the
23 depths, of course, but at 4806 feet, you can see that the
24 amplitude jumps sharply to the right to higher values
25 indicating that that is where we start to see free pipe

1 below that point. The log is indicating that you can see
2 cement behind the pipe.

3 Q. So and that's reflected on the far right as well
4 where, if you would just review what the warm colors mean
5 versus the cooler colors in terms identifying cement.

6 A. Sure. So the far right, the cement map warmer
7 colors are indicating, you know, better bond with the pipe.

8 Q. So 40 to 100 feet down to the bottom of this log
9 run you've got cement coverage?

10 A. What was that, sir?

11 Q. From the -- from that 48 -- approximately 4800
12 feet down to the bottom of this well, you've got sufficient
13 cement coverage in this well?

14 A. Yes. Yes. And the log runs from 9000 feet up
15 until the top of the cement.

16 Q. And so when was this cement bond log run?

17 A. In November of this year.

18 Q. And you stated that EOG will provide the Division
19 an electronic version of this log so we can read the depths
20 and review the quality of the tract adjacent --

21 A. Yes.

22 Q. -- in a reasonable manner?

23 A. Yes.

24 Q. Thank you. Is that everything that was requested
25 by the Division under Roman Numeral IV on Exhibit 4?

1 A. I believe so, yes.

2 Q. Let's move to Item Number Roman Numeral V. And
3 in that item the Division asked that EOG confirm that the
4 well will meet the following minimum requirements:

5 "A, the casing burst pressure shall be at least
6 120 percent of the maximum allowable surface pressure, plus
7 the hydrostatic pressure from a full column of reservoir
8 fluid."

9 And before you answer that question, I just
10 wanted -- we need to address the first part of that issue,
11 and that is the maximum allowable surface injection
12 pressure.

13 A. Sure.

14 Q. Has EOG identified a pressure that it believes is
15 appropriate for the maximum surface injection pressure for
16 this project?

17 A. Yes. And as Davis alluded to also, the pressure
18 that we are proposing for our maximum allowable surface
19 pressure is 3500 psi. And the way that we came up with that
20 really was, as Davis described, you know, to be sure that we
21 would be able to inject into the formation, but also stay
22 below pressures that -- below our maximum pressure ratings
23 for casing and well equipment and to protect the reservoir,
24 of course, too.

25 Q. And in addition, you need to be able to inject

1 the volumes that are being obtained from a third party
2 shutdown with no interruption.

3 A. Correct, sir.

4 Q. Okay. So with that you've got your proposed
5 maximum allowable surface pressure of 3500 psi. With that
6 pressure will your -- will you be able to meet this
7 condition that the Division has requested you to
8 demonstrate?

9 A. Yes.

10 Q. Will you just review for the Examiners your
11 calculations to demonstrate that you can meet that
12 condition?

13 A. Yes. So the burst pressure rating of our 5.5
14 inch casing is around 12,600 pounds. The, you know, worst-
15 case scenario that we would never envision really seeing in,
16 in operation during our temporary gas injection is, as the
17 Division had asked us to look at, our maximum allowable
18 surface pressure plus a full hydrostatic column of fluid.

19 And so that max pressure comes out to 7600 psi,
20 and that's just taking 3500 psi plus your total vertical
21 depth, 9456, times your fluid gradient, .433.

22 And so based on that, you can say that our, our
23 max casing burst rating is 166 percent greater than that
24 scenario.

25 Q. And all that time that EOG has been operating for

1 nearly a decade its gas lift wells, have you ever
2 encountered a situation where you have a full hydrostatic
3 head in that gas lift injection situation?

4 A. No. Certainly not on wells that have been
5 producing for as many years as this well.

6 Q. And this, so therefore this calculation is a very
7 conservative approach to determine this condition?

8 A. Yes, sir.

9 Q. Now, I believe that addresses Item Number V(a).
10 We've already discussed Item Number V(b), which are the
11 drilling reports and CBL. And you have, "Casing and CBL is
12 adequate position for purposes of this project."

13 A. Yes, sir.

14 Q. Move on to Item Number Roman Numeral VI, the
15 Division here is asking that EOG perform an assessment of
16 the surrounding wells to ensure that they meet the
17 requirements of the Division in terms of their casing and
18 cement.

19 Have you done that evaluation of the wells within
20 the half mile area of review surrounding the proposed
21 injection pilot project?

22 A. Yes, sir.

23 Q. Let's go ahead and look at your area of review
24 map. This is Exhibit Number 12. Will you review for the
25 Examiners what this shows?

1 A. This is just showing the Cabello Federal Number
2 2H in the center there, and the half mile area of review
3 circling the well, and then each of the 48 wells that fall
4 within that area, and each well is numbered to -- that goes
5 along with Exhibit --

6 **Q. Exhibit 14.**

7 A. -- 14, where we have -- we have data tabulated
8 for each of those wells.

9 **Q. Yours doesn't have it?**

10 A. It does. I just didn't find it.

11 **Q. 14, it's in there?**

12 A. Uh-huh.

13 **Q. In that table of data on Exhibit 14, you have**
14 **identified all the facility data relative to the casing and**
15 **cement for each of those wells?**

16 A. Yes, sir.

17 **Q. How many of those wells in the area of review**
18 **have you drilled and are operated by EOG?**

19 A. The majority of those wells are operated by EOG.
20 Six of the wells are operated by other operators. And there
21 are three wells that have been plugged and abandoned.

22 **Q. So did you take a closer look at those wells that**
23 **were not drilled or operated by EOG?**

24 A. Yes, sir.

25 **Q. And the P and A wells as well?**

1 A. Yes, sir. Took a closer look at those all put
2 together well diagrams.

3 Q. Those are marked as Exhibit 13 in your exhibit
4 packet?

5 A. Yes, sir.

6 Q. So those six wells you included, each of them you
7 took a more careful look at them because they weren't
8 drilled or operated by EOG, essentially; is that right?

9 A. Right, yeah. We just wanted to ensure that
10 that -- those wells also had appropriate communication
11 strings and adequately isolate the proposed zone that we
12 are -- we will be injecting gas into.

13 Q. Based on your review of each of the six wells
14 that are in your area of review, including the P and A,
15 have you cited any concerns with casing or cementing that's
16 insufficient to adequately protect against migration through
17 these wells to other zones?

18 A. No. From reviewing the wells, found nothing that
19 would make us be concerned about communication to other
20 wells. All wells appeared to have appropriate cementing of
21 casing strings and adequate isolation of the zone we are
22 proposing our temporary gas injection.

23 Q. As to the EOG wells within the area of review,
24 are you satisfied that those wells are constructed with
25 casing and cement specs that are sufficient to meet the

1 **Division's requirements as well?**

2 A. Yes, sir. Yes. All the EOG wells within the
3 area of review have pretty similar designs as the Caballo
4 2H, and so all those appear to have appropriate cementing
5 and adequate isolation.

6 Q. This is a topic for another witness to some
7 extent, but I do want to just ask you, Mr. Letcher, the fact
8 that these wells are within the area of review, is it -- is
9 it your opinion that the gas is not going to even approach
10 these wells within the area of review based on the nature of
11 the reservoir and rock?

12 A. Correct. And I think Carlos, our reservoir
13 engineer, he will go into great detail on the modeling that
14 we have done that appears to show that there is, you know,
15 the gas won't go very far, essentially.

16 Q. And EOG doesn't want the gas to go very far;
17 correct?

18 A. Right. Correct.

19 Q. It wants to stay right by the wellbore?

20 A. Yes, sir.

21 Q. So in light of that, let's look at Item Number
22 VI. Is it your opinion that that's all the information
23 required by the Division in Item Number VI in terms of the
24 assessment of the surrounding wellbores?

25 A. Yes, sir.

1 Q. Look at the next item, Roman Numeral VII in
2 Exhibit 4, the Division here asks that EOG demonstrate that
3 the mechanical integrity of the well comprised with the
4 Division regulation for mechanical integrity testing to a
5 minimum pressure of 110 percent of the maximal allowable
6 surface pressure. Is EOG able to demonstrate that this well
7 can meet that condition?

8 A. Yes, sir. So what we -- what we did hear was
9 back in November when we ran the CBL is when we conducted
10 our MIT and RBP at 9000 feet.

11 Q. Stop you right there. What is RBP?

12 A. A retrievable bridge plug.

13 Q. Okay. Thank you.

14 A. So RBP at 9000 feet, loaded the casing with fresh
15 water and pressured up to 1650 psi and held that for 30
16 minutes. So the equivalent pressure at 9000 feet during the
17 MIT test would have been 5550 psi, and that's, you know,
18 1650 psi, plus 9000 feet by your fluid gradient .433.

19 At the same depth during our temporary gas
20 injection operations, the max pressure that we would expect
21 would only be for 4760 psi. That would be your 3500 psi max
22 allowable surface pressure, plus a column of gas.

23 And so for our gas gradient, we used .14 psi per
24 foot to calculate that. And so having said all of that, our
25 tests indicate that, that we have, you know, good integrity

1 up to over 110 percent of -- of our max expected pressure
2 during the temporary gas injection operations.

3 Q. So your next exhibit here, let me just go through
4 real quick, is the recording data from your MIT test; is
5 that correct?

6 A. Yes. This is our pressure charts.

7 Q. Will you just review the, show, explain what that
8 shows and --

9 A. Sure. So at the top you can kind of see where
10 it, the chart is recording in minutes as it rotates. When
11 we pressure up here, you can see this blue line jumps up to
12 1650 psi, and we hold that pressure all the way around for
13 30 minutes.

14 Q. So based on that, and based on the calculations,
15 would you consider it a fairly conservative approach to
16 identify the maximum pressure?

17 A. Yes, sir.

18 Q. And you determined based on the MIT that this
19 well can meet the Division's condition in this item?

20 A. Yes, sir. I believe so.

21 Q. Okay. Now, moving on to the next item number,
22 Item Roman Numerable -- Numeral VIII, the Division here in
23 Exhibit 4 asks EOG to demonstrate the injected gas does not
24 contain corrosive gas such as H₂S, hydrogen sulphide, or
25 CO₂, that may damage the casing. Have you prepared an

1 **analysis of the gas that you intend to inject into the well?**

2 A. Correct.

3 **Q. And that has been marked as Exhibit Number 16, I**
4 **believe.**

5 A. 16, is it?

6 **Q. Is that correct?**

7 A. Yes.

8 **Q. Please review for the Examiners what that exhibit**
9 **is.**

10 A. So Exhibit 16 is a gas analysis from our Caballo
11 LGL that is the proposed source of gas for this pilot test.
12 And what we are looking at here is in the kind of bottom,
13 left portion, we are seeing a breakdown of the gas percent
14 for each component. And we are showing zero percentage H₂S
15 and .8 percent CO₂. And at such a low concentration of CO₂,
16 there would really be no expected corrosion tendencies in
17 the well.

18 **Q. And tell me a little bit more about this gas**
19 **compared to the gas that's native in this formation. What's**
20 **the quality relative to the gas that you are seeing in the**
21 **formation?**

22 A. Yes. So two things to note. This is the gas we
23 are currently using to gas lift the well and have not seen
24 any corrosion tendencies caused by injecting this gas for
25 gas lift operations. And also that the native gas in this

1 well has a higher CO2 concentration than this injection gas,
2 so --

3 Q. So in the course of using the same gas for gas
4 lift and the same gas being produced from this formation,
5 you haven't seen any issues with corrosion within the tubing
6 or production casing in this well?

7 A. Right. We haven't seen any corrosion tendencies.

8 Q. And you don't expect that to be an issue?

9 A. Don't expect it.

10 Q. Okay. Now, Mr. Lunsford testified that the well
11 and the facilities that you will operate for this pilot
12 project will be equipped with some alarm systems and
13 automatic shutdowns should the pressure reach the proposed
14 maximum injection surface pressure of 3500 pounds. Would
15 you just review a little bit how unlikely it is that that
16 pressure would be attained?

17 And we have another witness who will get into
18 more depth on that topic, but briefly explain how much of
19 that pressure will be attained here, and how EOG's alarm
20 system and shutdown mechanisms would actually work.

21 A. Sure. So again, since we are only injecting gas,
22 and we have a lateral that has, you know, hundreds of
23 perforations, there's lots of places for the gas to go,
24 right.

25 And kind of additionally to that, this well has

1 produced close to 1.8 BCF of gas over the life of the well,
2 you know, over 300,000 barrels total fluid, and so it would
3 be unlikely that we would be able to inject enough gas to,
4 you know, build pressure in the reservoir to a point where
5 we could, you know, do any damage to the reservoir.

6 Q. So in the unlikely event that were to occur, as
7 we understood from Mr. Lunsford, you don't even have the
8 horsepower to achieve those pressures with your gas on
9 injection.

10 A. Right.

11 Q. But in the unlikely event that were to occur,
12 what systems are in place that EOG has to monitor, set
13 alarms and shut down the system should have it ever approach
14 that maximum surface injection pressure?

15 A. So like Davis talked about, we will have valves
16 on the wellhead that will be automated so that if we
17 approach and if we hit that max operating pressure, we would
18 shut in the well. We would shut off injection to the well.
19 We would also, like Davis talked about, we are constantly
20 collecting all the data from this well through our control
21 room or our SCADA system of the pressures, rates, volumes.
22 And so we would also have the ability to set up alarms and
23 set up -- set up parameters, you know, with our alarms to
24 signal us to any irregularities in the normal operations of
25 the well.

1 Q. So that gives you the ability to do that once you
2 have established what the parameters are for injection and
3 how the reservoir responds to the injection and production;
4 is that correct?

5 A. Yes.

6 Q. Okay. And then the automatic shutdown, it can be
7 set so that if the pressures ever do reach that 3500 maximum
8 allowable surface injection pressure at the well, injection
9 could be shut in automatically without any action required
10 by any personnel?

11 A. Absolutely.

12 Q. Okay. Now, I think that's all the questions I
13 have for you, other than the last couple here. In your
14 opinion, will granting the application be in the best
15 interest of conservation and resources, prevention of waste
16 and protection of correlative rights?

17 A. Yes.

18 Q. In your opinion, can this pilot project be
19 operated safely and without presenting a risk to human
20 health, environment, or fresh water sources?

21 A. Yes.

22 Q. Mr. Letcher, were Exhibits 9 through 16 prepared
23 by you, under your direction or supervision?

24 A. Yes.

25 MR. RANKIN: At this time, Mr. Examiner, I would

1 move the admission of 9 through 16 into the record.

2 HEARING EXAMINER COSS: Exhibits 9 through 16 are
3 so admitted.

4 (Exhibits 9 through 16 admitted.)

5 MR. RANKIN: At this time I have no further
6 questions and pass the witness.

7 HEARING EXAMINER COSS: Examiner Lowe?

8 EXAMINER LOWE: Good afternoon. I have a few
9 questions for you. You indicated your max pressure of 3500
10 psi. That's your -- that's your 120 percent? Is that what
11 that indicates?

12 THE WITNESS: What's that?

13 EXAMINER LOWE: Is that a 120 -- is that the 120
14 percent number --

15 THE WITNESS: 120 percent.

16 EXAMINER LOWE: -- this is in reference to asking
17 questions in reference to V, was that V(a)?

18 THE WITNESS: So the 3500 psi is the maximum
19 allowable surface pressure that we are proposing for the
20 well.

21 EXAMINER LOWE: And that's your max pressure.
22 What do you anticipate to be your nominal pressure?

23 THE WITNESS: Nominal pressure?

24 EXAMINER LOWE: Yeah, if that's your max.

25 THE WITNESS: Downhole?

1 EXAMINER LOWE: Yes, downhole, yes.

2 THE WITNESS: So during temporary gas injection
3 operations, we would have a full column of gas plus that
4 3500 psi, and so that's 3500 psi, plus the total virtual
5 depth 9456 feet by .14 psi per foot, and so I believe that
6 came out to around 4800 psi.

7 EXAMINER LOWE: On your Exhibit Map Number 12,
8 you referenced, when you were discussing that map, you
9 referenced Exhibit 14. Is the green lines on that map on
10 Exhibit 12 the items listed on Table 14 or Exhibit 14? Is
11 that what you are representing?

12 THE WITNESS: Yes, they are. Each well on the
13 map is numbered.

14 EXAMINER LOWE: Okay.

15 THE WITNESS: And that number corresponds with
16 the -- the column here that says map legend number.

17 EXAMINER LOWE: That's all I have for now. Thank
18 you.

19 EXAMINER McCLURE: During your MIT, you actually
20 started with about 1600 pounds, 1650, and then you gained
21 200 pounds over your 30 minutes. I guess, what's your
22 thought towards that?

23 THE WITNESS: We envisioned we probably had a
24 little gas bubble there that migrated on us.

25 EXAMINER McCLURE: I got you. So this was --

1 this took place -- you were just came out of the hole after
2 setting your bridge plug, so you supposedly had a gas bubble
3 at the bottom that slowly migrated?

4 THE WITNESS: Right. So we filled the casing --

5 EXAMINER McCLURE: I'm with you.

6 THE WITNESS: -- shut in the pressure valve. You
7 are correct, we did see a little bit of gain there.

8 EXAMINER McCLURE: Okay. I guess the question I
9 had, another question I had, at the time that you ran your
10 cement bond log, were you holding pressure on your casing at
11 that particular point, or were you just had a column through
12 in the hole?

13 THE WITNESS: Yes, sir. We held a thousand
14 pounds on the casing in that log.

15 EXAMINER McCLURE: I'm with you. Another
16 question I had, as far as that, this -- maybe this is a
17 better question for the facility engineer, to your
18 awareness, do you guys run into paraffin issues?

19 THE WITNESS: In this particular well, not
20 really. The Leonard A, we see some scaling tendencies on
21 occasion, but not -- not really bad paraffin problems.

22 EXAMINER McCLURE: What do you think is the
23 difference, I guess, for just why you are getting scaling in
24 the other well, the Leonard, I think you said?

25 THE WITNESS: The Leonard A formation.

1 EXAMINER McCLURE: Oh, I apologize. I'm with
2 you. Okay.

3 THE WITNESS: We can -- we can see paraffin. We
4 have seen paraffin, but not a large tendency for it, I don't
5 think.

6 EXAMINER McCLURE: My other questions might be
7 more for the reservoir engineer. And in regards to that, I
8 was just asking because that sort of related to the thoughts
9 in regards to injecting that gas back into a reservoir down
10 there.

11 As far as the completion side questions and in
12 regards to the frac, would that be a better for the
13 reservoir engineer, or are you prepared to talk about that?

14 THE WITNESS: Yeah, I think Carlos may have more
15 detail on that through his modeling.

16 EXAMINER McCLURE: I wasn't sure. You are a
17 production and completions engineer, I wasn't sure who to
18 ask.

19 THE WITNESS: I would be happy to attempt to
20 answer your question if you want to ask it.

21 EXAMINER McCLURE: I was going to say, the main
22 question I have is, do you guys have access -- do you have
23 any level of confidence as to the height, the top and bottom
24 of your fractures in these wells?

25 THE WITNESS: Yeah, I'm probably not the best to

1 answer that question.

2 EXAMINER McCLURE: I'm sorry. I will withdraw
3 that question. Yeah, I just wasn't sure -- this may be
4 another question, I apologize, that may be better for the
5 engineer.

6 As far as installing a transducer, something
7 along those lines at the bottom of your tubing, what is
8 EOG's thoughts in regards to that if that's something the
9 Division would like to see?

10 THE WITNESS: For the purpose of just --

11 EXAMINER McCLURE: Monitoring downhole pressure.

12 THE WITNESS: And just to collect the data?

13 EXAMINER McCLURE: Correct. And just in regards
14 to that, perhaps, also allow it to fill and shut your well
15 in, I guess. I'm not sure what you think the liability is
16 and what -- something along those lines.

17 THE WITNESS: Yeah. I think we feel that by
18 monitoring the surface injection pressures, that we would be
19 able to, to have a good picture of how the well is
20 performing during injection operations and during production
21 operations. And in that it really, you know, wouldn't be
22 necessary to take that step, I guess, that by finding any
23 irregularities we see in the surface injection pressure, we
24 would be able to tell that, "Hey, something may be going on
25 downhole that would be concerning," and we would shut in the

1 well based on that.

2 EXAMINER McCLURE: So your concern would
3 obviously be like back to looking at a gas column, which was
4 in a fluid column, our concern would obviously be that
5 somehow we end up with a fluid column in the hole, and as
6 such, like your MIT, then it reached the level as to what
7 your pressures could reach if you had a fluid column just
8 for starting instance. And at that point we start
9 increasing our pressures beyond what we would typically like
10 for our fracture gradient, I guess, if you are at 3500
11 pounds plus a full fluid column of the reservoir fluid.

12 And that, I guess that there is where we were
13 approaching from one to potentially monitor the downhole
14 pressures. I don't know, I guess, if you had any thoughts
15 in regards to that. Do you think that by surface monitoring
16 you could identify when if --

17 THE WITNESS: Yeah, I think so.

18 EXAMINER McCLURE: -- a fluid column were to
19 rise?

20 THE WITNESS: I really think too that since we
21 are only injecting gas, we would actually have a better, you
22 know, we could probably argue that you maybe have a better
23 picture of what's going on downhole because you have a
24 consistent injection, you know, you have a consistent column
25 of gas that you could predict pressures at depth. And then

1 also just kind of want to hit back on the point that, you
2 know, not expecting -- not expecting to have much of a fluid
3 level or, I think, you know the static fluid level in this
4 well is probably not far from our end of tubing even early
5 as depleted as the well is still. I don't know if that
6 helps answer your --

7 EXAMINER McCLURE: Oh, well, I'm in complete
8 agreement with you in regards to when you are injecting. My
9 concern would be after the injection period, if the
10 reservoir pressure would increase and allow a fluid column
11 to build and at that point you start reinjecting again, at
12 that point, at the initial period you could have a fluid
13 column within the annulus.

14 I guess that is the sort of time frame I guess I
15 was looking at. Obviously during production you are going
16 to shove your fluid out with your gas, so --

17 THE WITNESS: Right.

18 EXAMINER McCLURE: So in regards to that --

19 THE WITNESS: It's something we can certainly
20 visit.

21 EXAMINER McCLURE: We may end up having later
22 discussions about it, perhaps. We'll just see, I guess, how
23 it goes from there.

24 THE WITNESS: Okay.

25 EXAMINER McCLURE: I believe that's all the

1 questions I have for you, for this witness. Thank you.

2 EXAMINER LOWE: I have two more questions. Being
3 that this is a pilot project, and I have always seen MIT
4 charts has an OCD witness there. I don't know if this falls
5 under that as far as OCD. Did you contact the OCD district
6 office to be present for this, or is it just a pilot, you
7 don't need OCD presence there?

8 THE WITNESS: No, we did not. I guess, just for
9 the letter from the Division I guess didn't really specify
10 that someone needed to witness.

11 EXAMINER LOWE: I was just curious to know.
12 Another question, I just want to reemphasize, you are going
13 to resubmit Exhibits 2 or 11 with the chart; right?

14 MR. RANKIN: We will submit electronically so the
15 Division has an electronic version so they can zoom in and
16 identify some of the depths and the numbers and log cases.

17 EXAMINER LOWE: That's all I have. Thank you.

18 HEARING EXAMINER COSS: Thank you. Is that it,
19 Mr. Lowe?

20 EXAMINER LOWE: Yes.

21 HEARING EXAMINER COSS: Okay. Well, thank you,
22 Mr. Letcher for your presentation here today. It looks as
23 if you all have done a good job of answering all the
24 questions we put forth. So thank you for that.

25 I just have a few very simple questions for you.

1 On Exhibit 13, your area map of the wells in review -- oh,
2 no, it's 12, the area map. 13 is the wells that aren't --
3 maybe I just haven't seen it yet -- the wells that aren't
4 under EOG, which of those wells, are those in Exhibit 12?
5 Are they labeled?

6 THE WITNESS: Yes. Those are also labeled.
7 Yeah, I guess the tricky part there is you have to look at
8 the well diagram, get the name of the well, go to the table
9 on Exhibit 14 --

10 HEARING EXAMINER COSS: Okay.

11 THE WITNESS: -- and find the well name and then,
12 you know, that far left column is the map legend number
13 where it would show on the map.

14 HEARING EXAMINER COSS: I see. Okay. So I can
15 go back and forth if I want to?

16 THE WITNESS: Sorry about that. If I would have
17 thought, I would have added numbers to those, too.

18 HEARING EXAMINER COSS: But you have testified
19 that they are fairly far away, so I won't put too much
20 effort into those. And I would only ask, my only other
21 additional question, in your testimony for request Number V,
22 you ran through a handful of calculations to justify the max
23 surface pressure of 3500 psi, and are any of those
24 calculations laid out for my geological mind to follow on a
25 piece of paper?

1 THE WITNESS: So the 3500 psi wasn't necessarily
2 calculated. We were basing that off of the, you know, our
3 presumed site bottom hole pressure in this well is probably
4 800 to 1000, 1100 psi, so we wanted to make sure that we
5 were, you know, of course able to overcome that in order to
6 inject into the formation. And then also stayed below the
7 max pressure ratings of our casing and wellhead equipment.
8 So all the well equipment is rated to 5,000 pounds, and
9 then, you know, also to ensure that -- that the reservoir is
10 protected, too.

11 And so in terms of that calculation I guess, you
12 know, looking at the frac gradient for the well, when this
13 well was originally completed, the frac gradient was .75 psi
14 per foot. And so in order to frac the well, you really
15 would have to be pumping viscous fluid at a high enough rate
16 to overcome fluid loss into the formation and achieve a
17 pressure of over 7000 psi to initiate a fracture.

18 And so the max expected pressure, like we were
19 talking about that we would see downhole, would be the 3500
20 psi, plus a column of gas. And so 3500 psi plus the
21 vertical depth, 9456 feet, times your gas gradient, .14 psi
22 per foot is what we used to calculate.

23 HEARING EXAMINER COSS: I can appreciate that,
24 but if you would submit me something that would explain it.

25 THE WITNESS: Sure.

1 MR. RANKIN: Sure. I think just to help
2 facilitate, I think Item V is really asking to confirm that
3 the casing pressure would be at least 120 percent of the
4 maximum allowable surface pressure.

5 THE WITNESS: You're right.

6 MR. RANKIN: So that calculation, I think, Mr.
7 Letcher can just give -- we can submit the numbers. Maybe
8 even Mr. McClure can --

9 THE WITNESS: We can submit that. Sorry about
10 that.

11 HEARING EXAMINER COSS: That was my only other
12 question, so thank you.

13 MR. RANKIN: If I might just have a quick
14 redirect to help clarify.

15 REDIRECT EXAMINATION

16 BY MR. RANKIN:

17 **Q. Mr. Letcher, as to Examiner McClure's questions**
18 **about downhole monitoring, were there ever to be fluid in**
19 **the wellbore casing, wouldn't that appear instantaneously in**
20 **your surface pressure monitoring that you have through your**
21 **SCADA system?**

22 A. Sure. Yeah. If we had a sudden influx of fluid,
23 it would certainly change the injection pressure.

24 **Q. So that pressure is being monitored on a real**
25 **time basis and being monitored at EOG's facility**

1 headquarters; is that correct?

2 A. Yes.

3 Q. So if you wanted to set an alarm to notify EOG
4 personnel once it reached a certain level, would that give
5 EOG adequate time to reach the well to address any issues in
6 terms of operating downhole pressure?

7 A. Yes. Yes. We would have the ability to shut in
8 operations remotely, and as Davis alluded to earlier, that
9 our response times in the field is pretty remarkable,
10 really. We measure in minutes rather than hours, so there
11 is somebody close by usually.

12 Q. Okay. So as far as your concern about being able
13 to address the issues should there be a reflection of a
14 sudden increase in pressure at the surface, it's your
15 opinion that there is no problem with EOG being able to, A,
16 monitor the well, B, shut it in either remotely or get the
17 personnel on site to correct and nominalize in a short
18 period of time?

19 A. Right.

20 Q. So that's the basis for your statement that you
21 feel like downhole monitoring is unnecessary in this case?

22 A. Yes.

23 Q. So there is no, there is no H2S or poisonous gas
24 that would cause any impact or concerns to human health or
25 environment that would require, you know, downhole

1 **monitoring of that type, in your opinion?**

2 A. No, sir, I don't think so.

3 **Q. Okay. I just wanted to make sure I understood**
4 **the basis for your statement.**

5 MR. RANKIN: I have no further questions.

6 HEARING EXAMINER COSS: Well, this witness may be
7 excused and you can move on to your next.

8 MR. RANKIN: Thank you very much. I believe we
9 can get through fairly quickly, and I'm happy to continue to
10 press on, however, in the event that the court reporter, if
11 we want to take a short five-minute break, I'm happy to do
12 that as well.

13 (Recess taken.)

14 HEARING EXAMINER COSS: Okay. We will go back on
15 the record here and continue.

16 MR. RANKIN: Thank you very much, Mr. Examiner.
17 I would like to call our fourth witness to the stand, Ms.
18 Jenna Hessert.

19 JENNA HESSERT

20 (Sworn, testified as follows:)

21 DIRECT EXAMINATION

22 BY MR. RANKIN:

23 **Q. Good afternoon, Ms. Hessert. Will you please**
24 **state your full name for the record?**

25 A. Jenna Hessert.

1 **Q. By whom are you employed?**

2 A. EOG Resources.

3 **Q. And have you previously testified before the**
4 **Division?**

5 A. No, I have not.

6 **Q. Will you please briefly review your education and**
7 **relevant work experience as a petroleum geologist?**

8 A. Yes. I graduated from Yale University in 2014
9 with my bachelor of science in geology and geophysics. I
10 then attended Texas Tech University for my master's in
11 geoscience, graduated in 2016. My thesis was Structural
12 Geology Base in the Arbuckle Incline in Oklahoma.

13 And I had two internships with Occidental
14 Petroleum 2013 and 2014. I worked for the Williams
15 Formation in the -- and the Clear formation in the Midland
16 Basin, and am currently working in the Delaware Basin in --
17 out of the Midland office as a project geologist. So I
18 oversee planning and development of wells across Lea County,
19 as well as doing exploration.

20 **Q. And your current responsibilities with EOG are as**
21 **a petroleum geologist are over the southeast part of New**
22 **Mexico?**

23 A. Yes.

24 **Q. You are familiar with the application filed in**
25 **this case?**

1 A. Yes.

2 Q. Have you conducted a study of the geology and
3 land that is the subject of this pilot project?

4 A. Yes.

5 MR. RANKIN: And at this time, Mr. Examiner, I
6 tender Ms. Hessert as an expert in petroleum geology.

7 HEARING EXAMINER COSS: Ms. Hessert is so
8 recognized.

9 MR. RANKIN: Thank you very much.

10 BY MR. RANKIN:

11 Q. Now, Ms. Hessert, reviewing Exhibit 4, which is
12 the letter that the Division sent to EOG, will you be
13 testifying today about the items under Page Number 1
14 addressed Technical Information Standards for Installation
15 and Operation, in particular, the items that relate to the
16 geology of the reservoir in the target the injection zone?

17 A. Yes.

18 Q. Let's go ahead and jump in. And have you
19 prepared a series of slides reviewing your assessment of the
20 geology here?

21 A. Yes.

22 Q. Let's go ahead and look at them. They start on
23 Exhibit Number 17; is that correct?

24 A. Yes.

25 Q. And could you just review for the Examiners what

1 the first page of Exhibit 17 shows and review for the
2 Examiners.

3 A. Yes.

4 Q. Feel free to try this, too, because we have a
5 clicker.

6 A. This is the Caballo area lease map. Shown in the
7 center is Section 23 outlined in yellow as Mr. Bassett went
8 through our acreage position. The red line is the Caballo
9 23 Federal Number 2H. The surface hole is marked by a star,
10 and the bottom hole is marked by a hexagon, and then
11 surrounding oil wells that have been drilled, all nearby
12 wells that are beyond that half mile radius.

13 Q. Okay.

14 A. This next map is the same map, but with now a
15 cross-section. It's going to be roughly north to south
16 across the Section 23. So it will be from A to A prime with
17 three wells shown on the next few slides. So this cross-
18 section and the next cross-section are going to be exactly
19 the same, but in the second cross-section I'm going to zoom
20 in to the interval.

21 So again A to A prime, it's shown north to south,
22 and this cross-section, and we can also submit a clearer
23 version, this is a little blurry. It goes from all the way
24 from the Rustler, so pretty much to surface, and then I've
25 taken each of them down to the Wolfcamp where it shows well

1 logs were run.

2 So the first well tract is gamma ray, the depth,
3 and then resistivity, and then two porosity tracts. The
4 blue is neutron porosity and the black is density porosity.

5 Our injection interval is going to be in the
6 Avalon section, so I will get into that. But I wanted to
7 point out where the Rustler is located, just about 1000
8 feet, and our injection interval is 9456, so we are about
9 8100 below, and consistently below.

10 The other thing I would like to point out, this
11 is actually a structural cross-section, so it's not signed
12 on anything. But you will notice the consistent lithology,
13 the consistent thicknesses, and no offsets even though it's
14 not signed on anything.

15 A. This is that same cross-section. This is the
16 Bone Spring 1 formation. Our interval would be right here.
17 This is the 9500 depth. We are at 9450 is the Upper Leonard
18 or Upper Avalon section. This is a siliceous mudrock, so
19 what I mean by this is it's very quartz rich mudrock, but
20 it's very tight, very low porosity and low permeability.
21 This is ideal for this project.

22 So most of the time when we want to inject
23 something, if we are looking for ultimate storage capacity
24 or for production or actual reservoir, you want something
25 with high porosity and high perm so it will travel, we look

1 for the opposite. We want something with low porosity, low
2 perm that will contain the gas in the wellbore. This
3 mudrock has natural porosity already in the rock.

4 This section here, the Avalon, it has a very high
5 gamma ray signature that shows that, again, keeping that --
6 it remains very small, tight pores with all the clay
7 present. High resistivity, and then the porosity tracts are
8 actually shown in response in the high percentage. And you
9 will notice that signature is very consistent across that
10 entire interval.

11 Above the injection interval is the Bone Spring
12 line. This is a very tight carbonate. That's where you see
13 the gamma ray drop really low, and then porosities are tight
14 with high resistivity. This will be a frac barrier to the
15 Brushy Canyon above the Avalon.

16 And in the lower Avalon section is an interval
17 with very high carbonate, so again, similar response, very
18 low gamma ray, high resistivity and low porosity. So this
19 will be a frac area to the First Bone Spring Sand that's
20 below it.

21 So we feel that injecting this interval, we will
22 have containment both above and below, and then also keep
23 the gas in the wellbore due to geologic properties. And
24 Carlos, our reservoir engineer, will describe a little bit
25 more, but we use these geologic properties in his reservoir

1 model to model how far away we think the gas will migrate
2 and it will stay near the wellbore.

3 This is a structure map of the top of the Bone
4 Spring Lime interval. So again, the interval that's right
5 above the Avalon is very consistent marker across the area.
6 And this is to address the Division's concern of any
7 geological faulting or structural complexity.

8 And as you can see, it's dipping very gently to
9 the southeast. These contours are 50 foot intervals, marked
10 every 100 feet. So you can see it's a very consistent
11 gradual dip, no drastic changes across the area, showing
12 there is no faulting or anything structural that would be of
13 concern in this interval.

14 To further showcase that point, this is the
15 isopach for the thickness interval from the top of the Bone
16 Spring Sand to the top of the First Bone, in other words,
17 our entire Avalon interval. You can see it's very
18 consistent across the whole section, so about 1000 feet,
19 maybe 90 -- 90 -- 950, maybe 1050, but again, there is no
20 stratigraphic pinchout.

21 So again, we understand this interval is
22 correlative across the whole unit, the geologic property
23 carrying across the whole unit, so we feel comfortable using
24 this property as a reservoir model.

25 And then the final map is to address the shallow

1 water hazard concern. So as I mentioned previously as shown
2 in our cross-section, we are about 8100 feet below the top
3 of the Rustler -- our wellbore and casing integrity, but
4 again it's very consistent, 8100, 8200. And I also forgot
5 to point out the fact that there is no drastic thickness
6 changes, also shows there is no fault, even though one
7 interval might be thick, there is no fault connecting up to
8 the shallow water zones.

9 So again, this area is very structurally benign,
10 which is one of the reasons we chose it. And then the
11 interval itself has very low porosity and low perm which
12 will keep the gas injected right near the wellbore and allow
13 it to be produced over time.

14 **Q. So in summary, based on the identification in the**
15 **cross-section, that question about sealed above and below,**
16 **in your opinion there is no chance of migration of this gas**
17 **out of the zone to impact either zones above or below your**
18 **target interval?**

19 A. Correct.

20 **Q. Again, based on the formations in your review,**
21 **there is no geologic conduits or pathways by which the gas**
22 **might migrate out of zone based on a fault or pinchout or**
23 **any other kind of concern in the geology here?**

24 A. Correct.

25 **Q. Now, in your opinion, will the granting of this**

1 application be in the best interest of conservation of
2 resources, the prevention of waste and protection of
3 correlative rights?

4 A. Yes.

5 Q. And in your opinion, will this project be able to
6 be operated safely and without presenting a risk to human
7 health, environment or to underground sources of drinking
8 water or fresh water in the area?

9 A. Yes.

10 Q. And have you prepared or did you -- did you
11 prepare or under your direction and supervision have someone
12 prepare Exhibit Number 17?

13 A. Yes.

14 MR. RANKIN: At this time, Mr. Examiner, I would
15 move the admission of Exhibit 17 into the record.

16 HEARING EXAMINER COSS: Exhibit 17 is so
17 admitted.

18 (Exhibit 17 admitted.)

19 MR. RANKIN: No further questions, and we pass
20 the witness for questioning by Examiners.

21 HEARING EXAMINER COSS: Examiner McClure?

22 EXAMINER McCLURE: I don't have very many
23 questions.

24 The only question I have in regards to your
25 defining layers above and below being a frac barrier, do you

1 have stress fail, something along those lines, to clarify
2 maybe more to the reason you believe they would qualify as
3 such?

4 THE WITNESS: Yes. We have done multiple
5 microseismic studies, so we are confident in those being
6 frac barriers above and below, and I believe Carlos will
7 address it a little bit more. But, yes, we are confident
8 that those are frac barriers through multiple tests, as well
9 as offset well tests monitoring production or even
10 internal frac studies.

11 EXAMINER McCLURE: Do you have microseismic to
12 confirm that?

13 THE WITNESS: Not in this specific area, but we
14 have done studies across the Basin.

15 EXAMINER McCLURE: That's very good. Okay. The
16 only other question I might have on the better cross-section
17 you are going to provide, could you include headers on it as
18 well?

19 THE WITNESS: Yes. They are very small on there,
20 and I will make sure they expand. They didn't present well.

21 EXAMINER McCLURE: I think headers might be cut
22 off on them, but I could be mistaken, it just didn't look
23 like they are. But anyway, thank you. That's all the
24 questions I have for this witness.

25 HEARING EXAMINER COSS: Just looking at it now,

1 how thick is this interval that is that formation?

2 THE WITNESS: So the Avalon itself is about 1000
3 feet thick, but our injection interval -- and Mr. Sanko will
4 show the wellbore diagram -- but it stayed fairly flat along
5 that 9450 interval itself.

6 HEARING EXAMINER COSS: Okay.

7 THE WITNESS: Yes.

8 HEARING EXAMINER COSS: Do I have any other
9 questions?

10 EXAMINER McCLURE: I can't answer that one.

11 HEARING EXAMINER COSS: Thanks, Mr. McClure. I
12 guess you called it siliceous and it doesn't have any
13 bearing, but I'm going to use a term Ms. Bennett taught me
14 earlier. For my own edification, how siliceous is it?

15 THE WITNESS: So siliceous just means that it has
16 a quartz content.

17 HEARING EXAMINER COSS: But then you called it
18 clay rich?

19 THE WITNESS: So it has a high percentage of
20 quartz and clay. So it's not completely clay rich. It's
21 not 100 percent clay. It's not 100 percent sandstone. It's
22 like a -- mostly clay rock with some percent of quartz, and
23 it can also have some percent of carbonate in it, so it's
24 just like a mixed clay system. So the highest percent would
25 be clay content, but, yeah, it's going to have some -- some

1 silt-size grains, so some quartz in there as well, as well
2 as some carbonate, yeah.

3 HEARING EXAMINER COSS: Wonderful. Okay. So I
4 don't have any other questions for you. Thank you.

5 THE WITNESS: Okay.

6 MR. RANKIN: With that, Mr. Examiner, we would
7 ask that the witness be excused and be permitted to call our
8 final witness of the day.

9 HEARING EXAMINER COSS: Ms. Hessert is excused.
10 You may call your next witness.

11 DAVID CARLOS MACOSSAY SONKA

12 (Sworn, testified as follows:)

13 DIRECT EXAMINATION

14 BY MR. RANKIN:

15 Q. Mr. Sonka, will you please state your full name
16 for the record?

17 A. My full name is David Carlos Macossay Sonka.

18 Q. By whom are you employed?

19 A. I'm employed by EOG Resources as a reservoir
20 engineer.

21 Q. Have you previously testified before the
22 Division?

23 A. I have not.

24 Q. Will you briefly review for the Examiners your
25 relevant education and experience as a reservoir engineer?

1 A. Sure. In 2014 I began my career in oil and gas
2 interning on the King Ranch, working wells targeting the
3 sands. In 2015 I worked as a reservoir engineer interning
4 on the Eagleford studying well interference. In 2016 I
5 graduated from Texas A & M with a bachelor's of science in
6 petroleum engineering, with a senior design focus on
7 reservoir modeling.

8 Since that time I have been working full time for
9 EOG Resources in the Delaware Basin, focus primarily on New
10 Mexico.

11 Q. And your current obligation, current job duties
12 and job description include oversight of the southeast part
13 of New Mexico including the subject area for this proposed
14 well project?

15 A. Yes.

16 Q. You are familiar with the application on this
17 case?

18 A. Yes.

19 Q. Have you conducted a reservoir study of the
20 proposed project area?

21 A. Yes.

22 MR. RANKIN: At this time I would tender
23 Mr. Sonka as an expert in petroleum reservoir engineering.

24 HEARING EXAMINER COSS: So recognized.

25 MR. RANKIN: Thank you very much.

1 BY MR. RANKIN:

2 Q. Mr. Sonka, Ms. Hessert just reviewed her geologic
3 assessment explaining why the Avalon or Leonard A shale and
4 mudrock will serve as an effective containment for your
5 proposed reinjection project.

6 Have you built off a geologic study, prepared a
7 reservoir model to assess the feasibility of the reservoir
8 for you project?

9 A. Yes.

10 Q. Are you prepared to review for the Examiners what
11 you have done and how you constructed your model?

12 A. Yes.

13 Q. Let's do it. So let's first, before we do, I
14 want to, for clarification, looking at Exhibit 4 in this
15 packet, this was again the conditions that were requested by
16 the Division.

17 You are going to be filling out the rest of the
18 information requested by the Division under the heading on
19 Page 1, Technical Information and Standards for Installation
20 and Operation?

21 A. Yes.

22 Q. That would be Item Numbers II and III in terms of
23 the reservoir modeling showing the net effect of your
24 injection on the ultimate recovery of the reservoir?

25 A. Yes.

1 Q. Okay. And in addition, you will be also
2 addressing on Page 2 the request by the Division to justify
3 the maximum allowable surface pressure with a gradient
4 greater than .14 psi per foot. Is that correct?

5 A. Yes.

6 Q. So those three things we'll be addressing today.
7 Let's go ahead and start with the first, in reverse order,
8 we'll take the issue under Item Number IX, which is
9 justification of the maximum allowable surface injection
10 pressure that you proposed, and the fact that it exceeds the
11 gradient point .14 psi per foot.

12 So you prepared an exhibit that outlines your
13 analysis on that topic. Is that marked as Exhibit Number
14 18?

15 A. It is.

16 Q. Will you review it for the Examiners?

17 A. Sure. So on the Exhibit 18 what we have are
18 average parameters during the original stimulation
19 treatment. Notably the ISIP and frac gradient. So to
20 explain what an ISIP is, before we fracture the rock, we
21 inject a small volume until we observe a pressure response
22 that indicates the rock has just begun to crack. And then
23 we shut down and observe the reclosure pressure of the
24 fracture, and from that we can infer what pressure it took
25 to initiate fracture.

1 And so a frac rating of .75 is very in line of
2 what we have seen on a large number wells targeting this,
3 and that's what we will be using as the frac propagation
4 pressure for the zone.

5 Another thing to point out is, while we were
6 fracking this well, of course we had a full column of water,
7 and we subjected the casing surface pressure of 7786 pounds.
8 Average sustained pressure is almost 6500 pounds.

9 **Q. And so just to reiterate that what you are**
10 **seeking or requesting is a maximum surface injection**
11 **pressure of 3500 psi; is that correct?**

12 A. Yes.

13 **Q. And based on your what you just reviewed for the**
14 **Examiners, how do you know that that maximum surface**
15 **injection pressure is a safe surface injection pressure for**
16 **this project and will not damage the reservoir?**

17 A. So the way we tried to determine what is an
18 absolute term was the propagation pressure was we multiplied
19 the .75 frac gradient that was observed, times the true
20 vertical depth of 9450, and the result of that
21 multiplication is just over 7,000 pounds. Applying the 90
22 percent safety factor that the Division requested we are
23 down to about 6300 pounds, and the 3500 pounds that we are
24 asking for, plus column of gas .14 psi per foot puts you at
25 approximately 4800 pounds, in other words, 2500 pounds below

1 what we anticipate to be 90 percent of the frac propagation
2 stress.

3 Q. So that's below even what the Division has
4 identified as a limit for what they want to see the
5 pressures in this zone?

6 A. Correct.

7 Q. Now, 2500 pounds, that's a gap between what you
8 expect the downhole pressure to be and what your propagation
9 fracture pressures are measured to be in the zone. Is that
10 correct?

11 A. Correct.

12 Q. Now, tell me a little bit about how unlikely or
13 how difficult it would be for EOG to, to reach that
14 additional pressure that would result in propagation
15 fractures in the zone under this proposed operation?

16 A. So to understand how much gas we would have to
17 inject to propagate a fracture, we studied the amount of
18 volume that had been removed at in situ conditions in the
19 reservoir to result in the surface volume that we produced
20 out of this well.

21 And we determined that if we were injecting gas
22 at 3500 pounds of surface pressure, we would only be
23 refilling just over 1 percent of the volume that had already
24 been removed at the largest interruption of volumes that
25 we've observed.

1 Of course to build pressure greater than that,
2 that 1 percent would start to compress, and so the amount of
3 gas we would have to produce would be several, several BCF
4 to pack in all that gas and continue to build pressure. And
5 the surface pressure we would require to break the rock
6 would be such that we don't have a compressor in our
7 Division that's capable of outputting that surface pressure.
8 So there's -- it would be really, really difficult for us,
9 even on purpose, to try and break any rock with gas.

10 **Q. So just as an example, an estimate, how much gas**
11 **or how much time would EOG need to inject in order to even**
12 **approach that propagation fracture pressure limit?**

13 A. At the peak rate we've observed, for our
14 disruptions, if we injected at that for just over two
15 months, we would have the -- continuously, we would have the
16 amount of volume, but again we would lack the horsepower to
17 pressure that up significantly enough to fracture the rock.

18 **Q. So in light of that, is it your opinion that the**
19 **3500 pounds as the maximum allowable surface injection**
20 **pressure is justified here in the circumstance?**

21 A. That is my opinion, yes.

22 **Q. Now, before we move into your modeling, I want to**
23 **ask you an additional question that came up during prior**
24 **testimony. And that was the question about whether you**
25 **would be willing or able to implement or install a downhole**

1 **monitoring system in this well.**

2 And I wanted to just ask if you would -- what is
3 **your opinion about the -- how well that kind of system would**
4 **function in this environment at the downhole location here?**

5 A. So as a reservoir engineer, we are always very
6 interested in the bottom hole pressure, so we like to run
7 real time gauges, but we've had very bad luck with the
8 reliability. So typically what we run are memory gauges and
9 use those to verify our correlation.

10 So of course putting any electrical component in
11 a situation where it's going to be washed over by very high
12 salinity water explains why there is such reliability
13 issues. But we will show a little bit in the model what we
14 think the resultant energy of the reservoir is after maximum
15 volume of injection and how much fluid that can support.
16 And EOG would be willing to confirm that model after
17 injection by shooting a fluid level and verifying where the
18 new fluid level was established once equilibrium is reached
19 with additional pressure that is injected.

20 However, to support a full column of fluid, the
21 well would need to be about 80 percent of its initial
22 pressure. And like we said, injecting 1 percent of the
23 volume that you've removed is not enough nor near enough to
24 re-energize the reservoir such that it could support that
25 much.

1 Q. So there's essentially numerous reasons, at least
2 two reasons why it would be easier to prove it's unnecessary
3 to include that equipment; number one, it's an environment
4 that doesn't do well with electrical components, and they
5 tend to not -- they tend to fail. And as a result, would
6 EOG then have to shut in the well, pull the tubing in order
7 to replace that equipment?

8 A. Depending on the method of conveyance, the most
9 reliable one you would have to retrieve the tubing string
10 and completely reinstall new tubing string, and you wouldn't
11 be able to use the well for injection during that time.

12 Q. And the other reason you stated is as a physical
13 matter, matter of physical fact that there is just not the
14 ability for this reservoir to support a full column of fluid
15 across the wellbore, is that right, based on the production
16 history of the well?

17 A. The reservoir does not have sufficient energy to
18 support a column of fluid and the additional energy caused
19 by injecting gas does not add enough energy to make it to
20 where it can support a column of fluid.

21 Q. Very good. So moving on from that issue, let's
22 go on and talk about how you constructed a model to evaluate
23 the reservoir in this case.

24 I'm going to turn to what's been marked in your
25 exhibit packet as Exhibit 19, the first page of that

1 **exhibit.**

2 **Would just review for the Examiners the**
3 **components of this exhibit and what you did in the**
4 **construction of this model?**

5 A. Sure. So based on the geologic responses we see
6 in the logs, the stratigraphy and all of those maps, we
7 assign a 3-D grid space that we want to understand the
8 properties of, and that's what these little griddings are.

9 So in the model this grid space is fully
10 populated. I sliced away to where you could see the
11 wellbore. So what these little grids are, are individual
12 cells that assigned certain properties, assigned a pressure,
13 a saturation, fluid components and everything like that.
14 And permeability porosity, of course.

15 And then based on you know, Jenna's work, we were
16 able to assign those, you know, what we assumed to be the
17 initial proper properties to each of these layers, and then
18 we have seven years of wellbore history. So the model will
19 give us outputs, and we will make fine-tuning modifications
20 to the completion parameters and to the geologic parameters
21 until the model is matching very accurately what the well
22 has done over it's lifetime in terms of production rate and
23 pressures.

24 Q. **So once you have established the model and it's**
25 **components, what's the next step?**

1 A. So the next step -- so this is a snippet through
2 time at modern day -- approximately modern day of the
3 pressure around the wellbore. So this is before any
4 injection has been simulated, and you can see the area where
5 the matrix has been drawn down, it's really well-confined
6 near wellbore, and that's a function of the low permeability
7 of the rock. It's really confined, and the boundary between
8 the undrained and drained area has really high delta
9 pressure, and that speaks to the really low permeability.

10 So what we are able to do from here is, one,
11 continue to the run the model and come up with a baseline
12 understanding for what we think the well will do
13 indefinitely into the future with no injection. Two, we are
14 able to make a new model with the exact same parameters and
15 simulate alternating cycles of injection and production and
16 then injection and production again and compare the results
17 of the two.

18 And so that's how we were able to determine
19 whether the -- what effect the injection process would have
20 on the well, on the offset wells, and of course on the
21 ultimate recovery of the well in terms of gas and oil.
22 Another thing we were able to determine is the bottomhole
23 pressure that we see after a cycle of injection and the
24 pressure trend that we see through cycles of injection.

25 **Q. For purposes of clarification for the record,**

1 would you mind just highlighting what the colors mean on
2 this second page of the exhibit so we understand what you
3 are talking about?

4 A. Sure. So the orange cells that kind of go into
5 red are the initial pressure of the reservoir, and it's
6 increasing because it's getting deeper. The blue colors are
7 regions where the pressure has decreased in the function of
8 pushing fluids into the wellbore, so those are defined here.
9 The little bit lighter blue towards the edges are just a
10 little bit less efficient drawdown.

11 Q. What's the difference between the image on the
12 left versus the image on the right?

13 A. The images are the exact same model at the exact
14 same time. The difference is that certain layers have been
15 excluded from this to allow a picture of the wellbore, and
16 in that case that layer at the wellbore has been included to
17 show the extent of the blue region which is the drawn down
18 area.

19 Q. The point I think you are making is there is a
20 strong almost immediate gradient between where the
21 formation has been drawn down and where you encounter the
22 original formation pressure; is that correct?

23 A. Yes. So we would expect that any injected gas
24 would stop right at that boundary.

25 Q. That's because it's encountering essentially

1 negative formation pressure at that permeability barrier; is
2 that right?

3 A. Correct.

4 Q. That's why you believe this rock in particular is
5 a great zone for conducting this pilot project because it
6 will stay within that area that is lower pressure as a
7 result of production?

8 A. Correct.

9 Q. Okay. Very good. Now, what does this next page
10 of your exhibit show?

11 A. These are outputs from the model in terms of the
12 oil and gas rate in the lowest bottomhole pressure for the
13 case where we started injecting. So on the X axis we have
14 time. On the left axis in log rhythm scale, we have gas
15 rate in solid red. The right axis in log rhythm scale we
16 have oil rate in dashed blue, and then in linear we have the
17 bottomhole pressure of the well.

18 And so the observation we want to make, at this
19 red line we began simulating the cycles of injection and
20 production. And so immediately after injection, the
21 wellbore pressure is up from what it is today, but not up in
22 any manner that would be able to support a significant
23 column of fluid. This amount can support about 2500 feet of
24 reservoir fluids, which would leave you 7000 feet of TVD
25 approximately of low pressure gas.

1 And really notably on this chart is that the gas
2 rate, oil rate in the well bottomhole pressure over a long
3 period of time are continuing to decline which supports the
4 idea that this well should be classified as a producer. We
5 are still getting net production out of the well. We are
6 still drawing down the well and approaching the ultimate
7 life of the well.

8 **Q. The point you are making about the**
9 **repressurization during the production phase is that you**
10 **would never be able to achieve a full column of fluid within**
11 **the well at any point going forward?**

12 A. Correct. So the -- at none of these points in
13 the cycle would be able to achieve a full column. That
14 would have been right back here when the well was initially
15 turned on would be the pressure required.

16 **Q. Very good. Anything more on this particular**
17 **exhibit?**

18 A. No.

19 **Q. Let's look at your last page of this exhibit and**
20 **will you just review what the purpose of this exhibit is and**
21 **what it shows?**

22 A. So this again is an output from the model showing
23 the injection case. We are showing the month -- or the
24 yearly trends of gas and oil, and so the most rigorous way
25 to compare the impact was comparing against the baseline,

1 which we did, and that's what gave us the confidence to say
2 we are not expecting any impact on the ultimate recovery.

3 But this kind of helps illustrate that the trends
4 are very much in line with and without injection from what
5 we would expect from a well this age.

6 Q. Now, I think that all covers the issues
7 identified by the Division to demonstrate that it will not
8 migrate from the formation, interfere with other wells, or
9 affect underground sources of drinking water under Item
10 Number 2. Is that fair to state?

11 A. Yes.

12 Q. Is it your opinion that in light of the nature of
13 the rock in your modeling, the reservoir, that it's not
14 going to leave the near bore zone -- the near wellbore zone,
15 so it won't interfere with other wells, nor will it affect
16 underground sources of drinking water?

17 A. Yes. The multi-well model was actually done as
18 well to confirm that the offset wells would not experience
19 any effects positive or negative.

20 Q. So in addition to any single-well modeling, you
21 did a multi-well model to expand your analysis, assessment
22 about the reservoir using the same data, and it shows there
23 is no interaction between the neighboring wells?

24 A. That's correct.

25 Q. Okay. Now, the last part of your testimony here,

1 Item Number III, under the topic to provide a technical
2 analysis to evaluate whether the injected gas net will have
3 a net positive, neutral, or negative effect on the pool's
4 ultimate recovery. Have you conducted that analysis as
5 well?

6 A. Yes.

7 Q. Could you describe what your assessment was?

8 A. The determination was that it would have a
9 negligibly positive effect on the pool's ultimate recovery
10 in terms of oil and gas.

11 Q. Now, Mr. Sonka, in your opinion, will the
12 granting of this application be in the interest of
13 conservation of resources, prevention of waste and
14 protection of correlative rights?

15 A. Yes.

16 Q. In your opinion, will this pilot project, can it
17 be operated safely to prevent impacts or harm or risk to
18 human health and the environment and to fresh water sources?

19 A. Yes, it can be done safely.

20 MR. RANKIN: At this time, Mr. Examiner, I would
21 move the admission of Exhibits 18 and 19 into the record.

22 HEARING EXAMINER COSS: Exhibits 18 and 19 are so
23 admitted.

24 (Exhibits 18 and 19 admitted.)

25 MR. RANKIN: No further questions. Pass the

1 witness.

2 HEARING EXAMINER COSS: Examiner McClure?

3 EXAMINER McCLURE: I have a few questions. Can
4 we go to your identification of the fractured gradient, your
5 initial tests that were conducted, and I'm assuming they
6 were the standard step rate test; is that correct?

7 THE WITNESS: No. So we, in the modern era we do
8 DFIT analysis.

9 EXAMINER McCLURE: Sorry, I'm with you. Okay, so
10 you have a DFIT analysis?

11 THE WITNESS: Right. However, in 2011 we were
12 not collecting high enough resolution data to do an accurate
13 DFIT. But studying the relationship of DFITs to initial
14 frac gradience, we feel pretty comfortable that it's
15 representing it well enough.

16 EXAMINER McCLURE: Now, as far as providing us
17 then with what you used to come up with that number, does
18 EOG have a problem with that?

19 THE WITNESS: What we used to do come up with the
20 number was hydrostatic gradient plus the initial shut-in
21 pressure divided by the TVD. So I think that the data is
22 here, but we can provide additional data if you guys request
23 it, certainly.

24 EXAMINER McCLURE: Would you say that once more?

25 THE WITNESS: The way we determined the frac

1 gradient is by adding initial shut-in pressure you see in
2 Column 3 of Exhibit 18.

3 EXAMINER McCLURE: Okay. Go ahead.

4 THE WITNESS: To a column of hydrostatic fluid.

5 EXAMINER McCLURE: And you were just -- and you
6 are assuming that the fracture closure pressure then? Is
7 that what we are getting from that? Is that your thought
8 process then?

9 THE WITNESS: Right. When you take an ISIP, you
10 pump a little volume and shut your pumps. So of course when
11 you change the flow rate of a viscous fluid, you observe a
12 water hammer, so we let the water hammer resolve, and then
13 is proprietary interpretation shortly thereafter that backs
14 out what we think the initial fracture gradient is.

15 EXAMINER McCLURE: Okay. So depending on how the
16 math works for your -- your requested surface pressure, we
17 may end up requiring something, they're not regulations --
18 require step rate test to -- or equivalent -- to allow a
19 fracture gradient higher than the .65. Having said that,
20 that may not be the case here depending on I don't think
21 your max surface pressure reaches that.

22 THE WITNESS: No, sir.

23 EXAMINER McCLURE: I don't have a calculator or
24 anything to look at that.

25 The other question I have for you, you have an

1 average pressure and max pressure here for when the frac was
2 occurring. As far as your barrels per minute, anything
3 along those lines, in order to actually compute a downhole
4 pressure, I don't see anything that would be required to
5 actually make these numbers themselves usable, I guess.
6 What's your thoughts towards that?

7 THE WITNESS: Right. Obviously EOG has the pump
8 rate pressures, but we felt that, you know, that was a
9 little bit proprietary, so we can can submit them under sort
10 of seal process if needed.

11 EXAMINER McCLURE: It may not be necessary. I
12 was just asking because you had supplied these numbers, but
13 you know, without considering our dynamic pressure it's hard
14 to really use them for anything for this purpose. But they
15 are probably -- I doubt we need the support, that was just a
16 question I had.

17 Now, this well has been in production for seven
18 years; is that correct?

19 THE WITNESS: Yes.

20 EXAMINER McCLURE: Okay. Now, the number that
21 you have been stating, I don't know how many billions cubic
22 feet you said that's come out of this well. I see it here
23 and there, but are you saying we are looking at one percent
24 of that? I guess, is there any consideration to the fact
25 that you want to put the 1 percent back in in a far shorter

1 time than at seven years?

2 I mean, that stated, this is a low permeability,
3 low porosity formation, so is that like one month of
4 injection you are going to be able to get it shoved out to
5 that point? Was there any consideration in regards to your
6 modeling -- I would presume that it takes into account with
7 regards to the pressure and stuff?

8 THE WITNESS: So the model injects 15 million in
9 one month, so that's kind of the typical interruption
10 frequency and rate and volume that we would expect, but in
11 terms of frictional components, that will all be spent
12 before you really see the formation in terms going down the
13 casing and tubing and then the -- especially through the
14 perforations. So we think that that just adds to the
15 conservativeness of all the stuff we've presented today.

16 EXAMINER McCLURE: Oh, I apologize, I wasn't -- I
17 wasn't referring to that. I was referring to the fact that
18 it takes time to get to -- to get the volume back into the
19 formation. It's not going to take it that fast. I don't
20 think you are going to have any restriction in regards to
21 the pressure loss within your tubing or within your perf,
22 which I would presume without running the numbers.

23 THE WITNESS: Sure. So the model suggested it's
24 possible. Certainly we would want to confirm that with
25 field data that we can even inject that, and that's really

1 one of the reasons we selected the max surface pressure we
2 did because we feel that will enable us to, but definitely
3 after the results of the pilot, we will have to have more
4 conversation, about you know, what rate and what volume we
5 are able to get and how that looks going forward.

6 EXAMINER McCLURE: I'm looking forward to that
7 process if we get there.

8 Now, you mentioned -- now, I'm complete -- I'll
9 just put a comment out there. I understand where you are
10 coming from as far as tranfusion reliability. Obviously
11 there are issues with it. You mentioned potentially
12 shooting fluid levels. Your thought process would be after
13 an injection period, shoot a fluid level with like an echo
14 gun, something along those lines, and then submit that in a
15 sundry at that time, or what is your thoughts in regards to
16 that?

17 THE WITNESS: Yes, sir. If granted approval, we
18 would obviously try quite a few different combinations of
19 volumes and rates, and then maybe the top five combinations
20 that would tend to re-energize the reservoir and the very
21 last one we do as well, we would shoot a fluid level, and we
22 use echo meters, and I think we would be willing to submit
23 those to the Division. I can't authorize the submission,
24 but I would anticipate EOG would be willing to share all
25 that with the Division on a sealed basis.

1 EXAMINER McCCLURE: I would anticipate it as well,
2 but obviously we are talking -- now, you mentioned that you
3 believe this will have a net positive effect on the
4 recovery. I guess, what was your thoughts in regards to why
5 you thought net positive?

6 THE WITNESS: Really it was a neutral effect.
7 The change was extremely small to the point where I would
8 consider it, you know, within the error on the model, but it
9 was a slight positive effect. And that's probably mostly
10 due to re-adding energy, driving.

11 So in a depletion drive when you are re-adding
12 energy, you are helping to drive in new molecules that were
13 previously passed over perhaps.

14 EXAMINER McCCLURE: Okay, I'm with you. I guess
15 what my question would be, and it's related to an earlier
16 question I had with regards to paraffin, was there any
17 thoughts in regards to when you are taking your processed
18 gas, like come out of similar reservoirs to this -- it's
19 leaner than the gas that's coming out of this reservoir, has
20 any thought been put towards whether that will cause your
21 heavier oil to drop out or paraffin to form within your
22 reservoir and cause permeability issues or your permeability
23 to decline? What your thoughts for that?

24 THE WITNESS: So we haven't observed anything
25 like that. The addition of leaner things should, I think,

1 tend to make your heavier components come in gas more so
2 than a heavier stream, but typically what we observe is when
3 you cool the reservoirs is when you have paraffin issues,
4 and this gas would not be pooling the reservoir, so we don't
5 anticipate any issues with paraffin dropping out in the
6 reservoir or wellbore.

7 EXAMINER McCLURE: But you have considered it
8 would be my question?

9 THE WITNESS: We have considered it, and we don't
10 think it's a significant risk.

11 EXAMINER McCLURE: Okay. That's kind of what I
12 was looking for. I believe that's all the questions I had
13 for you. Thank you.

14 THE WITNESS: Sure.

15 HEARING EXAMINER COSS: Carlos, nice to see you
16 again. Thank you for your presentation and the modeling you
17 performed here. Good to see.

18 I don't really have many substantive questions
19 here, but one of the them would be, what's the grid size?
20 What's the -- how big are your grids?

21 THE WITNESS: We would be willing to share that
22 with the Division on a sealed basis. So the gridding,
23 especially as it relates to the draw down, how far we think
24 the draw down is extending, we consider that to be
25 confidential business information, so --

1 HEARING EXAMINER COSS: I see. But you feel it's
2 an adequate size to capture the fracs and the gas injection
3 of this well?

4 THE WITNESS: In terms of the resolution of the
5 model, yes. Yes, certainly the grids are a size to where
6 the model ran very slowly.

7 HEARING EXAMINER COSS: Very well. And so
8 having -- you're not -- how far down this horizontal
9 wellbore are you envisioning the gas, the injected gas
10 traveling?

11 THE WITNESS: In terms of laterally extended?

12 HEARING EXAMINER COSS: Uh-huh.

13 THE WITNESS: That's really a dynamic deal that
14 will be a function of the rate and how many perforations are
15 open in the heel and how many garbage is in the
16 perforations, and then, ultimately, you know, how well the
17 formation is taking it.

18 So it's -- it's really difficult to say other
19 than, you know, probably every portion of the lateral will
20 take some gas, and the heel will take the most, and beyond
21 that it's -- it's really difficult to speculate.

22 HEARING EXAMINER COSS: I see. I lost my
23 questions. That's all my questions.

24 MR. AMES: That was your last question then?

25 HEARING EXAMINER COSS: Right.

1 MR. RANKIN: With that, Mr. Examiner, I have no
2 further questions at this time, and I ask that Case Number
3 20965 be taken under advisement by the Division, and we
4 will, subject to our provision of the confidential
5 information, the cement bond log, electronic version of the
6 cross-sections and the calculations that were requested,
7 other than that, I think we have provided everything that
8 the Division has requested in its October 24, 2019 letter,
9 and upon submission of that additional information, we ask
10 that the Division take this case under advisement.

11 HEARING EXAMINER COSS: Case Number 20965 will be
12 taken under advisement.

13 MR. RANKIN: Thank you very much.

14 HEARING EXAMINER COSS: With that, we will
15 adjourn.

16
17
18
19
20
21
22
23
24
25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 REPORTER'S CERTIFICATE

5

6 I, IRENE DELGADO, New Mexico Certified Court
7 Reporter, CCR 253, do hereby certify that I reported the
8 foregoing proceedings in stenographic shorthand and that the
9 foregoing pages are a true and correct transcript of those
10 proceedings that were reduced to printed form by me to the
11 best of my ability.

12 I FURTHER CERTIFY that the Reporter's Record of
13 the proceedings truly and accurately reflects the exhibits,
14 if any, offered by the respective parties.

15 I FURTHER CERTIFY that I am neither employed by
16 nor related to any of the parties or attorneys in this case
17 and that I have no interest in the final disposition of this
18 case.

19 Dated this 12th day of December 2019.

20

21

Irene Delgado, NMCCR 253
License Expires: 12-31-19

22

23

24

25