

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PUBLIC HEARING
STATE OF NEW MEXICO
OIL CONSERVATION COMMISSION

Pecos Hall, 1st Floor, Wendell Chino Building
1220 S. Saint Francis Drive santa Fe, New Mexico

TRANSCRIPT OF PROCEEDINGS

March 11, 2025

SPECIAL MEETING: DELIBERATIONS, PFAS RULEMAKING

HEARD BEFORE:

HEARING OFFICER FELICIA ORTH

COMMISSION MEMBERS:

GERASIMOS ROZATOS, Chair

GREG BLOOM, Member

DR. WILLIAM AMPOMAH, Member

COUNSEL TO THE COMMISSION:

MR. ZACHARY SHANDLER, ESQ.

1 TRANSCRIPT OF PROCEEDINGS

2 CHAIR ROZATOS: Good morning to everybody.

3 I'm Gerasimos Rozatos. I am the acting director for
4 the Oil Conservation Division, and I'm also the
5 acting Chair for the Oil Conservation Commission.

6 I'd like to bring into order our meeting
7 that we have scheduled for today. It is the
8 rulemaking that we have, so we'll start up our
9 meeting with a roll call.

10 As stated, I am Gerasimos Rozatos. I am
11 the acting director for the Oil Conservation Division
12 and acting Chair for the Oil Conservation Commission.

13 And I'll go to the commissioner right
14 next to me.

15 COMMISSIONER BLOOM: Good morning. I'm Greg
16 Bloom. I'm the designee of the commissioner of
17 Public Lands. Thank you.

18 COMMISSIONER AMPOMAH: Good morning. I'm
19 Dr. William Ampomah, designee of the Energy
20 secretary.

21 CHAIR ROZATOS: Excellent. Thank you all.
22 So we've got our roll call.

23 Next we need to do the approval of our
24 March 11th and 12th, 2025, agenda. If I could get a
25 motion for the approval of the agenda.

Page 2

1 COMMISSIONER BLOOM: I so move.

2 COMMISSIONER AMPOMAH: I second.

3 CHAIR ROZATOS: Excellent so our agenda is
4 approved.

5 (Motion approved.)

6 CHAIR ROZATOS: As stated, this is our
7 pending case. It's Case Number 23580. It is
8 application of WildEarth Guardians to amend the
9 Commission's rules to address PFAS amendments to
10 19.15.2, 19.15.7, 19.15.14, 19.15.16 and 19.15.25 of
11 the New Mexico Administrative Code.

12 This is going to be the Commission's
13 deliberations, so I want to open it up and we can
14 start deliberating. Commissioners.

15 COMMISSIONER BLOOM: Mr. Chair, I don't know
16 if you have any ideas about how we work our way
17 through this. I think, however, one approach might
18 be to just start at the top and work our way through
19 it. I think we'd get pretty quickly into the mix on
20 some of the bigger issues.

21 Or we could just, you know, each spend a
22 few minutes talking about where we're at with the
23 case in general.

24 CHAIR ROZATOS: Thank you.

25 Commissioner Ampomah, did you have

1 anything?

2 COMMISSIONER AMPOMAH: Not really. You
3 know, I feel like if you look at NMOCD's summaries,
4 really reflects a lot, then compare the petition and
5 then also that of NMOGA's position. So I think that
6 will be very helpful. And also the one that counsel
7 also prepared for us. So either way is fine with me.

8 CHAIR ROZATOS: Excellent. I do have one
9 question for you, Commissioners. We could definitely
10 go one by one, as Commissioner Bloom stated. Is
11 there a preference on potentially taking a holistic
12 and just adopting one set of suggestions? For
13 instance, WildEarth Guardians NMOGA's or the OCD's.

14 COMMISSIONER AMPOMAH: I will say that it's
15 probably one after the other, because maybe we might
16 not all agree on adopting just one single suggestion.

17 CHAIR ROZATOS: Excellent.

18 Commissioner Bloom.

19 COMMISSIONER BLOOM: Mr. Chair, I think I
20 agree with Dr. Ampomah there. I don't think any one
21 set of proposals encompasses where I would land. And
22 I'm not sure that it would for the entire Commission
23 either. So I think working our way through from the
24 beginning might be fruitful.

25 And just something to put out there.

1 One thing I've done in the past, I think we did
2 rulemaking on the pit rule back in 2012 or so, 2013,
3 and we kind of, you know, found our way through,
4 looked at some areas where we agreed and could set
5 those aside, and then dealt with some of the trickier
6 issues at the end.

7 Although in this case, I think there's a
8 few big issues out there that we just need to get
9 into.

10 CHAIR ROZATOS: Excellent. Well, then,
11 let's start one by one.

12 COMMISSIONER BLOOM: Dr. Ampomah, I think
13 you were saying that going through OCD exhibit was
14 helpful in terms of getting us side by side.

15 COMMISSIONER AMPOMAH: I think so, and that
16 was really, really helpful. But let's say if we even
17 start from the beginning, we can still cross-check
18 that with what OCD has in terms of the comparison of
19 all the proposals, and we can agree or, more or less,
20 discuss.

21 CHAIR ROZATOS: Okay. We can totally do
22 that. I apologize, I just had failure of my
23 electronic device. So it'll take me a second. If
24 you all would want to start with the first one.

25 COMMISSIONER AMPOMAH: You know, with the

1 first one, so the petitioner is proposing a
2 definition for "chemical."

3 You know, I kind of side with OCD
4 because this is a common industry term, and if we
5 intend to define that with regard to this rulemaking,
6 probably there could be some limitations to the
7 scope. So I agree with OCD that that should be
8 scrapped.

9 COMMISSIONER BLOOM: I would coincide there,
10 as well.

11 CHAIR ROZATOS: I actually have to agree
12 with that also, so I think we would stick with what
13 the OCD stated for that one. Excellent.

14 And, again, I apologize. Can one of you
15 just say the actual rule number that we're looking
16 at? As I said, mine kind of collapsed.

17 COMMISSIONER BLOOM: Sure. That was Rule
18 19.15.2.C(4) and (5) NMAC. It's the definition of
19 "chemical," which we would remove from consideration.
20 It was proposed by the joint proponents.

21 CHAIR ROZATOS: Excellent. Thank you.

22 COMMISSIONER BLOOM: Then I believe the next
23 one right after that is Number (5), which is the
24 definition of "chemical disclosure list."

25 And that is a term I would want to

1 retain because it comes into play later on. We get
2 into questions about do we allow trade secrets or
3 proprietary information to be retained in FracFocus.
4 And I think it's time to let the sun shine in and
5 drop the trade secrets. I'm glad to elaborate more
6 on that if there's any discussion of it.

7 CHAIR ROZATOS: I actually would like to
8 hear some more on that, if at all possible from you,
9 Commissioner.

10 COMMISSIONER BLOOM: And, Mr. Chair, if you
11 want, we could take a few minutes here. You can pull
12 up your documents. I know it's distracting to try.

13 CHAIR ROZATOS: I apologize. Everything
14 just kind of went. If we could just take a minute,
15 if you could give me five minutes and we'll be right
16 back on record. Thank you.

17 (Pause in the proceedings.)

18 CHAIR ROZATOS: Apologies to everybody.
19 We're back on the record.

20 Commissioner Bloom, you were discussing
21 a specific rule. If you could just restate it for
22 the purposes and we just get back to it.

23 COMMISSIONER BLOOM: Yes. Let move up the
24 page here to find that again.

25 Okay. So before our pause there, we

1 were looking at proposed changes of rules to
2 19.15.2.C(5) and that is the addition of a definition
3 for the term "chemical disclosure list," which means
4 a list of all chemicals used in downhole operations
5 at a well site.

6 And let me just set the stage for this.
7 This comes into play a little bit later. If we look
8 at citing here OCD's exhibit binder that they use for
9 the hearing, and this is Page 32 of that 101-page
10 document, there is another definition for
11 "undisclosed chemicals" for 19.15.2.U, as in under,
12 (3). And that reads: Undisclosed chemicals means
13 either chemicals that are listed without a chemical
14 abstract service number in the FracFocus database
15 pursuant to 19.15.16.19.B NMAC, or if a safety data
16 sheet lists ingredients that comprise less than
17 100 percent of the whole chemical product, those
18 chemicals that make up any unlisted portion of a
19 chemical product in a safety data sheet.

20 I believe this becomes important with
21 Page 35 of the PDF. We see WEG's proposal, the joint
22 proposal, of 19.15.7.16.A NMAC, where it says that:
23 Within 45 days following the completion or
24 recompletion of a well, the operator shall file form
25 C-105 with the Division, accompanied by a summary of

1 special tests conducted on the well, including drill
2 stem test. And the addition is, "and the chemical
3 disclosure list." In addition, the operator should
4 file a certification that no undisclosed chemicals or
5 PFAS were used in the completion or recompletion of
6 the well.

7 So we see this term going through, so
8 this would be a -- these would all be terms that we
9 would want to keep if we are interested in bringing
10 sunlight to what's being put into the ground, what's
11 being released into the air and what's being spilled
12 on our ground.

13 If you'll permit me, Mr. Chair, my notes
14 here for this, but this section, I think NMOGA noted
15 in its opening that PTFE, a PFAS chemical, had been
16 used up until 2020. FPEG was used up until 2015.
17 And the only reason we know about these chemicals is
18 because they were disclosed. Had they been held as
19 trade secrets, we would not have known anything about
20 them.

21 There are a lot of PFAS chemicals,
22 potentially hundreds of thousands, that have not been
23 safety tested. We heard that testimony during the
24 course of this hearing, that that could be used, you
25 know, currently in New Mexico if we don't implement

1 this rule; if we don't implement it broadly, they
2 could be hidden as trade secrets.

3 There was some talk from NMOGA that we
4 cannot ban trade secrets at the OCC. I don't believe
5 we would be doing any such thing. It was the OCC
6 which allowed the use of proprietary information when
7 it set up its disclosure rules and linked our State
8 to FracFocus.

9 And what the joint proponents have
10 offered is language that says companies can keep
11 their chemical formulas secret, they just can't use
12 those chemicals in New Mexico. If you want to use it
13 here, you have to publicly release that chemical
14 information.

15 I think this is really important
16 because, as we heard from Ms. Troutman, with the
17 proponents, we've had massive numbers of spills over
18 the past, I think, 10-year period that she looked at.
19 One of the figures that stuck out to me was there are
20 almost 5 million barrels of spilled fluids and oil
21 and gas spills, totaling about 5 million barrels; 2
22 million barrels of which were never recovered.

23 And we don't know what -- we really
24 don't know what was not recovered. It could have
25 been other PFAS chemicals. They could be out there

1 in use today and we have no idea of it. These
2 chemicals, we know, are incredibly toxic at a level
3 of not parts per million or parts per billion, it's
4 parts per trillion. And the vast, vast majority of
5 them have not been safety tested.

6 Parts per trillion, we're talking about
7 a drop in 100 Olympic swimming pools. I think we
8 heard another figure tossed out during the hearing
9 was 1.5 ounces would contaminate 100,000 acre feet of
10 water. An acre foot is enough water for two or three
11 houses for a year; it's hundreds of thousands of
12 gallons.

13 So the toxicity of this is almost, I
14 mean, to a level where it's unfathomable. And they
15 haven't been safety tested. It's being spilled on
16 the ground. We heard testimony that it can be
17 evaporated into the air, we don't know what happens
18 with that, had very little testing.

19 So I believe if a company wants to bring
20 chemicals into New Mexico, transport them,
21 potentially spill them, may or may not report them,
22 maybe not have them cleaned up, may kick dirt over
23 them, as we see at the Land Office, in a way that's
24 almost routine, frankly. We should know what
25 chemicals are being used out there.

1 This is not in violation of the Trade
2 Secrets Act. OCC has done rulemaking in this area
3 previously, and I believe we should do it now.

4 CHAIR ROZATOS: Thank you, Commissioner
5 Bloom.

6 Commissioner Ampomah, Doctor.

7 COMMISSIONER AMPOMAH: Yes. So,
8 Commissioner Bloom, with regard to, let's say, the
9 chemical disclosure list, this is something that
10 companies have to disclose, more or less, like, let's
11 say, through FracFocus.

12 Now, with regard to the trade secrets, I
13 mean, if you say that -- if you define "chemical
14 disclosure list" means all -- means a list of all
15 chemicals used in downhole operations at a well site,
16 I mean, how are we -- well, like, let's say if you
17 have Company A, Company B, there are some kind of
18 trade secrets with regard to, let's say, a particular
19 composition. So are you saying that, let's say, if
20 we force companies to, more or less, disclose
21 entirely all the chemicals that they are going to use
22 in their downhole operations, are we not in violation
23 of the Trade Secret?

24 COMMISSIONER BLOOM: Mr. Chair, Commissioner
25 Ampomah, that's a good question. If we want to pull

1 up the Uniform Trade Secret Act in New Mexico, we can
2 certainly do that. But we would not be in violation
3 of that because we would be saying that companies
4 simply have to disclose the chemicals they're using
5 and they can't use anything that's not disclosed.

6 So, essentially, it's the end of trade
7 secrets in terms of what chemicals would be used in
8 oil and gas operations in our State.

9 COMMISSIONER AMPOMAH: And will not -- will
10 that not hurt innovation?

11 COMMISSIONER BLOOM: Dr. Ampomah, I don't
12 know how much -- how that would affect innovation.
13 You know, I've looked -- I was pulling up some of the
14 FracFocus disclosures randomly yesterday, just kind
15 of going around Eddie County, and a good number of
16 them had maybe six ingredients listed in their in
17 their frack fluid, and they were all made public.

18 I think some of the -- the secret might
19 be in the ways that they're mixed or put together.
20 You know, is there going to be a degree of hardship
21 for the land -- for the companies? You know, there
22 could be, but I believe that's outweighed by the
23 public's right to know. And I believe it's
24 outweighed by our duty to protect public health and
25 the environment. We can't protect ourselves from

1 chemicals that we don't know about.

2 This would create a much more open
3 system, one with greater availability of information
4 to first responders, people working on cleanups,
5 people going out to sites. It would simply be jump
6 on FracFocus, see what's on that, see what was being
7 used or transported to that job.

8 So I think, you know, our charge is to
9 protect public health and the environment. It's not
10 necessarily to ensure trade secret status for
11 chemicals which we now know are incredibly toxic.

12 We've only, you know, recently set EPA
13 limits on about six PFAS chemicals, and there is
14 testimony we heard suggesting there are tens of
15 thousands or hundreds of thousands such chemicals out
16 there. Chemicals routinely come into commerce in the
17 United States, and there's no substantial testing
18 regime for them. It's been an ongoing problem.

19 COMMISSIONER AMPOMAH: So, Commissioner
20 Bloom, I'm looking at one of the -- I'm looking at
21 one of the disclosures through FracFocus. So you're
22 saying that -- let's say they can list the
23 ingredient, but so here, the CAS number, they are
24 making it more, like, proprietary.

25 So are you saying that, let's say, as

1 long as they, more or less, disclose the ingredient
2 and not necessarily the CAS number, is that
3 acceptable?

4 COMMISSIONER BLOOM: Dr. Ampomah, I would be
5 anticipating that the ingredient, the CAS, C-A-S,
6 number and a percentage of the fluid would still be
7 disclosed as we would -- they would -- all those
8 numbers would be disclosed to have a full disclosure.

9 CHAIR ROZATOS: Did you have any other
10 concerns, Commissioner Ampomah?

11 COMMISSIONER AMPOMAH: I want to hear from
12 the counsel, if he can chime in on this one,
13 especially. Let's say, with regard to this
14 particular discussion, if we are not in violation of
15 the trade secret, if we are not, then I do not have a
16 lot of concern about this.

17 But I feel like the competitiveness of
18 companies can be, more or less, restricted here if we
19 are, more or less, allowing 100 percent disclosure,
20 especially if it is -- if it is marked as a trade
21 secret.

22 CHAIR ROZATOS: So before you answer,
23 Counsel, I would want to say that I kind of have the
24 same concerns that this may be overstepping our
25 ability and authority with the trade secret laws.

1 Though I share the concerns that Commissioner Bloom
2 has, and we are dealing with chemicals that
3 definitely have the potential of hazard and toxicity,
4 and it is one of this Commission's goals to protect
5 the public safety and to protect the environment, I
6 would never want to have this Commission overstep its
7 boundary into law that we have no jurisdiction over.

8 So I do share the same concern that
9 Commissioner Ampomah does.

10 MR. SHANDLER: This is Zach Shandler, from
11 the Department of Justice.

12 I think both sides have laid out their
13 legal arguments. I don't think there's a black and
14 white answer I can deliver to you today. I don't
15 know if the hearing officer wanted to summarize the
16 different legal -- you know, just a neutral
17 recitation of the legal arguments.

18 HEARING OFFICER ORTH: Yes, Mr. Shandler and
19 Commissioners. My name is Felicia Orth.

20 What the petitioner is doing here is
21 not engaging in the sort of debate that, for example,
22 NMOGA and even, I think, the Division was engaged in,
23 which is what happens when a company identifies a
24 trade secret and then OCD has to take custody of it
25 and protect it. And there's a fair amount of

1 administrative work around that. That's not where
2 they're engaging.

3 They're stepping around the question of
4 what happens when a company says, "Hey, that's a
5 trade secret," to say this is about disclosure. And
6 you might have a trade secret, right? You might have
7 proprietary substances, you just can't use them if
8 you're not willing to disclose them.

9 So, again, it goes back to disclosure.
10 It's of a piece with the disclosure mechanism. And
11 if they're not willing to disclose it, if they still
12 want to characterize this as a trade secret, they
13 just don't put it down the hole. So it's a stepping
14 around the question, really, of what is a trade
15 secret.

16 That's how I read the competing
17 arguments here.

18 COMMISSIONER AMPOMAH: But I remember that
19 in the discussion, NMOCD made it clear that if there
20 is a problem, then you have to disclose everything to
21 NMOCD, but they would have to, more or less, you
22 know, be careful with regard to how they disclose
23 that to the public.

24 So I don't think NMOCD was saying that
25 if you cannot disclose it, you don't use it. They

1 also give a path that if there is a problem, and,
2 let's say, assuming they have a cause of concern,
3 especially if they say your operation is going to
4 impact the ground source of drinking water, there you
5 have to disclose that to them without any
6 restrictions, but they will still protect that
7 information.

8 HEARING OFFICER ORTH: Right. You're right.
9 The Division was aligned with NMOGA on this,
10 effectively, not with the petitioners, who are saying
11 this is a piece with the disclosure requirement,
12 either you disclose it or you don't use it toward a
13 trade secret.

14 And so I guess, Mr. Shandler, the place
15 I think the Commission might benefit from a legal
16 opinion is, yes, certainly to the extent they are
17 allowed to say, "We want to use a trade secret, you
18 know, proprietary substance in our fracking," but
19 does the Trade Secret Act entitle them to use
20 something that's not a trade secret?

21 So yes, once it's a trade secret, right,
22 we know how to treat it. But are they entitled to
23 use a trade secret down a hole?

24 COMMISSIONER BLOOM: Ms. Orth and
25 Dr. Ampomah, when we look at the Trade Secret Act,

1 it's Uniform Trade Secrets. It's a very short act,
2 frankly, and it really works in the way, for example,
3 if a company says that it has a trade secret, its
4 employees would not be allowed to make those things
5 public, otherwise they could face action in court.

6 It does not give a company the right to
7 say, "I'm declaring a trade secret of this food
8 additive," and then put that food additive on the
9 shelves in New Mexico and not list the ingredients.

10 It doesn't work that way. It's really
11 about what happens once a company declares a trade
12 secret and how, when that trade secret is broken,
13 people can be sued in court. I'm just looking at
14 Google here.

15 CHAIR ROZATOS: Can I interrupt one second,
16 Commissioner Bloom?

17 COMMISSIONER BLOOM: Sure.

18 CHAIR ROZATOS: Again, I agree with what
19 you're saying, for the most part. Trade secret, same
20 law that you're looking at, New Mexico Statutes
21 Annotated, Chapter 57, under Trade Practices and
22 Regulations. So it's 57-3A-2, the definition is
23 under D: Trade secret means information including a
24 formula, pattern, compilation, program, device,
25 method, technique or process that derives independent

1 economic value, actual or potential, from not being
2 generally known to and being readily ascertainable by
3 proper means by other persons who can obtain economic
4 value from its disclosure.

5 So "formula" is part of that. That is
6 covered. The Division, as Commissioner Ampomah
7 brought out, stated that it would also cause a burden
8 on them because now they're having to maintain the
9 trade secrets that it would not, in its daily
10 activities, unless there was a spill that was
11 justified. And at that point, the rule of the spills
12 come in and they have to disclose.

13 So there is a little bit of a
14 distinction here of what is disclosed and what isn't
15 and how that affects legally and also how it affects
16 the Division.

17 COMMISSIONER BLOOM: Mr. Chair, I don't
18 believe there would be any burden placed on OCD
19 because they simply would not receive trade secrets.
20 Companies could not use anything that hadn't been
21 disclosed on FracFocus. So any knowledge would be
22 out there, would be public, and there's probably less
23 of a burden on OCD if we only allow the use of
24 disclosed chemicals.

25 And I agree that chemicals can receive

1 trade secret and formulas can have a trade secret
2 designation. But as we read the act, and you can go
3 through it here, I mean, it's a few lines, there's
4 nothing out there which says a company, a person can
5 declare a trade secret and then have the right to use
6 that.

7 In fact, it was the OCC, wasn't it, that
8 created the use of FracFocus for the State and
9 allowed for information to be held as proprietary?
10 And this simply undoes that.

11 I mean, think about this. We would have
12 no idea that PFAS were being used in New Mexico if it
13 hadn't been disclosed. They could have declared
14 these things proprietary information and we would
15 never have known about them.

16 And the numbers are pretty substantial.
17 Let me find those. One second here. I think it
18 was -- I'll go back and find them later. Just the
19 number of PTFE and FPEG that were used, the many,
20 many thousands of pounds of it is really substantial.
21 And this stuff is, you know, toxic at the level of,
22 you know, one drop in 100 swimming pools.

23 Here we go. I was looking at the joint
24 proponents post-hearing closing brief for adoption,
25 Page 8. It says Mr. Horowitz's research indicates

1 that during the time period, 22 oil and gas companies
2 injected 227 wells with a total of 2,605 pounds of
3 PTFE. Additionally, EOG Resources injected 34 wells
4 with FPEG, with a total injected weight of 6,400
5 pounds.

6 Remember, this is a situation where one
7 ounce can make toxic for human consumption hundreds
8 of thousands of acre feet of water or millions of
9 gallons of water.

10 Between 2013 and 2022, oil and gas
11 companies injected 8,200 wells with at least one
12 trade secret chemical per well. Trade secret
13 chemicals used over this period totaled 243 million
14 pounds, almost a quarter billion pounds released into
15 the air, spilled onto the ground. We see them going
16 down washes, we see them -- you know, we heard the
17 stories of people pulling the plugs on water trucks
18 and produced water spilling out onto the road.

19 We don't know what's in these, hasn't
20 been released. You know, it's us. We're up here
21 protecting health, we're up here protecting the
22 environment. And right now, the industry can take
23 any chemical, call it a trade secret and we have no
24 idea it's in use. I mean, there could be an entire
25 new class of chemicals invented tomorrow that would

1 be put into use and we wouldn't know about it for
2 Lord knows how long until somebody decided to
3 voluntarily disclose it to us.

4 But right now, any of these chemicals, I
5 mean, even PTFE today could be in use in New Mexico
6 and just held up as proprietary, and there's no
7 protection. We need to put the cart before the horse
8 here. We're bringing chemicals into commerce, into
9 public use, into contact with the environment and
10 people before they've been safety tested. And later
11 on we find out, you know, how horrible they are.

12 And we heard, you know, ample testimony
13 from the joint proponents' witness that worked at 3M
14 and, you know, that debacle. And, you know, here we
15 are again, you know, trying to get the genie back in
16 the bottle. And it's disclosure that allows us to
17 know what's being used in New Mexico.

18 So I'll stop there.

19 COMMISSIONER AMPOMAH: Commissioner Bloom,
20 so I'm looking through OCD's closing argument, and in
21 there, on Page 4, Item 15 -- or, let's say, 16, it is
22 clear intent of the legislature that trade secret
23 protections are beneficial. The Commission does not
24 have the requisite authority to either compel
25 disclosure of protected information to the public or

1 to ban use of such compound simply because it is
2 marked as trade secret.

3 So, you know, and also from, let's say,
4 someone from a research background, this is very
5 important, you know. To me, I feel like if we go
6 beyond this, then it means we are, more or less,
7 restricting innovation. So I will still stick to my
8 opinion that this should not -- I mean, I will side
9 with OCD on this one.

10 CHAIR ROZATOS: So let's take it as a vote.
11 I'll just start just on the far right.

12 Commissioner Ampomah, how would you like
13 to go with this one?

14 COMMISSIONER AMPOMAH: I'll side with OCD
15 and I scrap the chemical disclosure definition.

16 CHAIR ROZATOS: Okay. Commissioner Bloom.

17 COMMISSIONER BLOOM: I would leave in the
18 new definition of chemical disclosure list so that we
19 can get towards full public disclosure of all
20 chemicals that are being used in the oil and gas
21 industry in New Mexico.

22 CHAIR ROZATOS: Okay. And my vote is
23 actually going to be I agree with Commissioner
24 Ampomah and with the OCD that this is -- it goes past
25 the purview of this Commission, and so we scratch the

1 chemical disclosure list for this one.

2 So that is a 2 to 1 that we remove the
3 chemical disclosure rule on this. So 19.15.2.C(5)
4 will be struck under chemical disclosure.

5 Excellent.

6 Next one is the change of Rule
7 19.15.2.D(9), downhole operations. WildEarth
8 Guardians proposes the downhole operations means oil
9 and gas production operations that are conducted
10 underground. The OCD suggested that that be removed,
11 and I believe that's cited with New Mexico Oil and
12 Gas.

13 Yes, sir. Did I miss one?

14 MR. SHANDLER: Yes. They scrapped that.

15 CHAIR ROZATOS: Did they? I appreciate
16 that.

17 Madam Hearing Officer, did that one get
18 scratched?

19 HEARING OFFICER ORTH: I believe so.

20 CHAIR ROZATOS: Awesome. Thank you. I
21 appreciate that.

22 So which one is our next one? Okay. So
23 it's under P, PFAS. So we'll move on to 19.15.2.P,
24 as in Paul, Number (3), PFAS chemicals means a
25 fluoroalkyl or a polyfluoroalkyl substance, with at

1 least one fully fluorinated carbon atom.

2 That was the proposal from WildEarth
3 Guardians.

4 The Oil Conservation Division wanted to
5 modify it to read that: PFAS chemicals means any
6 chemical with at least a perfluorinated methyl group,
7 a CF3 or a perfluorinated methylene group, a CF2,
8 excluding those with a hydrogen, chlorine, bromine or
9 iodine atom attached to the subject carbon atom. For
10 the purposes of compelling environmental
11 investigation, the specific PFAS chemicals that can
12 be included in the chemical analysis includes those
13 listed in the United States Environmental Protection
14 Agency, or USEPA, Standard Analytical Methods
15 documents, specifically Method 537.1, drinking water;
16 Method 533, drinking water; Method 8327, groundwater,
17 surface water and wastewater; Method 1633,
18 wastewater, surface water, groundwater, soil,
19 biosolids, sediment, landfill, leachate and fish
20 tissue; OTM 45, which is air, semi-volatile and
21 particulate-bound PFAS; and OTM 50, air volatile
22 PFAS, including updated versions for each standard
23 method.

24 Commissioners.

25 COMMISSIONER AMPOMAH: So can the counsel

1 comment on this one? Because this is the one that it
2 was brought to our attention that the legislators are
3 looking at this. So I don't know if there is any
4 guidance from the counsel on this one. Yeah, I just
5 need some guidance on this.

6 MR. SHANDLER: So, Mr. Chairman, you did
7 receive a letter from the proponents updating the
8 information about the legislative process for a
9 particular bill. I think at this time, there's no
10 certainty about what would happen. So the lay of the
11 law right now, of the land, is that bill is just out
12 there as a proposal.

13 If the legislature then does adopt it at
14 a subsequent date and it's signed, the Commission can
15 then evaluate the legal landscape at that time. But
16 the landscape at the time is -- at this moment is
17 it's just a proposal.

18 COMMISSIONER AMPOMAH: Okay. If that is the
19 case and also OCD scrapped the OTM 45, so they
20 removed that portion from their definition, and from
21 OCD's standpoint, their definition will help them to
22 be able to regulate. They believe that, let's say,
23 what the proponent is providing here can be probably
24 unenforceable.

25 So on this one, too, I will side with

1 OCD's modification to the definition of PFAS
2 chemicals.

3 CHAIR ROZATOS: Thank you, Commissioner
4 Ampomah.

5 Commissioner Bloom.

6 COMMISSIONER BLOOM: Thank you, Mr. Chair.

7 On this one, I mean, again, I think we
8 have a real opportunity here to do something to more
9 widely protect public health, which is something
10 we've been charged with, and to protect the
11 environment.

12 The NMOGA and the OCD definitions would
13 very much limit the definition of PFAS, which would
14 make a lot of chemicals eligible to be put into -- or
15 I guess to be continued to have use in not only the
16 oil and gas industry in our State when we know -- I
17 think what we heard was absolutely nothing about the
18 safety of those chemicals.

19 I don't know why we can't make some --
20 we can't prohibit something without it being
21 enforceable, Dr. Ampomah. You know, I was trying to
22 think of some analogies to this.

23 And, you know, there are certain crimes
24 that have very good clearance rates. For example, I
25 live in Albuquerque and we've got a bit of a -- some

1 crime going on down there. The clearance rate for
2 murder is really high. I think it's like 85 percent
3 or 90 percent; almost all those cases are solved.
4 But we don't see that private property is recovered
5 from home break-ins. We don't see that vehicles are
6 recovered when they're stolen. And yet those things
7 are still prohibited or they're still illegal.

8 We can make something -- we can prohibit
9 something. Even though there's not a test for it
10 today, there's still other ways to find out that a
11 chemical has been used when it shouldn't have been.
12 If we go with the proponents' definition of, you
13 know, at least one fully fluorinated carbon atom,
14 there could be other ways to find out that that
15 chemical was used.

16 For example, someone from a company
17 could step forward and say, you know, "We should not
18 have been using this chemical and it was used," sort
19 of a whistleblower-type situation.

20 We are also putting down a marker that
21 we're not going to allow untested chemicals to be
22 used in our State; again, where they're, you know,
23 spilled onto the ground to the tune of 2 million
24 barrels over a 10-year period; you know, 80 million
25 gallons of these fluids, which are -- potentially

1 some of them being very, very toxic.

2 I think casting a wider net here is
3 absolutely appropriate. And I would point out the
4 joint proponents mentioned that this very definition
5 of PFAS is used by 23 states and cited by the federal
6 government. So this is not some quickly, you know,
7 thought-up definition, but it's one that's in common
8 use in nearly a majority of the states. I'm sure
9 many states don't have them, so probably the states
10 that have them, this would probably be the most
11 common definition.

12 I think the last thing I would say is,
13 just because something can't be tested now, you don't
14 get an enforcement that way, the tests are growing,
15 future tests will be available, and we should use a
16 definition of PFAS, a wide definition of PFAS.

17 One last thing, and then I'll stop here,
18 Mr. Chair.

19 I think, Dr. Ampomah, during the
20 hearing, you asked Dr. Richardson if a ban would
21 impact NMOGA, and he said, "I don't think it would
22 have any impact at all, to be honest."

23 So, you know, why not have a wider ban?
24 If companies are supportive of this ban, you know,
25 let's go ahead and use it. Let's do something broad,

1 let's put health first and protect it.

2 CHAIR ROZATOS: Commissioner Ampomah, you
3 look like you have a question.

4 COMMISSIONER AMPOMAH: Commissioner Bloom
5 made an important point, that we have to put our foot
6 on the ground in such a way that untested chemicals
7 cannot be used in New Mexico. You know, because I
8 had a concern about when OCD say that currently not
9 all PFAS compounds can be detected using standardized
10 methods.

11 So I'm kind of probably leaning towards
12 your argument that no untested chemical should be
13 used in New Mexico. Probably yeah, you are pushing
14 me to your angle now. Thank you.

15 CHAIR ROZATOS: And, Commissioner Bloom, I'd
16 like to just ask, in your mind, how does what
17 WildEarth Guardians and what OCD proposals differ?
18 What's the big hang-up for you between the two?

19 COMMISSIONER BLOOM: Mr. Chair, the
20 definition of PFAS as put forth by the joint
21 proponents would cover thousands and thousands of
22 chemicals.

23 And I believe the testimony we heard
24 from the OCD and NMOGA is that their definition would
25 cover on the order of, like, a hundred.

1 So we're talking many -- what's the word
2 I'm looking for, -- sort of 10x type, you know,
3 increases in the amount of chemicals that would be
4 covered.

5 You know, I think there was some
6 important discussion from some of the proponents'
7 health experts on this, that you can't -- you really
8 can't regulate and protect from things if you don't
9 know they're out there, if they're not disclosed.
10 And if we don't have a wide definition of PFAS, we
11 don't even know, you know, what other chemicals might
12 be being used, might be out there and shielded
13 because of proprietary information or trade secrets.

14 CHAIR ROZATOS: So though I agree, again,
15 with you on the fact that the OCC is tasked to make
16 sure that we maintain and protect the environment and
17 public health, if you look at the OCD version, it
18 states that with at least a perfluorinated methyl
19 group, or a CF₃, or a perfluorinated methylene group
20 without the hydrogen chlorine, bromine or iodine, and
21 then it says for the purposes of completing
22 environmental investigations, the specific PFAS
23 chemicals that can be included in the chemical
24 analysis include those listed in the EPA testing, and
25 then it says, including updated versions for each

1 standard method.

2 So I don't see how it's limiting to go
3 with the OCD version when we're saying it is
4 something that if we can see it, let's definitely
5 test for it and get it done.

6 Again, not saying that we shouldn't -- I
7 believe you opened up with your remarks to
8 Commissioner Ampomah, Dr. Ampomah, that if we can't
9 test it, we shouldn't have it. I don't necessarily
10 agree with that statement either.

11 But it was also told to us, as a
12 Commission, that something as important as Paxlovid
13 is a one-carbon perfluorinated compound; an SSRI that
14 is commonly used is considered PFAS.

15 So I think a broad statement is a lot,
16 not that we're putting Paxlovid and SSRIs down a hole
17 for drilling, but I believe, though, on a chemical
18 substance, on a chemistry background, the Division's
19 definition definitely covers what this goal of this
20 Commission is, to protect public safety and the
21 environment.

22 COMMISSIONER AMPOMAH: Commissioner, so if
23 you look at OCD's closing statement, on Page 3, it
24 says that all three proposed definitions of PFAS will
25 result in the prohibition of the use of more

1 compounds that are known to cause toxicological harm
2 to humans. Now, OCD definition will prohibit about
3 40 to 70 compounds.

4 The key point I want to make here is
5 that on 8, it says OCD's proposed definition will
6 evolve and expand with the field of study,
7 prohibiting the use of any compounds identifiable
8 through the described sampling methods.

9 So, Commissioner Bloom, let me ask you,
10 if we cannot --

11 CHAIR ROZATOS: Can I interrupt you,
12 Commissioner?

13 COMMISSIONER AMPOMAH: Sure, sure.

14 CHAIR ROZATOS: Could you read 9 for us, as
15 well?

16 COMMISSIONER AMPOMAH: Okay. OCD's proposed
17 definition is inherently precautionary because it
18 will cover all PFAS compounds for which the
19 scientific community develops a standardized testing
20 method.

21 So it sounds like OCD is trying to
22 broaden their definition here, and it's going to
23 evolve. Do you see the proponent's definition more
24 or less evolving, or is this a one-time stop, where
25 even chemicals that we cannot even test for are more

1 or less automatically banned?

2 COMMISSIONER BLOOM: Take a step back and
3 remember that these chemicals are so dangerous, so
4 toxic that industry doesn't want to use them anymore.
5 They're worried about the liability. They're worried
6 that when they spill, it can get washed downstream.
7 I mean, these are chemicals that don't bind to much
8 of anything, so they shoot straight through the
9 ground, they go into groundwater. These are
10 incredibly toxic. Nobody wants to use this entire
11 class of chemicals.

12 We have the opportunity to ban their use
13 in oil and gas very widely to the tune of, you know,
14 thousands of chemicals. I mean, sure, Paxlovid is
15 ingested by people, you know, fighting off COVID.
16 But, you know, would we want to use those same
17 chemicals downhole? You know, I don't know. It
18 might not be safe. How do they react to pressure and
19 heat? You know, those tests haven't been done.

20 And so what we're looking at is one
21 definition which would ban thousands of chemicals
22 that NMOGA says nobody wants to use anymore, or the
23 OCD definition of 4070 compounds.

24 Yes, it'll grow because some of these
25 standard tests and methods will grow, but we don't

1 have to adopt a standard that only encompasses what's
2 enforceable. We can have a standard which
3 essentially says there are thousands of chemicals
4 that haven't been safety tested, and we leave those
5 out, and, you know, tests will evolve over time and,
6 of course, OCD will have more ability to enforce over
7 time as more tests become available.

8 But let's, you know, protect the broader
9 health. Let's keep a broad class of dangerous
10 chemicals, dangerous to the petroleum level, let's
11 keep those out of public commerce, you know, off our
12 lands, away from human interaction until we
13 understand, you know, that there's testing.

14 If these things are deemed, one, safe
15 and then, two, of interest to industry, they can
16 petition, come back and reconsider. But I don't
17 think covering, you know, a relative handful of the
18 thousands of chemicals is sufficient when our charge
19 is to protect human health and public health and the
20 environment.

21 COMMISSIONER AMPOMAH: Mr. Chair, I have a
22 question for you.

23 So on Number 10, on that same page, 3,
24 prohibiting the use of defined PFAS compounds from
25 the use as downhole additives will not negatively

1 affect the exploration, development or production of
2 oil and gas, because the industry has phased out the
3 use of PFAS. So my question to you is, does it
4 really matter?

5 You know, the definition that we use
6 because, you know, OCD is saying even companies are
7 moving away from the use of PFAS, so either
8 proponents' definition or OCD's definition or NMOGA's
9 definition, does it really have any impact?

10 CHAIR ROZATOS: Are you asking my opinion?

11 COMMISSIONER AMPOMAH: Yes, I'm asking your
12 opinion on that.

13 CHAIR ROZATOS: Okay. So the statement is
14 correct, they are being phased out. And I think
15 that's why the OCD is definitely, in its closing
16 arguments, saying -- as you mentioned, it started off
17 that the proposed definition either way prohibits
18 these compounds.

19 And I come more from a laboratory
20 background. My background is in sciences and
21 laboratories, and we like to see what we can see in
22 our testing, when you're a scientist from a
23 laboratory background.

24 So in my opinion, since you asked my
25 opinion, I would tend to go mostly with what the OCD

1 says because of the ability to be able to see the
2 compound analytically and in testing that the
3 mechanisms that are -- and in proper analytical
4 procedures, you'll have your quality assurance, your
5 quality control, and you'll be able to substantiate
6 what you found based off of your testing protocols if
7 it met the QA/QC information that you've put in place
8 and maybe even if you're buying something, a standard
9 that is commercially available, if, you know, your
10 testing procedure actually sees what the actual
11 chemical that you just injected into the instrument
12 is.

13 So I tend to find security in numbers
14 and on the analytical side. That's my opinion, so I
15 would go mostly with what the OCD say.

16 But as you mentioned, they are phased
17 out. So, I mean, I think that's where we probably
18 just need to put it on to a vote and see. And we
19 just go that route.

20 COMMISSIONER AMPOMAH: Yeah. I have another
21 question for Commissioner Bloom.

22 So based on how our Chair described it,
23 you know, from his expertise, too, you know, in terms
24 of chemical laboratory analysis point of view, you
25 know, how do you compare, let's say, the two

1 definitions in terms of causing confusion, you know,
2 to, let's say, even the general public, and also even
3 to the industry, as to which compound is even, you
4 know --

5 COMMISSIONER BLOOM: Yeah, sure. That's a
6 good question.

7 I think the industry would easily
8 understand either definition. You know, I think they
9 get it very clear, subsets of chemicals.

10 Listening to the Chair speak, you know,
11 again, I come back to I think we're here to widely
12 protect health, not only pass regulations that can be
13 enforced right now or for which there's a test. I
14 mean, we have the opportunity to say, "Hey, this
15 whole class of chemicals is off limits."

16 We've seen, you know, the devastating
17 contamination of national waters and people's health
18 and the presence of this in our blood. You know,
19 it's more affecting children and vulnerable
20 populations. It's a concentrated impact on areas of
21 oil and gas operations. And people should, you know,
22 feel safe that all these chemicals have been taken
23 offline for use in oil and gas, not just those which
24 are enforceable today.

25 And, again, just because there's not a

1 test for something doesn't mean that it also couldn't
2 be, you know, a violation or a violation that that's
3 dealt with in other ways or apprehended in other
4 ways.

5 CHAIR ROZATOS: I just want to make one
6 clarification. I, you know, as I stated, am
7 definitely more on the analytical aspect just because
8 I came from a laboratory standpoint.

9 I'm very concerned about the environment
10 and public health and safety. I think, as
11 Commissioner Bloom says, a lot of these compounds are
12 definitely toxic to the environment.

13 But I also want to urge and caution this
14 Commission, because we're saying all PFAS. As was
15 brought out, not all PFAS are deadly. Paxlovid is
16 something that we're taking and it has saved millions
17 of lives with COVID. There is an SSRI that helps
18 millions of people with their depression that are
19 categorized as PFAS.

20 So I think we just need to be careful
21 when we're saying all PFAS. Because the medical
22 community, the scientific community has found that
23 some of these PFAS compounds are actually beneficial.

24 So I am very distraught at the thought
25 that there are chemicals that are destroying our

1 environment, that are destroying our health and
2 safety that are categorized as PFAS. But I think we
3 need to be careful with the word "all," it's so
4 inclusive, when the scientific community and the
5 medical community has, indeed, found PFAS that, with
6 the definition of PFAS, are beneficial to us. So I
7 just would want to caution that with the Commission.

8 And with that, I guess I stifled
9 communication. So why don't we put it up for vote.

10 So for Rule 19.15.2.P, as in Paul,
11 Number (3), the definition for PFAS, Commissioner
12 Ampomah.

13 COMMISSIONER AMPOMAH: Can I abstain from
14 this one?

15 COMMISSIONER BLOOM: You can see what
16 happens.

17 MR. SHANDLER: I think it's too early in the
18 day to talk about abstention. If you just want more
19 time and further discussion or to lay this one over,
20 I'll give you that, and return to the idea of
21 abstention later.

22 COMMISSIONER AMPOMAH: Yeah. You know, I
23 understand the point, you know, let's say, where
24 Commissioner Bloom is coming from, more or less
25 putting a broader blanket on protecting human health

1 of our precious people in the State of New Mexico.

2 Now, you know, the Chair explained from
3 actual, like, someone with expertise in this area.
4 You know, I'm not an analytical chemist, so that is
5 why I'm just on the fence here, you know.

6 But I really wanted the Chair to more or
7 less look at the proposed definition from the
8 proponent, and then the OCD, and then seeing that
9 neither of this -- let's say, all of this, you know,
10 all of this will ban PFAS utilization in oil and gas
11 operations in the State.

12 You know, I'll vote with Commissioner
13 Bloom on this one. Thank you.

14 CHAIR ROZATOS: So you vote for WildEarth
15 Guardians' definition?

16 COMMISSIONER AMPOMAH: Yes.

17 CHAIR ROZATOS: Okay. Commissioner Bloom.

18 COMMISSIONER BLOOM: Yes, I vote with the
19 proponents' proposal for PFAS chemicals.

20 CHAIR ROZATOS: Okay. Excellent.

21 I vote for the OCD's definition, so it
22 is a 2 to 1. We will be going with the definition
23 from WildEarth Guardians for PFAS chemicals for
24 19.15.2.P(3). Excellent. Thank you for that
25 conversation.

1 Our next one, just to make sure that I'm
2 on the right page here, is going to be the changes in
3 Rule 19.15.2.T, as in Tom, Number (7), trade secrets.

4 The WildEarth Guardians proposal is that
5 trade secrets means information including formula,
6 pattern, compilation, program, device, method,
7 technique or process that, 1, derives independent
8 economic value, actual or potential, from not being
9 generally known to and not being readily
10 ascertainable by proper means by other persons who
11 can obtain economic value from its disclosure or use,
12 and, 2, is the subject of efforts that are reasonable
13 under the circumstances to maintain its secrecy.

14 Am I reading the wrong one again?

15 MR. SHANDLER: Just want to clarify with the
16 Hearing Officer. Maybe that's some of the old
17 language, and now there's new language?

18 HEARING OFFICER ORTH: That's correct.

19 CHAIR ROZATOS: I apologize.

20 HEARING OFFICER ORTH: That's correct.

21 CHAIR ROZATOS: I'm disconnected today. My
22 sincerest apologies.

23 HEARING OFFICER ORTH: I'm sorry, Mr. Chair.

24 CHAIR ROZATOS: No, no.

25 HEARING OFFICER ORTH: The OCD is actually

1 aligned with the petitioners on this.

2 CHAIR ROZATOS: So we don't need to discuss
3 this one?

4 HEARING OFFICER ORTH: Trade secret means
5 any information meeting the definition of the Trade
6 Secret Act, basically 57-2A-2D.

7 CHAIR ROZATOS: Excellent. I need more
8 coffee today. My apologies for being disconnected.

9 Okay. So we don't need to discuss this
10 one because they're both on -- or do we?

11 COMMISSIONER AMPOMAH: So are you saying --
12 so are we -- okay, okay.

13 CHAIR ROZATOS: Since they're both on the
14 same page.

15 COMMISSIONER AMPOMAH: Okay. Yeah, thank
16 you. Thank you.

17 MR. SHANDLER: The third party, I think,
18 opposes it.

19 CHAIR ROZATOS: Oh, I apologize. Does NMOGA
20 oppose it?

21 COMMISSIONER AMPOMAH: I think yeah, NMOGA
22 opposes that, but I will side with OCD on this one.

23 CHAIR ROZATOS: Madam Hearing Officer, are
24 we correct?

25 HEARING OFFICER ORTH: Yes.

1 CHAIR ROZATOS: NMOGA opposes it. So on
2 Page 13 of NMOGA's proposed findings and conclusions,
3 their point at one point I see is trade secrets being
4 used in other OCC regulations without definition and
5 without a problem.

6 COMMISSIONER BLOOM: Mr. Chair -- I'm sorry,
7 I didn't mean to cut you off.

8 Let me take another swing at this. So,
9 you know, I don't know that we need the definition of
10 trade secrets in here if we're not going to require
11 companies to disclose everything that they're using.
12 And, again, I go back to some of the testimony we
13 heard from opponents about, you know, in Pennsylvania
14 they were looking for the health effects of fracking
15 oil and gas completions on the public. In
16 Pennsylvania. And they didn't know that PFAS was
17 even being used in the secret sauce. And because
18 they didn't know that, they weren't even looking in
19 people's bloodstreams.

20 And what you're doing here is you're
21 doubling down on that. You're saying the public
22 doesn't have the right to know what chemicals are
23 being used unless it's an emergency.

24 But routine use of chemicals, you know,
25 how it comes into, invades our water, gets in the air

1 because of spills, these, you know, 80 million
2 gallons that have not been recovered, you know, the
3 two-fifths of spilled fluids on the ground are not
4 recovered, this stuff's out there. I mean, this is
5 why we need to disclose these things.

6 COMMISSIONER AMPOMAH: Commissioner Bloom,
7 you know, so I don't think the Commission is saying
8 that the companies don't necessarily have to
9 disclose. I mean, if you look at FracFocus, they are
10 disclosing the ingredients. And I think we all agree
11 that they should disclose the ingredient.

12 But in terms of, let's say, having
13 someone to look at it more like the CAS number, then
14 they are saying it's proprietary, right?

15 So I don't think the Commission, we are
16 saying that we are giving companies the room to
17 utilize any compounds, you know, that can, more or
18 less, impact the health of our people. At least they
19 are disclosing the ingredients. And I feel, like,
20 from an innovation point of view, disclosing those --
21 I mean, that one definitely I'm not in favor of that.

22 So, Mr. Chair, I don't know what we do
23 with the Rule 19.15.2.7. I feel like we should still
24 keep, especially when OCD and then the proponents are
25 all in agreement on this one.

1 CHAIR ROZATOS: This one is kind of
2 interesting, I believe, because both WildEarth
3 Guardians and the OCD agreed that trade secrets
4 should follow what State Statute is, 57-2A-2D.

5 I understand that there are the concerns
6 that NMOGA has, but trade secrets in this instance is
7 something that is defined by State Statute.

8 So for me, that both the petitioner and
9 the Oil Conservation Division agree that trade secret
10 is what our law states, what our actual State Statute
11 is, I think doesn't harm the oil and gas industry in
12 any means.

13 So that's my opinion on this. Should be
14 just put it up for vote and see?

15 COMMISSIONER BLOOM: Mr. Chair, and I know
16 maybe Ms. Orth could elaborate on this a little bit,
17 but if we do a walk-through, I don't even believe we
18 need to have a definition of trade secret if we're
19 not changing anything about trade secrets, if we're
20 allowing trade secrets to be maintained. I mean, it
21 would just be the existing role.

22 CHAIR ROZATOS: Before you answer, Madam
23 Hearing Officer.

24 Are you suggesting that we just scratch
25 this one completely; is that what I'm understanding?

1 COMMISSIONER BLOOM: I think that might be
2 where we're landing.

3 CHAIR ROZATOS: Okay.

4 HEARING OFFICER ORTH: Yeah. And
5 Mr. Shandler may have his own answer on this.
6 Typically, the lawyers looking at definitions and
7 regulations believe it's unnecessary to repeat the
8 statute, unless you're modifying it somehow. But
9 Mr. Shandler may have an answer here.

10 MR. SHANDLER: Mr. Chair, that sounds like
11 sound advice. I'm looking through to see if the term
12 is used in any other sections. And I think
13 Commissioner Bloom's point is it's not used in any
14 other section so there's no need for it. But I'll
15 double check that.

16 CHAIR ROZATOS: So, Mr. Shandler, should we
17 wait until you do your decision, or should we put
18 this one up to vote? What's your suggestion?

19 MR. SHANDLER: Well, if someone has access
20 to the proposal, Attachment B, on their computer and
21 maybe just do a search or a controlled find, the
22 computer might be faster than the human.

23 CHAIR ROZATOS: I'm having technical issues.
24 Does anybody have it up? Give us a second and see if
25 Commissioner Bloom can do it.

1 COMMISSIONER BLOOM: Yeah, no, it's not
2 reading it in the words.

3 COMMISSIONER AMPOMAH: So on Page 8 of
4 Attachment A, Number 1: The Division does not
5 require the reporting or disclosure of proprietary
6 trade secret or confidential business information.

7 So it is used only twice. The first one
8 is the definition, and then the second one is what I
9 just read.

10 CHAIR ROZATOS: So you mean under
11 19.15.16.19, log completion and workover reports, B,
12 hydraulic fracture disclosure, Number 1.

13 Is that what you're saying right there,
14 the Division does not require the reporting? So it
15 does show it.

16 MR. SHANDLER: So then I'd go back to the
17 Hearing Officer's statement that putting a rule in
18 there that says trade secret is the definition,
19 probably most lawyers would say that's redundant.

20 CHAIR ROZATOS: So strike it?

21 MR. SHANDLER: Mr. Chair, I think most
22 lawyers would say just there's no need for it, yes,
23 to strike it. But if you wanted to, if you felt like
24 it was important to put that marker in there, you
25 certainly have that opportunity.

1 CHAIR ROZATOS: Okay. So then if there's
2 redundancy and there's no need to have redundancy,
3 I'm going to move that this particular one,
4 19.15.2.T, as in Tom, (7), gets stricken.

5 Commissioner Ampomah.

6 COMMISSIONER AMPOMAH: Approved.

7 CHAIR ROZATOS: Commissioner Bloom.

8 COMMISSIONER BLOOM: I'll oppose on that,
9 because I think it might come back into play with
10 some other discussion about what's disclosed and
11 what's not.

12 CHAIR ROZATOS: Okay.

13 COMMISSIONER AMPOMAH: I thought it was your
14 motion.

15 COMMISSIONER BLOOM: I simply noted that it
16 might not be necessary if we're not going to require
17 disclosure of all chemicals.

18 CHAIR ROZATOS: Yeah, now I'm a little
19 confused, too, Commissioner Bloom. I must admit,
20 that was a curveball, because you started this
21 conversation.

22 COMMISSIONER BLOOM: I think I started by
23 saying if we don't want to talk about changing the
24 way chemicals are made public or concealed from the
25 public, that it doesn't really matter if we have that

1 definition in there.

2 And the next one we're going to come to
3 is one called "undisclosed chemicals," which also
4 would not serve a role if we don't want to be
5 transparent about what chemicals are being used and
6 transported and spilled all over our State.

7 CHAIR ROZATOS: Okay. So before we just
8 move on to the next one, I get it, you have your
9 stick on this.

10 But on this particular one, I think it's
11 redundant, as well. So if we're going to move on
12 this, it's a 2 to 1 that we strike this one due to
13 redundancy. And it is going based off of the State
14 Statute. And even petitioner agrees that the State
15 Statute is sufficient. So we just leave it at that.
16 Excellent.

17 Now I need to find my spot again. Next
18 up --

19 COMMISSIONER BLOOM: Undisclosed chemicals.

20 CHAIR ROZATOS: Undisclosed chemicals, there
21 it is. So this one is Rule 19.15.2.U(3), undisclosed
22 chemicals.

23 The definition that was submitted was
24 that undisclosed chemicals means either chemicals
25 that are listed without a chemical abstract service

1 number in the FracFocus database pursuant to
2 19.15.16.19.B NMAC, or if a safety data sheet lists
3 ingredients that comprise less than 100 percent of
4 the whole chemical product, those chemicals that make
5 up any unlisted portion of a chemical product on a
6 safety data sheet.

7 The OCD, I believe, is stating that we
8 strike this completely because it is related to trade
9 secrets.

10 Discussion.

11 COMMISSIONER AMPOMAH: Mr. Chair, so I still
12 stick to my previous vote on this one and I will go
13 with OCD.

14 CHAIR ROZATOS: Commissioner Bloom.

15 COMMISSIONER BLOOM: Yes. And, again, I
16 support the proponents' inclusion of definition of
17 undisclosed chemicals.

18 CHAIR ROZATOS: Okay. Thank you.

19 I think this one I, as well, would have
20 to go with the OCD on this one. And so I believe for
21 this particular rule -- I mean this, definition, it
22 is, again, 2 to 1 for the taking out undisclosed
23 chemicals.

24 And I believe that was it for that. The
25 time is about 10:20, did you want to take a break for

1 10 minutes and start back up at 10:30? Okay. Let's
2 take a 10-minute break. Thank you everyone.

3 (Recess held.)

4 CHAIR ROZATOS: Okay. We're back on the
5 record. Our next rule to change is Rule
6 19.15.7.16.A.

7 HEARING OFFICER ORTH: Mr. Chair.

8 CHAIR ROZATOS: Yes.

9 HEARING OFFICER ORTH: I don't remember that
10 the Commission has addressed the deletion of the
11 proposed definition for well site.

12 COMMISSIONER AMPOMAH: I think we have.

13 HEARING OFFICER ORTH: Oh, okay. Good.

14 COMMISSIONER BLOOM: Which word was that?

15 HEARING OFFICER ORTH: Well site, the
16 definition.

17 CHAIR ROZATOS: Yeah, that was dropped.
18 Thank you, Madam Hearing Officer.

19 Okay. So we're back on 19.15.7.16, well
20 completion or recompletion report and log, the form
21 C-105.

22 Mr. Shandler, I think you were going to
23 kind of walk us through this one.

24 MR. SHANDLER: Thank you, Chair. There's
25 different language provided by all three

1 participating parties, and so I'm going to try to
2 systematically go through it to assist the
3 deliberations.

4 So starting with Paragraph A, which
5 starts "Within 45 days," it appears that all three
6 parties have agreement for those first couple lines
7 up to, including "drill stem test."

8 At that point, the proponents wanted to
9 add "and the chemical disclosure list."

10 Based on the earlier vote on rejecting
11 that definition, I guess it's my working presumption
12 that that phrasing will also not be adopted. So that
13 is the first sentence.

14 The second sentence, all three parties
15 start out the same, "In addition, the operator shall
16 file a," and everyone agrees to this phrasing, "a
17 certification that no," and then we have a differing
18 view.

19 The proponents want language saying,
20 "undisclosed chemicals or" before the phrase "PFAS."

21 COMMISSIONER BLOOM: I'll make this easy. I
22 would vote for the OCD language, if that's helpful.
23 Clearly, we've discarded undisclosed chemicals, so
24 this starts to look pretty close to the OCD language,
25 starts to look very close to the proponents'

1 language.

2 MR. SHANDLER: Okay. That sounds very
3 logical. The Oil and Gas Association, though, did
4 want to have some language after the "In addition the
5 operator shall file a certification," and this is the
6 new language they are proposing, "that no PFAS has
7 intentionally added to the hydraulic fracturing,
8 completion or recognition fluids used in the well."
9 That's on Page 16 of the their proposed findings.

10 So I hand it back to the Chair for
11 deliberations on the addition or non-inclusion of
12 that proposed phrase.

13 CHAIR ROZATOS: So the phrase was that no
14 PFAS was intentionally added to the hydraulic
15 fracturing completion or recompletion fluids used in
16 the well, correct? The word "intentional"?

17 MR. SHANDLER: Mr. Chair, that is one word,
18 but all that phrasing is different than the OCD
19 proposal, which just says added to the fluid used in
20 the completion or recompletion of the well.

21 CHAIR ROZATOS: Okay. Commissioners.

22 COMMISSIONER AMPOMAH: I will side with OCD
23 on this one. I believe -- you know, during the
24 hearing we discussed about the intentionality. But
25 the question is, you know, who justifies whether it

1 was used intentional or not.

2 So I will side with OCD's definition or,
3 let's say, OCD's statement right here, where it says
4 that: A certification that no PFAS chemicals were
5 added to the fluid used in the completion or
6 recompletion of the well.

7 Thereby rejecting NMOGA'S statement.

8 CHAIR ROZATOS: Okay. Thank you.

9 Commissioner Bloom.

10 COMMISSIONER BLOOM: Yeah, Mr. Chair, as I
11 just stated, I would be fine with OCD's alternative
12 language. I believe that's well articulated.

13 CHAIR ROZATOS: Thank you. I would have to
14 agree on the same reasons that the other two
15 Commissioners stated. So we will not add the part
16 that says that was "intentionally added," that
17 phraseology. We'll go with the OCD phraseology.

18 MR. SHANDLER: Mr. Chair, then moving to B.
19 B, all three parties agree on adding this phrase
20 about this applicable form, so there is uniformity,
21 from my review, on B, on B, adding that language.

22 CHAIR ROZATOS: Commissioners, any concerns
23 with that?

24 COMMISSIONER AMPOMAH: No concerns from me.
25 Sounds like they all agree to the same language, so I

1 will agree, too.

2 CHAIR ROZATOS: Okay. Commissioner Bloom.

3 COMMISSIONER BLOOM: I'm sorry. Are we
4 talking about the language that's --

5 CHAIR ROZATOS: Subsection B.

6 COMMISSIONER BLOOM: Okay. Mine kind of
7 rolled over. So the language that says "A copy of
8 electrical and radioactivity logs," is that what
9 we're looking at?

10 Next page, yeah. I think we need to go
11 back up for a moment, because there's a little bit of
12 difference. Or do we just adopt that, this other
13 language here, on A, where it says, "A copy of
14 electrical and radioactivity logs run on the well,"
15 with form C-105?

16 CHAIR ROZATOS: I think it just kind of got
17 the whole -- and good point. So on Part A, there was
18 still the part where it says, "chemical disclosure
19 list," but I think because chemical disclosure list
20 was taken out, that that would then go with what the
21 Oil Conservation Division stated.

22 Did NMOGA have any differences on --

23 COMMISSIONER BLOOM: And let me just -- and,
24 Mr. Chair, if I could, I think we're missing a comma
25 in here. This is where I'm going. If we stick with

1 the OCD language, it says, "If the Division does not
2 receive form C-105 with attached certification," it
3 says "certification logs and summaries." Is that
4 certification, comma, logs and summaries?

5 I think that's what we want, is comma
6 certification. It's not certification logs. It's
7 attached certification --

8 CHAIR ROZATOS: There is -- oh, so if you
9 look at the this copy here, and on -- so the comma is
10 there. I don't know if it made it onto that
11 particular page. But for WildEarth Guardians and for
12 the OCD, they do have the comma in there: Attach
13 certification, comma, logs and summaries.

14 They're just taking out the chemical
15 disclosure list for the OCD.

16 COMMISSIONER AMPOMAH: So, Chair, are you
17 saying "with attached certification logs," or is it
18 certification --

19 COMMISSIONER BLOOM: Comma, logs.

20 COMMISSIONER AMPOMAH: Yeah, it should be
21 certification, comma, logs.

22 CHAIR ROZATOS: You both are saying that
23 there needs to be a comma after "certification,"
24 correct.

25 COMMISSIONER AMPOMAH: Yes.

1 MR. SHANDLER: All right. So, Mr. Chair, if
2 you're looking at the Division's Exhibit 1, also
3 Exhibit 7, they do have a comma, and that is -- as I
4 noted in my footnote, any typographical errors in my
5 outline was unintentional, that the party submittal
6 are the official record.

7 COMMISSIONER AMPOMAH: Okay.

8 CHAIR ROZATOS: So yeah, I think -- and what
9 I'm looking at, I'm not looking at the pages that you
10 are. I'm actually looking at what was submitted, and
11 they both have -- both versions, whether it's
12 WildEarth Guardians or OCD or NMOGA, all three
13 versions, there is a comma after "certification." I
14 think it's just a typographical error on the form
15 that you're looking at. So it should say: If the
16 Division does not receive form C-105 with attached
17 certification, comma.

18 COMMISSIONER BLOOM: Agreed. Now I think we
19 might want to take a moment, make sure that we're
20 recording all this properly so we get a good final
21 draft, right? Is there someone who's doing that for
22 us? Are you doing that, Mr. Shandler?

23 MR. SHANDLER: Mr. Chair, the hearing is
24 being recorded and will be transcribed afterwards. I
25 am also taking notes.

1 COMMISSIONER BLOOM: Okay. Because I think
2 in some ways, we're working off Attachment A.
3 Attachment A has language in it that we just voted
4 down, right? And so we might be having some issues
5 with version management. I just want to make sure
6 that we're making a good, clear record for ourselves
7 as we move along.

8 CHAIR ROZATOS: So Mr. Shandler is taking
9 notes. I am looking at him, as he mentioned. We
10 also are having it transcribed.

11 So I think, then, just to go with what
12 you're saying, Commissioner Bloom, if we continue in
13 Part A, where it starts, "If the Division does not
14 receive form C-105 with attached certification,"
15 comma, then it was added from WildEarth Guardians to
16 put "chemical disclosure list." But that was taken
17 out of the definition, so now that is taken out.

18 Then it will just read: Certification,
19 comma, logs and summaries within the specified 45-day
20 period. The Division shall withhold the allowable
21 authorizations for the well or suspend injection
22 authority, as appropriate, until the operator has
23 complied with 19.15.7.16 NMAC.

24 Are you good with that version?

25 COMMISSIONER BLOOM: Yes.

1 CHAIR ROZATOS: Okay. Commissioner Ampomah.

2 COMMISSIONER AMPOMAH: Yes.

3 CHAIR ROZATOS: Okay. Now let's move to B
4 for this section, Subsection B.

5 Just to remind us again, Mr. Shandler,
6 if you could just repeat.

7 MR. SHANDLER: Sure. So the existing
8 language reads in B: In the case of a dry hole,
9 complete record of the well on form C-105 -- then I'm
10 going to pause, all three parties have consensus on
11 the following addition: Comma, or if applicable form
12 C-103, comma, and then the rest of the existing
13 language. So in B, all three parties have consensus
14 on adding the new phrase.

15 CHAIR ROZATOS: So, Commissioners, are you
16 good with that?

17 Commissioner Ampomah.

18 COMMISSIONER AMPOMAH: Yes, I am.

19 CHAIR ROZATOS: Commissioner Bloom.

20 COMMISSIONER BLOOM: Yes.

21 CHAIR ROZATOS: I am, as well. So that will
22 be adopted.

23 MR. SHANDLER: Mr. Chair, C, I'll do the
24 easy part first. The existing language reads: The
25 Division shall not keep form C-105.

1 And all three parties agree on this
2 additional language: Comma, or if applicable form
3 C-103, comma.

4 And then the remaining language for that
5 sentence. So the first sentence, all three parties
6 agree with adding a particular phrase.

7 CHAIR ROZATOS: Okay. Commissioners, are
8 you in agreement with this?

9 COMMISSIONER BLOOM: I'm good with that, the
10 addition of, "or if applicable form C-103," yes.

11 CHAIR ROZATOS: Okay. Commissioner Ampomah.

12 COMMISSIONER AMPOMAH: I concur with that.

13 CHAIR ROZATOS: As do I. So that will go as
14 agreed upon by all three.

15 MR. SHANDLER: Later in that Subparagraph C,
16 there's the dispute about the use of the words
17 "shall" and "may." I will read the existing language
18 into the record. It's the last sentence of C.

19 This is the existing language: Upon
20 such request, the Division shall keep these data
21 confidential for 90 days from the date of the well's
22 completion, provided, however, that the report logs
23 and other attached data...

24 From there, the parties have a dispute
25 whether it should be "shall" or "may." According to

1 my research, and maybe the Hearing Officer or the
2 other Commissioners can help me with this, I believe
3 the proponents and the Oil and Gas Association both
4 have "shall," where the Division has "may."

5 COMMISSIONER BLOOM: Yes.

6 COMMISSIONER AMPOMAH: I will certainly
7 defer this one to you to decide on that, because it's
8 English.

9 CHAIR ROZATOS: Because it's English.

10 Madam Hearing Officer, did Oil and Gas
11 also have "shall"?

12 HEARING OFFICER ORTH: That's correct.

13 CHAIR ROZATOS: And the OCD put in "may."

14 HEARING OFFICER ORTH: That's correct.

15 MR. SHANDLER: Or retains "may" is I think
16 more appropriately the case.

17 HEARING OFFICER ORTH: Yes, retains "may."

18 CHAIR ROZATOS: Okay. So retains "may."
19 And Oil and Gas and WildEarth Guardians said "shall"?

20 HEARING OFFICER ORTH: That's correct.

21 CHAIR ROZATOS: Okay. So I'm not a lawyer,
22 so, Madam Hearing Officer and Mr. Shandler, my
23 understanding is "may" gives us options, "shall" is
24 concrete, it's pretty much a demand, it will happen
25 this way. Do I have that understanding?

1 HEARING OFFICER ORTH: Correct.

2 MR. SHANDLER: Correct.

3 CHAIR ROZATOS: Okay. So, Commissioners,
4 based on that, since "may" gives the option, allows
5 choice, and "shall" makes it mandatory, how do you
6 go?

7 COMMISSIONER BLOOM: I think I need to
8 understand better what's happening here so we can
9 talk this through.

10 The Division shall not keep the form
11 C-105 or C-103 confidential unless the well owners
12 request it in writing. Upon that request, the
13 Division shall keep these data confidential for 90
14 days from the well's completion, provided, however,
15 that reports, logs and other attached data may or
16 shall, when pertinent, be introduced in a public
17 hearing before Division examiners, regardless of
18 their request.

19 So after 90 days, is everything public?

20 CHAIR ROZATOS: Madam Hearing Officer, do
21 you have an answer to that one?

22 HEARING OFFICER ORTH: Well, so my
23 understanding would be that it would be public after
24 that. My concern here with "shall" is that it could
25 be read to require a hearing, even when one wouldn't

1 be otherwise required; whereas, "may" is permissive.
2 If there's a hearing, it may be introduced. But
3 "shall" was confusing to me there.

4 CHAIR ROZATOS: I must admit, I find it
5 interesting that Oil and Gas also wanted "shall" in
6 this. I'm not going to lie, I could see where
7 WildEarth Guardians would want "shall" there. I
8 don't remember the testimony on this one.

9 HEARING OFFICER ORTH: So let me just offer
10 then as to NMOGA's justification that they reproduced
11 in their final proposal document they attached, was
12 NMOGA reports requiring operators to certify that no
13 intentionally added PFAS were used. And as outlined
14 in the prehearing testimony of Drs. Anderson and
15 Richardson, the target is a prohibition on the use of
16 PFAS containing fluids, and they wanted to properly
17 capture the focus of the rulemaking.

18 I don't see a specific justification of
19 the change from "may" to "shall."

20 CHAIR ROZATOS: Madam Hearing Officer, I
21 apologize. As you were talking, I was trying to keep
22 in mind your concern that you had with the word
23 "shall." Can you repeat it, please?

24 HEARING OFFICER ORTH: Just that I think the
25 sentence is ambiguous on the question of then whether

1 a hearing would be required, as opposed to allowing a
2 party, giving a party permission to introduce this
3 information in a hearing. That's one thing.

4 But I was just concerned that maybe the
5 word "shall" would require a hearing that might not
6 otherwise be required.

7 COMMISSIONER BLOOM: Yeah, Madam Hearing
8 Examiner, I take that to -- yeah, I don't take it to
9 mean that the hearing is required but rather that the
10 data shall be disclosed if a hearing were to happen.
11 Right?

12 HEARING OFFICER ORTH: Right. And I guess I
13 felt like "may" was sufficient there. That's all.

14 CHAIR ROZATOS: I have to agree. I find it
15 perplexing that both -- that Oil and Gas would want
16 "shall" as well. I actually have to agree, me
17 personally, with the Division that "may" is actually
18 more appropriate in this instance. So my vote is to
19 go towards "may."

20 I'll give you a minute more to ponder
21 this, and then I'll ask for your opinions, as well.

22 COMMISSIONER AMPOMAH: You know, I'll go
23 with "may" as well.

24 COMMISSIONER BLOOM: I'm still trying to
25 figure out what this does or what it would change.

1 So Part D, says there's an addition
2 there which says: If there is a change in the
3 information provided under this part, the operator
4 must submit the change within 30 days.

5 And then it goes on to say -- there's a
6 change, new language from the joint proponent saying
7 that the Division shall retain each form C-105 and
8 C-103 indefinitely.

9 CHAIR ROZATOS: Well, what you're thinking,
10 Commissioner Bloom.

11 Madam Hearing Officer, if we look at
12 that sentence one more time, it says: Upon such
13 requests, the Division shall keep these data
14 confidential for 90 days from the date of the well's
15 completion, provided, however, that the report logs
16 and other attached data -- and then we have the
17 differentiation of "shall" or "may" -- when
18 pertinent.

19 If it's a "shall," how does the phrase
20 "when pertinent" play, I guess? Because if it's a
21 "shall," then "when pertinent" is null. If it's a
22 "may," then "when pertinent" is something that would
23 play a part. Do I understand that correctly?

24 HEARING OFFICER ORTH: That would be, I
25 think, a reasonable reading of that sentence.

1 CHAIR ROZATOS: So then if this Commission
2 were to adopt "shall," then we would probably want to
3 take out the phrase "when pertinent."

4 HEARING OFFICER ORTH: Right. And yet no
5 party is suggesting that you remove "when pertinent."

6 CHAIR ROZATOS: I know. That's what's
7 perplexing.

8 MR. SHANDLER: Mr. Chair, your point is if
9 it's a "shall, when pertinent," it really comes back
10 to almost a "may," doesn't it?

11 CHAIR ROZATOS: Exactly. Okay. So
12 Mr. Shandler handed me -- this is Attachment B from
13 WildEarth Guardians, and they stated on Number 47, on
14 Page 17, that to change from "may" to "shall" in
15 19.15.7.16.C recognizes that the chemical data
16 completed by this part will not be subject to a trade
17 secret claim because all chemical disclosures will be
18 made voluntarily.

19 And as I stated, I understand why
20 WildEarth Guardians would want "shall." I don't
21 understand why New Mexico Oil and Gas wanted "shall."

22 I still stand on the way the phrasing is
23 set, since no one questioned "when pertinent," that
24 automatically makes it a "may," because it's based
25 off of "when pertinent."

1 COMMISSIONER BLOOM: I think maybe where the
2 proponents wanted to go was to delete "may" and "when
3 pertinent," to get at --

4 CHAIR ROZATOS: We can't make that
5 assumption on the "when pertinent."

6 COMMISSIONER BLOOM: Right.

7 CHAIR ROZATOS: I mean, we can make our
8 decision on when pertinent, but I don't think we can
9 make any assumption on what either side was thinking
10 of in leaving "when pertinent."

11 COMMISSIONER BLOOM: Well, I'll vote for
12 "shall" because I did want to see more disclosure.

13 CHAIR ROZATOS: Okay.

14 COMMISSIONER BLOOM: And I'm in the
15 minority, so there we go.

16 CHAIR ROZATOS: Okay. So you're going for
17 "shall." I'm going for "may."

18 And, Commissioner Ampomah, are you for
19 "may" or for "shall"?

20 COMMISSIONER AMPOMAH: For "may."

21 CHAIR ROZATOS: Okay. So 2 to 1 for "may"
22 on that one.

23 MR. SHANDLER: Mr. Chair, the next two are D
24 and E. D is new language that all three parties
25 agree upon.

1 CHAIR ROZATOS: Okay. So I'm just going to
2 read it just to make sure that we just have it on the
3 record. D states, if there is a change in the
4 information provided under this part, the operator
5 must submit the change to the Division within 30 days
6 after the date the operator knew of the change.

7 All three parties did agree on this
8 phraseology.

9 Commissioner Ampomah, do you agree?

10 COMMISSIONER AMPOMAH: Yes, I do agree.

11 CHAIR ROZATOS: Okay. Commissioner Bloom?

12 COMMISSIONER BLOOM: Yes, I agree.

13 CHAIR ROZATOS: Excellent. So we all agree
14 with that change for D.

15 HEARING OFFICER ORTH: Mr. Shandler, may I
16 ask a clarification? Did you cover the 60 versus 90
17 days? It looks like NMOGA wanted 60, but yeah,
18 that's what's in their final proposal.

19 So I'm looking at the final proposal
20 from OCD. They say to keep 90. And I'm looking at
21 the final proposal from the petitioner that keeps it
22 90. But then NMOGA's has 60.

23 Okay. So there's a difference, then,
24 between their final attachment and their final
25 statement of reasons. Okay. I'll withdraw the

1 question.

2 CHAIR ROZATOS: Okay. So we'll just go off
3 of what Mr. Shandler has, which is the -- what was it
4 for NMOGA, the final, what was it called? The
5 proposed finding of facts and conclusions of law.
6 Okay.

7 So everybody agreed on the 90, correct,
8 Mr. Shandler?

9 MR. SHANDLER: If the reliance is based on
10 the NMOGA's proposed findings of fact and conclusions
11 of law, filed February 19th, yes.

12 CHAIR ROZATOS: Okay. Well, let's just --
13 let's solidify it and we'll go that way.

14 Commissioner Ampomah, for 19.15.7.16.C,
15 there is the dates for 90. Do you agree with 90
16 days?

17 COMMISSIONER AMPOMAH: Yes, I do.

18 CHAIR ROZATOS: Okay. Commissioner Bloom?

19 COMMISSIONER BLOOM: I agree, yes.

20 CHAIR ROZATOS: Okay. As do I. So we'll
21 make it official, 90 days. Excellent.

22 We just did D, as in dog. Now we're on
23 E, as in Edward.

24 MR. SHANDLER: Mr. Chair, only the
25 proponents have language for E. It reads, the

1 proposed language: The Division shall retain each
2 form C-105 and form C-103 indefinitely.

3 CHAIR ROZATOS: Okay. I think the OCD's
4 reasoning was to strike it because the OCD follows
5 State's records retention rules, and my understanding
6 is NMOGA went with the OCD on this one. Correct?

7 Okay. Commissioners.

8 COMMISSIONER BLOOM: I would follow OCD's
9 change there, proposal there. I know that there are
10 State retention rules.

11 CHAIR ROZATOS: Okay. Commissioner Ampomah.

12 COMMISSIONER AMPOMAH: I agree with that, as
13 well.

14 CHAIR ROZATOS: Okay. I, too, agree with
15 that. So we're going to go with the OCD and follow
16 State records.

17 The next rule is changes to
18 19.15.14.9.C. Mr. Shandler, I'll just let you direct
19 us on this one, as well.

20 MR. SHANDLER: Mr. Chair, I direct the
21 Commission's attention to C, where there is some
22 consensus among the three parties and some
23 disagreement.

24 C would be new language proposed, as
25 follows: An applicant for a permit to drill, deepen

1 or plug back shall certify that they will not -- I
2 pause because I believe all three parties agree with
3 that phrasing. At that point, all three parties have
4 different language.

5 The proponents want -- just give me a
6 second.

7 CHAIR ROZATOS: I think the first part is
8 that the proponents want "any undisclosed chemicals."

9 COMMISSIONER BLOOM: Mr. Chair, if it's
10 helpful, I would be comfortable with the OCD
11 modification there, given that --

12 CHAIR ROZATOS: Well, let's break it up. I
13 mean, I think, Mr. Shandler -- thank you. I
14 appreciate for expediency.

15 COMMISSIONER BLOOM: I want to move, yeah.

16 CHAIR ROZATOS: But I do want to just
17 document what exactly. So the proponents want
18 "undisclosed chemicals." That was taken out of our
19 definition, so I think by default that takes it out
20 of this sentence, as well.

21 Am I correct, Mr. Shandler?

22 MR. SHANDLER: I'm tracking with you, yes,
23 Mr. Chair.

24 CHAIR ROZATOS: So then our next part is
25 before "or PFAS," so the proponents added

1 "undisclosed chemicals," which is taken out, and then
2 says, "or PFAS."

3 The OCD says, "may not introduce any
4 additives that contain PFAS."

5 And what did Oil and Gas write for that
6 one?

7 MR. SHANDLER: Mr. Chair, they will not
8 introduce any additives that is -- strike that.

9 They will not intentionally introduce
10 any PFAS containing hydraulic fracturing fluids in
11 hydraulic fracturing operations of the well.

12 CHAIR ROZATOS: Okay. So the petitioner put
13 in: PFAS in downhole operations of the well.

14 The OCD put in: Additives that contain
15 PFAS chemicals in the completion or recompletion of
16 the well.

17 And New Mexico Oil and Gas put in the
18 intentional -- they will not in this -- oh, they
19 mislabeled it -- that they: Will not intentionally
20 introduce any PFAS containing hydraulic fracturing
21 fluids in hydraulic fracturing operations of the
22 well.

23 So those are the differences. Again,
24 for expediency, I think, Commissioner Bloom, you said
25 let's just go with the Oil Conservation Commission

1 Division's changes, correct?

2 COMMISSIONER BLOOM: Yeah. I mean, I'll
3 walk that back, I mean --

4 CHAIR ROZATOS: Okay.

5 COMMISSIONER BLOOM: -- I do support the
6 proponents' position here to -- obviously to disallow
7 or un-allow undisclosed chemicals. But, you know,
8 we've taken our vote on that and that's gone, so then
9 at that point, I think the OCD modification makes
10 sense.

11 CHAIR ROZATOS: Okay. Commissioner Ampomah.

12 COMMISSIONER AMPOMAH: Yeah, I agree with
13 OCD's revision there.

14 Now, I do have a quick question. So in
15 the bill that we received some notes on, you know, in
16 there, too, intentionality is a big part of it. So,
17 I mean, assuming this passes and then we've taken out
18 all the intentionality throughout our entire
19 deliberations here, Counsel, how does that impact,
20 let's say, what we've done?

21 MR. SHANDLER: Mr. Chair, are you asking the
22 question about intentionality, the impact of that
23 verb? Or was it a more holistic question.

24 COMMISSIONER AMPOMAH: Yeah, so reading
25 through the bill that we were briefed on prior to,

1 let's say, the deliberations, I'm asking, you know,
2 intentionality is throughout the entire bill.

3 MR. SHANDLER: Right.

4 COMMISSIONER AMPOMAH: So here, assuming,
5 let's say, we strike out "intentionally introduce any
6 PFAS," so let's see how does that -- like, if this
7 bill passes, how does that change, let's say, if we
8 are to go with the OCD's revision?

9 MR. SHANDLER: Mr. Chair, if the bill in
10 front of the legislature passes and is signed into
11 law, then it's possible that some party may need to
12 bring a new petition, even the government, to examine
13 the ramifications of adding that legal term of art,
14 "intentional."

15 But my advice from earlier this morning
16 is that until that happens, that the lay of the law
17 right now is -- the lay of the land is that that has
18 not passed. And that's actually not even from the
19 proponents' proposal. That's from the Oil and Gas
20 Association proposal.

21 So I guess short answer is it may have
22 to be reviewed if that law has that type of language.

23 COMMISSIONER AMPOMAH: Okay. I will agree
24 and vote to go with OCD's revision.

25 CHAIR ROZATOS: Okay. Excellent. I think I

1 will go with -- I also agree with the OCD, as well.
2 So all three with OCD's proposal.

3 Our next section is 19.15.14.10,
4 approval or denial of a permit to drill, deepen or
5 plug back, Section A.

6 Mr. Shandler, I'll turn it over back to
7 you.

8 MR. SHANDLER: So, Mr. Chair, I'll try to
9 break this into two different parts here. In the
10 first sentence, we're looking at 10, correct?

11 CHAIR ROZATOS: Correct.

12 MR. SHANDLER: The director or the
13 director's designee may deny a permit to drill,
14 deepen or plug back if the applicant is not in
15 compliance with.

16 I've just read the existing language.
17 OCD has, on its own, proposed inserting an additional
18 rule citation in, which reads, "19.15.14.9 NMAC and,"
19 and then they continue with the sentence.

20 So the first step is to decide whether
21 the Commission agrees with OCD and add in this second
22 citation.

23 CHAIR ROZATOS: 19.15.14.9, that's what we
24 just talked about, correct? Yes. 19.15.14.9, so
25 that's the one that we just talked about.

1 MR. SHANDLER: So what this is saying is
2 that if an applicant for permit to drill, deepen or
3 plug back not put any PFAS downhole, I think you're
4 having to certify that.

5 CHAIR ROZATOS: I think they're saying --
6 okay. So if we look at 19.15.14.9, it's
7 applications. So I think what the OCD is trying to
8 say is that if it's not in compliance with any part
9 of this Part 9, 19.15.14.9, or if it's not in
10 compliance with Subsection A of 19.15.5.9, not "or,"
11 "and." Sorry. So it needs to be in compliance for
12 both sections for this to continue, is what the OCD
13 is saying.

14 Madam Hearing Officer, is that how you
15 understand it, as well?

16 HEARING OFFICER ORTH: Based on the failure
17 to do a certification, that's what you're saying?

18 CHAIR ROZATOS: I'm saying my understanding
19 is that the OCD here is saying that the director or
20 the director's designee may deny a permit to drill,
21 deepen or plug back if the applicant is not in
22 compliance with both of these groups, 19.15.14.9, and
23 Subsection A of 19.15.5.9. Am I understanding that
24 correctly?

25 HEARING OFFICER ORTH: Yes.

1 CHAIR ROZATOS: Okay.

2 HEARING OFFICER ORTH: So the extra
3 language, as I read it, addresses something other
4 than a permit to drill, deepen or plug back, which is
5 to authorize the transport of non-domestic waste,
6 including produced water. This is from the
7 Guardians, the petitioner.

8 MR. SHANDLER: So I think what we're trying
9 to do here is deny a permit to an applicant that does
10 not provide certification that no PFAS were used,
11 right? And if you look at NMOGA's hearing, I think
12 it's the first of the documents they submitted,
13 Part 1, they get at this. There seems to be some
14 unanimous concurrence that we want to deny permits to
15 people that haven't certified they haven't used PFAS.

16 HEARING OFFICER ORTH: On Page 810 of
17 NMOGA's attachment, what they say is that they've
18 stricken the other language because this rulemaking
19 has nothing to do with the transport of produced
20 water, or non-domestic waste has not been properly
21 noticed to consider such issues.

22 And so the focus for them should be on a
23 permit to drill, deepen or plug back. And attempting
24 to redefine or equate produced water with or to
25 non-domestic waste, in their mind, is legally not

1 consistent with the law and the procedure.

2 MR. SHANDLER: So, Mr. Chair, I didn't lay
3 this out as well as I could. What I was trying to
4 focus on was the first part, and then we'll get to
5 what the Hearing Officer is --

6 CHAIR ROZATOS: Yeah, I'm still on the first
7 part.

8 MR. SHANDLER: I think what you've said is,
9 the first part, by adding the additional citation, is
10 that the Division is saying, "We now have additional
11 grounds to deny a permit." And that is, if you don't
12 do this new certification document in the application
13 process.

14 CHAIR ROZATOS: Yes. So my understanding --
15 because we're still just on the addition of
16 19.15.14.9, that OCD put in.

17 HEARING OFFICER ORTH: I'm sorry for jumping
18 on there.

19 CHAIR ROZATOS: No, that's okay.

20 So 19.15.14.9 talks about -- I
21 apologize, I'm jumping between here -- talks about
22 applications, what is part of the application. And
23 so we've added in the PFAS -- we agreed to the OCD's
24 interpretation of C for 19.15.14.9.

25 So then the OCD is saying,

1 traditionally, it had just Subsection A of 19.15.5.9,
2 and if you go to 19.15.5.9, that is compliance, so
3 it's under enforcement and compliance. Subsection A
4 states: An operator is in compliance with
5 Subsection A of 19.15.5.9 NMAC if the operator -- and
6 then it has (1), (2), (3), (4), and the Number (4)
7 has four sub-points, as well, which talks about the
8 financial responsibility, any orders that may be
9 against the individual, how many wells can be active
10 or inactive, et cetera.

11 So in this instance, for 19.15.14.10,
12 the OCD wants to make it a little more stringent by
13 adding in 19.15.14.9. So you have to comply with
14 19.15.14.9 and Subsection A of 19.15.5.9 to be able
15 to proceed with an approval or denial or permit to
16 drill, deepen or plug back.

17 And I said that all in one breath. Are
18 you all in agreement with that?

19 COMMISSIONER AMPOMAH: Yes, I am.

20 CHAIR ROZATOS: Commissioner Bloom. It's
21 adding both -- just as a reminder, it's adding both
22 Subsection -- both rules --

23 COMMISSIONER BLOOM: Yeah, I'm trying to see
24 what would drop out if we don't go with the --

25 CHAIR ROZATOS: It's making it even more

1 stringent than what WildEarth Guardians --

2 COMMISSIONER BLOOM: Yeah, I think I'm fine
3 with the OCD modification.

4 CHAIR ROZATOS: Okay. So for that one, I
5 agree, as well. We will keep in 19.15.14.9.

6 Now we go to the second part.

7 MR. SHANDLER: Mr. Chair, after the second
8 citation, and by that, I mean Subsection A of
9 19.15.5.9 NMAC, the proponent, and only the
10 proponent, has an additional four lines of text that
11 the Hearing Officer was alluding to. That proposed
12 language is: And shall deny a permit to drill,
13 deepen or plug back any permit authorizing the
14 transport of non-domestic waste, including produced
15 water, if the applicant does not provide the
16 certification required by Subsection C of 19.15.14.9,
17 or provides a false certification period.

18 Their rationale, "their" being the
19 proponents, on their proposed statements of reasons,
20 52, Number 52 says: The amendment requires OCD to
21 deny permits to any operator that will ensure that
22 operators who do not comply with the new PFAS and
23 undisclosed chemicals ban. This will help ensure
24 compliance with the new regulatory requirements.

25 CHAIR ROZATOS: Okay. So discussion.

1 COMMISSIONER AMPOMAH: You know, I will
2 agree with both NMOGA and OCD to strike that
3 provision, because in there, it talks about produced
4 water and then also non-domestic waste, transport of
5 non-domestic waste, which we did not really hear much
6 about during the hearing.

7 And also, I do believe that this
8 particular instance we're talking about drill permit,
9 drilling permit, or, let's say, deepen or plug back
10 on the well.

11 So, to me, including produced water and
12 then non-domestic waste, more or less, make it more
13 complex. So I will go with NMOGA and OCD to strike
14 that.

15 CHAIR ROZATOS: Thank you.

16 Commissioner Bloom.

17 COMMISSIONER BLOOM: I think I jumped ahead.
18 Are we on --

19 CHAIR ROZATOS: So we are looking at
20 19.15.14.10.A, the second part. So on your screen,
21 it would be this part in red. For WildEarth
22 Guardians, this part in blue, that was struck out by
23 the New Mexico OCD. And the New Mexico Oil and Gas
24 Association agrees with the OCD.

25 I am I right on that, the New Mexico Oil

1 and Gas Association agrees with the OCD on that
2 second part?

3 MR. SHANDLER: Correct.

4 CHAIR ROZATOS: Okay.

5 COMMISSIONER BLOOM: For the same reasons as
6 the previous section, I would agree with the OCD
7 modification.

8 CHAIR ROZATOS: Okay. So I also agree with
9 the OCD on this one, but here's why I agree with the
10 OCD. I think the information there about the
11 domestic waste -- the transport of the domestic
12 waste, including produced water if the applicant does
13 not provide the certification required by
14 Subsection C of 19.15.14.9, with the OCD putting in
15 that 19.15.14.9, all of it, is dependent on this
16 denial or approval to drill, deepen or plug, is now
17 dependent on 19.15.14.9, then it automatically covers
18 it. So for whatever concerns there are with
19 anything, then it's still dependent on 19.15.14.9.

20 So I just think that it's a little
21 redundant, so I agree with the OCD, as well. So I
22 think all three agree to this change.

23 Our next one is the proposed amendments
24 to 19.15.16. I believe we start with 19.15.16.17.A,
25 Mr. Shandler.

1 MR. SHANDLER: Mr. Chair, I believe two
2 parties have differing language and some overlapping
3 language. The third party, the New Mexico Oil and
4 Gas Association, in their proposed findings of fact,
5 I could not find them a citation to alternative
6 language.

7 I did find Finding 113 saying the OCC
8 should adopt the NMOCD's proposed amendments to
9 19.15.16.7, provided that further amendments are made
10 to 19.15.16.17 NMAC to more accurately track
11 Mr. Powell's November 14, 2024, hearing testimony and
12 the written justifications that the OCD provided in
13 Exhibits 4-00442, 4-0049.

14 I'll pause for a second. I did not -- I
15 defer to the Hearing Officer to help explain what
16 Mr. Powell's testimony on November 14th might have
17 been. And then I will resume with the comparing and
18 contrast of the language.

19 CHAIR ROZATOS: Well, while you're looking
20 that up, Madam Hearing Officer, Mr. Shandler, on that
21 113, they're proposing to go with NMOCD for all of
22 19.15.16.17, or just this Part A?

23 MR. SHANDLER: Mr. Chair, the document I'm
24 looking at, New Mexico Oil and Gas Association's
25 proposed findings of fact and conclusions of law,

1 starting at Number 113, I could not find anywhere
2 where they provided --

3 CHAIR ROZATOS: So they're not
4 differentiating between A, A(1), A(2), A(3), A(4)?
5 They're just saying all the changes in 19.15.16.17?

6 MR. SHANDLER: Correct.

7 CHAIR ROZATOS: Okay.

8 HEARING OFFICER ORTH: So Mr. Powell said
9 that as to the changes in 19.15.16.17 refer to slides
10 22 through 27. I know Commissioner Ampomah was
11 looking at the slides.

12 They want to seek and codify OCD's
13 authority and process of groundwater or surface
14 waters threatened by downhole activities. The
15 proposed subparts of the rule provide a pathway for
16 OCD to conduct an appropriate investigation to
17 determine if there are impacts to water.

18 OCD believes the changes to this rule
19 should establish a process for the detection of
20 potential impacts, but not for their remediation.
21 The remediation will be regulated by existing OCD
22 rules regarding water impact, such as 19.15.29 and
23 19.15.30 NMAC.

24 The critical provision in OCD's proposed
25 version aims to ensure proper identification of

1 chemicals for which OCD may require testing and
2 remediation under existing rules.

3 CHAIR ROZATOS: Okay. I think we should
4 just go with that this is a blanket statement from
5 New Mexico Oil and Gas Association that they'll go
6 with what the New Mexico OCD states as their rules,
7 and then we can just go between the petitioner and
8 the OCD.

9 Does that sound appropriate to you,
10 Mr. Shandler?

11 MR. SHANDLER: Mr. Chair, if there's
12 anything from Mr. Powell's testimony that people
13 remember and feel of such weight, then maybe they can
14 wordsmith. But otherwise, I'm happy to proceed with
15 the language comparison between the two alternative
16 proposals.

17 CHAIR ROZATOS: Okay. Let's proceed, and
18 then if we have questions, we can go. Okay.

19 MR. SHANDLER: Mr. Chair, I will start with
20 A. The existing language starts out "If." Both the
21 proponent and OCD want to add the verb "completing."
22 The existing language then continues to read,
23 "shooting, fracturing or treating a well."

24 Both parties then want to add the
25 language, "has the potential to negatively impact."

1 The existing language then continues,
2 "the producing formation injection interval," then
3 both parties agree to add the phrase, "communicates
4 with other strata."

5 The existing language continues, "casing
6 or casing seat or may create underground waste or
7 contaminate fresh water, the operator shall, within
8 five working days, notify."

9 So I'm going to pause there. So both
10 parties are in agreement up to that point here.

11 Then the existing language says, "five
12 working days, notify in writing the Division."

13 The Division wants it to read "five
14 working days" -- or maybe "notify the Division in
15 writing" -- let me try this again.

16 I'm pausing because one "Division" is
17 deleted and one, I think, is replaced. So the
18 proposal says "notify the Division in writing," then
19 strike "the Division." That's what OCD wants.

20 CHAIR ROZATOS: I think it's congruity in
21 sentence structure. Because if you read, it says
22 WildEarth Guardians says "notify in writing the
23 Division," and I think it should mean "notify the
24 Division in writing."

25 MR. SHANDLER: Okay.

1 CHAIR ROZATOS: I think that's what the
2 correction is. And ironically, counsel from
3 WildEarth Guardians is nodding yes. No, not
4 WildEarth Guardians, but he said yes.

5 MR. SHANDLER: I think for our purposes, we
6 don't pay attention to whether they're nodding or
7 not.

8 CHAIR ROZATOS: I agree.

9 MR. SHANDLER: I think that the room
10 understands what the language proposal is, and I have
11 not explained it well for the record.

12 But the two proposals as presented in
13 the record provide the information better than
14 I've said it out loud.

15 Moving beyond that, then there is some
16 dispute about the last couple words where the
17 Division wants to add the phrase "loss of containment
18 of any."

19 COMMISSIONER BLOOM: Mr. Chair, I think we
20 see a lot of similarities there between the WildEarth
21 Guardians proposal and the OCD modification. The OCD
22 modification provides a little bit more nuance. I'd
23 be fine with either, but would support the OCD
24 modification.

25 COMMISSIONER AMPOMAH: So I do support all

1 OCD's modification, as well.

2 CHAIR ROZATOS: Yes, I think in this
3 instance I agree with the OCD, as well. I think the
4 one part was just the grammatical situation where
5 "the Division" and "the Division," and then they've
6 added the "loss of containment or any damage." I
7 think that that works for us, as well. So all three
8 of us agree with the OCD's version of this particular
9 one. We'll document that.

10 MR. SHANDLER: Mr. Chair, according to my
11 notes, A(1), both sides have identical new proposed
12 language.

13 CHAIR ROZATOS: Okay. And I think they
14 agree on this. So for A(1), it just states:
15 Diligence shall include, but is not limited to,
16 varying casing integrity and isolation of strata.
17 This can include pressure testing in accordance with
18 19.15.25 NMAC. Performing casing integrity logs,
19 cement bond logs and any other means determined
20 necessary by the operator or required by the
21 Division.

22 As was mentioned, all three sides agree.

23 Commissioner Ampomah.

24 COMMISSIONER AMPOMAH: I agree to that, too.

25 CHAIR ROZATOS: Okay. Commissioner Bloom.

1 COMMISSIONER BLOOM: I'm fine with that, as
2 well.

3 CHAIR ROZATOS: Excellent.

4 The next one is A(2).

5 MR. DAVIS: Madam Hearing Officer.

6 HEARING OFFICER ORTH: Sir.

7 MR. DAVIS: May I raise a point of order?

8 HEARING OFFICER ORTH: Okay.

9 MR. DAVIS: I believe in this next provision
10 that the Commission will discuss, there's an issue
11 that's related to a prior provision that has already
12 been discussed. And the issue is whether the
13 certifications will include all downhole operations
14 or just completions and recompletions.

15 And I don't believe that the Commission
16 discussed that issue, and so I just wanted to raise
17 that, that that is coming up now. But it is actually
18 related to a prior provision 19.15.14.9.C, and that
19 was a matter of significant discussion during the
20 hearing. I just wanted to raise that. Thank you.

21 HEARING OFFICER ORTH: Thank you.

22 CHAIR ROZATOS: Madam Hearing Officer.

23 HEARING OFFICER ORTH: Sir.

24 CHAIR ROZATOS: I'm a little perplexed with
25 what was just stated. And, again, it may be that I

1 don't have enough coffee in me, but I don't
2 understand.

3 HEARING OFFICER ORTH: He's noting that the
4 issue of completions and recompletions was an issue
5 of significant discussion during the hearing and it
6 was a heads-up that it was related to another
7 provision that was earlier discussed, unless I got
8 that incorrect.

9 CHAIR ROZATOS: I'm not understanding the
10 heads-up. Thank you, but, I mean, I don't -- I'm
11 missing something somewhere.

12 HEARING OFFICER ORTH: I'm sorry.

13 Mr. Davis.

14 MR. SHANDLER: Sorry. Actually, we can't go
15 down this road --

16 CHAIR ROZATOS: Right.

17 MR. SHANDLER: -- in a rulemaking. So if
18 you're gracious enough to allow him to make a
19 statement, if no one understands what it is, we can't
20 go down this rabbit hole. We're just going to
21 proceed.

22 CHAIR ROZATOS: Yeah, even better. Thank
23 you.

24 Okay. So let's just go with what we've
25 got in front of us, 19.15.16.17.A(1), the proposal

1 was that: Diligence shall include, but is not
2 limited to, varying casing integrity and isolation of
3 strata. This can include pressure testing in
4 accordance with 19.15.25 NMAC, performing casing
5 integrity logs, cement logs and any other means
6 determined necessary by the operator or required by
7 the Division.

8 I'm sorry. That was (1). We're on (2).
9 We did (1). My apologies.

10 If damage from the shooting, fracturing
11 or treating of a well has the potential to impact
12 surface or groundwater, the operator shall test for
13 all chemicals disclosed in previous downhole
14 operations and will use a third-party accredited
15 laboratory to conduct any -- is it inappropriate
16 testing? I don't think they mean inappropriate --
17 any appropriate testing necessary to verify any
18 potential impact. The testing shall include all
19 chemicals used in the well and may also include, but
20 is not limited to, PFAS chemicals listed in 20.6.2
21 NMAC, and chemicals listed in 19.15.29.11.A(5)(e)
22 NMAC. This may require more robust sampling than
23 what is proposed by the operator, if deemed
24 necessary, due to the nature of the potential
25 chemicals.

1 Of course the OCD has differing opinion
2 in this. So the OCD and WildEarth Guardians agree to
3 the first part: If damage from the shooting,
4 fracturing or treating of a well has the potential to
5 impact surface or groundwater.

6 COMMISSIONER BLOOM: Mr. Chair, I think a
7 lot of the additions in blue here are necessary only
8 because we have allowed the continuation of trade
9 secrets.

10 MR. SHANDLER: Correct, yeah.

11 CHAIR ROZATOS: So I was just going to go
12 there. I promise I won't take too long. I will
13 quickly differentiate.

14 So they agree on that first part up to
15 groundwater, comma. Then we have the change here
16 that the OCD put in: Then the operator will disclose
17 to the Division all additives used in the applicable
18 fluid stream, including trade secret additives as
19 necessary to identify all potential contaminants. If
20 trade secret chemical information is received by the
21 Division, the Division will hold the information
22 confidential as required by 1978 NMAC 14-21-1, based
23 on the chemicals identified by the operator and the
24 Division. The operator will test for all identified
25 potential harmful chemicals and will use the third

1 party.

2 And they took out some of the other
3 parts, such as "shall include all chemicals used in
4 the well," and "can elect to request."

5 Discussion.

6 COMMISSIONER AMPOMAH: Mr. Chair, so I think
7 this one we've discussed that previously. And I do
8 like this provision a lot, because here we are giving
9 NMOCD the authority to request for any undisclosed
10 chemicals, including trade secrets, especially if
11 there is any problem.

12 So that also means that we are not
13 necessarily saying that, let's say, all trade secrets
14 should never be disclosed. You know, here, OCD will
15 have the authority to request for any undisclosed
16 chemicals which, more or less, probably might have
17 been marked as trade secret.

18 So I do support the revisions that OCD
19 is proposing on this.

20 CHAIR ROZATOS: Okay. Commissioner Bloom.

21 COMMISSIONER BLOOM: Well, I'm back in a fix
22 again because, given that we have continued to allow
23 trade secrets, the OCD modifications would make
24 sense. Although, I don't approve of that continuance
25 of the trade secrets. So I guess I would vote

1 against this. But given where we have gone, this
2 certainly makes sense.

3 I see that another not insignificant
4 change is that the testing won't be of all chemicals
5 used in the well but rather chemicals of concern.
6 And I think that makes sense. So seems to be well
7 put together, given where we're at currently in our
8 discussions.

9 CHAIR ROZATOS: Okay. Thank you.

10 I will agree with the OCD on this one,
11 as well.

12 Our next one is 19.15.16.17.A(3). The
13 proposal from WildEarth Guardians is: If it is
14 deemed there is an impact to surface groundwater, the
15 operator shall report the impact as a major release
16 in accordance with 19.15.29 NMAC and respond
17 accordingly.

18 The OCD does not have any modifications
19 to this. They agree.

20 Commissioner Ampomah.

21 COMMISSIONER AMPOMAH: I also agree to that,
22 as well.

23 CHAIR ROZATOS: Okay. Commissioner Bloom.

24 COMMISSIONER BLOOM: I agree.

25 CHAIR ROZATOS: And I agree, as well.

1 Excellent.

2 The next change is 19.15.16.17.A(4), If
3 testing reveals the presence of PFAS or undisclosed
4 chemicals, the Division may take enforcement action
5 pursuant to 19.15.5 NMAC.

6 Did I read that one right? I'm reading
7 off of Attachment A notes. I'm not reading the
8 counsel's notes. I'm reading Attachment A. I read
9 it straight off of Attachment -- Madam Hearing
10 Officer.

11 HEARING OFFICER ORTH: Right, I'm looking at
12 Attachment A, as well, which was filed the same day
13 as their closing brief, February 19th.

14 CHAIR ROZATOS: So this is correct. Okay.
15 So the statement from WildEarth Guardians under
16 Attachment A for 19.15.16.17.A(4), if testing reveals
17 the presence of PFAS or undisclosed chemicals, the
18 Division may take enforcement action pursuant to
19 19.15.5.

20 Am I missing something?

21 COMMISSIONER BLOOM: I feel like we're
22 missing something here, too. Let's take a second.

23 HEARING OFFICER ORTH: But then we have
24 NMOGA and OCD both striking what must have been
25 earlier language: If testing reveals the presence of

1 PFAS or undisclosed chemicals the Division may revoke
2 authorization to operate upon consideration of
3 whether the current operator or previous well owner's
4 operations contributed to the presence of PFAS or
5 undisclosed chemicals.

6 COMMISSIONER BLOOM: Mr. Chair, I think it
7 looks like the --

8 CHAIR ROZATOS: There's version differences
9 in this one.

10 COMMISSIONER BLOOM: And you're looking at?

11 CHAIR ROZATOS: I'm looking at Attachment A.

12 COMMISSIONER BLOOM: Yeah, which I think
13 works from the OCD standpoint, because it gets rid of
14 withdrawing "operator authorization," which the OCD
15 doesn't have. It just says you can take enforcement
16 action.

17 CHAIR ROZATOS: Madam Hearing Officer, in
18 instances like this, because this is a massive
19 incongruity -- because if we look at what the Oil
20 Conservation Division has struck out, it doesn't read
21 what was submitted in Attachment A.

22 HEARING OFFICER ORTH: Right. So the
23 attachments to the post-hearing briefs were allowed
24 to differ from original proposals so long as what
25 they propose as kind of their best and final offer is

1 based on evidence in the record. I suspect
2 Mr. Shandler would support that statement.

3 CHAIR ROZATOS: So is this Commission to
4 proceed on the assumption that the Oil Conservation
5 Division disagrees with the statement since it
6 differs?

7 HEARING OFFICER ORTH: So NMOGA and OCD both
8 believed that what must have been in the original
9 proposal from Guardians needed to be struck, which is
10 if testing reveals the presence of PFAS, they can
11 revoke operating authorization.

12 So Guardian's final proposal does not
13 include the notion of revoking operating
14 authorization. It simply says the Division may take
15 enforcement action pursuant to 19.15.5.

16 CHAIR ROZATOS: Commissioner Ampomah.

17 COMMISSIONER AMPOMAH: Yeah, I think either
18 way OCD's response to that still applies.

19 CHAIR ROZATOS: Well, this is a substantial
20 difference, though, Commissioner. I mean, if you
21 read what they wrote in an Attachment A, it states:
22 If the testing reveals the presence of PFAS or
23 undisclosed chemicals -- well, we struck out the
24 words "undisclosed chemicals" -- the Division may
25 take enforcement action pursuant to 19.15.5.

1 COMMISSIONER AMPOMAH: Not a different one?

2 COMMISSIONER BLOOM: I see where in OCD's
3 original hearing comments, it says: The OCD does
4 already have other enforcement regulations codified
5 under 19.15.5, which can include a number of
6 sanctions.

7 OCD did not seem to need to restate
8 that.

9 CHAIR ROZATOS: Agreed. But here --

10 COMMISSIONER BLOOM: And I guess my concern
11 here is this new language is a very late addition
12 that other parties haven't had a chance to respond
13 to. And even previously, NMOGA was -- or, I'm sorry,
14 OCD was going to strike the suggested language but it
15 believes that it already has the enforcement
16 capabilities. It, yeah, might be fine without
17 Number (4) here.

18 CHAIR ROZATOS: Yeah, that's where I was
19 going. I was going to offer the two options. We
20 either sit and we dissect this one, or we strike it,
21 we go under the assumption that the OCD says: We
22 already have authority under 19.15.5. This is
23 redundant.

24 COMMISSIONER AMPOMAH: Yeah, that was my
25 thought, too.

1 CHAIR ROZATOS: Okay.

2 COMMISSIONER AMPOMAH: Even reading both, it
3 still feels like OCD believes that they do have the
4 enforcement authority. So probably not needed.

5 CHAIR ROZATOS: So you agree? Your vote is
6 to strike Number (4)?

7 COMMISSIONER AMPOMAH: Yes.

8 CHAIR ROZATOS: Completely?

9 COMMISSIONER AMPOMAH: Yes.

10 CHAIR ROZATOS: Commissioner Bloom. I was
11 pulling up 19.15.5 to look myself. I have it up.

12 COMMISSIONER BLOOM: Yeah. So the main
13 aspects of 19.15.5 are compliance, enforcement,
14 enforcement of statute and rules, civil penalties,
15 hearing procedures.

16 I think given what we're seeing here,
17 given the prior comments from OCD, I think I would be
18 good moving ahead without Number (4) and not risking
19 having something in there that was not open to the
20 other parties to discuss.

21 CHAIR ROZATOS: Yeah. I have concerns with
22 a late-stage change like that, that the other parties
23 didn't get to discuss. So I think we all agree
24 strike Number (4).

25 Now on Attachment A, there's -- did we

1 have anything on 19.15.16.17.B?

2 HEARING OFFICER ORTH: Mr. Chair, it appears
3 that the OCD matches or -- I believe matches the
4 Guardians. So: If completing, shooting, fracturing,
5 or chemical treating results in the well's
6 irreparable injury, the Division may require the
7 operator to properly plug and abandon the well and
8 take any necessary actions to mitigate any resulting
9 impacts.

10 That appears to be an exact match there.

11 And NMOGA is not too far from that,
12 although it is different: If the well integrity
13 event from completing, shooting, fracturing or
14 treating a well results in the well's irreparable
15 injury, the Division may require the operator to
16 properly plug and abandon the well and take any
17 necessary actions to mitigate harm to human health,
18 animal, plant life or property.

19 CHAIR ROZATOS: Okay. I just want to double
20 check something. I've pulled up 19.15.16.17. I just
21 want to make sure that I've pulled up the right --
22 it's 19.15.17 -- 19.15.16.17.

23 Yeah, so 19.15.16.17 is just one
24 paragraph, and we were adding all of this stuff. So
25 is Subsection B now also introduced; is that what I'm

1 seeing?

2 HEARING OFFICER ORTH: No, Mr. Chair. I
3 believe there is an existing B. There might be some
4 confusion because OCD marks that as D, as in dog, but
5 it's just clearly a typo; should be B, as in boy.

6 CHAIR ROZATOS: Madam Hearing Officer, we've
7 pulled up the actual NMAC and there is no B.

8 COMMISSIONER BLOOM: Or A, for that matter.

9 CHAIR ROZATOS: These were being created.

10 HEARING OFFICER ORTH: Ah, okay.

11 CHAIR ROZATOS: Okay. So I've asked
12 Commissioner Bloom to pull it up, and we both have
13 the same page of 19.15.16.17. I'm trying to --

14 HEARING OFFICER ORTH: Does not exist at
15 all?

16 CHAIR ROZATOS: Can we turn off our mic? If
17 we're not using the mic, let's turn it off, because
18 of the background.

19 19.15.16.17 currently in the NMAC
20 states, "Shooting and chemical treatment of wells,"
21 and it is literally three lines.

22 And so we have increased it with Part A,
23 and then adding the subsections under A. And then
24 under WildEarth Guardians Attachment A, they added a
25 Paragraph B. There's a lot of A's and B's in that

1 sentence.

2 Am I reading this correctly,
3 Commissioners?

4 COMMISSIONER BLOOM: Mr. Chair, if we go to
5 the PDF 45 of OCD's exhibit, there is substantial
6 information related to this.

7 CHAIR ROZATOS: Yeah. So we expounded the
8 paragraph from just three lines for 19.15.16.17, from
9 three lines to a Paragraph Subsection A. And then A,
10 we added subsections to that, (1) and (2) and (3).

11 And then, according to Attachment B of
12 WildEarth Guardians -- I'm sorry, Attachment A from
13 WildEarth Guardians, there's also a Paragraph B now.

14 COMMISSIONER BLOOM: I think we jumped ahead
15 somewhere here.

16 CHAIR ROZATOS: Yeah, but I'm going off of
17 the electronic version of Attachment A.

18 COMMISSIONER BLOOM: Did we deal with 14.10?

19 CHAIR ROZATOS: Yes.

20 COMMISSIONER AMPOMAH: Yeah, we dealt with
21 that.

22 COMMISSIONER BLOOM: That's right, yeah, we
23 did that.

24 CHAIR ROZATOS: Right. So then if you look,
25 so your printed copy is the same as my electronic

1 copy, Commissioner, so we're here. There's this
2 Part B.

3 COMMISSIONER BLOOM: Did we discuss this?

4 CHAIR ROZATOS: We did. We just did all
5 that.

6 COMMISSIONER BLOOM: Okay.

7 CHAIR ROZATOS: So for Number (1), so A(1),
8 there was no changes, we agreed. Both parties agree.

9 COMMISSIONER BLOOM: That's right, yeah.

10 CHAIR ROZATOS: A(2), we went with the OCD
11 changes. A(3), everybody agreed, so we went with
12 that. A(4), we just struck it.

13 COMMISSIONER BLOOM: Yeah.

14 CHAIR ROZATOS: Then there is this
15 Paragraph B, as in boy. The original NMAC does not
16 have a Paragraph B. So WildEarth Guardians is
17 submitting changes?

18 MR. DAVIS: Madam Hearing Officer, I think I
19 can clear this up very quickly, just to say that that
20 new Paragraph B, the paragraph, itself, the B, the
21 letter B is new. The language that's not underlined
22 is existing language in the NMAC which has been
23 separated into a new paragraph.

24 So the "If shooting, fracturing or
25 chemical treating results" exists in the NMAC

1 currently, and that's why it's not underlined.

2 HEARING OFFICER ORTH: Right. And it's in
3 black ink rather than red.

4 CHAIR ROZATOS: So if you can just let me --
5 if you just indulge me just one second.

6 Mr. Davis, you said that you basically
7 have taken the existing paragraph in 19.15.16.17 and
8 made it now Part B with modifications.

9 Is that how I understand it?

10 MR. DAVIS: Mr. Chair, that's correct. I
11 believe that OCD's proposed red-line also did the
12 same thing. So the last sentence of the current NMAC
13 provision, 19.15.16.17, that last sentence is now
14 broken into a new Paragraph B. And that's, I
15 believe, what's causing the confusion.

16 CHAIR ROZATOS: Thank you for the
17 clarification.

18 COMMISSIONER BLOOM: I see. So they
19 split --

20 CHAIR ROZATOS: They split --

21 COMMISSIONER BLOOM: -- the two sentences
22 into A and B.

23 CHAIR ROZATOS: A and B. Okay. So --

24 COMMISSIONER BLOOM: So the A should have
25 been in red as well, yeah.

1 CHAIR ROZATOS: Yes. Okay. So now let's
2 just look at what was -- they took that second
3 sentence and made it its own paragraph and stated:
4 If completing, shooting, fracturing or chemical
5 treating results in the well's irreparable injury,
6 the Division may require the operator to properly
7 plug and abandon the well and may take necessary
8 actions to mitigate any resulting impacts.

9 Though it's not a slide from the OCD,
10 and it's not a slide that anybody has commented on,
11 Commissioners, your thoughts.

12 COMMISSIONER AMPOMAH: I do not have any
13 objection to the B.

14 CHAIR ROZATOS: Okay. Commissioner Bloom.

15 COMMISSIONER BLOOM: This seems, on its
16 face, that -- I'm wondering if completing is -- it's
17 not entirely redundant with fracturing. A lot of
18 times, the hydraulic fracturing job is completion,
19 but not necessarily. So I guess we can add
20 "completing."

21 And then the rest of it seems common
22 sense that if the well's -- "if there's irreparable
23 injury, the Division may require the operator to plug
24 and abandon the well"; additionally, "take any
25 necessary actions to mitigate any resulting impacts."

1 I mean, I think that's generally
2 understood to be part of abandonment and that that's
3 reclamation. And all the rest of it, although that
4 has a certain surface implication, I don't think I
5 would disagree with any of this language and move to
6 adopt it.

7 CHAIR ROZATOS: Okay. Just to address what
8 you stated about "completing," we did accept the
9 "completing" in the first part, in Part A. And the
10 OCD agreed to "completing" as the word change there.

11 HEARING OFFICER ORTH: And, Mr. Chair, I
12 read it earlier. Even NMOGA, in its final proposal,
13 uses the word "completing."

14 CHAIR ROZATOS: Okay. I am actually good
15 with this. I do want to just reserve that this
16 wasn't necessarily talked upon as a breakout, as
17 another paragraph. So we can break it and make it
18 into another paragraph. I agree with the other two
19 Commissioners, I think we proceed. But I do have
20 that just one concern as a side note. So I think we
21 go with that B as well.

22 So, Mr. Shandler, if you could just
23 indicate that on WildEarth Guardians Attachment A for
24 this section, 19.15.16.17.B, as in boy, all three
25 Commissioners agree with the verbiage.

1 Okay. Our next section is -- it is
2 lunch, yeah. It is noon.

3 COMMISSIONER BLOOM: I'd be fine powering
4 through if I can have a five-minute bathroom break.

5 CHAIR ROZATOS: Let's take a 15-minute
6 break, then we'll be back at 12:15.

7 (Recess held.)

8 CHAIR ROZATOS: Thank you, everybody, for
9 holding. There was a question that came up, so we
10 need about ten more minutes, so we'll be back on at
11 around 12:25. Ten more minutes. Thank you.

12 (Recess held.)

13 CHAIR ROZATOS: We're back on record. We
14 were going to continue with our next section, which
15 was 19.15.16.19, log completion and workover reports.
16 The first change comes up in Subsection B, under
17 hydraulic fracture disclosure.

18 The difference is, WildEarth Guardians
19 removed what was Subsection (1) and then made
20 Numbers (2) and (3), renumbered those.

21 The Oil Conservation Division made
22 changes to Subsection (1) -- I'm sorry, Oil
23 Conservation Division added Subsection (1).

24 Well, let me actually pull it up. Best
25 to see what it actually is. Okay. Got it.

1 The original statement under
2 19.15.16.19, log completion and workover reports,
3 Part B, hydraulic fracture disclosure, Number (1)
4 states: The Division does not require the reporting
5 of information beyond the material safety data sheet
6 data as described in the 29 CFR 1910.1200.

7 WildEarth Guardians wanted to remove
8 that particular statement from the current NMAC.

9 The Oil Conservation Division believes
10 that it should be there.

11 Did NMOGA have any changes to that one?

12 HEARING OFFICER ORTH: Do you want me to
13 read it?

14 CHAIR ROZATOS: Would you mind?

15 HEARING OFFICER ORTH: Absolutely.

16 CHAIR ROZATOS: Thank you.

17 HEARING OFFICER ORTH: So the petitioners
18 propose to strike that.

19 The Division proposes this language:
20 The Division does not require the reporting of
21 information beyond the material safety data sheet
22 data described in 29 CFR 1910.1200.

23 NMOGA goes a little further than that.
24 The same first part of the sentence about not
25 requiring the reporting of information beyond the

1 MSDS, and then there's a comma: With the exception
2 of Section 19.15.16.17.B(2) for events requiring the
3 confidential disclosure to the Division of otherwise
4 proprietary, trade secret or confidential business
5 information.

6 COMMISSIONER BLOOM: So, actually, OCD is
7 not adding language but rather retaining and
8 rejecting the deletion, right?

9 CHAIR ROZATOS: Correct, yeah. And then
10 NMOGA is adding after the MSDS 29 CFR 1910.1200,
11 they're putting a comma, correct, Madam Hearing
12 Officer?

13 HEARING OFFICER ORTH: Correct. And adding
14 a reference to 19.15.16.17.B(2) regarding proprietary
15 information.

16 CHAIR ROZATOS: 19.15.16.17.B, as in boy,
17 (2)?

18 COMMISSIONER BLOOM: I've got to take a look
19 at NMOGA's comments and see why they wanted that
20 addition.

21 CHAIR ROZATOS: There's no such section as
22 19.15.16.17.B(2).

23 COMMISSIONER BLOOM: Or did we just create
24 it?

25 CHAIR ROZATOS: We just created B. We

1 didn't create B(2).

2 HEARING OFFICER ORTH: So NMOGA's
3 justification for their proposal, NMOGA supports the
4 continued disclosure of hydraulic fracturing fluids
5 with limited exceptions, discussed above in
6 19.15.16.19.B(1) through (3) to the FracFocus
7 chemical registry, which is available to the public
8 free of cost for anyone interested in such
9 information.

10 Continuing to require disclosures be
11 made in FracFocus provides a transparent process,
12 also does not unnecessarily burden communities with
13 information for which they have no context. At the
14 same time, it's readily available and free of cost.

15 CHAIR ROZATOS: Madam Hearing Officer, may I
16 see what you're reading?

17 HEARING OFFICER ORTH: Yes, of course. It's
18 Attachment A, Pages 14 and 15. This was attached to
19 their post-hearing brief.

20 CHAIR ROZATOS: Yeah. It's just that
21 doesn't exist.

22 HEARING OFFICER ORTH: Right. I think
23 they're referring to something that they proposed
24 that perhaps the Commission didn't adopt.

25 CHAIR ROZATOS: Okay. What they're adding

1 is 19.15.16.17.B, as in boy, (2). This is
2 19.15.16.19. They're saying 19.15.16.17. There's no
3 such number.

4 Go ahead.

5 COMMISSIONER BLOOM: So NMOGA's proposed
6 findings of fact and conclusions of law, Page 24, at
7 the top -- Page 25, at the top, Paragraph 121 -- or
8 Section 121, NMOCD and NMOGA both proposed leaving
9 19.15.16.17.B(1) as it currently appears in the rule.

10 CHAIR ROZATOS: Commissioner Bloom, I
11 appreciate what you're reading, but if you go a
12 little further back to Page 22, Number 113, this
13 Commission just decided that we were going to go off
14 of that NMOGA represented that they would do what the
15 OCD suggested.

16 The OCD did not suggest various parts of
17 Part B. There was no -- we don't have any
18 information from the OCD regarding Part B. So then
19 when we go to the WildEarth Guardians attachment for
20 Part B for 19.15.16.17, which was this part right
21 here, which they just differentiated to us, that they
22 took the two sentences in the original 19.15.16.17
23 and made it into two paragraphs, we just made our
24 decision off of Number 113 of the NMOGA statement
25 that they were going to go with what the NMOCD stated

1 for this section.

2 We created a Part B, we just agreed to
3 creating a Part B, and the Part B that we created was
4 this one that the WildEarth Guardians suggested in
5 their Attachment A, which reads: If completing,
6 shooting, fracturing or chemical treating results in
7 the well's -- in irreparable injury, the Division may
8 require the operator to properly plug and abandon the
9 well and take any necessary actions to mitigate any
10 resulting impacts.

11 So we created that paragraph. But now
12 there is a call-out that this paragraph has
13 subsections to it, a (1) and obviously a (2).
14 Because for 19.15.16.19.B(1), they call out, NMOGA
15 calls out 19.15.16.17.B(2), and we don't have a B(2).

16 Go ahead, Madam Hearing Officer.

17 HEARING OFFICER ORTH: I was just going to
18 say but NMOGA's proposed B(2) included references to
19 confidential proprietary and trade secret
20 information. So I think they're referring to their
21 own proposal, which this Commission did not adopt.

22 CHAIR ROZATOS: Correct. Because we said
23 trade secrets, heard trade secrets.

24 HEARING OFFICER ORTH: But I'm talking about
25 the very last section that you all walked through,

1 19.15.16.17.

2 So on Page A-12, NMOGA's red-line, they
3 had a B(2) in that section and it referred to trade
4 secrets, but you all didn't go with NMOGA's complete
5 rewrite of Section 17. They had completely rewritten
6 that and you didn't do that. You went with the
7 petitioner's and OCD, who were agreed on something
8 much less elaborate.

9 MR. SHANDLER: Madam Hearing Officer, let me
10 try to just clarify the record.

11 So we're talking specifically about the
12 rule titled, "Completion Operations, Shooting and
13 Chemical Treatment of Wells," okay, that was just
14 previously discussed in last half hour.

15 In the New Mexico Oil and Gas
16 Association's proposed findings of fact and
17 conclusions of law, Number 113, they said the OCC
18 should adopt the OCD's proposed amendments, provided
19 further amendments are made to more accurately track
20 with Mr. Powell's testimony.

21 The Commission had a discussion about
22 what his testimony was, and that was put on the
23 record and you weighed that evidence.

24 The New Mexico Oil and Gas Association
25 did not have within this document a cut-and-paste of

1 what their red-line would be. But later on, in a
2 different document, titled "Attachment A," in A-11
3 through A-12, they did have a red-line, which was two
4 pages long, single spaced. And in that one is where
5 they create all these new subsections, including this
6 new B(2).

7 So thanks to your observation, we were
8 able to find everything that they've now presented.
9 Okay? And so --

10 CHAIR ROZATOS: So do we need to go back?

11 MR. SHANDLER: I think maybe for the
12 completion of the record, if you wanted to look at
13 A-11 and A-12 and figure out is this proposal
14 consistent with what's been proposed throughout the
15 process. Or do you feel like this is a last-minute,
16 lengthy addition to something?

17 And so you could either say, "Well,
18 we'll go back and adopt some of this language," or,
19 "This language is inconsistent with the
20 representations in their other document or beyond the
21 scope of this particular hearing." That would
22 probably satisfy them that they felt like all their
23 material in two different places has at least been
24 listened to.

25 CHAIR ROZATOS: Okay. Commissioners.

1 COMMISSIONER BLOOM: Sounds prudent.

2 CHAIR ROZATOS: To review, to go back to
3 19.15.16.17? Can I get you to verbally say yes to
4 that. You're nodding yes.

5 COMMISSIONER BLOOM: Yes, go back and review
6 that, since we've discovered that.

7 CHAIR ROZATOS: Okay. Commissioner Ampomah.

8 COMMISSIONER AMPOMAH: Yes, let's go back
9 and review that.

10 CHAIR ROZATOS: Okay. Then let's go back.
11 We'll go back to 19.15.16.17.B. WildEarth Guardians
12 proposed the one paragraph which stated: If
13 completing, shooting, fracturing or chemical treating
14 results in the well's irreparable injury, the
15 Division may require the operator to properly plug
16 and abandon the well and take necessary actions to
17 mitigate any resulting impacts.

18 The New Mexico Oil and Gas Association,
19 on two different documents has two different things,
20 one stated: We'll go with what the OCD says.

21 The second one actually has red-lines,
22 so let's discuss the red-lines, since the Commission
23 would like to see the red-lines. I need to pull it
24 up because I wasn't prepared for that one. Was that
25 in the case --

1 COMMISSIONER BLOOM: This is from the
2 hearing, yeah. I'll show you which one it is. It's
3 Part 1 of the five parts we were sent.

4 CHAIR ROZATOS: For the sake of time, let's
5 just go off of the printed copies. It's coming to
6 me. Mr. Shandler, if you'll just start us with the
7 conversation, please.

8 MR. SHANDLER: Yes, Mr. Chair. To
9 re-review, the Commission is now looking at a
10 document titled, "Attachment A," looking at A-11 and
11 A-12, which are a document, according to the
12 red-lines, from the New Mexico Oil and Gas
13 Association regarding the completion, operation,
14 shooting and chemical treatment of wells.

15 It's too lengthy for me to verbally read
16 into the record, but I imagine it's entered into the
17 record already.

18 COMMISSIONER BLOOM: So this is really quite
19 different from WEG NEE proposal.

20 COMMISSIONER AMPOMAH: Yeah. The way I read
21 through that, it sounds like they are, more or less,
22 being more extensive with regard to what needs to be
23 disclosed, especially the CAS number. And even
24 pushing the companies to show why -- or, let's say,
25 to prove as to whether this is a trade secret or not?

1 But really, I feel like what we've
2 already adopted, more or less, covers what they are
3 trying to say here. Because we've already given the
4 Division the power to be able to receive trade secret
5 materials when there is a problem.

6 But it sounds like NMOGA is going
7 really, really deeper, you know. So I'm not sure.
8 If we adopt either of them, it's still serving the
9 same purposes, but this one is really quite
10 extensive, as proposed by NMOGA.

11 COMMISSIONER BLOOM: Dr. Ampomah, I concur.
12 Looks like NMOGA is laying out a much more extensive
13 program for looking at those issues.

14 COMMISSIONER AMPOMAH: And I want to ask,
15 did all the other parties have the opportunity to
16 review NMOGA's extensive write-up?

17 HEARING OFFICER ORTH: So this document,
18 their closing brief and their proposed findings and
19 conclusions, were all filed on the same day as part
20 of one packet. That was February 19th.

21 We can go back to whatever their
22 original Attachment A was to look to see if this is
23 different. It would take me a moment.

24 COMMISSIONER BLOOM: Madam Hearing Officer,
25 I'm looking at NMOGA's closing statement, top of

1 Page 8, where it says: Further modifications to
2 NMOCD's proposed amendments to 19.15.16.17 are
3 needed, but with the enumerated additional
4 modifications, NMOGA could support the NMOCD's
5 proposed changes to 19.15.16.17.

6 HEARING OFFICER ORTH: Thank you.

7 COMMISSIONER AMPOMAH: You know, reading
8 through it, I believe we should still stick with what
9 we've already done, because it's, more or less,
10 saying the same thing, but just that it's quite
11 extensive with regard to what NMOGA is proposing.

12 I will certainly be curious to see what,
13 let's say, the proponent and NMOCD have to say about
14 this one.

15 COMMISSIONER BLOOM: Dr. Ampomah, I concur
16 with you after reviewing the various materials that
17 the vote we've taken in support of the language in
18 Part B already would cover this.

19 COMMISSIONER AMPOMAH: Yes, that is correct.

20 CHAIR ROZATOS: In looking at all this, I
21 actually must concur. And in two different documents
22 that they submitted post-hearing, the NMOGA stated
23 that they would be good to go with the NMOCD's
24 decisions based off of Mr. Powell's November 14th,
25 2024, hearing testimony and written justification

1 that they provided in their exhibits.

2 So when we first started this, we said
3 that this was in the document final NMOGA FOF and COL
4 PDF on Number 113. They stated that.

5 And then in their closing statements, as
6 Commissioner Bloom brought out, on Page 8, at the
7 very top -- I believe it was Page 8, correct,
8 Commissioner.

9 COMMISSIONER BLOOM: That's correct.

10 CHAIR ROZATOS: Yes. C on Page 8, at the
11 very top: Further modifications in NMOCD's proposed
12 amendments to 19.15.16.17 are needed. But with
13 enumerated additional modifications, the NMOGA could
14 support NMOCD'S proposed changes.

15 So we've accepted the NMOCD's proposed
16 changes, and then we did create a Part B that
17 sufficed. So I would say, in reviewing all of this,
18 Mr. Shandler, the Commission agrees that we have
19 reviewed it and we are good with what the NMOCD has
20 stated and what we've done thus far and that we could
21 proceed.

22 Are there any concerns from you, as our
23 counsel?

24 MR. SHANDLER: No concerns. Thank you for
25 building the record.

1 CHAIR ROZATOS: Okay. Excellent.

2 So then, going back to what we
3 originally started with, 19.15.16.19.B, as in boy,
4 under hydraulic fracture disclosure, I just want to
5 pull up the appropriate attachments so we're all on
6 the same page, the concern was WildEarth Guardians,
7 under B, as in boy, hydraulic fracture disclosure,
8 wanted to remove Subsection 1.

9 The New Mexico Oil Conservation Division
10 wanted to leave it as it is.

11 The New Mexico Oil and Gas Association
12 wanted to leave it as it is, with a comma after the
13 29 CFR 1910.1200, and add their additional language
14 for the subsection that does not exist.

15 So since that subsection does not exist,
16 we will not take that into account.

17 Commissioners, for 19.15.16.19.B, as in
18 boy, hydraulic fracture disclosure, Number (1), do
19 you agree with the petitioner to remove Number (1),
20 or with the New Mexico Oil Conservation Division to
21 leave Number (1) the way it is?

22 COMMISSIONER AMPOMAH: I will say that I
23 will leave it as it is, as proposed by NMOCD.

24 CHAIR ROZATOS: Okay. Commissioner Bloom.

25 COMMISSIONER BLOOM: I'm fine with the OCD

1 proposal, as well, to leave the language unchanged.

2 CHAIR ROZATOS: As do I. So all three of us
3 will leave the language unchanged for that one.

4 Our next section is 19.15.16.19.B, as in
5 boy. It's the creation of a new Section D, as in
6 dog.

7 The petitioner wants to add the
8 following for D: On or before a specific date an
9 operator shall provide the chemical disclosure list
10 to the following persons and entities unless the
11 person or entity opts out of the notification.

12 Then they have subsections, Number (1)
13 all owners of a private water well that are within
14 5,280 feet of a well site;

15 The State Land Office, if the State owns
16 minerals that are being developed at the well site;

17 (3) the Federal Bureau of Land
18 Management if the United States owns the minerals
19 that are being developed at the well site;

20 (4) to any tribe if the minerals are
21 being developed at the well site are within the
22 exterior boundary of that tribe's reservation and are
23 subject to the jurisdiction of the Division;

24 (5) police departments, fire
25 departments, emergency service agencies and first

1 responder agencies that have a jurisdiction that
2 includes the well site;

3 (6) local governments that have a
4 jurisdiction within 5,280 feet of a well site;

5 (7) the administrator of any public
6 water system that operates, (a), a surface water
7 public water system intake that is located 15 stream
8 miles or less downstream from a well site, (b), a
9 groundwater source under the direct influence of a
10 surface water public water system supply well within
11 5,280 feet of a well site; and a public water system
12 supply well completed within 5,280 feet of a well
13 site. That's B.

14 New Mexico OCD wants to strike -- out of
15 all of that, they want to strike out Number (1),
16 Number (2), Number (5), Number (6), Number (7),
17 Number (8), and Number (9) and just leave Numbers (3)
18 and (4).

19 And then, actually, to the paragraph,
20 they want to add, after list (2), they want to add
21 the following regulatory agencies unless the agency
22 opts out of the notification.

23 Commissioners.

24 COMMISSIONER BLOOM: Mr. Chair, I think what
25 the proponents were putting forth here was to create

1 the opportunity for the first time to have robust
2 baseline testing of water in New Mexico. This would
3 mean that landowners, people with domestic water
4 wells, where they get their drinking water for their
5 homes, tribes, water utilities could go out and test
6 their water for the chemicals that will soon be
7 brought out, you know, onto the surface of the land,
8 potentially spilled and then injected.

9 If, you know, today my well sample shows
10 no PFAS, but six months later, after this well has
11 been drilled and completed, PFAS shows up, we would
12 know where that comes from. So I think that's where
13 this was going.

14 CHAIR ROZATOS: Commissioner, I believe you
15 are correct. The OCD did state that they feel that
16 the inclusion of most of the entities is unwarranted.
17 If there is any impacted party due to water
18 contamination, that falls under 19.15.30 of the NMAC.
19 And so they feel that 19.15.30 provides, as it says,
20 the appropriate notice for these individuals.

21 It did allow the provisions to notice
22 the other regulatory agencies but provided the
23 agencies the option to opt out, as the OCD's unsure
24 if those agencies have interest for that information,
25 as it's already in FracFocus.

1 COMMISSIONER AMPOMAH: So there was a lot of
2 discussion on this subject during the hearing. And I
3 think, you know, based on what we had, you know, OCD
4 made it clear that, you know, there are some of these
5 entities that really do not have the expertise to be
6 able to, more or less, understand the information
7 that is probably, more or less, provided to them.

8 And as Commissioner Bloom was saying,
9 let's say all this information is all on FracFocus.
10 So assuming someone tests their water and they find
11 something new, they can, more or less -- and they
12 know that there's some sort of oil and gas operations
13 close by, they can just go to FracFocus and then
14 compare that to their water analysis.

15 I believe that leaving the room to, more
16 or less, provide the information to all these other
17 entities that are not really, you know, able to
18 discern the information with regard to how oil and
19 gas operations, you know, are more or less
20 spearheaded in the area, I feel like it's going to be
21 a lot burdensome on these entities. And that was,
22 more or less, articulated during the hearing. So I
23 will agree with OCD. But I do have a question
24 though. So OCD is striking: to any tribe if the
25 minerals being developed at the well site are within

1 the exterior boundary of that tribe's reservation and
2 are subject to the jurisdiction of the Division.

3 Why would OCD want to strike that when
4 they're saying that the State Land Office can have
5 it, the Federal Bureau of Land Management, BLM, can
6 also have it? Why not the tribes?

7 So I would not agree to striking
8 Number 5, but I would agree to striking all the other
9 ones.

10 CHAIR ROZATOS: Okay. Commissioner Bloom.

11 COMMISSIONER BLOOM: Yes. Good question,
12 Dr. Ampomah. I think that's right, that if there's
13 notification to the Federal government the State
14 government, that we should also notify the tribal
15 governments; particularly when tribes are often
16 mineral owners, as well.

17 I'm not sure that 19.15.30 covers the
18 situation in the same way that the proponents have
19 proposed. 19.15.30 is about remediation, so that's
20 cleanup. By notifying people that wells are going to
21 be drilled and telling them what chemicals are going
22 to be used, it lets them know beforehand, gives an
23 opportunity to go out. Otherwise, there's no
24 notification that these wells are being drilled.

25 It could be, you know, a half mile away,

1 somebody wouldn't see it. Most of the areas of
2 development, you know, have a lot of activity, so one
3 wouldn't necessarily know the activities occurring
4 near their land. There's no opportunity to go out
5 and do baseline water testing. And that's important
6 to, you know, people that have domestic water wells.
7 I mean, this is their drinking water, and if it gets
8 contaminated with a spilled chemical, you can see
9 migration to the water well.

10 And I think the other people who would
11 want to be aware of this would be the public water
12 systems that are mentioned here, giving them the
13 opportunity to do background testing, see if there's
14 been any contamination, and then test again after the
15 wells have been completed and see if there's been any
16 migration from either spills or the drilling or
17 completion program.

18 COMMISSIONER AMPOMAH: Commissioner Bloom,
19 do you -- I'm asking the commissioners, do we
20 remember any testimony as to how the proponents came
21 up with the 5,280 feet of the well site?

22 COMMISSIONER BLOOM: I mean, that's a mile.

23 COMMISSIONER AMPOMAH: Oh, yeah.

24 COMMISSIONER BLOOM: Some of us are from
25 parts of the world where we use kilometers and meters

1 and things that round off to zero.

2 COMMISSIONER AMPOMAH: You got me right
3 there. Okay.

4 CHAIR ROZATOS: We're still on the empirical
5 here.

6 COMMISSIONER BLOOM: Now, why we don't say
7 "a mile," I'm not sure.

8 COMMISSIONER AMPOMAH: Right.

9 Mr. Chair, so then if we take, let's
10 say, one after the other, let's say all owners of
11 minerals that are being developed at the well site.
12 I'm not sure why the, let's say -- I'm not sure why
13 OCD will say that they do not, like -- let's say,
14 they shouldn't receive this information.

15 You know, so that one is a little bit
16 concerning. And then two, all surface owners,
17 building unit owners and residents within, let's say,
18 the one mile, I'm not sure -- I don't know the
19 justification, though. Because definitely, all
20 owners, surface owners, whenever you're going to
21 drill a well, you would have to provide them with
22 your well application within that vicinity. They get
23 access to your application, you tell them the
24 activities that you are going to do there.

25 So if we pass this and go with the OCD,

1 does that mean that they will withhold the chemical
2 disclosure from that list?

3 CHAIR ROZATOS: Okay. So correct me if I'm
4 wrong, Commissioners and Counsel, when we started
5 this under definition, we killed the chemical
6 disclosure list, did we not?

7 MR. SHANDLER: It was not adopted.

8 CHAIR ROZATOS: It was not adopted.

9 COMMISSIONER AMPOMAH: Yes.

10 CHAIR ROZATOS: So this is based on a
11 chemical disclosure list that no longer exists under
12 our definitions, except for what's provided in
13 FracFocus. But we didn't create a chemical
14 disclosure list.

15 So if you look at D, it starts that:
16 The operator shall provide the chemical disclosure
17 list to the following persons.

18 COMMISSIONER AMPOMAH: So if you are saying
19 we did not adopt the chemical disclosure list, then
20 what would be the relevance of D?

21 CHAIR ROZATOS: What would be provided?
22 That's my question. What would be provided?

23 COMMISSIONER AMPOMAH: Yeah, what would be
24 provided?

25 COMMISSIONER BLOOM: This is an excellent

1 opportunity to bring back the chemical disclosure
2 list, to let people have access to baseline water
3 testing. Because there will be no secret ingredients
4 that they can't test for.

5 CHAIR ROZATOS: What did you call it
6 earlier, secret sauce?

7 COMMISSIONER BLOOM: Secret sauce.

8 COMMISSIONER AMPOMAH: But on that one, too,
9 they will still withhold the trade secret components.

10 COMMISSIONER BLOOM: I'm sorry, say that
11 again.

12 COMMISSIONER AMPOMAH: I'm saying that even
13 in there, it will probably be similar to what is
14 provided in the FracFocus, where they don't provide
15 the CAS numbers but they just provide the
16 ingredients.

17 I think if we all agree to that, then,
18 yeah, we can --

19 COMMISSIONER BLOOM: Yeah, I think we're in
20 a situation where the mineral owners, or people who
21 don't even own the minerals, and are out on the land,
22 or have a well, say, on a lease with the BLM or the
23 Land Office, or whomever, what we could do instead is
24 change chemical disclosure list to the FracFocus
25 filing would be sent directly to these people,

1 parties.

2 CHAIR ROZATOS: Okay. Commissioner Ampomah.

3 COMMISSIONER AMPOMAH: Yeah, Mr. Chair, I
4 think that will also help with the transparency. You
5 know, so assuming it's not everybody that do know
6 about the FracFocus, right? So if we are able to,
7 more or less, adopt that, then it means that the
8 public will have the opportunity to at least -- even
9 if they do not know FracFocus, they will still know
10 the information that is provided to FracFocus.

11 But I'm not sure if all these entities,
12 you know, should receive this information.

13 COMMISSIONER BLOOM: Remember, Dr. Ampomah,
14 that people can opt out as well, the parties can opt
15 out. So if a water utility felt that they were
16 getting bombarded with FracFocus chemical
17 disclosures, they could ask to be left off that list.

18 COMMISSIONER AMPOMAH: So who makes the
19 decision in terms of contacting these entities to
20 either opt in or opt out?

21 COMMISSIONER BLOOM: So it's the operator
22 that provides the disclosure. It says D: On or
23 before the date, an operator shall provide a chemical
24 disclosure -- or in this case, maybe a FracFocus
25 disclosure -- to the following persons, entities,

1 unless the person or entity opts out of the
2 notification.

3 So it would go to those groups from the
4 operator, taking the burden off of the OCD.

5 CHAIR ROZATOS: Can you repeat that, please?

6 COMMISSIONER BLOOM: Yeah. So right now,
7 the language says: On or before the date, an
8 operator shall provide the chemical disclosure list
9 to the following persons and entities unless the
10 person or entity opts out of the notification.

11 And so I was saying that there's no new
12 impact on the OCD if it's the operator that provides
13 the notice to any of the parties that we would add to
14 this list.

15 CHAIR ROZATOS: Commissioner Bloom, just so
16 I get it correctly, the verbiage that you stated, can
17 you repeat that for me, please?

18 COMMISSIONER BLOOM: Yeah. And I'm looking
19 at Attachment B. And yeah, do you want my new
20 proposed language?

21 CHAIR ROZATOS: Your new proposed language,
22 please.

23 COMMISSIONER BLOOM: On or before date, an
24 operator shall provide the FracFocus disclosure to
25 the following persons and entities, unless the person

1 or entity opts out of the notification.

2 CHAIR ROZATOS: Opts out. Okay.

3 COMMISSIONER BLOOM: Opts out.

4 CHAIR ROZATOS: Commissioner Ampomah.

5 COMMISSIONER AMPOMAH: You know, I do
6 support -- like, we listened to all the public
7 comments, and one of the concerns was that we don't
8 know what is going on, what is going into, let's say,
9 the well, within or, let's say, on our backyard.

10 So I tend to agree that at least to
11 foster transparency, I'm glad that Commissioner Bloom
12 agrees to change the language of the disclosure, the
13 chemical disclosure to the FracFocus information, you
14 know, I'm also in favor of disclosure.

15 But the question still remains, which of
16 these entities should the information be provided to?

17 CHAIR ROZATOS: Okay. So the list will
18 dictate whether we say "persons" or "entities,"
19 because some of these are entities, some of these are
20 persons.

21 So I guess we then have to decide what
22 we want on the list so that then we can fine-tune the
23 phrase correctly.

24 COMMISSIONER AMPOMAH: Okay.

25 CHAIR ROZATOS: So let's discuss this list.

1 The WildEarth Guardians propose nine different
2 persons or entities on the list. Oil Conservation
3 Division suggests two of that list.

4 And did NMOGA have any statements on
5 this, Madam Hearing Officer?

6 COMMISSIONER AMPOMAH: Strike it all.

7 HEARING OFFICER ORTH: Yes, just strike it
8 all. Because although they support the continued
9 disclosure of hydraulic fracturing fluids, with
10 limited exceptions, to the FracFocus chemical
11 registry, which is available to the public free of
12 cost and to anyone else interested in the
13 information, it doesn't unnecessarily burden
14 communities with information for which they have no
15 context.

16 CHAIR ROZATOS: Thank you, Madam Hearing
17 Officer.

18 So we basically go between the two lists
19 here, or we strike it all. I mean, we can. That's
20 an option. But from hearing the two of you, strike
21 it all is not necessarily an option. And I agree,
22 strike it all isn't necessarily an option here
23 either.

24 So, Commissioner Ampomah, I apologize.
25 I didn't mean to stifle your statements or question.

1 COMMISSIONER AMPOMAH: I think we can go
2 through these lists and probably vote on them.

3 CHAIR ROZATOS: Okay.

4 COMMISSIONER AMPOMAH: Or at least discuss
5 and vote on them.

6 CHAIR ROZATOS: Let's take the first two.
7 The first two are D, as in dog, (1) the proposed is:
8 All owners of minerals that are being developed at
9 the well site. And (2) is all surface owners,
10 building unit owners and residents, including tenants
11 of both residential and commercial properties, that
12 are within 5,280 feet of a well site.

13 COMMISSIONER BLOOM: Mr. Chair, I believe
14 that's been changed since.

15 CHAIR ROZATOS: I apologize. I was reading
16 the wrong one again.

17 COMMISSIONER BLOOM: Yeah.

18 CHAIR ROZATOS: I apologize.

19 COMMISSIONER BLOOM: I'm looking at the
20 proponent Attachment B, yeah.

21 CHAIR ROZATOS: So all owners of a private
22 well that are within 5,280 feet of a well site, or
23 the State Land Office if it owns mineral rights.
24 Correct?

25 COMMISSIONER BLOOM: Correct. And I think

1 this, we might -- well, yeah.

2 CHAIR ROZATOS: I'm sorry, it's not
3 Number (1) and (2). It's just Number (1) for right
4 now. Because the OCD states hold on to State Land
5 Office and Federal Bureau of Land Management.

6 So Number (1), all owners of a private
7 water well that are within 5,280 feet of the well
8 site.

9 COMMISSIONER BLOOM: I mean, as someone that
10 lives and gets his water supply and that of my family
11 from a domestic water well, I would love to know what
12 activities are happening around me that can impact
13 water so I can be on guard for surface spills, runoff
14 from well pads. I might want to get my water tested,
15 all those sorts of things. Yeah, I think we have
16 all -- we have all read the stories about the
17 Ogallala Aquifer and the depletion that's occurring
18 there. And water is an important resource.

19 I think giving people the opportunity to
20 receive this information from an operator would be
21 fine and prudent. And if they want to opt out later,
22 they can opt out.

23 CHAIR ROZATOS: Thank you, Commissioner
24 Bloom.

25 Commissioner Ampomah.

1 COMMISSIONER AMPOMAH: How is the -- for the
2 operators to be able to identify, let's say, all
3 private water well owners, is it well-documented
4 information?

5 CHAIR ROZATOS: Off the top of my head, I'm
6 not sure.

7 COMMISSIONER BLOOM: Dr. Ampomah, my
8 understanding is, to get a water well, you make an
9 application to the Office of the State Engineer. We
10 had to do that when we drilled a well at our house.
11 And so you go to the OSE website and see the wells
12 that are there.

13 COMMISSIONER AMPOMAH: Okay. Yeah, so if it
14 is well documented, then I do not have any objection
15 to that.

16 CHAIR ROZATOS: Okay. I think I agree, as
17 well. So we'll leave Number (1) the way it is.

18 Numbers (2) and (3), the OCD agreed to
19 leave those the way they are, and the State Land
20 Office and the Federal Bureau of Land Management.

21 Then we go to Number (4), to any tribe
22 if the minerals being developed at the well site are
23 within the exterior boundary of the tribe's
24 reservation and are subject to the jurisdiction of
25 the Division.

1 Now, this is exterior boundaries.
2 Exterior, outside.

3 COMMISSIONER AMPOMAH: So was there a
4 discussion on this during the hearing, I mean, to
5 define the exterior boundary?

6 COMMISSIONER BLOOM: I read this to say that
7 any tribe, if the minerals are being developed, are
8 within the tribe's reservation boundary, you're
9 within the exterior boundary.

10 So here you have -- I mean, I think the
11 word "exterior" is kind of duplicative. I think we
12 could just say "boundary," right, that are within the
13 boundary of the tribe's reservation? You only have
14 an exterior boundary.

15 CHAIR ROZATOS: That are subject to the
16 jurisdiction of the Division.

17 COMMISSIONER AMPOMAH: Is there any example
18 to that?

19 CHAIR ROZATOS: Madam Hearing Officer, was
20 there anything stated on this?

21 HEARING OFFICER ORTH: By the proponent,
22 just that the chemical disclosures are provided in
23 order for disclosure, necessary to eliminate gaps in
24 disclosures.

25 So I don't see that they specifically

1 address the jurisdiction of the Division within the
2 reservation. Was that your specific question?

3 CHAIR ROZATOS: Yes, ma'am.

4 HEARING OFFICER ORTH: Okay. Hold on.

5 I mean, their focus, obviously, was
6 providing greater transparency for everything
7 happening at well sites. Many pages of their closing
8 argument and proposed findings and conclusions,
9 several of their witnesses supported the notion of
10 transparency, including Dr. Brown. Lack of
11 information about what's happening there can impede
12 public health work, for example.

13 I don't remember anything specific to
14 the reservation. It wasn't said basically about
15 disclosure to other entities in the public. Equity
16 through transparency.

17 CHAIR ROZATOS: Okay. Thank you, Madam
18 Hearing Officer.

19 I think, for the sake of time, I mean,
20 we could definitely sit here and kind of go through
21 every single one. Maybe it would be best if we
22 just -- do we want to go with what the OCD says, or
23 do we want to go with the proposal from WildEarth
24 Guardians?

25 Because if we go with the proposal of

1 just WildEarth Guardians, then we can just adopt
2 exactly what they say here so we don't have to
3 nitpick words and all that.

4 Or we go with the proposal of the
5 New Mexico OCD for who gets this notification. I
6 believe we like the way that Commissioner Bloom
7 stated the opening sentence and the phraseology that
8 was used. But now do we want to accept this whole
9 list on its face value, or do we want to remove like
10 the OCD suggested and just keep two?

11 COMMISSIONER BLOOM: I'd be supportive of
12 what has been proposed here and that anybody can opt
13 out if they don't want to receive it.

14 CHAIR ROZATOS: Okay. Commissioner Ampomah.

15 COMMISSIONER AMPOMAH: Well, you know, let's
16 say -- I'm just looking at the Number 4, for
17 instance. It sounds like -- it's a little bit vague
18 and ambiguous and even will cause a lot of confusion
19 with regard to how do you define the boundary.

20 CHAIR ROZATOS: I think the phrase is just
21 odd with that one. I think, for all intents and
22 purposes, if it's within the tribe or the nation, I
23 agree with Commissioner Bloom, the exterior boundary
24 is kind of a weird statement. Is it in the boundary
25 of the tribe or the nation?

1 And I think we can take the word
2 "exterior" out if it bothers us --

3 COMMISSIONER BLOOM: I would agree.

4 CHAIR ROZATOS: -- and we accept it that
5 way. It is a weird sentence.

6 COMMISSIONER AMPOMAH: Okay.

7 CHAIR ROZATOS: It is a weird sentence.

8 COMMISSIONER AMPOMAH: Yeah, so if we can
9 make some adjustments to that, then I do not have any
10 problem with the other ones.

11 CHAIR ROZATOS: Commissioner Bloom, I think
12 I know your answer.

13 COMMISSIONER BLOOM: No, I'm fine with that.
14 I was just already looking down the page, the
15 proposed E, which would need some work.

16 CHAIR ROZATOS: We'll get there.

17 Okay. So for D, I agree as well. We
18 will accept the changes to read: On or before the
19 date, an operator shall provide the FracFocus
20 disclosure to the following persons or entities,
21 unless the person or entity opts out of the
22 notification.

23 Did I get that right, Commissioner
24 Bloom?

25 COMMISSIONER BLOOM: Correct.

1 CHAIR ROZATOS: Okay. And then we will keep
2 (1), (2), (3), (4), (5), (6) and (7) as proposed by
3 WildEarth Guardians, with the correction to
4 Number (4) to take out the word "exterior" boundary,
5 just to put boundary. Take out "exterior."

6 Okay. Next one, Subsection E, there was
7 the addition of: The chemical disclosure list must
8 be disclosed to the above parties within 30 days
9 after the operator's chemical disclosure to the
10 Division.

11 COMMISSIONER BLOOM: So on that, we no
12 longer have a chemical disclosure. We would replace
13 "chemical" with "FracFocus." I don't think we need
14 the word "list." We could say the: FracFocus
15 disclosure must be disclosed to the above parties
16 within 30 days.

17 And then after "the operator's" --

18 CHAIR ROZATOS: "disclosure to the" --

19 COMMISSIONER BLOOM: -- "disclosure to
20 FracFocus"?

21 CHAIR ROZATOS: That's a lot of "FracFocus"
22 in one sentence.

23 COMMISSIONER BLOOM: And a lot of
24 "disclosure."

25 CHAIR ROZATOS: Yeah. The FracFocus must be

1 disclosed to the above parties within 30 days.

2 COMMISSIONER BLOOM: Within 30 days of?

3 COMMISSIONER AMPOMAH: Yeah, disclosure to
4 the Division.

5 COMMISSIONER BLOOM: Does it come to the
6 Division, the FracFocus disclosure?

7 COMMISSIONER AMPOMAH: Yeah.

8 CHAIR ROZATOS: Yeah.

9 COMMISSIONER BLOOM: Or is it -- so when an
10 operator is doing its FracFocus disclosure, no, it
11 does not send it to the Division. The Division
12 downloads them quarterly, right?

13 COMMISSIONER AMPOMAH: Yeah.

14 COMMISSIONER BLOOM: So I think the
15 FracFocus disclosure must be disclosed to the above
16 parties at the time it's filed with FracFocus?

17 COMMISSIONER AMPOMAH: Or at least within 30
18 days?

19 COMMISSIONER BLOOM: Within 30 days of being
20 filed with FracFocus?

21 CHAIR ROZATOS: Okay. I'm having some
22 issues here. Let's read B one more time.

23 Hydraulic fracture disclosure. We're
24 just going to go back to B. For a hydraulically
25 fractured well, the operator shall also complete and

1 file with the FracFocus chemical disclosure registry
2 a completed hydraulic fracturing disclosure within 45
3 days after completion, recompletion or other
4 hydraulic fracturing treatment of the well. The
5 hydraulic fracturing disclosure shall be completed on
6 a then current edition of the hydraulic fluid product
7 component information form published by FracFocus and
8 shall include complete and correct responses,
9 disclosing all information filed by the FracFocus
10 form, provided that -- and then we have the three
11 things that we have.

12 And you're right, the Division will
13 download the FracFocus submissions on a quarterly
14 basis.

15 Then C states: If the FracFocus
16 chemical disclosure registry is temporarily
17 inoperable, the operator of the well on which
18 hydraulic fracturing treatment or treatments were
19 performed shall file the information required by the
20 then most recent FracFocus form with the Division
21 along with the well completion report, or C-105, or
22 sundry notice, C-103 reporting, the hydraulic
23 fracture treatment, and file the information on the
24 FracFocus internet website when the website is again
25 operable. If the FracFocus chemical disclosure

1 registry is discontinued or becomes permanently
2 inoperable, the operator shall continue filing the
3 information with the Division until otherwise
4 provided by rule or ordered.

5 I'm going to go back to this D. This D
6 was based off of the chemical disclosure list, which
7 we killed. FracFocus is already in operation with B
8 and C. And D and E and F are based on these chemical
9 disclosure lists that do not exist.

10 So my motion is to go back to D and kill
11 it. It's based on a list that does not exist.
12 Strike it.

13 COMMISSIONER BLOOM: So you would get rid of
14 all public notification?

15 CHAIR ROZATOS: But what are we notifying?
16 B and C are already saying that this is in FracFocus,
17 and if FracFocus is not available, they are to report
18 all of this on the C-105 and the C-103. So what's
19 being reported?

20 COMMISSIONER BLOOM: So currently, owners --

21 CHAIR ROZATOS: (Inaudible).

22 COMMISSIONER BLOOM: -- owners -- well, we
23 changed D to say that the FracFocus disclosure would
24 be sent to these parties because they don't know that
25 a well is being drilled in their backyard. So all

1 owners of private water wells within a mile would
2 have no idea that anything was ever filed with
3 FracFocus. So this alerts these parties to that.

4 COMMISSIONER AMPOMAH: Commissioners, I do
5 believe that, like, based on the testimonies that we
6 listened to throughout the whole week at that time,
7 the FracFocus was mostly to help with public
8 disclosure. And at that time, it was known to us
9 that it's probably free.

10 But, Chair, let me ask you, why do you
11 believe NMOCD did not strike that?

12 CHAIR ROZATOS: Forgive me. I honestly am
13 not sure why they did not strike it completely.

14 COMMISSIONER AMPOMAH: Yeah.

15 CHAIR ROZATOS: But the statements were --
16 this whole section was created off of a chemical
17 disclosure list that we, as a Commission, struck.

18 COMMISSIONER BLOOM: I would say just
19 because we don't want to let people know what
20 chemicals are being used in their backyard doesn't
21 mean that we can't notify them with the data that is
22 available.

23 CHAIR ROZATOS: And that's fine. We could
24 rewrite it and state that they could provide to the
25 public this information. I mean, nowhere is there

1 anything that says that the public cannot get access
2 to it. If you see a well that's being drilled and
3 you have a question, "What's going on down there?" --
4 no, please, go ahead.

5 COMMISSIONER BLOOM: Currently, there's no
6 statute or rule in existence in New Mexico that even
7 alerts the State Land Office that a well is being
8 drilled. So we're 300, 400 miles away from where the
9 drilling is taking place and we would have no idea
10 that that well is going in or what's being used. And
11 not that we can't get at that other ways, but what
12 about the people with the domestic wells?

13 I mean, we heard pretty strongly during
14 public testimony, and Dr. Ampomah's point, that
15 people do want greater transparency. And even though
16 we're not going to release the CAS number of every
17 frack component, this does go, you know, a bit
18 further, a longer way towards giving people some
19 transparency.

20 COMMISSIONER AMPOMAH: Mr. Chair, you know,
21 it's going to be hard for us to strike that, you
22 know, especially when NMOCD did not strike the whole
23 thing. During the hearing, I think NMOCD's point was
24 solely more like the people receiving the
25 information, would they really understand the

1 information, will it cause some confusion, right?

2 And if you look at the updated list, I
3 feel like, let's say, like Commissioner Bloom was
4 saying, a public water utility system needs to know
5 what is going on, you know, within, let's say, a
6 mile. So, I mean, I don't think we need to strike
7 it.

8 CHAIR ROZATOS: What are we providing?
9 We're just going to tell him go to FracFocus and look
10 up the well?

11 COMMISSIONER AMPOMAH: Well, so, you know,
12 even I've thought about that. Like, what about,
13 let's say, writing a letter to all these entities or
14 individuals letting them know that, let's say, the
15 information or, let's say: The materials that we are
16 using in our operations is more and less, uploaded to
17 the FracFocus.

18 At least there has to be some kind of
19 notice. It's not everybody. Let's say, from all the
20 public comments, it's not everybody that is aware of
21 FracFocus. I mean, it was clear, you know, not
22 everybody. So I believe it is our job to make it
23 easier for the public to have access to the
24 information.

25 CHAIR ROZATOS: And I agree. The only thing

1 I'm going off of is that this is the chemical
2 disclosure list, this what it was written off of. So
3 D, E and F are off of these chemical disclosure
4 lists.

5 So I like that we changed it to the
6 FracFocus, I like that we made the information
7 available to the public. I think the public does
8 need it and transparency does need to be put out
9 there. And we can keep D the way we wrote it. E and
10 F are also based off of chemical disclosure lists.
11 So we'll just change everything to FracFocus.

12 COMMISSIONER BLOOM: Yeah.

13 COMMISSIONER AMPOMAH: Yeah, and even I have
14 a problem with F.

15 CHAIR ROZATOS: You do or do not?

16 COMMISSIONER AMPOMAH: I do have a problem
17 with F. I mean, is it NMOCD's responsibility to,
18 let's say, upload this to their website, aside being
19 on FracFocus?

20 CHAIR ROZATOS: Well, that's the point,
21 because it's based off of a chemical disclosure.

22 COMMISSIONER AMPOMAH: I mean, that, to me,
23 just mailing it to the people should be okay. But to
24 have NMOCD upload this to their website, more like
25 building a database, which is almost the same as

1 FracFocus, I think it's redundant. So I would
2 definitely not vote for F. I would strike it down.

3 COMMISSIONER BLOOM: Let me propose this
4 language for E, that read: The FracFocus disclosure
5 must be disclosed to the above parties via certified
6 mail within 30 days of being filed with FracFocus.

7 And we disregard F because the State
8 already has all this information at FracFocus.

9 COMMISSIONER AMPOMAH: I agree.

10 CHAIR ROZATOS: That's more palatable for
11 me, as well. Can you repeat what you said, for the
12 record?

13 COMMISSIONER BLOOM: Yes. I would move to
14 strike F, and then change E to read: The FracFocus
15 disclosure must be disclosed to the above parties via
16 certified mail within 30 days of being filed with
17 FracFocus.

18 CHAIR ROZATOS: Okay.

19 COMMISSIONER BLOOM: We have one more line.

20 CHAIR ROZATOS: We do. Our next proposed
21 amendment is to 19.15.25.14, demonstrating mechanical
22 integrity. It's under Part A.

23 The proposal from WildEarth Guardians
24 is: An operator may use the following methods of
25 demonstrating internal casing integrity, for casing

1 investigations, casing repair and wells to be placed
2 in an approved temporary abandonment.

3 The NMOCD, I believe, agreed with this
4 one.

5 Did NMOGA agree with this one?

6 HEARING OFFICER ORTH: No, Mr. Chair. NMOGA
7 proposed to delete the words "for casing
8 investigations" on the grounds that casing
9 investigations is not defined or used elsewhere in
10 the rule and so it wouldn't be known what casing
11 investigations are or how it might differ from a
12 casing integrity test.

13 CHAIR ROZATOS: Thank you, Madam Hearing
14 Officer.

15 Commissioners.

16 COMMISSIONER AMPOMAH: I tend to agree with
17 NMOGA on this one. Because when you say "casing
18 integrity," and then you also say "casing
19 investigations," I mean, that's a little bit -- it
20 might cause a little bit of confusion.

21 COMMISSIONER BLOOM: Madam Hearing Officer,
22 what was the Oil and Gas Association's
23 recommendation? To delete the words "for casing
24 investigations"?

25 HEARING OFFICER ORTH: Correct. And I would

1 say that where a word is not defined, you would use
2 the ordinary English definition. Is "casing
3 investigations" confusing as a word?

4 COMMISSIONER AMPOMAH: You know, when you
5 say "casing investigation," I feel like it is -- it
6 is something that you are proposing for the industry.
7 And I'm not sure if there is a standard, you know,
8 when you talk of casing investigation. It might
9 cause some confusion, especially if you've not
10 defined it.

11 COMMISSIONER BLOOM: Dr. Ampomah, I think I
12 agree. This section is entitled, "Demonstrating
13 mechanical integrity," and it says: An operator may
14 use the following methods of demonstrating internal
15 casing integrity.

16 We could just say: For casing repairs
17 and walls to be placed in approved temporary status.

18 I think that's tantamount to an
19 investigation, and then it kind of runs through
20 everything else. I'm not sure that "casing
21 investigations" would typically mean anything
22 particular to the OCD when they're talking about
23 looking at mechanical integrity in general. I mean,
24 that's a big part of what the OCD does, is mechanical
25 integrity reviews and everything else.

1 So I could live without the words
2 "casing investigations." I think that's what we
3 would strike, just those two words, "casing
4 investigations."

5 CHAIR ROZATOS: I kind of tend to agree.

6 Madam Hearing Officer, did the OCD state
7 anything on that?

8 HEARING OFFICER ORTH: They agreed with the
9 petitioner's proposal. But I didn't see a
10 justification.

11 CHAIR ROZATOS: Okay. Thank you.

12 COMMISSIONER BLOOM: I mean, that's what --
13 you know, MITs are used for investigations and
14 repairs and making sure that wells are worthy. We
15 look at them at the Land Office to ensure that our
16 saltwater disposal wells are functional; when they're
17 not, we cancel the easement. That's kind of how that
18 investigation works. You know, if you have
19 mechanical integrity, you know, it's done.

20 CHAIR ROZATOS: I agree that the phrasing is
21 a little redundant, I think in this instance. So I
22 think for this particular rule, we'll take out "for
23 casing investigations." So it'll read: An operator
24 may use the following methods of demonstrating
25 internal casing integrity, comma, casing repairs and

1 wells to be placed in approved temporary abandonment.

2 Since we all three agree on that one.

3 COMMISSIONER BLOOM: Yes.

4 CHAIR ROZATOS: Okay. Wow. Mr. Shandler.

5 MR. SHANDLER: So you have to memorialize it
6 with a final motion and vote. The motion can either
7 go through all the things, or you can say, "I make a
8 motion that we approve the items that we itemized
9 today, which will be memorialized in a written
10 order."

11 CHAIR ROZATOS: Okay. I make a --

12 COMMISSIONER BLOOM: Oh, I'm sorry.

13 CHAIR ROZATOS: You have a question?

14 COMMISSIONER BLOOM: Yeah, one question.

15 And then, Mr. Shandler, we will get a
16 finalized paper draft -- not a paper draft. We'll
17 get a finalized draft to review, and then we come
18 back and have an opportunity to discuss that and can
19 make any last changes, should we see necessary edits
20 and errors, anything like that; is that right?

21 MR. SHANDLER: Correct.

22 HEARING OFFICER ORTH: Also, you should have
23 an opportunity to discuss the statement of reasons
24 that would support this, right?

25 COMMISSIONER BLOOM: That's correct.

1 And it's you, Mr. Shandler, that puts
2 together the statement of reasons for this as we go
3 forward.

4 MR. SHANDLER: Yes.

5 CHAIR ROZATOS: Okay. So we'll make the
6 motion here. But just to understand, we'll make the
7 motion, then we'll get everything written, submitted
8 to the Commission again to make sure that it is
9 exactly what we agreed.

10 Do we reconvene? We come back together
11 again? I apologize.

12 MR. SHANDLER: Sure. Mr. Chairman, at a
13 future meeting, it'll be an action item, approval of
14 the final order, statement of reasons. And at that
15 point, you'll, once again, have deliberations, edits,
16 corrections and then a vote on the approval of that
17 final order.

18 CHAIR ROZATOS: But we don't have to do a
19 special meeting for this? It could be as an agenda
20 item on one of the future meetings?

21 MR. SHANDLER: Correct.

22 CHAIR ROZATOS: Okay. So there's a motion
23 to -- I want to do the cover one, the all-inclusive
24 one that you stated. So how do I word that?

25 MR. SHANDLER: Mr. Chair, you're looking for

1 a motion for the adoption of the proposed rules as
2 itemized in the Commission's deliberations today that
3 will be memorialized in a written order.

4 CHAIR ROZATOS: Okay. And I have someone
5 to --

6 COMMISSIONER AMPOMAH: I move a motion.

7 CHAIR ROZATOS: Okay.

8 COMMISSIONER BLOOM: I second.

9 CHAIR ROZATOS: Okay. So we've got the
10 motion approved for that.

11 (Motion approved.)

12 CHAIR ROZATOS: Now we're done. Okay,
13 great. So this adjourns this special meeting for
14 this particular case.

15 Thank you, everybody, for your attention
16 on the platform and here in person and wish you all a
17 good afternoon. Thank you.

18 (Proceedings adjourned.)

19

20

21

22

23

24

25

1 RE: MARCH 11, 2023, OCC RULEMAKING HEARING

2
3 I HEREBY STATE AND AFFIRM that the foregoing
4 is a correct transcript of an audio recording
5 provided to me and that the transcription contains
6 only the material audible to me from the recording
7 was transcribed by me to the best of my ability.

8 IT IS ALSO STATED AND AFFIRMED that I am
9 neither employed by nor related to any of the parties
10 involved in this matter other than being compensated
11 to transcribe said recording and that I have no
12 personal interest in the final disposition of this
13 matter. March 28

14 

Kelli Gallegos

15 VERITEXT LEGAL SOLUTIONS

500 Fourth Street, NW, Suite 105

16 Albuquerque, New Mexico 87102

[1 - 19.15.30]

| | | | |
|-----------------------|-----------------------|------------------------|-------------------------|
| 1 | 67:7 72:2 | 19.15.14.10.a | 113:1,9 114:15 |
| 1 25:2 42:22 | 145:21 146:18 | 83:20 | 19.15.16.17.b. |
| 43:7 49:4,12 | 158:15 | 19.15.14.9 | 117:11 |
| 51:12 52:22 | 10:20 52:25 | 77:18,23,24 | 19.15.16.19 |
| 59:2 69:21 | 10:30 53:1 | 78:6,9,22 | 49:11 109:15 |
| 79:13 81:6 | 10x 32:2 | 80:16,20 81:14 | 110:2 |
| 86:4 90:11,14 | 11 1:10 116:2 | 82:16 84:14,15 | 19.15.16.19. |
| 92:25 93:8,9 | 116:13 118:10 | 84:17 | 113:2 |
| 104:10 105:7,7 | 158:1 | 19.15.14.9. | 19.15.16.19.b |
| 109:19,22,23 | 113 85:7,21 | 80:24 81:13 | 8:15 52:2 |
| 110:3 112:6 | 86:1 113:12,24 | 82:5 84:19 | 112:6 114:14 |
| 113:9 114:13 | 115:17 121:4 | 19.15.14.9.c | 122:3,17 123:4 |
| 114:14 118:3 | 11th 2:24 | 91:18 | 19.15.16.7 85:9 |
| 122:8,18,19,21 | 12 115:2 116:3 | 19.15.14.9.c. | 19.15.17 102:22 |
| 123:12 124:15 | 116:13 118:11 | 72:18 | 19.15.2 3:10 |
| 136:7 137:3,3 | 121 113:7,8 | 19.15.16 3:10 | 19.15.2.7. 46:23 |
| 137:6 138:17 | 1220 1:6 | 19.15.16. 84:24 | 19.15.2.c 6:18 |
| 143:2 | 12:15 109:6 | 19.15.16.17 | 8:2 25:3 |
| 1.5 11:9 | 12:25 109:11 | 85:10,22 86:5 | 19.15.2.d 25:7 |
| 10 10:18 29:24 | 12th 2:24 | 86:9 102:23 | 19.15.2.p 25:23 |
| 36:23 53:1,2 | 13 45:2 | 103:19 104:8 | 41:10 42:24 |
| 77:10 | 14 85:11 | 106:7,13 | 19.15.2.t 43:3 |
| 100 8:17 11:7 | 112:18 | 113:20,22 | 50:4 |
| 15:19 21:22 | 14-21-1 94:22 | 117:3 120:2 | 19.15.2.u 8:11 |
| 52:3 | 14.10 104:18 | 121:12 | 51:21 |
| 100,000 11:9 | 14th 85:16 | 19.15.16.17. | 19.15.25 3:10 |
| 101 8:9 | 120:24 | 102:20,22 | 90:18 93:4 |
| 103 61:12 62:3 | 15 23:21 109:5 | 103:13 113:2 | 19.15.25.14 |
| 62:10 64:11 | 112:18 124:7 | 115:1 120:5 | 151:21 |
| 67:8 72:2 | 16 23:21 55:9 | 19.15.16.17.a | 19.15.29 86:22 |
| 145:22 146:18 | 1633 26:17 | 84:24 92:25 | 96:16 |
| 105 8:25 53:21 | 17 68:14 115:5 | 96:12 97:2,16 | 19.15.29.11.a |
| 57:15 58:2 | 19.15.14 3:10 | 19.15.16.17.b | 93:21 |
| 59:16 60:14 | 19.15.14.10 | 102:1 108:24 | 19.15.30 86:23 |
| 61:9,25 64:11 | 77:3 81:11 | 111:2,14,16,22 | 125:18,19 |

[19.15.30 - 70]

| | | | |
|---|---|---|---|
| 127:17,19 19.15.5 97:5 100:5 101:11 101:13 19.15.5. 97:19 99:15,25 100:22 19.15.5.9 78:10 81:1,2,5,14 82:9 19.15.5.9. 78:23 19.15.7 3:10 19.15.7.16 53:19 60:23 19.15.7.16.a 8:22 19.15.7.16.a. 53:6 19.15.7.16.c 68:15 71:14 1910.1200 111:10 122:13 1910.1200. 110:6,22 1978 94:22 19th 71:11 97:13 119:20 1st 1:5 | 104:10 105:10 109:20 111:2 111:14,17,22 112:1 113:1 114:13,15,15 114:18 115:3 116:6 124:16 124:20 136:9 137:3 138:18 143:2 2,605 22:2 20.6.2 93:20 2012 5:2 2013 5:2 22:10 2015 9:16 2020 9:16 2022 22:10 2023 158:1 2024 85:11 120:25 2025 1:10 2:24 158:13 22 22:1 86:10 113:12 227 22:2 23 30:5 23580 3:7 24 113:6 243 22:13 25 113:7 27 86:10 28 158:13 28943 158:14 29 110:6,22 111:10 122:13 | 2d 44:6 47:4 3 3 8:12 25:24 33:23 36:23 41:11 42:24 51:21 81:6 86:4 96:12 104:10 105:11 109:20 112:6 123:17 124:17 138:18 143:2 30 67:4 70:5 143:8,16 144:1 144:2,17,19 151:6,16 300 148:8 32 8:9 34 22:3 35 8:21 3m 23:13 4 4 6:18 23:21 81:6,6 86:4 97:2,16 100:17 101:6,18,24 105:12 123:20 124:18 138:21 141:16 143:2,4 4-00442 85:13 4-0049 85:13 40 34:3 400 148:8 4070 35:23 | 45 8:23 26:20 27:19 54:5 60:19 104:5 145:2 47 68:13 5 5 6:18,23 8:2 10:20,21 25:3 93:21 123:24 124:16 127:8 143:2 5,280 123:14 124:4,11,12 128:21 136:12 136:22 137:7 50 26:21 500 158:15 52 82:20,20 533 26:16 537.1 26:15 57 19:21 57-2a 44:6 47:4 57-3a 19:22 6 6 124:3,16 143:2 6,400 22:4 60 70:16,17,22 7 7 43:3 50:4 59:3 124:5,16 143:2 70 34:3 |
| 2 | | | |
| 2 10:21 19:22 25:2 29:23 42:22 43:12 51:12 52:22 69:21 81:6 86:4 91:4 93:8 | | | |

[8 - address]

| | | | |
|--|---|--|--|
| 8 | above 112:5 143:8,15 144:1 144:15 151:5 151:15 absolutely 28:17 30:3 110:15 abstain 41:13 abstention 41:18,21 abstract 8:14 51:25 accept 108:8 141:8 142:4,18 acceptable 15:3 accepted 121:15 access 48:19 129:23 131:2 148:1 149:23 accompanied 8:25 accordance 90:17 93:4 96:16 account 122:16 accredited 93:14 accurately 85:10 115:19 acre 11:9,10 22:8 act 12:2 13:1 18:19,25 19:1 21:2 44:6 | acting 2:3,5,11 2:12 action 19:5 97:4,18 98:16 99:15,25 156:13 actions 102:8 102:17 107:8 107:25 114:9 117:16 active 81:9 activities 20:10 86:14 128:3 129:24 137:12 activity 128:2 actual 6:15 20:1 38:10 42:3 43:8 47:10 103:7 actually 6:11 7:7 24:23 38:10 40:23 43:25 59:10 66:16,17 76:18 91:17 92:14 108:14 109:24 109:25 111:6 117:21 120:21 124:19 add 54:9 56:15 77:21 87:21,24 88:3 89:17 107:19 122:13 123:7 124:20 124:20 133:13 | added 55:7,14 55:19 56:5,16 60:15 65:13 73:25 80:23 90:6 103:24 104:10 109:23 adding 56:19 56:21 61:14 62:6 76:13 80:9 81:13,21 81:21 102:24 103:23 111:7 111:10,13 112:25 addition 8:2 9:2,3 54:15 55:4,11 61:11 62:10 67:1 80:15 100:11 111:20 116:16 143:7 additional 62:2 77:17 80:9,10 82:10 120:3 121:13 122:13 additionally 22:3 107:24 additions 94:7 additive 19:8,8 additives 36:25 74:4,8,14 94:17,18 address 3:9 108:7 140:1 |
| 8 21:25 34:5 49:3 120:1 121:6,7,10 124:17 8,200 22:11 80 29:24 46:1 810 79:16 8327 26:16 85 29:2 87102 158:16 | | | |
| 9 | | | |
| 9 25:7 34:14 78:9 124:17 90 29:3 62:21 64:13,19 67:14 70:16,20,22 71:7,15,15,21 | | | |
| a | | | |
| abandon 102:7 102:16 107:7 107:24 114:8 117:16 abandonment 108:2 152:2 155:1 ability 15:25 36:6 38:1 158:7 able 27:22 38:1 38:5 81:14 116:8 119:4 126:6,17 132:6 138:2 | | | |

[addressed - amount]

| | | | |
|---|---|---|--|
| addressed 53:10 addresses 79:3 adjourned 157:18 adjourns 157:13 adjustments 142:9 administrative 3:11 17:1 administrator 124:5 admit 50:19 65:4 adopt 27:13 36:1 57:12 68:2 85:8 108:6 112:24 114:21 115:18 116:18 119:8 130:19 132:7 141:1 adopted 54:12 61:22 119:2 130:7,8 adopting 4:12 4:16 adoption 21:24 157:1 advice 48:11 76:15 affect 13:12 37:1 | affecting 39:19 affects 20:15,15 affirm 158:3 affirmed 158:8 afternoon 157:17 agencies 123:25 124:1 124:21 125:22 125:23,24 agency 26:14 124:21 agenda 2:24,25 3:3 156:19 agree 4:16,20 5:19 6:7,11 19:18 20:25 24:23 32:14 33:10 46:10 47:9 56:14,19 56:25 57:1 62:1,6 66:14 66:16 69:25 70:7,9,10,12,13 71:15,19 72:12 72:14 73:2 75:12 76:23 77:1 82:5 83:2 84:6,8,9,21,22 88:3 89:8 90:3 90:8,14,22,24 94:2,14 96:10 96:19,21,24,25 101:5,23 105:8 108:18,25 | 122:19 126:23 127:7,8 131:17 134:10 135:21 138:16 141:23 142:3,17 149:25 151:9 152:5,16 153:12 154:5 154:20 155:2 agreed 5:4 47:3 59:18 62:14 71:7 80:23 100:9 105:8,11 108:10 114:2 115:7 138:18 152:3 154:8 156:9 agreement 46:25 54:6 62:8 81:18 88:10 agrees 51:14 54:16 77:21 83:24 84:1 121:18 134:12 ah 103:10 ahead 30:25 83:17 101:18 104:14 113:4 114:16 148:4 aims 86:25 air 9:11 11:17 22:15 26:20,21 45:25 | albuquerque 28:25 158:16 alerts 147:3 148:7 aligned 18:9 44:1 allow 7:2 20:23 29:21 75:7 92:18 95:22 125:21 allowable 60:20 allowed 10:6 18:17 19:4 21:9 94:8 98:23 allowing 15:19 47:20 66:1 allows 23:16 64:4 alluding 82:11 alternative 56:11 85:5 87:15 ambiguous 65:25 141:18 amend 3:8 amendment 82:20 151:21 amendments 3:9 84:23 85:8 85:9 115:18,19 120:2 121:12 amount 16:25 32:3 |
|---|---|---|--|

[ample - areas]

| | | | |
|--|--|--|---|
| ample 23:12 ampomah 1:20 2:18,19 3:2,25 4:2,14,20 5:12 5:15,25 12:6,7 12:25 13:9,11 14:19 15:4,10 15:11 16:9 17:18 18:25 20:6 23:19 24:12,14,24 26:25 27:18 28:4,21 30:19 31:2,4 33:8,8 33:22 34:13,16 36:21 37:11 38:20 41:12,13 41:22 42:16 44:11,15,21 46:6 49:3 50:5 50:6,13 52:11 53:12 55:22 56:24 58:16,20 58:25 59:7 61:1,2,17,18 62:11,12 63:6 66:22 69:18,20 70:9,10 71:14 71:17 72:11,12 75:11,12,24 76:4,23 81:19 83:1 86:10 89:25 90:23,24 95:6 96:20,21 99:16,17 100:1 | 100:24 101:2,7 101:9 104:20 107:12 117:7,8 118:20 119:11 119:14 120:7 120:15,19 122:22 126:1 127:12 128:18 128:23 129:2,8 130:9,18,23 131:8,12 132:2 132:3,13,18 134:4,5,24 135:6,24 136:1 136:4 137:25 138:1,7,13 139:3,17 141:14,15 142:6,8 144:3 144:7,13,17 147:4,14 148:20 149:11 150:13,16,22 151:9 152:16 153:4,11 157:6 ampomah's 148:14 analogies 28:22 analysis 26:12 32:24 38:24 126:14 analytical 26:14 38:3,14 40:7 42:4 | analytically 38:2 anderson 65:14 angle 31:14 animal 102:18 annotated 19:21 answer 15:22 16:14 47:22 48:5,9 64:21 76:21 142:12 anticipating 15:5 anybody 48:24 107:10 141:12 anymore 35:4 35:22 apologies 7:18 43:22 44:8 93:9 apologize 5:22 6:14 7:13 43:19 44:19 65:21 80:21 135:24 136:15 136:18 156:11 appears 54:5 102:2,10 113:9 applicable 56:20 61:11 62:2,10 94:17 applicant 72:25 77:14 78:2,21 79:9 82:15 84:12 | application 3:8 80:12,22 129:22,23 138:9 applications 78:7 80:22 applies 99:18 appreciate 25:15,21 73:14 113:11 apprehended 40:3 approach 3:17 appropriate 30:3 60:22 66:18 86:16 87:9 93:17 122:5 125:20 appropriately 63:16 approval 2:23 2:25 77:4 81:15 84:16 156:13,16 approve 95:24 155:8 approved 3:4,5 50:6 152:2 153:17 155:1 157:10,11 aquifer 137:17 area 12:2 42:3 126:20 areas 5:4 39:20 128:1 |
|--|--|--|---|

[argument - background]

| | | | |
|---|---|---|--|
| argument 23:20 31:12 140:8 arguments 16:13,17 17:17 37:16 art 76:13 articulated 56:12 126:22 ascertainable 20:2 43:10 aside 5:5 150:18 asked 30:20 37:24 103:11 asking 37:10,11 75:21 76:1 128:19 aspect 40:7 aspects 101:13 assist 54:2 association 55:3 63:3 76:20 83:24 84:1 85:4 87:5 115:24 117:18 118:13 122:11 association's 85:24 115:16 152:22 assuming 18:2 75:17 76:4 126:10 132:5 assumption 69:5,9 99:4 | 100:21 assurance 38:4 atom 26:1,9,9 29:13 attach 58:12 attached 26:9 58:2,7,17 59:16 60:14 62:23 64:15 65:11 67:16 112:18 attachment 48:20 49:4 60:2,3 68:12 70:24 79:17 97:7,8,9,12,16 98:11,21 99:21 101:25 103:24 104:11,12,17 108:23 112:18 113:19 114:5 116:2 118:10 119:22 133:19 136:20 attachments 98:23 122:5 attempting 79:23 attention 27:2 72:21 89:6 157:15 audible 158:6 audio 158:4 authority 15:25 23:24 60:22 | 86:13 95:9,15 100:22 101:4 authorization 98:2,14 99:11 99:14 authorizations 60:21 authorize 79:5 authorizing 82:13 automatically 35:1 68:24 84:17 availability 14:3 available 30:15 36:7 38:9 112:7,14 135:11 146:17 147:22 150:7 aware 128:11 149:20 awesome 25:20 b b 12:17 48:20 49:11 56:18,19 56:21,21 57:5 61:3,4,8,13 68:12 102:25 103:3,5,7,25 104:11,13 105:2,15,16,20 105:20,21 106:8,14,22,23 107:13 108:21 | 109:16 110:3 111:25 112:1 113:17,18,20 114:2,3,3,15,18 115:3 116:6 120:18 121:16 122:7 124:8,13 133:19 136:20 144:22,24 146:7,16 b's 103:25 back 5:2 7:16 7:19,22 17:9 21:18 23:15 35:2 36:16 39:11 45:12 49:16 50:9 53:1,4,19 55:10 57:11 68:9 73:1 75:3 77:5,6,14 78:3 78:21 79:4,23 81:16 82:13 83:9 95:21 109:6,10,13 113:12 116:10 116:18 117:2,5 117:8,10,11 119:21 122:2 131:1 144:24 146:5,10 155:18 156:10 background 24:4 33:18 37:20,20,23 |
|---|---|---|--|

[background - bloom]

| | | | |
|---|---|--|---|
| 103:18 128:13 backyard 134:9 146:25 147:20 ban 10:4 24:1 30:20,23,24 35:12,21 42:10 82:23 banned 35:1 barrels 10:20 10:21,22 29:24 based 38:6,22 51:13 54:10 64:4 68:24 71:9 78:16 94:22 99:1 120:24 126:3 130:10 146:6,8 146:11 147:5 150:10,21 baseline 125:2 128:5 131:2 basically 44:6 106:6 135:18 140:14 basis 145:14 bathroom 109:4 beginning 4:24 5:17 believe 6:22 8:20 10:4 11:19 12:3 13:22,23 20:18 25:11,19 27:22 | 31:23 33:7,17 47:2,17 48:7 52:7,20,24 55:23 56:12 63:2 73:2 83:7 84:24 85:1 91:9,15 102:3 103:3 106:11 106:15 120:8 121:7 125:14 126:15 136:13 141:6 147:5,11 149:22 152:3 believed 99:8 believes 86:18 100:15 101:3 110:9 beneficial 23:23 40:23 41:6 benefit 18:15 best 98:25 109:24 140:21 158:7 better 64:8 89:13 92:22 beyond 24:6 89:15 110:5,21 110:25 116:20 big 5:8 31:18 75:16 153:24 bigger 3:20 bill 27:9,11 75:15,25 76:2 76:7,9 | billion 11:3 22:14 bind 35:7 binder 8:8 biosolids 26:19 bit 8:7 20:13 28:25 47:16 57:11 89:22 129:15 141:17 148:17 152:19 152:20 black 16:13 106:3 blanket 41:25 87:4 blm 127:5 131:22 blood 39:18 bloodstreams 45:19 bloom 1:19 2:15,16 3:1,15 4:10,18,19 5:12 6:9,17,22 7:10,20,23 12:5,8,24 13:11 14:20 15:4 16:1 18:24 19:16,17 20:17 23:19 24:16,17 28:5 28:6 31:4,15 31:19 34:9 35:2 38:21 39:5 40:11 | 41:15,24 42:13 42:17,18 45:6 46:6 47:15 48:1,25 49:1 50:7,8,15,19,22 51:19 52:14,15 53:14 54:21 56:9,10 57:2,3 57:6,23 58:19 59:18 60:1,12 60:25 61:19,20 62:9 63:5 64:7 66:7,24 67:10 69:1,6,11,14 70:11,12 71:18 71:19 72:8 73:9,15 74:24 75:2,5 81:20 81:23 82:2 83:16,17 84:5 89:19 90:25 91:1 94:6 95:20,21 96:23 96:24 97:21 98:6,10,12 100:2,10 101:10,12 103:8,12 104:4 104:14,18,22 105:3,6,9,13 106:18,21,24 107:14,15 109:3 111:6,18 111:23 113:5 113:10 117:1,5 |
|---|---|--|---|

[bloom - casing]

| | | | |
|--|--|--|---|
| 118:1,18 119:11,24 120:15 121:6,9 122:24,25 124:24 126:8 127:10,11 128:18,22,24 129:6 130:25 131:7,10,19 132:13,21 133:6,15,18,23 134:3,11 136:13,17,19 136:25 137:9 137:24 138:7 139:6 141:6,11 141:23 142:3 142:11,13,24 142:25 143:11 143:19,23 144:2,5,9,14,19 146:13,20,22 147:18 148:5 149:3 150:12 151:3,13,19 152:21 153:11 154:12 155:3 155:12,14,25 157:8 bloom's 48:13 blue 83:22 94:7 bombarded 132:16 bond 90:19 | bothers 142:2 bottle 23:16 bound 26:21 boundaries 139:1 boundary 16:7 123:22 127:1 138:23 139:5,8 139:9,12,13,14 141:19,23,24 143:4,5 boy 103:5 105:15 108:24 111:16 113:1 122:3,7,18 123:5 break 29:5 52:25 53:2 73:12 77:9 108:17 109:4,6 breakout 108:16 breath 81:17 brief 21:24 97:13 112:19 119:18 briefed 75:25 briefs 98:23 bring 2:6 11:19 76:12 131:1 bringing 9:9 23:8 broad 30:25 33:15 36:9 | broaden 34:22 broader 36:8 41:25 broadly 10:1 broken 19:12 106:14 bromine 26:8 32:20 brought 20:7 27:2 40:15 121:6 125:7 brown 140:10 building 1:5 121:25 129:17 136:10 150:25 burden 20:7,18 20:23 112:12 133:4 135:13 burdensome 126:21 bureau 123:17 127:5 137:5 138:20 business 49:6 111:4 buying 38:8 | 72:24 80:24 82:16 84:14 121:10 145:15 145:21,22 146:8,16,18,18 call 2:9,22 22:23 114:12 114:14 131:5 called 51:3 71:4 calls 114:15 cancel 154:17 capabilities 100:16 capture 65:17 carbon 26:1,9 29:13 33:13 careful 17:22 40:20 41:3 cart 23:7 cas 14:23 15:2 15:5 46:13 118:23 131:15 148:16 case 3:7,7,23 5:7 27:19 61:8 63:16 117:25 132:24 157:14 cases 29:3 casing 88:5,6 90:16,18 93:2 93:4 151:25,25 152:1,7,8,10,12 152:17,18,23 153:2,5,8,15,16 153:20 154:2,3 |
| | | c | |
| | | c 8:25 15:5 53:21 57:15 58:2 59:16 60:14 61:9,12 61:23,25 62:3 62:10,15,18 64:11,11 67:7 67:8 72:2,2,21 | |

[casing - chair]

| | | | |
|---|---|--|---|
| 154:23,25,25 casting 30:2 categorized 40:19 41:2 cause 18:2 20:7 34:1 141:18 149:1 152:20 153:9 causing 39:1 106:15 caution 40:13 41:7 cement 90:19 93:5 certain 28:23 108:4 certainly 13:2 18:16 49:25 63:6 96:2 120:12 certainty 27:10 certification 9:4 54:17 55:5 56:4 58:2,3,4,6 58:6,7,13,17,18 58:21,23 59:13 59:17 60:14,18 78:17 79:10 80:12 82:16,17 84:13 certifications 91:13 certified 79:15 151:5,16 | certify 65:12 73:1 78:4 cetera 81:10 cf2 26:7 cf3 26:7 32:19 cfr 110:6,22 111:10 122:13 chair 1:18 2:2,5 2:12,21 3:3,6 3:15,24 4:8,17 4:19 5:10,21 6:11,21 7:7,10 7:13,18 9:13 12:4,24 15:9 15:22 19:15,18 20:17 24:10,16 24:22 25:15,20 28:3,6 30:18 31:2,15,19 32:14 34:11,14 36:21 37:10,13 38:22 39:10 40:5 42:2,6,14 42:17,20 43:19 43:21,23,24 44:2,7,13,19,23 45:1,6 46:22 47:1,15,22 48:3,10,16,23 49:10,20,21 50:1,7,12,18 51:7,20 52:11 52:14,18 53:4 53:7,8,17,24 55:10,13,17,21 | 56:8,10,13,18 56:22 57:2,5 57:16,24 58:8 58:16,22 59:1 59:8,23 60:8 61:1,3,15,19,21 61:23 62:7,11 62:13 63:9,13 63:18,21 64:3 64:20 65:4,20 66:14 67:9 68:1,6,8,11 69:4,7,13,16,21 69:23 70:1,11 70:13 71:2,12 71:18,20,24 72:3,11,14,20 73:7,9,12,16,23 73:24 74:7,12 75:4,11,21 76:9,25 77:8 77:11,23 78:5 78:18 79:1 80:2,6,14,19 81:20,25 82:4 82:7,25 83:15 83:19 84:4,8 85:1,19,23 86:3,7 87:3,11 87:17,19 88:20 89:1,8,19 90:2 90:10,13,25 91:3,22,24 92:9,16,22 94:6,11 95:6 | 95:20 96:9,23 96:25 97:14 98:6,8,11,17 99:3,16,19 100:9,18 101:1 101:5,8,10,21 102:2,19 103:2 103:6,9,11,16 104:4,7,16,19 104:24 105:4,7 105:10,14 106:4,10,16,20 106:23 107:1 107:14 108:7 108:11,14 109:5,8,13 110:14,16 111:9,16,21,25 112:15,20,25 113:10 114:22 116:10,25 117:2,7,10 118:4,8 120:20 121:10 122:1 122:24 123:2 124:24 125:14 127:10 129:4,9 130:3,8,10,21 131:5 132:2,3 133:5,15,21 134:2,4,17,25 135:16 136:3,6 136:13,15,18 136:21 137:2 137:23 138:5 |
|---|---|--|---|

[chair - clarification]

| | | | |
|--|---|---|--|
| 138:16 139:15 139:19 140:3 140:17 141:14 141:20 142:4,7 142:11,16 143:1,18,21,25 144:8,21 146:15,21 147:10,12,15 147:23 148:20 149:8,25 150:15,20 151:10,18,20 152:6,13 154:5 154:11,20 155:4,11,13 156:5,18,22,25 157:4,7,9,12 chairman 27:6 156:12 chance 100:12 change 25:6 53:5 65:19 66:25 67:2,4,6 68:14 70:3,5,6 70:14 72:9 76:7 84:22 94:15 96:4 97:2 101:22 108:10 109:16 131:24 134:12 150:11 151:14 changed 136:14 146:23 150:5 | changes 8:1 43:2 72:17 75:1 86:5,9,18 105:8,11,17 109:22 110:11 120:5 121:14 121:16 142:18 155:19 changing 47:19 50:23 chapter 19:21 characterize 17:12 charge 14:8 36:18 charged 28:10 check 5:17 48:15 102:20 chemical 6:2,19 6:24 8:3,13,17 8:19 9:2,15 10:11,13 12:9 12:13 22:12,23 24:15,18 25:1 25:3,4 26:6,12 29:11,15,18 31:12 32:23 33:17 38:11,24 51:25 52:4,5 54:9 57:18,19 58:14 60:16 68:15,17 94:20 102:5 103:20 105:25 107:4 112:7 114:6 | 115:13 117:13 118:14 123:9 128:8 130:1,5 130:11,13,16 130:19 131:1 131:24 132:16 132:23 133:8 134:13 135:10 139:22 143:7,9 143:12,13 145:1,16,25 146:6,8 147:16 150:1,3,10,21 chemicals 8:4 8:11,12,13,18 9:4,17,21 10:12,25 11:2 11:20,25 12:15 12:21 13:4,7 14:1,11,13,15 14:16 16:2 20:24,25 22:13 22:25 23:4,8 24:20 25:24 26:5,11 28:2 28:14,18 29:21 31:6,22 32:3 32:11,23 34:25 35:3,7,11,14,17 35:21 36:3,10 36:18 39:9,15 39:22 40:25 42:19,23 45:22 45:24 50:17,24 51:3,5,19,20,22 | 51:24,24 52:4 52:17,23 54:20 54:23 56:4 73:8,18 74:1 74:15 75:7 82:23 87:1 93:13,19,20,21 93:25 94:23,25 95:3,10,16 96:4,5 97:4,17 98:1,5 99:23 99:24 125:6 127:21 147:20 chemist 42:4 chemistry 33:18 children 39:19 chime 15:12 chino 1:5 chlorine 26:8 32:20 choice 64:5 circumstances 43:13 citation 77:18 77:22 80:9 82:8 85:5 cited 25:11 30:5 citing 8:8 civil 101:14 claim 68:17 clarification 40:6 70:16 106:17 |
|--|---|---|--|

[clarify - commissioner]

| | | | |
|--|--|--|---|
| clarify 43:15 115:10 | 156:10 | 33:12,20 40:14 41:7 46:7,15 53:10 68:1 74:25 77:21 91:10,15 99:3 112:24 113:13 114:21 115:21 117:22 118:9 121:18 147:17 156:8 | 39:5 40:11 41:11,13,15,22 41:24 42:12,16 42:17,18 44:11 44:15,21 45:6 46:6,6 47:15 48:1,13,25 49:1,3 50:5,6,7 50:8,13,15,19 50:22 51:19 52:11,14,15 53:12,14 54:21 55:22 56:9,10 56:24 57:2,3,6 57:23 58:16,19 58:20,25 59:7 59:18 60:1,12 60:25 61:1,2 61:17,18,19,20 62:9,11,12 63:5,6 64:7 66:7,22,24 67:10 69:1,6 69:11,14,18,20 70:9,10,11,12 71:14,17,18,19 72:8,11,12 73:9,15 74:24 75:2,5,11,12,24 76:4,23 81:19 81:20,23 82:2 83:1,16,17 84:5 86:10 89:19,25 90:23 90:24,25 91:1 |
| class 22:25 35:11 36:9 39:15 | comes 7:1 8:7 45:25 68:9 109:16 125:12 | commission's 3:9,12 16:4 72:21 157:2 | |
| cleaned 11:22 | comfortable 73:10 | commissioner 2:13,15,16,18 3:1,2,15,25 4:2 4:10,14,18,19 5:12,15,25 6:9 6:17,22 7:9,10 7:20,23 12:4,6 12:7,8,24,24 13:9,11 14:19 14:19 15:4,10 15:11 16:1,9 17:18 18:24 19:16,17 20:6 20:17 23:19,19 24:12,14,16,17 24:23 26:25 27:18 28:3,5,6 31:2,4,4,15,19 33:8,22,22 34:9,12,13,16 35:2 36:21 37:11 38:20,21 | |
| cleanup 127:20 | coming 41:24 91:17 118:5 | | |
| cleanups 14:4 | comma 57:24 58:4,5,9,12,13 58:19,21,23 59:3,13,17 60:15,19 61:11 61:12 62:2,3 94:15 111:1,11 122:12 154:25 | | |
| clear 17:19 23:22 39:9 60:6 105:19 126:4 149:21 | comment 27:1 | | |
| clearance 28:24 29:1 | commented 107:10 | | |
| clearly 54:23 103:5 | comments 100:3 101:17 111:19 134:7 149:20 | | |
| close 54:24,25 126:13 | commerce 14:16 23:8 36:11 | | |
| closing 21:24 23:20 33:23 37:15 97:13 119:18,25 121:5 140:7 | commercial 136:11 | | |
| code 3:11 | commercially 38:9 | | |
| codified 100:4 | commission 1:3 1:17,22 2:5,12 4:22 16:6 18:15 23:23 24:25 27:14 | | |
| codify 86:12 | | | |
| coffee 44:8 92:1 | | | |
| coincide 6:9 | | | |
| col 121:3 | | | |
| collapsed 6:16 | | | |
| come 14:16 20:12 36:16 37:19 39:11 50:9 51:2 144:5 155:17 | | | |

[commissioner - completion]

| | | | |
|--|---|---|---|
| 94:6 95:6,20 95:21 96:20,21 96:23,24 97:21 98:6,10,12 99:16,17,20 100:1,2,10,24 101:2,7,9,10,12 103:8,12 104:4 104:14,18,20 104:22 105:1,3 105:6,9,13 106:18,21,24 107:12,14,15 109:3 111:6,18 111:23 113:5 113:10 117:1,5 117:7,8 118:1 118:18,20 119:11,14,24 120:7,15,19 121:6,8,9 122:22,24,25 124:24 125:14 126:1,8 127:10 127:11 128:18 128:18,22,23 128:24 129:2,6 129:8 130:9,18 130:23,25 131:7,8,10,12 131:19 132:2,3 132:13,18,21 133:6,15,18,23 134:3,4,5,11,24 135:6,24 136:1 | 136:4,13,17,19 136:25 137:9 137:23,25 138:1,7,13 139:3,6,17 141:6,11,14,15 141:23 142:3,6 142:8,11,13,23 142:25 143:11 143:19,23 144:2,3,5,7,9 144:13,14,17 144:19 146:13 146:20,22 147:4,14,18 148:5,20 149:3 149:11 150:12 150:13,16,22 151:3,9,13,19 152:16,21 153:4,11 154:12 155:3 155:12,14,25 157:6,8 commissioners 3:14 4:9 16:19 26:24 55:21 56:15,22 61:15 62:7 63:2 64:3 72:7 104:3 107:11 108:19 108:25 116:25 122:17 124:23 128:19 130:4 147:4 152:15 | common 6:4 30:7,11 107:21 commonly 33:14 communicates 88:3 communication 41:9 communities 112:12 135:14 community 34:19 40:22,22 41:4,5 companies 10:10 12:10,20 13:3,21 15:18 20:20 22:1,11 30:24 37:6 45:11 46:8,16 118:24 company 11:19 12:17,17 16:23 17:4 19:3,6,11 21:4 29:16 compare 4:4 38:25 126:14 comparing 85:17 comparison 5:18 87:15 compel 23:24 compelling 26:10 compensated 158:10 | competing 17:16 competitiven... 15:17 compilation 19:24 43:6 complete 61:9 115:4 144:25 145:8 completed 68:16 124:12 125:11 128:15 145:2,5 completely 47:25 52:8 101:8 115:5 147:13 completing 32:21 87:21 102:4,13 107:4 107:16,20 108:8,9,10,13 114:5 117:13 completion 8:23 9:5 49:11 53:20 55:8,15 55:20 56:5 62:22 64:14 67:15 74:15 107:18 109:15 110:2 115:12 116:12 118:13 128:17 145:3 145:21 |
|--|---|---|---|

[completions - controlled]

| | | | |
|---|--|--|--|
| completions 45:15 91:14 92:4 complex 83:13 compliance 77:15 78:8,10 78:11,22 81:2 81:3,4 82:24 101:13 complied 60:23 comply 81:13 82:22 component 145:7 148:17 components 131:9 composition 12:19 compound 24:1 33:13 38:2 39:3 compounds 31:9 34:1,3,7 34:18 35:23 36:24 37:18 40:11,23 46:17 comprise 8:16 52:3 computer 48:20,22 concealed 50:24 concentrated 39:20 | concern 15:16 16:8 18:2 31:8 64:24 65:22 96:5 100:10 108:20 122:6 concerned 40:9 66:4 concerning 129:16 concerns 15:10 15:24 16:1 47:5 56:22,24 84:18 101:21 121:22,24 134:7 conclusions 45:2 71:5,10 85:25 113:6 115:17 119:19 140:8 concrete 63:24 concur 62:12 119:11 120:15 120:21 concurrence 79:14 conduct 86:16 93:15 conducted 9:1 25:9 confidential 49:6 62:21 64:11,13 67:14 94:22 111:3,4 114:19 | confused 50:19 confusing 65:3 153:3 confusion 39:1 103:4 106:15 141:18 149:1 152:20 153:9 congruity 88:20 consensus 61:10,13 72:22 conservation 1:3 2:4,5,11,12 26:4 47:9 57:21 74:25 98:20 99:4 109:21,23 110:9 122:9,20 135:2 consider 79:21 consideration 6:19 98:2 considered 33:14 consistent 80:1 116:14 consumption 22:7 contact 23:9 contacting 132:19 contain 74:4,14 containing 65:16 74:10,20 | containment 89:17 90:6 contains 158:5 contaminants 94:19 contaminate 11:9 88:7 contaminated 128:8 contamination 39:17 125:18 128:14 context 112:13 135:15 continuance 95:24 continuation 94:8 continue 60:12 77:19 78:12 109:14 146:2 continued 28:15 95:22 112:4 135:8 continues 87:22 88:1,5 continuing 112:10 contrast 85:18 contributed 98:4 control 38:5 controlled 48:21 |
|---|--|--|--|

[conversation - decide]

| | | | |
|--|--|--|--|
| conversation 42:25 50:21 118:7 copies 118:5 copy 57:7,13 58:9 104:25 105:1 correct 37:14 43:18,20 44:24 55:16 58:24 63:12,14,20 64:1,2 71:7 72:6 73:21 75:1 77:10,11 77:24 84:3 86:6 94:10 97:14 106:10 111:9,11,13 114:22 120:19 121:7,9 125:15 130:3 136:24 136:25 142:25 145:8 152:25 155:21,25 156:21 158:4 correction 89:2 143:3 corrections 156:16 correctly 67:23 78:24 104:2 133:16 134:23 cost 112:8,14 135:12 | counsel 1:22 4:6 15:12,23 26:25 27:4 75:19 89:2 121:23 130:4 counsel's 97:8 county 13:15 couple 54:6 89:16 course 9:24 36:6 94:1 112:17 court 19:5,13 cover 31:21,25 34:18 70:16 120:18 156:23 covered 20:6 32:4 covering 36:17 covers 33:19 84:17 119:2 127:17 covid 35:15 40:17 create 14:2 88:6 111:23 112:1 116:5 121:16 124:25 130:13 created 21:8 103:9 111:25 114:2,3,11 147:16 creating 114:3 | creation 123:5 crime 29:1 crimes 28:23 critical 86:24 cross 5:17 curious 120:12 current 98:3 106:12 110:8 145:6 currently 9:25 31:8 96:7 103:19 106:1 113:9 146:20 148:5 curveball 50:20 custody 16:24 cut 45:7 115:25 d d 19:23 67:1 69:23,24 70:3 70:14 71:22 103:4 123:5,8 130:15,20 132:22 136:7 142:17 146:5,5 146:8,10,23 150:3,9 daily 20:9 damage 90:6 93:10 94:3 dangerous 35:3 36:9,10 data 8:15,19 52:2,6 62:20 62:23 64:13,15 | 66:10 67:13,16 68:15 110:5,6 110:21,22 147:21 database 8:14 52:1 150:25 date 27:14 62:21 67:14 70:6 123:8 132:23 133:7 133:23 142:19 dates 71:15 davis 91:5,7,9 92:13 105:18 106:6,10 day 41:18 60:19 97:12 119:19 days 8:23 54:5 62:21 64:14,19 67:4,14 70:5 70:17 71:16,21 88:8,12,14 143:8,16 144:1 144:2,18,19 145:3 151:6,16 deadly 40:15 deal 104:18 dealing 16:2 dealt 5:5 40:3 104:20 debacle 23:14 debate 16:21 decide 63:7 77:20 134:21 |
|--|--|--|--|

[decided - differentiate]

| | | | |
|--|---|---|---|
| <p>decided 23:2 113:13</p> <p>decision 48:17 69:8 113:24 132:19</p> <p>decisions 120:24</p> <p>declare 21:5</p> <p>declared 21:13</p> <p>declares 19:11</p> <p>declaring 19:7</p> <p>deemed 36:14 93:23 96:14</p> <p>deepen 72:25 77:4,14 78:2 78:21 79:4,23 81:16 82:13 83:9 84:16</p> <p>deeper 119:7</p> <p>default 73:19</p> <p>defer 63:7 85:15</p> <p>define 6:5 12:13 139:5 141:19</p> <p>defined 36:24 47:7 152:9 153:1,10</p> <p>definitely 4:9 16:3 33:4,19 37:15 40:7,12 46:21 129:19 140:20 151:2</p> <p>definition 6:2 6:18,24 8:2,10</p> | <p>19:22 24:15,18 27:20,21 28:1 28:13 29:12 30:4,7,11,16,16 31:20,24 32:10 33:19 34:2,5 34:17,22,23 35:21,23 37:5 37:8,8,9,17 39:8 41:6,11 42:7,15,21,22 44:5 45:4,9 47:18 49:8,18 51:1,23 52:16 52:21 53:11,16 54:11 56:2 60:17 73:19 130:5 153:2</p> <p>definitions 28:12 33:24 39:1 48:6 130:12</p> <p>degree 13:20</p> <p>delete 69:2 152:7,23</p> <p>deleted 88:17</p> <p>deletion 53:10 111:8</p> <p>deliberating 3:14</p> <p>deliberations 1:11 3:13 54:3 55:11 75:19 76:1 156:15 157:2</p> | <p>deliver 16:14</p> <p>demand 63:24</p> <p>demonstrating 151:21,25 153:12,14 154:24</p> <p>denial 77:4 81:15 84:16</p> <p>deny 77:13 78:20 79:9,14 80:11 82:12,21</p> <p>department 16:11</p> <p>departments 123:24,25</p> <p>dependent 84:15,17,19</p> <p>depletion 137:17</p> <p>depression 40:18</p> <p>derives 19:25 43:7</p> <p>described 34:8 38:22 110:6,22</p> <p>designation 21:2</p> <p>designee 2:16 2:19 77:13 78:20</p> <p>destroying 40:25 41:1</p> <p>detected 31:9</p> <p>detection 86:19</p> | <p>determine 86:17</p> <p>determined 90:19 93:6</p> <p>devastating 39:16</p> <p>developed 123:16,19,21 126:25 129:11 136:8 138:22 139:7</p> <p>development 37:1 128:2</p> <p>develops 34:19</p> <p>device 5:23 19:24 43:6</p> <p>dictate 134:18</p> <p>differ 31:17 98:24 152:11</p> <p>difference 57:12 70:23 99:20 109:18</p> <p>differences 57:22 74:23 98:8</p> <p>different 16:16 53:25 55:18 73:4 77:9 100:1 102:12 116:2,23 117:19,19 118:19 119:23 120:21 135:1</p> <p>differentiate 94:13</p> |
|--|---|---|---|

[differentiated - division]

| | | | |
|--|--------------------------------------|--------------------------------------|--------------------------------------|
| differentiated 113:21 | disclosed 9:18 13:5 15:7,8 | 140:15 142:20 143:7,9,12,15 | 50:10 52:10 82:25 91:19 |
| differentiating 86:4 | 20:14,21,24 21:13 32:9 | 143:18,19,24 144:3,6,10,15 | 92:5 95:5 115:21 126:2 |
| differentiation 67:17 | 50:10 66:10 93:13 95:14 | 144:23 145:1,2 145:5,16,25 | 139:4 discussions |
| differing 54:17 85:2 94:1 | 118:23 143:8 143:15 144:1 | 146:6,9,23 147:8,17 150:2 | 96:8 disposal 154:16 |
| differs 99:6 | 144:15 151:5 151:15 | 150:3,10,21 151:4,15 | disposition 158:12 |
| diligence 90:15 93:1 | disclosing 46:10,19,20 | disclosures 13:14 14:21 | dispute 62:16 62:24 89:16 |
| direct 72:18,20 124:9 | 145:9 disclosure 6:24 | 68:17 112:10 132:17 139:22 | disregard 151:7 |
| directly 131:25 | 8:3 9:3 10:7 12:9,14 15:8 | 139:24 disconnected | dissect 100:20 |
| director 2:3,11 77:12 78:19 | 15:19 17:5,9 17:10 18:11 | 43:21 44:8 discontinued | distinction 20:14 |
| director's 77:13 78:20 | 20:4 23:16,25 24:15,18,19 | 146:1 discovered | distracting 7:12 |
| dirt 11:22 | 25:1,3,4 43:11 49:5,12 50:17 | 117:6 discuss 5:20 | distraught 40:24 |
| disagree 108:5 | 54:9 57:18,19 58:15 60:16 | 44:2,9 91:10 101:20,23 | division 2:4,11 8:25 16:22 |
| disagreement 72:23 | 69:12 109:17 110:3 111:3 | 105:3 117:22 134:25 136:4 | 18:9 20:6,16 26:4 47:9 49:4 |
| disagrees 99:5 | 112:4 122:4,7 122:18 123:9 | 155:18,23 discussed 55:24 | 49:14 57:21 58:1 59:16 |
| disallow 75:6 | 130:2,6,11,14 130:16,19 | 91:12,16 92:7 95:7 112:5 | 60:13,20 61:25 62:20 63:4 |
| discarded 54:23 | 131:1,24 132:22,24,25 | 115:14 discussing 7:20 | 64:10,13,17 66:17 67:7,13 |
| discern 126:18 | 133:8,24 134:12,13,14 | discussion 7:6 15:14 17:19 | 70:5 72:1 80:10 88:12,13 |
| disclose 12:10 12:20 13:4 | 135:9 139:23 | 32:6 41:19 | 88:14,16,18,19 88:23,24 89:17 |
| 15:1 17:8,11 17:20,22,25 18:5,12 20:12 23:3 45:11 46:5,9,11 94:16 | | | |

[division - either]

| | | | |
|--|---|---|---|
| 90:5,5,21 93:7 94:17,21,21,24 97:4,18 98:1 98:20 99:5,14 99:24 102:6,15 107:6,23 109:21,23 110:4,9,19,20 111:3 114:7 117:15 119:4 122:9,20 123:23 127:2 135:3 138:25 139:16 140:1 143:10 144:4,6 144:11,11 145:12,20 146:3 division's 33:18 59:2 75:1 doctor 12:6 document 8:10 65:11 73:17 80:12 85:23 90:9 115:25 116:2,20 118:10,11 119:17 121:3 documented 138:3,14 documents 7:12 26:15 79:12 117:19 120:21 | dog 71:22 103:4 123:6 136:7 doing 10:5 16:20 45:20 59:21,22 144:10 domestic 79:5 79:20,25 82:14 83:4,5,12 84:11,11 125:3 128:6 137:11 148:12 double 48:15 102:19 doubling 45:21 downhole 8:4 12:15,22 25:7 25:8 35:17 36:25 74:13 78:3 86:14 91:13 93:13 download 145:13 downloads 144:12 downstream 35:6 124:8 dr 1:20 2:19 4:20 5:12 13:11 15:4 18:25 28:21 30:19,20 33:8 119:11 120:15 127:12 132:13 | 138:7 140:10 148:14 153:11 draft 59:21 155:16,16,17 drill 9:1 54:7 72:25 77:4,13 78:2,20 79:4 79:23 81:16 82:12 83:8 84:16 129:21 drilled 125:11 127:21,24 138:10 146:25 148:2,8 drilling 33:17 83:9 128:16 148:9 drinking 18:4 26:15,16 125:4 128:7 drive 1:6 drop 7:5 11:7 21:22 81:24 dropped 53:17 drs 65:14 dry 61:8 due 51:12 93:24 125:17 duplicative 139:11 duty 13:24 | 146:8 150:3,9 151:4,14 earlier 54:10 76:15 92:7 97:25 108:12 131:6 early 41:17 easement 154:17 easier 149:23 easily 39:7 easy 54:21 61:24 economic 20:1 20:3 43:8,11 eddie 13:15 edition 145:6 edits 155:19 156:15 edward 71:23 effectively 18:10 effects 45:14 efforts 43:12 either 4:7,23 8:13 18:12 23:24 33:10 37:7,17 39:8 51:24 69:9 89:23 99:17 100:20 116:17 119:8 128:16 132:20 135:23 155:6 |
| | | e | |
| | | e 69:24 71:23 71:25 93:21 142:15 143:6 | |

[elaborate - exist]

| | | | |
|--|--|---|---|
| elaborate 7:5 47:16 115:8 elect 95:4 electrical 57:8 57:14 electronic 5:23 104:17,25 eligible 28:14 eliminate 139:23 emergency 45:23 123:25 empirical 129:4 employed 158:9 employees 19:4 encompasses 4:21 36:1 energy 2:19 enforce 36:6 enforceable 28:21 36:2 39:24 enforced 39:13 enforcement 30:14 81:3 97:4,18 98:15 99:15,25 100:4 100:15 101:4 101:13,14 engaged 16:22 engaging 16:21 17:2 engineer 138:9 | english 63:8,9 153:2 ensure 14:10 82:21,23 86:25 154:15 entered 118:16 entire 4:22 22:24 35:10 75:18 76:2 entirely 12:21 107:17 entities 123:10 125:16 126:5 126:17,21 132:11,19,25 133:9,25 134:16,18,19 135:2 140:15 142:20 149:13 entitle 18:19 entitled 18:22 153:12 entity 123:11 133:1,10 134:1 142:21 enumerated 120:3 121:13 environment 13:25 14:9 16:5 22:22 23:9 28:11 32:16 33:21 36:20 40:9,12 41:1 | environmental 26:10,13 32:22 eog 22:3 epa 14:12 32:24 equate 79:24 equity 140:15 error 59:14 errors 59:4 155:20 especially 15:13,20 18:3 46:24 95:10 118:23 148:22 153:9 esq 1:23 essentially 13:6 36:3 establish 86:19 et 81:10 evaluate 27:15 evaporated 11:17 event 102:13 events 111:2 everybody 2:2 7:18 71:7 105:11 109:8 132:5 149:19 149:20,22 157:15 evidence 99:1 115:23 evolve 34:6,23 36:5 | evolving 34:24 exact 102:10 exactly 68:11 73:17 141:2 156:9 examine 76:12 examiner 66:8 examiners 64:17 example 16:21 19:2 28:24 29:16 139:17 140:12 excellent 2:21 3:3 4:8,17 5:10 6:13,21 25:5 42:20,24 44:7 51:16 70:13 71:21 76:25 91:3 97:1 122:1 130:25 except 130:12 exception 111:1 exceptions 112:5 135:10 excluding 26:8 exhibit 5:13 8:8 59:2,3 104:5 exhibits 85:13 121:1 exist 103:14 112:21 122:14 122:15 146:9 146:11 |
|--|--|---|---|

[existence - first]

| | | | |
|---|---|---|---|
| <p>existence 148:6</p> <p>existing 47:21 61:7,12,24 62:17,19 77:16 86:21 87:2,20 87:22 88:1,5 88:11 103:3 105:22 106:7</p> <p>exists 105:25 130:11</p> <p>expand 34:6</p> <p>expediency 73:14 74:24</p> <p>expertise 38:23 42:3 126:5</p> <p>experts 32:7</p> <p>explain 85:15</p> <p>explained 42:2 89:11</p> <p>exploration 37:1</p> <p>expounded 104:7</p> <p>extensive 118:22 119:10 119:12,16 120:11</p> <p>extent 18:16</p> <p>exterior 123:22 127:1 138:23 139:1,2,5,9,11 139:14 141:23 142:2 143:4,5</p> <p>extra 79:2</p> | <p>f</p> <p>f 146:8 150:3 150:10,14,17 151:2,7,14</p> <p>face 19:5 107:16 141:9</p> <p>fact 21:7 32:15 71:10 85:4,25 113:6 115:16</p> <p>facts 71:5</p> <p>failure 5:22 78:16</p> <p>fair 16:25</p> <p>falls 125:18</p> <p>false 82:17</p> <p>family 137:10</p> <p>far 24:11 102:11 121:20</p> <p>faster 48:22</p> <p>favor 46:21 134:14</p> <p>fe 1:6</p> <p>february 71:11 97:13 119:20</p> <p>federal 30:5 123:17 127:5 127:13 137:5 138:20</p> <p>feel 4:3 15:17 24:5 39:22 46:19,23 87:13 97:21 116:15 119:1 125:15 125:19 126:20 149:3 153:5</p> | <p>feels 101:3</p> <p>feet 11:9 22:8 123:14 124:4 124:11,12 128:21 136:12 136:22 137:7</p> <p>felicia 1:15 16:19</p> <p>felt 49:23 66:13 116:22 132:15</p> <p>fence 42:5</p> <p>field 34:6</p> <p>fifths 46:3</p> <p>fighting 35:15</p> <p>figure 11:8 66:25 116:13</p> <p>figures 10:19</p> <p>file 8:24 9:4 54:16 55:5 145:1,19,23</p> <p>filed 71:11 97:12 119:19 144:16,20 145:9 147:2 151:6,16</p> <p>filing 131:25 146:2</p> <p>final 59:20 65:11 70:18,19 70:21,24,24 71:4 98:25 99:12 108:12 121:3 155:6 156:14,17 158:12</p> | <p>finalized 155:16,17</p> <p>financial 81:8</p> <p>find 7:24 21:17 21:18 23:11 29:10,14 38:13 48:21 51:17 65:4 66:14 85:5,7 86:1 116:8 126:10</p> <p>finding 71:5 85:7</p> <p>findings 45:2 55:9 71:10 85:4,25 113:6 115:16 119:18 140:8</p> <p>fine 4:7 56:11 82:2 89:23 91:1 100:16 109:3 122:25 134:22 137:21 142:13 147:23</p> <p>fire 123:24</p> <p>first 5:24 6:1 14:4 31:1 49:7 54:6,13 61:24 62:5 73:7 77:10,20 79:12 80:4,6,9 94:3 94:14 108:9 109:16 110:24 121:2 123:25 125:1 136:6,7</p> |
|---|---|---|---|

[fish - gas]

| | | | |
|--|--|--|--|
| fish 26:19 five 7:15 88:8 88:11,13 109:4 118:3 fix 95:21 floor 1:5 fluid 13:17 15:6 55:19 56:5 94:18 145:6 fluids 10:20 29:25 46:3 55:8,15 65:16 74:10,21 112:4 135:9 fluorinated 26:1 29:13 fluoroalkyl 25:25 focus 65:17 79:22 80:4 140:5 fof 121:3 follow 47:4 72:8,15 following 8:23 61:11 123:8,10 124:21 130:17 132:25 133:9 133:25 142:20 151:24 153:14 154:24 follows 72:4,25 food 19:7,8 | foot 11:10 31:5 footnote 59:4 force 12:20 foregoing 158:3 forgive 147:12 form 8:24 53:20 56:20 57:15 58:2 59:14,16 60:14 61:9,11,25 62:2,10 64:10 67:7 72:2,2 145:7,10,20 formation 88:2 formula 19:24 20:5 43:5 formulas 10:11 21:1 forth 31:20 124:25 forward 29:17 156:3 foster 134:11 found 5:3 38:6 40:22 41:5 four 81:7 82:10 fourth 158:15 fpeg 9:16 21:19 22:4 fracfocus 7:3 8:14 10:8 12:11 13:14 14:6,21 20:21 21:8 46:9 52:1 | 112:6,11 125:25 126:9 126:13 130:13 131:14,24 132:6,9,10,16 132:24 133:24 134:13 135:10 142:19 143:13 143:14,20,21 143:25 144:6 144:10,15,16 144:20 145:1,7 145:9,13,15,20 145:24,25 146:7,16,17,23 147:3,7 149:9 149:17,21 150:6,11,19 151:1,4,6,8,14 151:17 frack 13:17 148:17 fracking 18:18 45:14 fracture 49:12 109:17 110:3 122:4,7,18 144:23 145:23 fractured 144:25 fracturing 55:7 55:15 74:10,11 74:20,21 87:23 93:10 94:4 102:4,13 | 105:24 107:4 107:17,18 112:4 114:6 117:13 135:9 145:2,4,5,18 francis 1:6 frankly 11:24 19:2 free 112:8,14 135:11 147:9 fresh 88:7 front 76:10 92:25 fruitful 4:24 full 15:8 24:19 fully 26:1 29:13 functional 154:16 further 41:19 85:9 110:23 113:12 115:19 120:1 121:11 148:18 future 30:15 156:13,20 |
| | | | g |
| | | | gallegos 158:14 gallons 11:12 22:9 29:25 46:2 gaps 139:23 gas 10:21 13:8 22:1,10 24:20 25:9,12 28:16 35:13 37:2 |

[gas - groups]

| | | | |
|--|---|---|--|
| 39:21,23 42:10 45:15 47:11 55:3 63:3,10 63:19 65:5 66:15 68:21 74:5,17 76:19 83:23 84:1 85:4,24 87:5 115:15,24 117:18 118:12 122:11 126:12 126:19 152:22 general 3:23 39:2 153:23 generally 20:2 43:9 108:1 genie 23:15 gerasimos 1:18 2:3,10 getting 5:14 132:16 give 7:15 18:1 19:6 41:20 48:24 66:20 73:5 given 73:11 95:22 96:1,7 101:16,17 119:3 gives 63:23 64:4 127:22 giving 46:16 66:2 95:8 128:12 137:19 148:18 | glad 7:5 134:11 go 2:13 4:10 21:2,18,23 24:5,13 29:12 30:25 33:2 35:9 37:25 38:15,19 45:12 49:16 52:12,20 54:2 56:17 57:10,20 60:11 62:13 64:6 66:19,22 69:2 69:15 71:2,13 72:15 74:25 76:8,24 77:1 81:2,24 82:6 83:13 85:21 87:4,5,7,18 92:14,20,24 94:11 100:21 104:4 108:21 113:4,11,13,19 113:25 114:16 115:4 116:10 116:18 117:2,5 117:8,10,11,20 118:5 119:21 120:23 125:5 126:13 127:23 128:4 129:25 133:3 135:18 136:1 138:11 138:21 140:20 140:22,23,25 141:4 144:24 | 146:5,10 148:4 148:17 149:9 155:7 156:2 goal 33:19 goals 16:4 goes 17:9 24:24 67:5 110:23 going 3:12 5:13 9:7 12:21 13:15,20 14:5 18:3 22:15 24:23 29:1,21 34:22 42:22 43:2 45:10 50:3,16 51:2 51:11,13 53:22 54:1 57:25 61:10 65:6 69:16,17 70:1 72:15 88:9 92:20 94:11 100:14,19,19 104:16 109:14 113:13,25 114:17 119:6 122:2 125:13 126:20 127:20 127:21 129:20 129:24 134:8,8 144:24 146:5 148:3,10,16,21 149:5,9 150:1 good 2:2,15,18 12:25 13:15 28:24 39:6 | 53:13 57:17 59:20 60:6,24 61:16 62:9 101:18 108:14 120:23 121:19 127:11 157:17 google 19:14 government 30:6 76:12 127:13,14 governments 124:3 127:15 gracious 92:18 grammatical 90:4 great 157:13 greater 14:3 140:6 148:15 greg 1:19 2:15 ground 9:10,12 11:16 18:4 22:15 29:23 31:6 35:9 46:3 grounds 80:11 152:8 groundwater 26:16,18 35:9 86:13 93:12 94:5,15 96:14 124:9 group 26:6,7 32:19,19 groups 78:22 133:3 |
|--|---|---|--|

[grow - helpful]

| | | | |
|--|---|--|--|
| <p>grow 35:24,25 growing 30:14 guard 137:13 guardian's 99:12 guardians 3:8 4:13 25:8 26:3 31:17 42:15,23 43:4 47:3 58:11 59:12 60:15 63:19 65:7 68:13,20 79:7 82:1 83:22 88:22 89:3,4,21 94:2 96:13 97:15 99:9 102:4 103:24 104:12 104:13 105:16 108:23 109:18 110:7 113:19 114:4 117:11 122:6 135:1 140:24 141:1 143:3 151:23 guess 18:14 28:15 41:8 54:11 66:12 67:20 76:21 95:25 100:10 107:19 134:21 guidance 27:4 27:5</p> | <p>h</p> <p>half 115:14 127:25 hall 1:5 hand 55:10 handed 68:12 handful 36:17 hang 31:18 happen 27:10 63:24 66:10 happening 64:8 137:12 140:7 140:11 happens 11:17 16:23 17:4 19:11 41:16 76:16 happy 87:14 hard 148:21 hardship 13:20 harm 34:1 47:11 102:17 harmful 94:25 hazard 16:3 head 138:5 heads 92:6,10 health 13:24 14:9 22:21 28:9 31:1 32:7 32:17 36:9,19 36:19 39:12,17 40:10 41:1,25 45:14 46:18 102:17 140:12</p> | <p>hear 7:8 15:11 83:5 heard 1:14 9:23 10:16 11:8,16 14:14 22:16 23:12 28:17 31:23 45:13 114:23 148:13 hearing 1:1,15 8:9 9:24 11:8 16:15,18 18:8 21:24 25:17,19 30:20 43:16,18 43:20,23,25 44:4,23,25 47:23 48:4 49:17 53:7,9 53:13,15,18 55:24 59:23 63:1,10,12,14 63:17,20,22 64:1,17,20,22 64:25 65:2,9 65:20,24 66:1 66:3,5,7,9,10 66:12 67:11,24 68:4 70:15 78:14,16,25 79:2,11,16 80:5,17 82:11 83:6 85:11,15 85:20 86:8 91:5,6,8,20,21 91:22,23 92:3 92:5,12 97:9</p> | <p>97:11,23 98:17 98:22,23 99:7 100:3 101:15 102:2 103:2,6 103:10,14 105:18 106:2 108:11 110:12 110:15,17 111:11,13 112:2,15,17,19 112:22 114:16 114:17,24 115:9 116:21 118:2 119:17 119:24 120:6 120:22,25 126:2,22 135:5 135:7,16,20 139:4,19,21 140:4,18 148:23 152:6 152:13,21,25 154:6,8 155:22 158:1 heat 35:19 held 9:18 21:9 23:6 53:3 109:7,12 help 27:21 63:2 82:23 85:15 132:4 147:7 helpful 4:6 5:14,16 54:22 73:10</p> |
|--|---|--|--|

[helps - influence]

| | | | |
|--|--|--|---|
| helps 40:17 hey 17:4 39:14 hidden 10:2 high 29:2 hold 94:21 137:4 140:4 holding 109:9 hole 17:13 18:23 33:16 61:8 92:20 holistic 4:11 75:23 home 29:5 homes 125:5 honest 30:22 honestly 147:12 horowitz's 21:25 horrible 23:11 horse 23:7 hour 115:14 house 138:10 houses 11:11 human 22:7 36:12,19 41:25 48:22 102:17 humans 34:2 hundred 31:25 hundreds 9:22 11:11 14:15 22:7 hurt 13:10 hydraulic 49:12 55:7,14 | 74:10,11,20,21 107:18 109:17 110:3 112:4 122:4,7,18 135:9 144:23 145:2,4,5,6,18 145:22 hydraulically 144:24 hydrogen 26:8 32:20 | impacted 125:17 impacts 86:17 86:20 102:9 107:8,25 114:10 117:17 impede 140:11 implement 9:25 10:1 implication 108:4 important 8:20 10:15 24:5 31:5 32:6 33:12 49:24 128:5 137:18 inactive 81:10 inappropriate 93:15,16 inaudible 146:21 include 32:24 90:15,17 91:13 93:1,3,18,19 95:3 99:13 100:5 145:8 included 26:12 32:23 114:18 includes 26:12 124:2 including 9:1 19:23 26:22 32:25 43:5 54:7 79:6 82:14 83:11 | 84:12 94:18 95:10 116:5 136:10 140:10 inclusion 52:16 55:11 125:16 inclusive 41:4 156:23 incongruity 98:19 inconsistent 116:19 incorrect 92:8 increased 103:22 increases 32:3 incredibly 11:2 14:11 35:10 indefinitely 67:8 72:2 independent 19:25 43:7 indicate 108:23 indicates 21:25 individual 81:9 individuals 125:20 149:14 indulge 106:5 industry 6:4 22:22 24:21 28:16 35:4 36:15 37:2 39:3,7 47:11 153:6 influence 124:9 |
| | i | | |
| | idea 11:1 21:12 22:24 41:20 147:2 148:9 ideas 3:16 identical 90:11 identifiable 34:7 identification 86:25 identified 94:23,24 identifies 16:23 identify 94:19 138:2 illegal 29:7 imagine 118:16 impact 18:4 30:21,22 37:9 39:20 46:18 75:19,22 86:22 87:25 93:11,18 94:5 96:14,15 133:12 137:12 | | |

[information - itemized]

| | | | |
|--|---|---|--|
| information 7:3 10:6,14 14:3 18:7 19:23 21:9,14 23:25 27:8 32:13 38:7 43:5 44:5 49:6 66:3 67:3 70:4 84:10 89:13 94:20,21 104:6 110:5,21,25 111:5,15 112:9 112:13 113:18 114:20 125:24 126:6,9,16,18 129:14 132:10 132:12 134:13 134:16 135:13 135:14 137:20 138:4 140:11 145:7,9,19,23 146:3 147:25 148:25 149:1 149:15,24 150:6 151:8 ingested 35:15 ingredient 14:23 15:1,5 46:11 ingredients 8:16 13:16 19:9 46:10,19 52:3 131:3,16 inherently 34:17 | injected 22:2,3 22:4,11 38:11 125:8 injection 60:21 88:2 injury 102:6,15 107:5,23 114:7 117:14 ink 106:3 innovation 13:10,12 24:7 46:20 inoperable 145:17 146:2 ins 29:5 inserting 77:17 insignificant 96:3 instance 4:13 47:6 66:18 81:11 83:8 90:3 141:17 154:21 instances 98:18 instrument 38:11 intake 124:7 integrity 90:16 90:18 93:2,5 102:12 151:22 151:25 152:12 152:18 153:13 153:15,23,25 154:19,25 | intend 6:5 intent 23:22 intentional 55:16 56:1 74:18 76:14 intentionality 55:24 75:16,18 75:22 76:2 intentionally 55:7,14 56:16 65:13 74:9,19 76:5 intents 141:21 interaction 36:12 interest 36:15 125:24 158:12 interested 9:9 112:8 135:12 interesting 47:2 65:5 internal 151:25 153:14 154:25 internet 145:24 interpretation 80:24 interrupt 19:15 34:11 interval 88:2 introduce 66:2 74:3,8,9,20 76:5 introduced 64:16 65:2 102:25 | invades 45:25 invented 22:25 investigation 26:11 86:16 153:5,8,19 154:18 investigations 32:22 152:1,8 152:9,11,19,24 153:3,21 154:2 154:4,13,23 involved 158:10 iodine 26:9 32:20 ironically 89:2 irreparable 102:6,14 107:5 107:22 114:7 117:14 isolation 90:16 93:2 issue 91:10,12 91:16 92:4,4 issues 3:20 5:6 5:8 48:23 60:4 79:21 119:13 144:22 it'll 5:23 35:24 154:23 156:13 item 23:21 156:13,20 itemized 155:8 157:2 |
|--|---|---|--|

[items - landscape]

| | | | |
|---|--|---|---|
| items 155:8 | 143:1 150:9 | 29:17,22,24 | 149:21 153:4,7 |
| j | keeps 70:21 | 30:6,23,24 | 154:13,18,19 |
| job 14:7 107:18 149:22 | kelli 158:14 | 31:7 32:2,5,9 | knowledge 20:21 |
| joint 6:20 8:21 10:9 21:23 23:13 30:4 31:20 67:6 | key 34:4 | 32:11,11 35:13 | known 9:19 20:2 21:15 34:1 43:9 147:8 152:10 |
| jump 14:5 | kick 11:22 | 35:15,16,17,17 | knows 23:2 |
| jumped 83:17 104:14 | kill 146:10 | 35:19 36:5,8 | l |
| jumping 80:17 80:21 | killed 130:5 146:7 | 36:11,13,17 | laboratories 37:21 |
| jurisdiction 16:7 123:23 124:1,4 127:2 138:24 139:16 140:1 | kilometers 128:25 | 37:5,6 38:9,23 | laboratory 37:19,23 38:24 40:8 93:15 |
| justice 16:11 | kind 5:3 6:3,16 7:14 12:17 13:14 15:23 31:11 47:1 53:23 57:6,16 98:25 139:11 140:20 141:24 149:18 153:19 154:5,17 | 38:23,25 39:1 39:4,8,10,16,18 39:21 40:2,6 41:22,23 42:2 42:4,5,9,12 45:9,9,13,16,18 45:22,24 46:1 46:2,7,17,22 47:15 55:23,25 58:10 66:22 68:6 72:9 75:7 75:15 76:1 83:1 86:10 95:14 119:7 120:7 125:7,9 125:12 126:3,3 126:4,12,17,19 127:22,25 128:2,3,6 129:15,18 132:5,5,9,9,12 134:5,8,14 137:11 141:15 142:12 146:24 147:19 148:17 148:20,22 149:4,5,11,14 | lack 140:10 laid 16:12 land 4:21 11:23 13:21 27:11 76:17 123:15 123:17 125:7 127:4,5 128:4 131:21,23 136:23 137:4,5 138:19,20 148:7 154:15 |
| justification 65:10,18 112:3 120:25 129:19 154:10 | knew 70:6 | | landfill 26:19 |
| justifications 85:12 | know 3:15,21 4:3 5:3,25 6:3 7:12 9:17,25 10:23,24 11:2 11:17,24 13:12 13:13,20,21,23 14:1,8,11,12 16:15,16 17:22 18:18,22 21:21 21:22 22:16,19 22:20 23:1,11 23:12,14,14,15 23:17 24:3,5 27:3 28:16,19 28:21,23 29:13 | | landing 48:2 |
| justified 20:11 | | | landowners 125:3 |
| justifies 55:25 | | | lands 2:17 36:12 |
| k | | | landscape 27:15,16 |
| keep 9:9 10:10 36:9,11 46:24 61:25 62:20 64:10,13 65:21 67:13 70:20 82:5 141:10 | | | |

[language - logical]

| | | | |
|--|---|--|---|
| language 10:10 43:17,17 53:25 54:19,22,24 55:1,4,6 56:12 56:21,25 57:4 57:7,13 58:1 60:3 61:8,13 61:24 62:2,4 62:17,19 67:6 69:24 71:25 72:1,24 73:4 76:22 77:16 79:3,18 82:12 85:2,3,6,18 87:15,20,22,25 88:1,5,11 89:10 90:12 97:25 100:11 100:14 105:21 105:22 108:5 110:19 111:7 116:18,19 120:17 122:13 123:1,3 133:7 133:20,21 134:12 151:4 late 100:11 101:22 law 16:7 19:20 27:11 47:10 71:5,11 76:11 76:16,22 80:1 85:25 113:6 115:17 | laws 15:25 lawyer 63:21 lawyers 48:6 49:19,22 lay 27:10 41:19 76:16,17 80:2 laying 119:12 leachate 26:19 leaning 31:11 lease 131:22 leave 24:17 36:4 51:15 122:10,12,21 122:23 123:1,3 124:17 138:17 138:19 leaving 69:10 113:8 126:15 left 132:17 legal 16:13,16 16:17 18:15 27:15 76:13 158:15 legally 20:15 79:25 legislative 27:8 legislators 27:2 legislature 23:22 27:13 76:10 lengthy 116:16 118:15 letter 27:7 105:21 149:13 | letting 149:14 level 11:2,14 21:21 36:10 liability 35:5 lie 65:6 life 102:18 limit 28:13 limitations 6:6 limited 90:15 93:2,20 112:5 135:10 limiting 33:2 limits 14:13 39:15 line 106:11 115:2 116:1,3 151:19 lines 21:3 54:6 82:10 103:21 104:8,9 117:21 117:22,23 118:12 linked 10:7 list 6:24 8:3,4 9:3 12:9,14,14 14:22 19:9 24:18 25:1 54:9 57:19,19 58:15 60:16 123:9 124:20 130:2,6,11,14 130:17,19 131:2,24 132:17 133:8 133:14 134:17 | 134:22,25 135:2,3 141:9 143:7,14 146:6 146:11 147:17 149:2 150:2 listed 8:13 13:16 26:13 32:24 51:25 93:20,21 listened 116:24 134:6 147:6 listening 39:10 lists 8:16 52:2 135:18 136:2 146:9 150:4,10 literally 103:21 little 8:7 11:18 20:13 47:16 50:18 57:11 81:12 84:20 89:22 91:24 110:23 113:12 129:15 141:17 152:19,20 154:21 live 28:25 154:1 lives 40:17 137:10 local 124:3 located 124:7 log 49:11 53:20 109:15 110:2 logical 55:3 |
|--|---|--|---|

[logs - matter]

| | | | |
|--|---|--|---|
| logs 57:8,14 58:3,4,6,13,17 58:19,21 60:19 62:22 64:15 67:15 90:18,19 93:5,5 long 15:1 23:2 94:12 98:24 116:4 longer 130:11 143:12 148:18 look 4:3 8:7 18:25 31:3 32:17 33:23 42:7 46:9,13 54:24,25 58:9 67:11 78:6 79:11 98:19 101:11 104:24 107:2 111:18 116:12 119:22 130:15 149:2,9 154:15 looked 5:4 10:18 13:13 looking 6:15 8:1 14:20,20 19:13,20 21:23 23:20 27:3 32:2 35:20 45:14,18 48:6 48:11 57:9 59:2,9,9,10,15 60:9 70:19,20 77:10 83:19 | 85:19,24 86:11 97:11 98:10,11 118:9,10 119:13,25 120:20 133:18 136:19 141:16 142:14 153:23 156:25 looks 70:17 98:7 119:12 lord 23:2 loss 89:17 90:6 lot 4:4 9:21 15:16 28:14 33:15 40:11 89:20 94:7 95:8 103:25 107:17 126:1 126:21 128:2 141:18 143:21 143:23 loud 89:14 love 137:11 lunch 109:2 | 112:15 114:16 115:9 119:24 135:5,16 139:19 140:17 152:13,21 154:6 made 13:17 17:19 31:5 50:24 58:10 68:18 85:9 106:8 107:3 109:19,21 112:11 113:23 113:23 115:19 126:4 150:6 mail 151:6,16 mailing 150:23 main 101:12 maintain 20:8 32:16 43:13 maintained 47:20 major 96:15 majority 11:4 30:8 make 8:18 19:4 22:7 28:14,19 29:8 32:15 34:4 40:5 43:1 52:4 54:21 59:19 60:5 69:4,7,9 70:2 71:21 81:12 83:12 92:18 95:23 102:21 | 108:17 138:8 142:9 149:22 155:7,11,19 156:5,6,8 makes 64:5 68:24 75:9 96:2,6 132:18 making 14:24 60:6 81:25 154:14 management 60:5 123:18 127:5 137:5 138:20 mandatory 64:5 march 1:10 2:24 158:1,13 marked 15:20 24:2 95:17 marker 29:20 49:24 marks 103:4 massive 10:17 98:18 match 102:10 matches 102:3 102:3 material 110:5 110:21 116:23 158:6 materials 119:5 120:16 149:15 matter 37:4 50:25 91:19 |
| | m | | |
| | ma'am 140:3 madam 25:17 44:23 47:22 53:18 63:10,22 64:20 65:20 66:7 67:11 78:14 85:20 91:5,22 97:9 98:17 103:6 105:18 111:11 | | |

[matter - modification]

| | | | |
|--|--|--|---|
| 103:8 158:10 158:13 mean 11:14 12:13,16 21:3 21:11 22:24 23:5 24:8 28:7 35:7,14 38:17 39:14 40:1 45:7 46:4,9,21 47:20 49:10 52:21 66:9 69:7 73:13 75:2,3,17 82:8 88:23 92:10 93:16 99:20 108:1 125:3 128:7,22 130:1 135:19,25 137:9 139:4,10 140:5,19 147:21,25 148:13 149:6 149:21 150:17 150:22 152:19 153:21,23 154:12 means 8:3,12 12:14,14 19:23 20:3 24:6 25:8 25:24 26:5 43:5,10 44:4 47:12 51:24 90:19 93:5 95:12 132:7 | mechanical 151:21 153:13 153:23,24 154:19 mechanism 17:10 mechanisms 38:3 medical 40:21 41:5 meeting 1:11 2:6,9 44:5 156:13,19 157:13 meetings 156:20 member 1:19 1:20 members 1:17 memorialize 155:5 memorialized 155:9 157:3 mentioned 30:4 37:16 38:16 60:9 90:22 128:12 met 38:7 meters 128:25 method 19:25 26:15,16,16,17 26:23 33:1 34:20 43:6 methods 26:14 31:10 34:8 | 35:25 151:24 153:14 154:24 methyl 26:6 32:18 methylene 26:7 32:19 mexico 1:2,6 3:11 9:25 10:12 11:20 13:1 19:9,20 21:12 23:5,17 24:21 25:11 31:7,13 42:1 68:21 74:17 83:23,23,25 85:3,24 87:5,6 115:15,24 117:18 118:12 122:9,11,20 124:14 125:2 141:5 148:6 158:16 mic 103:16,17 migration 128:9,16 mile 127:25 128:22 129:7 129:18 147:1 149:6 miles 124:8 148:8 million 10:20 10:21,22 11:3 22:13 29:23,24 46:1 | millions 22:8 40:16,18 mind 31:16 65:22 79:25 110:14 mine 6:16 57:6 mineral 127:16 131:20 136:23 minerals 123:16,18,20 126:25 129:11 131:21 136:8 138:22 139:7 minority 69:15 minute 7:14 53:2 66:20 109:4,5 116:15 minutes 3:22 7:11,15 53:1 109:10,11 misabeled 74:19 missing 57:24 92:11 97:20,22 mitigate 102:8 102:17 107:8 107:25 114:9 117:17 mits 154:13 mix 3:19 mixed 13:19 modification 28:1 73:11 75:9 82:3 84:7 89:21,22,24 |
|--|--|--|---|

[modification - nmoga]

| | | | |
|--|---|--|---|
| <p>90:1 modifications 95:23 96:18 106:8 120:1,4 121:11,13 modify 26:5 modifying 48:8 moment 27:16 57:11 59:19 119:23 months 125:10 morning 2:2,15 2:18 76:15 motion 2:25 3:5 50:14 146:10 155:6,6,8 156:6,7,22 157:1,6,10,11 move 3:1 7:23 25:23 50:3 51:8,11 60:7 61:3 73:15 108:5 151:13 157:6 moving 37:7 56:18 89:15 101:18 msds 111:1,10 murder 29:2</p> | <p>nature 93:24 near 128:4 nearly 30:8 necessarily 14:10 15:2 33:9 46:8 95:13 107:19 108:16 128:3 135:21,22 necessary 50:16 90:20 93:6,17,24 94:7,19 102:8 102:17 107:7 107:25 114:9 117:16 139:23 155:19 nee 118:19 need 2:23 5:8 23:7 27:5 38:18 40:20 41:3 44:2,7,9 45:9 46:5 47:18 48:14 49:22 50:2 51:17 57:10 64:7 76:11 100:7 109:10 116:10 117:23 142:15 143:13 149:6 150:8,8 needed 99:9 101:4 120:3 121:12</p> | <p>needs 58:23 78:11 118:22 149:4 negatively 36:25 87:25 neither 42:9 158:9 net 30:2 neutral 16:16 never 10:22 16:6 21:15 95:14 new 1:2,6 3:11 9:25 10:12 11:20 13:1 19:9,20 21:12 22:25 23:5,17 24:18,21 25:11 31:7,13 42:1 43:17 55:6 61:14 67:6 68:21 69:24 72:24 74:17 76:12 80:12 82:22,24 83:23 83:23,25 85:3 85:24 87:5,6 90:11 100:11 105:20,21,23 106:14 115:15 115:24 116:5,6 117:18 118:12 122:9,11,20 123:5 124:14 125:2 126:11</p> | <p>133:11,19,21 141:5 148:6 158:16 nine 135:1 nitpick 141:3 nmac 6:18 8:15 8:22 52:2 60:23 77:18 81:5 82:9 85:10 86:23 90:18 93:4,21 93:22 94:22 96:16 97:5 103:7,19 105:15,22,25 106:12 110:8 125:18 nmocd 17:19 17:21,24 85:21 95:9 113:8,25 120:13 121:19 122:23 147:11 148:22 150:24 152:3 nmocd's 4:3 85:8 120:2,4 120:23 121:11 121:14,15 148:23 150:17 nmoga 9:14 10:3 16:22 18:9 28:12 30:21 31:24 35:22 44:19,21 45:1 47:6</p> |
| n | | | |
| <p>name 16:19 nation 141:22 141:25 national 39:17</p> | | | |

[nmoga - ocd]

| | | | |
|---|--|---|--|
| 57:22 59:12 65:12 70:17 71:4 72:6 83:2 83:13 97:24 99:7 100:13 102:11 108:12 110:11,23 111:10 112:3 113:8,14,24 114:14 119:6 119:10,12 120:4,11,22 121:3,13 135:4 152:5,6,17 nmoga's 4:5,13 37:8 45:2 56:7 65:10 70:22 71:10 79:11,17 111:19 112:2 113:5 114:18 115:2,4 119:16 119:25 nodding 89:3,6 117:4 non 55:11 79:5 79:20,25 82:14 83:4,5,12 noon 109:2 note 108:20 noted 9:14 50:15 59:4 notes 9:13 59:25 60:9 75:15 90:11 97:7,8 | notice 125:20 125:21 133:13 145:22 149:19 noticed 79:21 notification 123:11 124:22 127:13,24 133:2,10 134:1 141:5 142:22 146:14 notify 88:8,12 88:14,18,22,23 127:14 147:21 notifying 127:20 146:15 noting 92:3 notion 99:13 140:9 november 85:11,16 120:24 nuance 89:22 null 67:21 number 3:7 6:15,23 8:14 13:15 14:23 15:2,6 21:19 25:24 36:23 41:11 43:3 46:13 49:4,12 52:1 68:13 81:6 82:20 86:1 100:5,17 101:6,18,24 105:7 110:3 | 113:3,12,24 115:17 118:23 121:4 122:18 122:19,21 123:12 124:15 124:16,16,16 124:16,17,17 127:8 137:3,3 137:6 138:17 138:21 141:16 143:4 148:16 numbers 10:17 15:8 21:16 38:13 109:20 124:17 131:15 138:18 nw 158:15 o objection 107:13 138:14 observation 116:7 obtain 20:3 43:11 obviously 75:6 114:13 140:5 occ 10:4,5 12:2 21:7 32:15 45:4 85:7 115:17 158:1 occurring 128:3 137:17 ocd 5:13,18 6:3 6:7,13 16:24 20:18,23 24:9 | 24:14,24 25:10 27:19 28:12 31:8,17,24 32:17 33:3 34:2,21 35:23 36:6 37:6,15 37:25 38:15 42:8 43:25 44:22 46:24 47:3 52:7,13 52:20 54:22,24 55:18,22 56:17 58:1,12,15 59:12 63:13 70:20 72:4,6 72:15 73:10 74:3,14 75:9 77:1,17,21 78:7,12,19 80:16,25 81:12 82:3,20 83:2 83:13,23,24 84:1,6,9,10,14 84:21 85:12 86:16,18,21 87:1,6,8,21 88:19 89:21,21 89:23 90:3 94:1,2,16 95:14,18,23 96:10,18 97:24 98:13,14 99:7 100:3,7,14,21 101:3,17 102:3 103:4 105:10 |
|---|--|---|--|

[ocd - okay]

| | | | |
|--|---|--|---|
| 107:9 108:10 111:6 113:15 113:16,18 115:7 117:20 122:25 124:14 125:15 126:3 126:23,24 127:3 129:13 129:25 133:4 133:12 137:4 138:18 140:22 141:5,10 153:22,24 154:6 ocd's 4:13 8:8 23:20 27:21 28:1 33:23 34:5,16 37:8 42:21 56:2,3 56:11 72:3,8 75:13 76:8,24 77:2 80:23 86:12,24 90:1 90:8 99:18 100:2 104:5 106:11 115:18 125:23 odd 141:21 offer 65:9 98:25 100:19 offered 10:10 office 11:23 123:15 127:4 131:23 136:23 137:5 138:9,20 | 148:7 154:15 officer 1:15 16:15,18 18:8 25:17,19 43:16 43:18,20,23,25 44:4,23,25 47:23 48:4 53:7,9,13,15,18 63:1,10,12,14 63:17,20,22 64:1,20,22 65:9,20,24 66:12 67:11,24 68:4 70:15 78:14,16,25 79:2,16 80:5 80:17 82:11 85:15,20 86:8 91:5,6,8,21,22 91:23 92:3,12 97:10,11,23 98:17,22 99:7 102:2 103:2,6 103:10,14 105:18 106:2 108:11 110:12 110:15,17 111:12,13 112:2,15,17,22 114:16,17,24 115:9 119:17 119:24 120:6 135:5,7,17 139:19,21 140:4,18 152:6 | 152:14,21,25 154:6,8 155:22 officer's 49:17 official 59:6 71:21 offline 39:23 ogallala 137:17 oh 44:19 53:13 58:8 74:18 128:23 155:12 oil 1:3 2:4,5,11 2:12 10:20 13:8 22:1,10 24:20 25:8,11 26:4 28:16 35:13 37:2 39:21,23 42:10 45:15 47:9,11 55:3 57:21 63:3,10,19 65:5 66:15 68:21 74:5,17 74:25 76:19 83:23,25 85:3 85:24 87:5 98:19 99:4 109:21,22 110:9 115:15 115:24 117:18 118:12 122:9 122:11,20 126:12,18 135:2 152:22 okay 5:21 7:25 24:16,22 25:22 | 27:18 34:16 37:13 42:17,20 44:9,12,12,15 48:3 50:1,12 51:7 52:18 53:1,4,13,19 55:2,21 56:8 57:2,6 59:7 60:1 61:1,3 62:7,11 63:18 63:21 64:3 68:11 69:13,16 69:21 70:1,11 70:23,25 71:2 71:6,12,18,20 72:3,7,11,14 74:12 75:4,11 76:23,25 78:6 79:1 80:19 82:4,25 84:4,8 86:7 87:3,17 87:18 88:25 90:13,25 91:8 92:24 95:20 96:9,23 97:14 101:1 102:19 103:10,11 105:6 106:23 107:1,14 108:7 108:14 109:1 109:25 112:25 115:13 116:9 116:25 117:7 117:10 122:1 122:24 127:10 |
|--|---|--|---|

| | | | |
|---|---|--|--|
| <p>129:3 130:3 132:2 134:2,17 134:24 136:3 138:13,16 140:4,17 141:14 142:6 142:17 143:1,6 144:21 150:23 151:18 154:11 155:4,11 156:5 156:22 157:4,7 157:9,12 old 43:16 olympic 11:7 once 18:21 19:11 156:15 ones 127:9 142:10 ongoing 14:18 open 3:13 14:2 101:19 opened 33:7 opening 9:15 141:7 operable 145:25 operate 98:2 operates 124:6 operating 99:11,13 operation 18:3 118:13 146:7 operations 8:4 12:15,22 13:8 25:7,8,9 39:21</p> | <p>42:11 74:11,13 74:21 91:13 93:14 98:4 115:12 126:12 126:19 149:16 operator 8:24 9:3 54:15 55:5 60:22 67:3 70:4,6 81:4,5 82:21 88:7 90:20 93:6,12 93:23 94:16,23 94:24 96:15 98:3,14 102:7 102:15 107:6 107:23 114:8 117:15 123:9 130:16 132:21 132:23 133:4,8 133:12,24 137:20 142:19 144:10,25 145:17 146:2 151:24 153:13 154:23 operator's 143:9,17 operators 65:12 82:22 138:2 opinion 18:16 24:8 37:10,12 37:24,25 38:14 47:13 94:1</p> | <p>opinions 66:21 opponents 45:13 opportunity 28:8 35:12 39:14 49:25 119:15 125:1 127:23 128:4 128:13 131:1 132:8 137:19 155:18,23 oppose 44:20 50:8 opposed 66:1 opposes 44:18 44:22 45:1 opt 125:23 132:14,14,20 132:20 137:21 137:22 141:12 option 64:4 125:23 135:20 135:21,22 options 63:23 100:19 opts 123:11 124:22 133:1 133:10 134:1,2 134:3 142:21 order 2:6 31:25 91:7 139:23 155:10 156:14 156:17 157:3 ordered 146:4</p> | <p>orders 81:8 ordinary 153:2 original 98:24 99:8 100:3 105:15 110:1 113:22 119:22 originally 122:3 orth 1:15 16:18 16:19 18:8,24 25:19 43:18,20 43:23,25 44:4 44:25 47:16 48:4 53:7,9,13 53:15 63:12,14 63:17,20 64:1 64:22 65:9,24 66:12 67:24 68:4 70:15 78:16,25 79:2 79:16 80:17 86:8 91:6,8,21 91:23 92:3,12 97:11,23 98:22 99:7 102:2 103:2,10,14 106:2 108:11 110:12,15,17 111:13 112:2 112:17,22 114:17,24 119:17 120:6 135:7 139:21 140:4 152:6,25 154:8 155:22</p> |
|---|---|--|--|

[ose - pathway]

| | | | |
|---|--|--|--|
| <p>ose 138:11</p> <p>otm 26:20,21 27:19</p> <p>ounce 22:7</p> <p>ounces 11:9</p> <p>outline 59:5</p> <p>outlined 65:13</p> <p>outside 139:2</p> <p>outweighed 13:22,24</p> <p>overlapping 85:2</p> <p>overstep 16:6</p> <p>overstepping 15:24</p> <p>own 48:5 77:17 107:3 114:21 131:21</p> <p>owner's 98:3</p> <p>owners 64:11 123:13 127:16 129:10,16,17 129:20,20 131:20 136:8,9 136:10,21 137:6 138:3 146:20,22 147:1</p> <p>owns 123:15,18 136:23</p> | <p>page 7:24 8:9,9 8:21 21:25 23:21 33:23 36:23 43:2 44:14 45:2 49:3 55:9 57:10 58:11 68:14 79:16 103:13 113:6,7 113:12 115:2 120:1 121:6,7 121:10 122:6 142:14</p> <p>pages 59:9 112:18 116:4 140:7</p> <p>palatable 151:10</p> <p>paper 155:16 155:16</p> <p>paragraph 54:4 102:24 103:25 104:8,9 104:13 105:15 105:16,20,20 105:23 106:7 106:14 107:3 108:17,18 113:7 114:11 114:12 117:12 124:19</p> <p>paragraphs 113:23</p> <p>part 19:19 20:5 56:15 57:17,18</p> | <p>60:13 61:24 67:1,3,23 68:16 70:4 73:7,24 75:16 78:8,9 79:13 80:4,7,9,22 82:6 83:20,21 83:22 84:2 85:22 90:4 94:3,14 103:22 105:2 106:8 108:2,9,9 110:3,24 113:17,18,20 113:20 114:2,3 114:3 118:3 119:19 120:18 121:16 151:22 153:24</p> <p>participating 54:1</p> <p>particular 12:18 15:14 27:9 50:3 51:10 52:21 58:11 62:6 83:8 90:8 110:8 116:21 153:22 154:22 157:14</p> <p>particularly 127:15</p> <p>particulate 26:21</p> | <p>parties 54:1,6 54:14 56:19 61:10,13 62:1 62:5,24 69:24 70:7 72:22 73:2,3 85:2 87:24 88:3,10 100:12 101:20 101:22 105:8 119:15 132:1 132:14 133:13 143:8,15 144:1 144:16 146:24 147:3 151:5,15 158:9</p> <p>parts 11:3,3,4,6 77:9 95:3 113:16 118:3 128:25</p> <p>party 44:17 59:5 66:2,2 68:5 76:11 85:3 93:14 95:1 125:17</p> <p>pass 39:12 129:25</p> <p>passed 76:18</p> <p>passes 75:17 76:7,10</p> <p>past 5:1 10:18 24:24</p> <p>paste 115:25</p> <p>path 18:1</p> <p>pathway 86:15</p> |
| <p>p</p> | | | |
| <p>p 25:23</p> <p>packet 119:20</p> <p>pads 137:14</p> | | | |

[pattern - phrasing]

| | | | |
|---|--|---|---|
| <p>pattern 19:24 43:6</p> <p>paul 25:24 41:10</p> <p>pause 7:17,25 61:10 73:2 85:14 88:9</p> <p>pausing 88:16</p> <p>paxlovid 33:12 33:16 35:14 40:15</p> <p>pay 89:6</p> <p>pdf 8:21 104:5 121:4</p> <p>pecos 1:5</p> <p>penalties 101:14</p> <p>pending 3:7</p> <p>pennsylvania 45:13,16</p> <p>people 14:4,5 19:13 22:17 23:10 35:15 39:21 40:18 42:1 46:18 79:15 87:12 125:3 127:20 128:6,10 131:2 131:20,25 132:14 137:19 147:19 148:12 148:15,18,24 150:23</p> <p>people's 39:17 45:19</p> | <p>percent 8:17 15:19 29:2,3 52:3</p> <p>percentage 15:6</p> <p>perfluorinated 26:6,7 32:18 32:19 33:13</p> <p>performed 145:19</p> <p>performing 90:18 93:4</p> <p>period 10:18 22:1,13 29:24 60:20 82:17</p> <p>permanently 146:1</p> <p>permission 66:2</p> <p>permissive 65:1</p> <p>permit 9:13 72:25 77:4,13 78:2,20 79:4,9 79:23 80:11 81:15 82:12,13 83:8,9</p> <p>permits 79:14 82:21</p> <p>perplexed 91:24</p> <p>perplexing 66:15 68:7</p> <p>person 21:4 123:11 133:1 133:10,25</p> | <p>142:21 157:16</p> <p>personal 158:12</p> <p>personally 66:17</p> <p>persons 20:3 43:10 123:10 130:17 132:25 133:9,25 134:18,20 135:2 142:20</p> <p>pertinent 64:16 67:18,20,21,22 68:3,5,9,23,25 69:3,5,8,10</p> <p>petition 4:4 36:16 76:12</p> <p>petitioner 6:1 16:20 47:8 51:14 70:21 74:12 79:7 87:7 122:19 123:7</p> <p>petitioner's 115:7 154:9</p> <p>petitioners 18:10 44:1 110:17</p> <p>petroleum 36:10</p> <p>pfas 1:11 3:9 9:5,15,21 10:25 14:13 21:12 25:23,24 26:5,11,21,22</p> | <p>28:1,13 30:5 30:16,16 31:9 31:20 32:10,22 33:14,24 34:18 36:24 37:3,7 40:14,15,19,21 40:23 41:2,5,6 41:11 42:10,19 42:23 45:16 54:20 55:6,14 56:4 65:13,16 73:25 74:2,4 74:10,13,15,20 76:6 78:3 79:10,15 80:23 82:22 93:20 97:3,17 98:1,4 99:10,22 125:10,11</p> <p>phased 37:2,14 38:16</p> <p>phrase 54:20 55:12,13 56:19 61:14 62:6 67:19 68:3 88:3 89:17 134:23 141:20</p> <p>phraseology 56:17,17 70:8 141:7</p> <p>phrasing 54:12 54:16 55:18 68:22 73:3 154:20</p> |
|---|--|---|---|

[piece - produced]

| | | | |
|--|--|--|---|
| <p>piece 17:10 18:11 pit 5:2 place 18:14 38:7 148:9 placed 20:18 152:1 153:17 155:1 places 116:23 plant 102:18 platform 157:16 play 7:1 8:7 50:9 67:20,23 please 65:23 118:7 133:5,17 133:22 148:4 plug 73:1 77:5 77:14 78:3,21 79:4,23 81:16 82:13 83:9 84:16 102:7,16 107:7,23 114:8 117:15 plugs 22:17 point 20:11 30:3 31:5 34:4 38:24 41:23 45:3,3 46:20 48:13 54:8 57:17 68:8 73:3 75:9 88:10 91:7 148:14,23 150:20 156:15</p> | <p>points 81:7 police 123:24 polyfluoroalk... 25:25 ponder 66:20 pools 11:7 21:22 populations 39:20 portion 8:18 27:20 52:5 position 4:5 75:6 possible 7:8 76:11 post 21:24 98:23 112:19 120:22 potential 16:3 20:1 43:8 86:20 87:25 93:11,18,24 94:4,19,25 potentially 4:11 9:22 11:21 29:25 125:8 pounds 21:20 22:2,5,14,14 powell 86:8 powell's 85:11 85:16 87:12 115:20 120:24 power 119:4</p> | <p>powering 109:3 practices 19:21 precautionary 34:17 precious 42:1 preference 4:11 prehearing 65:14 prepared 4:7 117:24 presence 39:18 97:3,17,25 98:4 99:10,22 presented 89:12 116:8 pressure 35:18 90:17 93:3 presumption 54:11 pretty 3:19 21:16 54:24 63:24 148:13 previous 52:12 84:6 93:13 98:3 previously 12:3 95:7 100:13 115:14 printed 104:25 118:5 prior 75:25 91:11,18 101:17 private 29:4 123:13 136:21</p> | <p>137:6 138:3 147:1 probably 4:15 6:6 20:22 27:23 30:9,10 31:11,13 38:17 49:19 68:2 95:16 101:4 116:22 126:7 131:13 136:2 147:9 problem 14:18 17:20 18:1 45:5 95:11 119:5 142:10 150:14,16 procedure 38:10 80:1 procedures 38:4 101:15 proceed 81:15 87:14,17 92:21 99:4 108:19 121:21 proceedings 1:9 2:1 7:17 157:18 process 19:25 27:8 43:7 80:13 86:13,19 112:11 116:15 produced 22:18 79:6,19 79:24 82:14 83:3,11 84:12</p> |
|--|--|--|---|

[producing - provided]

| | | | |
|---|---|--|---|
| <p>producing 88:2</p> <p>product 8:17 8:19 52:4,5 145:6</p> <p>production 25:9 37:1</p> <p>program 19:24 43:6 119:13 128:17</p> <p>prohibit 28:20 29:8 34:2</p> <p>prohibited 29:7</p> <p>prohibiting 34:7 36:24</p> <p>prohibition 33:25 65:15</p> <p>prohibits 37:17</p> <p>promise 94:12</p> <p>proper 20:3 38:3 43:10 86:25</p> <p>properly 59:20 65:16 79:20 102:7,16 107:6 114:8 117:15</p> <p>properties 136:11</p> <p>property 29:4 102:18</p> <p>proponent 27:23 42:8 67:6 82:9,10 87:21 120:13 136:20 139:21</p> | <p>proponent's 34:23</p> <p>proponents 6:20 10:9,17 21:24 23:13 27:7 29:12 30:4 31:21 32:6 37:8 42:19 46:24 52:16 54:8,19 54:25 63:3 69:2 71:25 73:5,8,17,25 75:6 76:19 82:19 124:25 127:18 128:20</p> <p>proposal 8:21 8:22 26:2 27:12,17 42:19 43:4 48:20 55:19 65:11 70:18,19,21 72:9 76:19,20 77:2 88:18 89:10,21 92:25 96:13 99:9,12 108:12 112:3 114:21 116:13 118:19 123:1 140:23,25 141:4 151:23 154:9</p> <p>proposals 4:21 5:19 31:17 87:16 89:12</p> | <p>98:24</p> <p>propose 98:25 110:18 135:1 151:3</p> <p>proposed 6:20 8:1 33:24 34:5 34:16 37:17 42:7 45:2 53:11 55:9,12 71:5,10 72:1 72:24 77:17 82:11,19 84:23 85:4,8,25 86:15,24 90:11 93:23 106:11 112:23 113:5,8 114:18 115:16 115:18 116:14 117:12 119:10 119:18 120:2,5 121:11,14,15 122:23 127:19 133:20,21 136:7 140:8 141:12 142:15 143:2 151:20 152:7 157:1</p> <p>proposes 25:8 110:19</p> <p>proposing 6:1 55:6 85:21 95:19 120:11 153:6</p> <p>proprietary 7:3 10:6 14:24</p> | <p>17:7 18:18 21:9,14 23:6 32:13 46:14 49:5 111:4,14 114:19</p> <p>protect 13:24 13:25 14:9 16:4,5,25 18:6 28:9,10 31:1 32:8,16 33:20 36:8,19 39:12</p> <p>protected 23:25</p> <p>protecting 22:21,21 41:25</p> <p>protection 23:7 26:13</p> <p>protections 23:23</p> <p>protocols 38:6</p> <p>prove 118:25</p> <p>provide 79:10 82:15 84:13 86:15 89:13 123:9 126:16 129:21 130:16 131:14,15 132:23 133:8 133:24 142:19 147:24</p> <p>provided 53:25 62:22 64:14 67:3,15 70:4 85:9,12 86:2 115:18 121:1</p> |
|---|---|--|---|

[provided - read]

| | | | |
|---|---|--|---|
| 125:22 126:7 130:12,21,22 130:24 131:14 132:10 134:16 139:22 145:10 146:4 158:5 provides 82:17 89:22 112:11 125:19 132:22 133:12 providing 27:23 140:6 149:8 provision 83:3 86:24 91:9,11 91:18 92:7 95:8 106:13 provisions 125:21 prudent 117:1 137:21 ptfe 9:15 21:19 22:3 23:5 public 1:1 2:17 13:17,24 14:9 16:5 17:23 19:5 20:22 23:9,25 24:19 28:9 32:17 33:20 36:11,19 39:2 40:10 45:15,21 50:24 50:25 64:16,19 64:23 112:7 124:5,7,10,11 | 128:11 132:8 134:6 135:11 140:12,15 146:14 147:7 147:25 148:1 148:14 149:4 149:20,23 150:7,7 public's 13:23 publicly 10:13 published 145:7 pull 7:11 12:25 103:12 109:24 117:23 122:5 pulled 102:20 102:21 103:7 pulling 13:13 22:17 101:11 purposes 7:22 26:10 32:21 89:5 119:9 141:22 pursuant 8:15 52:1 97:5,18 99:15,25 purview 24:25 pushing 31:13 118:24 put 4:25 9:10 13:19 17:13 19:8 23:1,7 28:14 31:1,5 31:20 38:7,18 41:9 47:14 | 48:17 49:24 60:16 63:13 74:12,14,17 78:3 80:16 94:16 96:7 115:22 143:5 150:8 puts 156:1 putting 29:20 33:16 41:25 49:17 84:14 111:11 124:25 q qa 38:7 qc 38:7 quality 38:4,5 quarter 22:14 quarterly 144:12 145:13 question 4:9 12:25 17:3,14 31:3 36:22 37:3 38:21 39:6 55:25 65:25 71:1 75:14,22,23 109:9 126:23 127:11 130:22 134:15 135:25 140:2 148:3 155:13,14 questioned 68:23 questions 7:2 87:18 | quick 75:14 quickly 3:19 30:6 94:13 105:19 quite 118:18 119:9 120:10 r rabbit 92:20 radioactivity 57:8,14 raise 91:7,16 91:20 ramifications 76:13 randomly 13:14 rate 29:1 rates 28:24 rather 66:9 96:5 106:3 111:7 rationale 82:18 react 35:18 read 17:16 21:2 26:5 34:14 49:9 60:18 62:17 64:25 70:2 77:16 79:3 87:22 88:13,21 97:6 97:8 98:20 99:21 108:12 110:13 118:15 118:20 137:16 139:6 142:18 |
|---|---|--|---|

[read - release]

| | | | |
|--|--|---|---|
| <p>144:22 151:4 151:14 154:23 readily 20:2 43:9 112:14 reading 43:14 49:2 67:25 75:24 97:6,7,8 101:2 104:2 112:16 113:11 120:7 136:15 reads 8:12 61:8 61:24 71:25 77:18 114:5 real 28:8 really 4:2,4 5:16,16 10:15 10:23 17:14 19:2,10 21:20 29:2 32:7 37:4 37:9 42:6 50:25 68:9 83:5 118:18 119:1,7,7,9 126:5,17 148:25 reason 9:17 reasonable 43:12 67:25 reasoning 72:4 reasons 56:14 70:25 82:19 84:5 155:23 156:2,14 receive 20:19 20:25 27:7</p> | <p>58:2 59:16 60:14 119:4 129:14 132:12 137:20 141:13 received 75:15 94:20 receiving 148:24 recent 145:20 recently 14:12 recess 53:3 109:7,12 recitation 16:17 reclamation 108:3 recognition 55:8 recognizes 68:15 recommenda... 152:23 recompletion 8:24 9:5 53:20 55:15,20 56:6 74:15 145:3 recompletions 91:14 92:4 reconsider 36:16 reconvene 156:10 record 7:16,19 53:5 59:6 60:6 61:9 62:18</p> | <p>70:3 89:11,13 99:1 109:13 115:10,23 116:12 118:16 118:17 121:25 151:12 recorded 59:24 recording 59:20 158:4,6 158:11 records 72:5,16 recovered 10:22,24 29:4 29:6 46:2,4 red 83:21 106:3 106:11,25 115:2 116:1,3 117:21,22,23 118:12 redefine 79:24 redundancy 50:2,2 51:13 redundant 49:19 51:11 84:21 100:23 107:17 151:1 154:21 refer 86:9 reference 111:14 references 114:18 referred 115:3 referring 112:23 114:20</p> | <p>reflects 4:4 regard 6:5 12:8 12:12,18 15:13 17:22 118:22 120:11 126:18 141:19 regarding 86:22 111:14 113:18 118:13 regardless 64:17 regime 14:18 registry 112:7 135:11 145:1 145:16 146:1 regulate 27:22 32:8 regulated 86:21 regulations 19:22 39:12 45:4 48:7 100:4 regulatory 82:24 124:21 125:22 rejecting 54:10 56:7 111:8 related 52:8 91:11,18 92:6 104:6 158:9 relative 36:17 release 10:13 96:15 148:16</p> |
|--|--|---|---|

| | | | |
|--|---|---|--|
| released 9:11 22:14,20 relevance 130:20 reliance 71:9 remaining 62:4 remains 134:15 remarks 33:7 remediation 86:20,21 87:2 127:19 remember 17:18 22:6 35:3 53:9 65:8 87:13 128:20 132:13 140:13 remind 61:5 reminder 81:21 remove 6:19 25:2 68:5 110:7 122:8,19 141:9 removed 25:10 27:20 109:19 renumbered 109:20 repair 152:1 repairs 153:16 154:14,25 repeat 48:7 61:6 65:23 133:5,17 151:11 replace 143:12 | replaced 88:17 report 11:21 53:20 62:22 67:15 96:15 145:21 146:17 reported 146:19 reporting 49:5 49:14 110:4,20 110:25 145:22 reports 49:11 64:15 65:12 109:15 110:2 representations 116:20 represented 113:14 reproduced 65:10 request 62:20 64:12,12,18 95:4,9,15 requests 67:13 require 45:10 49:5,14 50:16 64:25 66:5 87:1 93:22 102:6,15 107:6 107:23 110:4 110:20 112:10 114:8 117:15 required 65:1 66:1,6,9 82:16 84:13 90:20 93:6 94:22 | 145:19 requirement 18:11 requirements 82:24 requires 82:20 requiring 65:12 110:25 111:2 requisite 23:24 research 21:25 24:4 63:1 reservation 123:22 127:1 138:24 139:8 139:13 140:2 140:14 reserve 108:15 residential 136:11 residents 129:17 136:10 resource 137:18 resources 22:3 respond 96:16 100:12 responder 124:1 responders 14:4 response 99:18 responses 145:8 | responsibility 81:8 150:17 rest 61:12 107:21 108:3 restate 7:21 100:7 restricted 15:18 restricting 24:7 restrictions 18:6 result 33:25 resulting 102:8 107:8,25 114:10 117:17 results 102:5 102:14 105:25 107:5 114:6 117:14 resume 85:17 retain 7:1 67:7 72:1 retained 7:3 retaining 111:7 retains 63:15 63:17,18 retention 72:5 72:10 return 41:20 reveals 97:3,16 97:25 99:10,22 review 56:21 117:2,5,9 118:9 119:16 155:17 |
|--|---|---|--|

[reviewed - rozatos]

| | | | |
|--------------------------------------|----------------------------------|--------------------------------|--------------------------------|
| reviewed 76:22 121:19 | 111:8 112:22 113:20 127:12 | 37:13 40:5 42:14,17,20 | 90:2,13,25 91:3,22,24 |
| reviewing 120:16 121:17 | 129:2,8 132:6 133:6 137:3 | 43:19,21,24 44:2,7,13,19,23 | 92:9,16,22 94:11 95:20 |
| reviews 153:25 | 139:12 142:23 | 45:1 47:1,22 | 96:9,23,25 |
| revision 75:13 76:8,24 | 144:12 145:12 149:1 155:20 | 48:3,16,23 49:10,20 50:1 | 97:14 98:8,11 98:17 99:3,16 |
| revisions 95:18 | 155:24 | 50:7,12,18 | 99:19 100:9,18 |
| revoke 98:1 99:11 | rights 136:23 | 51:7,20 52:14 | 101:1,5,8,10,21 |
| revoking 99:13 | risking 101:18 | 52:18 53:4,8 | 102:19 103:6,9 |
| rewrite 115:5 147:24 | road 22:18 92:15 | 53:17 55:13,21 | 103:11,16 |
| rewritten 115:5 | robust 93:22 125:1 | 56:8,13,22 | 104:7,16,19,24 |
| richardson 30:20 65:15 | role 47:21 51:4 | 57:2,5,16 58:8 | 105:4,7,10,14 |
| rid 98:13 146:13 | roll 2:9,22 | 58:22 59:8 | 106:4,16,20,23 |
| right 2:13 6:23 7:15 13:23 | rolled 57:7 | 60:8 61:1,3,15 | 107:1,14 108:7 |
| 17:6 18:8,8,21 | room 46:16 89:9 126:15 | 61:19,21 62:7 | 108:14 109:5,8 |
| 19:6 21:5 | round 129:1 | 62:11,13 63:9 | 109:13 110:14 |
| 22:22 23:4 | route 38:19 | 63:13,18,21 | 110:16 111:9 |
| 24:11 27:11 | routine 11:24 45:24 | 64:3,20 65:4 | 111:16,21,25 |
| 39:13 43:2 | routinely 14:16 | 65:20 66:14 | 112:15,20,25 |
| 45:22 46:14 | rozatos 1:18 | 67:9 68:1,6,11 | 113:10 114:22 |
| 49:13 56:3 | 2:2,3,10,21 3:3 | 69:4,7,13,16,21 | 116:10,25 |
| 59:1,21 60:4 | 3:6,24 4:8,17 | 70:1,11,13 | 117:2,7,10 |
| 66:11,12 68:4 | 5:10,21 6:11 | 71:2,12,18,20 | 118:4 120:20 |
| 69:6 76:3,17 | 6:21 7:7,13,18 | 72:3,11,14 | 121:10 122:1 |
| 79:11 83:25 | 12:4 15:9,22 | 73:7,12,16,24 | 122:24 123:2 |
| 92:16 97:6,11 | 19:15,18 24:10 | 74:12 75:4,11 | 125:14 127:10 |
| 98:22 102:21 | 24:16,22 25:15 | 76:25 77:11,23 | 129:4 130:3,8 |
| 104:22,24 | 25:20 28:3 | 78:5,18 79:1 | 130:10,21 |
| 105:9 106:2 | 31:2,15 32:14 | 80:6,14,19 | 131:5 132:2 |
| | 34:11,14 37:10 | 81:20,25 82:4 | 133:5,15,21 |
| | | 82:25 83:15,19 | 134:2,4,17,25 |
| | | 84:4,8 85:19 | 135:16 136:3,6 |
| | | 86:3,7 87:3,17 | 136:15,18,21 |
| | | 88:20 89:1,8 | 137:2,23 138:5 |

| | | | |
|---|---|---|--|
| 138:16 139:15 139:19 140:3 140:17 141:14 141:20 142:4,7 142:11,16 143:1,18,21,25 144:8,21 146:15,21 147:12,15,23 149:8,25 150:15,20 151:10,18,20 152:13 154:5 154:11,20 155:4,11,13 156:5,18,22 157:4,7,9,12 rule 5:2 6:15,17 7:21 10:1 20:11 25:3,6 41:10 43:3 46:23 49:17 51:21 52:21 53:5,5 72:17 77:18 86:15,18 113:9 115:12 146:4 148:6 152:10 154:22 rulemaking 1:11 2:8 5:2 6:5 12:2 65:17 79:18 92:17 158:1 rules 3:9 8:1 10:7 72:5,10 | 81:22 86:22 87:2,6 101:14 157:1 run 57:14 runoff 137:13 runs 153:19 s s 1:6 15:5 safe 35:18 36:14 39:22 safety 8:15,19 9:23 11:5,15 16:5 23:10 28:18 33:20 36:4 40:10 41:2 52:2,6 110:5,21 saint 1:6 sake 118:4 140:19 saltwater 154:16 sample 125:9 sampling 34:8 93:22 sanctions 100:6 santa 1:6 satisfy 116:22 sauce 45:17 131:6,7 saved 40:16 saying 5:13 12:19 13:3 14:22,25 17:24 18:10 19:19 | 33:3,6 37:6,16 40:14,21 44:11 45:21 46:7,14 46:16 49:13 50:23 54:19 58:17,22 60:12 67:6 78:1,5,13 78:17,18,19 80:10,25 85:7 86:5 95:13 113:2 120:10 126:8 127:4 130:18 131:12 133:11 146:16 149:4 says 8:22 10:10 17:4 19:3 21:4 21:25 32:21,25 33:24 34:5 35:22 36:3 38:1 40:11 49:18 55:19 56:3,16 57:7 57:13,18 58:1 58:3 67:1,2,12 74:2,3 82:20 88:11,18,21,22 98:15 99:14 100:3,21 117:20 120:1 125:19 132:22 133:7 140:22 148:1 153:13 scheduled 2:7 | sciences 37:20 scientific 34:19 40:22 41:4 scientist 37:22 scope 6:7 116:21 scrap 24:15 scrapped 6:8 25:14 27:19 scratch 24:25 47:24 scratched 25:18 screen 83:20 search 48:21 seat 88:6 second 3:2 5:23 19:15 21:17 48:24 49:8 54:14 73:6 77:21 82:6,7 83:20 84:2 85:14 97:22 106:5 107:2 117:21 157:8 secrecy 43:13 secret 10:11 12:23 13:1,18 14:10 15:15,21 15:25 16:24 17:5,6,12,15 18:13,17,19,20 18:21,23,25 19:3,7,12,12,19 19:23 21:1,1,5 |
|---|---|---|--|

[secret - shooting]

| | | | |
|---|---|--|--|
| 22:12,12,23 23:22 24:2 44:4,6 45:17 47:9,18 49:6 49:18 68:17 94:18,20 95:17 111:4 114:19 118:25 119:4 131:3,6,7,9 secretary 2:20 secrets 7:2,5 9:19 10:2,4 12:2,12,18 13:7 19:1 20:9 20:19 32:13 43:3,5 45:3,10 47:3,6,19,20 52:9 94:9 95:10,13,23,25 114:23,23 115:4 section 9:14 48:14 61:4 77:3,5 84:6 108:24 109:1 109:14 111:2 111:21 113:8 114:1,25 115:3 115:5 123:4,5 147:16 153:12 sections 48:12 78:12 security 38:13 sediment 26:19 | see 8:21 9:7 11:23 14:6,6 22:15,16 29:4 29:5 33:2,4 34:23 37:21,21 38:1,18 41:15 45:3 47:14 48:11,24 65:6 65:18 69:12 76:6 81:23 89:20 96:3 100:2 106:18 109:25 111:19 112:16 117:23 119:22 120:12 128:1,8,13,15 138:11 139:25 148:2 154:9 155:19 seeing 42:8 101:16 103:1 seek 86:12 seem 100:7 seems 79:13 96:6 107:15,21 seen 39:16 sees 38:10 semi 26:20 send 144:11 sense 75:10 95:24 96:2,6 107:22 sent 118:3 131:25 146:24 | sentence 54:13 54:14 62:5,5 62:18 65:25 67:12,25 73:20 77:10,19 88:21 104:1 106:12 106:13 107:3 110:24 141:7 142:5,7 143:22 sentences 106:21 113:22 separated 105:23 serve 51:4 service 8:14 51:25 123:25 serving 119:8 set 4:12,21 5:4 8:6 10:7 14:12 68:23 several 140:9 shandler 1:23 16:10,10,18 18:14 25:14 27:6 41:17 43:15 44:17 48:5,9,10,16,19 49:16,21 53:22 53:24 55:2,17 56:18 59:1,22 59:23 60:8 61:5,7,23 62:15 63:15,22 64:2 68:8,12 69:23 70:15 | 71:3,8,9,24 72:18,20 73:13 73:21,22 74:7 75:21 76:3,9 77:6,8,12 78:1 79:8 80:2,8 82:7 84:3,25 85:1,20,23 86:6 87:10,11 87:19 88:25 89:5,9 90:10 92:14,17 94:10 99:2 108:22 115:9 116:11 118:6,8 121:18 121:24 130:7 155:4,5,15,21 156:1,4,12,21 156:25 share 16:1,8 sheet 8:16,19 52:2,6 110:5 110:21 shelves 19:9 shielded 32:12 shine 7:4 shoot 35:8 shooting 87:23 93:10 94:3 102:4,13 103:20 105:24 107:4 114:6 115:12 117:13 118:14 |
|---|---|--|--|

[short - state]

| | | | |
|--|---|---|--|
| short 19:1 76:21 show 49:15 118:2,24 shows 125:9,11 side 5:14,14 6:3 24:8,14 27:25 38:14 44:22 55:22 56:2 69:9 108:20 sides 16:12 90:11,22 signature 158:14 signed 27:14 76:10 significant 91:19 92:5 similar 131:13 similarities 89:20 simply 13:4 14:5 20:19 21:10 24:1 50:15 99:14 sincerest 43:22 single 4:16 116:4 140:21 sir 25:13 91:6 91:23 sit 100:20 140:20 site 8:5 12:15 53:11,15 123:14,16,19 | 123:21 124:2,4 124:8,11,13 126:25 128:21 129:11 136:9 136:12,22 137:8 138:22 sites 14:5 140:7 situation 22:6 29:19 90:4 127:18 131:20 six 13:16 14:13 125:10 slide 107:9,10 slides 86:9,11 soil 26:18 solely 148:24 solidify 71:13 solutions 158:15 solved 29:3 somebody 23:2 128:1 soon 125:6 sorry 43:23 45:6 57:3 78:11 80:17 92:12,14 93:8 100:13 104:12 109:22 131:10 137:2 155:12 sort 16:21 29:18 32:2 126:12 sorts 137:15 | sound 48:11 87:9 sounds 34:21 48:10 55:2 56:25 117:1 118:21 119:6 141:17 source 18:4 124:9 spaced 116:4 speak 39:10 spearheaded 126:20 special 1:11 9:1 156:19 157:13 specific 7:21 26:11 32:22 65:18 123:8 140:2,13 specifically 26:15 115:11 139:25 specified 60:19 spend 3:21 spill 11:21 20:10 35:6 spilled 9:11 10:20 11:15 22:15 29:23 46:3 51:6 125:8 128:8 spilling 22:18 spills 10:17,21 20:11 46:1 128:16 137:13 | split 106:19,20 spot 51:17 ssri 33:13 40:17 ssris 33:16 stage 8:6 101:22 stand 68:22 standard 26:14 26:22 33:1 35:25 36:1,2 38:8 153:7 standardized 31:9 34:19 standpoint 27:21 40:8 98:13 start 2:8 3:14 3:18 5:11,17 5:24 24:11 53:1 54:15 84:24 87:19 118:6 started 37:16 50:20,22 121:2 122:3 130:4 starting 54:4 86:1 starts 54:5,24 54:25 60:13 87:20 130:15 state 1:2 10:7 13:8 21:8 28:16 29:22 42:1,11 47:4,7 |
|--|---|---|--|

[state - subsections]

| | | | |
|---|---|--|--|
| 47:10 51:6,13 51:14 72:10,16 123:15,15 125:15 127:4 127:13 136:23 137:4 138:9,19 147:24 148:7 151:7 154:6 158:3 state's 72:5 stated 2:10 3:6 4:10 6:13 20:7 40:6 56:11,15 57:21 68:13,19 91:25 107:3 108:8 113:25 117:12,20 120:22 121:4 121:20 133:16 139:20 141:7 156:24 158:8 statement 33:10,15,23 37:13 49:17 56:3,7 70:25 87:4 92:19 97:15 99:2,5 110:1,8 113:24 119:25 141:24 155:23 156:2 156:14 statements 82:19 121:5 135:4,25 147:15 | states 14:17 26:13 30:5,8,9 30:9 32:18 47:10 70:3 81:4 87:6 90:14 99:21 103:20 110:4 123:18 137:4 145:15 stating 52:7 status 14:10 153:17 statute 47:4,7 47:10 48:8 51:14,15 101:14 148:6 statutes 19:20 stem 9:2 54:7 step 29:17 35:2 77:20 stepping 17:3 17:13 stick 6:12 24:7 51:9 52:12 57:25 120:8 stifle 135:25 stifled 41:8 stolen 29:6 stop 23:18 30:17 34:24 stories 22:17 137:16 straight 35:8 97:9 | strata 88:4 90:16 93:3 stream 94:18 124:7 street 158:15 stricken 50:4 79:18 strike 49:20,23 51:12 52:8 72:4 74:8 76:5 83:2,13 88:19 100:14,20 101:6,24 110:18 124:14 124:15 127:3 135:6,7,19,20 135:22 146:12 147:11,13 148:21,22 149:6 151:2,14 154:3 striking 97:24 126:24 127:7,8 stringent 81:12 82:1 strongly 148:13 struck 25:4 83:22 98:20 99:9,23 105:12 147:17 structure 88:21 stuck 10:19 study 34:6 stuff 21:21 102:24 | stuff's 46:4 sub 81:7 subject 26:9 43:12 68:16 123:23 126:2 127:2 138:24 139:15 submissions 145:13 submit 67:4 70:5 submittal 59:5 submitted 51:23 59:10 79:12 98:21 120:22 156:7 submitting 105:17 subparagraph 62:15 subparts 86:15 subsection 57:5 61:4 78:10,23 81:1,3,5,14,22 82:8,16 84:14 102:25 104:9 109:16,19,22 109:23 122:8 122:14,15 143:6 subsections 103:23 104:10 114:13 116:5 123:12 |
|---|---|--|--|

[subsequent - tend]

| | | | |
|---|--|--|--|
| subsequent 27:14 subsets 39:9 substance 18:18 25:25 33:18 substances 17:7 substantial 14:17 21:16,20 99:19 104:5 substantiate 38:5 sued 19:13 sufficed 121:17 sufficient 36:18 51:15 66:13 suggest 113:16 suggested 25:10 100:14 113:15 114:4 141:10 suggesting 14:14 47:24 68:5 suggestion 4:16 48:18 suggestions 4:12 suggests 135:3 suite 158:15 summaries 4:3 58:3,4,13 60:19 | summarize 16:15 summary 8:25 sun 7:4 sundry 145:22 sunlight 9:10 supply 124:10 124:12 137:10 support 52:16 75:5 89:23,25 95:18 99:2 120:4,17 121:14 134:6 135:8 155:24 supported 140:9 supportive 30:24 141:11 supports 112:3 sure 4:22 6:17 19:17 30:8 32:16 34:13,13 35:14 39:5 43:1 59:19 60:5 61:7 70:2 102:21 119:7 127:17 129:7 129:12,12,18 132:11 138:6 147:13 153:7 153:20 154:14 156:8,12 surface 26:17 26:18 86:13 93:12 94:5 | 96:14 108:4 124:6,10 125:7 129:16,20 136:9 137:13 suspect 99:1 suspend 60:21 swimming 11:7 21:22 swing 45:8 system 14:3 124:6,7,10,11 149:4 systematically 54:2 systems 128:12 t take 5:23 7:11 7:14 16:24 22:22 24:10 35:2 45:8 52:25 53:2 59:19 66:8,8 68:3 94:12 97:4,18,22 98:15 99:14,25 102:8,16 107:7 107:24 109:5 111:18 114:9 117:16 119:23 122:16 129:9 136:6 142:1 143:4,5 154:22 taken 39:22 57:20 60:16,17 73:18 74:1 | 75:8,17 106:7 120:17 takes 73:19 talk 10:3 41:18 50:23 64:9 153:8 talked 77:24,25 108:16 talking 3:22 11:6 32:1 57:4 65:21 83:8 114:24 115:11 153:22 talks 80:20,21 81:7 83:3 tantamount 153:18 target 65:15 tasked 32:15 technical 48:23 technique 19:25 43:7 tell 129:23 149:9 telling 127:21 temporarily 145:16 temporary 152:2 153:17 155:1 ten 109:10,11 tenants 136:10 tend 37:25 38:13 134:10 152:16 154:5 |
|---|--|--|--|

[tens - thoughts]

| | | | |
|--|--|---|--|
| tens 14:14 term 6:4,25 8:3 9:7 48:11 76:13 terms 5:14,18 9:8 13:7 38:23 39:1 46:12 132:19 test 9:2 29:9 33:5,9 34:25 39:13 40:1 54:7 93:12 94:24 125:5 128:14 131:4 152:12 tested 9:23 11:5 11:15 23:10 30:13 36:4 137:14 testimonies 147:5 testimony 9:23 11:16 14:14 23:12 31:23 45:12 65:8,14 85:11,16 87:12 115:20,22 120:25 128:20 148:14 testing 11:18 14:17 32:24 34:19 36:13 37:22 38:2,6 38:10 87:1 90:17 93:3,16 | 93:17,18 96:4 97:3,16,25 99:10,22 125:2 128:5,13 131:3 tests 9:1 30:14 30:15 35:19,25 36:5,7 126:10 text 82:10 thank 2:17,21 3:24 6:21 7:16 12:4 25:20 28:3,6 31:14 42:13,24 44:15 44:16 52:18 53:2,18,24 56:8,13 73:13 83:15 91:20,21 92:10,22 96:9 106:16 109:8 109:11 110:16 120:6 121:24 135:16 137:23 140:17 152:13 154:11 157:15 157:17 thanks 116:7 thing 5:1 10:5 30:12,17 66:3 106:12 120:10 148:23 149:25 things 19:4 21:14 29:6 32:8 36:14 46:5 117:19 129:1 137:15 | 145:11 155:7 think 3:17,19 4:5,19,20,23 5:1,7,12,15 6:12 7:4 9:14 10:15,18 11:7 13:18 14:8 16:12,13,22 17:24 18:15 21:11,17 27:9 28:7,17,22 29:2 30:2,12 30:19,21 32:5 33:15 36:17 37:14 38:17 39:7,8,11 40:10,20 41:2 41:17 44:17,21 46:7,10,15 47:11 48:1,12 49:21 50:9,22 51:10 52:19 53:12,22 57:10 57:16,19,24 58:5 59:8,14 59:18 60:1,11 63:15 64:7 65:24 67:25 69:1,8 72:3 73:7,13,19 74:24 75:9 76:25 78:3,5,7 79:8,11 80:8 82:2 83:17 84:10,20,22 | 87:3 88:17,20 88:23 89:1,5,9 89:19 90:2,3,7 90:13 93:16 94:6 95:6 96:6 98:6,12 99:17 101:16,17,23 104:14 105:18 108:1,4,19,20 112:22 114:20 116:11 124:24 125:12 126:3 127:12 128:10 131:17,19 132:4 136:1,25 137:15,19 138:16 139:10 139:11 140:19 141:20,21 142:1,11 143:13 144:14 148:23 149:6 150:7 151:1 153:11,18 154:2,21,22 thinking 67:9 69:9 third 44:17 85:3 93:14 94:25 thought 30:7 40:24 50:13 100:25 149:12 thoughts 107:11 |
|--|--|---|--|

[thousands - tribes]

| | | | |
|--|--|---|---|
| <p>thousands 9:22 11:11 14:15,15 21:20 22:8 31:21,21 35:14 35:21 36:3,18 threatened 86:14 three 11:10 33:24 53:25 54:5,14 56:19 59:12 61:10,13 62:1,5,14 69:24 70:7 72:22 73:2,3 77:2 84:22 90:7,22 103:21 104:8,9 108:24 123:2 145:10 155:2 time 7:4 22:1 27:9,15,16 34:24 36:5,7 41:19 52:25 67:12 112:14 118:4 125:1 140:19 144:16 144:22 147:6,8 times 107:18 tissue 26:20 titled 115:12 116:2 118:10 today 2:7 11:1 16:14 23:5 29:10 39:24 43:21 44:8</p> | <p>125:9 155:9 157:2 together 13:19 96:7 156:2,10 told 33:11 tom 43:3 50:4 tomorrow 22:25 took 95:2 107:2 113:22 top 3:18 113:7 113:7 119:25 121:7,11 138:5 tossed 11:8 total 22:2,4 totaled 22:13 totaling 10:21 totally 5:21 toward 18:12 towards 24:19 31:11 66:19 148:18 toxic 11:2 14:11 21:21 22:7 30:1 35:4 35:10 40:12 toxicity 11:13 16:3 toxicological 34:1 track 85:10 115:19 tracking 73:22 trade 7:2,5 9:19 10:2,4</p> | <p>12:1,12,18,23 13:1,6 14:10 15:15,20,25 16:24 17:5,6 17:12,14 18:13 18:17,19,20,21 18:23,25 19:1 19:3,7,11,12,19 19:21,23 20:9 20:19 21:1,1,5 22:12,12,23 23:22 24:2 32:13 43:3,5 44:4,5 45:3,10 47:3,6,9,18,19 47:20 49:6,18 52:8 68:16 94:8,18,20 95:10,13,17,23 95:25 111:4 114:19,23,23 115:3 118:25 119:4 131:9 traditionally 81:1 transcribe 158:11 transcribed 59:24 60:10 158:7 transcript 1:9 2:1 158:4 transcription 158:5</p> | <p>transparency 132:4 134:11 140:6,10,16 148:15,19 150:8 transparent 51:5 112:11 transport 11:20 79:5,19 82:14 83:4 84:11 transported 14:7 51:6 treat 18:22 treating 87:23 93:11 94:4 102:5,14 105:25 107:5 114:6 117:13 treatment 103:20 115:13 118:14 145:4 145:18,23 treatments 145:18 tribal 127:14 tribe 123:20 126:24 138:21 139:7 141:22 141:25 tribe's 123:22 127:1 138:23 139:8,13 tribes 125:5 127:6,15</p> |
|--|--|---|---|

[trickier - use]

| | | | |
|--|---|---|--|
| <p>trickier 5:5 trillion 11:4,6 troutman 10:16 trucks 22:17 try 7:12 54:1 77:8 88:15 115:10 trying 23:15 28:21 34:21 65:21 66:24 78:7 79:8 80:3 81:23 103:13 119:3 tune 29:23 35:13 134:22 turn 77:6 103:16,17 twice 49:7 two 11:10 31:18 36:15 38:25 46:3 56:14 69:23 77:9 85:1 87:15 89:12 100:19 106:21 108:18 113:22 113:23 116:3 116:23 117:19 117:19 120:21 129:16 135:3 135:18,20 136:6,7 141:10 154:3</p> | <p>type 29:19 32:2 76:22 typically 48:6 153:21 typo 103:5 typographical 59:4,14</p> <hr/> <p>u</p> <hr/> <p>un 75:7 unanimous 79:14 unchanged 123:1,3 under 8:11 19:21,23 25:4 25:23 43:13 49:10 67:3 70:4 81:3 87:2 97:15 100:5,21 100:22 103:23 103:24 109:16 110:1 122:4,7 124:9 125:18 130:5,11 151:22 underground 25:10 88:6 underlined 105:21 106:1 understand 36:13 39:8 41:23 47:5 64:8 67:23 68:19,21 78:15 92:2 106:9</p> | <p>126:6 148:25 156:6 understanding 47:25 63:23,25 64:23 72:5 78:18,23 80:14 92:9 138:8 understands 89:10 92:19 understood 108:2 undisclosed 8:11,12 9:4 51:3,19,20,21 51:24 52:17,22 54:20,23 73:8 73:18 74:1 75:7 82:23 95:9,15 97:3 97:17 98:1,5 99:23,24 undoes 21:10 unenforceable 27:24 unfathomable 11:14 uniform 13:1 19:1 uniformity 56:20 unintentional 59:5 unit 129:17 136:10</p> | <p>united 14:17 26:13 123:18 unlisted 8:18 52:5 unnecessarily 112:12 135:13 unnecessary 48:7 unsure 125:23 untested 29:21 31:6,12 unwarranted 125:16 updated 26:22 32:25 149:2 updating 27:7 upload 150:18 150:24 uploaded 149:16 urge 40:13 use 8:8 10:6,11 10:12 11:1 12:21 13:5 17:7,25 18:12 18:17,19,23 20:20,23 21:5 21:8 22:24 23:1,5,9 24:1 28:15 30:8,15 30:25 33:25 34:7 35:4,10 35:12,16,22 36:24,25 37:3 37:5,7 39:23</p> |
|--|---|---|--|

[use - waste]

| | | | |
|---|---|---|---|
| <p>43:11 45:24 62:16 65:15 93:14 94:25 128:25 151:24 153:1,14 154:24 used 8:4 9:5,16 9:16,24 11:25 12:15 13:7 14:7 21:12,19 22:13 23:17 24:20 29:11,15 29:18,22 30:5 31:7,13 32:12 33:14 45:4,17 45:23 48:12,13 49:7 51:5 55:8 55:15,19 56:1 56:5 65:13 79:10,15 93:19 94:17 95:3 96:5 127:22 141:8 147:20 148:10 152:9 154:13 usepa 26:14 uses 108:13 using 13:4 29:18 31:9 45:11 103:17 149:16 utilities 125:5 utility 132:15 149:4</p> | <p>utilization 42:10 utilize 46:17</p> <hr/> <p>v</p> <hr/> <p>vague 141:17 value 20:1,4 43:8,11 141:9 various 113:16 120:16 varying 90:16 93:2 vast 11:4,4 vehicles 29:5 verb 75:23 87:21 verbally 117:3 118:15 verbiage 108:25 133:16 verify 93:17 veritext 158:15 version 32:17 33:3 60:5,24 86:25 90:8 98:8 104:17 versions 26:22 32:25 59:11,13 versus 70:16 vicinity 129:22 view 38:24 46:20 54:18 violation 12:1 12:22 13:2 15:14 40:2,2</p> | <p>volatile 26:20 26:21 voluntarily 23:3 68:18 vote 24:10,22 38:18 41:9 42:12,14,18,21 47:14 48:18 52:12 54:10,22 66:18 69:11 75:8 76:24 95:25 101:5 120:17 136:2,5 151:2 155:6 156:16 voted 60:3 vulnerable 39:19</p> <hr/> <p>w</p> <hr/> <p>wait 48:17 walk 47:17 53:23 75:3 walked 114:25 walls 153:17 want 3:13 5:24 6:25 7:11 9:9 10:12 12:25 15:11,23 16:6 17:12 18:17 34:4 35:4,16 40:5,13 41:7 41:18 43:15 50:23 51:4 52:25 54:19 55:4 58:5</p> | <p>59:19 60:5 65:7 66:15 68:2,20 69:12 73:5,8,15,16,17 79:14 86:12 87:21,24 102:19,21 108:15 110:12 119:14 122:4 124:15,20,20 127:3 128:11 133:19 134:22 137:14,21 140:22,23 141:8,9,13 147:19 148:15 156:23 wanted 16:15 26:4 42:6 49:23 54:8 65:5,16 68:21 69:2 70:17 91:16,20 110:7 111:19 116:12 122:8,10,12 wants 11:19 35:10,22 81:12 88:13,19 89:17 123:7 124:14 washed 35:6 washes 22:16 waste 79:5,20 79:25 82:14 83:4,5,12 84:11,12 88:6</p> |
|---|---|---|---|

[wastewater - working]

| | | | |
|--|---|---|--|
| wastewater 26:17,18 | 40:4 60:2 148:11 | 152:1 154:14 154:16 155:1 | willing 17:8,11 |
| water 11:10,10 18:4 22:8,9,17 22:18 26:15,16 26:17,18 45:25 79:6,20,24 82:15 83:4,11 84:12 86:17,22 88:7 123:13 124:6,6,7,10,10 124:11 125:2,3 125:4,5,6,17 126:10,14 128:5,6,7,9,11 131:2 132:15 137:7,10,11,13 137:14,18 138:3,8 147:1 149:4 | we've 2:22 10:17 14:12 28:10,25 39:16 54:23 75:8,17 75:20 80:23 92:24 95:7 103:6 117:6 119:1,3 120:9 120:17 121:15 121:20 157:9 | wendell 1:5 went 7:14 72:6 105:10,11 115:6 | wish 157:16 |
| waters 39:17 86:14 | website 138:11 145:24,24 150:18,24 | whistleblower 29:19 | withdraw 70:25 |
| way 3:16,18 4:7 4:23 5:3 11:23 19:2,10 30:14 31:6 37:17 50:24 63:25 68:22 71:13 99:18 118:20 122:21 127:18 138:17,19 141:6 142:5 148:18 150:9 | week 147:6 weg 118:19 weg's 8:21 weighed 115:23 weight 22:4 87:13 | wider 30:2,23 wildearth 3:8 4:13 25:7 26:2 31:17 42:14,23 43:4 47:2 58:11 59:12 60:15 63:19 65:7 68:13,20 82:1 83:21 88:22 89:3,4 89:20 94:2 96:13 97:15 103:24 104:12 104:13 105:16 108:23 109:18 110:7 113:19 114:4 117:11 122:6 135:1 140:23 141:1 143:3 151:23 | withdrawing 98:14 |
| ways 13:19 29:10,14 40:3 | weird 141:24 142:5,7 | william 1:20 2:19 | withhold 60:20 130:1 131:9 |
| | well's 62:21 64:14 67:14 102:5,14 107:5 107:22 114:7 117:14 | | witness 23:13 witnesses 140:9 |
| | wells 22:2,3,11 81:9 103:20 115:13 118:14 125:4 127:20 127:24 128:6 128:15 138:11 147:1 148:12 | | wondering 107:16 |
| | | | word 32:1 41:3 53:14 55:16,17 65:22 66:5 108:10,13 139:11 142:1 143:4,14 153:1 153:3 156:24 |
| | | | words 49:2 62:16 89:16 99:24 141:3 152:7,23 154:1 154:3 |
| | | | wordsmith 87:14 |
| | | | work 3:16,18 17:1 19:10 140:12 142:15 |
| | | | worked 23:13 |
| | | | working 4:23 14:4 54:11 60:2 88:8,12 88:14 |

[workover - zero]

| | |
|--|---|
| workover 49:11 109:15 110:2 | 82:2 92:22 94:10 98:12 99:17 100:16 |
| works 19:2 90:7 98:13 154:18 | 100:18,24 101:12,21 102:23 104:7 |
| world 128:25 | 104:16,20,22 |
| worried 35:5,5 | 105:9,13 |
| worthy 154:14 | 106:25 109:2 |
| wow 155:4 | 111:9 112:20 |
| write 74:5 119:16 | 118:2,20 128:23 130:23 |
| writing 64:12 88:12,15,18,22 88:24 149:13 | 131:18,19 132:3 133:6,18 133:19 136:17 |
| written 85:12 120:25 150:2 155:9 156:7 157:3 | 136:20 137:1 137:15 138:13 142:8 143:25 144:3,7,8,13 |
| wrong 43:14 130:4 136:16 | 147:14 150:12 150:13 155:14 |
| wrote 99:21 150:9 | year 10:18 11:11 29:24 |
| y | yesterday 13:14 |
| yeah 27:4 31:13 38:20 39:5 41:22 44:15,21 48:4 49:1 50:18 53:17 56:10 57:10 58:20 59:8 66:7,8 70:17 73:15 75:2,12,24 80:6 81:23 | z zach 16:10 zachary 1:23 zero 129:1 |