

CASE 5819: OCC ON ITS OWN MOTION
SCURLOCK OIL COMPANY IN VIOLATION)
OF RULE 801, EDDY COUNTY, N. MEX.

CASE NO.

5819

APPLICATION,
TRANSCRIPTS,
SMALL EXHIBITS,
ETC.

BEFORE THE OIL CONSERVATION COMMISSION
OF THE STATE OF NEW MEXICO

IN THE MATTER OF THE HEARING
CALLED BY THE OIL CONSERVATION
COMMISSION OF NEW MEXICO ON ITS
OWN MOTION TO PERMIT SCURLOCK OIL
COMPANY TO APPEAR AND SHOW CAUSE WHY
IT SHOULD NOT BE FOUND IN VIOLATION OF
RULE 801 OF THE COMMISSION RULES AND
REGULATIONS.

CASE NO. 5819
Order No. R-5344

ORDER OF THE COMMISSION

BY THE COMMISSION:

This cause came on for hearing at 9 a.m. on December 15, 1976, at Santa Fe, New Mexico, before Examiner Richard L. Stamets.

NOW, on this 4th day of January, 1977, the Commission, a quorum being present, having considered the record and the recommendations of the Examiner, and being fully advised in the premises,

FINDS:

That the applicant's request for dismissal should be granted.

IT IS THEREFORE ORDERED:

That Case No. 5819 is hereby dismissed.

DONE at Santa Fe, New Mexico, on the day and year herein-
above designated.

STATE OF NEW MEXICO
OIL CONSERVATION COMMISSION

Phil R. Lucero
PHIL R. LUCERO, Chairman

EMERY C. ARNOLD, Member

Joe D. Ramet
JOE D. RAMEY, Member & Secretary

SEAL

dr/

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
Santa Fe, New Mexico
December 15, 1976

EXAMINER HEARING

IN THE MATTER OF:

Application of Union Oil Company of
California for the reinstatement of
allowable, Eddy County, New Mexico.

CASE
5818

The hearing called by the OCC on its
motion to permit Scurlock Oil Co. to
appear and show cause why it should not
be found in violation of Rule 801.

CASE
5819

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARINGA P P E A R A N C E S

For the New Mexico Oil
Conservation Commission:

Lynn Teschendorf, Esq.
Legal Counsel for the Commission
State Land Office Building
Santa Fe, New Mexico

For Union Oil of California:

Sumner G. Buell, Esq.
JASPER & BUELL
Attorneys at Law
111 North Jefferson
Santa Fe, New Mexico

For Scurlock Oil Company:

William F. Carr, Esq.
CATRON, CATRON & SAWTELL
Attorneys at Law
53 Old Santa Fe Trail
Santa Fe, New Mexico

sid morrish reporting service

General Court Reporting Service
825-Calle Mijia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

I N D E X

	<u>Page</u>
1	
2	
3	<u>W. A. GRESSETT</u>
4	Direct Examination by Ms. Teschendorf 4
5	Cross Examination by Mr. Stamets 9
6	Cross Examination by Mr. Carr 10
7	Cross Examination by Mr. Buell 14
8	Recross Examination by Mr. Carr 14
9	Recross Examination by Mr. Stamets 15
10	Further Recross Examination by Mr. Carr 16
11	Further Recross Examination by Mr. Stamets 17
12	
13	<u>LLOYD THOMPSEN</u>
14	Direct Examination by Mr. Buell 18
15	Cross Examination by Mr. Stamets 23
16	
17	<u>VICTOR G. BROWN</u>
18	Direct Examination by Mr. Carr 24
19	
20	
21	
22	
23	
24	
25	

sid norrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 MR. STAMETS: At this time the hearing is re-
2 convened, we will call Case 5818.

3 MS. TESCHENDORF: Case 5818, application of Union Oil
4 Company of California for the reinstatement of allowable,
5 Eddy County, New Mexico.

6 If the Examiner please, I have talked to opposing
7 counsel in this case and they are agreeable to consolidating
8 Case 5818 with Case 5819 for purposes of testimony.

9 MR. STAMETS: Case 5819 is the matter of the hearing
10 called by the Oil Conservation Commission on its own motion
11 to permit Scurlock Oil Company to appear and show cause why
12 it should not be found in violation of Rule 801 of Commission
13 Rules and Regulations.

14 These two cases will be consolidated for the
15 purposes of testimony and separate orders will be entered.

16 At this time I would like to call for appearances
17 in these cases.

18 MR. BUELL: Mr. Examiner, I'm Sumner Buell of the
19 firm of Jasper and Buell in Santa Fe appearing on behalf of
20 Union Oil Company and we will have one witness.

21 MR. CARR: Mr. Examiner, I'm William F. Carr of the
22 firm of Catron, Catron and Sawtell appearing on behalf of
23 Scurlock Oil Company. We have one witness.

24 MS. TESCHENDORF: Lynn Teschendorf appearing on
25 behalf of the Commission and we have one witness.

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 MR. STAMETS: Will all of the witnesses stand at
2 this time, please?

3 (THEREUPON, the witnesses were duly sworn.)

4 MR. STAMETS: Ms. Teschendorf, I presume you would
5 like to go first in this case, you may proceed.

6
7 W. A. GRESSETT

8 called as a witness, having been first duly sworn, was
9 examined and testified as follows:

10
11 DIRECT EXAMINATION

12 BY MS. TESCHENDORF:

13 Q Please state your name, position and place of
14 residence?

15 A W. A. Gressett, Supervisor of the Commission District
16 Two, Artesia, New Mexico.

17 Q And the length of time you have held that position?

18 A Ten years.

19 Q Do your duties as District Supervisor include
20 overseeing the compilation of oil proration schedules and
21 supplements?

22 A Yes.

23 Q Are you familiar with the subject matter of Cases
24 5818 and 5819?

25 A Yes, I am.

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q What well is involved in this case?

2 A Union Oil Company of California Tracy No. 1 located
3 in Unit letter C of Section 10, Township 22 South, Range 27
4 East, Eddy County, New Mexico.

5 Q Rule 301 (b) of the Commission Rules and Regulations
6 states that the results of gas-oil ratio tests taken during
7 survey periods shall be filed with the Commission on Form C-116
8 not later than the tenth of the month following the close of
9 the survey period for the pool in which the well is located,
10 and unless the Form C-116 is filed within the required time
11 limit no further allowable will be assigned the affected well
12 until Form 116 is filed.

13 Q What was the last date on which Union Oil filed the
14 C-116 before their allowable was canceled?

15 A August the 11th, 1975.

16 Q Did you assign an allowable for the month of September
17 1976 or any of the succeeding months?

18 A None for September or October, however, on November
19 the 16th we received a delinquent 116 and an allowable was
20 assigned, effective November 15th.

21 Q Is it standard procedure as a District Supervisor to
22 not assign any further allowables if the C-116 is not filed?

23 A Yes.

24 Q When did you first discuss this situation with
25 Union Oil?

sid morish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. On November 12th we had received the overproduced
2 list from Santa Fe and I had a call from Union personnel
3 concerning another matter and asked this individual if he was
4 aware of the fact that this well had not had an allowable and
5 had not had since September 1st and he said, no, he wasn't but
6 he would check on it and call us back. In a few minutes he
7 called back and I was busy on the other phone so he talked to
8 Mrs. Wright and told her that the test had been taken and it
9 had been put in a file and was not submitted and that they
10 would get it in immediately.

11 Q And what has occurred since then?

12 A Well, on the fifteenth of November then we received
13 the Form 116 so we assigned the allowable effective that
14 day.

15 Q Was this well produced during the months of September,
16 October and November?

17 A Yes, it was.

18 Q Did the Commission grant any special authority for
19 this period of production?

20 A No.

21 Q Then technically speaking has this well been over-
22 produced during the last three months?

23 A Yes, from September 1st through November 14th.

24 Q Based on available Commission records what is the
25 volume of that overproduction?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A September was twenty-two, fifty-one barrels; October,
2 twenty-five, seventy-two barrels.

3 Q What was the total then?

4 A For a total of forty-eight, twenty-three.

5 Q Was this overproduced oil moved from Union Oil's
6 lease?

7 A Yes.

8 Q And did the Commission records reflect by whom it was
9 moved?

10 A Yes, it shows Scurlock Oil Company.

11 Q Could you give what records you base that on?

12 A Commission Form C-115 reports the production and
13 also shows the transporter.

14 Q Does the Commission regulate the purchasing,
15 acquisition and transportation and handling of crude oil
16 produced in excess of the allowable?

17 A Yes.

18 Q And what rule is that?

19 A 801.

20 Q And has Scurlock acted in violation of Commission
21 Rule 801?

22 A Yes.

23 Q What total volume of illegal oil was moved from this
24 lease in the period from September to November.

25 A In September they show a total of two thousand, three

1 hundred and eighty-eight barrels; October, two thousand, four
2 hundred and twenty-one and the November reports are not in at
3 this time.

4 Q So what was the total volume?

5 A That would be a total of four thousand, eight hundred
6 and nine barrels.

7 Q According to Commission Rule 503 (f), new proration
8 schedules and supplements are distributed periodically by
9 the Commission, would you please outline this procedure and
10 timetable?

11 A Yes, the schedules are issued for the months of
12 January through April, May through August and September through
13 December.

14 Q And when are the new proration schedules sent out?

15 A They normally are mailed, well, the September through
16 December schedule is normally mailed the last few days of
17 August, right at the end of August.

18 Q When was the latest schedule sent out that governs
19 this period?

20 A In August.

21 Q Is Scurlock on the Commission's mailing list for
22 this schedule?

23 A Yes. According to our Hobbs office they are on the
24 mailing list.

25 Q Do you have anything further to add to your testimony?

sid morish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. No.

2 MS. TESCHENDORF: I have nothing further at this
3 time.

4

5

CROSS EXAMINATION

6 BY MR. STAMETS:

7 Q Mr. Gressett, what was the test period for the
8 Esperanza-Delaware Pool, gas-oil ratio test period for that
9 pool in 1976?

10 A. I believe it was July. Let me look here. July.

11 Q And by what date was Form C-116 to have been filed
12 then?

13 A. By August the 10th.

14 Q And this is the form you did not receive until
15 November 16th?

16 A. That is correct.

17 Q Now, you indicated that the pool was produced in
18 September and October, how do you know that?

19 A. Well, by the operator's monthly production report,
20 C-115.

21 Q And then you indicated the volumes run from that
22 lease for that same month by the transporter. How are you
23 aware of that?

24 A. Commission Form C-115 reports this figure and it is
25 also substantiated by the purchaser's report, Form C-112.

sid morish reporting service

General Court Reporting, Inc.
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

sid morish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q And in addition to the known overproduction in
2 September and October if the well were produced during that
3 period in November when it had no allowable, assuming that it
4 produced eighty barrels a day, it would appear to me that they
5 would have accumulated something like eleven hundred and twenty
6 barrels of overproduction in the first two weeks in November?

7 A I would assume so, yes.

8 MR. STAMETS: Are there any other questions of this
9 witness?

10 MR. CARR: I have several.

11 MR. STAMETS: Mr. Carr.

12
13 CROSS EXAMINATION

14 BY MR. CARR:

15 Q Mr. Gressett, was this case called at your request?

16 A No, sir.

17 Q It was not? It was called at the request of the
18 Santa Fe office of the Commission?

19 A Yes.

20 Q Now, you stated that you reviewed the overproduced
21 listing and so that no allowable had been assigned to the
22 Tracy No. 1 and that is when you notified both Union and
23 Scurlock, I assume?

24 A Scurlock was notified, yes.

25 Q When you look at this list, and I assume you review

1 these as you receive them, were there other wells on the list
2 that had no allowable assigned?

3 A To the best of my recollection, no.

4 Q Have you seen occasions before when no allowable
5 was assigned for failure to file a C-116?

6 A And appear on the overproduced lists?

7 Q Yes.

8 A I don't recollect one. Now, there may have been,
9 I'm not saying that there hasn't been but I don't remember one.

10 Q Is it obvious from looking at this overproduced
11 list that there is no allowable because the C-116 was not
12 filed or does it just indicate no allowable?

13 A This report indicates no allowable and then some
14 twenty-four hundred barrels of overproduction or overruns in
15 that twenty-four hundred.

16 Q So by looking at that then you were able to check the
17 proration schedule and from that determine, is that correct?

18 A Right.

19 Q So there could have been other ones on the list that
20 reflected no allowable that might have had problems with their
21 C-116?

22 A That's possible.

23 Q All right. Are there other occasions to your knowledge
24 where oil has been sold in a period, between the time when
25 there was no allowable assigned to a well because no C-116

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 has been filed? Not particularly this month -- what I'm
2 trying to get at, Mr. Gressett, is this an isolated incidence
3 or is this an overall problem that the Commission is trying to
4 deal with?

5 A This has happened in the past, yes.

6 Q And so this is just an action by the Commission to
7 try and start more aggressively enforcing its rules in this
8 area, is that correct?

9 MS. TESCHENDORF: I don't think the witness is
10 qualified to answer that question.

11 Q (Mr. Carr continuing.) But you did state that to
12 your knowledge there had been problems in the past?

13 A There have been problems for various reasons.

14 Q Do you recall any case called prior to this time
15 for this particular purpose?

16 A I recall one for the allowable reinstatement.

17 Q But do you recall a case where anyone has been
18 called to show cause why they were not in violation of Rule 801?

19 A I don't recall, no.

20 Q Now, are you familiar with Rule 801?

21 A I've got a copy of it.

22 Q I don't think it is important to read it. You have
23 read it and are familiar with it?

24 A I have read the rule, yes.

25 Q And it does run to a number of people, it prohibits

sid-morish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 sale, purchase, transporting, refining and a number of things?

2 A. Yes.

3 Q. Do you have any idea what happens to the oil once
4 it is transported by Scurlock in this particular case?

5 A. Not specifically, no.

6 Q. Do you know if they refine it?

7 A. To my knowledge they don't.

8 Q. If it was taken to a refiner would the refiner also
9 be in violation of this rule?

10 A. I would say that is a question for our attorney
11 to answer.

12 Q. You would say, though, that if oil is produced without
13 an allowable, sold, transported and refined that the seller,
14 transporter and refiner would probably all be equal and in
15 the same position with respect to this rule, would you not?

16 MS. TESCHENDORF: That's just asking the same question.

17 MR. STAMETS: Do you object to the question?

18 MS. TESCHENDORF: I object to the question.

19 MR. STAMETS: Sustained.

20 Q. (Mr. Carr continuing.) Mr. Gressett, are you aware
21 of anything or have you seen anything that would indicate that
22 this is a willful violation?

23 A. No.

24 MR. CARR: I have nothing further.

25 MR. BUELL: Just one question, Mr. Examiner.

1 MR. STAMETS: Mr. Buell?

3 CROSS EXAMINATION

4 BY MR. BUELL:

5 Q As soon as Union Oil Company was notified that they
6 had not filed the C-116, I take it that it came in immediately?

7 A Yes, sir.

8 Q Right after their first notification?

9 A Yes.

10 Q And it did indicate on that form that the GOR test
11 had been run in July as it should have been scheduled?

12 A Right.

13 Q So the only sin of Union Oil Company here was merely
14 one of failing to get a paper in on time, a form, they complied
15 with your other rules?

16 A Yes, they failed to get that in and apparently they
17 failed to look at the schedule.

18 Q Yes, and have you seen anything or have any reason to
19 believe that the oversights by Union Oil Company were willful
20 or intentional?

21 A No.

22 MR. BUELL: I have nothing else.

23 MR. STAMETS: Mr. Carr?

24 RECROSS EXAMINATION

25 BY MR. CARR:

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q Mr. Gressett, as District Supervisor you are familiar
2 with Scurlock Oil Company, is that correct?

3 A Yes.

4 Q Have you ever had any problem with them before?

5 A Would you define problem?

6 Q Have you ever had to have a hearing called in regard
7 to anything with Scurlock prior to this time?

8 A No.

9 MR. CARR: I have nothing further.

10
11 RE CROSS EXAMINATION

12 BY MR. STAMETS:

13 Q Mr. Gressett, have you from time to time seen
14 instances of the transporter, the pipeline, overrunning oil
15 from leases in your district?

16 A Yes, I have.

17 Q Have you ever seen anything of this magnitude?

18 A I don't recollect anything of this magnitude, no.

19 Q Has it been your experience that in cases where no
20 allowable has been assigned to a well or to a lease that this
21 is normally caught when the transporter does not run the oil
22 from that lease because it has no allowable?

23 A Yes.

24 MR. STAMETS: Any other questions of the witness?

25 Mr. Carr?

sid morish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

FURTHER RECROSS EXAMINATION

BY MR. CARR:

Q Mr. Gressett, when you talk about the magnitude of the problem, is there any figure over which you decide that you have got a problem or is it just any oil in violation would be?

A As a normal procedure, Mr. Carr, when these over-produced lists come out we run through them and notify the purchaser of any overruns and notify the operator of any overproduction and they range from a few barrels to a few hundred barrels.

Q Let me ask you another question. This is something I don't understand exactly. There are a number of ways an allowable can be canceled, is that correct?

A Yes.

Q And under the rules of the Commission is this, to your knowledge, the only time that just no allowable is assigned or is this a common way for canceling an allowable, just not assigning one?

A Well, when GOR tests are required this is a normal procedure.

Q Is there some kind of an order that sometimes goes out from the Commission canceling an allowable in other circumstances?

A Yes, for other violations.

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q And then in that case there would be some sort of
2 communication from the Commission at the time the allowable
3 actually ceases?

4 A Yes.

5 MR. CARR: Okay, that's all I have. Thank you.
6

7 FURTHER RECROSS EXAMINATION

8 BY MR. STAMETS:

9 Q Mr. Gressett, during the periodic review of allowables
10 and the proration schedule, if production reports show that a
11 well has not been producing is it possible or is it standard
12 operating procedure that that well might be shown with no
13 allowable in the next proration schedule?

14 A Yes, and when that occurs the operator is notified.

15 Q In what manner?

16 A By letter.

17 Q By letter?

18 A Right.

19 MR. STAMETS: Any other questions of the witness?

20 He may be excused.

21 (THEREUPON, the witness was excused.)

22 MR. STAMETS: Mr. Buell, would you like to proceed
23 with your testimony at this time?

24 MR. BUELL: Fine, I would call Mr. Lloyd Thompson.
25

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

LLOYD THOMPSEN

called as a witness, having been first duly sworn, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. BUELL:

Q Would you please state your name, by whom you are employed, where and in what capacity?

A Lloyd Thompson, Union Oil Company of California in Midland, Texas as District Operations Manager.

Q And as the District Operations Manager what generally are your duties?

A I'm responsible for the operations in the Midland District which includes portions of New Mexico and West Texas, the district production superintendent reports to me, district drilling superintendent, engineering manager and clerical staff.

Q Now, does your sphere of authority include the Tracy No. 1 that is the subject matter of this hearing?

A Yes, it does.

Q Now, who in your district is responsible for the filing of the various forms for the Commission, specifically the C-116's.

A That's the senior clerk in the district office who reports to the district chief clerk who reports to me.

Q By the way, have you previously testified before the

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Commission?

2 A No, I have not.

3 Q Would you give the Examiner a brief history of your
4 educational background as well as your work experience?

5 A I graduated with a Bachelor of Science degree in
6 petroleum engineering from the University of California in
7 Berkely in 1950, after two years in the service I was employed
8 by Union Oil Company and have been since. Since then I have
9 held positions of reservoir engineer, production engineer,
10 drilling engineer, production foreman, superintendent and now
11 Operations Manager.

12 Q Are you generally familiar with the history of the
13 Tracy No. 1 Well?

14 A In general, yes.

15 Q And are you familiar with this application in Case
16 5818?

17 A Yes, I am.

18 MR. BUELL: Are the witness' qualifications
19 acceptable?

20 MR. STAMETS: They are.

21 Q (Mr. Buell continuing.) Briefly would you explain
22 to the Examiner what we seek in the application in Case 5818?

23 A We seek reinstatement of the allowable from September
24 1st through the November 14th period which was not given because
25 of our failure to file Form C-116.

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q Briefly give the Examiner, please, a history of
2 the Tract No. 1 and its production history?

3 A It was drilled and discovered while drilling for a
4 deeper horizon, and I'm not sure, I think in 1970 or '71.

5 Subsequently the three wells were drilled offsetting that,
6 looking for the same things in the Delaware sands, unsuccessfully,
7 and, therefore, it's a one-well field, the one and only well
8 in the Esperanza-Delaware Field.

9 Q Has this been a top allowable well to your knowledge
10 ever since its discovery?

11 A Yes, it has.

12 Q About how deep is this well drilled?

13 A About thirty-five hundred feet is the present
14 completion.

15 Q Would you explain in your own words to the Examiner
16 why to the best of your knowledge Union Oil Company failed to
17 file the C-116 Form?

18 A Basically it was a clerical oversight. We received
19 the schedules of the tests from the Commission, various
20 Commission district offices, and they are sent to the area
21 offices responsible for running the tests, they are then to
22 run the tests and report them back to the district office. A
23 clerk in the area office honestly felt that the test had been
24 submitted to the district. Subsequently it developed that it
25 had not been submitted and the clerk in the district office

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 who is supposed to remind the area when he doesn't get the
2 test on time also let it get by him and hence the purported
3 test was not filed.

4 Q However, the GOR test was properly and timely
5 performed in July of 1976, is that correct?

6 A I have been so informed, yes.

7 Q Did Union know that the allowable on this well had
8 been canceled, as of September 1 when the allowable list came
9 out?

10 A We received the allowable list on about the fifth
11 of September and it does, in fact, show no allowable for failure
12 to file Form C-116. Again, this is supposedly checked by --
13 the allowable schedule is supposed to be checked by at least
14 two people and neither of them detected the fact that the
15 allowable had been canceled. We were not, in fact, aware of
16 this until we received verbal communication from Mr. Cressett
17 as he has testified.

18 Q When did you first find out that the C-116 had not
19 been filed and the allowable had been canceled?

20 A On November 12th in telephone conversations with
21 the District Director in Artesia.

22 Q Did you ever receive any notification by letter that
23 the well did not have an allowable for September?

24 A Well, we received two documents from the Commission --
25 no, one, I believe. It would be the schedule that came out on

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 September 5th that showed that the allowable had been canceled,
2 which is the allowable schedule. That's all, to my knowledge,
3 that we received.

4 Q But you never received a specific letter dealing with
5 this well and the fact that it was being produced without an
6 allowable being assigned to it?

7 A Not prior to November 12th, no.

8 Q When it was discovered by you in mid November that
9 the C-116 had not been filed and the allowable had been canceled,
10 what action did you take?

11 A We immediately filed the C-116, I believe about on
12 the fifteenth of November and asked to get the allowable
13 reinstated for the period of September to October.

14 Q And I take it that the Commission through their
15 district office did not reinstate it automatically for September
16 and October?

17 A No, as I recall we were told that we would have to
18 come to a hearing to get it reinstated.

19 Q What actions did you take within Union Oil Company
20 to try to prevent this type of clerical oversight again?

21 A Well, reemphasize to the people that they are supposed
22 to pick these things up. Both of the people primarily
23 involved did not try to cover up their mistake. Both admitted
24 that they had goofed, in the vernacular, and because of this
25 I did not take any disciplinary action against these people,

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 but I feel they are aware of the gravity of the situation.
2 Hopefully it will never happen again.

3 Q Was the failure to file the Form 116 willful or
4 intentional?

5 A No, sir.

6 Q Do you believe that the granting of the order re-
7 instating the allowable would cause waste or in any way
8 prevent the protection of correlative rights?

9 A I see no way.

10 MR. BUELL: I have nothing further, Mr. Examiner.
11

12 CROSS EXAMINATION

13 BY MR. STAMETS:

14 Q Mr. Thompson, in addition to the test requirements,
15 have your people become aware of the necessity for checking
16 the oil proration schedule?

17 A This is what I'm trying to get across to them. They
18 are supposed to look at the darn things, you send it to us
19 for a reason and I think they are aware of it now, at least
20 those two.

21 MR. STAMETS: And I would like to ask Mr. Gressett
22 now a related question to this. Mr. Gressett, do your records
23 indicate that Union has been very conscientious and regular
24 about filing these reports in the past?

25 MR. GRESSETT: Yes, they do.

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 12, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 MR. STAMETS: Okay. Are there any other questions
2 of Mr. Thompson? He may be excused.

3 (THEREUPON, the witness was excused.)

4 MR. STAMETS: Mr. Carr?

5 MR. CARR: I have one witness, Mr. Brown.

6
7 VICTOR G. BROWN

8 called as a witness, having been first duly sworn, was
9 examined and testified as follows:

10
11 DIRECT EXAMINATION

12 BY MR. CARR:

13 Q Will you state your full name for the record, please?

14 A Victor G. Brown.

15 Q By whom are you employed and in what position?

16 A Scurlock Oil Company, District Manager, West Texas-
17 New Mexico District.

18 Q Where do you reside?

19 A Midland, Texas.

20 Q Mr. Brown, as District Manager do your duties include
21 supervising Scurlock's operations in Southeastern New Mexico?

22 A Yes, sir, they do.

23 Q Are you familiar with the subject matter of this
24 case?

25 A I am.

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q How long has Scurlock been doing business in the
2 State of New Mexico?

3 A Since 1964, about twelve years.

4 Q And to your knowledge have you had any problems with
5 the Oil Commission prior to this time?

6 A No.

7 Q How long has Scurlock been purchasing oil from the
8 Union Tracy lease?

9 A Since completion of the well, some three or four
10 years, I believe.

11 Q How did you first become aware of the problem that
12 we are here today on?

13 A I received a telephone call from Mr. John Tyler with
14 Union Oil Company of California advising me of this problem
15 and a short time later, I would say two or three hours later,
16 Mr. Stamets called me on the same matter.

17 Q Do you happen to know when that was?

18 A It was in November. In my notes I showed it to be
19 November 19th but I kind of think that might be wrong. I
20 think it could have been a few days earlier.

21 Q What is done with the oil that is purchased from
22 this particular lease?

23 A We move it by transport truck to a point where we
24 inject it through a meter into Navajo Pipeline. The title is
25 transferred as it goes through the meter.

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 962-9212

1 Q Do you have any of the oil produced from the lease
2 in your possession at this time?

3 A No.

4 Q Do you receive a proration schedule?

5 A Yes, we do.

6 Q Would you please explain to the Examiner how this
7 problem arose and what procedure you have taken to see that
8 it does not happen again?

9 A With us the problem lies with me in that it was my
10 interpretation that the allowables would be removed by
11 supplement. I now know that this is not the case that it can
12 be left off the schedule too. We do get the schedule, we have
13 taken steps to see that the allowable data from these schedules
14 are cut into our data machines in Houston and a proration sheet
15 will be furnished to us and our field personnel who are
16 responsible for moving the oil showing all of the information
17 on a given property, plus the allowable, plus stock if there
18 is any carryover stock from a preceding period and as a
19 comparative figure the preceding month's run.

20 We hope with this information in our hand and in
21 the hands of our people that this won't happen again.

22 Q Mr. Brown, is it fair to say that you expected
23 some sort of a notice if the allowable for this well was
24 canceled?

25 A Yes, I did.

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q And that this was a mistake on your part?

2 A Right.

3 Q Do you believe that the procedures that you have
4 instituted will prevent a reoccurrence of this problem?

5 A I sure do.

6 MR. CARR: I have no further questions of Mr. Brown.

7 MR. STAMETS: Mr. Brown, I take it that these
8 procedures that you are talking about are brand new and they
9 are substantive?

10 THE WITNESS: Right, yes, sir.

11 MR. STAMETS: Are there any other questions of the
12 witness?

13 MS. TESCHENDORF: I have one question.

14 MR. STAMETS: Ms. Teschendorf.

15 MS. TESCHENDORF: Mr. Brown, do you know what date
16 Scurlock received the proration schedule?

17 THE WITNESS: No, I don't. I'm sure we received it
18 timely because we normally do, we had it in our possession.

19 MS. TESCHENDORF: Okay.

20 MR. STAMETS: Any other questions of this witness?

21 He may be excused.

22 (THEREUPON, the witness was excused.)

23 MS. TESCHENDORF: Mr. Examiner, I think at this
24 time, at least for Case 5819, it's clear from the testimony
25 that has been presented that this whole situation arose from

sid merrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 inadvertent errors on both the part of Union Oil Company
2 and Scurlock Oil Company and at this time on behalf of the
3 Commission I would like to move for the dismissal of Case 5819.

4 MR. CARR: We would certainly concur in the motion.

5 MR. STAMETS: Ms. Teschendorf, your request for
6 dismissal will be granted, presuming that Case 5818 will be
7 decided in favor of the applicant, Union Oil Company of
8 California and that's the size of it.

9 Anything further in either one of these cases?

10 MR. CARR: I would like to make one brief statement.

11 MR. STAMETS: Mr. Carr.

12 MR. CARR: We hope the Commission will accept their
13 counsel's motion. There is one particular problem that this
14 case posed to us that I think would be appropriate to mention
15 to the Commission. The style of the case was a show-cause
16 hearing and coming before the Commission in this case to defend
17 action and that was the first thing that caught us off guard.
18 It appears that it was probably a very wise decision because
19 this approach gives the Commission flexibility to call parties
20 in and discuss a matter like this with and without going under
21 the rather severe statutory problems that could come up if an
22 action was brought by the Commission seeking a penalty or
23 seizure of the oil.

24 It also, however, put us in a position where we
25 really didn't know what we were coming in on and we appreciate

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 the attitude of the Commission today in the way it was
2 handled.


3 MR. STAMETS: Anything further in this case? These
4 cases will be taken under advisement.

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212


5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I, SIDNEY F. MORRISH, a Certified Shorthand Reporter,
do hereby certify that the foregoing and attached Transcript
of Hearing before the New Mexico Oil Conservation Commission
was reported by me, and the same is a true and correct record
of the said proceedings to the best of my knowledge, skill and
ability.


Sidney F. Morrish, C.S.R.

sid morrish reporting service
General Court Reporting Service
825 Calle Meja, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 58885819
heard by me on 12-15, 19 76.

Examiner
New Mexico Oil Conservation Commission

Sept 76

2439 OP

849 Storage

1590 over run Sept

1421 runs Oct

1011 over run connect

1011

1011

1012

Dockets Nos. 1-77 and 2-77 are tentatively set for hearing on January 5 and 19, 1977. Applications for hearing must be filed at least 22 days in advance of hearing date.

DOCKET: EXAMINER HEARING - WEDNESDAY - DECEMBER 15, 1976

9 A.M. - OIL CONSERVATION COMMISSION CONFERENCE ROOM,
STATE LAND OFFICE BUILDING - SANTA FE, NEW MEXICO

The following cases will be heard before Richard L. Stamets, Examiner, or Daniel S. Nutter, Alternate Examiner:

- ALLOWABLE: (1) Consideration of the allowable production of gas for January, 1977, from seventeen prorated pools in Lea, Eddy, Chaves, and Roosevelt Counties, New Mexico.
- (2) Consideration of the allowable production of gas for January, 1977, from four prorated pools in San Juan, Rio Arriba, and Sandoval Counties, New Mexico.

CASE 5796: (Continued from November 10, 1976, Examiner Hearing)

In the matter of the hearing called by the Oil Conservation Commission on its own motion to permit Hixon Development Company, National Surety Corporation, and all other interested parties to appear and show cause why the Central Bisti Unit Wells Nos. 41, 46, 47, 49 and 50 located in Units D, I, K, M, and O, respectively, of Section 16, Township 25 North, Range 12 West, Bisti-Lower Gallup Pool, San Juan County, New Mexico, should not be plugged and abandoned in accordance with a Commission-approved plugging program.

CASE 5815: Application of Mark Production Company for compulsory pooling, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks an order pooling all mineral interests in the San Andres formation underlying the NW/4 SE/4 of Section 1, Township 18 South, Range 26 East, Red Lake-San Andres Pool, Eddy County, New Mexico, to be dedicated to a well to be drilled at a standard location thereon. Also to be considered will be the cost of drilling and completing said well and the allocation of the cost thereof, as well as actual operating costs and charges for supervision. Also to be considered will be the designation of applicant as operator of the well and a charge for risk involved in drilling said well.

CASE 5816: Application of Texas Oil & Gas Corporation for an unorthodox gas well location, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks approval for the unorthodox gas well location of its Huber Federal Well No. 1 to be drilled 1,027 feet from the North line and 2280 feet from the East line of Section 27, Township 23 South, Range 22 East, Eddy County, New Mexico, the N/2 of said Section 27 to be dedicated to the well.

CASE 5820: Application of Texas Oil & Gas Corporation for compulsory pooling, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks an order pooling all mineral interests in the Wolfcamp and Pennsylvanian formations underlying the W/2 of Section 4, Township 22 South, Range 22 East, Eddy County, New Mexico, to be dedicated to a well to be drilled at a standard location thereon. Also to be considered will be the cost of drilling and completing said well and the allocation of the cost thereof, as well as actual operating costs and charges for supervision. Also to be considered will be the designation of applicant as operator of the well and a charge for risk involved in drilling said well.

CASE 5817: Application of Read & Stevens, Inc., for an unorthodox gas well location, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks approval for the unorthodox gas well location of its W. R. State Comm. Well No. 1 to be drilled 660 feet from the South line and 990 feet from the East line of Section 6, Township 21 South, Range 27 East, Burton Flat-Morrow Gas Pool, Eddy County, New Mexico, Lots 9, 10, 15, and 16, and the SE/4 of said Section 6 to be dedicated to the well.

CASE 5818: Application of Union Oil Company of California for the reinstatement of allowable, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks reinstatement of oil allowable for its Tracy Well No. 1 located in Unit C of Section 10, Township 22 South, Range 27 East, Esperanza-Delaware Pool, Eddy County, New Mexico.

CASE 5819: In the matter of the hearing called by the Oil Conservation Commission on its own motion to permit Scurlock Oil Company to appear and show cause why it should not be found in violation of Rule 801, Commission Rules and Regulations, for purchasing, acquiring, transporting or handling of crude petroleum oil produced in excess of the allowable by Union Oil Company from its California Tracy Lease, Esperanza-Delaware Pool, Eddy County, New Mexico.

CASE 5823: Application of Thornton Hopper for salt water disposal, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks authority to dispose of produced salt water into the Delaware formation through the open-hole interval from 1987 feet to 2000 feet of his Bradley Federal Well No. 6, located in Unit D of Section 11, Township 24 South, Range 26 East, Black River-Delaware Pool, Eddy County, New Mexico.

In the matter of the hearing called by
the OCC on its own motion to permit
Scurlock Oil Company to appear and
show cause why ~~it~~^{it} should not be found
in violation of Rule 801 Commission
Rules and Regulations, ~~for~~ⁱⁿ purchasing,
acquiring, transporting or handling of
crude petroleum oil ^{in excess of 460 gal per 24 hrs} produced by ~~the~~
Union Oil Company, California ^{from its} Tracy Lease,
Esperanza - Delaware Pool, Eddy County,
New Mexico.

10/1/70

Jack Blanton Pres
Scurlock Oil Co.
1501 Houston Club Bldg

and V. G. Brown

Scurlock Oil Co

1216 Vaughn Bldg

Midland.

801 Illegal Sale Prohibited (Oil)

301 (b) GOR & Prod Tests

502 II Monthly Tolerance

Note Rule 503 (f)

Advises allowable changes by schedule
or supplement

NEW MEXICO OIL CONSERVATION COMMISSION
TRANSPORTER'S AND STORER'S MONTHLY REPORT

Month of

October 1976

Report of

Scurlock Oil Company

Address

1501 Houston Club Bldg. - Houston, Texas

Total Stock Beginning of Month

BARRELS

1200

RECEIPTS BY POOLS: BY LEASES - TOTAL EACH POOL (Attach additional sheets if necessary)

POOL	COUNTY	NAME OF PRODUCER	NAME OF LEASE	BARRELS
See Attached Detail		NOV 18 1976 OIL CONSERVATION COMM. Santa Fe		91,508
TOTAL				91,508

RECEIPTS FROM OTHER SOURCES (Attach additional sheets if necessary)

RECEIVED FROM	PLACE OF RECEIPT	BARRELS
Import	Texas - New Mexico Line	2,411
TOTAL		2,411

TOTAL RECEIPTS

91,508 + 2,411 = 93,919

STOCK - FIRST OF PERIOD, PLUS RECEIPTS

93,919 + 1,200 = 95,119

DELIVERIES (Attach additional sheets if necessary)

TO WHOM	PLACE OF DELIVERY	BARRELS
Export		
Continental Oil Co.	State Line	7,014
Shell Oil Company	Artesia	59,126
Navajo Refg. Co.	Hobbs	4,072
	Artesia	21,601

TOTAL

91,813

TOTAL STOCK - END OF MONTH

926

Shortage

2,380

Overage

TOTAL DELIVERIES AND STOCK - Plus Shortage or Minus Overage

95,119

I hereby certify that the information above is true and complete to the best of my knowledge and belief.

F.O. Frederick, Jr.

(Signature)

Mgr - Oil Acct. Dept.

(Title)

November 15, 1976

(Date)

NEW MEXICO OIL CONSERVATION COMMISSION
TRANSPORTER'S AND STORER'S MONTHLY REPORT

ATTACHMENT FOR PAGE 1

MONTH October 1976

RECEIPTS BY POOLS: BY LEASES

LEASE #	FIELD OR POOL	COUNTY	PRODUCER	LEASE	
16479	Artesia	Eddy	Nix, Ralph	Signal State Well 2	-0-
15448	Atoka	Eddy	Yates Petr. Corp.	Martin	172
15444	Atoka	Eddy	Yates, Martin LII	Atoka State	188
15445	Atoka	Eddy	Yates, Martin III	Everest	171
15446	Atoka	Eddy	Yates, Martin III	Gates-Wheatley	188
13669	Battleaxe	Lea	Read & Stevens, Inc.	Russell	-0-
15841	Buffalo Valley	Chaves	Clinton Oil Co.	Clementa Buff V. Comm.	-0-
62599	"	"	Pan Amer. Pet.	Fed C. Gas Comm.	-0-
16999	No Dagger Draw	Eddy	Roger C. Hanks	Daggers Draw	1378
17776	"	"	"	Kathy Eyre Fed	-0-
21326	No. Dagger Draw	Eddy	Roger C. Hanks	Barbara Fed. #1	1391
17804	"	"	"	Barbara Federal	8770
21369	No. Dagger Draw	Eddy	Roger C. Hanks	Dagger Draw #2	2367
19336	"	"	"	Barbara Federal #2K	1239
21598	No. Dagger Draw	Eddy	Roger C. Hanks	Barbara Federal #6	10972
19867	"	"	"	Barbara Federal #3	2879
21766	No. Dagger Draw	Eddy	Roger C. Hanks	Molly Comm.	721
20692	"	"	"	Barbara Federal #4	8042
21649	No. Dagger Draw	Eddy	Roger C. Hanks	Julia Comm.	5924
17715	Dayton ABO	Eddy	Leonard Latch	D. H. Goodrich	186
13668	Double X	Lea	Bill J. Graham	Bradley	359
17400	"	"	"	Gulf Hanagan Federal	352
19555	"	"	"	U.S. Smelting Federal	526
20618	"	"	Ralph Williamson	Graham Federal	175
20619	Double X	Lea	"	Wright Fed.	377
15450	Eagle Creek	Eddy	Yates Petr. Corp.	Jackson, A. T.	1407
15451	"	"	"	Gissler, A. V.	4871
15979	"	"	"	Eagle Creek BI	-0-
16394	"	"	"	Mitchell	172
16719	"	"	"	Federales BO	1257
17028	"	"	"	J Lazy J	3974
17327	"	"	"	Federal BQ	1054
17481	Eagle Creek	Eddy	Yates Petr. Corp.	McGaw Rt	1926
17566	"	"	"	Ingram Jackson BV	2123
17603	"	"	"	Federal BW	2456
17650	"	"	"	Jackson Estate BV	1769
17743	"	"	"	Federal CB	-0-

TRANSPORTER'S AND STORER'S MONTHLY REPORT

LEASE #	FIELD OR POOL	COUNTY	PRODUCER	LEASE	
17810	Eagle Creek	Eddy	Yates Petr. Corp.	Federal CD	537
17836	"	"	"	Morris Estate CG	717
17970	"	"	"	City of Artesia CG	-0-
18568	"	"	"	Frey	1058
17710	Empire	Eddy	Leonard Latch	Brooks	-0-
17714	Empire	Eddy	Leonard Latch	Saunders	172
62695	Esperanza	Eddy	Union Oil Co. Of Calif.	Tracy	2421
20016	Eumont	Lea	Amerada Hess Corp.	L. W. White	-0-
19424	Eunice	Lea	John Yuronka	Reeves	-0-
18113	High Lonesome	Eddy	Depco Inc.	High Lonesome Penrose	245
18145	"	"	"	" " "	95
18097	"	"	Bill Jones Oil Co.	Skelly State	360
18101	"	"	Bill Jones Oil Co.	Iles Federal	187
18102	Jalmat	Lea	John Yuronka	Atkins Federal	-0-
19819	Jalmat	Lea	"	Areas State	2963
18106	Jennings	Lea	Blackrock Oil Co.	Blackrock Unit Federal	1235
18652	Langlie Mattix	Lea	John Yuronak	Gulf Rilla	189
18784	"	"	"	ARC O. Crump	544
19819	Langlie Queen	"	"	Ares State	-0-
20126	Langlie Mattix	"	Sam D. Area	State W	-0-
16028	Loco Hills ABO	Eddy	Texas Pacific Oil Co.	Wooley Federal	347
18096	Lovington	Lea	Jet Oil Company	Shipp	760
21082	Lusk	Lea	Sun Oil Co.	Sloan Fed	-0-
17629	Pecos Delaware	Eddy	George H. Mitchell	Littlefield BO	176
15457	Penasco	Eddy	Yates Petr. Corp.	Wildinson AZ	510
15460	"	"	"	State AU	-0-
15461	"	"	"	Hornbaker BA	173
15462	"	"	"	Stark BG	168
15464	"	"	"	Scout E. H. Fed	-0-
15465	"	"	"	Yates Fed	-0-
15466	"	"	"	Thomas	-0-
15468	"	"	"	Federal AY	549
15469	"	"	"	Yates AS Fee	XX 884
15470	"	"	"	Gerard AW	881
15477	"	"	"	Curtis Nix BH	1075
15903	"	"	"	Lowe State Bkl-A	-0-

FE #	Field or POOL	COUNTY	PRODUCER	LEASE	
1552	Penasco	Eddy	Yates Petr. Corp.	Federal AK	-0-
15479	"	"	"	Kincaid B-1	-0-
15947	"	"	"	Nickson BM	-0-
18473	"	"	"	Mobil C. I. Fed	-0-
19249	"	"	"	Federal AB	-0-
20071	"	"	"	Fed AB	-0-
61661	Red Hills	Lea	Union Oil Co. of Calif.	Red Hills Unit	685
62152	"	"	"	Red Hills Unit 2	1776
18098	Red Lake	Eddy	Bill Jones Oil	Gulf Killa	171
17724	Vest Queen Ranch	Chaves	Continental Oil Co.	W. R. Means	361
20553	Strawn	Lea	HNG Oil Company	Dogie Draw Federal	-0-
21661	Carlsbad	Eddy	Belco Pet. Co.	Martin #2	1886
21674	Carlsbad	Eddy	Belco Pet. Co.	Martin #3	1200
21732	So. Carlsbad	Eddy	Belco Pet. Co.	Douglas Comm.	338
21707	W/C	Eddy	Husky Oil Co.	Forehand	1267
17565	Undesignated	Eddy	Roger C. Hanks	Robin Fed	193
17775	" "	Eddy	Roger C. Hanks	Vickie Fed.	190
TOTAL					91,506

NEW MEXICO OIL CONSERVATION COMMISSION
TRANSPORTER'S AND STORER'S MONTHLY REPORTMonth of
SEPTEMBER 1976Report of **SCURLOCK OIL COMPANY** Address **1501 HOUSTON CLUB BUILDING - HOUSTON, TEXAS**Total Stock Beginning of Month **1,200** BARRELS

RECEIPTS BY POOLS; BY LEASES - TOTAL EACH POOL (Attach additional sheets if necessary)

POOL	COUNTY	NAME OF PRODUCER	NAME OF LEASE	BARRELS
SEE ATTACHED DETAIL				89,381
TOTAL				89,381

RECEIPTS FROM OTHER SOURCES (Attach additional sheets if necessary)

RECEIVED FROM	PLACE OF RECEIPT	BARRELS
IMPORT OIL CONSERVATION COMM. Santa Fe OCT 13 1976	TEXAS - NEW MEXICO	1,680
TOTAL		1,680
TOTAL RECEIPTS		91,061
STOCK - FIRST OF PERIOD, PLUS RECEIPTS		92,287

DELIVERIES (Attach additional sheets if necessary)

TO WHOM	PLACE OF DELIVERY	BARRELS
EXPORT CONTINENTAL OIL COMPANY SHELL OIL COMPANY	STATE LINE ARTESIA HOBBS	6,364 80,650 4,530
TOTAL		91,544
TOTAL STOCK - END OF MONTH		1,200
Shortage		
Overage		457
TOTAL DELIVERIES AND STOCK - Plus Shortage or Minus Overage		92,287

I hereby certify that the information above is true and complete to the best of my knowledge and belief.

F. O. Frederick, Jr.
F. O. FREDERICK, JR.MGR. OIL ACCOUNTING DEPARTMENT
(Title)OCTOBER 14, 1976
(Date)

NEW MEXICO OIL CONSERVATION COMMISSION
TRANSPORTER'S AND STORER'S MONTHLY REPORT

ATTACHMENT FOR PAGE 1

MONTH SEPTEMBER 1976

RECEIPTS BY POOLS: BY LEASES

LEASE #	FIELD OR POOL	COUNTY	PRODUCER	LEASE	
16479	Artesia	Eddy	Nix, Ralph	Signal State Well 2	
15448	Atoka	Eddy	Yates Petr. Corp.	Martin	170
15444	Atoka	Eddy	Yates, Martin III	Atoka State	
15445	Atoka	Eddy	Yates, Martin III	Everest	171
15446	Atoka	Eddy	Yates, Martin III	Gates-Wheatley	
13669	Battleaxe	Lea	Read & Stevens, Inc.	Russell	
15841	Buffalo Valley	Chaves	Clinton Oil Co.	Clementa Buff V. Comm.	169
62599	"	"	Pan Amer. Pet.	Fed C. Gas Comm.	
16999	No Dagger Diaw	Eddy	Roger C. Hanks	Daggers Draw	674
21669	"	"	"	JULIE COM	8,175
17776	"	"	"	Kathy Eyre Fed	173
19339	"	"	"	BARBARA FED #2K	1,418
17804	"	"	"	Barbara Federal	7,314
21359	"	"	"	DAGGER DRAW #2	3,226
19339	"	"	"	Barbara Federal #2K	
21598	"	"	"	BARBARA FED #6	10,788
19867	"	"	"	Barbara Federal #3	1,957
20692	"	"	"	Barbara Federal #4	6,428
17715	Dayton ABO	Eddy	Leonard Latch	D. H. Goodrich	187
13668	Double X	Lea	Bill J. Graham	Bradley	911
17400	"	"	"	Gulf Hansgan Federal	365
19555	"	"	"	U S Smelting Federal	163
20618	"	"	Ralph Williamson	Graham Federal	
20619	"	"	"	WRIGHT FEDERAL	174
15450	Eagle Creek	Eddy	Yates Petr. Corp.	Jackson, A. T.	1,520
15451	"	"	"	Gissler, A. V.	5,281
15979	"	"	"	Eagle Creek B1	171
16394	"	"	"	Mitchell	
16719	"	"	"	Federales B0	1,029
17028	"	"	"	J Lazy J	4,437
17327	"	"	"	Federal BQ	860
17481	"	"	"	MCGRAW BT	2,062
17566	"	"	"	Imgram Jackson BV	2,074
17428	"	"	"	WHITE BU	171
17603	"	"	"	Federal BW	2,714
17650	"	"	"	Jackson Estate BY	1,722
17743	"	"	"	Federal CB	172

TRANSPORTER'S AND STORER'S MONTHLY REPORT

#	FIELD OR POOL	COUNTY	PRODUCER	LEASE	
1810	Eagle Creek	Eddy	Yates Petr. Corp.	Federal CD	172
17836	"	"	"	Morris Estate CO	1,035
17970	"	"	"	City of Artesia CG	
18568	"	"	"	Frey	689
17710	Empire	Eddy	Leonard Latch	Brooks	144
17712	"	"	"	SPENCE	64
17714	Empire	Eddy	Leonard Latch	Saunders	
17713	"	"	"	BERRY A & BERRY B	178
62695	Esperanza	Eddy	Union Oil Co. Of Calif.	Tracy	2,388
20916	Eumont	Lea	Amerada Hess Corp.	I. W. White	187
18424	Eunice	Lea	John Yuronka	Reeves	177
18113	High Lonesome	Eddy	Depeco Inc.	High Lonesome Penrose	
18145	"	"	"	" " "	
18097	"	"	Bill Jones Oil Co.	Skelly State	360
18101	"	"	Bill Jones Oil Co.	Iles Federal	
18102	Jalmat	Lea	John Yuronka	Atkins Federal	
19819	Jalmat	Lea	"	Areas State	2,597
18106	Jennings	Lea	Blackrock Oil Co.	Blackrock Unit Federal	1,430
18652	Langlie Mattix	Lea	John Yuronak	Gulf Rilla	
18784	"	"	"	ARC O. Crump	
19819	Langlie Queen	"	"	Ares State	
20126	Langlie Mattix	"	Sam D. Area	State W	
18784	"	"	"	ARCO CRUMP	534
16028	Loco Hills ARO	Eddy	Texas Pacific Oil Co.	Woolley Federal	516
18096	Lovington	Lea	Jet Oil Company	Shipp	754
21082	Lusk	Lea	Sun Oil Co.	Sloan Fed	
17629	Pecos Delaware	Eddy	George H. Mitchell	Littlefield BO	
15457	Penasco	Eddy	Yates Petr. Corp.	Wildinson AZ	854
15460	"	"	"	State AU	
15461	"	"	"	Hornbaker BA	171
15462	"	"	"	Stark RG	
15464	"	"	"	Scout E. H. Fed	171
15465	"	"	"	Yates Fed	172
15466	"	"	"	Thomas	
15468	"	"	"	Federal AY	515
15469	"	"	"	Yates AS Fee	854
15470	"	"	"	Gerard AW	514
15477	"	"	"	Curtis Nix BH	1,091
15903	"	"	"	Low State Bkl-A	

	Field or POOL	COUNTY	PRODUCER	LEASE	
	Penasco	Eddy	Yates Petr. Corp.	Federal AK	
	"	"	"	Kincaid B-1	173
447	"	"	"	Nickson BM	171
4473	"	"	"	Mobil C. I. Fed	170
19249	"	"	"	Federal AB	170
20071	"	"	"	Fed AB	85
61661	Red Hills	Lea	Union Oil Co. of Califi.	Red Hills Unit	745
62152	"	"	"	Red Hills Unit 2	1,095
18098	Red Lake	Eddy	Bill Jones Oil	Gulf Rilla	
17724	Vest Queen Ranch	Chaves	Continental Oil Co.	W. R. Means	171
20553	Strawn	Lea	ING Oil Company	Dogle Draw Federal	
21661	CARLSBAD	EDDY	BELCO PET. CORP.	MARTIN #2	2,591
21674	CARLSBAD	EDDY	BELCO PET. CORP.	MARTIN #3	1,408
21707	WILDCAT	EDDY	HUSKY OIL	FOREHAND	542
21396	DAGGER DRAW	EDDY	ROGER C. HANKS	BARBARA FED #5	1,208
21195	TONTO 7 RIVER	LEA	BELCO	LA RICA	620
TOTAL					89,381**

(BL) DRAFT

dr/

BEFORE THE OIL CONSERVATION COMMISSION
OF THE STATE OF NEW MEXICO

IN THE MATTER OF THE HEARING
CALLED BY THE OIL CONSERVATION
COMMISSION OF NEW MEXICO FOR
~~THE PURPOSE OF CONSIDERING~~

5819
CASE NO. ~~5816~~

Order No. R- 5344

C. M.
~~APPLICATION OF TEXAS OIL & GAS~~ the Oil Conservation Commission on its own motion to permit
Scurlock Oil Company to appear and show cause why it should not be found in violation of Rule 801 of the
Commission Rules and Regulations.

ORDER OF THE COMMISSION

BY THE COMMISSION:

DP
This cause came on for hearing at 9 a.m. on December 15, 1976,
at Santa Fe, New Mexico, before Examiner Richard L. Stamets.

NOW, on this _____ day of December, 1976, the Commission,
a quorum being present, having considered the record and the recom-
mendations of the Examiner, and being fully advised in the premises,

FINDS:

That the applicant's request for dismissal should be
granted.

IT IS THEREFORE ORDERED:

That Case No. 5816? is hereby dismissed.

DONE at Santa Fe, New Mexico, on the day and year hereinabove
designated.