

Case NO.

6558

Application

Transcripts

Small Exhibits

ETC.



BRUCE KING
GOVERNOR
LARRY KEHOE
SECRETARY

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION

July 18, 1979

POST OFFICE BOX 2058
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO 87501
PHONE 877-2434

Mr. Thomas Kellahin
Kellahin & Kellahin
Attorneys at Law
Post Office Box 1769
Santa Fe, New Mexico

Re: CASE NO. 6558
ORDER NO. R-6051

Applicant:

Llano, Inc.

Dear Sir:

Enclosed herewith are two copies of the above-referenced
Commission order recently entered in the subject case.

Yours very truly,


JOE D. RAMEY
Director

JDR/fd

Copy of order also sent to:

Hobbs OCC X
Artesia OCC X
Aztec OCC _____

Other William F. Carr

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING
CALLED BY THE OIL CONSERVATION
COMMISSION OF NEW MEXICO FOR
THE PURPOSE OF CONSIDERING:

CASE NO. 6558
Order No. R-6051

APPLICATION OF LLANO, INC. FOR
A NON-STANDARD GAS PRORATION UNIT,
LEA COUNTY, NEW MEXICO.

ORDER OF THE COMMISSION

BY THE COMMISSION:

This cause came on for hearing at 9 a.m. on May 29, 1979, at Santa Fe, New Mexico, before the Oil Conservation Commission of New Mexico, hereinafter referred to as the "Commission."

NOW, on this 17th day of July, 1979, the Commission, a quorum being present, having considered the testimony presented and the exhibits received at said hearing, and being fully advised in the premises,

FINDS:

(1) That due public notice having been given as required by law, the Commission has jurisdiction of this cause and the subject matter thereof.

(2) That the application of Llano, Inc., for a 320-acre non-standard gas proration unit comprising the E/2 of Section 34, Township 21 South, Range 34 East, NMPM, Lea County, New Mexico, was predicated on the temporary 640-acre spacing and proration units and well location requirements promulgated by Order No. (3) on Pages 4 and 5 of Division Order No. R-5995.

(3) That the Division, by its Order No. R-6050 rescinded said Order No. (3) of Division Order No. R-5995, and the Morrow formation underlying the aforesaid E/2 of Section 34 is now subject to 320-acre well spacing and location requirements, thereby rendering this case moot.

(4) That Case No. 6558 should be dismissed.

-2-
Case No. 6558
Order No. R-6051

IT IS THEREFORE ORDERED:

(1) That Case No. 6558 is hereby dismissed.

DONE at Santa Fe, New Mexico, on the day and year herein-
above designated.

STATE OF NEW MEXICO
OIL CONSERVATION COMMISSION



Alex J. Armijo
ALEX J. ARMIJO, Member

Emery C. Arnold
EMERY C. ARNOLD, Member

Joe D. Ramsey
JOE D. RAMSEY, Member & Secretary

S E A L

fd/



SABINE PRODUCTION COMPANY


901 Wall Towers East 201 Wall Street Midland, Texas 79701 (915) 683-5607

C. H. Madsen
District Geologist

May 24, 1979

New Mexico Oil Conservation Commission
State Land Office Building
Santa Fe, New Mexico 87501

Attention: Mr. Joe Ramey



Re: Cases 6557, 6497 and 6558
Dated May 29, 1979

Gentlemen:

Sabine Production Company, as a 25% Working Interest Participant in Getty "36" State Com. #1 Well and owner of other leases in the Gramma Ridge Area, expresses the following feelings in the subject cases:

1. Case 6557 - Concur with 640 acre spacing and 1650' measurement from outer lease lines.
2. Case 6497 - Object to the application of Llano to drill an unorthodox gas well with respect to location and recommend that a well be penalized for any variance from field rules.
3. Case 6558 - Object to the application of Llano for a non-standard spaced unit and recommend that a well be penalized for any variance from field rules.

Very truly yours,

SABINE PRODUCTION COMPANY

C. H. Madsen
District Geologist

/wb

A Subsidiary of SABINE Corporation

DOCKET: COMMISSION HEARING - TUESDAY - MAY 29, 1979

OIL CONSERVATION COMMISSION - 9 A.M. - ROOM 205
STATE LAND OFFICE BUILDING, SANTA FE, NEW MEXICO

CASE 6557: Application of Getty Oil Company for pool creation and special pool rules, Lea County, New Mexico. Applicant, in the above-styled cause, seeks an order creating a new Morrow gas pool for its State 35 Well No. 1 located in Unit K of Section 35, Township 21 South, Range 34 East, and its Getty Two State Well No. 1 located in Unit F of Section 2, Township 22 South, Range 34 East, and for promulgation of special pool rules, including provision for 640-acre gas well spacing.

CASE 6497: (DE NOVO)

Application of Llano, Inc. for an unorthodox gas well location, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval for the unorthodox location of a well to be located 1650 feet from the South line and 660 feet from the East line of Section 34, Township 21 South, Range 34 East, Grama Ridge-Morrow Gas Pool, the E/2 of said Section 34 to be dedicated to the well.

Upon application of Getty Oil Company this case will be heard De Novo pursuant to the provisions of Rule 1220.

CASE 6558: Application of Llano, Inc. for a non-standard gas proration unit, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval for a 320-acre non-standard gas proration unit comprising the E/2 of Section 34, Township 21 South, Range 34 East, to be dedicated to its Llano 34 State Com Well No. 1 located in Unit I of said Section 34.

CASE 6559: Application of Roy L. McKay for a unit agreement, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval for his Norton Solid State Unit Area, comprising 1,480 acres, more or less, of State lands in Township 15 South, Range 34 East.

CASE 6487: (Continued from February 28, 1979, Examiner Hearing)

Application of El Paso Natural Gas Company for approval of infill drilling, Lea County, New Mexico. Applicant, in the above-styled cause, seeks a waiver of existing well-spacing requirements and a finding that the drilling of its Shell E State Con Well No. 2 located in Unit N of Section 6, Township 21 South, Range 36 East, Fumont Gas Pool, Lea County, New Mexico, is necessary to effectively and efficiently drain that portion of the proration unit which cannot be so drained by the existing well.

CASE 6471: (Continued from February 28, 1979, Examiner Hearing)

Application of Consolidated Oil & Gas, Inc. for approval of infill drilling, San Juan County, New Mexico. Applicant, in the above-styled cause, seeks a waiver of existing well-spacing requirements and a finding that the drilling of its Freeman Well No. 1-A to be located in Unit C of Section 11, Township 31 North, Range 13 West, Basin-Dakota Pool, San Juan County, New Mexico, is necessary to effectively and efficiently drain that portion of the proration unit which cannot be so drained by the existing well.

CASE 6472: (Continued from February 28, 1979, Examiner Hearing)

Application of Consolidated Oil & Gas, Inc. for approval of infill drilling, Rio Arriba County, New Mexico. Applicant, in the above-styled cause, seeks a waiver of existing well-spacing requirements and a finding that the drilling of its Jenny Well No. 1-A to be located in Unit P of Section 13, Township 26 North, Range 4 West, Basin-Dakota Pool, Rio Arriba County, New Mexico, is necessary to effectively and efficiently drain that portion of the proration unit which cannot be so drained by the existing well.

CASE 6473: (Continued from February 28, 1979, Examiner Hearing)

Application of Consolidated Oil & Gas, Inc. for approval of infill drilling, Rio Arriba County, New Mexico. Applicant, in the above-styled cause, seeks a waiver of existing well-spacing requirements and a finding that the drilling of its McIntyre Well No. 1-A to be located in Unit K of Section 11, Township 26 North, Range 4 West, Basin-Dakota Pool, Rio Arriba County, New Mexico, is necessary to effectively and efficiently drain that portion of the proration unit which cannot be so drained by the existing well.

CASE 6474: (Continued from February 28, 1979, Examiner Hearing)

Application of Consolidated Oil & Gas, Inc. for approval of infill drilling, San Juan County, New Mexico. Applicant, in the above-styled cause, seeks a waiver of existing well-spacing requirements and a finding that the drilling of its Williams Well No. 1-A to be located in Unit C of Section 24, Township 31 North, Range 13 West, Basin-Dakota Pool, San Juan County, New Mexico, is necessary to effectively and efficiently drain that portion of the proration unit which cannot be so drained by the existing well.

CASE 6475: (Continued from February 28, 1979, Examiner Hearing)

Application of Consolidated Oil & Gas, Inc. for approval of infill drilling, San Juan County, New Mexico. Applicant, in the above-styled cause, seeks a waiver of existing well-spacing requirements and a finding that the drilling of its Montoya Well No. 1-A to be located in Unit I of Section 35, Township 32 North, Range 13 West, Basin-Dakota Pool, San Juan County, New Mexico, is necessary to effectively and efficiently drain that portion of the proration unit which cannot be so drained by the existing well.

Dockets Nos. 23-79 and 24-79 are tentatively set for hearing on June 13 and 27, 1979. Applications for hearing must be filed at least 22 days in advance of hearing date.

DOCKET: EXAMINER HEARING - WEDNESDAY - MAY 23, 1979

9 A.M. - OIL CONSERVATION DIVISION CONFERENCE ROOM,
STATE LAND OFFICE BUILDING, SANTA FE, NEW MEXICO

The following cases will be heard before Richard L. Stamets, Examiner, or Daniel S. Nutter, Alternate Examiner:

- CASE 6545: In the matter of the hearing called by the Oil Conservation Division on its own motion to permit Corinne Grace, Travelers Indemnity Company, and all other interested parties to appear and show cause why the Kuklah Baby Well No. 1 located in Unit G of Section 24, Township 22 South, Range 26 East, Eddy County, New Mexico, should not be plugged and abandoned in accordance with a Division-approved plugging program.
- CASE 6472: (Continued from February 28, 1979, Examiner Hearing)
- In the matter of the hearing called by the Oil Conservation Division on its own motion to permit Helton Engineering & Geological Services, Inc., Travelers Indemnity Company, and all other interested parties to appear and show cause why the Brent Well No. 1 located in Unit M of Section 29 and the Brent Well No. 3 located in Unit G of Section 19, both in Township 13 North, Range 6 East, Sandoval County, New Mexico, should not be plugged and abandoned in accordance with a Division-approved plugging program.
- CASE 6546: Application of Black River Corporation for compulsory pooling and non-standard gas proration unit, Lea County, New Mexico. Applicant, in the above-styled cause, seeks an order pooling all mineral interests in the Jalmat Gas Pool underlying the SW/4 of Section 32, Township 23 South, Range 37 East, to form a 160-acre non-standard gas proration unit to be dedicated to a well to be drilled at a standard location thereon. Also to be considered will be the cost of drilling and completing said well and the allocation of the cost thereof as well as actual operating costs and charges for supervision. Also to be considered will be the designation of applicant as operator of the well and a charge for risk involved in drilling said well.
- CASE 6536: (Continued from May 9, 1979, Examiner Hearing)
- Application of Black River Corporation for two non-standard gas proration units, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval for two 80-acre non-standard gas proration units in the Jalmat Gas Pool as follows: the N/2 SE/4 of Section 22, Township 23 South, Range 36 East, to be dedicated to applicant's well to be drilled in Unit J of said Section 22; and the S/2 SE/4 of said Section 22 to be dedicated to El Paso Natural Gas Company's Shell State Well No. 3 located in Unit P.
- CASE 6535: (Continued from May 9, 1979, Examiner Hearing)
- Application of Torreon Oil Company for a waterflood project, Sandoval County, New Mexico. Applicant, in the above-styled cause, seeks authority to institute a waterflood project in the San Luis-Mesaverde Pool by the injection of water into the Menefee formation through two wells located in Section 21, Township 18 North, Range 3 West, Sandoval County, New Mexico.
- CASE 6547: Application of American Petrofina Company of Texas for the creation of a waterflood buffer zone, Lea County, New Mexico. Applicant, in the above-styled cause, seeks the creation of a waterflood buffer zone comprising the NE/4 SE/4 of Section 26, Township 17 South, Range 32 East, Maljamar Grayburg-San Andres Pool, to enable applicant to produce its Johns B Well No. 4 located thereon at an unrestricted rate.
- CASE 6548: Application of John F. Staver for salt water disposal, San Juan County, New Mexico. Applicant, in the above-styled cause, seeks authority to dispose of produced salt water into the Dakota formation through the open hole interval from 1403 feet to 1412 feet in his Table Mesa Well No. 22 located in Unit N and from 1394 feet to 1400 feet in his Table Mesa Well No. 23 located in Unit O, both in Section 34, Township 28 North, Range 17 West, Table Mesa-Dakota Oil Pool.
- CASE 6549: Application of Gulf Oil Corporation for pool creation, discovery allowable, and special pool rules, Lea County, New Mexico. Applicant, in the above-styled cause, seeks an order creating a new Bone Springs oil pool for its Lea "YH" State Well No. 1 located in Unit O of Section 25, Township 18 South, Range 34 East. Applicant also seeks a discovery allowable and promulgation of special pool rules, including a provision for 80-acre spacing.

CASE 6550: Application of Yates Petroleum Corporation for an unorthodox gas well location and compulsory pooling, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks an order pooling all mineral interests in the Wolfcamp through Mississippian formations underlying the S/2 of Section 12, Township 19 South, Range 24 East, to be dedicated to its Allison Federal "CQ" Well No. 2 to be drilled at an unorthodox location 1980 feet from the South line and 660 feet from the West line of said Section 12. Also to be considered will be the cost of drilling and completing said well and the allocation of the cost thereof as well as actual operating costs and charges for supervision. Also to be considered will be the designation of applicant as operator of the well and a charge for risk involved in drilling said well.

CASE 6492: (Continued from May 9, 1979, Examiner Hearing)

Application of Yates Petroleum Corporation for compulsory pooling, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks an order pooling all mineral interests in the San Andres formation underlying the NE/4 NW/4 of Section 13, Township 17 South, Range 25 East, Eddy County, New Mexico, to be dedicated to a well to be drilled at a standard location thereon. Also to be considered will be the cost of drilling and completing said well and the allocation of the cost thereof as well as actual operating costs and charges for supervision. Also to be considered will be the designation of applicant as operator of the well and a charge for risk involved in drilling said well.

CASE 6551: Application of Bass Enterprises Production Company for an unorthodox gas well location, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks approval for an unorthodox Lower Morrow gas well location 1980 feet from the North line and 660 feet from the East line of Section 1, Township 19 South, Range 28 East, the N/2 of said Section 1 to be dedicated to the well.

CASE 6528: (Continued from April 25, 1979, Examiner Hearing)

Application of Bass Enterprises Production Co. for an unorthodox gas well location, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval for an unorthodox Morrow test well location to be drilled 660 feet from the North and West lines of Section 10, Township 21 South, Range 32 East, Lea County, New Mexico, the W/2 of said Section 10 to be dedicated to the well.

CASE 6552: Application of Maddox Energy Corporation for compulsory pooling, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks an order pooling all mineral interests in the Pennsylvanian formation underlying the E/2 of Section 3, Township 24 South, Range 28 East, to be dedicated to a well to be drilled at a standard location thereon. Also to be considered will be the cost of drilling and completing said well and the allocation of the cost thereof as well as actual operating costs and charges for supervision. Also to be considered will be the designation of applicant as operator of the well and a charge for risk involved in drilling said well.

CASE 6553: Application of The Atlantic Richfield Company for approval of infill drilling, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks a finding that the Division waived existing well-spacing requirements and found that the drilling of additional wells was necessary to effectively and efficiently drain those portions of the proration units in the Empire Abo Unit located in Townships 17 and 18 South, Ranges 27, 28 and 29 East, which could not be so drained by the existing wells.

CASE 6554: Application of The Atlantic Richfield Company for compulsory pooling, Lea County, New Mexico. Applicant, in the above-styled cause, seeks an order pooling all royalty interests in the Devonian, McKee, and Ellenburger formations underlying the E/2 of Section 20, Township 22 South, Range 36 East, Langlie Field, to be dedicated to a well to be drilled at a standard location thereon.

CASE 6555: Application of Jake L. Hamon for an unorthodox gas well location, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval for an unorthodox location 660 feet from the North line and 560 feet from the East line of Section 30, Township 20 South, Range 36 East, North Osudo-Morrow Gas Pool, all of said Section 30 to be dedicated to the well.

CASE 6556: Application of Curtis Little for the amendment of Order No. R-5962, San Juan County, New Mexico. Applicant, in the above-styled cause, seeks the amendment of Order No. R-5962 to provide for the unorthodox location of a well to be drilled 1000 feet from the South line and 50 feet from the East line of Section 11, Township 28 North, Range 12 West, Basin-Dakota Pool, and for the extension of the date to commence drilling.

CASE 6435: (Continued from February 28, 1979, Examiner Hearing)

Application of Amerada Hess Corporation for approval of infill drilling, Lea County, New Mexico. Applicant, in the above-styled cause, seeks a finding that the drilling of its W. A. Weir "B" Well No. 3 located in Unit B of Section 26, Township 19 South, Range 36 East, Eumont Gas Pool, Lea County, New Mexico, is necessary to effectively and efficiently drain that portion of the proration unit which cannot be so drained by the existing well, and further seeks approval of a waiver of existing well-spacing requirements.

LLANO, INC.

PHONE 393-2153

P. O. DRAWER 1320

HOBBS, NEW MEXICO 88240

G. W. EDWARDS
EXECUTIVE VICE PRESIDENT

May 4, 1979
CONSERVATION DIVISION
SANTA FE

Case 6558

New Mexico Oil Conservation Division
Post Office Box 2088
Santa Fe, New Mexico 87501

Attention: Mr. J. D. Ramey

Re: Application for a Non-Standard
Gas Proration Unit
Llano "34" State Com. No. 1
Undesignated Morrow Field
Lea County, New Mexico

Gentlemen:

Llano, Inc. respectfully requests a hearing to be docketed for May 29, 1979, to consider a 320-acre non-standard gas proration unit dedication application for the Llano "34" State Com. No. 1, located 1650' FSL and 660' FFL of Section 34, T21S, R34E, Lea County, New Mexico, as ordered under (2) of Case No. 6497, Order No. R-5996 of the New Mexico Oil Conservation Division dated May 2, 1979.

Very truly yours,

LLANO, INC.




G. W. Edwards

AK:lg

xc: Donald L. Garey
W. L. Smith
Managers
D. M. File

Llano File No. E5.20.79



ROUGH

dr/

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING
CALLED BY THE OIL CONSERVATION
COMMISSION OF NEW MEXICO FOR
THE PURPOSE OF CONSIDERING:

CASE NO. 6558

Order No. R-6051

APPLICATION OF LLANO, INC. FOR
A NON-STANDARD GAS PRORATION UNIT,
LEA COUNTY, NEW MEXICO.

ORDER OF THE COMMISSION

BY THE COMMISSION:

This cause came on for hearing at 9 am
on May 29, 19 79, at Santa Fe, New Mexico,
before the Oil Conservation Commission of New Mexico, hereinafter
referred to as the "Commission."

NOW, on this _____ day of July, 19 79, the
Commission, a quorum being present, having considered the
testimony presented and the exhibits received at said hearing,
and being fully advised in the premises,

FINDS:

(1) That due public notice having been given as required
by law, the Commission has jurisdiction of this cause and the
subject matter thereof.

-2-

Case No. 6558
Order No. R-6051

(2) That the application of Llano, Inc., for a 320-acre non-standard gas proration unit comprising the E/2 of Section 34, Township 21 South, Range 34 East, NMPM, Lea County, New Mexico, was predicated on the temporary 640-acre spacing and proration units and well location requirements promulgated by Order No. (3) on Pages 4 and 5 of Division Order No. R-5995.

(3) That the Division, by its Order No. R-6050 rescinded said Order No. (3) of Division Order No. R-5995, and the Morrow formation underlying the aforesaid E/2 of Section 34 is now subject to 320-acre well spacing and location requirements, thereby rendering this case moot.

(4) That Case No. 6558 should be dismissed.

IT IS THEREFORE ORDERED:

(1) That Case No. 6558 is hereby dismissed.

DONE at Santa Fe, New Mexico, on the day and year hereinabove designated.

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
Oil Conservation Division
State Land Office Building
Santa Fe, New Mexico
29 May 1979

COMMISSION HEARING

IN THE MATTER OF:

Application of Getty Oil Company for
pool creation and special pool rules,
Lea County, New Mexico.

CASE
6557

and

Application of Llano, Inc. for an un-
orthodox gas well location, Lea County,
New Mexico.

CASE
6497

and

Application of Llano, Inc. for a non-
standard gas proration unit, Lea County,
New Mexico.

CASE
6558

BEFORE: Commissioner Joe Ramey
Commissioner Emery Arnold

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

Ernest L. Padilla, Esq.
Legal Counsel for the Division
State Land Office Bldg.
Santa Fe, New Mexico 87503

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
8020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARING

SANTA FE, NEW MEXICOHearing Date MAY 29, 1979 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
C.F. BOSECKER	GETTY OIL	MIDLAND, TX.
J.E. King	Getty Oil Co.	" "
R.A. WIPF	GETTY OIL CO	MIDLAND, TEXAS
William J. Goss	Campbell + Clark, P.A.	Santa Fe, N.M.
GARY J HOOSE	TEXACO INC	MIDLAND TEXAS
Tom Kellahan	Kellahan & Kellahan	Santa Fe
STEVE COLLINS	LLANO, INC.	HOBBS
AL KLAAR	LLANO, INC.	HOBBS, N.M.
G.W. Edwards	" "	"
R. Hahn	Capital Abandoner	Santa Fe
Don Garry	LLano, Inc	Hobbs
James Murray	" "	"
Don Maddox	Maddox & Maddox	Hobbs NM

A P P E A R A N C E S

For Getty Oil Co.: William F. Carr, Esq.
CAMPBELL & BLACK
Jefferson Place
Santa Fe, New Mexico 87501

For Llano, Inc.: W. Thomas Kellahin, Esq.
KELLAHIN & KELLAHIN
500 Don Gaspar
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
8020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

I N D E X

CHRIS BOSECKER

Direct Examination by Mr. Carr	8
Cross Examination by Mr. Kellahin	44
Cross Examination by Mr. Nutter	125
Redirect Examination by Mr. Carr	126
Recross Examination by Mr. Kellahin	128

ROBERT A. WIPF

Direct Examination by Mr. Carr	132
Cross Examination by Mr. Kellahin	140
Redirect Examination by Mr. Carr	141
Recross Examination by Mr. Kellahin	141

AL KLAAR

Direct Examination by Mr. Kellahin	142
Cross Examination by Mr. Carr	183
Redirect Examination by Mr. Kellahin	204
Cross Examination by Mr. Ramey	206

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3920 Plaza Blanca (S.E.) 471-2482
Santa Fe, New Mexico 87501

E X H I B I T S

1		
2		
3	Getty Exhibit One, Plat	9
4	Getty Exhibit Two, C-105	11
5	Getty Exhibit Three, C-122	11
6	Getty Exhibit Four, C-105	12
7	Getty Exhibit Five, C-122	12
8	Getty Exhibit Six, C-101 and C-102	12
9	Getty Exhibit Seven, Cross Section	13
10	Getty Exhibit Eight, Cross Section	14
11	Getty Exhibit Nine, Cross Section	14
12	Getty Exhibit Ten, Contour Map	16
13	Getty Exhibit Eleven, Pressure History	17
14	Getty Exhibit Twelve, Calculation	18
15	Getty Exhibit Thirteen, Calculation	20
16	Getty Exhibit Fourteen, Chart	21
17	Getty Exhibit Fifteen, Isopach	22
18	Getty Exhibit Sixteen, Document	23
19	Getty Exhibit Seventeen, Document	24
20	Getty Exhibit Eighteen, Document	25
21	Getty Exhibit Nineteen, Horner Plot	28
22	Getty Exhibit Twenty, Analysis	28
23	Getty Exhibit Twenty-one, Horner Plot	28
24	Getty Exhibit Twenty-two, Analysis	28
25		

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

E X H I B I T S

1		
2		
3	Getty Exhibit Twenty-three, Horner Plot	29
4	Getty Exhibit Twenty-four, Analysis	29
5	Getty Exhibit Twenty-five, Tabulation	30
6	Getty Exhibit Twenty-six, Plot	30
7	Getty Exhibit Twenty-seven, Plot	30
8	Getty Exhibit Twenty-eight, Horner Plot	31
9	Getty Exhibit Twenty-nine, Analysis	31
10	Getty Exhibit Thirty, Cross Section	133
11	Getty Exhibit Thirty-one, Document	36
12	Getty Exhibit Thirty-two, Document	36
13	Getty Exhibit Thirty-three, Document	107
14		
15		
16	Llano Exhibit One, Plat	143
17	Llano Exhibit Two, Contour Map	145
18	Llano Exhibit Three, Chart	151
19	Llano Exhibit Four, Graph	159
20	Llano Exhibit Five, List	160
21	Llano Exhibit Six, List	163
22	Llano Exhibit Seven, Cross Section	164
23	Llano Exhibit Eight, List	167
24	Llano Exhibit Nine, C-102	169
25	Llano Exhibit Ten, Plat	170

SALLY WALTON BOYD
 CERTIFIED SHORTHAND REPORTER
 2020 Plaza Blanca (606) 471-2462
 Santa Fe, New Mexico 87501

E X H I B I T S

Llano Exhibit Eleven, Diagram	171
Llano Exhibit Twelve, Letter	171

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2463
Santa Fe, New Mexico 87501

1 MR. RAMEY: The hearing will come to
2 order.

3 We have three cases on the docket this
4 morning, which we will consolidate for the purpose of
5 testimony.

6 The first case is Case 6557, application
7 of Getty Oil Company for pool creation and special rules,
8 Lea County, New Mexico.

9 Case 6497, application of Llano, Inc.
10 for an unorthodox well location -- gas well location, Lea
11 County, New Mexico. This is a hearing de novo.

12 Case 6558, application of Llano, Inc. for
13 a non-standard gas proration unit, Lea County, New Mexico.

14 I'll ask for appearances at this time.

15 MR. CARR: May it please the Commission,
16 I'm William F. Carr, Campbell and Black, P. A., Santa Fe,
17 appearing on behalf of Getty, and I have two witnesses to
18 be sworn.

19 MR. KELLAHIN: I'm Tom Kellahin of
20 Kellahin and Kellahin, Santa Fe, New Mexico. I'm appearing
21 on behalf of Llano, Inc., and I have one witness to be sworn.

22 MR. RAMEY: I'll ask that the witnesses
23 stand at this time and be sworn.

24
25 (Witnesses sworn.)

1 MR. RAMEY: Do you want to proceed, Mr.
2 Carr?

3 MR. CARR: At this time I would call
4 Chris Bosecker.

5
6 CHRIS BOSECKER
7 being called as a witness and having been duly sworn upon
8 his oath, testified as follows, to-wit:

9
10 DIRECT EXAMINATION

11 BY MR. CARR:

12 Q Will you state your full name and place
13 of residence?

14 A Chris Bosecker, Midland, Texas.

15 Q Mr. Bosecker, by whom are you employed
16 and in what capacity?

17 A Getty Oil Company, as the Lead Reservoir
18 Engineer for the Midland E&P District.

19 Q Mr. Bosecker, have you previously testi-
20 fied before this Commission, had your credentials accepted
21 and made a matter of record?

22 A Yes, I have and yes, they have.

23 Q Are you familiar with the subject matter
24 of each of the three cases that are being consolidated in
25 this hearing?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (S95) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (906) 471-2462
Santa Fe, New Mexico 87501

1 A. I am.

2 MR. CARR: Are the witness' qualifications

3 acceptable?

4 MR. RAMEY: I'll qualify him if he'll

5 spell his last name.

6 MR. CARR: Can you do that, Mr. Bosecker?

7 A. B-O-S-E-C-K-E-R.

8 MR. RAMEY: Thank you.

9 Q (Mr. Carr continuing.) Mr. Bosecker,

10 will you please state what Getty is seeking in this hearing

11 today?

12 A. In the first case Getty is seeking 640-

13 acre spacing for the area in which Getty has drilled the

14 wells, namely, Section 2 and Section 35 in Lea County, New

15 Mexico, which we'll describe in more detail later.

16 Also 1650 feet from outer boundary of a

17 well location.

18 Q Mr. Bosecker, have you prepared certain

19 exhibits for introduction in this hearing today?

20 A. Yes, I have.

21 Q Will you please refer to what has been

22 marked for identification as Exhibit Number One and explain

23 to the Commission what it is and what it shows, and I will

24 need additional copies of this exhibit.

25 A. How many do you want?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (906) 471-3462
Santa Fe, New Mexico 87501

1 Q Four or five.

2 A Exhibit Number One is an area map showing

3 the well locations in question. It is a general map showing

4 the Grama Ridge Morrow area.

5 To give you a little more detail, you

6 can see the Getty location in Section 2. This was a well

7 that Getty drilled in 1977, completed in '78; potentialed

8 for 1.9-million; drilled 1980 feet from a lease line.

9 A well that Getty drilled and completed

10 in '79 in Section 35, for 11.1-million from the Morrow;

11 1650 feet from our lease line.

12 We are also drilling a well in Section 36

13 to the east, 1650 feet from our lease line.

14 Further to the west is an area which now

15 is the Grama Ridge Morrow Pool as a result of the recent

16 Order Number 5995.

17 Q That is indicated by an orange line.

18 A That is correct.

19 Q And what does the blue line indicate?

20 A The blue line indicates an area in which

21 the Commission set aside 640-acre spacing, 1650 feet well

22 locations from the outer boundary on a temporary basis.

23 Q Mr. Bosecker, the three wells that Getty

24 has drilled in the area to the east of the Grama Ridge

25 Morrow Pool, are all of those wells drilled at standard

1 locations?

2 A Yes. They were all drilled at standard
3 locations at the time, and still.

4 To give you a little history of the area,
5 the Grama Ridge Morrow Pool in the orange area was discovered
6 by Shell in the early 1960's, and it was placed by the
7 Commission on 640-acre spacing with 1650 feet from the
8 outer boundary for locations.

9 In 1973, or in 1972 wells were purchased
10 by Llano and in '73 they were -- a gas storage project was
11 initiated in two of the wells.

12 After Getty drilled the two wells in
13 Section 2 and 35, Llano, Incorporated, asked that the field
14 be changed from 640 acres down to 320 acres, with a stan-
15 dard location being 660 feet from the lease line.

16 Q Mr. Bosecker, will you now refer to what
17 has been marked for identification as Getty's Exhibit Num-
18 ber Two and explain what it is and what it shows?

19 A This is a Form C-105 for Getty's first
20 completion in the subject area. The well was drilled 1980
21 from the north and the west line and potentialled, I believe
22 the potential is on there, potentialled for 1.9-million
23 from the Morrow formation.

24 Q Will you now refer to what has been marked
25 as EXhibit Number Three and explain this to the Commission?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
1010 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 A. Exhibit Number Three is a Form C-122,
2 which is normally known as a Multi-point Back Pressure Test,
3 submitted for the Getty Two State, showing 1.965 Mcf per
4 day AOF.

5 Q Will you now refer to Exhibit Number Four?

6 A. This is a Form C-105 on Getty 35 State
7 Well No. 1, showing the well location 2310 feet from the
8 south and 1650 feet from the west of the section line.

9 Q Okay Now I direct your attention to
10 Exhibit Five and ask you to explain this exhibit to the
11 Commission.

12 A. I would like to point out that this well
13 also was completed in the Morrow.

14 Q And you're talking about the Getty 35
15 State No. 1?

16 A. Yes. In fact, it was a dual completion
17 but the Morrow is the zone that this hearing is about.

18 Exhibit Number Five is a Form C-122,
19 122 for Getty's 35 State Well No. 1, again a Multi-point
20 Back Pressure Test showing the well potential for 11.107-
21 million per day.

22 Q Would you now refer to Exhibit Number
23 Six?

24 A. Exhibit Number Six is for Getty 36 State
25 Com No. 1. It is a Form 101 and Form 102, showing that this

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 well also was a standard spaced well, no closer than 1650
2 feet from the lease line.

3 Q Now, Mr. Bosecker, I direct your atten-
4 tion to Exhibit Number Seven and ask you to explain to the
5 Commission what this exhibit shows.

6 A Exhibit Number Seven is a structural
7 cross section map of the general area of the Grama Ridge
8 Pool, Lea County, New Mexico.

9 The vertical scale is 1 inch equal 100
10 feet. The horizontal scale is 1 inch equal 500 feet.

11 The cross section is made by using poro-
12 sity logs and the datum that these logs are hung on was a
13 -9000 feet.

14 This exhibit shows the general structure
15 across the field from the Pogo Well in Section 28 through
16 the Llano Well No. 3, the Llano No. 2, and then the Getty
17 35 State No. 1. As you can see from going from the left
18 to the right, you cross a major fault with substantial
19 amount of throw with the downthrown side to the north.
20 Then the two Llano wells are on the upthrown side and you
21 cross another fault on the east with the downthrown side
22 to the east, and going further is the Getty 35 State No. 1,
23 which is potentialed in the Morrow zone.

24 Also I would like to point out a few
25 other things about this besides the faults.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-5463
Santa Fe, New Mexico 87501

1 Number one, the top of the Morrow is de-
2 picted on this map; also the top of the Morrow Clastics
3 marker. This Morrow Clastics marker is very easily ident-
4 ifiable, and also identifiable are various producing hori-
5 zons in the Morrow section, and that there is continuity
6 across the structure as far as we know.

7 Q All right, Mr. Bosecker, will you now re-
8 fer to what has been marked for identification as Getty
9 Oil Company Exhibit Number Seven and explain this exhibit
10 to the Commission?

11 Okay, I'm sorry, would you now refer to
12 Exhibit Number Eight?

13 A Exhibit Number Eight is also a structural
14 cross section of the Grama Ridge area, Lea County, New
15 Mexico, with the same scale, built the same way, hung on
16 the same datum, and shows basically the same thing. It
17 just cuts the field in a different location, from Llano
18 Well No. 4 to Llano No. 1 to the Getty Two State.

19 Again you can see the top of the Morrow,
20 the Morrow Clastics marker, and the Morrow horizon.

21 Q Will you now refer to what has been
22 marked for identification as Exhibit Number Nine and explain
23 to the Commission what it is and what it shows?

24 A Exhibit Number Nine is a structural cross
25 section of the Grama Ridge area, also, but this is just a

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3016 Plaza Blanca (666) 471-2462
Santa Fe, New Mexico 87501

1 two-well cross section. The scale has been changed to show
2 in detail the Getty 35 State No. 1, and the Getty Two State
3 No. 1, both located on the east side of the east fault in
4 this field.

5 Depicted here is the top of the Morrow
6 limestone, the top of the Morrow Clastic marker, various
7 horizons that can be traced and correlated from the one
8 well to the other.

9 I would like to point out that in the
10 Getty Two State on the left of the center column you can
11 see the perforations that are included in that well.

12 You can see perforations below the Morrow
13 Clastic marker is at, say, 12,050 feet, which correlates
14 over to the other well, the Getty 35, at approximately
15 12,900 feet, the same horizon, which we -- we feel is
16 productive.

17 Also above the Morrow Clastic marker is
18 an interval at 12,762 feet, approximately. This zone is
19 also perforated in the Getty Two State and is considered
20 to be productive in the Getty Two State. This zone is also
21 present in the Getty 35 State No. 1, and is considered to
22 be productive but is yet to be perforated, there in the
23 35 No. 1.

24 This is a sandstone that has been found
25 to be productive of gas and Getty feels that it is a part

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2-62
Santa Fe, New Mexico 87501

1 of the Morrow.

2 Also, I'd like to point out that there
3 has been some controversy as to whether it is Morrow or
4 Atoka. The Getty Two State was the discovery well and we
5 perforated above the Morrow Clastic and below the Morrow
6 Clastic, and this section in this interval we construe to
7 be productive, and this is the horizon that we want the
8 field rules for, which we feel is Morrow.

9 Q Now, Mr. Bosecker, I direct your attention
10 to what has been marked as Exhibit Number Ten and ask you
11 to explain that to the Commission.

12 A Exhibit Number Ten is a structure contour
13 map of the Grama Ridge area. This map shows several things
14 about the geology of the area, mainly the fault to the west,
15 is one of the main structural features, as you can see.
16 This fault is well defined. It's down to the Basin, in
17 other words, to the west; has a substantial amount of throw.

18 Also notice the area of the storage wells
19 which Llano operates are on the upthrown side, as was de-
20 picted by the structure map. There is a fault to the east
21 of these wells separating these wells from the two Getty
22 wells that are in the Morrow. The location of this fault
23 is -- is not as certain as the location of the other fault,
24 and --

25 Q Now, Mr. Bosecker, this was offered in

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3010 Plaza Blanca (986) 471-3462
Santa Fe, New Mexico 87501

1 a previous case as Llano's Exhibit B, is that correct?

2 A. That is correct. The fault to the east
3 is definitely a sealing fault, which testimony will show,
4 and I think the Commission possibly has recognized already.

5 MR. KELLAHIN: I'm sorry, which fault?

6 A. The east.

7 It is a sealing fault. Its location
8 has not been defined precisely but on this map you can see
9 it starting in Section 15, paralleling the major regional
10 fault, and then as it crosses on the Llano acreage in
11 Section 10, it straightens up and goes due north and then
12 turns to the east in Section 27.

13 Q. All right, Mr. Bosecker, will you now
14 refer to what has been marked for identification as Exhibit
15 Number Eleven?

16 Now, Exhibit Number Eleven was also offered
17 in the previous case by Llano, is that correct, Mr. Bosecker?

18 A. That is correct.

19 Q. All right. Will you please refer to it
20 and explain to the Commission what it shows?

21 A. Exhibit Number Eleven primarily is the
22 pressure history of the center portion of the -- of the
23 Grama Ridge Morrow Field, namely two wells in the storage
24 project, LLano GRN Unit No. 1, Llano GRN Unit No. 2.

25 As you can see, pressure initially was

1 in the neighborhood of -- well, 8616 to 8682 in these two
2 wells. This is the bottom hole pressure. It declined to
3 where it was stated that the field was depleted and one of
4 the wells, the Llano GRN Unit No. 2, had a minimum bottom
5 hole pressure of 378.

6 Then the field was converted to storage,
7 gas storage, and built back up.

8 Getty's wells on the other side of the
9 fault are depicted in the -- a portion in 1978 and '79.
10 The initial bottom hole pressure being 8224 psi in the
11 Getty Two State No. 1 and 7455 in the 35 State No. 1.

12 This, to us, shows that there is defi-
13 nitely a sealing fault, separating the storage project
14 and the Getty wells.

15 Q Mr. Bosecker, will you now refer to what
16 has been marked for identification as Getty's Exhibit
17 Number Twelve and explain what this is and what it shows?

18 And again I think we should point out
19 this was offered in the previous hearing as Llano's exhibit,
20 E.

21 Will you now summarize this exhibit for
22 the Examiner, or for the Commission?

23 A. Okay. This is a -- this Exhibit Number
24 Twelve is -- shows that it's a drainage area calculation.
25 It shows the four Llano wells that are located on the east

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (995) 471-2442
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2442
Santa Fe, New Mexico 87501

1 side of the fault, the fault being a sealing fault. Shows
2 the primary gas production of these four wells. It also
3 shows a Llano Government A Well with 1.5-billion cubic
4 feet and the Getty 35 State with 5-billion cubic feet.

5 Working down through this, the original
6 gas in place has been calculated. The thickness of the
7 net productive sands are shown. Note the No. 1 Well is
8 24 feet; the No. 2 Well is 20 feet; the No. 3 Well is 15;
9 and the No. 4 is 15; the No. 6 is 6, and so on, and the
10 calculated drainage area for each of these wells has been
11 calculated.

12 The faults are depicted on the structure
13 map are sealing faults. It is our contention that since
14 they're sealing faults, that these drainage radius calcu-
15 lations show the restriction of production because the
16 wells could not drain in a radial manner.

17 Q. Now, Mr. Bosecker, you're talking in this
18 instance about the Llano Wells 1 through 4, is that correct?

19 A. That is correct. The Llano Government
20 No. 4 is close to a fault but it doesn't have a well op-
21 posite it, so it -- it obviously can drain more acreage.

22 Also, I'd like to point out that this
23 exhibit was to -- was utilized to show that 327-acre
24 drainage was the most that you could expect even on the
25 east side as a result of what's on the west side of the

1 fault, but that the Getty 35 State No. 1 was included in
2 the calculation to show that the Getty 35 State No. 1
3 couldn't get more than 320 acres.

4 Q Now, Mr. Bosecker, I think at this time
5 we should move to Exhibit Thirteen and ask you to explain
6 that to the Commission.

7 Now will you refer to Exhibit Thirteen
8 and explain this?

9 A Exhibit Number Thirteen is basically the
10 same calculations but I have taken out the Getty 35 State
11 No. 1 because its primary gas production, its remaining
12 reserves, its ultimate producible reserves, and for that
13 matter, the original gas in place has not been defined in
14 the same manner as the other wells that have already been
15 depleted.

16 Also, the Llano Government A No. 1, the
17 well to the south, in checking the annual report of the
18 New Mexico Engineering Committee, I find that the primary
19 gas production for that well is 2,148,588, as compared to
20 1,500,000.

21 In checking the current monthly production
22 I find that the well is also producing and I've gone through
23 and determined the remaining reserves, 601,412 and recal-
24 culated the Llano Government A No. 1 to come up with origi-
25 nal gas in place of 3,481,250.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

1 Going through the same calculations that
2 Llano did, it shows that that well, which is not confined
3 on one side, its drainage radius has increased from, let's
4 see, I'll have to refer to the old one, from 461 to 836.

5 The average well has gone from 327 to
6 427, keeping in mind that these wells are still confined,
7 closely confined, by sealing faults on both sides.

8 Q Now, Mr. Bosecker, will you refer to what
9 has been marked for identification as Getty's Exhibit Num-
10 ber Fourteen and explain this to the Commission?

11 MR. CARR: May it please the Commission,
12 again I point out that the base exhibit is Llano's Exhibit
13 B from the prior hearing, and so that the Commission will
14 understand why we have elected to use this exhibit as the
15 base exhibit, I agreed with Mr. Kellahin that we would not
16 introduce anything new by way of seismic data this time
17 that had not been previously introduced. To be certain
18 that we abide by that agreement, we at that time determined
19 that we would use the Llano Exhibit B as our base exhibit,
20 or the exhibit from which we would work.

21 Q Okay, Mr. Bosecker, would you explain it?

22 A I believe this is Exhibit Number Fourteen.

23 Q That's correct.

24 A Exhibit Number Fourteen graphically de-
25 picts what has been submitted in the previous exhibits.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 The Getty 35 State No. 1 shows the drainage
2 radius as calculated by Llano as what they think the Getty
3 35 State No. 1 can drain, 262 acres.

4 The four storage wells, the 1, 2, 3, and
5 4, shows that graphically the drainage area that has been
6 on the previous exhibit as submitted by Llano and submitted
7 here today.

8 Now, on the Llano Government A No. 1,
9 the red curve on the inside is what Llano initially sub-
10 mitted. The green curve is what the well has produced to
11 date. The purple curve is what I've determined it will
12 produce when it reaches its economic limit.

13 I'd like to point out that on an exhibit
14 like this, you understand that two wells cannot drain the
15 same area. In other words, on the top row, Well No. 2 and
16 Well No. 3 cannot drain the area that is included by both
17 of those circles. So the gas that these wells produce has
18 to be produced, say, from the north or to the east if the
19 fault is moved over further to the east.

20 Q Will you now refer to what has been marked
21 as Exhibit Number Fifteen?

22 Mr. Bosecker, will you first explain what
23 is Exhibit Number Fifteen?

24 A Exhibit Number Fifteen is simply a Xeroxed
25 copy of a prior exhibit submitted in Case 4895 and 4896.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (695) 471-2452
Santa Fe, New Mexico 87501

1 This was Exhibit Number Four. This was an exhibit made
2 back in 1972 at the time that Llano was appearing before
3 the Commission to determine remaining reserves and to ob-
4 tain approval to get a gas storage project.

5 Q Will you review it now for the Commission?

6 A I simply just meant to point out that
7 these drainage area calculations are very sensitive. Now,
8 the footages that were used by Llano in March of '79 were
9 footages that have recently -- or that I just introduced.
10 These footages are somewhat different and -- and so what
11 I've attempted to do is to see how the footages vary the
12 drainage area curve.

13 Using the footages as testified to in
14 1972, this is the drainage area recalculated.

15 Q And you're now referring to what has been
16 marked for identification as Exhibit Number Sixteen.

17 A That is correct.

18 Q Will you summarize that data for the
19 Commission?

20 A Just one second. Exhibit Number Sixteen
21 uses the -- the prior thicknesses for the various wells.
22 Example, now 20.2 as compared to 24; 15.4 is compared to 20;
23 5.7 as compared to 15; 8.3 as compared to 16; and 6.6 as
24 compared to 6.

25 A decrease in the thickness makes the

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2010 Plaza Blanca (602) 471-2462
Santa Fe, New Mexico 87501

1 drainage area much wider, and as you can see, the wells
2 have increased substantially the area of drainage.

3 As an example, the Llano GRN Unit Well
4 No. 4 has gone from 285 calculated drainage acres to 549,
5 even though it is still being confined by the faults.
6 In other words, the drainage radius has to be cigar-shaped
7 to produce that gas.

8 The rock characteristics are such that
9 you can drain for a great distance.

10 Another example is the Llano No. 3 Well.
11 It increases it from 246 to 653. The footages have been
12 increased since this first exhibit 163 percent, and this
13 makes a change in the drainage area. In other words, going
14 from a small thickness to a large thickness it decreases
15 the drainage area.

16 Q Is it a fair characterization of the
17 evidence that you've presented that no matter which data
18 we look at that's been previously submitted by Llano, that
19 on careful review they all support 640-acre areas of
20 drainage?

21 A Definitely.

22 Q Will you now refer to what has been marked
23 for identification as Exhibit Number Seventeen?

24 A Exhibit Number Seventeen is a graphical
25 depiction of this data that I've just discussed. It is

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SSE) 471-2462
Santa Fe, New Mexico 87501

1 simply showing how the drainage areas have increased if
2 in fact the footages are correct.

3 Q The footages as Llano represented in '74?

4 A That is correct, '73.

5 You can see there's great overlapping.
6 There is no way that Well No. 3 in Section 33 can drain
7 across that fault, so again, the drainage that that well
8 has already produced down to its economic limit, has to have
9 come from the north.

10 Q And what does this say to you about the
11 rock characteristics in the area?

12 A It says that the rock characteristics
13 are such that it will support 640-acre spacing.

14 One thing that I did not mention before
15 that I would like to mention, Shell, when they applied
16 before the Commission for 640-acre spacing on this field,
17 in Case Number 3337, ran an interference test, and this
18 was introduced as evidence and I have a Xeroxed copy of it
19 here.

20 To give you an idea of the rock character-
21 istics, I'd like to read a portion of it to you, and that
22 interference test was run to assist in determining the
23 areal extent of the gas reservoir and as evidence that one
24 well would drain 640 acres.

25 Now on the current maps this interference

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (905) 471-2462
Santa Fe, New Mexico 87501

1 test was between the Llano No. 1 and the Llano No. 4.
2 Both wells had been shut in for a long time and reading on,
3 the conditions for the interference test were as follows:
4 The No. 1 Well was flowed at a rate of 16 cubic feet per
5 day for 6 days, while the shut-in pressure was monitored in
6 the offset well, which is now the No. 4, 3645 feet away.

7 Now to support 640-acre drainage, you
8 have to drain approximately a radius of 2980, that's ap-
9 proximately, within 10 feet, I believe.

10 Now these two wells were 3645 feet apart.
11 The pressure started declining in the shut-in well approxi-
12 mately 10 hours after the flow commenced in the No. 1 Well,
13 and the pressure in the shut-in well continued to drop
14 throughout the test. At termination of the flow period,
15 157 hours, pressure had declined 57 pounds. Now this is
16 again across the period of 3645 feet.

17 My point is this. The rock characteristics
18 of this reservoir, which is the same on both sides of this
19 fault, is such that to support 640-acre spacing.

20 The reason that this field did not pro-
21 duce more gas was because of confining, sealing faults.

22 Q. Mr. Bosecker, will you now refer to what
23 has been marked for identification as Exhibit Number Eighteen
24 and explain what this is and what it shows?

25 A. Exhibit Number Eighteen, this deals with

1 three sections, Section 35 of Getty, Section 34 of Llano,
2 Section 33 of Llano.

3 The red rings depict the earlier, March
4 '79, testimony showing the drainage. Example, the Getty
5 35 by Llano stated to drain 262 acres maximum.
6

7 Their No. 2 Well is shown in red and I
8 have to refer back to see what the actual footage was and
9 compare the acres they drained, but anyway, you can see --
10 see the size of the circle, and also the No. 3 Well. With
11 the No. 2 ring is the Llano '72 data as far as net pay,
12 showing how the drainage increased when you decrease the
13 net pay.

14 The No. 3 ring, the orange ring on the
15 No. 2 Well, was some other testimony on net pay presented
16 by Llano, saying that the effective net pay in the No. 2
17 Well in the same case -- now that's not the pay that was
18 logged that was on the Isopach map, but that is the effective
19 pay that they calculated, was 10.3 feet.

20 Again, graphically this is a depiction
21 of -- of drainage area showing that these wells have good
22 rock characteristics, that to drain gas the curves cannot
23 overlap or go across faults, so they have to go a long dis-
24 tance of cigar shape, so to speak, or the faults would have
25 had to have been further away from the wells. We know the
fault to the west is -- is approximately -- or very closely

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 defined. The fault to the east is not nearly as closely
2 defined.

3 Q Will you now refer to what has been marked
4 for identification as Exhibit Number 19 and explain this
5 to the Commission?

6 A Exhibit Number Nineteen is the Getty Two
7 State Well No. 1, actually a Horner plot; plotted on the
8 left was bottom hole pressure in psig at 13,041 feet. To
9 the right is a log of T-plus-delta T-over-delta T. This
10 plot -- I would also like to submit the next exhibit at the
11 same time. It shows the analysis of this plot, Exhibit
12 Number Twenty.

13 This bottom hole pressure build-up test
14 of this well was run shortly after completion. The plot
15 reflects a two-layer reservoir performance as can be seen
16 by the formation of two parallel lines that are drawn on
17 the exhibit, and the change of slope to get from the one
18 parallel line to the other.

19 P*, the initial reservoir pressure, was
20 8270 psig. It also indicates no visible boundary. Perme-
21 ability, or Kh is 67.5 millidarcy feet. And it is our
22 opinion that this type of Kh is a relatively high number,
23 substantial to drain 640-acre spacing.

24 Q Mr. Bosecker, will you now refer to Ex-
25 hibits Twenty-one and Twenty-two and summarize these for

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (666) 471-2462
Santa Fe, New Mexico 87501

1 the Commission?

2 A. Twenty-one is the Getty Two State bottom
3 hole pressure, taken substantially after completion in
4 December of '78. Again, Twenty-one is a Horner plot;
5 Twenty-two being the data sheet that analyzes this plot.

6 You can see a substantial change in the
7 characteristics of the curve. This is more in semi-steady
8 state condition, P^* being 7850. It does not show a fault.
9 The permeability has increased, or the Kh has increased
10 slightly from the one example to the other, to 73.5 milli-
11 darcy feet.

12 Again, we feel that based upon reservoir
13 parameters in the area of the wellbore are such that they
14 could effectively drain 640 acres.

15 Q Will you now refer to what is Exhibit
16 Twenty-three and Twenty-four and again summarize these for
17 the Commission?

18 A. This is Getty's 35 State No. 1, a pressure
19 build-up on -- on this well shortly after completion,
20 showing a P^* , initial reservoir pressure, at this point in
21 time of 7460, indicating the permeability, or kh , is 175.6,
22 higher than the other well. It indicates no boundary at
23 the present that can be seen; that the permeability is good;
24 that the reservoir parameters in the area of the wellbore
25 should effectively deplete a 640-acre proration unit.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (908) 471-2462
Santa Fe, New Mexico 87501

1 Q Will you now refer to Getty's Exhibit
2 Number Twenty-five?

3 A To save a little time, let's do Twenty-
4 five and Twenty-six at the same time.

5 Twenty-five is a tabulation of the pro-
6 duction on the Getty Two State, showing the condensate pro-
7 duction, the gas production by month since first production
8 in May of '78 through May 1st, '79. The well has produced
9 533,541 Mcf; 4,346 barrels of condensate.

10 This is depicted on the next exhibit,
11 Exhibit Twenty-six in plotted form. I would like to point
12 out the current producing rate of the well. The well is
13 producing 1,700 Mcf per day with 16 barrels of condensate,
14 8 barrels of water, on a 7/64th inch choke. The flowing
15 tubing pressure is 3,150 pounds.

16 I would like to also point out that to
17 the best of my knowledge the line pressure of Llano's line
18 in this area is from 350 to 500 pounds; therefore, you
19 can see that this well is being produced with a choke but
20 it is capable of a higher rate than what it is producing.

21 Q Now refer to Exhibit Number Twenty-seven
22 and explain this to the Commission.

23 A Well, first of all, we have -- Twenty-seven
24 is part of the Two State; better do that separately.

25 This is a plot of the same well, of the

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-3442
Santa Fe, New Mexico 87501

1 same data but it is broken, it is more detailed as far as
2 time. You can see that this is a record of our sales of
3 gas produced and condensate produced, and it shows that the
4 condensate really did not start producing until, oh, in
5 July. This is an indication that we feel that indicates
6 that some of the zones that appeared to be low in producti-
7 vity were cleaning up.

8 Q Would you now refer to what has been
9 marked as Exhibit Number Twenty-eight and review this for
10 the Commission?

11 Mr. Bosecker, will you refer to Exhibits
12 Number Twenty-eight and Twenty-nine and explain these?

13 A Twenty-eight and Twenty-nine are the same
14 type of exhibits as were recently introduced in the Two
15 State, showing the Getty 35 State condensate and gas pro-
16 duction by month, with a cumulative production through May
17 1st of '79 of 350,223 Mcf of gas and 1,547 barrels.

18 Also note the current production rate of
19 this well. We're flowing this well from 3.7 to 3.9 million
20 per day, 17 barrels of condensate, 65 barrels of water, on
21 a 12/64th inch choke. The flowing tubing pressure is
22 4,400 psi tubing pressure.

23 Again, this well is being restricted by
24 a choke because the line pressure is in the neighborhood of
25 350 to 500.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2010 Plaza Blanca (951) 471-2462
Santa Fe, New Mexico 87501

1 Q Now, Mr. Bosecker, what conclusions can
2 you draw about the reservoir from the data you have pre-
3 sented here today?

4 A The rock characteristics are such that
5 there is communication in the reservoir on the east side of
6 the fault and on the west side of the fault; that one well
7 can effectively drain 640-acre spacing; that --

8 Q Do you consider this to be a typical
9 Morrow Sand?

10 A No, I do not.

11 Q How so?

12 A Well, a lot of the Morrow Sands in south-
13 eastern New Mexico do not have permeabilities like this,
14 as shown from -- from this data on these two wells, plus
15 the data on the storage wells, plus the data from Shell
16 showing that 3,645 feet away you get a response in 10
17 hours, indicates that it's not a typical Morrow Sand.

18 Q Is it safe to say that in this reservoir
19 there appears to be continuity of the sand from well to well?

20 A Yes.

21 Q Mr. Bosecker, Getty is producing two
22 wells, the 35 and the Getty Two State, in Sections 35 and
23 2. Do you believe that these two sections have been
24 reasonably proven productive of hydrocarbons?

25 A Yes, I have.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

Q What acreage are you requesting the Commission include within the new pool which you are proposing here today?

A The area of these two wells that are reasonably proven productive of hydrocarbons.

Q Being Sections 35 and Section 2?

A That is correct.

Q Mr. Bosecker, if special pool rules were adopted providing 640-acre spacing, would this in your opinion avoid the drilling of unnecessary wells, thereby preventing waste?

A Yes, it will.

Q In your opinion would granting the application of Getty reduce the risk that would result from the drilling of an excessive number of wells?

A Yes.

Q Are all wells that are currently producing in the area drilled so as to conform to your proposed spacing pattern?

A All of Getty's wells are but there is a location and a well that I think has been spudded in Section 34.

Q That's a Llano well?

A Yes. It is 660 feet from the lease line rather than 1650.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (606) 471-3463
Santa Fe, New Mexico 87501

1 Q Now what well location requirements are
2 you proposing for the new pool?

3 A 1650 feet from the outer boundary.

4 Q And have you drilled all of the Getty
5 wells in this area in a fashion consistent with this pro-
6 posal?

7 A Yes, we have.

8 Q Do you have a -- and it is your recom-
9 mendation then that -- to the Commission that wells be
10 located 1650 from the outer boundaries of the producing
11 unit?

12 A Yes.

13 Q Mr. Bosecker, in your opinion will granting
14 the application of Getty protect correlative rights and be
15 in the best interests of conservation?

16 A Yes.

17 Q Now, at this time, Mr. Bosecker, I'd like
18 to ask you several questions which relate primarily to
19 Llano's request for an unorthodox well location.

20 How long has Getty been working in this
21 general area, developing the Morrow Sand in the Grama Ridge
22 area?

23 A At least since the mid of '77, 1977.

24 Q And have all your wells been drilled at
25 standard locations consistent with the rules in effect for

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (696) 471-2462
Santa Fe, New Mexico 87501

1 the area?

2 A. Yes.

3 Q. And where is Llano's proposed location of
4 the well which they are now drilling?

5 A. If they are drilling it, and I think that
6 they are, it's 660 feet from the east line of Section 34
7 and 1650 feet from the south line of Section 34.

8 Q. How much closer to Getty's lease are they
9 than if they had drilled at the standard location?

10 A. It would be 990 feet.

11 Q. Now, what effect is this going to have on
12 Getty?

13 A. It would have an adverse effect with one
14 well producing 660 feet from the lease line, with the other
15 well being a legal location 1650 feet.

16 Q. Assuming that the Llano well is completed
17 in the same Morrow Sand as the Getty well in Section 35, do
18 you believe that Getty will be able to protect itself with
19 counter drainage from the drainage which occurs from the
20 Llano well?

21 A. If the Llano well is 660 feet from the
22 lease line, no.

23 Q. Could you drill another well in there and
24 protect your correlative rights?

25 A. We could drill another well on the 640-

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (666) 471-2462
Santa Fe, New Mexico 87501

1 acre block and we could drill the second well 660 feet
2 from the lease line, but there is no way to move the well
3 that we've already drilled legally, that is 1650.

4 Q And would this be an efficient way to
5 develop that 640-acre section? By drilling a second well
6 in the --

7 A Well, with these rock characteristics
8 there is no need to drill a second well. If you've got
9 rocks that can transmit a pressure response in a matter of
10 10 hours an additional well is an economic waste.

11 Q I believe you've prepared a couple of
12 exhibits which relate to this particular part of the case.
13 They will be marked Getty's Exhibits Thirty-one and Thirty-
14 two.

15 We plan to offer Exhibit Number Thirty
16 with another witness.

17 MR. Bosecker, will you please refer to
18 what has been marked for identification as Getty's Exhibit
19 Number Thirty-one and explain to the Commission what it is
20 and what it shows?

21 A Okay. Exhibit Number One is a map that
22 shows first of all red circles.

23 MR. RAMEY: Thirty-one, Exhibit Thirty-
24 one?

25 MR. CARR: That's right.

1 A. These red circles have a radius of 1650
2 feet, which is the radius of the existing field rules now
3 in this area and the prior rules when the field was in the
4 Grama Ridge Morrow Field.

5 It shows the location of the Getty Two
6 State, our first well, drilled and completed with the circle
7 fully in our lease and our proration unit; the same being
8 true of the Getty 35 State No. 1, and also true of the
9 Getty 36 No. 1, which is now drilling.

10 Also included in red is a proposed unor-
11 thodox well location of Llano in Section 34. This well
12 also has a red circle with a radius of 1650 feet around it.

13 Please note that a portion of this red
14 circle overlaps on the Getty lease line; that -- and there
15 is not a compensating overlap for the Getty 35 State No. 2.

16 In addition to that is a blue -- a blue
17 arc. Now, everyone believes and has seen evidence, and
18 agrees that somewhere between the Getty 35 State No. 1 and
19 the Llano No. 2 Storage Well is a fault, a sealing fault.
20 The exact location of this fault is not known, but if the
21 fault is as Llano depicted it in this map, there is 277
22 productive acres in Section 34 east of that fault. This
23 number was obtained by planimentering this map of Llano's.

24 Now what I have done with this blue arc,
25 I planimetered this area. It's kind of a trial and error

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2010 Plaza Blanca (505) 471-2463
Santa Fe, New Mexico 87501

1 type deal, but encompassing the blue arc and the fault is
2 640 acres of drainage, showing that if a well is drilled
3 and if it drains 640 acres, and if the fault is where it
4 is shown on this map, what acreage that well would affect.

5 Q Now, Mr. Bosecker, would you refer to
6 what has been marked for identification as Getty Exhibit
7 Number Thirty-two and explain this to the Commission?

8 A Exhibit Number Thirty-two shows two wells
9 locations in Section 34; one that would be a legal location,
10 or, well, one that is 1650 from the south and east lines,
11 and one that is 660 from the east and 1650 from the south.

12 Q And what does that show?

13 A There is a difference in the drainage
14 area of 640 acres. These two circles have a radius of
15 drainage of -- or have an area of 640 acres. That's about
16 2,980 feet radius.

17 As you can see, there is an area that
18 the well that would be 660 feet could drain further than
19 the well that is located 1650 feet from the lease line.

20 Q Now how much more does the area of drain-
21 age extend into Section 35 with the proposed location than
22 it would if the well had been drilled at a standard loca-
23 tion?

24 A 124 acres into Getty acreage.

25 Q That's the number of acres of drainage

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 they gain in Section 35 by the unorthodox location, is
2 that correct?

3 A. That is correct.

4 Q. And I believe you stated that their well
5 is actually 990 feet closer to the lease line than a stan-
6 dard location would be?

7 A. That is correct.

8 Q. A standard location being the location
9 under the existing rules for this area?

10 A. Uh-huh. This exhibit has two well loca-
11 tions, one being 1650 from the lease line; one, 660.

12 Q. Is the proposed location of Llano, or
13 the in fact location where they are drilling their well,
14 also non-standard from a north-south point of view?

15 A. It is, also.

16 Q. By how much?

17 A. I believe 330 feet.

18 Q. Mr. Bosecker, if the pool rules were
19 changed to 320-acre spacing and no penalty is assessed on
20 the production of the Llano well by this Commission, what
21 effect will it have on Getty?

22 A. Well, Getty having a well 1650 feet away
23 as compared to 650, will not be in the same position as
24 far as drainage.

25 Q. If the unorthodox location sought by Llano

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3024 Plaza Blanca (605) 471-2442
Santa Fe, New Mexico 87501

1 is approved and no penalty is assessed, will Getty's cor-
2 relative rights be impaired?

3 A. Yes.

4 Q. Are you familiar with the formula that
5 has been used by the New Mexico Oil Conservation Commission
6 in assessing a penalty for unorthodox well locations?

7 A. Yes.

8 Q. Do you believe if a similar penalty was
9 imposed on the Llano well that it would protect you from
10 the damage you incur as a result of the unorthodox location?

11 A. As a result of the unorthodox location,
12 yes.

13 Q. Now, Mr. Bosecker, Llano is also here
14 today seeking a non-standard proration unit of 320 acres.
15 If this application is granted and no penalty is assigned
16 for the non-standard -- non-standard number of acres to
17 dedicate to the well, what effect will this have on Getty?

18 A. Well, it would adversely affect Getty's
19 position.

20 Q. And how so?

21 A. Well, with one operator dedicating 640
22 productive acres and another operator dedicating less pro-
23 ductive acres, both having wells with unrestricted pro-
24 duction rates, one would have an unfair advantage over the
25 other.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (955) 471-2403
Santa Fe, New Mexico 87501

1 Q Do you believe that the production should
2 also be penalized from this well based on the number of
3 productive acres they're proposing to dedicate to the
4 well?

5 A Yes, I do.

6 Q Without this penalty do you believe there
7 is any way that Getty can effectively protect its correla-
8 tive rights?

9 A No.

10 Q Do you believe granting the applications
11 of Llano without a penalty would impair your correlative
12 rights?

13 A Yes.

14 Q Mr. Bosecker, is this area prorated?

15 A No.

16 Q How do you recommend that any penalty
17 assessed on this well be made effective?

18 A It could be based on witnessed deliver-
19 ability tests on the subject well. In other words, if there
20 was a 50 percent penalty, or a 75 percent penalty, there
21 could be a semi-annual witnessed deliverability test that
22 could be witnessed by the Commission or any interested
23 operators in the field.

24 Q You are aware that the Commission has
25 approved similar procedures in the past?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 A. Yes, I am.

2 Q. Now, Mr. Bosecker, to avoid any misunder-

3 standing on this, is it your testimony that Llano has no

4 right to produce whatever reserves it has under Section 34?

5 A. No, it is not my testimony.

6 Q. And is it a fair characterization of

7 your testimony that all you're asking the Commission to do

8 in regard to the unorthodox location and non-standard pro-

9 ration unit is not put you in a position where you cannot

10 protect your correlative rights?

11 A. That is correct.

12 Q. Do you have anything further to add to

13 your testimony?

14 A. No, I don't believe so.

15 Q. Were Exhibits One through Thirty and

16 Thirty-one and Thirty-two either prepared by you or have

17 you reviewed them and can you testify as to their accuracy

18 for the purposes for which they were introduced?

19 A. Yes, I can.

20 MR. CARR: At this time, may it please

21 the Commission, we would offer Exhibits One through Thirty,

22 and Thirty-one and Thirty-two.

23 MR. NUTTER: You're not through Thirty

24 yet.

25 MR. CARR: One through Twenty-nine and

1 Thirty-one and Thirty-two.

2 MR. KELLAHIN: If the Commission please,
3 I have objections to certain of the exhibits and I would
4 like to have the Division reserve introduction on exhibits
5 Fourteen, Fifteen, Sixteen, Seventeen, Twenty, Twenty-two,
6 Twenty-four, until after I've had a chance to cross exam-
7 ine this witness on those exhibits and to voir dire him
8 about the contents of it.

9 With the exception of those exhibits, I
10 have no objection to the other exhibits.

11 MR. RAMEY: Okay, Exhibits One through
12 Thirteen, Eighteen, Nineteen, Twenty-one, Twenty-three,
13 and Twenty-five through Twenty-nine, and Thirty-one and
14 Thirty-two will be admitted at this time.

15 One quick question. You gave a number
16 of productive acres in the Llano tract in Section 34. What
17 was that figure again?

18 A. 277, and it's on that next to last ex-
19 hibit. Also, in Section 3 on the east side of the fault,
20 planimetered as 275 for that.

21 MR. RAMEY: Let's have a fifteen minute
22 recess.

23 (Thereupon a recess was
24 taken.)

25 MR. RAMEY: The hearing will come to order.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (666) 471-2468
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3010 Plaza Blanca (808) 471-2462
Santa Fe, New Mexico 87501

1 Any questions of Mr. Bosecker?

2 MR. KELLAHIN: If you please, Mr. Ramey.

3 MR. RAMEY: Mr. Kellahin.

4
5 CROSS EXAMINATION

6 BY MR. KELLAHIN:

7 Q Mr. Bosecker, would you please refer to
8 Getty's Exhibit Number One for a moment?

9 Do you recall when the Commission origi-
10 nally established the 640-acre spacing for the Grama Ridge
11 Morrow Pool?

12 A Approximately 1965 in, I think -- just
13 one second. I believe I have that. Or very close to it.

14 It was Case Number 3337 and the date of
15 the exhibit presented by Shell was November 23rd, 1965,
16 so that's not an exact answer, but approximate.

17 Q And you testified before Examiner Nutter
18 on March 14th, 1979, in a Division case in which Llano, Inc.
19 requested the recision of those pool rules to re-establish
20 spacing on 320 acres, did you not?

21 A Yes.

22 Q And at that hearing Getty did or did not
23 oppose the reduction of spacing for this particular pool?
24 What was your position at that hearing?

25 A If I remember correctly, reduction of

1 spacing was not even asked for. What was asked for by Llano
2 was to change the field rules from 640 and 1650 from the
3 lease line to 320 and 660 from the lease line.

4 Q The Division approved that application,
5 did it not? You're aware of Division Order Number R-5995
6 entered on May 2nd, 1979, are you not?

7 A It did not fully approve it, no.

8 Q It approved the Grama Ridge Morrow Pool
9 reduction in spacing from 640 to 320 for an area confined
10 between the two fault lines we've been discussing, did it
11 not?

12 A Yes, it did.

13 Q And left on a temporary basis what to do
14 with the bounds of that pool east of the east fault line.

15 A It placed that acreage east of the fault
16 on 640 acres, 1650 from the lease line, on a temporary
17 basis.

18 Q What else did that order provide, do you
19 recall?

20 A I believe so.

21 Q It also provided, did it not, that if
22 Getty did not come forward within a certain period of time
23 that the spacing for that particular area would be reduced
24 to 320 acres. That was one of the provisions of the order,
25 wasn't it?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (996) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (906) 471-2482
Santa Fe, New Mexico 87501

- 1 A Yes, it was.
- 2 Q And that's why you're here today, isn't
- 3 it?
- 4 A Part of it.
- 5 Q Now, Getty has not taken an appeal of
- 6 Commission Order Number R-5995, have they?
- 7 A That is correct.
- 8 Q In fact, Getty does not intend to take
- 9 an appeal on that, do they?
- 10 A That is correct. We feel that the re-
- 11 servoir can reasonably be separated as a result of the
- 12 fault.
- 13 Q Do you think the Commission established
- 14 a reasonable separation based upon that fault in Order
- 15 Number R-5995?
- 16 A You mean geographic location of the two
- 17 fields?
- 18 Q Yes.
- 19 A At this point in time, with what limited
- 20 knowledge we have of the location of the fault, we, being
- 21 everyone, it is a reasonable location of the division.
- 22 Q Well, you have absolutely no question
- 23 that there is a fault that runs north and south separating
- 24 the Getty wells in 35 and in Section 2 from the Llano
- 25 storage wells in Section 34 and 3.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2029 Plaza Blanca (688) 471-2462
Santa Fe, New Mexico 87501

1 A I have no question about a fault. It
2 may run more parallel to the major fault and may not run
3 right up the half section line.

4 Q You have incorporated in your testimony
5 here today certain of Llano's exhibits, including Getty
6 Exhibit Number Ten, which is Llano's structure contour on
7 the top of the Morrow Clastics, indicating that the location
8 for that fault line is the approximate center of Sections
9 34 and 3, does that not -- is that not true?

10 A Exhibit Number Ten, you say?

11 Q Yes, sir.

12 A Exhibit Number Ten shows a fault on
13 the east side of the storage wells. Its exact location,
14 even as testified by Llano in the March hearing, is an esti-
15 mate.

16 Q Yes, sir. I'm concerned about your testi-
17 mony, Mr. Bosecker.

18 A Bosecker.

19 Q Sir?

20 A Bosecker.

21 Q Bosecker, Mr. Bosecker. You've incorpor-
22 ated Llano's exhibit in your testimony and you've not pro-
23 duced a different structural contour or any other informa-
24 tion indicating that the fault is other than as depicted on
25 Exhibit Number Ten. That's true, is it not?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (906) 471-2462
Santa Fe, New Mexico 87501

1 A. We have not introduced another structure
2 map and this was a result of not showing any geophysics,
3 a decision that was agreed upon.

4 Q The geophysics information you rely --
5 that you allude to is seismic data that is in Getty's
6 possession and not in Llano's possession, isn't that true?

7 A. That's correct.

8 Q It's your seismic data.

9 A. Yes.

10 Q All right. So you're not willing to
11 introduce any evidence here today that indicates that that
12 fault line is any farther east than is depicted on Exhibit
13 Number Ten.

14 A. That is correct.

15 Q All right. Now, let's look at Exhibit
16 Number One again, if you please.

17 You indicated in your testimony with re-
18 gards to that exhibit that the three Getty wells, the ones
19 located in Sections 35, one drilling now in 36, and the one
20 first completed in Section 2, all those are at a standard
21 location if that acreage is spaced on 640 acres. That
22 was your testimony, was it not?

23 A. Well, at the time that each location was
24 asked for it was a standard location, and it still is a
25 standard location.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3930 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

1 Q If the spacing is 640 those would be
2 standard locations.
3 A Well, it is 640 at this moment.
4 Q For 640-acre spacing those are standard
5 locations.
6 A That's true.
7 Q All right, they are also standard loca-
8 tions if this was re-spaced on 320 acres, is that not true?
9 A That is true.
10 Q All right. Now what is Getty's owner-
11 ship in Section 2? What percentage does Getty have?
12 A Getty has a working interest ownership
13 and I think there are three partners in it, Sabine, Belco,
14 and Southland. I do not know our exact ownership. This
15 isn't something I'm -- I'm a reservoir engineer and I don't
16 keep track of that kind of stuff.
17 Q Okay, how about Phillips Petroleum Com-
18 pany, do they have an interest in Section 2?
19 A I don't know.
20 Q Do they have an interest in Section 35?
21 A Not to my knowledge, but they possibly
22 do. They do have an interest in Section 36.
23 Q And that's shown on your exhibit, isn't
24 it?
25 A Yes.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (606) 471-2482
Santa Fe, New Mexico 87501

1 Q It appears from your Exhibit Number One
2 that Belco has the north half of Section 35.
3 A It -- Belring (sic) is what it says on
4 here.
5 Q All right.
6 Do you know that that's Belco's drilling
7 partner?
8 A No.
9 Q Okay. Getty's interest in Section 35 is
10 50 percent interest, is it not?
11 A I don't know.
12 Q As a matter of fact, when Getty drilled
13 the well, the Morrow well in Section 35, certain of your
14 working interest owners went non-consent in that well, did
15 they not?
16 A Yes, they did. That I do know.
17 Q All right, sir. You do know?
18 A Well, I do know that working interest
19 owners went non-consent.
20 Q Do you know which ones went non-consent?
21 A Well, to the best of my knowledge, I
22 know of three working interest owners in Section 35 that
23 are not Getty.
24 Q All right.
25 A One is Belco. One is Southland, and the

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3026 Plaza Blanca (886) 471-2482
Santa Fe, New Mexico 87501

1 other one is Sabine.

2 Q Your agreement with the other working
3 interest owners in Section 35 provided that those owners,
4 if they did not join you in the drilling of the well and
5 went non-consent, would incur a 300 percent penalty. That's
6 true, isn't it?

7 A That's what I've heard, yes.

8 Q And the reason those working interest
9 owners went non-consent in the Getty well in Section 35 is
10 because of the poor quality of the Getty well in Section
11 Number 2, isn't that correct?

12 A You could probably construe that but, you
13 know, each company has different requirements.

14 Q But to your own knowledge, Mr. Bosecker --

15 A I would think that's a logical assumption.
16 I cannot testify to that as being the fact.

17 Q But you have no evidence to the contrary,
18 do you?

19 A No.

20 Q Now when was the Getty Well No. 2 com-
21 pleted?

22 MR. RAMEY: Is that the Two State Well
23 you're asking about?

24 Q I'm sorry.

25 MR. RAMEY: Or is it a separate well?

Q It's the Getty Two State Well in Section Number 2.

MR. RAMEY: Okay, thank you.

A February 13th, 1978. That was the date of the 4-point test and the date shown on the Form C-105.

Q If I understood your direct testimony, Mr. Bosecker, you were basing your conclusion that the wells east of this fault line will drain 640 acres based upon certain geologic information that you had studied. You in fact have studied some geological information with regards to your testimony.

A I'm familiar, yes.

Q Mr. Carr asked you in one of the last questions when you were concluding and summarizing your testimony, he asked you whether or not this was the typical Morrow Sand encountered in southeastern New Mexico, and you answered that it was not. All right, in what ways does this geologically differ from the typical lenticular channel Morrow Sands that's often encountered in southeastern New Mexico?

A This deposit is more extensive. It has higher quality of pay. As -- as we have shown, the kh is relatively high. As Llano and Shell have shown, there is rapid communication between wells.

Q Is it your testimony that the Morrow

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 formation in this area is a deltaic deposition rather than
2 a lenticular channel deposition?

3 A It is not a channel -- a channel deposit.
4 A channel deposit is very narrow, changes abruptly in
5 direction, and does -- it does not appear that this is what
6 we have here.

7 Q Is this a deltaic deposition?

8 A Well, there are several different things
9 it could be. There are barrier bars, deltaic. Our next
10 witness, I think, can add -- add some to that.

11 Q Was it not your testimony before the
12 Examiner on March 14th, 1979 on page 52 of that transcript,
13 you answered, "These sands are thought to represent various
14 sand environments associated with deltaic and shallow
15 marine -- shallow complexes?"

16 A Shallow marine complexes, yes.

17 Q All right.

18 And then you went on to list a number of
19 factors upon which you based that conclusion, to indicate
20 that this was not a typical lenticular channel deposit of
21 the Morrow formation. Do you recall that testimony?

22 A Somewhat, yes.

23 Q Would you tell us what factors you used,
24 what geological factors you used to reach the conclusion
25 that this was a deltaic deposition?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (666) 471-2462
Santa Fe, New Mexico 87501

1 A. One is the extent. The other was com-
2 munication. If you had channel deposits you frequently
3 have many reservoirs, sometimes stacked right on top of
4 each other. You do not have communication 3,645 feet from
5 one other well, and widespread communication.

6 Channels are usually narrow. They some-
7 times are very long.

8 Q One of the factors you used was to de-
9 scribe the color of the sand deposit as a difference between
10 deltaic and lenticular deposition. You described the del-
11 taic deposition as being gray to gray/white in color.

12 What would be the color of a lenticular
13 deposition?

14 A. I believe that I stated the nature of
15 the samples but I -- that -- that appeared in the well.

16 I believe I have my testimony here.
17 Okay, the statement I made was the sands are characteristi-
18 cally gray to gray/white in color.

19 Q All right, let's stop there for a moment,
20 Mr. Bosecker, and have you describe for me the type of
21 color you would encounter in a lenticular deposition.

22 A. Well, it may be the same color. I am
23 just stating the color of the sand that appeared in that
24 well.

25 Q Okay. You also indicated that the sand

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 is poor to well sorted, did you not?

2 A. Yes.

3 Q. What would be the --

4 A. Coarse to fine grain.

5 Q. Coarse to fine grained. How would you --

6 A. Not --

7 Q. Excuse me, let's stop at that point and

8 let me ask you how you compare that kind of information

9 from the sand properties of this deltaic deposition to a

10 lenticular deposition?

11 A. Again I'll state that I told you what

12 the sands appeared to be from this well.

13 Q. You also went on to testify that the

14 porosities ranged from 5 to 17 percent with an average in

15 a commercial well of 8 to 11 percent.

16 What would be the porosity ranges en-

17 countered in a lenticular deposition?

18 A. Obviously, you could have 8 to 11 percent.

19 Q. All right, as a matter of fact, all those

20 factors you indicated in your testimony back in March would

21 apply regardless of whether this was a deltaic or a lenti-

22 cular deposition.

23 A. The factors as far as porosity and color,

24 sorting, size of grains, I think you know those could be

25 in a channel deposit or a deltaic deposit, but that our next

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 witness can elaborate more fully on that, if you would like.

2 Q Now let's look at your cross section, if
3 you don't mind. It's cross section, Exhibit Number Seven.

4 Now you've indicated just now, Mr. Bosecker,
5 that this particular area, you thought you were encountering
6 several Morrow reservoirs that were stacked one on top of
7 another? Is that not what you said?

8 A When?

9 Q Just now when we were describing the
10 general geologic characteristics of this particular Morrow
11 formation.

12 A I don't think I said that.

13 Q All right. Let's look at your Exhibit
14 Number Seven and the Getty Well No. 35 in Section 35 is
15 the well on the far right of the cross section, is that --
16 that's right, isn't it?

17 A Uh-huh.

18 Q And the next well proceeding left is the
19 storage well in Section 34.

20 A That's the No. 2.

21 Q All right. And the next one across is
22 going to be --

23 A No. 3 storage well.

24 Q No. 3 storage well.

25 And then the last one, you picked up on

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2482
Santa Fe, New Mexico 87501

1 the Pogo Well up in Section 20.

2 A. That is correct.

3 Q. Looking at your log on the Getty 35 Well,
4 how many different distinct Morrow sands do you find below
5 the top of the Morrow Clastic marker?

6 A. Several. Several members that carry
7 porosity.

8 Q. All right. Starting with the lowest
9 member, would you identify the top and the bottom of that
10 member?

11 A. Well, the lowest member that we have
12 marked here, the bottom appears to be at around 13,100.
13 I cannot read the exact footages off of this.

14 Q. Okay. Where is the next sand body in
15 this log?

16 A. You mean that we have marked on this ex-
17 hibit?

18 Q. Yes.

19 A. There is one, the next one that is marked
20 is around 13,045, I would say.

21 Q. That appears to be a rather thin Morrow
22 Sand about 13,005, 13,045, something like that? That's
23 the second one?

24 A. Now, these lines on here were drawn for
25 correlation purposes. There are other sand streaks, you

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (955) 471-2462
Santa Fe, New Mexico 87501

1 know, but these --

2 Q All right, what cutoff have you used to
3 determine whether you were going to place these Morrow
4 Sand stringers on your exhibit?

5 A The ones that were very clean and had not
6 so much shale. In other words, low on radioactivity.

7 Q Is there some kind of number that you use
8 as a cutoff?

9 A No. You can look at it on the lefthand
10 side of the log.

11 Q All right.

12 A High radioactivity goes to the right;
13 low radioactivity goes to the left, and the gamma ray is
14 very good for correlation purposes.

15 Q Now you've used only those sands --
16 identified only those sands stringers that you believe are
17 the ones that continue throughout this particular area.

18 A No, I wouldn't say that these are the
19 only ones. These were good, plain ones that a cross section
20 should be built from.

21 Q Okay. Above the second one there appears
22 to be another sand stringer just above the 13,000 foot
23 mark. Is that another one?

24 A Yeah.

25 Q All right.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

1 A. About at 12,090, I guess.
2 Q. Well, 12,990.
3 A. 12,990, thank you.
4 Q. All right. Let's look back up farther
5 now at 12,900.
6 A. Yes.
7 Q. And just below that number is a fourth
8 Morrow stringer.
9 A. This particular Morrow stringer is one
10 that is a very good correlation across the field and this
11 is the one where the bulk of the reserves are in.
12 Q. Okay.
13 A. Now this, you know, this is an estimate,
14 but that is my opinion.
15 Q. Okay.
16 A. And that's the one that we're really
17 talking about.
18 Q. The next line up there I guess is the top
19 of the Morrow Clastics. That's your marker?
20 A. Yes.
21 Q. And above that you show what looks like
22 another Morrow Sand above the top of the marker?
23 A. That is correct.
24 Q. All right. Let me label that one number
25 five just for simplicity's sake.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (696) 471-2462
Santa Fe, New Mexico 87501

1 A. Okay.

2 Q. Let's go across to the Shell Well in
3 Section 34, the next one on your cross section, and have
4 you correlate for me those same five Morrow Sand zones.

5 We can see, can we not, that in the cross
6 section, that the lowest line in this particular well now
7 because of the fault appears somewhat higher from the lowest
8 Morrow Sand in the No. 35 Well.

9 A. I don't know that that's a true statement.
10 I'd need a T-square or something.

11 I think the one in 35 is slightly higher.
12 The fault is downthrown to the east but you're gaining
13 structure as you go to the east, so the Getty 35 State at
14 that point is higher than -- than the Shell well is.

15 Q. All right. What is the number of feet
16 of throw to this fault on the east side? Do you know?

17 A. Not exactly.

18 Q. Do you have an estimate?

19 A. If I remember, Llano introduced an exhibit
20 showing either 225 or 235 feet, or 265. It was 200 and
21 something.

22 Q. You have no disagreement with that figure,
23 do you?

24 A. No.

25 Q. Now, as you go across to the old Shell

1 Well in Section 33, the No. 2 -- well, this is Llano
2 storage well No. 3, I think it is, yeah, it's the storage
3 well No. 3 in Section 33, and it is the third log going
4 from right to left.

5 Would you again identify those Morrow
6 pay intervals that you say correlate across between the
7 logs of the three wells?

8 The lowest one again is around 13,200
9 feet?

10 A. Yes. There are several in there.

11 Q. Okay.

12 A. And there is some changing between that
13 well and the Shell well but the major ones you can see go
14 across there.

15 Q. All right. Now if you'll identify the
16 fourth one up in that well and compare it to the fourth
17 one up in the Getty 35 Well, which you say is the primary
18 producing sand in the 35 Well, it appears, does it not,
19 that the sand in the well located, the No. 3 Well, has
20 thinned at that point?

21 A. There's been some change across there.
22 That's a period of a couple miles.

23 Q. Now let's go back and look at the Getty
24 35 Well and have you identify for me which, beginning with
25 the lowest, which of these Morrow Sands you've tested and

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (866) 471-2482
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (595) 471-2452
Santa Fe, New Mexico 87501

1 produced, or tested or produced.

2 A. Could we go to the two well exhibit and
3 perforations are on there?

4 Q. All right.

5 A. The 35 Well is on the left. Now, let me
6 remind you that the long marks are perforations. The
7 little, short ones were placed on the log by the logging
8 company, and I believe that stands for, is used for a cal-
9 culation of the cement, you know, the caliper.

10 Q. All right. In the No. 35 Well, Mr.
11 Bosecker, would you identify for us the Morrow Sand that
12 you describe on Exhibit Number Seven as being the lowest
13 Morrow Sand and which we've numbered number one?

14 A. I think that would take some time to cor-
15 relate these and see if they go that far across.

16 It's very easily recognizable, this top
17 one, and then --

18 Q. The top one, you mean the one above the
19 top of the Morrow Clastics marker?

20 A. No, below -- the top one below the Morrow
21 Clastics marker.

22 Q. That is the number four line that you
23 referred to as being the primary producing sand in the 35
24 Well?

25 A. That is the primary producing sand probably

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (605) 471-2462
Santa Fe, New Mexico 87501

1 in the area, but that's a very good looking sand, and you
2 can see that it is in the Two State, also.

3 Q Well, looking at the perforations, it
4 shows that you perforated that interval.

5 A Yes.

6 Q Is the 35 Well producing from any of the
7 other Morrow Sands?

8 A Yes, it is, and I can look to see where
9 the exact perforations are, if you would like. They should
10 be on there but I'm having a hard time seeing them with
11 those other lines.

12 Would you like for me to read them?

13 Q I think we ought to put them on here.

14 A I think --

15 Q Now let me ask you this. On the 35 Well,
16 this well has only been perforated one time in one series
17 of perforations, is that right?

18 A That is correct. Now these perforations
19 may be off of a different log than this one here, so --

20 Q I understand, but --

21 A -- footages may not be exactly right when
22 you, you know, you run three logs and they may be off a
23 dab or two.

24 Q Looking at your 35 Well, tell me, starting
25 with the lowest -- the lowest perforations where you've

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (608) 471-2462
Santa Fe, New Mexico 87501

1 perforated that well.

2 A. 13,102 feet. Apparently we're using
3 another log that we recorded these perforations on.

4 Q. All right, go ahead.

5 A. Then at 100, 98, 94, 92, 85, 81, 71.

6 Q. Okay.

7 A. Then going on up the hole, 12,924, 22,
8 20, 18, 16, 14, 11, 9, and 7.

9 Q. All right. That's all of them, right?

10 A. To the best of my knowledge that's all
11 of them, in this zone.

12 Q. Well, you've tested a lower zone down
13 here at the 13,100 foot level and perforated it one, two,
14 three, four, five, six, seven, eight, nine times in that
15 sand section. What production did you receive from that
16 sand section?

17 A. I don't have the day-by-day record and
18 I do not know that this was done separate to the upper
19 perforations.

20 Q. Okay. What was your initial bottom hole
21 pressure when the 35 Well was completed?

22 A. In this well?

23 Q. 7,460 pounds, wasn't it?

24 A. Okay, on the C-122 the bottom hole pres-
25 sure, now I believe this is absolute, was reported to be

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
 3030 Plaza Blanca (606) 471-2462
 Santa Fe, New Mexico 87501

1 7,468.2 pounds.

2 Q Okay. Now let's look at your Exhibit
 3 Number Nine and look at the Getty Two State No. 1 Well in
 4 Section 2.

5 A Exhibit Number Nine, that's it.

6 Q It's just the well on the right side of
 7 that cross section.

8 A Okay, this one.

9 Q Is it not true that that well was per-
 10 forated two separate times?

11 A I think I stated the last time that it
 12 was perforated two separate times. It was perforated three
 13 separate times, I found out Sunday night at about 11:00
 14 o'clock.

15 Q What was the date of the first perforations?

16 A February the 2nd.

17 Q You didn't perforate that well on January
 18 30th, 1978?

19 A Not to my knowledge.

20 Q Okay. What does your information indicate
 21 you did on February 2nd, 1978?

22 A We ran 2-3/8ths tubing and packer, set
 23 packer, and perforated.

24 Q Where did you perforate the well, at what
 25 depths?

1 A. 15,127, 28, 29; 12,941, 43, 45, 49, 51,
2 and 53.

3 Q Those are perforations in the number four
4 sand stringer that turned out to be very productive in the
5 No. 35 Well, is that not true?

6 A There were several -- it is a broad in-
7 terval. Yes, I think is the answer to that question. I
8 believe they went up that high.

9 Q Isn't that zone about the top of the
10 Morrow Clastics; the first Morrow stringer below the top
11 of the Morrow Clastics was perforated, Mr. Bosecker, was
12 that -- was that zone acidized?

13 A I have some of the records and I do not --
14 I think that both zones were, everything was acidized, if
15 the C-105 is correct. Sunday night I couldn't find every-
16 thing, but the C-105 shows that the interval from 12,761
17 to 12,941 was given 2500 gallons of 7-1/2 percent NE acid.

18 Q Excuse me, and when did that take place?

19 A Well, let's see, I'm -- what I was trying
20 to do Sunday night was piece together all this information,
21 and I found some of it.

22 I think that took place on the 2nd of
23 February, and I told you that it was perforated on the 2nd.
24 I think it was perforated on the 1st now. I was reading
25 the morning report of the 2nd, but that would have been the

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
8820 Plaza Blanca (955) 471-2462
Santa Fe, New Mexico 87501

1 day of the first that the work took place.

2 Q All right. After the well was perforated
3 and tested at that particular zone, what were the results
4 of the test?

5 A It was flowed and swabbed and it was not
6 a great amount of gas, but it did produce gas. It was
7 flowing at 15 Mcf a day, I believe.

8 Q Did not that test show that the gas
9 flowed with an 18-inch flare but the volume was too small
10 to measure and that the pressure on the test was 10 psig?

11 A The flowing pressure?

12 Q Yes.

13 A That, I don't know, but that might be
14 possible.

15 Q All right. Would that test also show
16 that the well was open to the atmosphere at 4,450 psig and
17 bled down to 10 psig in 10 minutes?

18 A Did that test show it?

19 Q Yes.

20 A No, I don't -- that may be accurate, but
21 I do not know that it is or it is not.

22 Q Did you -- did you then recomplete this
23 well above the top of the Morrow Clastics marker?

24 A We continued the completion of the well,
25 yes.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 Q All right. The next point at which you
2 perforated the well was above the top of the Morrow Clastics
3 marker. That's true, isn't it?

4 A Well, we -- the next stage of perfora-
5 tions were above and below the top of the Morrow Clastics.

6 Q All right, let me know where they are.

7 A I've got a map here, if you'd like to
8 look at them. I spotted them on this two-well cross section
9 and some place in my information I have the exact perfs,
10 but the top one was above the Morrow Clastics marker at
11 12,751. Then there was one at 12,750 -- Or 61 and 64.
12 Now this is approximate, because I'm just reading them off
13 this deal I did late at night.

14 Q Well, I understand.

15 A But that's not the only perfs. We also
16 perforated in a stringer at approximately 13,030 feet,
17 two shots there, also. We perforated at 13,061 feet, and
18 we perforated at 13,190 feet at the same time.

19 Q All right, let me -- let's run through
20 that again, Mr. Bosecker.

21 When they perforate the well, having
22 previously perforated up in this number four sand and not
23 obtaining production, when they re-perforated the second
24 time, don't they start with the lowest perforation first
25 and then start back up the hole?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (608) 471-2462
Santa Fe, New Mexico 87501

1 A. We did not get the amount of production
2 that we wanted out of the first set of perforations, and
3 that was the reason that we perforated the second and the
4 third time.

5 Q. Okay.

6 A. But we did get production.

7 Q. I understand. I want to know at what
8 point you got production.

9 A. Well, we had production from the first
10 set. The well was not cleaned up, was not producing at a
11 rate that we were satisfied with, to say the least, but
12 there was production from the well, as you mentioned.

13 Q. Is it your testimony that the first per-
14 forations in the number four sand have subsequently cleaned
15 up?

16 A. Oh, I think they have, definitely.

17 Q. Okay. And why did you go on and perforate
18 the entire length of all these sand bodies above and below
19 the Morrow Clastics marker? Within, apparently, a day of
20 the first perforations?

21 A. To get more zones opened up.

22 Now, in the 35 Well we made, to the best
23 of my knowledge, one run had adequate production initially,
24 so that zone, or other zones, have not been opened up, but
25 they will be. We're now producing at a slightly less than

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2026 Plaza Elanora (606) 471-2492
Santa Fe, New Mexico 87501

1 4-million cubic feet a day and we're on a choke. We don't
2 need any more production out of that well right now.

3 Q You mean the No. 35 Well?

4 A Right.

5 Q Well, that was completed some eight months
6 after the No. 2 Well.

7 A Right.

8 Q I'm looking to see how you got production
9 out of the No. 2 Well, Mr. Bosecker.

10 On February 4th, 1978, did you not start
11 with perforations, perforating this well, commencing with a
12 perforation at 13,222 feet? Do you have a perforation on
13 your log at that distance?

14 A 13, 000 what?

15 Q 322 feet.

16 A Oh, yeah, right.

17 Q That was the first perforation done on
18 that well.

19 A Well, I don't know. I assume they used
20 a select fire gun. I don't know which was first or which
21 was last. I would have perforated it with a select fire
22 gun, but I certainly wasn't on the location and don't com-
23 plete the wells.

24 Q Okay. Do you know whether or not that
25 after that zone or interval was perforated, that it was

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3028 Plaza Blanca (SOS) 471-2463
Santa Fe, New Mexico 87501

1 then perforated at 13,320 feet?

2 A. What?

3 Q. It was first perforated at 13,322 feet
4 and then it was perforated at 13,320 feet.

5 Does that perforation show on your log?

6 A. Well, I have one perforation at 13,322
7 feet.

8 Q. Okay.

9 A. Opposite February the 4th.

10 Q. Do you have one at 13,320 feet?

11 A. No, I don't.

12 Q. Do you have one at 13,190 feet?

13 A. Yes.

14 Q. And do you have one at 13,061?

15 A. Yes.

16 Q. Do you have a perforation at 13,029?

17 A. 13,029?

18 Q. Yes.

19 A. Approximately.

20 Q. Do you have a perforation at 13,023?

21 A. 13,023, no, I don't.

22 Q. Okay.

23 A. I could have missed one.

24 Q. What is the top of the Morrow Clastics
25 marker in the No. 2 Well?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2010 Plaza Blanca (996) 471-2463
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A. It's approximately 12,829 feet.

Q. Isn't it true that you did not obtain production from any of the perforated zones below the top of the Morrow Clastics marker and that this well produced only after being perforated at intervals from 12,762 feet to 12,761 feet?

A. I would not say that.

Q. Okay. You agree, do you not, that the No. 2 Well is now producing from a Morrow Sand stringer above the top of the Morrow Clastics marker?

A. Yes, I do.

Q. Is that same sand stringer producing in the No. 35?

A. No, but I do believe that it's capable of producing if we perforated it, and we do plan to perforate it.

Q. Would you go back now to Getty Exhibit Number Seven, which is your cross section that shows the four wells?

A. Yes, I'm there.

Q. Would you look at the Shell well, which is the storage well No. 2, located in Section 34, and tell me which ones of the Morrow Sands stringers present in that log actually produced?

A. Well, I really think that -- that Llano

1 could tell you the details much better than I can.

2 I generally looked at their logs.

3 Q Mr. Bosecker, you testified that based
4 upon your study and the exhibits we're now talking about,
5 that you reached the conclusion that this was a common
6 Morrow reservoir in which the sands were continuous through-
7 out the reservoir; that it was deltaic in composition; and
8 that the sand bodies were reasonably uniform and productive,
9 and I want to test --

10 A That's correct.

11 Q -- your knowledge of that.

12 All right, tell me what --

13 A But I do not know exactly where each of
14 Llano's perforations are.

15 Q It makes a substantial difference as to
16 the quality of the sand deposition as to whether that sand
17 produced or not, does it not?

18 A You mean producing rate is dependent upon
19 sand quality?

20 Q No, I don't think that's what I asked you.

21 A Okay, well, what did you ask me?

22 Q You have contoured what you believe to be
23 at least four Morrow Sands below the top of the Morrow
24 Clastics present in the three wells on this cross section
25 plus the Pogo Well. I want to know now which ones of those

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 zones have ever produced anything.

2 A. What I have done is correlate recognizable
3 stringers across the field.

4 Q All right.

5 A I have not testified that a particular
6 stringer is perforated.

7 Q Don't you think it will be critical to
8 a conclusion you've reached that each of these wells will
9 drain 640 acres that you know what zones they produce from
10 and in what quantities?

11 A I think that we have cumulative production
12 and enough information available to say that the storage
13 project was -- area was depleted or near depleted at the
14 time that it was initiated, and we -- I can give you the
15 exact perforations on our wells.

16 Q Let's go to Getty Exhibit Number Fourteen.
17 All right, if you'll also look at Getty Exhibit Number
18 Thirteen and Getty Exhibit Number Twelve at the same time
19 we look at Getty Exhibit Number Fourteen.

20 Okay?

21 A I'm there.

22 Q Now, Getty Exhibit Number Thirteen is the
23 same exhibit, in fact these are Llano's calculations on a
24 material balance for a number of wells that they introduced
25 as Exhibit Number E at the Examiner Hearing. That's what

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3028 Plaza Blanca (695) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 this Exhibit Number Thirteen is, isn't it?

2 A. The first four wells are the same.

3 Q. All right.

4 A. Exhibit Number Twelve is identical.

5 Q. All right. Exhibit Number Twelve, then,
6 is -- is the one with Llano's information on it. Exhibit
7 Number Thirteen is the one where you recalculated the
8 original gas in place on the Llano Government A No. 1 Well,
9 located in Section 10.

10 A. Yes.

11 Q. All right.

12 Now in looking at Exhibit Number Fourteen,
13 Mr. Bosecker, I believe it was your testimony under direct
14 examination that but for the existence of the fault lines
15 on east and west, that the storage wells would have drained
16 more acreage than has been attributed to them by Getty
17 Exhibit Number Twelve.

18 A. I think that's correct.

19 Q. Have you calculated the total number of
20 acres that Llano says have actually been drained in ac-
21 cordance to the material balance calculation for the
22 storage wells 1, 2, 3, and 4 on Exhibit Number Twelve?

23 A. You mean the surface acres that are
24 depicted on the map or just --

25 Q. The calculated drainage area depicted on

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (665) 471-2422
San Antonio, Texas 78201

1 Exhibit Number Twelve.

2 A. I have made several calculations. I do
3 not believe I added up those four wells only.

4 Q. You would not disagree with me that
5 adding up those wells you'd get 1,298 drained acres?

6 A. I don't know.

7 Q. Would you like to double check?

8 A. I assume that you're correct.

9 Q. Now, you said in regards to one of the
10 later exhibits that you planimetered the acreage involved
11 in one of your radial drainage circles. Have you plani-
12 metered the acreage located in Section 34, 33, 3, and 4,
13 that is contained between two fault lines and the north and
14 south section boundaries of those particular sections? Do
15 you know what that acreage is?

16 A. I did planimeter it. I do not know the
17 summation of the four.

18 Q. You would not disagree with me, would
19 you, that that approximates 1,500 acres?

20 A. 1,500 acres. I assume that to be correct.
21 What was the other number?

22 Q. 1,298 for actual drained acres.

23 A. Okay. To the best of my knowledge that
24 is approximately what I -- I had some other numbers in-
25 cluded, but that sounds reasonable.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2452
Santa Fe, New Mexico 87501

1 Q If you'll look at Exhibit Number Twelve
2 and find the storage well No. 2, it shows that it --
3 A Exhibit Number Twelve.
4 Q Exhibit Number Twelve.
5 A Okay.
6 Q The acres drained attributed to that well
7 on that exhibit are 470, right?
8 A Yes, that's the same as on -- yes.
9 Q All right. And it is your testimony that
10 but for the existence of the faults, the one running north
11 and south through Section 34 and the one through Section 33,
12 that you would anticipate that that well would have drained
13 640 acres.
14 A I think the faults are the main controlling
15 factor to a limited drainage.
16 Q There is absolutely no control to the
17 drainage to the north of that well, is there?
18 A No control.
19 Q That's right.
20 A What do you mean by control? You mean
21 no other wells drilled up there?
22 Q No other wells drilled up there. There
23 is no fault across Section 27 or 28 in a horizontal way
24 that would have precluded that Llano well from draining
25 640 acres, despite the existence of the fault in Section 34.

1 A. Well, to the best of my knowledge there
2 isn't, but Exhibit Number Fifteen of Llano's shows a per-
3 meability barrier across there.

4 Q Now, in looking at Exhibit Number --
5 Number Thirteen -- well, let's go back. Let me ask you
6 another question.

7 Do you see -- do you see a permeability
8 barrier that would have precluded the well, the storage
9 well No. 4 from draining more than 285 acres?

10 A. The rock properties in that particular
11 well are not as good as in other wells, and I think you can
12 see that from its cumulative production. In fact, that
13 well's rock properties are pretty low and --

14 Q Well, I thought -- excuse me, I didn't
15 mean to interrupt you. I thought you told me the rock
16 properties for all these Morrow wells were similar and
17 that's one of the reasons you reached the conclusion that
18 this was a deltaic deposition.

19 A. The rock properties in the area of Well
20 No. 4 are good. I'm just stating they're not as good as
21 some of the other wells. If you remember, Shell presented
22 testimony that from the No. 1 Well to the No. 4 Well it
23 only took ten hours to get pressure response, so that in-
24 dicates in even the No. 4 Well that shows on here to have
25 7.1 percent porosity, it's not as good rock properties, but

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

1 yet it's good enough to have that distance, which is well
2 over 640 acres areally in a drainage radius.

3 Q Now that Shell test, the interference
4 test between the wells in Sections 4 and 3, was run back
5 in 1962, some fourteen years ago, '65, I'm sorry, '65.

6 A It was presented in November of 1965.

7 Q All right, so it's more than fourteen
8 years old.

9 A Yes, but the rock properties at the
10 bottom of the hole haven't changed much.

11 Q But the performance of the particular
12 wells have, haven't they?

13 A Well, when pressure is reduced, perfor-
14 mance changes, sure.

15 Q In fact the pressure has been reduced in
16 all four storage wells. They're totally depleted, aren't
17 they?

18 A That was the statement of record.

19 Q You don't disagree with that statement
20 of record, do you?

21 A I don't think that it's material for me
22 to comment on it, really.

23 Q All right. When did primary production
24 stop on the four storage wells? Give me an approximate
25 date.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Rincon (606) 471-2462
San Jose, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Elanca (996) 471-2462
Santa Fe, New Mexico 87501

1 A. Probably can do a little better than that.
2 In '73 the storage project was initiated in the No. 1 and
3 No. 2 Wells.

4 Now I have the exact dates production
5 was stopped on each of them that I can look up, I think,
6 if you want it.

7 Q I'm interested in your Exhibit Number
8 Thirteen and your calculations of original gas in place
9 on the Llano Government A No. 1 Well.

10 After 1973 Llano started putting gas back
11 in the ground in this formation as storage wells, didn't
12 it?

13 A. Yes.

14 Q Don't you think that will have some
15 material effect on the original gas in place that you now
16 attribute to the Llano A No. 1 Well?

17 A. That's a possibility, a very intriguing
18 possibility.

19 Q In fact, the Llano Government A No. 1
20 Well is being recharged by the storage wells, aren't they?

21 A. I don't know. There is some testimony
22 in the record stating that the Government A No. 1 Well was
23 completed in a zone that was separate to most of the other
24 wells, and I cannot say that there is communication across
25 there.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 Q All right, let's look back at Exhibit
2 Number Twelve. What is the original gas in place that
3 Llano has attributed to that particular well?

4 A 1-1/2-billion.

5 Q Say again.

6 A 1-1/2-billion.

7 Q All right. Now, let's go over and com-
8 pare the original gas in place --

9 A Well, excuse me, that was primary. The
10 original gas in place on Exhibit Number Twelve was 1.918750.

11 Q All right, and your opinion is that the
12 original gas in place was 3. -- almost 3.5-million.

13 A That's my estimate.

14 Q Where did the original gas come from if
15 it did not come from recharging the storage wells?

16 A From the Morrow zone.

17 Q You agree with me it's equally logical
18 that the difference in the original gas in place you now
19 attribute to the Llano Government A Well could have come
20 from the storage wells.

21 A Not if it's completed in a separate in-
22 terval, no.

23 Q Do we have a cross section of the logs
24 of the Llano Government A Well with the storage wells?
25 Have you introduced that?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 A. No, I do not have one.

2 Q So if you believe that to be true, you

3 would have introduced an exhibit demonstrating that for us,

4 if those produced out of different Morrow Sands.

5 A. No, not necessarily. I did not even

6 consider making a cross section north/south across the

7 storage project.

8 MR. RAMEY: Mr. Kellahin, are you at a

9 convenient stopping place?

10 MR. KELLAHIN: Yes, sir.

11 MR. RAMEY: All right, let's recess

12 until about 1:15.

13

14 (Thereupon the noon

15 recess was taken.)

16

17 MR. RAMEY: The hearing will come to

18 order. Mr. Kellahin.

19 MR. KELLAHIN: Yes, Mr. Ramey.

20 Q (Mr. Kellahin continuing.) Mr. Bosecker,

21 I believe in response to a question that Mr. Carr asked you

22 that you responded that Llano had reserves that they have

23 not produced in the east half of Section 34 and in Section

24 3. Do you remember that testimony?

25 A. Yes.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 Q Would you look at your Exhibit Number
2 Thirty-one, please?

3 A I have it.

4 Q Now, if I understand this exhibit, the
5 red circle indicates a drainage radius, the circular pat-
6 tern on 1,650 feet.

7 A That is correct, which is the minimum
8 distance from the outer boundary that exists now under the
9 existing rules.

10 Q And I believe you testified at some point
11 this morning that the drainage radius for a 640-acre area
12 would be some 2980 feet?

13 A Approximately.

14 Q That's about it, huh?

15 A I can find out exactly.

16 Q That's all right, that's close enough,
17 2980.

18 A 2978.

19 Q Now it was also your testimony that in
20 your opinion the well in Section 35, the Getty Well in
21 Section 35, was draining 640 acres. Did you reach that
22 conclusion? Or did you not?

23 A I never testified to that fact, but I
24 will. I think that on the ultimate life of that well that
25 it can effectively drain 640 acres.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (605) 471-2462
Santa Fe, New Mexico 87501

1 Q All right. If you assume that and you
2 take a drainage radius of 2,970 feet around the Getty well
3 in Section 35, that well will drain a substantial portion
4 of the east half of Section 34, is that not true?

5 A That is true.

6 Q I'd like to refer you to your data sheet
7 on Horner plot, I think it is Exhibit Number Twenty. It's
8 for your Getty Two State Well.

9 A Yes.

10 Q That is the data sheet for the February
11 '78 test on the Getty Two State Well. Would you pull out
12 your Exhibit Number Twenty-two, which is the December, '78
13 test on the same well?

14 A Yes.

15 Q Now in connection with those two exhibits
16 let's pull out one of the material balance calculations.
17 Let's look at, well, Getty Exhibit Number Twelve, I think
18 will show it.

19 A Okay.

20 Q On Exhibits Twenty and Twenty-two you
21 show a summary of the kh calculations and in that summary
22 you indicate a k based on 33 net feet pay in both of those
23 exhibits for the Getty Two State No. 1 Well. That's true,
24 isn't it?

25 A That's true.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Elaneca (665) 471-2462
Santa Fe, New Mexico 87501

1 Q Have you made a calculation based upon
2 that thickness of net pay for that particular well to show
3 what the material balance calculation would demonstrate for
4 a calculated drainage area for the Getty Two State No. 1
5 Well?

6 A No, I have not.

7 Q Would you agree that such a calculation
8 could be made from the data contained on Getty Exhibit
9 Number Twelve and simply substitute in the net feet pay
10 factor that you have on your data sheet?

11 A No, I would not agree, because one of the
12 things you need is the primary gas production.

13 Q What is the primary gas production you
14 attribute to the Getty Two State Well?

15 A Well, we haven't -- these four wells plus
16 the Government A No. 1 Well has -- they have been -- the
17 four wells have been depleted, and so the original gas in
18 place number has a high degree of certainty to be correct,
19 and for that reason I did not do -- make calculations for
20 the Getty Two State or even for the Getty 35 State. If you
21 remember I, in my next exhibit on drainage area, I even
22 excluded the Getty 35 State because that --

23 Q Come again.

24 A Because that gas has not been produced
25 and there's no way that you can say for sure everyone of

1 these slots in here.

2 Q Well, I'm having trouble understanding
3 that, Mr. Bosecker. You're willing to rely upon Llano's
4 calculations of material balance, using the original gas
5 in place numbers to conclude from your testimony that they
6 were draining 640 acres, yet you're not willing to use the
7 same calculations to determine the drainage pattern for
8 either one of your wells.

9 How can we have it both ways?

10 A All I'm saying is Llano used this ex-
11 hibit. They knew what the gas in place was because they
12 had already captured that gas.

13 The Getty 35 State No. 1, the Getty Two
14 State, in not depleted at this point in time, so it's
15 apples and oranges, as far as I'm concerned.

16 In fact, the Llano Government A No. 1
17 is still producing and that one is not, you know, we had
18 to estimate what the remaining reserves were on that one,
19 but there is a lot of information available on the Llano
20 Government A No. 1 and it can be done with a reasonable
21 amount of certainty because it's produced for several years.

22 The Getty 35 State No. 1 and the Getty
23 Two State No. 1 have just been completed in the last
24 24 months. ON the east side of the fault you do not have
25 the knowledge accumulated at this point in time that you

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2050 Plaza Blanca (S91) 471-2462
San Antonio, New Mexico 87301

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2030 Plaza Blanca (SSE) 471-2462
Santa Fe, New Mexico 87501

1 do on the west side of the fault.

2 Q Are you telling me that Getty would not
3 recommend making a material balance calculation based upon
4 the present knowledge of the production from either the
5 Getty 35 State or the Getty Two State Well?

6 A I am not saying anything in that direction.
7 What I'm saying is that was the reason we did not do it.
8 We wanted to make it as factual as possible.

9 Q Isn't it a common industry tool in the
10 oil and gas industry to make material balance calculations
11 based upon the production history of a well that has not
12 yet been fully depleted?

13 A Do you have reference to volumetric cal-
14 culations, reserve calculations?

15 My answer is yes.

16 Q Have you made such a calculation on the
17 Getty 35 State No. 1 Well?

18 A We have in-house reserves on every well
19 we drill and produce, yes, sir.

20 Q All right, what is the original gas in
21 place attributed to the Getty 35 State?

22 A I think I have a note here available.
23 I'll have to check.

24 11.3 billion cubic feet. Now, I want to
25 elaborate that we use volumetric calculations for initial

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
1020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 estimates but in no way do they have the accuracy that
2 production performance curves, bottom hole pressures, and
3 other tools have.

4 Q What is the original gas in place you
5 attribute to the Getty Two State Well?

6 A This estimate that was made shows 7.760
7 billion.

8 Q Would you agree with me, Mr. Bosecker,
9 that if used 32 -- 33 feet of net pay that you've evidenced
10 on your data sheet for the Getty No. 2 State Well, and then
11 if I attribute 7-million cubic feet of gas in place, and
12 then if I go through the material balance calculations on
13 Exhibit Number Twelve, that will show an acreage drainage
14 area of something over 200 acres?

15 A Well, I haven't done it.

16 Q You wouldn't disagree that that is pretty
17 close to being true.

18 A I don't know.

19 Q But you've not done those material
20 balance calculations on either one of these two wells.

21 A We have calculated some tentative volu-
22 metric reserves. We haven't gone through this procedure
23 because it is not relevant.

24 Q All right. Based upon your experience
25 in the Morrow area, Mr. Bosecker, can you estimate for us

1 the volume of original Morrow gas in place necessary to
2 deplete a reservoir of 640 acres?

3 A. What?

4 Q. What is the volume of gas in place neces-
5 sary in the kind of reservoir you've encountered here in
6 order to drain an area of 640 acres?

7 A. Well, now, the amount of gas in place is
8 dependent upon a whole lot of different things. For one
9 thing, is how far down you take it as far as the economic
10 limit. The calculations that I just quoted you on the
11 volumetric reserves I believe we used a cutoff of 2000
12 pounds, and it's quite possible that this will be taken
13 down much further than that.

14 But porosity is important. The thickness
15 is important. There's many, many factors involved.

16 Q. Getty Exhibit Number Twelve demonstrates
17 those factors on at least six Morrow wells, doesn't it?

18 A. Getty Exhibit Number Twelve, which was
19 the Llano Exhibit E, exhibits on four wells that it's known.
20 On the Government A No. 1 there was an estimate made, which
21 we disagree somewhat as far as the primary gas production.
22 The Getty 35 State No. 1, Llano used their expertise, I
23 believe they said, in having a hundred wells connected, to
24 estimate that this particular well would only produce 5-
25 billion cubic feet, and then they went on down and showed

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2920 Plaza Blanca (S.B.) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SSE) 471-2462
Santa Fe, New Mexico 87501

1 that it could only drain 262 acres.

2 So if a well has 11.3 billion cubic feet,
3 you can see that would increase substantially the drainage
4 area.

5 Now also that was 11.3 billion cubic feet
6 of producible reserves above the bottom hole pressure of
7 2000 pounds. That did not include any primary oil pro-
8 duction. It did not include the recovery factor. In other
9 words, it was 11.3 is not the original gas in place. That
10 was the ultimate producible reserves down to a 2000 pound
11 bottom hole pressure.

12 Q In your testimony with regards to the
13 unorthodox location, you indicated that this was a non-
14 prorated Morrow gas pool, and that you recommended some
15 type of penalty factor based upon a deliverability test.
16 I believe that's what you said.

17 A Yes, that's what I said.

18 Q Are you familiar with the Commission's
19 order, I believe there's only one or two, that have been
20 entered that establish a penalty factor in a non-prorated
21 gas pool with regards to acreage location?

22 A The Yates well?

23 Q Yes.

24 A You have reference to?

25 Q You're familiar with that order?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 A. I have read it.

2 Q. All right. You're also aware, are you
3 not, that the Examiner order entered in Llano's case from
4 the March, '79 hearing, did not apply any kind of penalty
5 factor to the Llano well whatsoever. You're aware of that,
6 are you not?

7 A. I wouldn't say that. Let me read what
8 I think is -- excuse me, I have to get something else.

9 Okay. It says that insomuch as the east
10 half of Section 34 does not meet the acreage dedication
11 requirements for the lands for which the limited, temporary
12 640-acre spacing was established by Order Number 5995,
13 said east half of Section 34 constitutes a 320-acre non-
14 standard proration unit for these lands; that insomuch as
15 it is impossible to dedicate a standard 640-acre unit to
16 said well, the applicant should file an application for
17 hearing to consider a non-standard gas proration unit for
18 the well, and such unit would logically be either a 320-acre
19 non-standard unit, comprising the east half of Section 34,
20 and be subject to a production limitation factor due to
21 the deficient acreage dedication, or a 640-acre non-standard
22 unit comprised of the east half of Section 34 and the east
23 half of Section 3, Township 2 South, Range 34 East.

24 Q. So the key to the entire discussion is
25 whether or not the wells east of the fault line are spaced

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2482
Santa Fe, New Mexico 87501

1 on 640 acres or spaced on 320 acres.

2 Once that decision is made then you can
3 logically either apply or not apply a penalty factor. Is
4 that not true?

5 A. Well, that's the primary thing, is the
6 640-acre spacing.

7 Q. All right. Now with regards to a penalty
8 factor in a non-prorated gas pool, you're aware, are you
9 not, that the Division sets a minimum allowable for any
10 penalized well?

11 A. I have heard of that, yes.

12 Q. Would you not agree that a minimum daily
13 allowable of 2000 Mcf per day would be a reasonable mini-
14 mum below which a penalty factor should not be assessed?
15 2000?

16 A. In my personal opinion that sounds high.

17 Q. Would you think a penalty factor with a
18 minimum allowable below which the penalty does not apply
19 of 1500 Mcf per day would be a reasonable figure?

20 A. You're getting closer.

21 Q. All right. Would you pull out Getty
22 Exhibits Twenty-five and Twenty-eight?

23 Would you look at Exhibit Number Twenty-
24 five, that's your production tabulation on the Getty No.
25 Two State Well.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 A. I have it.

2 Q. Was the line pressure during the entire
3 period of production for this well constant?

4 You do not know?

5 A. No, I understand it averages between 350
6 and 500 pounds, but other people here can tell you.

7 Q. Is that well equipped with a choke that
8 can be adjusted to fluctuate the rate of production on that
9 well?

10 A. That is right.

11 Q. Has that choke setting remained constant
12 for all the months of production? For this well?

13 A. I really can't say. I know one time we
14 increased it to a rate of approximately 2-million a day,
15 and we started making a little sand and so we reduced it
16 back to 1.7-million a day.

17 Q. What accounts for the dip in production
18 in September? '78?

19 A. I have no idea. Mr. Klaar testified that
20 there was some mechanical problems for this well as far as
21 the pipeline, but he didn't elaborate when, and I am not
22 involved in the day-to-day operation in the area office.

23 Q. What was the original bottom hole pressure
24 when the Getty Two Well was completed? I think you gave
25 that to us before. What was it?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Ilwaco (955) 471-2452
Santa Fe, New Mexico 87501

1 A Well, let's see. It's on Llano Exhibit --
2 8224, on 2-14-78. It's on the old Llano Exhibit E.

3 Q And if you'll look at Exhibit Twenty-Eight
4 that's a tabulation of production on the Getty 35 State
5 Well. What was the original bottom hole pressure on that
6 well?

7 A Okay, I have it here. 7468.2 absolute.

8 Q That's January 13, 1979.

9 A That sounds about right. I think the
10 test date was January 23rd, '79.

11 Q Now on the Getty 35 State Well, have you
12 fluctuated the choke on that well to maintain production
13 at a certain volume?

14 A Well, I know -- I don't know that the
15 choke has been changed but I do know we could increase
16 production substantially by opening the choke up. It's
17 flowing at a restriction of 4400 psi.

18 Q To the best of your knowledge the choke
19 on that well has not been fluctuated during the production
20 you've indicated on your Exhibit Number Twenty-eight?

21 A We elected to produce the well at 4-million
22 a day or less at the time. I had it, do not know that that
23 is going to take place in the future, but that -- we decided
24 to keep it at that, right, and I don't know the exact choke
25 size, other than on the current choke is 12/64ths. Now if

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 we're opening it up, we haven't opened it up very much,
2 because that's a pretty small choke on the well.

3 And the choke on the other well, the
4 Getty Two State, is 7/64ths, even smaller.

5 Q Doesn't your Exhibit Number Twenty-eight
6 demonstrate that between March and April there's been a
7 decline of 10,000 Mcf in the production of the well and
8 would you not attribute that to a decline in the capacity
9 of this well to produce from the Morrow formation?

10 A What well are you talking about?

11 Q 35. Exhibit Twenty-eight.

12 A I have not seen any indication whatsoever
13 that that well is declining in production. I feel confident
14 that we could produce and we may elect to try to produce
15 6 or 7 million a day in the near future.

16 Q Mr. Bosecker, was it not your testimony
17 before the Examiner on March 14th, 1979, that you believed
18 the 35 Well and the Getty No. 2 Well were in pressure com-
19 munication with each other?

20 A Yes, I did say that.

21 Q And then you have not come forward today
22 with that type of testimony, have you?

23 A I don't think that I have said that to-
24 day, no. I think that the reservoir characteristics are
25 such, the kh in both of the wells, in 35 it's 160, appro-

1 ximately, that's just approximate; and the other well is
2 60-something, that those characteristics are such, and
3 knowing to the best of our knowledge there's no fault in
4 between, being able to correlate the sands, that there is
5 or there will be pressure communication between those two
6 wells.

7 Q But in reaching that conclusion today
8 you've excluded testimony that you introduced in March of
9 '79 indicating that comparison of the original bottom hole
10 pressures in the well and the subsequent production, that
11 you reached the conclusion that there was pressure commun-
12 ication between the two wells.

13 A I have not said that today, no.

14 Q In fact, the reason you've said it -- not
15 said it today is the fact that you no longer believe that
16 to be true.

17 A I do not believe that we can clearly
18 show that. As I said, with the kh, there is no question in
19 my mind that the rock properties are such that there will
20 be communication through the reservoir.

21 Q Does the fact that the No. 2 Well is
22 producing above the top of the Morrow Clastics and the fact
23 that the 35 Well is producing below the top of the Morrow
24 Clastics influence that decision?

25 A The decision that there is --

SALLY WALTON BOYD
CERTIFIED INTERVIEW REPORTER
3030 Plaza Blanca (SSE) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (606) 471-2402
Santa Fe, New Mexico 87501

1 Q No communication between the two wells?

2 A I have not said there is no communication
3 between the two wells.

4 Q Now, let's look at your Horner plots.
5 Did you actually prepare these Horner plots?

6 A Members of my staff prepared them. I
7 have looked at them and can -- in fact, we have done them
8 twice. I asked that they be double-checked.

9 Q These are the same Horner plots that were
10 introduced at the March, '79, Examiner Hearing, in the
11 Llano case?

12 A Yes.

13 Q All right. You've not changed any of the
14 data or the information contained on the Horner plots
15 since that hearing.

16 A Yes, we have.

17 Q You have?

18 A Uh-huh.

19 Q Tell me what information has been changed.

20 A Mr. Nutter pointed out that our delta T
21 wasn't correct, so we had the bottom typed, just -- it now
22 reads T plus delta-T over delta-T.

23 Q All right.

24 A There's been that kind of correction on
25 one or two of them.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3050 Plaza Blanca (SOS) 471-2442
San Antonio, New Mexico 87501

1 Q What are the assumptions inherent in a
2 Horner plot, Mr. Bosecker?
3 A I really don't -- can you get more specific
4 in the question?
5 Q Doesn't the Horner calculation in plots
6 assume that this is a homogenous reservoir of uniform thick-
7 ness?
8 A No.
9 Q All right. In what types of reservoir
10 do you use a Horner plot?
11 A Getty uses Horner plots in all reservoirs
12 that we can, particularly in gas wells, because it gives
13 us an idea of skin damage, initial reservoir pressure,
14 layering, many, many different reservoir -- permeability.
15 Q Is the Horner plot specifically designed
16 for a heterogenous reservoir?
17 A No.
18 Q Is it specifically designed for a homo-
19 genous reservoir?
20 A No.
21 Q Is it your opinion that you can use the
22 Horner method satisfactorily regardless of the type of
23 reservoir?
24 A That's a big question.
25 Q Well, you've just told me that you use it

1 without discrimination regardless of the kind of reservoir.

2 A. We use it on all kinds of reservoirs.

3 Now, I can imagine many things, such as a permeability
4 pinchout, plus a fault in another direction, plus a change
5 in thickness in another, plus a boundary, say, on oil/gas
6 contact, where -- where you could not interpret it accurately
7 because there's too many things going on at the same time.

8 Q. What is the average permeability you've
9 encountered in this particular area?

10 A. Well, we have not had cores. We've had
11 to rely upon the Horner plots to obtain the permeabilities
12 that we do have.

13 Q. And what generally is that average?

14 A. Okay, in the Getty Two State at one time,
15 the first time it was measured 2.0 millidarcy; the second
16 time 2.2 millidarcys.

17 Now in the Getty 35, which is a better
18 well, no question about that, I don't think, 5.5 millidarcys.
19 But --

20 Q. The higher the millidarcy, the greater
21 the permeability.

22 A. Millidarcy is a measurement of permeability,
23 yes. It's a unit of measurement.

24 Q. The higher the permeability, the less
25 area it takes to contain a gas reservoir than at a lower

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (605) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2030 Plaza Blanca (505) 471-2442
Santa Fe, New Mexico 87501

1 permeability.

2 A. I don't think you know what you're saying.
3 Reword that.

4 Q All right. How about the higher the
5 porosity, the smaller number of acres would be necessary to
6 contain that quantity of gas?

7 A. You mean -- you say a given quantity of
8 gas, like 1-billion cubic feet.

9 Q Uh-huh.

10 A. Okay. The higher the porosity, the smaller
11 the affected drainage area would be for that volume of gas.

12 Likewise, if you have a thick net pay,
13 like in one of the Llano exhibits, 15 feet.

14 Q Uh-huh.

15 A. The drainage area is relatively small but
16 if you increase it, like back when it was shown in '73,
17 down to 8.3 feet, that pancakes it out and makes it go
18 further out.

19 Q Okay. What was the porosity cutoff used
20 in the Isopach put together back in '72, which you intro-
21 duced as an exhibit?

22 A. I introduced that as an exhibit as a
23 matter of record. I did not prepare it. Llano testified
24 to its accuracy.

25 Q Wouldn't the porosity cutoff factor have

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Ilanica (505) 471-2462
Santa Fe, New Mexico 87501

1 a material effect upon the material balance calculations
2 that you made based upon that Isopach? And its comparison
3 to the material balance calculations that were introduced
4 at the hearing in March of '79?

5 A To simplify everything, I used the exact
6 same porosities, the only porosities that were a matter of
7 record, which were testified in March, '79, for every well.

8 Q But you don't know if the porosity cut-
9 off for the exhibit prepared in '79 was the same porosity
10 cutoff used for the preparation of the Isopach in '72.

11 A That's a fair statement.

12 Q If the porosity cutoff was 6 percent in
13 one and 5 percent in the other, it would make a substantial
14 difference in your calculation, would it not?

15 A Yes, but it would not of --

16 Q It could affect the area drained by as
17 much as 25 percent in the calculation.

18 A What were the numbers?

19 Q The porosity cutoff difference of 6 per-
20 cent versus 5 percent.

21 A It could. I doubt seriously that it
22 would.

23 Q Would you generally characterize this
24 Morrow formation here as a tight reservoir of low permeability?

25 A It depends upon what you're comparing it

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2463
Santa Fe, New Mexico 87501

1 to. If you're comparing it to the Gulf Coast, yes.

2 Q All right. If we had a permeability
3 reading of 2 millidarcys, that's a pretty tight reservoir,
4 isn't it?

5 A Out here it's a pretty good reservoir.
6 In fact, I don't want to get in this good and exceptional,
7 but --

8 Q Well, I don't want to either, because I
9 don't think it's relevant.

10 A I don't either.

11 Q I want you to tell me, though, what you
12 find to be the average permeability across this reservoir,
13 and whether that permeability is constant among all the
14 Morrow wells.

15 A I have very limited information as far
16 as permeability measurements. The only measurement that
17 we have done is with the Horner plot. We have attempted to
18 cut cores and have been unsuccessful due to drilling prob-
19 lems.

20 There have been some cores that have been
21 cut, and they're on the storage wells and the Government
22 A No. 1, I believe, was cored, but I do not have that in-
23 formation.

24 Q On your Horner plot, how long did you
25 shut the well in to stabilize it before you started running

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (995) 471-2462
Santa Fe, New Mexico 87501

1 your plot?

2 A. Which Horner plot?

3 Q. Pick any one you like. How many Horner

4 plots did you run?

5 A. We've run three.

6 Q. You've got two on the No. Two State and

7 we've got one on the No. 35 State.

8 A. And your question?

9 Q. How long --

10 A. How long we shut it in before we ran it?

11 Is that what it was?

12 Q. That's right. How long did you shut the

13 well in in order to stabilize the pressure before you

14 started to run the test?

15 A. Well, the Horner plot is run with the

16 well flowing and then it's shutin and the shutin portion

17 is the Horner plot, so we did not shut the well in at all

18 before we initiated the Horner plot.

19 Q. All right. Before each test, then, how

20 long did you flow the well before you shut it in to take

21 the test?

22 A. I can just give you an estimate.

23 Q. All right.

24 A. On the Getty Two State it appears that

25 it was shutin on February the 14th. The well, I believe,

1 was turned on and a 4-point was run on February the 13th,
2 which was the official potential test.

3 After that was over we ran a bomb to the
4 bottom on the 14th. These are approximate dates, but to
5 the best of my knowledge. Shut it in and ran this Horner
6 plot. Ran the pressure buildup, rather, excuse me.

7 Q On the Horner plot for the Getty Two
8 State that was conducted in December of '78, how long did
9 you run that pressure buildup test?

10 A The well had been producing for several
11 months and the exact time of the -- or the exact length of
12 time of the shutin I do not know, but I would guess from
13 one to three days.

14 As you can see we're on the straight line
15 portion, so we ran it long enough to get -- to get an
16 accurate test.

17 Q Was the pressure buildup test in each of
18 the three tests run somewhere between 24 and 72 hours?

19 A I would think so, but I can't say for
20 sure. I just don't have that information here. With the
21 kind of permeability that we knew we had, it would -- I
22 know that we wouldn't have normally left a bomb on bottom
23 over three days.

24 There are wells that we leave bombs in
25 for fifteen days, then continue to leave the well shutin,

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 and come back another fifteen days. In one we ran it after
2 46 days and it was still building.

3 But unfortunately that wasn't this area.
4 But that shows you the difference between wells.

5 Q Do you agree in running a Horner plot that
6 it's better to have a pressure drawdown test than a pressure
7 buildup test?

8 A No, not necessarily. You know, some
9 people run one kind of open hole log and some run another,
10 and this is a very satisfactory means that Getty uses to
11 evaluate the wells that it drills.

12 Q Does not the Horner plot become more
13 accurate the longer you run either the pressure buildup
14 test or the pressure drawdown test?

15 A What you have to do is get on the straight
16 line portion of the curve and once you're on that you're
17 okay. You can draw a straight line to infinite shutin
18 time.

19 The only problem that you could have would
20 be that if there are -- it's possible that the slope could
21 change, but in these cases we're clearly on the straight
22 line portion of the curve.

23 Q Back earlier in February of '78 on this
24 Getty Two State Well, if you'll look at your Exhibit Number
25 Nineteen, that was the first Horner plot run on that well.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (605) 471-2442
Santa Fe, New Mexico 87501

1 A. Yes.

2 Q. The Horner plot indicates that the points

3 have not stabilized until some time later in the test and

4 that the first portion of that test shows a curve in the

5 points plotted. Can you attribute that type of plot on

6 this Horner curve as evidence of damage to this formation?

7 A. Which points? Would you count the points

8 and tell me what you have reference to?

9 Q. Well, you'll have to tell me because I

10 believe it was your testimony that you felt that the Horner

11 plot would give you evidence of a layering effect between

12 the two producing formations.

13 A. Oh, it does, as far as I'm concerned.

14 Q. All right, show me where you see that.

15 A. Okay. Layering can be seen as a result

16 of the two parallel lines that are drawn, and --

17 Q. Depending upon where you cut off the

18 two lines you would see a similar type curve if this was

19 indication of damage in the reservoir, would it not?

20 A. I don't think so. Now, layering from

21 multiple zones can be depicted by parallel lines. Skin

22 damage, which you have reference to, looks differently and

23 I have some exhibits here, if you would like to look at

24 them.

25 Q. I'd like to look at that Xerox out of

1 your manual indicating the types of theoretical curves you
2 would see, and compare them between skin damage and the
3 layering effect you think this indicates.

4 A. Okay. Okay. If I can find it.

5 Shall we introduce these as --

6 MR. CARR: I think so. This will be
7 Getty Exhibit 33.

8 Q. Mr. Bosecker, I believe everybody has be-
9 fore them a copy of Getty Exhibit Number Thirty-two, and
10 would you identify to us the two curves that are indicated,
11 the first one, which would be evidence of skinned or a
12 damaged zone, where is that?

13 A. Okay, that's the top middle one and you
14 can extrapolate that straight line portion on out to infinite
15 time on the righthand side. And the damaged zone can be
16 depicted by where the points initially are below that.

17 Q. Where is the two layering effect sample?

18 A. Okay. That is in the middle of the third
19 one down, and again you can extrapolate -- this is not the
20 best exhibit in the world -- but a straight line on over
21 to infinite time on the righthand side. So you end up with
22 two parallel lines.

23 Q. All right, looking at the sample in the
24 center bottom row that's the layering effect, if you extra-
25 polate out your points on the top line, the one that curves,

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 from left to right, and extrapolate that on, it will look
2 very much like the curve for the damaged zone, won't it?

3 A. In the middle top if you extrapolate
4 backwards, like I said, it will look like it is the damaged
5 zone.

6 Q. Now, if you're simply producing from two
7 different layers within the same Morrow Sand stringer, you
8 might also see this same type of effect.

9 A. That is possible but I'd like to qualify
10 that. When -- when this happens you're usually talking
11 about a thick zone, you know, like 100 feet, and you have
12 two distinct zones with two different kh's, and in fact
13 I can show you some examples of that, but every zone has
14 variations; each quarter of an inch changes, and included
15 in the one member you have a whole bunch of little changes
16 and they do not act like a staircase going up with all these
17 different parallel lines.

18 Q. Would you look at Getty Exhibit Number
19 Twenty-seven? This is your production curve on the Getty
20 Two State Well, right? Exhibit Twenty-seven?

21 A. This is one of them, yeah.

22 Q. All right. I missed the significance
23 of this exhibit, Mr. Bosecker. You made reference to the
24 gas produced and the condensate produced, and I'm sorry,
25 but I didn't hear what this meant.

1 A. Well, I stated that initially the well
2 produced condensate three, then the condensate started in-
3 creasing and leveled off as it is now, and I have -- to me
4 it is an indication that the second zone is coming in.

5 I am also aware that there are some pro-
6 duction problems that were associated with the well, and
7 I've tried to pinpoint how much production problems there
8 are, whether or not they were enough to affect this curve
9 materially or not. This is -- and I do not believe so, but
10 I cannot state one way or the other.

11 This -- what we'd plotted this from was
12 our records in-house, showing the production that was pro-
13 duced and measured on a daily basis or near daily basis.
14 It was not on a daily basis, spot production.

15 Q. This -- this is the Getty Two State Well
16 that was tested below the top of the Morrow Clastics and
17 then later perforated above the top of the Morrow Clastics.
18 That's the well we're talking about?

19 A. Yes.

20 Q. All right. Now, are you telling me that
21 the condensate production here that picked up in July is
22 what you believe to be that lower zone now cleaning out and
23 contributing to the production of the well?

24 A. Since the other well is only perforated
25 below the Morrow Clastics, and since it produces condensate

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 similar to this condensate, that is what I think it means.

2 Q Okay.

3 A But like I said, during this time there
4 was mechanical problems and Llano had problems, Getty had
5 problems, and I think that it reflects this.

6 Q You think that despite the production
7 problems, the curve indicates that this other Morrow zone
8 present in the Getty Two State Well is now producing?

9 A Oh, I am confident that the Morrow is
10 producing, yes.

11 Q And you have --

12 A I think that the Morrow is above and
13 below the Morrow Clastic interval as far as Getty is con-
14 cerned, and that is the section that we want the field
15 rules on.

16 Q And you're satisfied that you've had an
17 opportunity to explain that production problems don't really
18 cause a curve to do this kind of thing.

19 A No, I said I, to the best of my knowledge,
20 I do -- I really can't say for sure if they do or if they
21 don't, other than the field has told us that as the other
22 zone cleaned up we increased our condensate. All I did
23 was plot the condensate and the gas produced. I do know
24 that Llano had some problems with dehydration out there.

25 Q But then you reached the conclusion that

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2010 Plaza Blanca (955) 471-2452
Santa Fe, New Mexico 87501

1 you, based upon your study, that that was this other Morrow
2 zone coming in on the Getty Two State Well.

3 A. I introduced it as an exhibit and I as-
4 sumed that if Llano would take exception to it, they will.
5 To the best of my knowledge it indicates, it's just an in-
6 dicator, of -- of the facts.

7 Q. That's one of the factors you've used in
8 reaching your conclusion that these wells will drain 640
9 acres, isn't it?

10 A. This testimony is that, yes.

11 Q. All right. Would you be surprised to
12 know that in July when the condensate production began to
13 increase that it was only at that time a separator was set
14 on this well, and that prior to that time the condensate
15 production had been going into the gas sales line and being
16 recovered at the sales meter?

17 A. I am not aware of any time that a separ-
18 ator was set. I do know there was some problems as far as
19 dehydration. I was told that.

20 Q. Do you know if there is a separator on
21 this well now?

22 A. No.

23 Q. Okay, so you --

24 A. But I assume that there is.

25 Q. Okay.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 A. I have not ever been on the location
2 myself.
3 Q. Okay. What was the cost of the Number
4 Two State Well?
5 A. Approximately \$2.1 million.
6 Q. And the cost on the 35 Well?
7 A. Excuse me. Two State was approximately
8 \$1-million. 35 State was approximately \$2.1 million, and
9 I do not --
10 Q. Now is that the total cost of the well or
11 is that Getty's cost? Remember we have some working interest
12 owners in each of those --
13 A. No, that's gross cost.
14 Q. All right, so for the Number Two Well
15 we've got a million dollars gross cost and for the 35 well
16 I've got something around \$2-million gross cost.
17 A. Yes, and the reason for the increase was
18 because of the discovery of another zone, which complicated
19 the whole well and it had to be dualled and it's producing
20 almost 400 barrels of oil a day and a half a million cubic
21 feet of gas a day out of the Bone Springs.
22 Q. I believe you showed me a gas in place
23 figure for the 35 Well of something, 11.1 billion, I believe
24 it was? Are those not the figures?
25 A. Well, I stated a figure that we -- in-house

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-3162
Santa Fe, New Mexico 87501

figure that we have used, or calculated, was 11.3. Now, this was volumetric and it was down to 2000 pound.

Q. Based upon those kind of reserves attributable to this well and the cost of the well, the Number 35 Well, this well is going to pay out, isn't it?

A. Sure.

Q. It's going to be paid -- it will pay out based upon 640-acre spacing.

A. Yes.

Q. All right. What is the value of the reserves attributable to the well so you can reach the conclusion that the well will pay out?

A. Well, I can state that the well will pay out. Now when you're talking about escalation tables as far as product price and as far as operating cost, and discounting it at your accepted discount rate, I do not know the value of the reserves. That could be done a million different ways and the Federal government will be involved in it several times, also.

Q. Well, if you assume the value of the reserves to be \$2.00 an Mcf it would not be an unreasonable assumption for a price, would it?

A. Not for an undiscounted price.

Q. All right. That would -- that would make the total value of the reserves somewhere in the area of

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (805) 471-2462
Santa Fe, New Mexico 87501

1 \$20 million, wouldn't it?

2 A Undiscounted, before royalty to the State,
3 not counting operating costs or initial capital investment.

4 Q Subject to those reservations, based upon
5 640 acres, and the cost of a \$2-million well, it will pay
6 for itself more than ten times -- more than ten times.

7 A Well, if you had those reservations in,
8 it wouldn't be ten times. It would be more like seven
9 times, maybe, or six.

10 Q It will pay out in six or seven times
11 with the qualifications that you've put in there.

12 A Well, this is just general numbers un-
13 discounted, and that will affect it also.

14 Q And if the spacing is reduced to 320
15 acres it will still pay for itself more than three times,
16 won't it?

17 A If it would pay for itself six times and
18 if it was reduced to 320, I do not think it would pay for
19 itself -- or on 640, if it was six times, I don't think it
20 would be quite three times on 320, because you have to add
21 another well cost in there, double operating costs, et
22 cetera.

23 Q Have you made a calculation of what the
24 value of that penalty factor to your non-consenting owners
25 in terms of dollars?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (601) 471-3462
Santa Fe, New Mexico 87501

1 MR. CARR: I'd like to object at this
2 time. I fail to see any relevance spending our afternoon
3 discussing finances of whether and how the well is going
4 to pay out. I don't see how that is really relevant to any
5 of the questions posed to this Commission; I believe a
6 case on a pool should be governed by questions of what one
7 well can effectively drain or whether or not a well is
8 crowding an offsetting property, or whether or not a well
9 has a standard proration unit to dedicate to it, and I'm
10 finding Mr. Kellahin fascinating, but I just don't see the
11 relevance of spending the afternoon batting the costs around

12 MR. KELLAHIN: If I may, please, Mr. Ramey

13 MR. RAMEY: Mr. Kellahin.

14 MR. KELLAHIN: The relevance hurts Getty
15 very badly, and is very relevant. It demonstrates one of
16 the very basic principles that we here in unorthodox loca-
17 tion cases and pooling cases and spacing cases time after
18 time.

19 The operator will come in here and say
20 based upon economics it is inefficient and uneconomic for
21 me to drill a well on less than 640-acre spacing. That's
22 been cried in the Morrow for years.

23 We are demonstrating, I think, very
24 graphically that a well in this particular area should not
25 be spaced on 640 acres for economics. We've seen from his

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

1 testimony that a well is going to pay out almost three times
2 according to his reservations, based upon 320 acres. I
3 think that's relevant and critical to the decision that the
4 Commission makes.

5 MR. CARR: I don't really see how, in
6 response to Mr. Kellahin's statement, how anything is impor-
7 tant to this Commission other than the simple fact that it
8 costs twice as much, probably, to drill two wells as it
9 does to drill one; that it advances the time that you hit
10 your economic limit on a well.

11 I don't see how whether or not there's
12 a penalty factor and how many cubic feet and what you're
13 going to get and let's suppose you get a better price, and
14 when does the Federal government come in, have any bearing
15 on anything before this Commission.

16 MR. RAMEY: Well, I'm going to sustain
17 the objection, Mr. Kellahin. The witness did not testify
18 to anything on economics. You're bringing this out and I
19 think the Commission has -- has the picture. So I would
20 suggest that you try to confine your questions.

21 Q (Mr. Kellahin continuing.) Now, if you'll
22 look at Getty Exhibit Number Twelve, --

23 A. What is Number Twelve? I just don't have
24 it.

25 MR. NUTTER: Twelve is the old Llano Ex-

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (666) 471-2482
Santa Fe, New Mexico 87501

1 hibit E. That's the --

2 A. Thank you, I found it.

3 MR. NUTTER: -- drainage area.

4 Q In the center of the exhibit it indicates

5 a thickness of net productive sands and then for each of the

6 six wells tabulated it shows a net productive sand attri-

7 butable to each of those wells.

8 Mr. Bosecker, have you independently made

9 your own picks from the logs as to the productive sand

10 intervals for each of those wells?

11 A. We have looked at the logs and particularly

12 like on the Getty 35 No. 1.

13 Q Except to the 35 No. 1 Well, which we'll

14 come back to in a minute, you don't have any disagreement

15 about the net productive sands picked on Exhibit Number

16 Twelve, do you?

17 A. From what I've seen from the logs these

18 net thicknesses appear to be -- to be reasonable.

19 Q Would you look at Getty Exhibit Number

20 Sixteen now, please?

21 A. I have it.

22 Q This is a material balance calculation

23 that you've compiled based upon the old 1972 Isopach that

24 was put together. That's what this plat is, isn't it?

25 A. That is correct. These footages were

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 taken from the testimony presented by Llano.

2 Q You would agree with me then that we could
3 discard that exhibit and the thicknesses of net productive
4 sand that were picked at that particular time, would you
5 not?

6 A I included Exhibit Number Thirteen as a
7 statement -- it's a statement of record, in the public re-
8 cords, and I built Exhibit Number Sixteen based upon this
9 Isopach map to show how differences in the thickness in
10 this particular area can affect the drainage.

11 Q I understand what they do, Mr. Bosecker,
12 and you have just agreed with me that Exhibit Number Thirteen
13 would be the net productive sands that you would pick and
14 that the thickness attributed on Exhibit Number Thirteen
15 is the correct one to use.

16 A I do not have all the information avail-
17 able that Llano has, like core analysis and, particularly
18 core analysis, which I am sure that are very important,
19 and with the information that I had available, which are
20 logs and it's highly interpretive, I think that the Exhibit,
21 or the other net footages is as accurate as I can define
22 with the tools that I have, but there are other tools avail-
23 able, namely the core analysis that Shell cut that I as-
24 sume that Llano has.

25 Q You're speaking in reference to Exhibit

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
8020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 Number Thirteen, aren't you?

2 A. I'm speaking with reference to Exhibit
3 Number Fifteen, the Isopach map.

4 Well, I don't know, I may have misunder-
5 stood you.

6 Would you state it again, please?

7 Q Yes, sir. Before we discussed Exhibit
8 Number Sixteen, Mr. Bosecker, I asked you to look at Getty
9 Exhibit Number Thirteen. It was identified to you as being
10 the material balance calculation done by Llano. I asked
11 you to look at the thickness of net productive sand for the
12 wells indicated on that exhibit -- I'm sorry, it was Exhibit
13 Number Twelve. To look at the thickness of net productive
14 sands for that -- those calculations, and with the exclusion
15 of the Getty 35 State No. 1 Well, whether you had any dis-
16 agreement at all with the thicknesses attributed to each of
17 the wells.

18 Your answer to me was that you had no
19 disagreement.

20 I then asked you to look at Getty Exhibit
21 Number Sixteen and we discussed the old Isopach map that
22 was produced back in '72 that showed substantially less
23 net thickness of productive sands in some of those wells.

24 That was your testimony, was it not?

25 A. Yes.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87101

1 Q All right, sir. Now let's look at Exhibit
2 Number Thirty-five. Apparently you do have some disagree-
3 ment as to the thickness of productive sands --
4
5 MR. CARR: There is no Exhibit Thirty-five.
6 Q I'm sorry, Exhibit Number Twelve, Well
7 No. 35.
8 A Okay.
9 Q If you'll look at the last well, that is
10 the Getty 35 State No. 1 Well, --
11 A On Exhibit Number Twelve.
12 Q Yes, sir.
13 A Yes.
14 Q All right. The thickness of net pro-
15 ductive sands in that well on this exhibit is 23 feet.
16 A That is correct.
17 Q Now, if you will look at Getty Exhibit
18 Number Twenty-four.
19 A Yes, I have it.
20 Q All right. On Getty Exhibit Number Twelve,
21 calculations made by Llano, the Getty 35 State No. 1 Well
22 is attributed a thickness of 23 feet, and if you'll look
23 on your Getty Exhibit Number Twenty-four, you attribute 32
24 feet of productive sand to that well. Is that true?
25 A That's -- yes.
Q All right. If we take the same calcula-

1 tions on Getty Exhibit Number Twelve and plug in instead
2 of the 23 feet, we plug in 32 feet of productive sand, it
3 will demonstrate from the material balance calculations that
4 the acreage drained will be something less than 262 acres,
5 if you calculate it based upon the 23 feet of sand. That's
6 true, is it not?

7 A Well, there's a lot of things involved.
8 Number one, that 5-billion cubic feet of primary gas pro-
9 duction as Llano testified to in Exhibit Number Twelve, we
10 think is substantially higher than that, and I in fact testi-
11 fied that it would be 11.3 down to 2000 pounds.

12 And, also, -- well, that's one of the
13 big changes.

14 Q Let's assume that the only thing you
15 change in the equation is the thickness of net productive
16 sand. If you increase the thickness you're going to de-
17 crease the calculated drained acres.

18 A That is correct.

19 Q If we plug in the 32 net productive feet
20 of sand for the Getty 35 State Well, and if we substitute
21 in your figure of 11.3 Bcf, what happens to the acres
22 drained?

23 A Well, other things have to be done,
24 namely, the primary oil production has to be taken into
25 consideration. Since we chopped it off at 2000 pounds

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 bottom hole pressure, the recovery factor would have to be
2 decreased substantially, maybe to 65 percent. I don't know
3 at this point in time.

4 And --

5 Q Excuse me, I want to be sure I understand
6 that. Are you telling me that I should take the 11.3
7 billion cubic feet of gas in place and reduce that by 65
8 percent?

9 A No.

10 Q Well, tell me.

11 A Okay. If you put 11.3 under the column
12 primary gas production, even though it hasn't made that
13 yet, then if you increased in the same manner the primary
14 oil production and equivalent Mcf, say, increase it to a
15 comparable thing would be around 150,000, plus you change
16 your recovery factor from a .80 down to approximately .65,
17 the reason for that is our volumetric calculations assumed
18 a relatively high bottom hole pressure, so there's a heck
19 of a lot more gas in the ground that wouldn't be recovered,
20 according to the -- those calculations.

21 If you do that and do not change anything
22 else, I don't know just what number you'll come up with.

23 Q You would agree it will be about 270
24 acres, would you not?

25 A No, I don't know that it would be or

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (906) 471-2442
Santa Fe, New Mexico 87501

1 wouldn't. I haven't checked it.

2 Q The information is available here on the
3 exhibits and if we substitute in primary gas production as
4 you've indicated, change the recovery efficiency factor,
5 and increase the thickness of net productive sand, the
6 Division or any competent engineer could make the same cal-
7 culation and determine the acreage drained.

8 A They could determine what the sheet of
9 paper shows. Whenever you have wells 3465 feet away show
10 a pressure response in 10 hours, I know what's going to be
11 drained, and it's more than any 262 acres, or 278 acres.
12 Particularly when there's no fault in that section.

13 Q That Shell test back in '65 was the one
14 between --

15 A The No. 1 and the No. 4.

16 Q There is nothing that would preclude that
17 drainage pattern to be elliptical in shape to show that at
18 least that particular Morrow Sand present in both of those
19 wells in fact could be in communication.

20 A Well, I believe that Morrow Sand present
21 in both of those wells is in communication, and Llano has
22 testified that other wells are in communication.

23 Q Can you show us any evidence here today
24 to indicate that that kind of response evidenced between
25 the No. 1 and No. 4 Well is in any way characteristic to

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 the production of any of the other Morrow Wells in this
2 area?

3 A. Well, the drainage area calculations are
4 one thing that indicate it. Also the fact that there is a
5 gas storage project, that there is communication, I think
6 was testified to without exception, east-west communication
7 is what I remember. Also we have kh values that indicate
8 that we have good permeability. I see very little doubt
9 that -- I have no question as far as drainage, that there
10 will be drainage in the reservoir.

11 Q. What is the current statewide spacing
12 for Morrow production?

13 A. There is a Rule Number 104, I believe.

14 Q. What does that rule say?

15 A. The rule has something to do with 320
16 acres, I believe. Am I correct?

17 Q. Yes, sir, you are.

18 MR. KELLAHIN: I have no further questions.

19 MR. RAMEY: Any other questions of the
20 witness?

21 MR. NUTTER: I'd like to ask him one.

22 MR. RAMEY: Mr. Nutter.
23
24
25

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (906) 471-3462
Santa Fe, New Mexico 87501

CROSS EXAMINATION

BY MR. NUTTER:

Q What's the status of that well in Section 36 at this time, Mr. Bosecker?

A It is drilling and I have last Friday morning's report as to the depth, if you want it.

Q Yeah, I'd like to know how close to being complete the well is.

A Okay. I thought you might want to know that and I Xeroxed a copy of the -- well, Bob, you know exactly what it is. I can't find it now. Don't you know the depth of the 36 Well, approximately?

MR. WIPF: I know the approximate depth as of Sunday.

A What was it?

MR. WIPF: Approximate depth was 12,528, as I recall.

MR. NUTTER: It's projected to about 13,000?

MR. WIPF: 13,400.

MR. NUTTER: Okay, that's fine. Thank you.

MR. RAMEY: Mr. Carr?

MR. CARR: I have just a couple of very short questions, on redirect, just to be sure that there's

no confusion as to what Mr. Bosecker has testified to.

REDIRECT EXAMINATION

BY MR. CARR:

Q Mr. Bosecker, you do not dispute the division made by the Commission in Order R-5995 as to what should be the Grama Ridge Morrow Pool and whether it should be governed by this hearing today, is that correct?

A. That is correct.

Q And regardless of where the Commission has drawn the division line, isn't it your testimony that that does not control where the fault is but the fault at this point is really a matter of interpretation?

A. I think that it is a matter of interpretation rather than a governmental half section line there.

Q Is it your testimony that what you have encountered here is a typical Morrow channel sand?

A. No.

Q And you base this conclusion on what, just very generally?

A. Very generally on the history of the area; the storage area; the information that we have on our wells.

Q And is it your opinion that at this time the zone originally perforated in the Morrow in the Getty

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
8030 Plaza Blanca (S-06) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2482
Santa Fe, New Mexico 87501

1 Two State No. 1 is contributing substantially to the production
2 from that well.

3 A. Yes, I believe so.

4 Q. Now we've had a considerable amount of
5 testimony concerning material balance calculation on the
6 Getty Two State No. 1. Is it your opinion that as the well
7 is produced and better data is available, that you might
8 experience changes in the results we could extrapolate
9 using various calculations much like the changes in area
10 drainage we can see in the Llano Government A No. 1?

11 MR. KELLAHIN: I'm going to object to
12 that question. It's highly speculative; calls for a con-
13 clusion this witness can't possibly make. I would like Mr.
14 Carr to ask his questions in a manner that's not leading,
15 and I would object to that question.

16 MR. CARR: I will rephrase the question.

17 MR. RAMEY: All right, rephrase the
18 question, Mr. Carr.

19 Q. Mr. Bosecker, is it, in your opinion,
20 possible to accurately calculate the number of acres that
21 can now be drained by the Getty State No. 35?

22 A. Volumetric reserve estimate would have
23 to be made to start with, and everyone here knows that
24 volumetric reserve estimates have a certain amount of error
25 in them. So there can be errors in anybody's volumetric

1 reserve estimate for several reasons.

2 Q Would you be in a better position to
3 estimate the reserves at a later time after the well has
4 produced for a longer period of time?

5 A Definitely.

6 Q If the Commission decides to reduce the
7 spacing in the area east of the Grama Ridge to 320, will
8 Getty still be able to protect its correlative rights ab-
9 sent a penalty being assigned to the Llano well?

10 A No.

11 MR. CARR: I have nothing further on
12 redirect.

13 MR. KELLAHIN: If I may question him for
14 a moment.

15 MR. RAMEY: Okay.

16
17 RECROSS EXAMINATION

18 BY MR. KELLAHIN:

19 Q Mr. Bosecker, you've reached a conclusion
20 in your Horner plots indicating that the reservoir parameters
21 in the area of the wellbore should efficiently -- should
22 effectively deplete a 640-acre proration unit.

23 Would you demonstrate to me on one of
24 your Horner plots how you reached that conclusion?

25 A Okay. That conclusion is based upon the

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

1 information obtained from the Horner plot, which is primarily
2 knowing the height of the pay, calculating permeability.
3 Permeability is very important in gas storage projects to
4 be successful. It's very important in producing wells
5 being successful, economic, and draining acreage.

6 Q At some point in time, the Horner plot
7 will change from a straight line plot, won't it?

8 A You extrapolate the Horner plot on a
9 straight line basis over to infinite shutin time, and in
10 normal circumstances it does not deviate from that.

11 Q How can you look at this Horner plot and
12 determine it's draining one section, two sections, three
13 sections, four sections, or five sections?

14 A I testified as to the permeability, that
15 the Horner plot shows is present at the wellbore.

16 MR. KELLAHIN: I have nothing else.

17 MR. RAMEY: Any other questions of the
18 witness?

19 MR. CARR: At this time I would offer
20 Getty Exhibits Fourteen, Fifteen, Sixteen, Seventeen,
21 Twenty, Twenty-two, Twenty-four, and Thirty-two.

22 MR. KELLAHIN: I'm going to renew my
23 objection as to Exhibits Fourteen through Seventeen. I
24 believe they demonstrate a collateral attack upon the
25 Division's order, No. R-5995. That order was entered on

1 May 2nd, 1979. It was the Llano case to reduce the spacing
2 for this particular pool.

3 A specific finding in question in that
4 case is finding number nine. It says that the applicant,
5 which was Llano at that time, has established that the
6 drainage characteristics of the reservoir in the wells
7 completed within the aforesaid fault ^{block} lock are not such as
8 to support 640-acre spacing, and that a 320-acre spacing
9 is more appropriate for the Morrow wells completed there-
10 in.

11 Testimony from all those exhibits goes
12 to the point of trying to demonstrate by the calculations
13 that the wells within that fault lock are draining some-
14 thing more than 320 acres.

15 Getty has not taken an appeal of this
16 particular case, and we believe that any order entered in
17 this case has got to be founded on the premise that the
18 wells within the fault lock are draining 320 acres or
19 less.

20 MR. CARR: We submit that this is cer-
21 tainly not a collateral attack on a prior order. It is,
22 however, part of the public records of the Oil Conservation
23 Commission.

24 We believe it clearly reveals that when
25 some individuals are seeking one thing, they can certainly

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87601

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (955) 471-2482
Santa Fe, New Mexico 87501

1 interpret data one way. When they're seeking to prove the
2 opposite, they can get completely different results.

3 We are not offering it for the truth of
4 the matter contained therein because the matters appear not
5 to be true, but we do think that it clearly shows how cer-
6 tain data has been manipulated, and certainly we've listened
7 all day to testimony as to how statistics can be read in
8 a multitude of different ways, and we submit that the only
9 thing that Mr. Kellahin has raised is some questions which
10 might be -- might go to the weight that this Commission
11 gives to it.

12 We submit that it's relevant and would
13 be properly admitted.

14 MR. RAMEY: We'll take a fifteen minute
15 recess before I rule on this.

16
17 (Thereupon a recess was
18 taken.)

19
20 MR. RAMEY: The hearing will come to
21 order.

22 The Commission will accept all of Getty's
23 exhibits. I don't hardly see how they could be a collateral
24 attack on the other order since it's not under attack, so
25 to speak, but we will take them for what they're worth and

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (906) 471-2462
Santa Fe, New Mexico 87501

1 we'll look at them in that manner.

2 You may proceed, Mr. Carr.

3 MR. CARR: At this time I would call
4 Robert A. Wipf, W-I-P-F.

5
6 ROBERT A. WIPF

7 being called as a witness and having been duly sworn upon
8 his oath, testified as follows, to-wit:

9
10 DIRECT EXAMINATION

11 BY MR. CARR:

12 Q Will you state your full name and place
13 of residence?

14 A Okay, I'm Robert A. Wipf, and I live in
15 Midland, Texas.

16 Q Mr. Wipf, by whom are you employed and
17 in what capacity?

18 A Okay, I'm employed by Getty Oil and I'm
19 a development geologist in the Exploration Section of the
20 Midland E&P District.

21 Q Have you previously testified before this
22 Commission and had your credentials accepted and made a
23 matter of record?

24 A No, I haven't.

25 Q Would you briefly summarize for the Com-

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (305) 471-2462
Santa Fe, New Mexico 87501

1 mission your educational background and your work experience.

2 A. Okay. I have a Bachelor's of Science
3 degree in geology from the University of Wisconsin, Mil-
4 waukee. I also have a Master's of Science degree in geology
5 from the University of Wisconsin, Milwaukee.

6 My work experience in the geologic frame-
7 work has been while I was going to graduate school I was
8 employed part time by the U. S. Bureau of Mines as a geolo-
9 gist. After I got my Master's degree I was employed by
10 the University of Wisconsin as a specialist working on
11 research projects for six months, and I've been employed
12 by Getty Oil for almost five years. I believe it's about
13 a month short today.

14 The first four years I was employed by
15 Getty Oil, I was -- Getty Oil Exploration and Production
16 Research Center in Houston, Texas.

17 Q. And do you have any special duties or
18 functions you perform for Getty Oil Company as a geologist?

19 A. Well, I'm a development geologist. I
20 also have, when I was at research, got into the well log
21 analysis branch and have spent, oh, about a year and a
22 half doing detail well log analysis calculations.

23 Q. Are you familiar with the Morrow forma-
24 tion in southeastern New Mexico?

25 A. Yes, I am.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (605) 471-2452
Santa Fe, New Mexico 87501

1 Q Are you familiar with the subject matter
2 of the consolidated cases which are before the Commission
3 today?

4 A Yes, I am.

5 MR. CARR: At this time, Mr. Examiner,
6 I would tender Mr. Wipf as an expert witness and geologist.

7 MR. RAMEY: He is considered qualified.

8 Q (Mr. Carr continuing.) Mr. Wipf, have
9 you prepared for introduction today an exhibit?

10 A Yes, I have.

11 Q And that's been marked for identification
12 as Getty Oil Company Exhibit Number Thirty?

13 A Right.

14 Q Will you please refer to this exhibit
15 and explain to the Commission what it is and what it shows?

16 A Okay. I've put this exhibit up on the
17 wall and it is a stratigraphic cross section, and what this
18 exhibit shows is it -- some of the Pennsylvanian formation
19 in the area of Lea County, New Mexico.

20 It starts over with the Phillips Hat Mesa
21 No. 1 Well, which is on the Pennsylvanian cross section
22 F-F' that was put out in August of 1974, showing the Penn-
23 sylvanian tops. And the tops shown on here are the tops
24 from that cross section.

25 Q Excuse me, is that a log of a well that

1 is known as a marker well by the Commission?

2 A. Right. Okay, then we're taking across
3 formation tops of the Strawn, the Atoka, the Morrow Lime,
4 and the Morrow Clastics marker, which has been talked about
5 earlier today, over from east to west, and we do have on
6 the exhibit a map with the numbers showing the approximate -
7 showing the location of these wells.

8 Okay. When we get over into this area
9 we have the Getty 35 State No. 1, which is in the Grama
10 Ridge Field, the Getty Two State No. 1, in the Grama Ridge
11 Field, and this is the -- this was the State GRA No. 1.
12 It's one of Llano's storage areas in Section 2.

13 Okay. Then this last well over here is
14 the No. 1 Federal, which is in the Red Tank area, which
15 is again going back towards the east, and this is also on
16 the Pennsylvanian cross section that was published in
17 August of '74, and the tops on this are the tops that were
18 shown on that cross section.

19 And the one other thing we have put on
20 this well, I think you've noticed that we've put on symbols
21 of which wells have been productive from the Morrow and
22 which were dry holes, and when you read close to the exhibit
23 from what information we had from scout tickets, is what
24 the perms were and what the well calculated out as initial
25 potential. Some are calculated and some are measured.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (602) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (G06) 471-2462
Santa Fe, New Mexico 87501

1 Okay. And what we're showing here on this
2 is that in the Grama Ridge area we have in our 35, we've
3 shown the perfs here below what has been designated today
4 as the Morrow Clastics marker, in through this section, and
5 the Two State we have here, symbolized the intervals perfed.
6 We don't have the exact number of perfs for that on hand.
7 This shows both the interval below the Morrow Clastics
8 marker and this interval above the Morrow Clastics marker.

9 And I'd like to point out that we have
10 brought and used these coming across here. Most of these
11 are, oh, two to three mile jumps at a time over in here,
12 to bring the tops over. And then what we tried to do was
13 tie this back into something and sometimes make a complete
14 circle so if we have a correlation bust it should show up
15 readily.

16 But what we do also want to show on this
17 is that to my belief is that these perfs which are in a
18 sand which are above the Morrow Clastics marker are within
19 the Morrow section, and I think if you refer over here to
20 this Phillips Hat Mesa, and take a close look, you can see
21 that that section in through here and this perfed interval
22 right up here, which is also a sand above the line interval
23 which is also within the Morrow interval.

24 Q So is it your testimony that the upper-
25 most perfs in the Getty Two State No. 1 Well are actually

1 Morrow perforated?

2 A Yes. That is my testimony.

3 Q Mr. Wipf, what can you tell us from this
4 exhibit about the producing zones in the general area?

5 A Well, off of this exhibit in the area
6 in question, we have, of course, taken a great deal of look
7 at our two wells, and also what we would expect in the
8 general area, taking in the regional point of view. And
9 what I see in through here in these intervals is fairly
10 good continuity between the sand intervals in the Morrow.

11 Now in taking a look at what we have here,
12 is that our deposition of environment interpretation is
13 as I think was testified to you earlier today, is "deltaic
14 marine".

15 Now what we think we have, or I should
16 say what I have interpreted to be based on the geometry of
17 the sand body, its position within the basin relative to
18 how we have shoreline positions mapped, the thickness to
19 width ratio, the general nature of the context with sur-
20 rounding rocks, the content of the rocks themselves, the
21 generally in here we have a quartzite sand. We have seen
22 some indications of calcareous dolomitic cement. We have
23 seen also from a few samples on which we took X-ray work,
24 we have seen that there is some kaolinite (sic). We also
25 have some chloride in the samples and some expandable

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

1 mixed layer clays.

2 And using all this data put together, we
3 think that -- or I should say I think -- that the upper --
4 that this interval, I think, which was referred to as sand
5 interval four this morning --

6 Q Which well are you talking about now?

7 A I'm pointing right now to the Getty 35
8 State and this is the interval between 12 about I think
9 it's 907 to 920 something. On this scale it's a little
10 bit difficult to tell the depths.

11 But that interval is in a barrier beach
12 environment and some of this lower area in here we believe
13 is in a pre-delta environment, and in these environments
14 we would expect rather good continuity within the sands.
15 There would be thickening or thinning there, but the con-
16 tinuity within each individual sand body over a reasonable
17 distance should be fairly good.

18 But these do not appear to be channel
19 sands.

20 Q Mr. Wipf, I'd like for you to direct your
21 attention again to the Getty Two State No. 1 and the upper-
22 most perforations in that.

23 A All right.

24 Q And ask you if it is possible in your
25 opinion, limited by sound geologic principles, to character-

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3026 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2030 Plaza Blanca (905) 471-2462
Santa Fe, New Mexico 87501

1 ize those perforations as Atoka, and what would the effect
2 be if you tried to do so?

3 A. Well, I don't think I could characterize
4 those as Atoka, and one of the big problems in putting it
5 as Atoka would be in taking some other regional cross
6 sections we have in this area, and there have been -- using
7 also several published reports in the area, we could not
8 tie in to what we're surrounded with in the area.

9 Q In your opinion in this well are both
10 the uppermost perforations and the top -- uppermost zone
11 in the Morrow Clastics contributing to production of the
12 well?

13 MR. KELLAHIN: Excuse me, which well are
14 we looking at?

15 MR. CARR: At the log of the Getty Two
16 State No. 1.

17 A. Okay, in the log of the Getty Two State,
18 and this is from the interpretation of the log, I would
19 believe that both the perfs above this Morrow Clastics
20 marker and the perfs in the section below the Morrow Clastics
21 marker would be productive.

22 Q Mr. Wipf, have you included in this ex-
23 hibit the logs of both the Getty 35 State No. 1 and the
24 Getty Two State No. 1?

25 A. Yes.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (S.B.) 471-4462
Santa Fe, New Mexico 87501

1 Q And based on your review of these logs,
2 in your opinion would both these wells be able to drain
3 640 acres?

4 A Based on the geologic data and based on
5 looking at the logs, I believe that they could drain 640
6 acres.

7 MR. CARR: I have nothing further of Mr.
8 Wipf on direct.

9 MR. RAMEY: Any questions of Mr. Wipf?

10 MR. KELLAHIN: Yes, sir.

11 MR. RAMEY: Mr. Kellahin.

12

13

CROSS EXAMINATION

14

BY MR. KELLAHIN:

15

16

17

Q Let me ask you, Mr. Wipf, if you'll
identify those wells on your cross section that produce
above the top of the Morrow Clastics.

18

19

20

21

A Okay, above the top of the Morrow Clastics
as far as my data goes through scout tickets information,
we have the Getty Two State No. 1, and we have the No. 1
Hat Mesa.

22

23

24

25

Q That's your Phillips type log from the
far left of the cross section.

A Yes, right.

Q Those are the only two wells.

1 A. That are productive at this date.

2 MR. KELLAHIN: I have nothing further.

3 MR. CARR: I have one further question.

4 MR. RAMEY: Mr. Carr.

5
6 REDIRECT EXAMINATION

7 BY MR. CARR:

8 Q Mr. Wipf, in your opinion is it possible
9 that there are zones in the Getty 35 State No. 1 Well that
10 if perforated could produce from above the top of the
11 Morrow Clastics?

12 A Yes. In fact, when I wrote the recom-
13 mendation letter for perfs, I did recommend the same cor-
14 relatable interval. It does not show up good on here, but
15 it's right in here in the Getty 35 State.

16 MR. CARR: I have nothing further.

17 MR. RAMEY: Any other questions of the
18 witness?

19
20 RECROSS EXAMINATION

21 BY MR. KELLAHIN:

22 Q Where on your cross section do you place
23 the top of the Morrow, Mr. Wipf?

24 A Right where this -- where we have this
25 Morrow and this L. for the lime.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2010 Plaza Blanca (602) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (955) 471-2462
Santa Fe, New Mexico 87501

1 Q All right.

2 A Okay?

3 Q Yes. Thank you.

4 MR. KELLAHIN: That's all.

5 MR. RAMEY: The witness may be excused.

6 MR. CARR: That concludes our case.

7 MR. RAMEY: Thank you, Mr. Carr. Mr.

8 Kellahin.

9 MR. KELLAHIN: Yes, sir, I'll call Mr.

10 Klaar.

11

12 AL KLAAR

13 being called as a witness and being duly sworn upon his

14 oath, testified as follows, to-wit:

15

16 DIRECT EXAMINATION

17 BY MR. KELLAHIN:

18 Q Will you please state your name, by whom

19 you are employed and in what capacity?

20 A My name is Al Klaar, K-L-A-A-R. I work

21 for Llano, Inc. out of Hobbs, New Mexico, as Manager of

22 Engineering.

23 Q Are you a professional engineer or petro-

24 leum engineer?

25 A I have a degree in petroleum engineering

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3056 Plaza Blanca (S95) 471-4462
Santa Fe, New Mexico 87501

1 and fifteen years of experience, yes, sir.

2 MR. RAMEY: Mr. Kellahin, the Commission
3 does consider Mr. Klaar qualified. You may proceed.

4 MR. KELLAHIN: Thank you.

5 Q (Mr. Kellahin continuing.) Would you
6 please refer to what we've marked as Exhibit Number One,
7 for Llano, and identify that?

8 A I hope the Commission will bear with me.
9 I will try to be very brief.

10 Exhibit Number One illustrates the area
11 in general. It shows all the main wells and main drilling
12 wells at this time.

13 In red it -- first of all in yellow it
14 indicates the area which prior to the March 14 hearing had
15 been designated as the Grama Ridge Morrow Field on 640-acre
16 spacing. Inside the red boundary it indicates the Com-
17 mission's determination subsequent to the hearing in March
18 that the Grama Ridge Morrow should be reduced to that area
19 at 320-acre spacing.

20 At the same time, by Order Number 5995,
21 the Commission placed the area bounded by the blue mark on
22 that temporary 640-acre spacing, and that's what this
23 hearing is all about today.

24 Q Let me lead you a bit through this exhibit
25 here, Mr. Klaar.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (866) 471-2462
Santa Fe, New Mexico 87501

1 A. Yes, sir.

2 Q. Llano is appearing in opposition to Getty's

3 application that the area between the blue line should be

4 spaced on 640 acres, is that not correct?

5 A. That is correct.

6 Q. In addition you are seeking approval of

7 a location that is 660 feet from the east line of Section

8 34 and 1650 feet from the south line of Section 34.

9 A. We have that approval but we do not have

10 any acreage assigned to it as of this moment, correct.

11 Q. Now, with regards to the approval of

12 that location, was that the subject of the hearing before

13 Examiner Nutter on March 14, 1979?

14 A. Correct.

15 Q. And pursuant to that case, did Llano

16 receive an order?

17 A. Yes, sir, we did.

18 Q. And pursuant to that order did you com-

19 mence drilling a well at that location?

20 A. We did, and we're at the present time

21 drilling at a depth of approximately 3000 feet.

22 Q. Do you have a recommendation to the Com-

23 mission with regards as to how the area in blue ought to

24 be spaced?

25 A. Yes, sir. My recommendation is that being

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2016 Plaza Blanca (988) 471-2462
Santa Fe, New Mexico 87501

1 Morrow, being Pennsylvanian gas, first of all, and Morrow
2 secondary, it should be spaced on 320-acre spacing.

3 Q In the event the Commission approves 320-
4 acre spacing, in what if any ways would your location in
5 the east half of Section 34 be a non-standard location?

6 A It would be non-standard to the tune of
7 being 330 feet closer to our own lease. It would be a
8 standard location with respect to going eastward towards
9 Getty's lease.

10 Q If the Commission approves a 640-acre
11 spacing for this particular area, then in addition to being
12 at an unorthodox location, you also only -- you also have
13 to have approval of a non-standard proration unit, is that
14 not true?

15 A Correct, and that is the third part of
16 this case since everything got consolidated.

17 Q All right, sir. Would you refer to Ex-
18 hibit Number Two and identify that?

19 A I think we have seen many variations of
20 Exhibit Number Two today.

21 Q All right.

22 A And this happens to be one of them.

23 Q This is the same exhibit that Llano
24 introduced before Examiner Nutter back in March of '79.

25 A Yes, sir.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 Q You've not changed any information on
2 here except with regards to the outline of the different
3 acreage.

4 A That -- that is correct. The idea to
5 show here is that how does the acreage that has been set
6 aside and put on temporary 640-acre spacing, how does it
7 fit into the scheme of things with respect to the faults,
8 with respect to the structure to get the Commission oriented
9 to what area we're talking about.

10 Q Let me ask you to outline for us what
11 areas Llano operates and how.

12 A Llano operates, as shown on here, four
13 underground gas storage wells, No. 1 in Section 3; No. 2
14 in Section 34; No. 3 in Section 33; No. 4 in Section 4.

15 Also Llano operates another well, the
16 Government A No. 1 down in Section 10. I think it might
17 be appropriate to mention that prior testimony indicated
18 that we have a divergence of opinion with just how much
19 gas the Government A is capable or will be capable of making
20 under primary production.

21 Q Let me ask you about that in a moment.
22 Would you first indicate for us who the owner is in Section
23 9?

24 A The owner of Section 9 is not shown, but
25 that is also owned by Llano. There is no well, no deep

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2028 Plaza Blanca (806) 471-2462
Santa Fe, New Mexico 87501

1 well, in that section.

2 Q When were the four storage wells converted
3 from producing wells to storage wells?

4 A In 1973, the first one April of '73 and
5 the second one December of '73.

6 Q Are they still operated as storage wells?

7 A Yes, sir, in fact the system couldn't
8 do without it.

9 Q Are those four sections involved in any
10 way committed to any type of unit?

11 A Yes, they are.

12 Q What kind of unit are they committed to?

13 A In -- at the beginning of 1973, since
14 Section 3 and Section 34 are State leases, we -- it was
15 incumbent upon us to reach an agreement with the State of
16 New Mexico to form a unit for gas storage purposes.

17 Q Do you have such an agreement with the
18 State of New Mexico?

19 A Yes, we do.

20 Q And when was that executed?

21 A As I remember, it was during the first
22 quarter of 1973. I think it might have been April 26th.

23 Q Is that acreage still operated under the
24 unit agreement?

25 A Yes, sir, it is and it has subsequently

1 been expanded to include the State leases in Section 33.

2 Q What, if any, requirement do you have
3 under the operating agreement with regards to wells to be
4 drilled in the east half of Sections 34 and the east half
5 of Section 3?

6 A The obligations placed on us through the
7 unit agreement that the State drew up, and which we signed
8 with them to form this unit, were not necessarily -- those
9 obligations were not necessarily restricted to any part
10 of the acreage. It was a general obligation and that
11 obligation states, as brought out at the last hearing on
12 page 12, Section 14 of the unit agreement, it says, in the
13 event a well or wells producing oil or gas in paying quan-
14 tities should be brought in on land adjacent to the unit
15 area, draining unitized substances from the lands em-
16 braced therein, the unit operator shall drill such offset
17 well or wells as a reasonable, prudent operator would drill
18 under the same or similar circumstance.

19 Q What offset wells were of concern to you?

20 A In time each of the offset wells was of
21 concern. Of special concern were the east offset wells,
22 namely the Getty Two State in Section 2 and the Getty 35
23 in Section 35.

24 Q Were you here in the hearing when Mr.
25 Bosecker testified today?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (696) 471-2462
Santa Fe, New Mexico 87501

1 A. Yes, sir.
2 Q. Did you hear his testimony where he indi-
3 cated that he believed that there's Morrow reserves in the
4 east half of Section 34 and in the east half of Section 3
5 that had not been produced by the storage wells while they
6 were producing wells?

7 A. Yes, sir, I did.

8 Q. Do you concur in that recommendation?

9 A. Yes, I do.

10 Q. Would you explain to us the status of
11 the well in Section 10 to the south of the four storage
12 wells?

13 A. The well we're talking about is the
14 Government A No. 1 in Section 10. We have, as I started
15 to point out, we have a divergence of opinion on how much
16 primary gas this well will make.

17 It became obvious in 1978 that, not only
18 was there communication between our two injection wells,
19 No. 1 and No. 2, going westward, but one of those two in-
20 jection wells was also contributing to what we call a
21 buzz towards the south, toward the well in Section 10, the
22 Government A No. 1.

23 The immediate concern, of course, was that
24 the gas that is stored underground has already been paid
25 for one time. So if a buzz is occurring, and we have con-

1 vinced ourselves that it is, we would naturally wish to
2 convert this well as soon as possible to an additional
3 storage well.

4 In the exhibits, and I don't remember
5 exactly which one -- number it was, where Llano assumed that
6 the Government A made 1.5 billion cubic feet. That was
7 derived from the fact when we saw the buzz that was occurring,
8 in other words, instead of the pressure continuing to drop
9 and the production declining, as it had done for the past
10 eight to ten years, the production increased and the pres-
11 sure increased, we continued the old decline and came up
12 with the 1.5 billion cubic feet that this well would have
13 produced, would it not have received a buzz from our stor-
14 age system.

15 At the same time we had the obligation
16 to get with our purchaser to see that he would agree that
17 this had really taken place, which our purchaser did, by
18 the way, and jointly the purchaser and Llano have made
19 application to the Federal Energy REgulatory Commission in
20 January of this year, giving in detail our, what we consider
21 remaining primary reserves as of September of '78, and that
22 we wish to take this well, disconnect it from the inter-
23 state market and convert it to intrastate underground gas
24 storage well.

25 This occurred about five months ago and

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 we have called several times and we don't know exactly where
2 our application is.

3 The point being that I find -- I can find
4 nothing wrong with the numbers that Getty came to when they
5 looked at the primary production, but about a year and a
6 half to two years of that was not primary production.

7 Q Would you describe for us the significance
8 of the fault line located in the approximate center of
9 Sections 34 and 3?

10 A Upon the Getty Two State and the Getty
11 35 being completed and indicating virgin Morrow pressure,
12 we were of course delighted to find out that this was not
13 simply dues to a permeability pinchout and reappearance
14 toward our well, but more than likely it was due to what
15 Mr. Bosecker termed a sealing type fault.

16 Q How do you know that that's not a permea-
17 bility barrier as opposed to a sealing type fault?

18 A That is strictly in talking to Getty. We
19 did not run any seismic data. That estimated location of
20 the fault has been furnished to us by Getty.

21 Q Would you look at Exhibit Number Three,
22 now, please? Would you identify this exhibit?

23 A Exhibit Number Three is the same type of
24 exhibit that Llano has presented prior to this at the
25 March hearing. It was built strictly on the basis of what

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (995) 471-2462
Santa Fe, New Mexico 87601

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3038 Plaza Blanca (S95) 471-2462
Santa Fe, New Mexico 87501

1 was and what is productive below the top of the Morrow
2 Clastics.

3 Q Let's take a shortcut here, Mr. Klaar.
4 This is the same exhibit that Getty introduced as their
5 Number Twelve Exhibit, I believe.

6 A Correct.

7 Q Now, let's go down to the calculated
8 drainage areas.

9 A Mr. Kellahin, would it be appropriate at
10 this time to mention something about the top of the Morrow
11 Clastics with respect to other things, especially what the
12 last witness of Getty brought out?

13 Q Well, I think we ought to hold that for
14 a moment and let me ask you some questions about the Ex-
15 hbit Number Three.

16 A All right.

17 Q You've done some material balance calcu-
18 lations and you've come up with some calculated drainage
19 areas for each of the wells depicted on the plat.

20 A Right.

21 Q Do you recall this morning Mr. Bosecker
22 testified that but for the existence of the fault line,
23 the east fault line in Sections 34 and 3, and the fault
24 line to the west through Section 33 and 4, that the storage
25 wells would have drained 640 acres. Do you recall that?

1 A. Yes, I recall that testimony.

2 Q. Do you agree with that testimony?

3 A. Not necessarily. That the faults defi-
4 nitely place a barrier to the east and to the west, there's
5 no doubt about that, but a lot of their testimony depicted
6 drainage areas as something completely circular, as some-
7 thing that is uniform, as an area that can be ascribed to
8 by one number, like a radius. We all know that none of the
9 things in nature are exactly that way.

10 The other thing is there is no barrier
11 such as a sealing fault to the south of the upthrown block
12 there between the two faults. We have, and as was intro-
13 duced, testimony to the effect that Llano presented and
14 said that there was a permeability barrier somewhere in the
15 north there, which can be or cannot be there.

16 I wish to point out at this time that
17 that type of data was presented by -- by Llano shortly
18 after obtaining and buying these wells, and was presented
19 at the initial hearing getting the storage system off the
20 ground, getting approval for it.

21 With the advent of people drilling around
22 our storage area we are continuously looking at and trying
23 to interpret all our data that we can possibly get our hands
24 on relative to the storage area and anything outside of
25 it, and we have now come to the conclusion of those two

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2010 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 faults with no known barriers either to the north or to the
2 south.

3 So it would not have restricted us, the
4 two faults in themselves would not restrict us but just
5 producing 320 acres. We could have, if it was available,
6 we could have produced 640 acres, drained 640 acres.

7 Q Did any of those wells drain 640 acres?

8 A Not according to my calculations, they
9 didn't.

10 Q What precluded them from doing so?

11 A I think what precluded them is being
12 typical Morrow. I do not agree with this being a channel --
13 a deltaic-type sand. I think the Morrow in general is
14 *consisted of* consistent anywhere from two to six or seven different and
15 isolated and separated sand bodies, which when looked
16 closely at, each sand body by itself will even show a
17 separate pressure in each sand body.

18 Q What familiarity do you have with Morrow
19 wells in general in southeastern New Mexico?

20 A My familiarity ranges through the fact of
21 having been for the prior year and a half to two years be-
22 fore I started with Llano working for Amoco Production as
23 drilling engineer and drilling about fourteen or fifteen
24 Morrow wells.

25 After going to work for Llano, at the

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (906) 471-2462
Santa Fe, New Mexico 87501

1 time I went to work there Llano had approximately forty to
2 forty-five Morrow wells connected to its intrastate gas
3 system, gas gathering system, and at this time Llano has
4 more than 100 wells connected to its intrastate gas system,
5 and it is not unusual for me to run into a seller telling
6 me he's got a well that will make 12 billion cubic feet,
7 and three years later I call him and I tell him it only
8 made four.

9 Q In looking at the Exhibit Number Two,
10 there has been testimony introduced today that back in 1965
11 Shell had an interference test between storage wells 1 and
12 4.

13 You have testified just now that you be-
14 lieve that the Government A No. 1 Well may be receiving
15 a recharge from the storage area.

16 A Correct.

17 Q Do you have an opinion as to whether or
18 not those wells would be in communication and still not
19 drain 640 acres?

20 A Yes, I do. Based upon the fact that we
21 have made a thorough study of each separate sand in the
22 Morrow and have identified them, either by letter or by
23 name, and have found wells, one well to have only one sand,
24 and none of the offset wells to have that same particular
25 sand, but yet on the other hand, we have found wells a mile

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 or mile and a half apart to have, say, the A Sand in both
2 wells, the point being that the sands come and go, and I
3 think we can illustrate that fact with a further exhibit
4 with later testimony.

5 The further point being that the sands
6 come and go, I think it is highly suspect to assume that
7 you can drill one well on one section and drain everything
8 that's there.

9 Q Would you please refer to your Exhibit
10 Number Three and look at the calculations for the Getty 35
11 State No. 1 Well.

12 A Yes, sir, that was the one where we --
13 where I calculate 262 acres.

14 Q Yes, sir. Do you recall Mr. Bosecker's
15 testimony this morning that he attributes some 11.3, I
16 believe, billion cubic feet of gas in place to that parti-
17 cular well? I note by your exhibit that you only have
18 6.3.

19 A Correct.

20 Q Would you explain -- would you explain
21 how you come to a different opinion as to the gas in place?

22 A I assume that Mr. Bosecker started out
23 with the calculated absolute open flow and arrived at that
24 11.3.

25 I also started out by looking at the cal-

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2010 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 culated absolute open flow, but I analyzed how it was ob-
2 tained.

3 I derated the calculated absolute open
4 flow down to what I call an initial stabilized producing
5 rate once the well has been on for a week or two. After
6 that, knowing what in general wells, how they will decline,
7 I apply the decline factor, and then I have all the data
8 necessary to obtain reserves.

9 Q What was the decline factor used in your
10 calculations?

11 A The Morrow in general in the two districts
12 down in southeast New Mexico declines at 30 to 35 percent
13 per year.

14 Q On what do you base the accuracy of that
15 calculation?

16 A Upon the more than 100 wells that Llano
17 is connected to and the production plots we keep on each
18 one, and averaging the decline curves once a year when it
19 is incumbent upon us through one regulatory body or another
20 to -- to furnish reserves.

21 Q In your opinion is that an acceptable
22 and accurate method for determining ultimate producable
23 reserves to be attributed to a Morrow well?

24 A Yes, sir.

25 Q Based upon your experience and knowledge

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-5463
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 of this particular area, Mr. Klaar, do you have an opinion
2 with regards to how much gas in place is necessary for a
3 Morrow well in order for it to effectively and efficiently
4 drain 640 acres?

5 A. Let me think for a minute. I'm trying to
6 see if I understand your question. Your question is --
7 I think you might want to rephrase that question, please.

8 Are you talking about any particular well,
9 first of all?

10 Q. I'm referring to the 35 --

11 A. Okay.

12 Q. The Getty 35 State Well.

13 A. All right, I think I follow your question,
14 then.

15 Since we assume, since I assume that 6.3
16 or 6.4 billion original gas in place, and entered that into
17 the calculations to obtain drainage, a drainage area of
18 262 acres, in order for that well under the same conditions,
19 meaning the same thickness of net pay, the same porosity,
20 and all of the other factors, to drain 640 acres, it would
21 take approximately 15-1/2 billion cubic feet, which, of
22 course, is the difference in our thinking. I'm of the
23 opinion that the well has 6.3 billion cubic feet original
24 gas in place, and Mr. Bosecker, if I understood him right,
25 is of the opinion that it had 11.3 either original or pro-

1 ducable.

2 MR. BOSECKER: Produable.

3 A. Produable, I stand corrected.

4 So his original gas in place would even
5 be higher than the 11.3.

6 Q. Base upon your experience, Mr. Klaar,
7 how often do you encounter a Morrow well that is capable
8 of producing 15.5 billion cubic feet of gas?

9 A. No more than one time out of a hundred.

10 Q. What is the general spacing now for Morrow
11 pools in southeastern New Mexico?

12 A. We have a further exhibit which shows that
13 ninety percent of the fields are 320-acre spacing.

14 Q. Would you look at Exhibit Number Four,
15 please?

16 A. Yes, sir. Exhibit Number Four is the same
17 exhibit that was presented originally at the March hearing,
18 plus was presented this morning by Getty. IT graphically
19 illustrates what happened in the Grama Ridge Morrow Pool
20 prior to Getty or Pogo drilling down to the Morrow horizon.

21 Wells, five wells were drilled. Four of
22 them were essentially depleted and two of them are illustrated
23 how they depleted, and those two are our present injection
24 wells, and then in April of '73 injection operations were
25 initiated, and by the time 1976 came about, we had approxi--

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (606) 471-2482
Santa Fe, New Mexico 87501

1 mate -- an average approximate pressure in the reservoir of
2 4,000 pounds again.

3 In 1978, as indicated by the red diamond
4 there, the Getty Two State had a bottom hole pressure of
5 8224, that we're in agreement with Getty.

6 Q Will you look at Exhibit Number Five and
7 identify that?

8 A Exhibit Number Five is in the order of
9 drilling of the Grama Ridge Morrow Pool, first well through
10 last, and the initial bottom hole pressures encountered in
11 each well.

12 Our GRM Unit No. 4 was the first one
13 drilled and tested and it had a bottom hole pressure of
14 7658.

15 The No. 1 had a bottom hole pressure of
16 7611. The No. 2, bottom hole pressure of 7682. The
17 Government A No. 1, bottom hole pressure of 7300. GRM
18 Unit No. 3, 7880. Then we come to the Getty Two State,
19 which on the 14th of February, 1978, had a bottom hole
20 pressure of 8224.

21 I --

22 Q Would you -- can you identify for me on --
23 using Exhibit Number Five from what Morrow Sands those parti-
24 cular wells produced from?

25 A Before I do that I think it would be

SALLY WALTON SOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 appropriate to say at the time we came to the March hearing
2 we looked at the Morrow as starting at the top of the Morrow
3 Clastic. We do not argue about where the top of the Morrow
4 is. As the exhibit on the wall shows there, the top of the
5 Morrow is at what's labeled Morrow Limestone. That's fine
6 with us. There's no problem there and I'm sorry we labeled
7 the sand immediately above the Morrow Clastic as, and
8 called it, Lower Atoka.

9 In our further exhibit, in another exhibit
10 here we will show we've amended that to show either Upper
11 Morrow or Lower Atoka. It makes no difference to us.

12 Q All right, sir.

13 A Now, to get to your question. The No. 4
14 Well, and this is, I think, where the difficulty comes in,
15 because prior to the Getty Two State being completed, there
16 was no known well in the immediate area that produced from
17 the Morrow above the Morrow Clastic. So we started with
18 the first sand below the Morrow Clastic as the A zone.

19 The next sand that was found structurally
20 downward was labeled the B Sand, and so on.

21 We have identified five different zones
22 below the Morrow Clastic, A through E.

23 The No. 4 Well produces from the A and
24 the E, none of the ones in between, or produced from the
25 A and E.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (895) 471-2462
Santa Fe, New Mexico 87501

1 The No. 1 Well produced from the A,
2 the B, and the E.

3 The No. 2 Well produced from Zone B, like
4 in boy, D, and E.

5 The Government A Well is only capable of
6 producing at this time, and never did produce from any
7 other zone, but the B.

8 The No. 3 Well produced and is now storing
9 gas in zones A, C, and D.

10 The Getty Two State, whether you want to
11 call it Lower Atoka or Upper Morrow, we don't care, is
12 producing from the zone up above the Morrow Clastic and
13 Getty contends it's producing from some zones below the
14 Morrow Clastic.

15 Q Do you agree with that contention?

16 A No, sir.

17 Q How about the 35 Well?

18 A The Getty 35 produces from what we classify
19 as zone A and D.

20 Q Okay.

21 A And the Pogo Well produces from zone A
22 only.

23 Q All right.

24 A I think this will show up graphically
25 much better on a following exhibit.

Q. Would you identify Exhibit Number Six and tell us what that is?

A. Exhibit Number Six shows the calculated absolute open flows that were obtained and were submitted to the Commission at the time these wells came on line and were productive.

The points to note on this exhibit are that the GRM Unit No. 1, for instance, had a calculated absolute open flow of 26,500 Mcf a day but yet in reality, barely produced 7 billion cubic feet.

The GRM Unit No. 2 had a calculated absolute open flow of 34,200 Mcf a day and did not quite produce 6 billion cubic feet.

Conversely, we are now to understand that the Getty 35, who had a calculated absolute open flow of 11,107 will produce 11.3 billion cubic feet. We disagree with that. We think the well from the Morrow will produce approximately 5 billion cubic feet.

Q. Have you studied the pressure and production information from the Getty Two State No. 1 Well and the Getty 35 State No. 1 Well?

A. Yes, sir, I have.

Q. In your opinion is there any evidence of communication between those two wells?

A. No, sir.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2010 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (996) 471-2462
Santa Fe, New Mexico 87501

1 Q Would you look at Exhibit --

2 A That does not mean that in the future
3 there could not be with the same, and as has been testified
4 to, if the same zone up above the Morrow Clastic is per-
5 forated in the Getty 35. It is very possible that there
6 will be communication in that zone. But as -- what I know
7 right now, what has happened on the two wells, I do not
8 think that there is communication between the two wells.

9 Q Would you look at Exhibit Number Seven
10 and identify it?

11 A All right, Mr. Klaar, would you identify
12 Exhibit Number Seven and tell us what this contains?

13 A Exhibit Number Seven shows on a structure
14 map hung on a -8500 feet subsea, the known wells in the
15 Grama Ridge Morrow plus the immediate offsets to what is
16 now defined as the Grama Ridge Morrow Field.

17 The points of interest as presented by
18 Getty are, of course, the two faults, one to the left there,
19 which is between the Pogo Well and Llano's storage system.
20 The other one is between Llano's storage system on the east
21 side and Getty's Two State and Getty's 35 State.

22 The important thing that this exhibit
23 should illustrate is the fact that these wells were drilled
24 and sand bodies were identified as per log, core, and other
25 data, and these sand bodies are identified in yellow, but

1 yet the actual productive sands are identified on here in
2 red.

3 The conclusion that, if you see a blue
4 indicator in there, you're actually looking at what has been
5 tested and has been concluded to be water. And if you see
6 a sand body without any red in there it has been through
7 past practice identified as being nonproductive, being too
8 tight.

9 I think this cross section clearly illu-
10 strates by the GRM Unit No. 3, the second well on the left,
11 that each of these sand bodies is essentially a reservoir
12 unto itself. How else can one explain the fact of testing
13 water in what we labeled the B Sand and then finding gas
14 production below, unless and until you reach the conclusion
15 that these sands are separate reservoirs unto themselves.

16 It is not Llano's intention to come here
17 and say that each one should be classified as a separate
18 reservoir. It is Llano's intention to show that the sands
19 come and go and have their own characteristics, their own
20 producing characteristics, and that it is highly unlikely
21 to drill one well on 640 acres and say you are going to
22 hit and produce everything that has a possibility of being
23 there under that 640 acres.

24 Q In your opinion does the porosity and
25 thickness vary between wells within the separate Morrow

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (SOS) 171-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 stringers in this particular area?

2 A. Yes, it does. I think that's illustrated
3 by going from the No. 3 through the No. 4, which was not
4 productive in the B Sand, over to the No. 2, which was
5 productive again in the B sand. Then going further over
6 and finding out the sand petered out altogether and was not
7 even there once you got to the GRM Unit No. 1.

8 Q. In your opinion are the Morrow stringers
9 involved here continuous across the entire area?

10 A. I would not say that they are, no, sir.
11 There might be one zone -- just a minute -- the E zone.
12 The E zone is just about the only one that makes it from
13 just about one side to the other.

14 Q. In your opinion does production occur in
15 this particular Morrow Pool in individual lenses scattered
16 through the Morrow formation?

17 A. Yes, sir.

18 Q. Into how many general intervals of sand
19 deposition have you divided the Morrow in this area?

20 A. We have divided it into five sands below
21 the Morrow Clastic and one or two sands above the Morrow
22 Clastic, depending on where the top of the Morrow is really
23 picked.

24 Q. Do all those sands produce in all of the
25 Morrow wells that penetrate those sand bodies?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 A. No, sir, they do not. In fact, there is
2 not a single well that produces in all sands, and that --
3 that is the whole crux of the matter, that if you restrict
4 yourself down to saying one well at 640 acres, you're
5 saying that you will -- you will find everything there is
6 to be found in that 640 acres with one well.

7 Q In your opinion --

8 A. And I'm doubtful whether really 320 acres
9 will find all the productive sands that are possible out
10 there.

11 Q In your opinion is this a typical Morrow
12 production generally found in southeastern New Mexico?

13 A. Yes, sir, very typical.

14 Q Any other comments with regards to Ex-
15 hibit Number Seven?

16 A. None at this time.

17 Q Okay. Let's look at Exhibit Number Eight
18 and have you identify that for us.

19 A. Exhibit Number Eight is not intended to
20 be an all-encompassing type analysis because it was re-
21 stricted to looking at one month at the statistical reports
22 and going through the individual gas fields that were
23 identified as Morrow for that particular month and the
24 field rules, and finding out what type of spacing they
25 were working, or they were operating under.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 In no way am I trying to say that these
2 are all of the Morrow Pools in District One and OCD District
3 Number Two, simply because this is based just on one
4 month's statistical report, but it does show --

5 Q What was the month of the statistical
6 report used to make the tabulation?

7 A As I remember, it was January, '79 that
8 was used.

9 Q And that tabulation shows a total of
10 how many Morrow Pools in both districts?

11 A Well, in District Number One it showed
12 a total of twenty-five identifiable Morrow Pools with
13 twenty-one being on 320-acre spacing and four on 640.

14 In District Number Two we identified
15 seven, out of the gas section of the statistical report,
16 we identified seventy-seven Morrow Pools with seventy being
17 at 320-acre spacing and only seven at 640.

18 The further conclusion is that upon
19 identifying which of these pools were at 640-acre spacing,
20 it became evident that most of them were either, number
21 one, one well fields or, number two, no activity had taken
22 place there in the last six to seven years to make it in-
23 cumbent upon an operator to ask for less than 640 acres.

24 Q Let me have the exhibits on your unortho-
25 dox location.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (665) 471-2482
Santa Fe, New Mexico 87501

1 Q All right, Mr. Klaar, would you please
2 refer to what I've marked as Llano Exhibit Number Nine and
3 identify that?

4 A Yes, sir. Llano Exhibit Number Nine is
5 an application by Minerals, Incorporated. It is labeled
6 as a well location and dedication plat, and another way of
7 putting it, Minerals is us. It just happens to be the gas
8 drilling and producing segment of Llano.

9 Yes, it is a Form C-102, which shows the
10 location applied for and given approval to by the -- through
11 the Examiner Hearing, to which no acreage has been dedi-
12 cated yet.

13 Q Minerals, Inc. is a subsidiary of or a
14 part of Llano, Inc.?

15 A Sister, brother, whatever you'd like to
16 call it. Cousin.

17 Q What -- what does Exhibit Number Nine
18 show me?

19 A Well, it shows the -- Exhibit Number Nine
20 shows the two state leases involved in the east half of
21 Section 34, which Llano wishes to dedicate to this well,
22 being 320 dedication, to be drilled through the Morrow
23 formation on the east side of the fault.

24 Q Do you have an opinion with regard to
25 the cost of this particular well?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 A. The opinion only goes so far as if every-
2 thing goes all right, it's going to cost 1.8 million. If
3 things go awry, there's no telling how much it will cost.

4 Q. And why have you chosen this particular
5 location?

6 A. The location was chosen not only for the
7 Morrow. The location was chosen based upon all of the
8 factors which make up the geology of the area, they being
9 the fact that the Bone Springs is productive. The Strawn
10 has been tested by Getty to be productive, even though not
11 perforated, and by Pogo it's also the Strawn has been
12 tested and found to be productive.

13 There's one or two zones in the Atoka.
14 Now this is the Atoka that is above what is labeled by
15 Getty the Mississippi Limestone. And last but not neces-
16 sarily least, the fact that when Getty drilled the two
17 wells to the east, they found virgin Morrow immediately
18 above the top of the Morrow Clastic and below the Morrow
19 Clastic, so that also influenced us in locating the well
20 and requesting an unorthodox location at 660 from the east
21 and 1650 from the south of this section.

22 Q. Let me have you look at Exhibit Number
23 Ten.

24 A. Exhibit Number Ten is a small scale plat
25 of the area again showing if 320-acre spacing becomes the

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (666) 471-2462
Santa Fe, New Mexico 87501

1 norm in this pool, then Llano would have the right to drill
2 a well at the place marked in black. Llano came in, and
3 due to the next exhibit, as the next exhibit illustrates,
4 asked to move that location 330 feet further south.

5 Q. Let's look at Exhibit Number Eleven.

6 A. Exhibit Number Eleven illustrates in
7 general where the area got its name, Grama Ridge, and the
8 closest legal location is the one that appears as 660 from
9 the east and 1980 from the south of the section, which
10 would place it in the middle of that ridge and which would
11 have cost us an additional amount of money to build the
12 location there.

13 Q. That would be a standard location if the
14 well spacing was 320 acres.

15 A. Correct.

16 Q. What was the cost of building the loca-
17 tion if you'd commenced at the nearest orthodox location
18 for 320-acre spacing?

19 A. It was passed down to us as a bid. Bids
20 were obtained on the two locations and as the next exhibit
21 shows, it was passed on to us of \$31,000 versus \$16,000
22 for the one to the south.

23 Q. Would you identify Exhibit Number Twelve
24 for us?

25 A. That is the exhibit that I just made

1 reference to, that a dirt contractor submitted the two bids
2 to us.

3 Q In your opinion, Mr. Klaar, is the re-
4 quested location the optimum location within the east half
5 of Section 34 in which to drain Morrow production?

6 A It is not only the optimum location to
7 drain Morrow production, it is also a legal location in
8 the Bone Springs, which is productive. It is also a good
9 location for the other zones in between. It was a matter
10 of taking the four or five producing zones in the area,
11 overlaying same, and looking at it from a three -- as though
12 it was a three-dimensional type piece of work, and in
13 picking the best location.

14 And we chose, and we're still of the
15 opinion that this is our best location.

16 Q Do you have an opinion with regard to
17 whether a penalty factor of any kind ought to be assessed
18 against Llano because of this location or because of the
19 number of acres to be dedicated to this particular well?

20 A The problem comes down to whether it goes
21 640 or whether it goes 320. If it goes 640, I definitely
22 think that the Commission will and rightfully so, put some
23 type of a penalty factor on there, whether they do it
24 through proration or just once every six months, or once
25 a year. Llano has no objection to that.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2442
Santa Fe, New Mexico 87501

1 If it goes, if the spacing goes to 320,
2 Llano does not think that we should incur a penalty because
3 we are with respect to the offset operator, specifically
4 Getty, we would be in a legal location with respect to
5 their particular lease line.

6 Q Mr. Klaar, do you have an opinion as to
7 whether or not Getty can develop Section 35 and Section 2
8 on 320-acre spacing without adversely affecting their in-
9 terests?

10 A From the standpoint of being a driller,
11 a drilling company, and an operator, I would think GETty
12 would want to develop Section 2 and Section 35 on 320-acre
13 spacing to be sure that they encounter each and every
14 Morrow zone first of all, and possibly other zones in the
15 Atoka, which they might not encounter with one well in the
16 section. That's why I find it hard to believe that Getty
17 is of the opinion that they can drain a whole 640 acres
18 with one well.

19 Q In your opinion is the Getty well in
20 Section 35 draining 640 acres, or capable of draining 640
21 acres?

22 A No, sir, I do not think it's capable of
23 draining 640 acres.

24 Q How many acres do you think the Getty 35
25 Well is capable of draining?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3014 Plaza Blanca (955) 411-2452
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A. Using the same type of analysis that we looked at retrospectively at our wells, using the same type of parameters, I'm of the opinion that the well will drain somewhere between 250 and 300 acres.

Q. I want to show you Getty's Exhibit Number Thirty-one and ask you to examine that exhibit.

A. Getty's Exhibit Number Thirty-one, if I understand it correctly, identifies the radius of drainage based upon the fact that their wells are located, two of them, 1650 feet away from their lease line. In each case they are located at 1650 feet away from the west line of the section.

Q. Assuming a circular radius of drainage, what would be the radius of drainage for a 640-acre unit?

A. If a well drains 640, is that -- the radius of drainage would be approximately 2950 to 3000 feet.

Which, by the way, would go across the lease line and would --

Q. Into what sections?

A. Well, from Section 35 it would end up going approximately 1300 feet over into Llano's -- Llano's lease. Interesting. If it drains a circular 640, but I'm not saying that these wells will drain a circular 640.

Q. I'd like to show you what has been intro-

1 duced as Getty Exhibit Number Twenty-seven and ask you if
2 you have any comments with regards to that exhibit?

3 A. It is Exhibit Number Twenty-seven, is a
4 production plot by days, not necessarily for each day but
5 for the days that they had data on for the Getty Two State
6 Number 1, starting with July of '78 and ending sometime in
7 the latter part of December of '78.

8 A few days into June, I would imagine that
9 would be about eight or nine days into June, it shows that
10 the well produced gas at the rate of approximately 1-1/2
11 million, or 1.5 to 1.6 million a day, and throughout this
12 whole period produced never less but always a little bit
13 more than 1.4 million a day.

14 Q. My question for you, Mr. Klaar, is that
15 you recall Mr. Bosecker's testimony that the increased con-
16 densate production for the Getty No. 2 Well in his opinion
17 was attributable to the lower sands below the top of the
18 Morrow Clastics now coming into production in that well.

19 Do you agree with that opinion?

20 A. No, sir, I heard the testimony. I do
21 not agree with it.

22 Q. But what in your opinion is the condensate
23 production attributable to?

24 A. The condensate production shows about
25 the 11th or 12th of July, it showed coming up from zero,

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 or essentially zero, up to 12 to 13 barrels a day. That's
2 what this graph shows. In reality the well since the first
3 day has produced condensate.

4 Q What has happened to that condensate pro-
5 duction?

6 A That condensate went through Llano's
7 meter, and since Llano is paying on an MMBTU basis, that
8 condensate was paid for to Getty and Llano collected it a
9 couple of miles down the line at its dehydration station.

10 Q Do you know if and when a separator was
11 placed upon that well?

12 A About the 10th or 11th of July, of 1978.

13 Q I'll show you what was introduced as
14 Getty Exhibit Number Fifteen. That was the net pay Isopach
15 Morrow porosity map made in 1972.

16 A Yes, sir. This was a little bit before
17 my time.

18 Q I understand. What's the number, Fifteen?

19 A It says Exhibit Fifteen.

20 Q Do you recall Mr. Bosecker's testimony
21 that based upon Exhibit Number Fifteen he then prepared a
22 material balance calculation and that was introduced as
23 Exhibit Number Sixteen.

24 A Yes, sir.

25 Q Would you now look at your Exhibit Number

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

1 Three, which has been introduced as Getty Exhibit Number
2 Twelve.

3 A I've got it. Yes. And the point has been
4 brought up that there is a discrepancy.

5 Q Obviously. So my question is whether or
6 not the porosity cutoff factor used in the Isopach in '72
7 is the same or different from the porosity cutoff factor
8 used in your calculations to make Llano Exhibit Number
9 Three.

10 A Okay, I can testify to Llano's Exhibit
11 Number Three here, that I know what the porosity cutoff
12 was.

13 Q What was that?

14 A 5.5 percent.

15 Q Okay, would you continue?

16 A Obviously, the porosity cutoff in 1972
17 was a different number.

18 Q Okay.

19 A Now when we talk in terms of a half or
20 a full percent of porosity cutoff change, possibly changing
21 the thickness by as much as 25 or 30 percent, we're talking
22 in terms of what has in one instance been counted as five
23 feet of pay at 5-1/2 percent porosity, was counted as a
24 6 percent cutoff of zero feet of pay at 6 percent cutoff.
25 So I am not certain on who made this determination, except

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 the fact that outside consultants were utilized in -- in
2 building Llano's case at the time to come to the Commission.
3 Llano was quite a bit smaller at that time in 1972 than
4 they are now.

5 Q Looking at your Exhibit Number Three --

6 A Yes, sir.

7 Q -- it indicates a thickness of net pro-
8 ductive sand.

9 A Uh-huh. Correct.

10 Q Did you pick those net productive sands
11 thicknesses from logs?

12 A Not completely from logs; that was the
13 starting point. Logs was one. Core data was another.
14 Samples and well logs as obtained by geologists sitting on
15 wells was the third. It was a combination of several
16 items which contributed to determining what was net pro-
17 ductive pay, and I want to state that this was done from
18 an engineering standpoint, not from a geological stand-
19 point. This the way an engineer would look at it with
20 what is productive and what is not productive.

21 Q Are you referring to Exhibit Number Three?

22 A Yes.

23 Q In your opinion as a petroleum engineer,
24 which exhibit, Exhibit -- Llano Exhibit Number Three or
25 Getty Exhibit Number Sixteen, represents the most accurate

1 pick of the thicknesses of the productive sands for those
2 wells?

3 A. As Mr. Bosecker pointed out, as time con-
4 tinues and you are the owner and the owner of facts as they
5 come rolling in, I certainly think that our latest inter-
6 pretation is more accurate than our early interpretation,
7 and Llano had just purchased the wells two months prior to
8 that.

9 Q Are you familiar with the Horner plot,
10 Mr. Klaar?

11 A. Somewhat, yes, sir.

12 Q All right, sir. Let me show you Getty
13 Exhibit Number Nineteen and Getty Exhibit Number Twenty.

14 In your opinion can you examine the Horner
15 plot and reach the conclusion indicated on the data sheet
16 that the well is depleting a 640-acre proration unit?

17 A As I understand the Horner plot, it --
18 there is no cut and dry way that it will show you what
19 total acreage is being drained by any one particular curve,
20 whether this be this one right here or any other plot.

21 It does give you, a Horner plot does tell
22 you it takes time and converts it to some formula of dis-
23 tance and says something is happening either close to the
24 wellbore, a little bit further away from the wellbore, or
25 quite a bit away from the wellbore, but as I understand it,

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (606) 571-2442
Santa Fe, New Mexico 87501

1 it never says that it is exactly 17-1/2 feet or 1726 feet
2 away from the wellbore.

3 Q Let me show you Getty Exhibit Number
4 Twenty. That is the data sheet used for the Getty No. 2
5 Well, and the Horner plot run on February, '78. I direct
6 your attention to the summary of kh calculations. Number
7 Six says k is based on 33 feet net pay.

8 A Right.

9 Q Now if you'll take Llano Exhibit Number
10 Three and use the same type of average information indi-
11 cated on that exhibit for making a material balance calcu-
12 lation, can you make a calculation to tell us how many
13 acres are being drained by the Getty Two State No. 1 Well,
14 if it has 33 feet of net pay in it?

15 A If it has 33 feet of net pay in it,
16 which I do not agree with, it would barely drain 75 acres.

17 Q Based upon what gas in place figure?

18 A Based upon -- based upon a 2-1/2 billion
19 cubic feet gas in place volume and of using the average
20 of the remaining wells in the field with respect to poro-
21 sity, formation, water saturation, and such. This is a
22 hypothetical figure but the illustration is that Llano
23 does not think that the Getty Two State has 33 feet pro-
24 ductive, because Llano was present at the time that the
25 Getty Two State was perforated and tested below the Morrow

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3038 Plaza Blanca (666) 471-2462
Santa Fe, New Mexico 87501

1 Clastics and did not produce sufficient even after an acid
2 job to warrant completion, and Llano was present when the
3 well was perforated and was aware of the fact that when the
4 3 to 4 feet of pay up above the Morrow Clastics was per-
5 forated, almost immediately the pressure, wellhead pressure,
6 jumped to above 6000 pounds, which it did not do when other
7 intervals were perforated below the Morrow Clastics for
8 the second time.

9 Q In your opinion where is the production
10 coming from in the Getty State No. 2 Well?

11 A Out of one zone above the Morrow Clastics
12 and I will say that I think that is also Morrow, but to
13 located it, it is above what we call the Clastic zone.

14 Q If you would take that calculation for
15 the Getty Two State No. 1 Well and increase the gas in
16 place figure from -- what was the original figure used?

17 A 2-1/2 billion.

18 Q If you'll increase that to 7 billion,
19 keeping all other factors the same --

20 A And still using the 33 feet of net pay --

21 Q Yes, sir.

22 A -- you would barely drain 200 acres.

23 Now mind you, Getty arrived at this 33 feet of net pay based
24 upon an assumption of -- of total kh of 67-1/2 millidarcy
25 feet and the assumption that the permeability is 2 milli-

1 darcy; therefore, one divided by the other gives you the
2 height, which is 33 net feet.

3 Q Mr. Klaar, in your opinion will approval
4 of the Llano application for an unorthodox well location
5 without a penalty of any kind be in the best interests of
6 conservation, the prevention of waste, and the protection
7 of correlative rights?

8 A In my opinion it would be right and
9 proper to approve 320-acre spacing without a penalty, yes,
10 sir.

11 Q Were Exhibits One through Twelve, I be-
12 lieve, prepared by you directly or compiled under your
13 direction and supervision?

14 A Both; by me directly and under my super-
15 vision, yes.

16 MR. KELLAHIN: We move the introduction
17 of Exhibits One through Twelve.

18 MR. RAMEY: Without objection they will
19 be admitted.

20 MR. KELLAHIN: That concludes my direct
21 examination.

22 MR. RAMEY: Let's take about a five minute
23 break.

24 (Thereupon a recess was
25 taken.)

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2452
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3620 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 MR. RAMEY: The hearing will come to order.

2 Any questions of Mr. Klaar?

3 MR. CARR: I have just a few.

4 MR. RAMEY: Mr. Carr.

5

6 CROSS EXAMINATION

7 BY MR. CARR:

8 Q Mr. Klaar, I'd like to direct your atten-
9 tion to what has been offered as Llano Exhibit Number Two.

10 A Yes, sir.

11 Q I'd like to direct your attention to the
12 Government A Well No. 1.

13 A Correct.

14 Q As I understood your testimony, some of
15 the production which was recorded earlier today by Getty
16 and attributed to this well is actually gas that came from
17 the storage project, correct?

18 A Correct.

19 Q What well is that gas migrating from?

20 A Our interpretation shows that it's mi-
21 grating from Well No. 2, in Section 34.

22 Q How far away is the No. 2 Well from the
23 Government A No. 1?

24 A Approximately two miles. Approximately
25 two miles, Mr. Carr.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (605) 471-2462
Santa Fe, New Mexico 87501

1 Q So there is north-south communication
2 over an area of two miles in this --

3 A Oh, I said just from the No. 2, not from
4 the No. 1.

5 Q Okay, well how -- you talked -- I'm asking
6 you --

7 A I'm talking about a meandering sand that
8 appears in the No. 2 Well, productive in the No. 2 Well,
9 and is only productive in the Government A, but yet is not
10 productive in the No. 1 Well in between.

11 Q So your testimony here is that you have
12 gas migrating for more than two miles through the Morrow.

13 A Yes, sir.

14 Q We also have established immediately
15 north of this that we have east-west communication between
16 the No. 1 and the No. 4, is that correct?

17 A In another zone.

18 Q In another zone.

19 A Correct.

20 Q If, in fact, there is this kind of com-
21 munication, do you have any idea what the limits of these
22 producing zones might be between the No. 1 and the No. 2?

23 A Yes. I think if you look at the cross
24 section there you will find that GRM Unit No. 3 is the
25 only one that's got a C Sand. In some instances it's no

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 more than one well that's productive out of any one sand.

2 A. I'm asking you if you have any idea of the
3 extent of this "meandering sand" that runs between the No. 1
4 and No. 2.

5 A. No, sir, because I don't know how wide it
6 is.

7 Q. You do know that the rock characteristics
8 must be such as to permit drainage over a very extended area.

9 A. Yes, sir.

10 Q. And if you would have a Morrow deposit
11 that is not typical channel sand you would have rock pro-
12 perties that might in fact permit considerable area of
13 drainage.

14 A. If that were the case, yes, except I think
15 our cross section illustrates that --

16 Q. Didn't you just state that you didn't
17 know what the limits of that meandering sand were?

18 A. Correct, but our cross section also illu-
19 strates that there are sands coming and going between all
20 of the wells out there.

21 A. Well, I'm asking you about a particular
22 sand. Do you have any idea how many acres are in that one?

23 A. No, sir, I do not know.

24 Q. But your testimony is that you are draining
25 through one well an area two miles away.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2029 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

- 1 A Correct.
- 2 Q Now I'd like to --
- 3 A Which could turn out to be a sand about
- 4 50 feet wide and about 3 miles long.
- 5 Q Do you know that?
- 6 A No, sir, I do not.
- 7 Q Do you know that it has -- or do you know
- 8 if it has 14,000 acres?
- 9 A I -- the only thing I know is that in
- 10 retrospect, and going on the average information available
- 11 to me at the wellbore, which is the log, the core data and
- 12 every other type data, is that I have so many net feet
- 13 available at the wellbore. From that I go out and I calcu-
- 14 late how many acres I've drained. I have no knowledge of
- 15 whether that drainage area is composed of 10-foot wide and
- 16 2 miles long, or if it's just -- or if it's elliptical in
- 17 shape. I do not think it is circular in shape.
- 18 Q But you also do know you have rock proper-
- 19 ties here that do permit you to drain over an extended area.
- 20 A In individual zones, correct. Yes, sir.
- 21 That's correct.
- 22 Q I'd like to direct your attention for a
- 23 minute to the Getty State Two No. 1 Well.
- 24 A Okay.
- 25 Q And correct me if this is wrong, but I

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3010 Plaza Blanca (605) 471-2452
Santa Fe, New Mexico 87501

1 believe your testimony is that it is only producing from
2 the interval above the Morrow Clastic.

3 A. Based upon our information of being --
4 being present at the time the work was performed, yes.

5 Q And you believe today that that is the
6 zone that's contributing the production, not the Lower Morrow
7 zone.

8 A. That's correct. That could easily be
9 proven, by the way.

10 Q How many feet of pay are there in the
11 upper zone?

12 A. As I remember, it could be five or six
13 feet.

14 Q Okay.

15 A. In that upper zone.

16 Q Four feet, five feet, something like that?

17 A. Four, five, six feet.

18 Q Did you see Getty's Exhibit Number Twenty-
19 five this morning which indicated the rates of production
20 from the Getty Two State No. 1 Well?

21 A. Yes, I did.

22 Q Doesn't this in fact show that the rates
23 are increasing?

24 A. Well, it shows several things. It shows
25 that in July the well was capable of flowing 1.8 million a

1 day. That's July of '78.

2 Then it shows various smaller amounts that
3 the well flowed, and back again in March and April of '79
4 it shows the well was again capable of 1.7 to 1.8 million
5 a day.

6 I don't know whether I can agree that
7 it's flowing more. No, not necessarily more.

8 Q Is it flowing less?

9 A It's flowing about the same.

10 Q Now I believe your --

11 A Eight or nine months later.

12 Q I believe your testimony was with a
13 normal Morrow Well you experience some sort of a decline
14 in production.

15 A That is correct.

16 Q And what was that decline?

17 A The decline is 35 percent but that has
18 got a rider on it. That has the rider on it that you are
19 producing the well at its full capability, which you're
20 not doing here. You're choking it back.

21 Q Now, let me ask you, based on the fact
22 that you're not experiencing a decline --

23 A Right.

24 Q -- with this well, and that you've pro-
25 duced maybe half a billion to date, and you have only four

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3028 Plaza Blanca (665) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (666) 471-2462
Santa Fe, New Mexico 87501

1 feet of pay, doesn't it appear to you that you would have
2 a tremendous drainage area in this 4-foot interval in the
3 Upper Morrow?

4 A. It could have quite a drainage area.

5 Q. Yet you still believe that based on this
6 data that there is not contribution coming from the lower
7 zone.

8 A. That is correct.

9 Q. Now, I believe you stated that in regard
10 to your exhibit Number Three, I believe, our Exhibit Number
11 Twelve, the same exhibit, that you would stand on your
12 figures because you had more data available to you.

13 A. Now that's the --

14 Q. Is that a correct statement I --

15 A. That is the exhibit that does not include
16 the Getty Two State, correct.

17 Q. Well, wouldn't the same standard also
18 apply that Getty would have more data available on their
19 Getty Two State and perhaps their opinion would be based on
20 a better information bank than yours?

21 A. I can partially agree with that. I think
22 we're bandying around -- bandying around the words drainage
23 area when what we're really after is arguing about whether
24 640 acres will -- will be drained by one well. This well
25 could very well in this one zone drain 640 acres. The

1 point still is that one part -- one of the Morrow Sand zones.
2 Can one well drain each and every Morrow Zone that has a
3 possibility and a probability of appearing in that one sec-
4 tion.

5 Q Well, how many wells would you have to
6 drill to be sure you caught all the possibilities?

7 A You finally get to an economic limit and
8 the conomic limit is somewhere between 160 and 320 acres,
9 the point of no return.

10 Q Well, I mean but would you then be sure
11 you'd picked up all Morrow stringers?

12 A Even at that point you're not sure that
13 you have picked up all of them.

14 Q That's right. Now, I believe you were
15 talking about the number, at one time, how much gas would
16 have to be in place and produced through one well, to in
17 fact drain 640 acres, and you gave us some sort of a figure.

18 A Right, that was based on -- just a
19 minute, let me reconstruct that.

20 The question that had been asked was the
21 same type of data that I utilized on the Getty 35, namely
22 net thickness, average porosity, and such, where I had come
23 to the conclusion that the Getty 35 would drain 262 acres,
24 how much gas would the well have to produce under the same
25 parameters to drain 640 acres, and my answer was approxi-

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 mately 15 or 15-1/2 billion cubic feet.

2 Q Are you talking about producable gas or
3 gas in place?

4 A I'm talking about gas in place, I beg
5 your pardon.

6 Q Okay. Now, Mr. Klaar, if you have 11.3
7 billion gas producable, how much do you have in place, do
8 you have any idea?

9 A We use, as is illustrated by our exhibit
10 there, we use a recovery efficiency of .8, which would mean
11 11.3 divided by .8 would come out to what, 13-1/2, 14 --
12 14 billion cubic feet.

13 Q And then you plug in your liquids and
14 what do you get?

15 A And you add your liquids and you get up
16 to that 15, 15.5.

17 Q So this is inconsistent with the other
18 two volumes you've given concerning what the Getty 35 would
19 produce.

20 A I don't see how it's inconsistent.

21 Q Well, on one hand you have --

22 A I think one of the biggest disagreements
23 is that as a purchaser of gas, I have to deal in reality;
24 as a seller I run into people who deal in fantasies and
25 they tell me they've got 12 to 15 billion cubic feet and

1 five years later I can prove they only had 4.

2 Q Now we're not five years from today; we're
3 today.

4 A No, sir, but we are dealing with a 100
5 wells that I'm hooked up to at this present date, and my
6 hindsight is 20/20, and I have looked back, and I've gone
7 back and I've seen where, not to name any particular names,
8 but to say Seller A has told me he's got 37 billion cubic
9 feet available under this contract, and four years later
10 after he's produced 11 billion cubic feet, his wells are
11 gone.

12 Q Do you ever have a producer who produces
13 more than he thinks he might?

14 A Not a single time. Everybody always sells
15 more than they really have.

16 Q Have you ever had anyone accurately cal-
17 culate this?

18 A In southeastern New Mexico in the Morrow
19 there are very few people that accurately calculate. There
20 are a couple of majors that do, yes, sir. I can give you
21 names, but there's only a few majors that really accurately
22 know what volume they're talking about.

23 Q Isn't it true that the only way we really
24 will know what this will drain is after we get some more
25 data on the well and see how it performs as it's produced?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2482
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3028 Plaza Blanca (995) 471-2452
Santa Fe, New Mexico 87501

1 A. I can agree with that.

2 Q. Now, Mr. Klaar, if you drill a well at
3 a close proximity to a fault, for the purpose of this ques-
4 tion assume a generally homogenous area, will this not in
5 fact reduce the amount of gas that you can actually drain?
6 The presence of the fault as opposed to the same situation
7 without it?

8 A. It can. Are you talking about a particu-
9 lar instance here if we were to move west, or what is your
10 question?

11 Q. My question really is that the production
12 from the four primary wells in your storage project has
13 been affected by the presence of those faults, has it not?

14 A. I can't totally agree with that, no, sir.

15 Q. You don't think that the faults were --
16 the one on the west, further to the west, and the one on
17 the east, further to the east, that you would have --

18 A. Not necessarily.

19 Q. That those wells would have produced more
20 during primary --

21 A. Not necessarily. As our cross section
22 indicates, sand bodies go across faults, but that's just
23 the yellow portion of the cross section.

24 It's the red you're really interested in.
25 That's the porosity. The porosity in itself comes and goes

1 inside these sand bodies. Some are productive and some
2 aren't. You could have the thickest sand body you ever saw
3 be so tight and you not be able to produce it.

4 Q Generally speaking, then, you would be-
5 lieve that a well immediately adjacent to a fault would be
6 able to produce just as much as one that was out in the
7 middle of a homogenous reservoir.

8 A Just as much as one that was out in the
9 middle of a homogenous reservoir.

10 Q Not bothered -- not hampered by the fault.

11 A No, I wouldn't agree with that, either,
12 because we don't have -- there is no such thing as a homo-
13 genous reservoir in --

14 Q I'm talking about the presence of the
15 fault.

16 A Okay.

17 Q For the purpose of the question I'm asking
18 you to assume a homogenous reservoir.

19 A Okay, if you assume a homogenous reservoir,
20 then, and you have faults on either side, like we do, then
21 what's the question?

22 Q The question is does the existance of the
23 fault in fact reduce what you will produce in those wells?
24 As contrasted to the situation where the faults are not
25 present?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 A. If the producing interval is just laying
2 across those faults, yes. If the producing interval is
3 laying the other way, then the faults could be no more than
4 an indication of structure.

5 Q. But you're changing the assumption.
6 I'm asking you to assume a homogenous
7 reservoir.

8 A. Okay, assume a homogenous reservoir, a
9 fault, a sealing fault, would certainly keep you from pro-
10 ducing.

11 Q. I'd like to look -- I'd like to direct
12 your attention to your Exhibit Number Seven, your cross
13 section.

14 A. Right.

15 Q. I believe it was your testimony that we
16 have the gross sand intervals indicated in yellow and the
17 net productive sands in red.

18 A. Yes.

19 Q. Is it your opinion that -- is it your
20 opinion that -- I want to try and understand you -- that the
21 gross sand intervals that are in yellow, are not productive?

22 A. If they are indicated in the wellbore as
23 yellow with no red in there, that is correct.

24 Q. So it is your testimony that, take the,
25 let's see, the Getty Number 35, the top sand interval colored

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (SOS) 471-3462
Santa Fe, New Mexico 87501

1 yellow in that, you believe that is not productive?

2 A. It's not productive at this time, no, sir.

3 Q. You're talking about just at this time.

4 A. Just at this time. In this instance --

5 Q. If it were perforated --

6 A. -- I think they could perforate and they

7 could make it productive.

8 Q. So you're talking, when you say productive,

9 you mean just producable through a well under current condi-

10 tions.

11 A. Under current conditions.

12 Now with respect to Llano's wells, Shell,

13 Sinclair, and others who had interests in these wells, by

14 cores and drill stem tests determined what was productive

15 and what was not productive, whether or not it was a sand

16 body.

17 Q. Now I'm going to ask you just a very

18 simple question.

19 What are the spacing rules which govern

20 Section 34, Township 21 South, Range 34 East?

21 MR. KELLAHIN: Excuse me. What was the

22 question again?

23 MR. CARR: I'd just like to have Mr.

24 Klaar tell us what he understands the acreage dedication

25 and well spacing rules to be which apply to the area which

1 you are trying -- proposing to dedicate to your well in
2 Section 34.

3 MR. KELLAHIN: Object to the question.
4 It's wholly irrelevant. That's why we're here today, spent
5 eight hours here today, is to figure out what the spacing
6 and pool rules are.

7 MR. CARR: I would submit that you don't,
8 because of the hearing in Santa Fe, have no rules in south-
9 eastern New Mexico governing the way -- an area where wells
10 are drilling or productive.

11 I think one of the basic misconceptions
12 we're operating under is that at the present time, that on
13 the day that the Llano well was spudded there were no rules.

14 MR. KELLAHIN: Well, I'd object to --

15 MR. CARR: That they were on 320.

16 MR. KELLAHIN: If the Commission please,
17 we're operating under an effective order --

18 A. No, sir, we're --

19 MR. KELLAHIN: Excuse me, let me finish.
20 We are operating under an effective order from Examiner
21 Nutter and it allowed us to drill that well at that location.

22 That answers his question.

23 MR. CARR: We're not disputing their right
24 to drill and we have not today disputed their right to pro-
25 duce whatever they may have, but I'd like to know what the

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (906) 471-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (985) 471-2483
San Antonio, New Mexico 87501

1 rules are.

2 Mr. Klaar is representing a company which
3 is drilling a well, and my question is, is it on 640-acre
4 spacing or 320.

5 MR. KELLAHIN: I renew my objection.

6 MR. CARR: I'd ask you to rule on this.

7 MR. RAMEY: Going to overrule the ob-
8 jection. Would you answer the question, if you can, Mr.
9 Klaar.

10 A. The rules we are operating under at the
11 present time say 640-acre spacing.

12 Q. So, Mr. Klaar, the --

13 A. Temporary for thirty days, so this is why
14 this hearing is going on.

15 Q. So at the present time with 640-acre
16 spacing in effect, your 660 acre location --

17 A. 660 foot location?

18 Q. From the east line of 34.

19 A. Right.

20 Q. How many feet unorthodox is that?

21 A. With 640-acre spacing rules that's 990
22 feet unorthodox towards the east.

23 Q. Towards the Getty property.

24 A. Yes, sir.

25 Q. Now I believe you testified that you be-

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
8028 Plaza Blanca (602) 471-2442
Santa Fe, New Mexico 87501

1 lieved granting your request for this unorthodox location
2 with no penalty would not impair correlative rights.

3 A. That's correct.

4 Would you like to know why I think that?

5 Q. Yes, I would.

6 A. First of all, the offset well has been
7 productive for, as shown by Getty, for five or six months,
8 will be productive up to ten or eleven months, should we
9 ever be able to drill down to that point and start producing
10 it. By that time Getty could have already drained the total
11 of a billion cubic feet from wherever it came from.

12 So I do not think that if it changed to
13 320-acre spacing that they would be at a disadvantage, nor
14 do I think if it changed to a 6 -- or if it remained at
15 640-acre spacing with some type of penalty put on Llano
16 would they be at a disadvantage. In fact, if it remained
17 at 640 acres, then I would imagine Llano would come in and
18 in addition to a penalty factor being assessed against them
19 would also ask for that same amount, whatever that net factor
20 is, to be given to Llano of the present production that
21 Getty's already got.

22 Q. Has Llano been denied opportunity to pro-
23 duce its fair and equitable share of reserves under the
24 east half of 34?

25 A. As far as I know, no, sir.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (908) 471-2462
Santa Fe, New Mexico 87501

1 Q Did you know that's how correlative rights
2 is defined?

3 A That is the definition of correlative
4 rights, that's right.

5 No, sir, we have not been denied. I mean
6 it's -- we're here to settle the question of what spacing
7 rules should be, and once that's settled and the Commission
8 decides who gets what.

9 Q Now you're drilling 660 from a common
10 lease line and there's an offsetting well 650 on the other
11 side of that line.

12 A 1650.

13 Q 1650, right.

14 A Correct.

15 Q Do you believe that the well 1650 from
16 the east line -- or that's east of this common line, can
17 protect itself with counter drainage from the drainage
18 which results from the well 660 from the west of that line?

19 A I think I'd have to qualify the answer
20 and say at the time our well would, and if it ever is com-
21 pleted and we find out how good a well it is, that would
22 be the time to answer that.

23 We could end up with a well capable of
24 1-1/2, say 1500 Mcf a day versus Getty's capable of pro-
25 ducing out of the same zones 3800, as it was quoted, Mcf a

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 day. If that were the case and our well cannot produce more
2 than 1500 Mcf a day, no, sir, and I don't think the Getty
3 35 is being hurt by our well producing 1500.

4 Q Now, do you believe that by being per-
5 mitted to move a well 1000 feet toward your neighbor's
6 lease, that you in effect gain an advantage on your neigh-
7 bor?

8 A I think in general when you talk about
9 moving 1000 feet, that's the way you would look at it, ex-
10 cept Llano has -- has no recourse except to claim its right
11 to produce the gas under the east half of 34, and we feel --

12 Q Has anyone denied you that right?

13 A No, sir.

14 Q Has Getty?

15 A No, sir, not that I know of.

16 The question here is should it be 640 or
17 320.

18 Q Isn't the question whether you're entitled
19 to produce your fair share of the gas?

20 A Once the question of 640 and 320 is
21 settled, then it comes down to whether Llano agrees with
22 the Commission that it's going to get its fair share.

23 Q Well, let me ask you this. Suppose we
24 go to 320-acre spacing.

25 A Yes, sir.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (606) 471-2462
Santa Fe, New Mexico 87501

1 Q That would mean that it would free up an-
2 other proration unit in Section 35 for Getty.

3 A Yes, it would.

4 Q Now, inasmuch as the Getty 35 is in the
5 southwest quarter, they could either have a section across
6 the north half of the section or the west half.

7 A Correct.

8 Q Or the east half of the section.

9 A Correct.

10 Q Is there any possible way with that kind
11 of a rule change, that they could come and drill an addi-
12 tional well and offset you 660 feet from the east line in
13 Section 35 -- I'm sorry, and offset you 660 feet from the
14 west line and 1650 from the south line?

15 A Not legally. They would have to come in
16 then and get an unorthodox hearing, just like we had to.

17 Q Well, but it would be more complicated
18 than that. There would be simultaneous dedication problems,
19 too, wouldn't there?

20 A Not if you had the Getty 35, south half
21 of Section 35 dedicated to the present well, and the north
22 half to the new well, and then you would be seeking an un-
23 orthodox location.

24 Q But you couldn't put a well 1650 from
25 the south line, could you? It wouldn't be in your unit.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2442
Santa Fe, New Mexico 87501

1 A Well, you've already got a well there
2 1650 from the south line.

3 Q Isn't the net effect of going from 640-
4 acre spacing to 320-acre spacing, isn't the real net effect
5 of that, that you would -- that Llano would be able to
6 drill a well 660 feet from the east line of Section 34 and
7 not be assessed a penalty?

8 A That could be interpreted, just as the
9 net effect of Getty wanting to keep it at 640 could be in-
10 terpreted as meaning \$2,000,000 more to Getty.

11 Q But now I'm talking about the location
12 and you're asking for an unorthodox location.

13 A I'm talking about 640. Getty wants to
14 keep it at 640.

15 Q Well, I'm asking you -- I'm asking a
16 question.

17 A Yes, sir.

18 Q And isn't one of the -- one of the real
19 net effects of the application, that if the Commission
20 changes the spacing to 320, Llano would be able to drill a
21 well 990 feet closer to the east line of Section 34 and
22 not receive a penalty for that?

23 A That is part of it. Llano is more than
24 willing to accept a penalty factor if it goes to 640, if it
25 remains -- I beg your pardon for saying goes, but if it

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (SOS) 471-2462
Santa Fe, New Mexico 87501

1 remains at 640, then Llano obviously will get a penalty
2 factor slapped on it, and Llano is willing to live with that.

3 Q Doesn't this change in effect amount to
4 changing the rules in the middle of the game?

5 A Now that has been mentioned several times,
6 Mr. Carr, and all I can answer to that is then the rules
7 have been changed in the middle of the game just about a
8 dozen times, according to my Exhibit Number Eight, out of
9 all those Morrow Pools, because this is not the first, and
10 I suspect it is not the last, pool that will go from 640
11 down to 320 once more activity takes place.

12 MR. CARR: Well, I have nothing further
13 on cross of this witness.

14 MR. RAMEY: Any other questions of the
15 witness?

16 MR. KELLAHIN: Let me ask you one question,
17 Mr. Klaar.

18
19 REDIRECT EXAMINATION

20 BY MR. KELLAHIN:

21 Q Exhibit Number Three.

22 A Exhibit Number Three?

23 Q Yeah. Mr. Carr asked you under cross
24 examination about the extent of some of these Morrow stringers
25 in this particular area, and that it was conceivable for

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (606) 471-5442
Santa Fe, New Mexico 87501

1 them to be, I think you said ten feet wide and more than a
2 mile long, that kind of characterization, I think was your
3 testimony. Was that not your testimony?

4 A. Essentially, yes. What I was trying to
5 say is that I have no knowledge about the actual configuration.
6 I draw inferences when I have a well that is completed in
7 one zone, in a particular zone, and then I go down one mile
8 to the south, I do not find that zone productive. I go
9 another mile further to the south and I find it productive
10 again.

11 All I can -- the conclusion that I have
12 to draw from that is that since I do see communication, is
13 that that is some type of a boomerang configuration of
14 that zone around that well, that's productive.

15 Q. My question is that despite the fact that
16 you do not know what the exact configuration of the drainage
17 pattern is, have you calculated on Llano Exhibit Three what
18 the limits of that configuration would be in terms of acres
19 drained?

20 A. Yes, sir, acres is an areal extent of the
21 acres drained, correct.

22 Q. Do any of your calculations show that you
23 are draining 640 acres?

24 A. No, sir, they do not.

25 MR. KELLAHIN: No further questions.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (SOS) 471-2482
Santa Fe, New Mexico 87501

CROSS EXAMINATION

BY MR. RAMEY:

Q Mr. Klaar, if the Commission did decide to keep this acreage on a 640, have you any thoughts of what an effective penalty would be for the Llano well on an actually 320-acre tract?

A No, sir, because I'm not familiar with several references that were made today here to the case of how this is figured.

I'm sorry, I'm not familiar with that type of proceeding, so I have no -- no recommendation on what type of a penalty it would be.

Q You have no recommendations for a minimum allowable?

A No, sir.

Q Mr. Kellahin touched on it briefly with Mr. Bosecker when he asked him if 2,000,000 a day was a good one and he said no; he said 1 million and a half and he said he was getting close.

But you, you have no recommendation?

A No, sir, I do have one thought on it and that is that if a penalty is assessed whether this is Llano or anybody else, if a penalty is ever assessed on a well that is in with other wells in a gas pool, then the only

1 equitable way of doing that is by prorating that pool.

2 Q And what would be your request for an
3 allowable for that pool if it were prorated and you were
4 purchaser?

5 A That's hard to say right now.

6 Q Would it be a reasonable figure or would
7 it be some figure that would not be attainable right away
8 on --

9 A Well, the first thing that comes to mind
10 is if my request for allowable in a prorated pool is ex-
11 cessively high to what the wells can produce, the second
12 month I nominate high the Commission knows about it because
13 it goes back in retrospect and looks at what was actually
14 produced and says, hey, something's going on.

15 There are provisions in nominating on
16 prorated pools to take into account the difference between
17 nominations and actual production.

18 So what I'm trying to say is that there
19 is no way that I think a purchaser could manipulate the
20 nominations to suit his own purposes, because it would show
21 up with either an overage or underage sooner or later, and
22 an adjustment would be made on the allowables thereafter.

23 MR. RAMEY: Any other questions of the
24 witness? He may be excused.

25 Mr. Kellahin, do you have anything further?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
1020 Plaza Blanca (S.E.) 411-3462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (995) 471-3462
Santa Fe, New Mexico 87501

1 MR. KELLAHIN: No, sir.

2 MR. RAMEY: Mr. Carr?

3 MR. CARR: I'll only ask the Commission to
4 remember their statutory charge to protect correlative
5 rights, and emphasize that if Llano is permitted to drill
6 and complete a well offsetting us at the 660 location as
7 they propose in Section 34, there is no possible way that
8 we could come in and offset them at 660 and that, in fact,
9 I mean the evidence shows that our correlative rights would
10 be impaired and we would be unable to protect them and
11 would not have been afforded an opportunity to do so.

12 Further, 640-acre spacing in this pool,
13 we've drilled wells at standard locations under those rules.
14 The present well being drilled by Llano and the one being
15 drilled by Getty are being drilled under rules of that
16 nature.

17 We feel that to change the rules now and
18 to permit wells at unorthodox locations and then not assess
19 a penalty because of the change in the overall spacing
20 would be in effect changing the rules in the middle of the
21 game, would deny us an opportunity to protect our correla-
22 tive rights and would in effect be contrary to your statu-
23 tory charge.

24 MR. RAMEY: Thank you, Mr. Carr.

25 MR. KELLAHIN: May I have a response, sir?

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
2020 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. RAMEY: Yes, Mr. Kellahin.

MR. KELLAHIN: Mr. Carr has alluded to the fact that we're playing some kind of game here. We're being very serious about this.

It is incumbent upon the Commission, as you know, to first of all insure that the spacing rules for regardless of what kind of pool are developed, are the spacing rules that are most effective and efficient to develop that particular pool.

This case is not any different from any of the other Morrow cases you've heard over the years. Mr. Carr would have you believe that this is one of the nine exceptions out of a hundred Morrow Pools in which they should be established and continue of a 640-acre spacing.

That in fact is not true. We can demonstrate, and have demonstrated for you, that the most effective and efficient way to develop this pool and not bypass Morrow stringers, is to do so on 320-acre spacing. It will not adversely affect Getty in any way.

You can look at the locations of the wells with regard to Getty's spacing pattern and you can see that in each of those sections you go to 320-acre spacing, that they will have additional locations from which to further develop their acreage.

The occurrence of the fault between the

1 storage wells that Llano operates and those that Getty is
2 now drilling and has produced, has created a situation where
3 there is productive acreage, as everyone admits, in the
4 east half of Sections 34 and Section 3.

5 The unit agreement between Llano and the
6 State of New Mexico places a burden upon Llano to protect
7 that particular part of the acreage dedicated to the unit,
8 and exercising that obligation has been incumbent upon them
9 once they realize from the information supplied by Getty
10 that there was a fault line splitting that acreage in half
11 that they -- it was incumbent upon them to commence a well
12 on a location in the east half of Section 34. That location
13 will be a standard location for the east line if the well
14 is spaced upon 320 acres.

15 That brings us full circle back to the
16 point that the fundamental decision to be made by the Com-
17 mission is what is the most appropriate spacing. We believe
18 no one's correlative rights will be damaged by reducing the
19 spacing to 320 acres and approving the location without a
20 penalty.

21 MR. RAMEY: It certainly would have been
22 simpler if that fault had been a half a mile east.

23 Do you have anything further, Mr. Carr?

24 MR. CARR: I would just ask the Commission
25 to note that there are letters in the record in support of

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (606) 411-2462
Santa Fe, New Mexico 87501

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3030 Plaza Blanca (505) 471-2462
Santa Fe, New Mexico 87501

1 the position of Getty.

2 MR. KELLAHIN: May we know who those
3 letters are from?

4 MR. RAMEY: We have a letter from Sabine,
5 In Case 6557 we concur with the 640 spacing.

6 In 6497 they object to the application of
7 Llano to drill an unorthodox well.

8 In 6558 they object to the application of
9 Llano for a non-standrd proration unit.

10 A letter from Phillips supports the appli-
11 cation of Getty seeking to create a new Morrow gas pool
12 under the subject case assignment.

13 They support 640-acre spacing.

14 And we have a telegram from Exxon saying
15 they're a leasehold interest, leasehold owner in Section
16 11, Township 22 South, Range 34 East.

17 MR. KELLAHIN: Excuse me, who is that
18 from?

19 MR. RAMEY: Exxon. And they support Getty
20 in the 640 spacing.

21 MR. KELLAHIN: May the record also reflect
22 that for the Phillips and Sabine letters, that they are
23 working interest owners in the Getty 36 Well now being
24 drilled in Section 36.

25 MR. RAMEY: Do you have anything further?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. KELLAHIN: Not in this record.

MR. RAMEY: The Commission will take these
three cases under advisement, and the hearing is adjourned.

(Hearing concluded.)

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (995) 471-2462
San Antonio, New Mexico 87591

REPORTER'S CERTIFICATE

I, SALLY WALTON BOYD, a Court Reporter, DO HEREBY
CERTIFY that the foregoing and attached Transcript of
Hearing before the Oil Conservation Division was reported
by me; that said transcript is a full, true, and correct
record of the hearing, prepared by me to the best of my
ability, knowledge, and skill, from my notes taken at the
time of the hearing.

Sally W. Boyd CSR
Sally W. Boyd, C.S.R.

SALLY WALTON BOYD
CERTIFIED SHORTHAND REPORTER
3020 Plaza Blanca (666) 471-2462
Santa Fe, New Mexico 87501