

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF DEVON ENERGY PRODUCTION)
COMPANY, L.P., FOR SPECIAL POOL RULES)
AND REGULATIONS FOR THE NORTHEAST RED)
LAKE GLORIETA-YESO POOL AND CANCELLATION)
OF OVERPRODUCTION, EDDY COUNTY,)
NEW MEXICO)

CASE NO. 13,185

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, JR., Hearing Examiner

February 5th, 2004

Santa Fe, New Mexico

RECEIVED

FEB 19 2004

Oil Conservation Division
1220 S. St. Francis Drive
Santa Fe, NM 87505

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, JR., Hearing Examiner, on Thursday, February 5th, 2004, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

February 5th, 2004
Examiner Hearing
CASE NO. 13,185

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>MEG MUHLINGHAUSE</u> (Landman)	
Direct Examination by Mr. Bruce	4
Examination by Examiner Jones	10
<u>SHELDON ANDREW STIRLING</u> (Geologist)	
Direct Examination by Mr. Bruce	14
Examination by Examiner Jones	21
<u>JIM SMITH</u> (Engineer)	
Direct Examination by Mr. Bruce	26
Examination by Examiner Jones	42
REPORTER'S CERTIFICATE	50

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	5	10
Exhibit 2	6	10
Exhibit 3	6	10
Exhibit 4	16	21
Exhibit 5	16	21
Exhibit 6	18	21
Exhibit 7	27	42
Exhibit 8	28	42
Exhibit 9	30	42
Exhibit 10	30	42
Exhibit 11	31	42
Exhibit 12	31	42
Exhibit 13	37	42
Exhibit 14	38	42
Exhibit 15	40	42

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

JAMES G. BRUCE
 Attorney at Law
 P.O. Box 1056
 Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 8:30 a.m.:

3 EXAMINER JONES: Okay, let's call Case 13,185,
4 Application of Devon Energy Production Company, L.P., for
5 special pool rules and regulations for the Northeast Red
6 Lake Glorieta-Yeso Pool and cancellation of overproduction,
7 Eddy County, New Mexico.

8 Call for appearances.

9 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
10 representing the Applicant. I have three witnesses to be
11 sworn.

12 EXAMINER JONES: Any other appearances?
13 Will the witnesses please stand to be sworn?
14 (Thereupon, the witnesses were sworn.)

15 MEG MUHLINGHAUSE,
16 the witness herein, after having been first duly sworn upon
17 her oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. BRUCE:

20 Q. Would you please state your name and city of
21 residence for the record?

22 A. My name is Meg Muhlinghouse and I live in Edmond,
23 Oklahoma.

24 Q. Who do you work for and in what capacity?

25 A. I work as a land advisor for Devon Energy

1 Corporation.

2 Q. And have you previously testified before the
3 Division as a landman?

4 A. Yes, I have.

5 Q. And were your credentials as an expert accepted
6 as a matter of record?

7 A. Yes, they were.

8 Q. And are you familiar with the land matters
9 involved in this Application?

10 A. I am.

11 MR. BRUCE: Mr. Examiner, I'd tender Ms.
12 Muhlinghouse as an expert petroleum landman.

13 EXAMINER JONES: Ms. Muhlinghouse is qualified as
14 an expert petroleum landman.

15 Q. (By Mr. Bruce) Would you go to our first
16 exhibit, Number 1, and describe the pool involved in this
17 case?

18 A. Exhibit 1 is a land plat of part of Township 17
19 South, 27 East, and adjoining acreage. I'll wait for you
20 to -- Highlighted in the pink or red is the Northeast Red
21 Lake Glorieta-Yeso Pool, covering parts of 17 South, 27
22 East; 18 South, 27 East; and 17 South, 28 East. This is
23 the pool we're here for today.

24 The north half of Section 35 was recently added
25 to this pool since the time of our Application, so I have

1 filled it in there, but in our Application it was not
2 included at that time.

3 Also highlighted in yellow is the Red Lake
4 Glorieta-Yeso Pool.

5 Q. Okay. What is the blue line on the map?

6 A. That is the area within one mile of the northeast
7 Red Lake Glorieta-Yeso Pool. For notice purposes, we
8 determined the Glorieta-Yeso operators within that
9 boundary.

10 Q. And who are those operators?

11 A. Besides Devon, they are Marbob Energy
12 Corporation, Mack Energy Corporation, SDX Resources and BP
13 America.

14 Q. And was notice of this case given to these
15 operators?

16 A. Yes, and Exhibit 3 contains the notice materials.

17 Q. Okay. Now, have any of these operators objected
18 to the Application?

19 A. No objections have been expressed, and Exhibit 2
20 is a letter from Marbob supporting our Application.

21 Q. Now, what special pool rules did Devon seek in
22 this Application?

23 A. We requested an allowable of 300 barrels of oil
24 per day and a gas-oil ratio of 4000 to 1 in our
25 Application. However, we've come to the conclusion that we

1 just need an increase in the oil production to 300 barrels
2 of oil per day. We can leave the GOR as it is at 2000.

3 Q. Okay, so we can dismiss that portion of the
4 Application requesting a higher GOR?

5 A. Correct.

6 Q. Okay. What is the current daily allowable, oil
7 allowable, in this pool?

8 A. The allowable is 80 barrels of oil per day, and
9 the GOR is 2000 to 1.

10 Q. Will Devon's geologist and engineer talk about
11 the reasons for the allowable increase?

12 A. Yes.

13 Q. How has Devon been developing this Glorieta-Yeso
14 Pool?

15 A. We've been drilling to Glorieta-Yeso wells in
16 each 40-acre well unit, in a northeast-to-southwest
17 orientation. This has been the case except in a few
18 situations where other circumstances have prohibited us
19 from following this pattern.

20 Q. Okay. And will some exhibits be submitted later
21 that will kind of --

22 A. -- show that, yes.

23 Q. -- show that?

24 Now, Devon also requests cancellation of
25 overproduction in one well unit. What is that well unit?

1 A. The northeast quarter of the southwest quarter of
2 Section 35 in 17 South, 27 East contains the Logan "35" Fed
3 Well Number 5, completed in February, 2001, and the Logan
4 "35" Fed Well Number 6, completed in June, 1999. The well
5 unit has produced just under 268,000 barrels of oil and
6 574,000 MMCF.

7 Q. As of what date is that, approximately? August,
8 2003.

9 A. I just -- I'm not sure. I believe so, yeah.

10 Q. Okay, will some data be submitted --

11 A. Yes --

12 Q. Okay.

13 A. -- yes.

14 Q. And what is your estimate -- or what is Devon's
15 estimate of the overproduction?

16 A. We calculate that it is overproduced in oil by
17 just over 141,000 barrels of oil and 321 MMCF of gas.

18 Q. How did it get overproduced?

19 A. The previous round of Yeso wells, drilled in 1999
20 through 2001, were drilled with two wells per 40-acre
21 proration unit. It appears that some wells came on making
22 above allowables but quickly fell off to a rate in
23 compliance with the existing field rules. The Logan "35" 5
24 and Number 6 were placed on production and apparently never
25 fell off.

1 Teams overseeing this area changed. There was
2 another team overseeing this area, and in the change this
3 was an oversight.

4 Right after these wells were drilled, quite
5 simply, this fell through the cracks, I assume because
6 production was reported as a whole, but I really don't know
7 for sure.

8 The current team responsible for this area
9 started evaluating this area for more drilling and noticed
10 the overproduction, brought it into compliance, and here we
11 are trying to rectify the situation.

12 Q. Okay, when you say brought it into compliance,
13 you mean that the current production from that well unit is
14 at the 80-barrel-a-day allowable?

15 A. Yes, yes.

16 Q. But it still has the overproduction that you
17 mentioned?

18 A. Yes. And additionally, we've drilled around this
19 well unit, and our reservoir engineer will testify that we
20 believe no damage was done to the reservoir.

21 Q. Okay. Now, was Devon ever contacted by the
22 Artesia District Office regarding the overproduction from
23 these two wells?

24 A. No, they were not.

25 Q. And I think you said basically the reason you're

1 requesting cancellation of overproduction is that the
2 engineer can show that the reservoir was not damaged?

3 A. Correct.

4 Q. Were Exhibits 1 through 3 prepared by you or
5 under your supervision, or compiled from company business
6 records?

7 A. Yes, they were.

8 Q. And in your opinion, is the granting of Devon's
9 Application in the interests of conservation and the
10 prevention of waste?

11 A. Yes.

12 MR. BRUCE: Mr. Examiner, I'd move the admission
13 of Devon Exhibits 1 through 3.

14 EXAMINER JONES: Exhibits 1 through 3 will be
15 admitted to evidence.

16 EXAMINATION

17 BY EXAMINER JONES:

18 Q. Ms. Muhlinghause, the ownership in this 40-acre
19 tract, can you tell me who owns all of the revenue
20 interest?

21 A. Devon is the working interest owner, and there
22 are a few overriding royalty interest owners. I don't have
23 the specific names. This whole area is covered by several
24 federal leases, and there is pretty similar ownership
25 throughout. It's either Devon or Devon and another

1 operator or the other operators that I've listed below.

2 Q. So there's Devon plus some -- is the --

3 A. But in this particular well unit, yes, it is just
4 Devon.

5 Q. Devon is all of the working interest in this --

6 A. Yes, sir.

7 Q. -- and the operator? And as far as your burdens
8 go, you have the federal lease --

9 A. The federal burdens and --

10 Q. -- federal burdens and --

11 A. -- several overriding royalty interest owners.

12 Q. What about in the surrounding 40-acre tracts?

13 Who would be the operator?

14 A. Devon.

15 Q. Devon.

16 A. Uh-huh.

17 Q. And who would be -- Do they have identical
18 ownership in the surrounding 40-acre tracts?

19 A. To the west it is Devon, to the 40-acre tract
20 directly to the west it is Devon.

21 Q. Okay.

22 A. And directly to the north it is Devon and OXY.

23 Q. Okay.

24 A. They have a working interest. And our reservoir
25 engineer will testify as to a well we just recently drilled

1 with OXY.

2 MR. BRUCE: Mr. Examiner, if you'd like, we can
3 get some of that data and submit it after the hearing, just
4 so you can see some of the common interests.

5 EXAMINER JONES: Okay, that's where I was coming
6 at.

7 MR. BRUCE: We don't have that with us today.
8 Devon does have title opinions, and we can get that.

9 THE WITNESS: We can provide it for you.

10 Q. (By Examiner Jones) Okay, and did OXY get
11 notified? You notified SDX and Marbob and who else?

12 A. No, they were --

13 MR. BRUCE: No, we did not notify --

14 EXAMINER JONES: But they're part of the
15 ownership?

16 MR. BRUCE: They are -- and Ms. Muhlinghouse can
17 correct me, but in a lot of these wells out there it's
18 either Devon is the working interest owner or Devon and OXY
19 are the working interest owners.

20 EXAMINER JONES: Okay.

21 THE WITNESS: Correct, but Devon is the operator.

22 EXAMINER JONES: Operator.

23 THE WITNESS: Correct.

24 EXAMINER JONES: So OXY knows everything that
25 you're doing, as far as the production. They should be

1 following it, because they have an interest in it.

2 MR. BRUCE: Yeah.

3 EXAMINER JONES: Okay, maybe you can -- All the
4 surrounding 40-acre tracts, let me know the --

5 THE WITNESS: Okay.

6 EXAMINER JONES: -- the ownership breakdown, and
7 the 40-acre tract we're talking about. This is the first
8 case like this I've seen, so this is what I would think of
9 to ask.

10 But you're --

11 MR. BRUCE: And Mr. Examiner, I believe Ms.
12 Muhlinghouse -- We will get that data for you, but as far
13 as the royalty owner, it's basically all federal --

14 THE WITNESS: It is, all federal.

15 MR. BRUCE: In this area.

16 EXAMINER JONES: It's basically one-eighth
17 royalty?

18 MR. BRUCE: Yeah, it's basically --

19 THE WITNESS: Yes.

20 MR. BRUCE: These are old federal leases that
21 date back to the 1920s --

22 EXAMINER JONES: Oh, okay.

23 MR. BRUCE: -- and those old federal leases
24 generally covered four sections. So that's why a lot of
25 the overriding royalty ownership is common, because they

1 descend from that single federal lease way back when.

2 EXAMINER JONES: Okay.

3 MR. BRUCE: But we will get you that data.

4 EXAMINER JONES: And you're asking to go from 80
5 for a 40-acre tract up to 300, right?

6 THE WITNESS: Barrels of oil, yes.

7 EXAMINER JONES: Barrels of oil per day, okay.

8 If this happened, what other 40-acre tracts could
9 be -- I guess the reservoir engineer will probably talk
10 about that?

11 THE WITNESS: Correct.

12 MR. BRUCE: I think our next two witnesses would
13 be better to testify about that.

14 EXAMINER JONES: Okay, thank you very much.

15 SHELDON ANDREW STIRLING,

16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. BRUCE:

20 Q. Would you please state your name for the record?

21 A. My name is Sheldon Andrew Stirling, and I live in
22 Oklahoma City, Oklahoma.

23 Q. Stirling is spelled with two i's?

24 A. Yes, S-t-i-r-l-i-n-g.

25 Q. Who do you work for and in what capacity?

1 A. I'm employed by Devon Energy. I'm a senior
2 geologist assigned to the Permian Basin District of the
3 Western Division.

4 Q. Have you previously testified before the
5 Division?

6 A. No.

7 Q. Could you briefly summarize your educational and
8 employment background for the Examiner?

9 A. I earned a bachelor of science degree in geology
10 from Oklahoma State University in 1995. I also earned a
11 master of science in geology, also from Oklahoma State
12 University, in 1998. I've been employed as a geologist
13 with Devon Energy since July of 1998.

14 Q. Does your area of responsibility at Devon include
15 this part of southeast New Mexico?

16 A. Yes.

17 Q. And are you familiar with the geology involved in
18 this Application?

19 A. Yes.

20 MR. BRUCE: Mr. Examiner, I'd tender Mr. Stirling
21 as an expert petroleum geologist.

22 EXAMINER JONES: Mr. Stirling is qualified as an
23 expert geologist, petroleum geologist.

24 Q. (By Mr. Bruce) Would you identify your Exhibit 4
25 for the Examiner and discuss its contents?

1 A. Exhibit 4 is a production map showing Glorieta
2 and Yeso completions in Sections 34 and 35 of Township 17
3 South, Range 27 East, and Section 2 of Township 18 South,
4 Range 27 East.

5 In addition to the Glorieta-Yeso wells, there are
6 numerous shallow wells in this area. Wells deeper than
7 3000 feet total depth are shown with black symbols, with
8 black well-name text, and the wells shallower than 3000
9 feet total depth are shown as grayed-out well symbols.

10 The line of cross-section, A-A', corresponds to
11 Exhibit 5, which I'll discuss in a moment.

12 The Glorieta-Yeso producers are indicated by a
13 brown circle. The initial oil production rate, the current
14 oil production rate, the date of Glorieta-Yeso completion
15 and the cumulative oil production are located south of each
16 brown circle.

17 Q. Now, this exhibit doesn't cover the entire pool,
18 but Section 34 and Section 35 at this point are the heart
19 of this pool, are they not?

20 A. That's correct, yes.

21 Q. Okay. Would you move on to your Exhibit 5, the
22 cross-section, and discuss the pool in a little more
23 detail?

24 A. Exhibit 5 is a west-to-east structural cross-
25 section. The cross-section includes wells in Sections 34

1 and 35, Township 17 South, Range 27 East. The cross-
2 section shows the Glorieta formation and the upper 700 to
3 800 feet of the Yeso formation.

4 In this area oil is produced from porous dolomite
5 in the upper 300 to 600 feet of the Yeso formation, as well
6 as the lowermost Glorieta formation. Production is from
7 numerous individual porosity zones. These zones are
8 highlighted in red on the cross-section, using cutoffs of
9 less than 50 API units gamma ray and greater than 6-percent
10 density porosity. Perforations in these wells are shown in
11 green in the depth track of the logs.

12 These porosity zones occur within the same gross
13 interval -- that is, the upper 300 to 600 feet of the Yeso
14 formation -- However, the individual porosity zones are
15 laterally discontinuous and are not correlated from well to
16 well.

17 Q. Now, a couple of the wells we're here for today
18 regarding the overproduction are on this cross-section, are
19 they not, Mr. Stirling?

20 A. That's correct, wells number 4 and 5 on the
21 cross-section are the Logan "35" Federal Number 6 and the
22 Logan "35" Federal Number 5.

23 Q. And the engineer is going to discuss this a
24 little bit, but maybe you can get into it too. The Number
25 6 is the best well in the pool, is it not, as far as

1 production goes, has produced the most oil?

2 A. I don't remember which, if it was the 5 or the 6.
3 It's one of those two wells.

4 Q. Okay, but looking at your cross-section, those
5 wells don't look any better geologically than other wells
6 in the pool?

7 A. That's correct, on the logs they don't, they
8 don't look --

9 Q. So you can't tell anything --

10 A. -- any better --

11 Q. -- from just looking at the --

12 A. That's correct, and I'll try to talk about that
13 in the next exhibit --

14 Q. Okay --

15 A. -- it's the geologic map.

16 Q. -- let's go into your Exhibit 6. Would you
17 identify that, please?

18 A. Exhibit 6 is a geologic map with the top subsea
19 Glorieta structural contours in Gray and the Glorieta-Yeso
20 net porosity isopach contours in brown. The criteria for
21 the porosity isopach are the same used on the cross-
22 section, that is, less than 50 API units gamma ray and
23 greater than 6-percent density porosity.

24 Structural elevation and isopach values are shown
25 next to the wellspots in their corresponding colors, brown

1 for porosity and gray for structure. The net Glorieta-Yeso
2 porosity ranges from 51 feet to almost 200 feet, and
3 there's no correlation between net porosity and production.

4 Q. Could you point out a couple of wells that show
5 that?

6 A. Sure, sure. For example, the Logan "35" Federal
7 Number 6 has 51 feet of net porosity, which is actually the
8 lowest in the area. However, this well had a peak rate of
9 311 barrels per day and has an EUR of 201,000 barrels of
10 oil.

11 And we can compare this well to the Eagle "35" L
12 Number 3. This well has 97 feet of net porosity, yet this
13 well has a peak rate of 84 barrels per day and an EUR of
14 48,000 barrels of oil.

15 So these two wells have similar structural
16 position. The "35" Federal Number 6 Glorieta top is at
17 positive 667 feet above sea level. The top Glorieta in the
18 "35" L Number 3 is at positive 659, so these have eight
19 feet of structural difference, so they're pretty similar.

20 The "35" L has nearly twice the net porosity,
21 nevertheless it has a lower -- significantly lower peak
22 rate and a significantly lower EUR, so that shows how the
23 porosity doesn't necessarily correspond to the production
24 rate or the EUR.

25 Q. Same thing with the structure?

1 A. That's and some examples for -- structurally, we
2 can compare the "35" M Federal Number 13 and the OD Federal
3 Number 1.

4 Q. Where is that, the OD --

5 A. The OD Federal Number 1 is in the southwest of
6 the southwest of Section 34.

7 Q. Okay, so it's the OD Federal Number 1 Harbold; is
8 that the one you're --

9 A. Actually, those well names run together. It's
10 just called the OD Federal Number 1.

11 Q. Okay.

12 A. And the --

13 Q. Well, so you can see quite a large structural
14 difference between those two wells?

15 A. That's correct, the "35" M Federal 13 has a
16 structural elevation of 659 feet above sea level and has 98
17 feet of net porosity. This well had a peak rate of 110
18 barrels of oil and an EUR of 47,000 barrels of oil.

19 The OD Federal Number 1 has 108 feet of net
20 porosity, so it's similar in net pay to the "35" 13,
21 however it has a structural elevation of 712 feet above sea
22 level. And this well had a peak rate of 91 barrels of oil
23 and an EUR of 50,000 barrels of oil.

24 So these two wells have similar net porosity, but
25 they have 53 feet of structural difference. However, they

1 still have similar peak rates and EUR.

2 Q. Okay. In short, it's hard to predict how a well
3 is going to perform just by looking at the structure and
4 net porosity?

5 A. That's correct.

6 Q. Okay. Were Exhibits 4 through 6 prepared by you
7 or under your supervision?

8 A. Yes.

9 Q. And in your opinion is the granting of Devon's
10 Application in the interest of conservation and the
11 prevention of waste?

12 A. Yes.

13 MR. BRUCE: Mr. Examiner, I'd move the admission
14 of Exhibits 4 through 6.

15 EXAMINER JONES: Exhibits 4, 5 and 6 are admitted
16 to evidence.

17 EXAMINATION

18 BY EXAMINER JONES:

19 Q. Mr. Stirling, you just used a 6-percent density
20 cutoff?

21 A. Excuse me?

22 Q. 6-percent density cutoff?

23 A. Yeah -- actually two criteria. First was less
24 than 50 API units on the gamma-ray, so clean gamma-ray, and
25 a 6-percent density porosity cutoff.

1 Q. But you're running a neutron log also?

2 A. Yes, we did, but not every well had a neutron
3 density log that I looked at, so I just used the density
4 log.

5 Q. So they were all open-hole logs you had on these
6 -- available on these wells? I mean --

7 A. Yes, that's correct.

8 Q. -- it's kind of unusual that you always have a
9 bunch of open-hole logs. Sometimes you have to use cased-
10 hole logs --

11 A. Right.

12 Q. -- and relate them to the open hole and go from
13 there --

14 A. Right.

15 Q. So -- And you're showing a lot of the resistivity
16 on these cross-sections too. Did you use that for some
17 reason on your net-pay calculation?

18 A. No, I did not.

19 Q. Okay. What can you tell by looking at it? Are
20 some of them wet in the lower part?

21 A. We have not been able to determine whether an
22 individual zone would be wet or produce water-free from log
23 analysis.

24 Q. What about their water production? How does that
25 turn out? Do they make a lot of water?

1 A. The wells make some water, yes.

2 Q. So it sounds like you have a fracture situation
3 going on out here, where your drainage may not be perfectly
4 radial and you may have some linear drainage, in other
5 words, oblong drainage units or something.

6 A. Okay.

7 Q. Can you tell any fractures from looking at these
8 logs, or your mud logs, for instance, when you drill
9 through here?

10 A. I can't interpret fractures from these logs on
11 this cross-section. We have seen some fractures on some
12 FMI logs.

13 Q. Oh, you're running FMI logs?

14 A. We have run some FMI logs.

15 Q. And interpreted them through the whole section?

16 A. We have interpreted, yes, through --

17 Q. Okay.

18 A. -- through the entire section of the logs that we
19 have run.

20 Q. Okay. Do you think two wells per 40 acres is
21 optimum development out here, geologically speaking?

22 A. Yes.

23 Q. Okay. No denser than that, you don't think any
24 more wells should be drilled?

25 A. Well, I'm not sure exactly if we should go denser

1 than that. I know our reservoir engineer is going to speak
2 more to that, but --

3 Q. About the economics, okay. But your point here
4 is that you can do a lot of mapping, and you've got a
5 reservoir, some point of a reservoir here, but you can't
6 predict exactly which wells are going to be good or not?

7 A. That's correct.

8 Q. Okay. Okay, in your opinion why are these two
9 wells the best in the field?

10 A. I don't know.

11 Q. Okay, okay. Well, that's an honest answer.

12 You don't know where else you would drill to get
13 some good wells either?

14 A. Well, we've offset -- Last year we offset the
15 "35" 5 and the "35" 6 in three directions, hoping to
16 encounter similar production, and have not. These wells,
17 the "35" 5 and the "35" 6, are anomalous wells.

18 Q. Okay, that's what I was going to talk to the
19 reservoir engineer about also, but -- So you're saying you
20 did try to circle these wells in three directions, but what
21 about the other direction? Was that already drilled?

22 A. Yes, there were already wells drilled to the
23 south of these that --

24 Q. And it wasn't as good?

25 A. Not as good as the "35" 5 or the "35" 6, but I'm

1 not sure the order in which those were drilled, the "35" 5
2 or the "35" 6. In other words, I didn't drill the wells to
3 the south of the "35" 5 or the "35" 6. I drilled the "35"
4 Federal 3 and the "35" Federal 12, which offset those wells
5 to the north and to the east --

6 Q. Okay.

7 A. -- so... Pardon me, the north and to the west.

8 Q. Okay. Have you looked in other -- beyond this
9 40-acre tract, have you looked at -- have you found any
10 other wells that are this good, or capable of producing
11 this good? In other words, have you talked to Marbob or
12 anybody else, and they have said if we increase this
13 allowable, well, they can crank some of their wells up
14 also?

15 A. No, I haven't had any discussions like that. And
16 I haven't heard of any wells as good as these two wells.

17 Q. In the whole pool?

18 A. That's correct.

19 Q. Okay. I can't think of what else. Anything else
20 you would like to add about this that you haven't already
21 said?

22 A. No.

23 EXAMINER JONES: Okay. Well, thanks a lot, Mr.
24 Stirling.

25 MR. BRUCE: And Mr. Examiner, the engineer will

1 have some data for you on when the wells were drilled and
2 how they've performed.

3 EXAMINER JONES: Okay.

4 JIM SMITH,

5 the witness herein, after having been first duly sworn upon
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. BRUCE:

9 Q. Would you please state your name for the record?

10 A. My name is Jim Smith. I live in Oklahoma City,
11 Oklahoma.

12 Q. And what is your job?

13 A. I work for Devon Energy Corporation. My position
14 is supervisor of the reservoir engineering group for the
15 Permian Basin district.

16 Q. Have you previously testified here?

17 A. No, I have not.

18 Q. Would you summarize your educational and
19 employment background for the Examiner?

20 A. I have a bachelor's and master's degree in
21 petroleum engineering from the University of Kansas, I'm a
22 registered professional engineer in the State of Oklahoma,
23 and I have over 26 years' experience as a petroleum
24 engineer.

25 Q. How long have you been with Devon?

1 A. A little over three years.

2 Q. Okay. Does your area of responsibility at Devon
3 include southeast New Mexico?

4 A. Yes, it does.

5 Q. And are you familiar with the reservoir
6 engineering matters involved in this case?

7 A. Yes, I am.

8 MR. BRUCE: Mr. Examiner, I tender Mr. Smith as
9 an expert reservoir engineer.

10 EXAMINER JONES: Mr. Smith, where else did you
11 work besides Devon?

12 THE WITNESS: Sir, the list is long. I worked
13 for ARCO and spent some time working the Permian Basin with
14 ARCO. I worked for Fina, spent basically all of my time
15 with Fina working the Permian Basin, and then worked Kerr-
16 McGee, some time in the Permian Basin with Kerr-McGee, and
17 then Marathon Oil and now Devon. So this is my fifth
18 company now.

19 EXAMINER JONES: Okay. Well, you can certainly
20 qualify as an expert petroleum engineer.

21 Q. (By Mr. Bruce) Mr. Smith, could you identify
22 Devon's Exhibit 7 and go through that for the Examiner?

23 A. Yes, my first exhibit, Exhibit 7, is just an area
24 map showing the locations of the Northeast Red Lake
25 Glorieta-Yeso Pool, which is the subject of the hearing

1 today, along with two other pools in the area, the Empire-
2 Yeso Pool and the Empire East-Yeso Pool. Below each pool
3 on this exhibit is also a graph showing the poolwide
4 production data.

5 And Exhibit 8 is just a table showing the general
6 reservoir data for the Northeast Red Lake Glorieta-Yeso
7 Pool.

8 Just some of the aspects of our pool and the
9 other pools, just to summarize briefly, all three pools
10 show similar production characteristics, they both exhibit
11 depletion drive characteristic of a solution gas drive
12 reservoir, their decline rates are similar, ranging from 8
13 to 10 percent per year on the oil and anywhere from 4 to 11
14 percent on the gas. Initial GORs in each of these pools
15 was in the range of 1000 to 2000, and they've increased
16 slowly over time to the range of 2000 to 3000. The GOR is
17 increasing naturally from pressure depletion, which is
18 typical again for these solution gas drive types of
19 reservoirs.

20 The two Empire pools have been developed on
21 anywhere from two to four wells per 40 acres. As you can
22 see from the map there, they're drilled on considerably
23 tighter spacing than our pool.

24 All three of the pools were discovered in 1997
25 and 1998, and as I said before, you now, there's been less

1 development to date in our pool. We're working on that,
2 though, right now.

3 One other point to be made on this Exhibit 7, you
4 can't just see automatically from the production curves,
5 but the two Empire pools are producing at considerably
6 higher rates, both on an overall basis and on a per-well
7 basis.

8 Q. And let's reiterate something that Mr. Stirling
9 was asked by the Examiner. Devon at this point is drilling
10 two wells per 40; is that correct?

11 A. That's correct.

12 Q. But over to the east in the Empire pools there
13 are -- in many of them, there are three and four wells per
14 well unit --

15 A. That's correct.

16 Q. -- at this time?

17 A. Yes, sir.

18 Q. So they were developed at a higher rate, or shall
19 we say have been more fully developed than the Northeast
20 Red Lake Pool?

21 A. That's correct.

22 Q. Okay. What are the lives of these wells?

23 A. These wells have been on production about five or
24 six years, and they're expected to continue producing
25 another 25 to 30 years.

1 Q. Okay. Next, let's move on to your Exhibit 9.
2 What does that depict?

3 A. Exhibit 9 is a graph depicting initial GORs
4 versus time in the Red Lake, for the Northeast Red Lake
5 Pool. As the graph shows, the GORs have not changed
6 significantly over time. This would be an indication that
7 reservoir energy has not been negatively affected by the
8 wells drilled to date.

9 I just want to point out too that there's three
10 anomalously high GORs you see there, from wells that came
11 on in the year 2000. All three of those are extremely poor
12 wells and really should not be considered representative of
13 the overall unit performance.

14 Q. Okay, let's go on to your Exhibit 10, and let's
15 spend a little time with this one, just to show Devon's
16 plan of development, but what does Exhibit 10 show?

17 A. Exhibit 10 is a plat of estimated ultimate
18 recoveries and estimated ultimate drainage areas for wells
19 in the Northeast Red Lake Pool. The number on the left,
20 the green number, is the estimated ultimate recovery in
21 oil, in MBOs, and the number on the right in red is the gas
22 EUR in MMCFs.

23 The pool itself is highlighted in the red cross-
24 hach that you see on the exhibit, and Devon's acreage is
25 indicated in yellow. All the existing Yeso wells are

1 marked with the green dots.

2 And from this plat you can also see our
3 development plan, indicated by the blank circles on the
4 map, which is -- as has been stated before, is to drill two
5 wells per 40-acre tract, generally where possible located
6 in the northwest corners of each quarter-quarter section.

7 Q. Okay. How did Devon arrive at the EURs?

8 A. We used decline curve analysis on an individual
9 well basis to come up with the EURs.

10 Q. And what are typical recoveries in this pool?

11 A. Wells in this pool recover, on average, 40,000 to
12 50,000 barrels per well, and that comes out to an average
13 drainage area of about 12 acres.

14 Q. Okay. There are a few wells that are on the edge
15 of the reservoir, are there not?

16 A. Yes, yes, and those wells are going to have
17 considerably poorer recoveries and considerably lower
18 drainage areas.

19 Q. Okay. Now, let's take your next two exhibits
20 together, 11 and 12. What are these exhibits, Mr. Smith?

21 A. Exhibit 11 lists all the wells in the pool, with
22 their date of completion, the peak rate, the current rate,
23 cumulative production, estimated ultimate recovery and, for
24 the Devon wells, the estimated drainage area.

25 And Exhibit 12 summarizes some of the data from

1 Exhibit 11 and also summarizes our request.

2 The wells are listed by operator and then in
3 reverse chronological order on Exhibit 11, and the wells
4 highlighted in yellow are the Devon-operated wells. And if
5 you look closer, the first eight of those wells are the
6 wells which were drilled by Devon and completed in the year
7 2003.

8 You can see, if you look at those eight wells
9 that were drilled in 2003, that these IPs, on average, are
10 as good as the previous wells. The average is around 100
11 barrels per day IP for all of the wells. This is -- Again,
12 it's another indication that the new wells have not been
13 affected by the existing producers out there.

14 Q. Okay. Now, do the results from the recently
15 completed wells confirm that drainage is less than 20 acres
16 per well?

17 A. Yes, they do.

18 Q. Does this data also confirm the geology which
19 shows that there are numerous zones in this pool which do
20 not correlate from well to well?

21 A. Yes.

22 Q. Now, what do you conclude from the data? And I
23 think some of your conclusions are set forth on Exhibit 12,
24 but would you go through those, please?

25 A. Yes, yes. Just to summarize, again, the

1 information that's on Exhibit 11, that's kind of in that
2 first section on Exhibit 12. What we did was, we looked at
3 20 type development wells in the area, and these were wells
4 that had normal completions. We had to deepen a couple
5 wells out there, and we found that just due to the
6 mechanical restrictions we were not able to get a good
7 stimulation in the Yeso and were not able to get a good
8 completion, and so we've excluded those from our overall
9 analysis here, and we've also excluded the poor edge wells.

10 But if you take the wells that had good
11 completions that were in the main part of the field, there
12 were 20 of these wells. Our average drainage area for
13 these 20 wells was 12 acres. The average initial rate for
14 all of these 20 wells was 117 barrels of oil per day and
15 200 MCF per day of gas.

16 So if we had two of these wells per 20-acre
17 tract, they would have a combined unit rate of about 234
18 barrels of oil per day and 400 MCF per day of gas.

19 In addition, we looked at which wells out of
20 these 20 had initial rates greater than 80 barrels of oil
21 per day by themselves and found that 13 of those 20 wells,
22 or 65 percent of them, had initial rates greater than 80
23 barrels per day.

24 The average for those 13 wells was 143 barrels of
25 oil per day and 234 MCF per day of gas, so if we drilled

1 two wells like that per 40-acre tract they would have a
2 combined rate of 286 barrels of oil per day and 468 MCF per
3 day.

4 And just a final point. There again, this Logan
5 "35" Federal 6 well that we have talked about and will talk
6 about a little bit more, it had the highest initial rate of
7 all the wells at 311 barrels per day.

8 Just to continue on with that, the -- really the
9 compelling evidence is that all but one of the wells out
10 here drains considerably less than 20 acres. So we feel
11 like there's been -- for the most part, there's been no
12 drainage offsetting by the wells that have been drilled out
13 here. We've seen no signs of interference from well to
14 well, and I've got some information later on that I'll
15 discuss that further with. We've seen no sign of
16 interference from well to well, based on the results of our
17 newer wells, and we feel very strongly that the reservoir
18 performance would not suffer from a higher allowable out
19 here.

20 The other aspects of this that I'm going to talk
21 about here are summarized again in Exhibit 12. Our current
22 allowable, as we've said before, is 80 barrels of oil per
23 day and a GOR of 2000 for each 40-acre spacing unit. That
24 2000 GOR translates to an equivalent gas allowable of 160
25 MCF per day. What we're requesting here is again a 300-

1 barrel-of-oil-per-day allowable for each 40-acre spacing
2 unit. The 2000-to-1 GOR is equivalent to a gas allowable
3 of 600 MCF per day.

4 And again, just kind of the overall conclusions
5 here. To fully develop the Glorieta-Yeso within the
6 Northeast Red Lake Pool, the producing wells need to be
7 drilled on at least 20-acre spacing. And I can talk more
8 about ultimately what we might think we want to do out
9 there, but considering that most of the wells that Devon
10 has drilled to date have had initial rates greater than 80
11 barrels of oil per day, the recommended allowable should
12 reflect the actual production rates encountered and allow
13 us to continue developing the Glorieta-Yeso on 20-acre
14 spacing.

15 The requested allowable of 300 barrels of oil per
16 day plus the 2000-to-1 GOR will allow economic and full
17 development of the Glorieta and Yeso reserves, and it will
18 not result in waste of reservoir energy nor reduce the
19 ultimate recovery of oil from the reservoir, and the
20 ability to further develop the Glorieta-Yeso will help
21 prevent waste and protect correlative rights.

22 We have been constrained some in our recent
23 drilling program by the allowable, in terms of not being
24 able to drill a second well on a 40-acre tract, as we've
25 recognized the allowable issue and have come into

1 compliance with it. It has certainly restricted our
2 drilling plans, even to go to 20-acre spacing in a lot of
3 areas.

4 Q. Mr. Smith, looking at Exhibit 11, one final
5 thing. The yellow highlighted wells are all Devon wells;
6 is that correct?

7 A. That's correct.

8 Q. And the eight or so wells at the top are the
9 wells that were drilled in 2003, the most recent wells?

10 A. That's correct.

11 Q. If you look at the data, does that show that
12 those wells are worse than the wells drilled earlier, or
13 are they better or the same?

14 A. It shows that on average they're very similar,
15 roughly the same as wells that were drilled prior to that
16 time period.

17 Q. Okay, so they haven't been affected -- the most
18 recent wells haven't been affected by the prior production
19 from the other wells?

20 A. That's correct. And as we talk about the one
21 tract in particular that's at issue here with respect to
22 overproduction, we have some more information that will
23 illustrate that.

24 Q. Okay. And again, the next item we're here for
25 today is requesting the cancellation of overproduction.

1 Again, just for the Examiner, on Exhibit 11 which two wells
2 are involved in the overproduction?

3 A. That would be the Logan Federal "35" Number 5,
4 which is about the tenth well down in the yellow-
5 highlighted area, and also the Logan "35" Federal 6, which
6 is the second from the bottom in that yellow-highlighted
7 area.

8 Q. What are the EURs and the drainage areas of these
9 wells?

10 A. The ultimate recovery for the Logan "35" Number 6
11 well is 201,000 barrels of oil, which represents a drainage
12 area of 62 acres.

13 Q. And what about the Number 5?

14 A. On the Number 5 well, the ultimate recovery
15 estimated is 116,000 barrels of oil, and the drainage area
16 for that is 15 acres.

17 Q. So even though it's got a good recovery, the
18 Number 5 well does not have an anomalous drainage area?

19 A. That's correct.

20 Q. Okay. Let's move on to your Exhibit 13 next.
21 What production overage has accumulated from the Number 5
22 and 6 wells?

23 A. Exhibit 13, as you said, lists the production
24 from these two wells. The overage for the two wells is
25 141,000 barrels of oil and 321 MMCF of gas.

1 Q. Okay. Now, since when, approximately a year ago,
2 the wells have been producing -- production has been
3 restricted from the wells?

4 A. That's correct, once the team recognized the
5 problem with being overproduced here, we did curtail the
6 wells and bring them back into compliance on the oil.

7 Q. On the daily oil rate?

8 A. That's correct.

9 Q. Okay. And Devon requests that this
10 overproduction be canceled?

11 A. Yes.

12 Q. In your opinion, would any offset well units be
13 adversely affected by the cancellation of overproduction?

14 A. No.

15 Q. Would you identify your Exhibit 14 and discuss at
16 least one aspect of that request?

17 A. Yes, Exhibit 14 is a graph showing total fluid
18 production from several wells, first off the Number 5 and 6
19 wells that are at issue here, and from some of the offset
20 wells. The Number 5 well produces the same amount of
21 fluids as the offsets, but with a lower water cut, which is
22 why its oil recovery is somewhat higher than the offsetting
23 wells.

24 It's not structurally high. As Mr. Stirling
25 pointed out, there's no reason that we can see from the

1 logs, any of the interpretation work, as to why this well
2 should be better than the others. It has typical water
3 saturation and net pay, when compared with the other
4 producers, and its decline is typical of offsetting wells.
5 And again, as we mentioned earlier, its drainage area is
6 expected to be 15 acres.

7 Q. So once again, it has a typical drainage area?

8 A. Yes.

9 Q. And other wells -- and maybe we should look at
10 Exhibit 14 and Exhibit 10 together, Mr. Smith. The wells
11 you're looking at on Exhibit 14 show to be typical wells
12 for this pool, do they not, other than the Number 6 well?

13 A. That's correct.

14 Q. Even when they offset these two good wells?

15 A. That's correct.

16 Q. Okay. So if they exhibit typical production,
17 would you -- Have those well units been drained?

18 A. No.

19 Q. Okay. Now, you did mention on Exhibit 14, Well
20 Number 6 does have a higher fluid production rate, does it
21 not?

22 A. Yes. Yes, that's the curve in green there. It's
23 difficult to pick out, but it's the highest of all of
24 those. And the Number 6 well is anomalous, as we've
25 discussed before. It does produce more fluids than other

1 nearby wells, but it has less net pay than the offsets.
2 Its water saturation is typical. Again, it's not
3 structurally high, and it has recently started to decline
4 similar to the older wells in the pool. And as we've
5 mentioned earlier, its drainage area is estimated to be 62
6 acres, based on the relatively low net pay that was given
7 to it.

8 Q. And you said it has less net pay than the
9 offsets, and that is shown on Mr. Stirling's cross-section,
10 is it not?

11 A. That's correct.

12 Q. Okay. And once again, the Examiner asked this
13 question of Mr. Stirling, but have you been able to
14 determine why the Number 6 well is better than the other
15 wells in the pool?

16 A. No, we have not.

17 Q. Despite the larger calculated drainage area for
18 the Number 6 well, can you see any adverse effect on the
19 offset wells?

20 A. No, no indication.

21 Q. What is Exhibit 15?

22 A. Exhibit 15 shows a production plot from the two
23 wells in question here, the Logan "35" Federal Number 5 and
24 the Logan Federal "35" Number 6. It shows their production
25 histories, and it also shows when a particular offset well,

1 the Eagle "35" Fed Number 3, came on production in April of
2 2003.

3 And it also shows the location and the IP down in
4 the bottom left of the Eagle "35" Federal F Number 12,
5 which came on this past August at 204 barrels per day.

6 Q. And you don't see any effect on the production of
7 the Numbers 5 and 6 wells, do you?

8 A. No, when we brought the offsetting wells on we
9 saw no impact on the production trends for the "35" 5 and
10 the "35" 6 well. And also, as I stated a minute ago, the
11 Eagle "35" Number 12, which was a direct north offset to
12 these wells, came in at over 200 barrels per day.

13 Q. And that -- Looking at your other exhibits, that
14 appears to be what, the third best daily rate in the pool?

15 A. That's correct.

16 Q. And that well was drilled in 2003?

17 A. Yes, sir, it came on in August of 2003.

18 Q. Okay, so about -- anywhere from what, two to four
19 years after those two good wells had been drilled?

20 A. That's correct.

21 Q. And it still had an IP of 204 barrels a day?

22 A. That's correct.

23 Q. What does this indicate to you?

24 A. It indicates that despite the anomalous behavior
25 of these wells, that their production, their drainage, has

1 not affected offset well performance, that there's not been
2 any kind of waste or damage of correlative rights in the
3 pool.

4 Q. Were Exhibits 7 through 15 prepared by you or
5 under your supervision?

6 A. Yes.

7 Q. And in your opinion, is the granting of Devon's
8 Application in the interests of conservation and the
9 prevention of waste?

10 A. Yes.

11 MR. BRUCE: Mr. Examiner, I'd move the admission
12 of Devon Exhibits 7 through 15.

13 EXAMINER JONES: Exhibits 7 through 15 will be
14 admitted to evidence.

15 EXAMINATION

16 BY EXAMINER JONES:

17 Q. Mr. Smith, you've kind of hammered me down here.
18 There's a lot of information here, and it looks like you've
19 got a really good case. Let's -- I'll probably have to be
20 asking questions that you probably already answered, but
21 first of all, the reconciliation of the EUR for volumetrics
22 versus EUR for decline curves, what did you have to -- Can
23 you talk about a little bit of the average well, what you
24 had to -- you know, the factors that went into your
25 volumetrics --

1 A. Yes, sir.

2 Q. -- to match the decline curve?

3 A. Yes. What we did was, we used the information
4 that Mr. Stirling had compiled from his log analysis. We
5 actually used net-pay, porosity, water-saturation
6 information on a well-by-well basis to calculate the size
7 of the drainage pool around that particular well.

8 Q. Okay.

9 A. And then we used the ultimate oil recovery from
10 the decline curve analysis to actually estimate how large
11 of an area it was draining. There wasn't really a
12 reconciliation between volumetrics and decline-curve
13 analysis, it was simply using the volumetric analysis with
14 the decline-curve ultimate recovery to determine or
15 estimate how big the drainage area was for each well.

16 Q. Okay, so you varied the drainage area to match
17 it, basically?

18 A. Yes, sir. The drainage area was based on the
19 volumetric calculations and the ultimate recoveries from
20 the decline curve analysis.

21 Q. Okay, that makes a lot of sense. The well, the
22 good well, you -- What kind of production mechanisms do you
23 use out there? Are you flowing these wells? Obviously
24 not, you're probably producing them with pumping units?

25 A. Yes, we pump the wells. The wells are drilled,

1 they're cased through the formation, they are perforated
2 and then sand-frac'd --

3 Q. Okay.

4 A. -- and then placed on pump.

5 Q. Okay, you clean them out one or two times and
6 then put them on pump?

7 A. Yes.

8 Q. And do you have to -- You run 2-3/8 -- 2-inch
9 tubing?

10 A. I'm not sure. My guess would be 2-7/8-inch
11 tubing, but that's just a guess. That's not the area that
12 I work.

13 Q. But it's usually 5-1/2 casing, though?

14 A. Yes.

15 Q. Okay, and have you run a production log on this
16 well, good well, to see where the production is coming
17 from?

18 A. No, we have not. Because they are rod-pumped, it
19 makes it very difficult to run a production log.

20 Q. Yeah, you'd have to put a dual wellhead on and go
21 down in the annulus?

22 A. Correct.

23 Q. Okay. But basically your Exhibit Number 15 shows
24 that the wells have not been affected once you drilled the
25 surrounding wells?

1 A. That's correct.

2 Q. Okay. And on this overage situation, how do you
3 usually handle overage on -- You said the Artesia District
4 Office did not catch this, and the team you had on it
5 didn't catch it either, but what happens on a normal well
6 that IP's more than 80 and starts producing more than 80?
7 Does it quickly drop off and then you just balance it that
8 way? Is that how you do it?

9 A. That's correct.

10 Q. So you go a few months sometimes on some of the
11 other wells, over 80?

12 A. That's correct.

13 Q. Okay.

14 A. But then on a cumulative basis within a
15 relatively short period of time they come into compliance
16 on their allowables.

17 Q. Okay. And the difference in these two wells
18 would be that they -- even now, after all this time, they
19 could still produce over the 80 barrels allowable?

20 A. That's correct. If you look at the last full
21 month under -- before we started curtailing, that would be
22 December of 2002, the allowable again was 80 barrels per
23 day, and they produced in excess of 100 barrels per day
24 that month.

25 Q. Okay. Well, you've got some good wells. And as

1 a reservoir engineer you don't think that these wells --
2 looking at their GOR and everything, you don't think that
3 they reach the bubble point too much quicker than the
4 others? Do they start out above the bubble point and then
5 hit the bubble point and the GOR starts going up, is that
6 -- The reservoir, you said 500 pounds, so that's probably
7 way below bubble point?

8 A. That's correct.

9 Q. Okay.

10 A. Yes, sir, the wells do show -- and you can see
11 from some of the plots, they do show an increase in GOR
12 trend --

13 Q. Okay.

14 A. -- but you don't see anything excessive. The GOR
15 for any solution gas drive reservoir is going to increase
16 with time, and that's certainly what we see out here as the
17 wells continue to produce, but we've not seen any trends
18 that indicate an excessive increase in GOR. And again, the
19 compelling evidence out here is the drainage areas that
20 we're seeing for these existing wells, that we're just not
21 going to be draining a large area that's going to damage
22 offsetting locations.

23 Q. Okay. And as far as the effect on your economics
24 of restricting to 80, did you do an economic analysis, kind
25 of a generic, to figure out if it would be causing economic

1 waste to restrict them, versus to allow them to produce?

2 A. Yes, we've looked at the economics for these
3 wells. They cost about \$400,000 to drill and complete for
4 the Yeso, and we need a minimum of about 55 barrels per day
5 per well to make the economics work for us.

6 Q. Okay, so you probably in-house noticed an
7 economic effect of restricting -- like these two wells, for
8 instance, it would just extend the life of the wells if you
9 restricted them to the 80. Do you think they would get the
10 similar reserves if they were at 80, restricted to 80, for
11 the well, for the 40-acre tract?

12 A. Yes, sir, I don't see any change in the ultimate
13 recovery of the well, based on their allowable rates. If
14 we produced them at lower rates, we still would arrive at
15 the same ultimate recovery. But just due to the time value
16 of money, there would be a point where we could not drill
17 any additional wells without a higher allowable.

18 Q. What do you use for an economic limit?

19 A. I couldn't tell you for sure. Typically, it
20 would be about five barrels per day, something like that.

21 Q. Okay, so you're handling some water along with
22 these --

23 A. Yes.

24 Q. And where do you put the water?

25 A. We have an offsetting waterflood that needs

1 makeup water.

2 Q. Okay.

3 A. And so that's where we're taking the water right
4 now.

5 Q. Okay, and this -- Are you going to waterflood
6 this someday?

7 A. I don't know. Right now I don't see it as a
8 strong waterflood candidate, but it's something that we'd
9 continue to look at.

10 Q. Well, talking about the offsetting Empire field
11 to the east there, you said it's being drilled on maybe
12 three wells per 40 or something like that. But is the
13 field rule for the Empire field more than 80 per 40?

14 MR. BRUCE: I looked that up, Mr. Examiner, and
15 there are no special pool rules for the Empire -- both --
16 for either Empire pool.

17 Q. (By Examiner Jones) So maybe they never hit the
18 good wells like you guys did.

19 A. If you look at their average production rate,
20 it's close to 25 to 30 barrels per day per well.

21 Q. Okay.

22 A. So I can't say whether in any particular 40-acre
23 tract -- you know, what that translates to. But I can
24 certainly say that the average production rate currently is
25 about 25 to 30 barrels per day, per well, in the Empire

1 East Pool.

2 EXAMINER JONES: Okay, I think we've beat this
3 horse long enough. Thank you very much for all the
4 production, all of you, Devon. And that's the only
5 questions I have. Does anybody else want to add anything
6 else?

7 MR. BRUCE: I don't have anything further at this
8 time. We will give you that land data, Mr. Examiner.

9 EXAMINER JONES: Okay, and we're dismissing the
10 GOR request and still maintaining the --

11 MR. BRUCE: That's correct.

12 EXAMINER JONES: Okay. With that, we'll take
13 Case 13,185 under advisement.

14 (Thereupon, these proceedings were concluded at
15 9:30 a.m.)

16 * * *

17
18
19 I do hereby certify that the foregoing is
20 a complete record of the proceedings in
21 the Examiner hearing of Case No. _____
22 heard by me on _____

23
24
25
Oil Conservation Division, Examiner


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL February 6th, 2004.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 16th, 2006