

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION COMMISSION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 13,153

APPLICATION OF PRIDE ENERGY COMPANY FOR)
CANCELLATION OF A DRILLING PERMIT AND)
REINSTATEMENT OF A DRILLING PERMIT, AN)
EMERGENCY ORDER HALTING OPERATIONS, AND)
COMPULSORY POOLING, LEA COUNTY,)
NEW MEXICO)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING

BEFORE: MARK E. FESMIRE, CHAIRMAN
JAMI BAILEY, COMMISSIONER
FRANK T. CHAVEZ, COMMISSIONER

August 12th, 2004

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission, MARK E. FESMIRE, Chairman, on Thursday, August 12th, 2004, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

20041106233 PPM 22 007

I N D E X

August 12th, 2004
 Commission Hearing
 CASE NO. 13,153

	PAGE
EXHIBITS	4
APPEARANCES	6
OPENING STATEMENTS:	
By Mr. Bruce	8
By Mr. Carr	12
APPLICANT'S WITNESSES:	
<u>JOHN W. PRIDE</u> (Landman)	
Direct Examination by Mr. Bruce	21
Cross-Examination by Mr. Carr	36
Examination by Commissioner Chavez	51
Examination by Chairman Fesmire	54
Redirect Examination by Mr. Bruce	55
Further Examination by Commissioner Chavez	57
<u>JEFF ELLARD</u> (Geologist)	
Direct Examination by Mr. Bruce	59
Voir Dire Examination by Mr. Carr	75
Voir Dire Examination by Chairman Fesmire	77
Cross-Examination by Mr. Carr	79
Examination by Commissioner Bailey	92
Examination by Chairman Fesmire	94
Redirect Examination by Mr. Bruce	96
YATES WITNESSES:	
<u>CHARLES E. MORAN</u> (Landman)	
Direct Examination by Mr. Carr	98
Cross-Examination by Mr. Bruce	105
Examination by Commissioner Bailey	109
Examination by Commissioner Chavez	111
Examination by Chairman Fesmire	113

(Continued...)

YATES WITNESSES (Continued):

JOHN AMIET (Geologist)

Direct Examination by Mr. Carr	116
Cross-Examination by Mr. Bruce	135
Examination by Commissioner Bailey	148
Examination by Commissioner Chavez	150
Examination by Chairman Fesmire	154

DAVID F. BONEAU (Engineer)

Direct Examination by Mr. Carr	156
Cross-Examination by Mr. Bruce	170
Examination by Commissioner Chavez	173
Examination by Chairman Fesmire	181

CLOSING STATEMENTS:

By Mr. Carr	184
By Mr. Bruce	190

REPORTER'S CERTIFICATE	198
------------------------	-----

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8, 22	35, 36
Exhibit 2	27	35, 36
Exhibit 3	29	35, 36
Exhibit 4	28	35, 36
Exhibit 5	35	36
Exhibit 6	60	78
Exhibit 7	64, 66	78
Exhibit 8	66	78
Exhibit 9	66	78
Exhibit 10	66, 67	78
Exhibit 11	67	78
Exhibit 12	67	78

* * *

(Continued...)

E X H I B I T S (Continued)

Yates	Identified	Admitted
Exhibit 1	12, 102	105
Exhibit 2	103	105
Exhibit 3	46, 104	105
Exhibit 4	104	105
Exhibit 5	117	135
Exhibit 6	119	135
Exhibit 7	123	135
Exhibit 8	125	135
Exhibit 9	69, 128	135
Exhibit 10	128	135
Exhibit 11	129	135
Exhibit 12	130	135
Exhibit 13	158	170
Exhibit 14	159	170
Exhibit 15	162	170
Exhibit 16	162	170
Exhibit 17	163	170
Exhibit 18	163	170
Exhibit 19	164	170

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

DAVID K. BROOKS, JR.
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

FOR YATES PETROLEUM CORPORATION:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 9:14 a.m.:

3 CHAIRMAN FESMIRE: And the last case before the
4 Commission today is Case Number 13,153. It was a *de novo*
5 case continued from the July 15th, 2004, Commission
6 Hearing. It's the Application of Pride Energy Company for
7 cancellation of a drilling permit and reinstatement of a
8 drilling permit, an emergency order halting operations, and
9 compulsory pooling in Lea County, New Mexico.

10 At this time I'd like to ask the attorneys for
11 the Applicant and the Protestants to make appearances,
12 please.

13 MR. BRUCE: May it please the Commission, Jim
14 Bruce of Santa Fe, representing the Applicant. I do have
15 two witnesses.

16 MR. CARR: May it please the Examiner, my name is
17 William F. Carr with the Santa Fe office of Holland and
18 Hart, L.L.P. I represent Yates Petroleum Corporation in
19 this matter, in opposition to the Application. I have
20 three witnesses.

21 CHAIRMAN FESMIRE: Mr. Bruce, are your witnesses
22 present in the hearing room today?

23 MR. BRUCE: Yes, sir.

24 CHAIRMAN FESMIRE: Mr. Carr?

25 MR. CARR: Yes, sir, they are.

1 CHAIRMAN FESMIRE: I'd ask that the five
2 witnesses stand to be sworn.

3 (Thereupon, the witnesses were sworn.)

4 CHAIRMAN FESMIRE: Mr. Bruce, do you have an
5 opening statement?

6 MR. BRUCE: I presume Mr. Carr does, so I will
7 make a brief statement.

8 Mr. Chairman, if you could put in front of you
9 just Exhibit 1 of Pride Energy, which is the land plat, the
10 land we're interested in today is highlighted -- part of it
11 is highlighted in pink. It's Section 12 of 12 South, 34
12 East. Yates Petroleum and other Yates entities own 100
13 percent of the working interest in the north half and the
14 southeast quarter of Section 12, and Pride Energy owns the
15 leasehold interest in the southwest quarter of Section 12.
16 These are both state leases. I believe they have the same
17 terms, one-sixth royalty interest.

18 You'll hear a lot of testimony about force
19 pooling and APDs and geology today, but in my mind the case
20 is pretty simple. Both parties want to re-enter what is
21 called the State "X" Well Number 1, which is located in the
22 southwest quarter of the northwest quarter of Section 12.
23 That well was drilled, I believe, to the Devonian. Both
24 parties are interested in testing a portion of the
25 Mississippian formation in that well.

1 Yates, back in 2001, obtained an APD for a north-
2 half unit. Then in 2002 they obtained an extension, a one-
3 year extension, of that APD. In 2003, however, that APD
4 lapsed.

5 At that point Pride Energy went and obtained an
6 APD for a west-half unit to re-enter that well. Pride
7 legally obtained that APD since there was no existing APD
8 on that well.

9 One other matter is that they then commenced the
10 pooling process. Obviously Pride only has 160 acres,
11 regardless of whether a well is standup or laydown. It
12 needs to be force-pooled -- or I should say, the parties
13 need to voluntarily agree or be force pooled into a well,
14 whether it's standup or laydown.

15 In Mr. Carr's pre-hearing statement he says that
16 Pride contends that the Division's approval of its APD gave
17 it the exclusive right to drill in the west half. That's
18 not quite correct. Obviously they need an APD; nobody can
19 drill in this state without an APD. But since Pride only
20 has 160 acres, they needed to force pool Yates into the
21 well.

22 Now, the testimony will show that Pride attempted
23 to obtain the voluntary joinder of Yates but received no
24 response from Yates, so they had to force pool. As that
25 process was going along, Pride found out that its APD,

1 which on its face is good for one year, was canceled
2 without notice to it by the Hobbs District Office.

3 We believe that APD was illegally canceled, and
4 as a result Pride filed this Application to revoke the new
5 Yates APD that was approved in August of 2003, a month
6 after Pride's APD, and to force pool Yates, et al., into a
7 west-half well unit.

8 We believe that is proper because Yates did not
9 properly obtain its APD, number one.

10 Number two, the geology supports a west-half well
11 unit.

12 And number three, under the pooling statute it
13 says when there are two or more separately owned tracts of
14 land embraced within a spacing or proration unit and the
15 parties can't voluntarily agree, the Division or the
16 Commission shall pool that acreage.

17 Furthermore, with respect to the existing
18 wellbore -- which is on Yates' acreage, no dispute about
19 that -- the pooling statute says that all operations which
20 are conducted on any portion of the pool unit shall be
21 deemed for all purposes to have been conducted upon each
22 tract within the unit. Therefore once the force pooling
23 order was issued, Pride certainly had the right to re-enter
24 that wellbore under the pooling order.

25 Both parties agree that the proper way to develop

1 this reservoir is to re-enter the "X" 1 well. That's the
2 most economical way to test this reservoir -- Or I should
3 say, the reservoir has already been tested by a Pride well,
4 a Pride and Yates joint well, in the southwest quarter of
5 Section 1, and the way to further develop this wellbore,
6 this reservoir, is to re-enter that wellbore.

7 As I said, as a result of the Pride APD being, we
8 think, illegally revoked, Pride filed this Application to
9 cancel the Yates APD, to reinstate Pride's APD and to force
10 pool the west half.

11 As the Chairman said when he called the case,
12 there was also a request for emergency relief, which was
13 denied by the Division. However, during the pendency of
14 these proceedings, before the order was entered, Yates did
15 not take any action, further action, on the well. And
16 after the pooling order was entered, Pride voluntarily did
17 not take any action on the wells. So nothing has been
18 done, it has been in a state of stasis for the last year,
19 or almost a year, since last September. So no one has been
20 adversely affected by any further activity on the well.

21 But we believe that the Division correctly
22 revoked Yates' APD and force pooled the west half, and we'd
23 ask the Commission to uphold that order.

24 CHAIRMAN FESMIRE: Mr. Carr, do you have an
25 opening statement?

1 MR. CARR: Yes, sir, Mr. Chairman, I do, and I'd
2 ask you to look at our Exhibit 1, which is behind Tab 1 in
3 the exhibit book. It's similar, but I'd like to use it as
4 I work through my opening.

5 In some ways this case, Mr. Chairman, may be a
6 simple case. But I think as you listen to it today there's
7 going to be an attempt to confuse what the real issues are
8 before you by talking about things that really are not at
9 issue.

10 There's no dispute that prior to the time that
11 Pride acquired its lease in this section, Yates owned the
12 north half and the southeast quarter. It was the lessee
13 under one single State of New Mexico oil and gas lease
14 covering that acreage.

15 Prior to the time that Pride acquired its lease
16 in the southwest quarter of this section, Yates had already
17 filed an application seeking an APD authorizing them to
18 drill the north half of the section. One thing that has
19 always been clear, Yates intended to develop the reserves
20 in the north half of the section with the well that existed
21 on this state lease.

22 If you look at Exhibit Number 1 and you go to the
23 north in Section 1, you're going to see that in that tract
24 there also is a well operated by Yates -- I mean operated
25 by Pride, in which Yates and Pride own an interest. Again,

1 you will see the well is on the Yates acreage. Again, it
2 is draining reserves from the Yates tract. And because of
3 the standup unit in that tract, it receives one-quarter of
4 the reserves, although in fact the reserves are being
5 drained from the acreage principally owned by Yates.

6 But while there are a lot of issues that are not
7 really, I think, going to determine what we do here today,
8 there are important questions before you. Some are
9 technical in nature, others are truly legal issues.

10 The central issue before you involves the
11 correlative rights of the parties who are before you here
12 today, and that is where we are going to focus our
13 technical presentation.

14 But there are also other issues that pop up in
15 this case, issues concerning how this Division interprets
16 its own rules, where do process rights apply, issues that
17 are purely legal in their characterization.

18 And so while Pride is attacking or challenging
19 the District Office's decision to cancel a Yates -- or
20 cancel a Pride APD and approve one filed by Yates, really
21 what's going on here is an effort to use the regulatory
22 process to take reserves that are under acreage leased to
23 Yates, take those and give them to Pride.

24 At the bottom you'll see that Pride seeks the
25 cancellation of Yates' APDs so we can re-enter the same

1 well, an existing wellbore, acreage leased to Yates, the
2 well is at a standard location, and Yates has for years
3 been proposing development with a north-half unit.

4 The evidence will show Yates owns the entire
5 north half. It will also show that Pride only owns the
6 southwest quarter and that what it is proposing to do is
7 reorient the spacing unit and enter a well that it does not
8 own on a tract it does not own. And when it filed its
9 Application in this case, it knew that Yates was on the
10 well, recompleting the well, was doing it pursuant to a
11 Division-approved APD which they -- somehow was illegally
12 or improperly obtained.

13 And the evidence will show we did one thing: We
14 filed a C-101 and a C-102 like the ones we had filed
15 before. We did not ask anything be reinstated, we filed an
16 application. But that somehow is characterized as wrong.
17 And when we found out they were challenging the north-half
18 unit, we stopped operation. And we have not operated or
19 conducted operations since that date.

20 Pride also seeks to reinstate its own APD. And
21 if it does, what you do is dedicate the west half of the
22 section. So now Pride goes into the wellbore we've been
23 working on, and we have to pay them half of their cost for
24 re-entering this well, and then we have to give them half
25 of the reserves produced by this well.

1 And Pride really doesn't dispute this. They
2 agree that with this Application they seek to take this
3 well away from Yates and dedicate it to this west-half
4 spacing unit. But of course Yates doesn't agree. So to
5 achieve their goal, they have to seek a compulsory pooling
6 order from this Division.

7 Now, usually in a case like this you have
8 competing pooling applications. But we have none, because
9 we truly believe, and believed at the time of the Examiner
10 Hearing, that none was needed. Remember, one state lease,
11 standard unit, standard location, owned by us. We thought
12 what we were doing was consistent with the Rules and the
13 Statutes and the policies of the Division. We thought it
14 was consistent with State Land Office policy, developing
15 one single state lease. We believed we had the right to
16 proceed.

17 You know, the Division recently -- the Commission
18 recently stated -- and this is the infamous TMBR/Sharp case
19 that Jim today doesn't like -- it says where compulsory
20 pooling is not required because of voluntary agreement or
21 because of common ownership of the dedicated acreage, the
22 practice of designating the acreage to be dedicated to the
23 well on the application for permit to drill furthers
24 administrative expedience.

25 Once the application is approved, as ours was,

1 the Commission has said no further proceedings are
2 necessary.

3 We were on the property, we owned a standard
4 unit, standard location with an APD, and we felt we had a
5 right to proceed. And we did not present a technical case
6 at the Examiner Hearing, but the Examiner thought more was
7 needed. And so we're here today, we're here to present our
8 technical case.

9 And the evidence in this case focuses on
10 correlative rights. As we all know, you are a creature of
11 statute and your powers come from the Oil and Gas Act, and
12 your jurisdiction is based on the prevention of waste and
13 the protection of correlative rights.

14 There is no waste issue here. We both want to do
15 the same thing, we want to re-enter the same well,
16 recomplete in the same formation.

17 So the issue is, of necessity, one of correlative
18 rights.

19 And as we start, I think it's important that we
20 always go back and look at what correlative rights means,
21 because it is defined by statute.

22 Correlative rights is defined in the Oil and Gas
23 Act as the opportunity afforded, so far as it is
24 practicable to do so, to the owner of each property in the
25 pool to produce without waste his just and equitable share

1 of the oil or gas or both from the pool.

2 And it goes on and it defines by statute what is
3 meant by what is your just and equitable share. And it
4 says that is an amount, so far as practically can be
5 obtained and so far as practically can -- so as -- that
6 is -- if I could read, it would help. It defines what is
7 just and equitable as an amount, so far as can be
8 practicably determined and so far as can be practicably
9 obtained without waste, substantially in the proportion
10 that the quantity of recoverable oil or gas or both under
11 the property bears to the total recoverable or gas or both
12 in the pool.

13 It's sound and it is based not on spacing units
14 but on ownership. And correlative rights is the
15 opportunity to produce what you own, based on what is under
16 your tract.

17 And so today that's what we're going to do, we're
18 going to look at what is under the Yates tract. Our
19 evidence will show that the reserves in this section are
20 under the north half.

21 And we get to an immediate problem here because,
22 you see, you change the spacing several years for deep gas.
23 And while we preapproved an infill and indirectly, at
24 least, recognize that wells really only drained 160 acres,
25 we kept the larger spacing units.

1 So while we're going to be looking at the
2 northwest quarter, we've got to talk about a half a
3 section, a north half or a west half.

4 We're going to show that the reserves are under
5 the north half, that there is an alluvial fan or a debris
6 flow that moves across the north half of this section.
7 We're going to show that the best quarter in Section 12 is
8 the northwest and the worst is the southwest. We're going
9 to show that the recoverable reserves are under Yates'
10 acreage.

11 And you're going to hear conflicting technical
12 presentations -- that's why we need you regulators --
13 engineers, geologists, because you're going to have to look
14 at the evidence, you're going to have to look at the
15 quality of the evidence, and you're going to have to make a
16 decision.

17 And the evidence that Pride will present is based
18 on a fault that traverses Section 12. They're going to
19 present you a commercial map -- it has not been prepared by
20 the witness, it's from a commercial source -- and it shows
21 a fault, a fault on the Devonian 900 feet below the subject
22 horizon. There's going to be no evidence that you can see
23 where a fault was ever cut by a wellbore, but it's inferred
24 by differences in subsea depth.

25 Without the fault, you see, they testify that

1 there is a general flow to the east northeast, which would
2 take the reserves across the north half of the section.
3 But they conclude that this fault controls, and therefore
4 the deposits are in the west half of the section and
5 therefore under their acreage, under the southwest quarter,
6 a quarter they've never been willing to drill.

7 The geologist also sees more feet of pay. And
8 we'll look at the quality of the logs from which you have
9 to infer that.

10 Yates's testimony is going to review Pride's
11 evidence, it's going to conclude that the interpretations
12 drawn from this hard, factual information simply go beyond
13 where this information can honestly be taken.

14 And then we're going to present evidence that
15 shows the fault upon which their case rests does not exist.
16 We have prepared our own study, we have integrated the
17 well-control information -- which is limited in this area
18 -- with a 3-D seismic shoot across the area. It shows the
19 fault simply is not there.

20 But we're going to go beyond that. We're not
21 going to just stop with the geology, we're also going to
22 present an engineering witness, we're going to talk about
23 drainage area.

24 And if you look at our Exhibit Number 1, the well
25 in the southwest southwest of Section 1 to the north of us

1 is a good well in this Mississippian pay, and everyone will
2 agree that that well should perform substantially better
3 than the re-entry in the northwest of Section 12.

4 And so what we've done is, with good information
5 on the well to the north, calculated a drainage area for
6 that well. To date it has drained 23 acres. Ultimately it
7 will drain 113. And when you put 113 acres around that
8 well, you can see it doesn't drain very much of the
9 dedicated acreage. If you assume that the well that we're
10 talking about today is even anywhere near that good and you
11 then plot the reserves, you see again that those reserves
12 have to come from acreage leased to Yates, not acreage
13 leased to Pride.

14 And when that happens, we submit to you that by
15 definition our correlative rights are impaired. We are not
16 given an opportunity to produce our fair and reasonable
17 share, our just and equitable share of the reserves that
18 are under the acreage that we own.

19 The evidence will also show that denial of
20 Pride's Application cannot impair their correlative rights.

21 They talk about how we for two years have an APD
22 and didn't do anything about it. But you should remember
23 that they have had a lease since 2001, and they have had an
24 opportunity each and every day, if they really thought they
25 had anything under their land, to go and drill a well, and

1 they have not.

2 CHAIRMAN FESMIRE: Mr. Bruce, your first witness?

3 MR. BRUCE: Call John Pride to the stand.

4 JOHN W. PRIDE,

5 the witness herein, after having been first duly sworn upon
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. BRUCE:

9 Q. Would you please state your name and city of
10 residence for the record?

11 A. John Pride, Tulsa, Oklahoma.

12 Q. And do you work for Pride Energy?

13 A. Yes.

14 Q. Are you one of the principals of Pride?

15 A. Yes.

16 Q. Have you previously testified before the Division
17 or the Commission?

18 A. Yes.

19 Q. And were you qualified as an expert landman --

20 A. Yes.

21 Q. -- at your appearance?

22 Are you familiar with the land matters involved
23 in this Application?

24 A. Yes.

25 MR. BRUCE: Mr. -- I'm used to saying Mr.

1 Examiner. Mr. Chairman, tender Mr. Pride as an expert
2 petroleum landman.

3 CHAIRMAN FESMIRE: Any objection?

4 MR. CARR: No.

5 COMMISSIONER BAILEY: No.

6 COMMISSIONER CHAVEZ: No objection.

7 CHAIRMAN FESMIRE: He's so admitted.

8 Q. (By Mr. Bruce) Now, Mr. Pride, could you
9 identify Exhibit 1 just briefly for the Examiner?

10 A. It's a land map showing the acreage that's under
11 lease by us as well as Yates, with some 320-acre standup
12 units.

13 Q. Okay, well, let's go through this. In Section 12
14 which you're interested in, the north half and southeast
15 quarter are owned by Yates' lease; is that -- by Yates
16 under a State of New Mexico lease?

17 A. Correct.

18 Q. And that lease was issued, I believe, in the year
19 2000?

20 A. Yes, I believe so.

21 Q. Okay. And then Pride Energy owns the state lease
22 on the southwest quarter of Section 2?

23 A. Correct.

24 Q. Okay. And the State "X" 1 well is located in the
25 southwest quarter, northwest quarter of Section 12?

1 A. Yes.

2 Q. Okay. Before we get into the yellow items, there
3 will be discussion today on the -- is it the State "M" 1
4 well in the southwest quarter, southwest quarter of Section
5 1?

6 A. Yes.

7 Q. Is the well unit the west half for that well?

8 A. Yes, it is.

9 Q. What is the ownership in that well?

10 A. Pride Energy owns 75 percent working interest,
11 and Yates owns 25 percent.

12 Q. Is that really the well that has raised interest
13 in completing or recompleting other wells in this area in
14 the Mississippian?

15 A. Yes, it is.

16 Q. When was that well -- Was that a re-entry also?

17 A. It was.

18 Q. Who proposed the re-entry of that well?

19 A. Pride Energy Company.

20 Q. When was -- And Yates owns an interest in that.
21 Was that force pooled or was there a voluntary agreement to
22 drill that well?

23 A. There was a voluntary agreement.

24 Q. So Yates voluntarily agreed to a west-half unit?

25 A. Yes.

1 Q. When was that well re-entered?

2 A. What was the date? I can't recall the date right
3 off the top of my head.

4 Q. Okay, was it several years ago?

5 A. Yes.

6 Q. Okay, and it has been completed in the
7 Mississippian?

8 A. Yes, it has.

9 Q. And it has been producing since that time?

10 A. Yes.

11 Q. Now, as to the State "X" 1 well, the well we're
12 here for today, when was that well drilled, approximately?

13 A. Late 1950s, I think 1958 or something like --

14 Q. And what zone was it drilled to test?

15 A. Devonian -- the depth close to the Devonian,
16 right, 13,000 -- a little over 13,000 feet total depth.

17 Q. Okay. So basically what is the well proposal?
18 You're not really -- just re-entering and recompleting it?

19 A. Yes, in the Mississippian.

20 Q. Now, there are other well units highlighted on
21 here. What is the purpose of these?

22 A. Just to show that there's other 320-acre standup
23 units in the immediate area.

24 Q. And are these all deep gas well tests?

25 A. Yes.

1 Q. Okay, so either by Pride or by Yates?

2 A. Yes.

3 Q. Now, let's go into the timing. Yates did obtain
4 an APD in the year 2001, did it not?

5 A. Yes.

6 Q. And do you recall approximately what date that
7 APD was issued?

8 A. May 25th of '01.

9 Q. Now, Yates already had a lease covering its
10 acreage in Section 12?

11 A. Yes.

12 Q. When did Pride purchase its lease from the State
13 of New Mexico?

14 A. It was actually purchased at the New Mexico Oil
15 and Gas Lease sale, which occurred in May, approximately
16 the 18th or 19th, I don't recall exactly what date. The
17 effective date was June 1st of '01 --

18 Q. Okay --

19 A. -- but the actual lease took place, the sale of
20 the lease, around the 18th or 19th of May.

21 Q. Okay, so the -- Pride purchased this lease in the
22 southwest quarter about a week before Yates obtained its
23 APD?

24 A. Yes.

25 Q. Okay. Now, did Pride obtain its lease with the

1 interest of developing the Mississippian in this area?

2 A. Yes.

3 Q. And after you obtained the lease, did you or
4 someone on your behalf look at -- determine whether or not
5 there were any APDs issued on the west -- on either the
6 north half or west half of Section 12?

7 A. Yes.

8 Q. And what did you determine?

9 A. At what date, what time?

10 Q. Sometime in 2001?

11 A. Yeah, we noticed that Yates filed an APD.

12 Q. Okay. And Pride was interested in re-entering
13 the State "X" 1, Well Number --

14 A. Yes, we were.

15 Q. -- 1, excuse me.

16 Now, did Pride take any action to force pool
17 Yates in 2001 or 2002?

18 A. No.

19 Q. You didn't take any action to disturb Yates' APD,
20 did you?

21 A. No.

22 Q. Did you also understand later on in 2002 that
23 Yates had obtained an extension of its APD?

24 A. Yes.

25 Q. To the best of your knowledge, during 2001

1 through the middle of 2003 did Yates ever take any action
2 to re-enter the State "X" 1 well?

3 A. No, they did not.

4 Q. When approximately did you learn that Yates' APD
5 on the north half of Section 12 had expired?

6 A. Well, shortly after it had expired, just a matter
7 of days, I had actually called the Hobbs District to
8 determine whether or not it had expired and spoke with
9 Donna there in the Hobbs Office, and she informed me that
10 it had expired.

11 Q. Okay. Did Pride then file an APD to re-enter the
12 State "X" 1 well and to form a west-half -- designate a
13 west-half unit?

14 A. Yes.

15 Q. And is Yates -- excuse me, Pride's APD marked
16 Exhibit Number 2?

17 A. Yes.

18 Q. And it's your understanding that that APD was
19 good for one year?

20 A. Correct.

21 Q. Okay. And we'll get into this a little bit more,
22 but did you -- at about the same time as you filed your
23 APD, did you contact Yates to try to get them to
24 voluntarily join in a re-entry of the "X" 1 well?

25 A. Yes.

1 Q. Who did you speak with?

2 A. Actually, I had written a letter and sent to
3 them.

4 Q. Okay. Did you speak with anyone at Yates
5 thereafter?

6 A. Well, I had spoken with some people from Yates
7 since then, yes --

8 Q. Okay.

9 A. -- but not immediately at that time.

10 Q. Okay, but it was your intent -- And is the letter
11 that you wrote to Yates marked Exhibit 4?

12 A. Yes.

13 Q. And that letter dated July 15th, 2003, that was
14 shortly after the date of the APD that you filed with the
15 State, was it not?

16 A. Yes.

17 Q. Did you hope to obtain Yates' voluntary joinder
18 in re-entering the State "X" 1 well?

19 A. We did, we presumed that they would, based on
20 their election to participate on the State 1 M unit --

21 Q. -- just to the north?

22 A. -- just to the north.

23 Q. What happened next?

24 A. Regarding -- ?

25 Q. Regarding the State "X" 1 well. Were you --

1 Let's put it this way, Mr. Pride, were you ever contacted
2 by Yates with respect to your APD? Did anyone at Yates
3 respond to your well proposal?

4 A. No.

5 Q. Okay. Marked next is Exhibit 3, Mr. Pride. What
6 is that letter?

7 A. This is the letter from the New Mexico Energy,
8 Minerals and Natural Resources Department dated August 26th
9 of '03, addressed to Pride Energy Company, cancellation of
10 the intent to re-enter on the State 1 "X".

11 Q. Was this letter canceling Exhibit 2?

12 A. Yes.

13 Q. The APD? Did you ever receive this letter in the
14 mail?

15 A. Did not.

16 Q. How did you receive it?

17 A. I had received it via fax from the Hobbs
18 District, after speaking with Donna at the Hobbs District
19 and learning that this letter was created and exists, and I
20 was actually shocked, even --

21 Q. But what had happened on the well that made you
22 call the OCD regarding this matter?

23 A. As far as Yates starting to --

24 Q. Yes.

25 A. -- move the rig in and do work.

1 Q. Okay, so did one of your field hands inform you
2 that Yates was on the well site --

3 A. Yes.

4 Q. -- conducting operations?

5 A. Yes.

6 Q. And you called the -- At that time did you call
7 the OCD?

8 A. I did.

9 Q. And that's when you spoke with Donna?

10 A. Yes.

11 Q. And she faxed you this letter?

12 A. Right.

13 Q. Was that the first notice you had that -- Let's
14 put it this way, did Mr. Williams or anyone at the Hobbs
15 District Office contact you before you received this
16 letter --

17 A. No.

18 Q. -- canceling your APD?

19 A. No.

20 Q. And it was at that time, shortly thereafter, that
21 you filed this Application?

22 A. Yes.

23 Q. Now, perhaps the geologist can answer this
24 question a little better, but the State "M" Well Number 1
25 has been producing for several years, correct?

1 A. Yes.

2 Q. That's the first Mississippian well out there in
3 this immediate area. Was there time -- Was it required
4 that that well be evaluated for a period of time before you
5 could determine what next --

6 A. Yes.

7 Q. -- step to take in evaluating the reservoir or
8 the need to re-enter or drill another well?

9 A. Yes, it is.

10 Q. It looks like it's a good well, correct?

11 A. Sure. You'd want to observe the production, see
12 what the decline rate is and determine what the expected
13 reserves might be.

14 Q. Okay. Now, you said that you sent Exhibit 4, the
15 well proposal, to Yates. You never received a response
16 from them on this, did you?

17 A. No.

18 Q. Did you call someone at Yates and express your
19 desire to reach agreement with respect to a west-half unit?

20 A. I don't recall talking with anyone at that
21 particular time regarding that.

22 Q. In July?

23 A. Right.

24 Q. What about before you learned of Yates' re-entry
25 operations on the well?

1 A. Well, prior to -- well, depends on what time,
2 because I did receive a call from Yates, a geologist.

3 Q. John Amiet?

4 A. Yes. And he asked me whether -- This was
5 immediately, I'd say, within days after we actually took
6 the lease from the State of New Mexico on the southwest
7 quarter, and he asked me if we had intentions of re-
8 entering this State 1 "X" well. And I told him at that
9 time we were evaluating it, but it was a possibility, but
10 we were evaluating the results from our State 1 "M" well
11 just joining to the north there.

12 Q. Okay --

13 A. That's -- Immediately after that, within days,
14 that's when Yates filed their APD.

15 Q. Okay, so you bought the well on or about May 18th
16 or 19th, 2001?

17 A. Yes.

18 Q. A few days later, Yates called you and asked
19 about your plans for the State "X" 1 well?

20 A. Yes.

21 Q. And then they filed the APD?

22 A. Yes.

23 Q. Okay. But again, you never received any response
24 to your voluntary joinder proposal?

25 A. Correct.

1 Q. Attached to that is an AFE for the well. Now,
2 this is, at this point, about a year old. On this AFE what
3 are the proposed re-entry and recompletion costs?

4 A. Total completion cost would be \$628,295 on this
5 AFE.

6 Q. Would that cost have increased at all in the last
7 year?

8 A. Yes.

9 Q. Do you have an idea of approximately how much?

10 A. Oh, without going down through there on each item
11 and getting bids on each item, I would just guess maybe
12 \$750,000 today, as opposed to \$628,000.

13 Q. Just because of the higher rig costs, et
14 cetera --

15 A. Well, casing cost and tubing cost have
16 dramatically gone up --

17 Q. Okay.

18 A. -- as well as other things.

19 Q. Would a cost of approximately \$750,000 be a
20 reasonable well cost for re-entering a well of this type
21 and this depth in Lea County?

22 A. Yes.

23 Q. Pride does still request that the west half of
24 Section 12 be force pooled --

25 A. Yes.

1 Q. -- is that correct?

2 Does Pride request that it be named operator of
3 the well?

4 A. Yes.

5 Q. Do you have a recommendation for the amounts
6 which Pride should be paid for supervision and
7 administrative expenses?

8 A. Yes.

9 Q. And what are they?

10 A. As the well is being drilled it's \$5000 per
11 month, and then after it's producing it's \$600 per month.

12 Q. And are these amounts equivalent to those
13 normally charged by Pride and other operators in this area
14 for wells of this depth?

15 A. Yes.

16 Q. Do you request that this rate be adjusted
17 periodically as provided by the COPAS accounting procedure?

18 A. Yes.

19 Q. And do you request the maximum cost-plus-200-
20 percent risk charge on nonconsenting interest owners?

21 A. Yes.

22 Q. Were Exhibits 1 through 4 prepared by you or
23 under your supervision or compiled from company business
24 records?

25 A. Yes.

1 Q. And in your opinion is the granting of Pride's
2 Application in the interests of conservation and the
3 prevention of waste?

4 A. Yes.

5 MR. BRUCE: Mr. Chairman, I'd move the admission
6 of Pride Exhibits 1 through 4.

7 MR. CARR: No objection.

8 CHAIRMAN FESMIRE: Any objection from the
9 Commission?

10 COMMISSIONER BAILEY: No.

11 COMMISSIONER CHAVEZ: No.

12 CHAIRMAN FESMIRE: They're so admitted.

13 MR. BRUCE: And also Exhibit 5, which was simply
14 my affidavit of notice regarding the initial pooling
15 hearing, Mr. Chairman.

16 MR. CARR: No objection.

17 COMMISSIONER CHAVEZ: I do have a question.
18 They're marked as -- for the record, they're marked as
19 "Before Examiner Stogner".

20 MR. BRUCE: I apologize, Mr. Commissioner. These
21 are the exact same land exhibits that were used in front of
22 the Hearing Examiner last fall, and -- but I will just ask
23 them to be designated Commission Exhibits.

24 COMMISSIONER CHAVEZ: I'm wondering if they
25 should somehow also be marked so that as people view them

1 they're -- in the OCD records, that they would also be
2 appropriately --

3 MR. BRUCE: We can do that, Mr. Commissioner.

4 COMMISSIONER CHAVEZ: If you would, I think that
5 would help.

6 MR. BRUCE: I will -- For the court reporter and
7 for the official copy kept by the Division, I will resubmit
8 exhibits marked as Commission exhibits.

9 CHAIRMAN FESMIRE: In lieu of the new
10 designation, we will provisionally accept Exhibits 1
11 through 5.

12 MR. BRUCE: And I pass the witness, Mr. Chairman.

13 CHAIRMAN FESMIRE: Mr. Carr?

14 MR. CARR: Mr. Chairman.

15 CROSS-EXAMINATION

16 BY MR. CARR:

17 Q. Mr. Pride, I'd like to look at your Exhibit
18 Number 1. Do you have that before you?

19 A. Yes.

20 Q. On this exhibit, Mr. Pride, you've indicated five
21 spacing units; is that right?

22 A. Yes.

23 Q. And is the purpose of that to indicate that
24 acreage in this area is being developed with standup units?

25 A. Yes.

1 Q. Wouldn't you agree with me that it's appropriate
2 that a spacing unit conform to the extent that it can to
3 the reservoir?

4 A. Yes.

5 Q. And in this case, the reason you're proposing a
6 west-half spacing unit is, you believe in Section 12 that
7 is where the reservoir is found; is that correct?

8 A. Yes.

9 Q. You did the same thing when you proposed the well
10 up in Section 1, did you not?

11 A. Yes.

12 Q. Do you have any plans to drill a well in the
13 northwest of Section 1?

14 A. We don't have any immediate plans.

15 Q. Based on your information on the well in the
16 southwest quarter, do you have any reason to believe that
17 the northwest quarter, "M" 1, would contribute commercial
18 reserves or produce commercial reserves?

19 A. You said the "M" 1. "X" 1?

20 Q. No, I'm talking about the "M" 1 in Section 1.
21 You have a standup spacing unit there --

22 A. Yes.

23 Q. -- you're not planning to drill in the northwest
24 quarter. My question is, do you have data or anything that
25 would suggest that the northwest quarter would contribute

1 reserves?

2 A. It's possible.

3 Q. Is it possible that they might also be in the
4 southeast quarter?

5 A. Southeast of 1?

6 Q. In Section 1.

7 A. I guess it's possible.

8 Q. But at this point in time you've stood the unit
9 up, but you really don't know for sure where the
10 recoverable reserves are in 1; is that fair to say?

11 A. Well, we know that they're in the west half
12 there, since that's where the well is located.

13 Q. Have you done any work on the 1 "M" to determine
14 how many acres it's draining?

15 A. I'm not an engineer.

16 Q. Have you had an engineer who works for you do
17 that?

18 A. No.

19 Q. Have you tried to determine where those reserves
20 might be coming from under that west-half unit?

21 A. I have not personally.

22 Q. If we look down, then, at the unit in Section 12,
23 the appropriate orientation of that spacing unit would be
24 to conform it as best we can with the data we have for the
25 reservoir; is that fair to say?

1 A. I couldn't understand your last part of your
2 question.

3 Q. Whether we go to the north half or west half in
4 1, what we ought to be about here today is trying to orient
5 the unit so it conforms with the reservoir; isn't that fair
6 to say?

7 A. We feel like the west half does.

8 Q. Now, you acquired your lease in the southwest
9 quarter of Section 12 June 1, 2001; is that right?

10 A. No, not actually, that's the effective date. We
11 actually acquired it in May, like I mentioned to Mr. Bruce,
12 around the 18th or 19th of May.

13 Q. Did you know at that time that Yates was the
14 owner of the remainder of the section?

15 A. Yes.

16 Q. Did you know that they had sought and obtained an
17 APD for a north-half spacing unit, were in the process of
18 doing that?

19 A. Well, as of May 18th or 19th when I acquired the
20 lease, they had not.

21 Q. Did you own anything in the north half of the
22 section?

23 A. Section 12?

24 Q. Yes.

25 A. No.

1 Q. Do you own any -- Do you own that wellbore?

2 A. No, we don't own the wellbore.

3 Q. Have any interest in it whatsoever?

4 A. Well, I do have an interest in it, yes.

5 Q. And what is that?

6 A. We're interested in re-entering it.

7 Q. Do you have any ownership interest in that
8 property or that well?

9 A. We feel like we have a right to re-enter it.

10 Q. My question is, do you own anything in the north
11 half, including the wellbore?

12 A. No, I don't own anything in the leasehold in the
13 north half.

14 Q. You said you think you have a right to enter it.
15 What do you base that decision on? What would give you
16 that right?

17 A. Because we had an approved APD.

18 Q. And it's your belief that an APD, then, would
19 give you the right to go onto an adjoining tract and use
20 the wellbore?

21 A. Yes.

22 Q. And that's even without a compulsory pooling
23 order?

24 MR. BRUCE: You know, I object to this line of
25 question insomuch as it's asking legal conclusions and this

1 witness is not an attorney.

2 MR. CARR: I'm not trying to take him into an
3 area where he isn't qualified to speak, but he has
4 testified that he thinks he has a right to be there, and
5 I'd just like to know what he bases that on. If he doesn't
6 know, that's fine.

7 CHAIRMAN FESMIRE: Okay, I'll overrule the
8 objection. I think it's relevant.

9 THE WITNESS: We are filing for the pooling. We
10 assumed that Yates would give us response when we give them
11 written proposal to re-enter the well. But since they did
12 not, then we had to take the next step to initiate the
13 pooling.

14 Q. (By Mr. Carr) By the time you had the pooling,
15 at that time you only had the APD; is that right? When you
16 filed for the pooling application?

17 A. Only the APD, as opposed to having what else?

18 Q. Okay, you had no order or anything else, you had
19 only the APD, which would give you the right to use the --

20 A. We had no what?

21 Q. You only had an APD at the time you filed the
22 Application?

23 A. Yes, we did not have an agreement with Yates,
24 they did not respond to our proposal, nor did we have a
25 pooling order, because we hadn't applied for it.

1 Q. You've talked about the two-year delay in Yates
2 actually developing the acreage. Was it your understanding
3 that because they had an APD they were required to do
4 anything?

5 A. No, they didn't have to.

6 Q. They have the full lease term, do they not,
7 within which to drill?

8 A. Well, from my understanding they have the length
9 of time that the APD --

10 Q. And those can be extended, you understand that?

11 A. And it was, I understand, one year.

12 Q. To find out what was going on on this property,
13 you called the Oil Conservation Division, did you not?

14 A. Yes.

15 Q. You talked to Donna in the Hobbs Office?

16 A. Right.

17 Q. You called the OCD several years ago, back early
18 in the life of your lease; isn't that fair to say?

19 A. I don't recall.

20 Q. Were you ever told by the OCD whether or not you
21 could go ahead and try and pool or do anything with the
22 property while the Yates APD was in place?

23 A. No.

24 Q. Did you ever consider developing the acreage you
25 had under lease with a well in the southwest quarter?

1 A. No.

2 Q. Did you ever consider forming a south-half unit?

3 A. No.

4 Q. Now, you could do that, could you not?

5 A. Could.

6 Q. And if you drilled a well in the southwest
7 quarter, it would serve to produce the reserves under your
8 acreage; isn't that fair to say?

9 A. If a well was drilled in the southwest. It's
10 much, much riskier.

11 Q. It's not as good a location as the northwest?

12 A. The -- Since our State 1 "M" well in the
13 southwest quarter of Section 1 proved to be productive,
14 then honestly the next step would be to remain as close to
15 that as possible, to reduce the risk.

16 Q. If Yates drilled on the north half, a well in the
17 northwest quarter, information from that well could be
18 useful to you in determining whether or not there were
19 reserves in the southwest quarter of the section; isn't
20 that true?

21 A. Information from the 1 "X" would be useful.

22 Q. You were aware of the Yates APDs for a north-half
23 unit, correct?

24 A. Yes.

25 Q. And you called the Oil Conservation Division, if

1 I understand your testimony, to confirm that, in fact, the
2 APDs had expired, and you did that last year sometime?

3 A. I determined that it had expired, yes.

4 Q. Then you prepared the APD which has been included
5 as your Exhibit Number 2, correct?

6 A. Yes.

7 Q. That is dated July the 10th?

8 A. Yes.

9 Q. Did you file it at about that time?

10 A. Yes.

11 Q. And then did you call the OCD to confirm whether
12 or not it was being approved?

13 A. I asked Donna to call me once it was approved.

14 Q. And did she?

15 A. Yes.

16 Q. And so you knew that it was approved about when?

17 A. About July 16th.

18 Q. Now, the letter that you provided to -- the
19 proposal letter that you sent to Yates, Exhibit Number 4,
20 that's dated July the 15th, correct?

21 A. Yes.

22 Q. You had already filed your APD at that time?

23 A. Yes.

24 Q. Now, when I was listening to your testimony, Mr.
25 Bruce talked with you about calling Yates about the

1 development of this property. Did you call Yates about
2 this letter, the letter proposing the well, dated July 15,
3 2003?

4 A. No.

5 Q. So this was the only thing you did to form the
6 west-half unit; is that correct?

7 A. What, proposing the --

8 Q. Yes.

9 A. -- letter to Yates?

10 Q. Yes.

11 A. No, I filed the APD.

12 Q. But you did not contact Yates in any other way,
13 it was just this letter?

14 A. Just the letter.

15 Q. If I look at this, you testified that -- in
16 response to a question from Mr. Bruce, that Yates didn't
17 respond to you about your APD; is that correct?

18 A. Yates did not respond to me regarding the APD --
19 My APD?

20 Q. Yes.

21 A. Yes.

22 Q. If I look at this letter, you never even told
23 them you had an APD; isn't that right?

24 A. I think the letter proposed re-entering the well,
25 I believe it was.

1 Q. Had you ever contacted them prior to this time
2 about the development of the acreage?

3 A. Prior to -- I had not contacted them, they had
4 contacted me.

5 Q. I'd like you to look at what has been marked
6 Yates -- It's in Yates Exhibit Number 3, and I actually
7 have numbered these pages. They were -- They're all here,
8 they're out of order in what you have, and I numbered them
9 so we don't have to try and sort through this. These are
10 exactly the same documents.

11 But Mr. Pride, if you will look at Page 11 in
12 this exhibit, you had previously contacted Yates back in
13 2001 about developing the well with a north-half section,
14 had you not?

15 CHAIRMAN FESMIRE: Mr. Carr, do you have a copy
16 for Mr. Bruce?

17 MR. CARR: I have a copy for Mr. Bruce. Oh,
18 heck. This is the one without page 11.

19 (Laughter)

20 Q. (By Mr. Carr) Mr. Pride, you had previously
21 talked to them --

22 A. Yes --

23 Q. -- about --

24 A. -- Mr. Bullock, yes.

25 Q. And so what you did in 2003 with your July 15th

1 letter was, again, you proposed a well on the west half of
2 the section, correct?

3 A. Yes.

4 Q. And you knew all along that Yates had plans and
5 had been proposing developing the acreage with a north-half
6 unit? They had APDs?

7 A. They had APD which was -- went from one year,
8 extended for another year. It's terminated, and I learned
9 from the OCD Office in Hobbs that I had the right at that
10 time to file for an APD, which I did.

11 Q. Did anyone ever tell you that the OCD also has
12 the right and the jurisdiction to cancel an APD?

13 A. I didn't understand why mine was canceled.

14 Q. Now, you got the letter from Mr. Williams, which
15 is your Exhibit Number 3. You were surprised to get that
16 because Yates already had a rig on location; isn't that
17 right?

18 A. Which -- What am I looking at?

19 Q. This is your Exhibit Number 3.

20 A. Three? Yes, the cancellation letter, yes.

21 Q. Is this actually your address in Tulsa?

22 A. Yes, it is.

23 Q. So it was correctly addressed, you just didn't
24 receive it?

25 A. Right.

1 Q. Okay. It says in this letter, the last sentence
2 in the first paragraph, "To date no progress reports, form
3 C-103, have not been received."

4 You understand what a C-103 is?

5 A. I believe that is -- Isn't that the completion?

6 Q. Just a subsequent report, I'm not trying to --
7 this isn't a guessing game, but -- if you don't know this,
8 fine. My question is, had you done anything on the well by
9 the time this letter was prepared?

10 A. No, but it's a short time.

11 Q. Yeah. Okay. You know, to obtain an order
12 pooling lands, you're supposed to make a good faith effort
13 to reach a voluntary agreement for the development of those
14 lands. And so just to be sure the record is clear, there
15 were no other telephone calls concerning -- or any other
16 contacts with Yates concerning just the July 15th --

17 A. Yes, I never received any telephone calls from
18 them.

19 Q. And if we look at the AFE attached, the cost for
20 the recompletion then was over \$628,000; now it could be
21 \$750,000; is that your testimony?

22 A. Approximately.

23 Q. And if your Application is granted, you would
24 expect Yates to pay you half of those costs, either
25 directly or out of production from the well?

1 A. Yes.

2 Q. The re-entry, you indicated, that was undertaken
3 by Yates was done without your knowledge?

4 A. Yes.

5 Q. Would you have expected Yates to notify you
6 before they re-entered that well?

7 A. I didn't expect Yates to re-enter the well.

8 Q. You knew it was 100-percent a Yates lease, the
9 north half?

10 A. The north-half lease was 100-percent, yes.

11 Q. And you knew they had a standard location?

12 A. Yes.

13 Q. And a standard unit?

14 A. 320 is a standard unit.

15 Q. And when you filed your pooling application, you
16 were aware that they were actually on the location?

17 A. Yes.

18 Q. You knew they had a workover rig on the well?

19 A. Yes.

20 Q. That they had built the location?

21 A. Yes.

22 Q. That they had improved the road?

23 A. Yes.

24 Q. That they had installed a pit?

25 A. Yes.

1 MR. CARR: Don't want to get too far into that.

2 (Laughter)

3 Q. (By Mr. Carr) And you had discovered they had an
4 approved APD, had you not? At that time?

5 A. Yes.

6 Q. Okay. You would agree with me that Yates had the
7 right to be on the lease doing that work at that time?

8 A. I still don't think they should have re-entered
9 it.

10 Q. But you would agree with me that they had an APD
11 and that they had all the requirements that they impose on
12 an operator to go into a property and develop it?

13 A. They had an APD.

14 Q. And what you're trying to do with forming of a
15 west-half unit is basically stop that re-entry and turn
16 that well over to you so you can develop the west half of
17 the section, correct?

18 A. That's one way of -- kind of roundabout way of
19 saying it. Actually, I look at it a little bit
20 differently.

21 Q. And what is that?

22 A. I thought I had the right to re-enter that
23 wellbore with the approved APD I had.

24 Q. And you thought that just from the APD itself?

25 A. Yes.

1 Q. Have you attempted to determine where the
2 reserves were going to come from that would be produced by
3 a well in the northwest quarter?

4 A. Mississippi formation.

5 Q. Did you determine whether or not the southwest
6 quarter would really contribute those reserves?

7 A. We think it will.

8 Q. And that's based on your geological
9 interpretation --

10 A. Yes.

11 Q. -- is that correct?

12 A. Yes.

13 MR. CARR: Thank you, that's all I have.

14 CHAIRMAN FESMIRE: Commissioner Bailey, do you
15 have any questions of this witness?

16 COMMISSIONER BAILEY: No, I don't.

17 CHAIRMAN FESMIRE: Commissioner Chavez?

18 COMMISSIONER CHAVEZ: Yes, I do.

19 EXAMINATION

20 BY COMMISSIONER CHAVEZ:

21 Q. Mr. Yates, when was it that you --

22 A. My name's Mr. Pride.

23 Q. I'm sorry, Mr. Pride.

24 (Laughter)

25 Q. (By Commissioner Chavez) When was it that you

1 determined that a well in the northwest quarter would be
2 draining from the entire west half, including your acreage?
3 When was that determination made by Pride?

4 A. It was after we completed our 1 "M" well to the
5 north, of course, and then after my geologist had reviewed
6 it.

7 Q. So once Yates had actually filed their
8 application for a permit to drill, at that time you were
9 thinking then, if they had re-entered that well they would
10 be producing some of your reserves?

11 A. Yes.

12 Q. Couldn't you have at that time filed an
13 application for force pooling?

14 A. At which time is this?

15 Q. After Yates had filed their Application for
16 permit to re-enter that well.

17 A. Is this the first APD that they filed for --

18 Q. At any time that they had an approval to re-enter
19 with the first APD and with their extension?

20 A. Well, we filed the pooling at once -- at what
21 time I had an APD, approved APD.

22 Q. You did not think you could have filed a pooling
23 application after Yates had filed their APD?

24 A. I don't know whether we thought or not. We just
25 didn't at that time.

1 Q. To clear up an issue on your APD and applied in
2 your Application, now your APD, Form C-101, it shows two
3 proposed pools, the Four Lakes-Mississippian and Four
4 Lakes-Morrow, but the C-102 on your Application, Number 2,
5 shows Four Lakes-Morrow stricken out. Was that done by
6 you?

7 A. No, it was the Hobbs District.

8 Q. Hobbs District struck that out. Do you have any
9 reason why that's been stricken?

10 A. I think it's probably because our State 1 "M"
11 created a new pool, or a new field, and they were calling
12 it the Four Lakes-Mississippian.

13 Q. But your Application for this hearing includes
14 the Four Lakes-Morrow and the Four Lakes-Mississippian.
15 What I'm trying to get straight is that if this Application
16 is reinstated the way you're requesting, the Four Lakes-
17 Morrow has been stricken from the C-102, but do you still
18 intend to include that in your Application?

19 A. I would like to have the rights to produce from
20 the Atoka-Morrow as a possibility. The Mississippian is
21 our primary target.

22 Q. Okay, and that's also a 320-acre dedication?

23 A. Correct.

24 Q. And it would also be the west half --

25 A. Yes.

1 Q. -- for that?

2 COMMISSIONER CHAVEZ: Okay, that's all I have.

3 EXAMINATION

4 BY CHAIRMAN FESMIRE:

5 Q. Mr. Pride, this kind of gets back to a question
6 Commissioner Chavez asked. Why didn't you force pool it
7 before you applied for an APD?

8 A. We thought that since Yates had the APD, they had
9 the right to drill --

10 Q. Yeah, but --

11 A. -- at that time.

12 Q. -- the time between the lapsing of their APD and
13 the time you applied for your APD, I realize it was a
14 pretty short period of time --

15 A. Okay, during that time? The reason I thought
16 that was, is because based on the 1 "M" well to the north
17 that we had proposed to Yates and they had agreed to
18 participate in that well, I assumed that they would do the
19 same with this 1 "X" well, and so I did not think that
20 pooling was necessary at that particular time. I thought I
21 would get a response from Yates after my proposal letter
22 went to them, agreeing to participate. That's the thinking
23 at that particular time.

24 Q. Now, you said something in your testimony that
25 sort of hit a red flag with me. You said drilling in the

1 southwest quarter would be riskier. Do you mean just
2 financially riskier because of the advantage of re-entering
3 an existing wellbore, or is it geologically riskier?

4 A. Both.

5 Q. Why would it be geologically riskier?

6 A. I'm going to let my geologist address that, if
7 you don't mind, because he's the expert in that field.

8 Q. You raised the issue and told me both, so why
9 don't you give me your --

10 A. Well, obviously if you're stepping out away from
11 the proven -- in the Mississippian formation in the 1 "M",
12 as you move a quarter -- or a half a mile to the south
13 further from the 1 "X", obviously the risk is going to
14 increase as you get further away from the proven well. You
15 don't have as much well control.

16 CHAIRMAN FESMIRE: I have no further questions.
17 Mr. Bruce, do you have some redirect?

18 MR. BRUCE: I just have a few follow-up
19 questions.

20 REDIRECT EXAMINATION

21 BY MR. BRUCE:

22 Q. I just want to clarify a few items here on your
23 Exhibit 1, again, Mr. Pride.

24 The State "M" 1 well, which is to the north, that
25 is on Yates' acreage, correct?

1 A. Yes.

2 Q. And you had reached voluntary agreement with
3 Yates to develop that on a standup basis?

4 A. Yes.

5 Q. Okay. And essentially you plan to do the same
6 with the west half of Section 12?

7 A. Correct.

8 Q. Now, other than this case, has Pride ever filed
9 any compulsory poolings in New Mexico?

10 A. No.

11 Q. And then on the timeline again, you bought your
12 lease about May 18 or 19, 2001?

13 A. Yes.

14 Q. And then a few days later you got a call from
15 Yates' geologist asking if you had intentions of re-
16 entering the State "X" 1 well?

17 A. Yes.

18 Q. And you did send Yates' Exhibit -- you did send
19 the letter in June of 2001, proposing that very same thing?

20 A. Yes.

21 Q. Was it somewhere around or after that time that
22 you found out Yates had an APD --

23 A. Yes.

24 Q. -- on the north half?

25 A. Yes.

1 Q. So you didn't pursue it any further at that time?

2 A. Correct.

3 Q. Okay. And then when you did get your APD you
4 wrote a letter. Did you intend to contact Yates again and
5 to --

6 A. Yes --

7 Q. -- reach voluntary agreement --

8 A. -- I was giving them an opportunity to respond.

9 Q. And the next thing you found, did you -- Who did
10 you find out from that Yates was conducting activity on the
11 well?

12 A. It was my field hand, pumper.

13 Q. Okay, and this case resulted from that?

14 A. Yes.

15 MR. BRUCE: Thank you.

16 CHAIRMAN FESMIRE: Mr. Carr, I'd rather not get
17 into the habit of recrossing folks, but since I've never
18 said that before I'll give you the option.

19 MR. CARR: I'll try not to push you on your
20 sentiment this time.

21 CHAIRMAN FESMIRE: Okay. Does the Commission
22 have any --

23 FURTHER EXAMINATION

24 BY COMMISSIONER CHAVEZ:

25 Q. Just a comment here, Mr. Pride, on the issue of

1 communication and mailing, that it is important for the
2 OCD, for us to communicate with people, especially written,
3 many times. And I do note that Mr. Carr asked if this was
4 a correct address for you --

5 A. Yes.

6 Q. -- on both your APD and I think on the notice
7 that the District sent to you, and note to you that your
8 mailinghead on the -- your mailing address on the
9 letterhead on Exhibit Number 4 is different than these
10 other addresses, so --

11 A. Was it a different P.O. box?

12 Q. Yes.

13 A. We have two P.O. boxes.

14 Q. Well, I just want to be sure that --

15 A. We have one that actually got too small for all
16 the mail we were getting, so we had to get a larger one,
17 and that's the other P.O. box number.

18 COMMISSIONER CHAVEZ: Okay, thank you.

19 CHAIRMAN FESMIRE: Mr. Bruce, anything further?

20 MR. BRUCE: I have no further questions, Mr.

21 Chairman.

22 CHAIRMAN FESMIRE: Thank you very much, Mr.

23 Pride.

24 THE WITNESS: Thank you.

25 MR. BRUCE: Call Mr. Ellard to the stand.

1 MR. ELLARD: Might be a little easier to see than
2 all that wad of maps.

3 JEFF ELLARD,
4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. BRUCE:

8 Q. Mr. Ellard, would you please state your name and
9 city of residence for the record?

10 A. My name is Jeff Ellard, Tulsa, Oklahoma.

11 Q. Who do you work for and in what capacity?

12 CHAIRMAN FESMIRE: Mr. Bruce, before we start,
13 Mr. Ellard, you have been sworn?

14 THE WITNESS: Yes, I was here. I work for Pride
15 Energy.

16 Q. (By Mr. Bruce) And what is your occupation?

17 A. Geologist.

18 Q. Have you previously testified before the Division
19 or the Commission as an expert -- as a geologist?

20 A. Yes.

21 Q. And were your credentials as an expert petroleum
22 geologist accepted as a matter of record?

23 A. Yes, they were.

24 Q. And are you familiar with the geology involved in
25 this case?

1 A. Yes, I am.

2 MR. BRUCE: Mr. Examiner, I'd tender Mr. Ellard
3 as an expert petroleum geologist.

4 MR. CARR: No objection.

5 CHAIRMAN FESMIRE: Any objection from the
6 Commission?

7 COMMISSIONER CHAVEZ: No objection.

8 CHAIRMAN FESMIRE: He's so accepted.

9 Q. (By Mr. Bruce) Mr. Ellard, why don't you pull
10 out your exhibits, and if you need to go to the easel go
11 ahead. Or if we can put one up there, we can paper-clip
12 it.

13 Let's just -- Which exhibit would you prefer to
14 start with, Mr. Ellard?

15 A. Exhibit Number 6, this is a reproduction of a
16 commercial Geomap of this area.

17 On Exhibit 6 you'll see two cross-sections and a
18 very heavy line from A to A', which is this one, which
19 transects from the -- roughly north to south across the
20 subject area. B to B' runs from west to east across the
21 subject area again, intersecting wells of interest.

22 Q. Okay. Now, in looking at this map, why -- well,
23 why don't you first talk about the State "M" Number 1, that
24 re-entry, and what you learned from that re-entry?

25 A. State "M" Number 1 was re-entered by Pride.

1 Yates was a working interest partner in that well.
2 Indications done previous to my joining the company were
3 that -- by log analysis, that the old well which had been
4 drilled there had bypassed pay in the Austin cycle of the
5 upper Mississippian. It was successfully re-entered and
6 recompleted. A little over 30 feet of 7-percent-porosity
7 rock was encountered. It has sustained a production rate
8 over time, which would indicate that it is going to drain
9 considerable reserves. And as a result of that, we have
10 looked elsewhere to penetrate and try to capture reserves
11 from this same reservoir sequence.

12 Q. Okay. Now, is faulting somewhat important in
13 this area?

14 A. Yes, it is.

15 Q. Could you identify the faults that you show on
16 Exhibit 6 and discuss how they relate to production from
17 the Mississippian in this area?

18 A. Yes. Again, we're very limited in that the area
19 that -- or for all practical purposes, the only Austin-
20 cycle well which I'm aware of on this map is our well. We
21 have basically a new zone discovery for the area.

22 Q. When you say our well, you mean the State "M" 1?

23 A. The "M" 1, that's correct. By looking at Exhibit
24 6, you'll see two faults which run north-south, one
25 transecting the west half of Section 2. It is downthrown

1 to the west. There is a horst block which the South Four
2 Lakes field exists on, and then a separate fault to the
3 east which also runs north to south, roughly, which is
4 downthrown to the east.

5 The faulting, which is depicted here on the
6 Devonian, has apparently been rejuv- -- or has regenerated
7 several times through the depositional cycle.

8 In other words, it didn't just end in the
9 Devonian; it was recycled through periods of the
10 Mississippian. We have indications that we see possibly
11 some slight faulting; we cannot be sure of it, even in the
12 lower Penn.

13 Subsequent drilling which we have done out here,
14 which is not marked on this, lends us evidence that there
15 is additional faulting in the area of the "M" 1 well, which
16 is in the southwest southwest of Section 1, that the
17 faulting does continue at least into the Canyon.

18 The faulting as it exists through the
19 Mississippian does not have as great a displacement as
20 depicted here on the Devonian, simply didn't have as much
21 energy, there wasn't as much tectonism, and so as a result
22 you didn't get as much displacement. However, there was
23 enough displacement to allow shedding off of the horst
24 block, downdip to the east, which has created the reservoir
25 that the "M" 1 is producing out of. It's much like an

1 alluvial fan.

2 Q. Is it better to be closer to the fault or further
3 away from the fault to hit a productive well in the
4 Mississippian?

5 A. The better wells should be encountered closer to
6 the fault, because we have two dynamics operating here.

7 One is grain sorting size. The closer you are to
8 the fault or to the source area, an escarpment, the closer
9 you are, the coarser the material, because there's more
10 energy to carry bigger particle sizes. As you move out
11 from there, particle sizes become smaller because there's
12 less energy to carry them distally. We want to be very
13 close to the fault. Secondly -- or relatively close.

14 Secondly, faulting is a break in the rock. It
15 is almost never the break in the rock. The rock will
16 shatter, much like glass, in pieces. While there may not
17 be displacement, it will be a break, which we call
18 fractures. The fracturing that's occurring will be more
19 intense near the fault than away from the fault.

20 So to answer your question, we want to be close
21 to the fault to encounter the reservoir rock that has then
22 been modified by fracturing which increases porosity and
23 permeability.

24 Q. Okay. Now, you have two faults, the one on the
25 west side and, as we'll get into shortly, there's a dispute

1 about the eastern fault, the one that runs through the west
2 half of Section 1 and right along the Section 11, Section
3 12 line. You show that fault as kind of dissipating as it
4 moves to the south; is that correct?

5 A. I agree with the interpretation of multiple
6 geologists who have created this map for Geomap, that the
7 fault dies in displacement as you move to the south.
8 There's no dispute about that.

9 Q. Okay. Now, about being close to the fault, down
10 in Section 13, in the southwest quarter, there's a State QE
11 Number 1 well. Is that a Pride well?

12 A. Yes.

13 COMMISSIONER CHAVEZ: I'm sorry, would you --

14 MR. BRUCE: Excuse me, Jeff, in Section -- Mr.
15 Commissioner, the southwest quarter of Section 13,
16 immediately to the south --

17 COMMISSIONER CHAVEZ: Okay.

18 MR. BRUCE: -- of the proposed well unit, the
19 State QE 13 Number 1 well.

20 COMMISSIONER CHAVEZ: Okay, thank you.

21 THE WITNESS: And on the big cross-section it's
22 the furthest one over here under A 1.

23 Q. (By Mr. Bruce) And what does -- Well, why don't
24 you go through your cross-section and explain to the
25 Commission your opinion as to why you need to be close to

1 the fault and what happens if you get too far away?

2 A. One thing that we see, the upper Mississippian,
3 which occupies the same position -- the Austin cycle is the
4 upper Mississippian here -- on the horst block, that point
5 A on the cross-section is very thin. It's very tight, as
6 indicated by the resistivity off this old-style log.

7 When we move over to the State 1 "M" -- now, this
8 is stratigraphic, it's not a structural cross-section, so
9 you don't see displacement on it; we're only looking for
10 zone development.

11 When we come here we see over 30 feet of porosity
12 development at the second point here on that cross-section.
13 When we move to the 1 "M", again, we have a very old-style
14 log, the very same type of old-style log. The same type of
15 scientific analysis is being applied here that we used in
16 the 1 "M", that gives us indication here where the curves
17 are kicking back that we may have as much as 25 feet of
18 reservoir rock.

19 Q. In the "X" 1 well?

20 A. In the "X" 1 well. Until we get there, we don't
21 know. But we have positive indications that are very -- It
22 warrants testing the zone.

23 When we move all the way down to the end, at the
24 QE well, we see that this interval has turned to tombstone.
25 It is located so far distally from the fault that no

1 reservoir-quality rock exists there.

2 Q. So in your opinion, just looking at Section 12 as
3 you're moving into the east half of Section 12, that is not
4 nearly as prospective as the west half of Section 12?

5 A. The amount of risk that exists in the east half
6 of Section 12 is greater than the risk in the west half of
7 Section 12, if we're making a successful commercial
8 completion.

9 Q. Now, you've gone through the first A-A' cross-
10 section that's marked Exhibit 7.

11 Does Exhibit 8, your other cross-section, show
12 pretty much the same?

13 A. Yes. B-B', again, runs from west to east, and it
14 makes a depiction the same. We're coming, actually, from
15 the west side of the horst block where we have very low
16 development, we move to the "M" 1, we have excellent
17 development, we move all the way almost two miles to the
18 east, and you'll see again we have no development -- no
19 porosity development in either of the two wells on the end.

20 So again, distally from the fault you run out of
21 reservoir-quality rock.

22 Q. Okay. Now let's move on briefly to your final
23 exhibits. First, Exhibits 9 and 10 together, what wells
24 are involved in those partial cross-sections, and what do
25 they show?

1 A. This is a second well, which is down in Section
2 13, the Reese State drilled by Yates, or operated by Yates
3 now. It's simply showing the upper Mississippian-Austin
4 cycle, which is located even further from the fault
5 complex, you know, that is to the west of us. It's located
6 further east than the QE 13 1. And it shows again, with
7 modern style logs, very tight. It's tombstone-type rock.

8 Q. So it's not productive in the Austin?

9 A. We would not think so.

10 Q. And Exhibit 10?

11 A. Exhibit 10 is really just a -- it's the well out
12 on the end of cross-section B-B'. The cross-section is
13 very small scale. This is just blown up to show again, if
14 you look underneath the line drawn for upper Mississippian,
15 again it is very tight. It's 2-percent-porosity rock.

16 Q. Just briefly, what are Exhibits 11 and 12?

17 A. Exhibit 11 here is just depicting that the basal
18 Morrow is what is actually productive. We're in complete
19 agreement with Yates that they're producing from the basal
20 Morrow in the well which is depicted on Exhibit 10.

21 And 11 again confirms their calling the upper
22 Mississippian-Austin section the same thing we do down at
23 the Reese State well.

24 Q. Okay. So in your opinion, there's no difference
25 between the way Pride and Yates interpret where the Austin

1 is?

2 A. No, we agree that we are looking at the same
3 stratigraphic interval.

4 Q. Okay, a couple more questions. On the State "M"
5 1 well, which sets off the next well, is there any water
6 production?

7 A. To my knowledge, any water it is making is
8 minimal.

9 Q. One other item. Although you're not an engineer,
10 Yates, going through their exhibits, has presented some
11 testimony that they think the State "M" 1 well will
12 ultimately drain about 120 acres.

13 Does Pride have any dispute, any big
14 disagreement, with that number?

15 A. I believe that number is conservative.

16 Q. In your opinion, is the best way to develop the
17 reservoir to first re-enter the State "X" 1 well?

18 A. Yes, it makes geologic and economic sense to
19 pursue development of the reservoir from the "X" 1 well.

20 Q. And then, depending on results, determine where
21 the next well is?

22 A. Absolutely.

23 Q. Based on what you know now, if the "X" 1 re-entry
24 is successful, would the next well be in the southwest
25 quarter or would it be in the east half?

1 A. Based on what I know now, I believe that if we
2 moved eastward we would be running out of reservoir-quality
3 rock, we're getting too far out. Rather than being in,
4 say, sand-size material, we may be in clay- or silt-sized
5 material. Recoveries would be less.

6 We would probably want to stay parallel to the
7 fault complex as close as we can. That would be a location
8 in the southwest of 13 -- I'm sorry, southwest of 12.

9 Q. Mr. Chairman, to avoid recalling any witness to
10 -- my witness, to comment on Yates' proposal, what I'd like
11 to do now is, if you would refer to Yates Exhibit 9, Mr.
12 Ellard, have you reviewed Yates Exhibit Number 9?

13 A. Yes, I have.

14 Q. There are some differences that -- In looking at
15 your Exhibit 6 and Yates Exhibit 9, as to the western fault
16 there's not a big area of disagreement, is there?

17 A. No, the placement of the fault approximates what
18 we have done in our interpretation and follow-on
19 interpretation from the Geomap data.

20 Q. Okay.

21 A. We're in agreement with that. In addition, that
22 fault also appears on in-house seismic which we possess.

23 Q. Okay, the bigger disagreement is, the eastern
24 fault they have running -- you have running relatively
25 north-south, they have running in a northeast-southwest

1 fashion, and then they have an intermediate fault. Could
2 you comment on those and what your disagreement is?

3 A. I'm very interested in the basis for the fault
4 which is at -- oh, roughly, you know, one o'clock or 1:30
5 on a clock face that dies in the northwest of Section 1.
6 We have extensive wellbore data and production data of the
7 South Four Lakes field, which we own and operate.

8 The structural fabric on multiple horizons,
9 including the Mississippian and Devonian, as well as
10 production histories, would just -- it mystifies me that a
11 fault would be drawn in there. There is no displacement
12 apparent from mapping, there is no displacement apparent
13 from reservoir performance.

14 Q. Now, when you say from reservoir performance,
15 those wells in the Four Lake field, are those Devonian
16 wells?

17 A. Devonian and Penn.

18 Q. Okay, so those wells penetrated the
19 Mississippian?

20 A. Yes, they -- Well, the majority of the wells did,
21 that's correct.

22 Q. And so based on the well performance -- The
23 Devonian is deeper than the Mississippian, correct?

24 A. Oh, yes.

25 Q. And you don't see any faulting in the Devonian

1 that would justify that middle fault?

2 A. None.

3 Q. Okay. Now next, you -- Both parties agree there
4 is a second fault somewhere there in the west half of
5 Section 1?

6 A. Correct.

7 Q. And it's kind of hard to see the numbers, but
8 between your State "M" Well Number 1 in the southwest
9 southwest of Section 1, and then going to the northwest,
10 there's a Four Lakes unit. I think it's the Number 6 well?

11 A. Moving to the northwest is the Number 6 well,
12 correct.

13 Q. Do you see faulting there?

14 A. Absolutely.

15 Q. And you agree with Yates that there's a fault
16 between those two wells?

17 A. Yes, we do.

18 Q. There's a difference in the orientation of the
19 fault?

20 A. Difference in the orientation, yes, sir.

21 Q. And on that map also, Yates has outlined what it
22 sees as the reservoir. Do you see any basis for outlining
23 the reservoir in that shape?

24 A. There's no basis in scientific fact for having
25 that reservoir limited or extending or oriented in that

1 manner.

2 Q. Now, they have this -- oh, what do you call it,
3 the alluvial --

4 A. Alluvial fan.

5 Q. -- alluvial fan --

6 A. Yes.

7 Q. -- coming out of just one specific place of this
8 fault. Could the alluvial fan come out of other places
9 along the fault?

10 A. Yes, it could.

11 Q. And what do you base that on?

12 A. Regional studies that I have personally conducted
13 on alluvial fans throughout the Permian Basin and Delaware
14 Basin.

15 Q. Does Yates have another well in this area that
16 would indicate --

17 A. They do.

18 Q. And where is that well?

19 A. That well is located approximately six miles
20 south of here, their Mocha State Number 2.

21 Q. Is that in Section 12 of 13-34?

22 A. I believe it's Section 2.

23 Q. Section 2.

24 A. I believe that's correct.

25 Q. Section 2 of 13-34, which is a Yates well. And

1 did that well demonstrate that there could be multiple
2 alluvial fans along a fault?

3 A. It demonstrates that there could be alluvial
4 fans, and in fact there are more than one alluvial fan that
5 are emanating off of this fault complex. Remember, we're
6 not talking about just one fault, we're talking about a
7 fault complex, multiple faults, each one capable of
8 shedding.

9 We're also, as we move south -- On the eastern
10 side of Section 11, as we move down through the eastern
11 side of Section 14, we may not be talking about faults of
12 great displacement, 20, 30, 40 feet. Very hard to see, but
13 they can exist.

14 Q. But even if the faulting is small, could it still
15 result in a buildup of the Austin reservoir?

16 A. Absolutely. And in fact, the source for the
17 Austin reservoir may be the fault lying on Exhibit -- Yates
18 Exhibit -- I don't what the number is here.

19 Q. Nine.

20 A. Nine. -- may be the fault running approximately
21 through the middle of Section 11.

22 Q. Do you have any further comments on Yates Exhibit
23 9?

24 A. I do not.

25 Q. Okay. Now Mr. Ellard, Exhibit 6, how was that

1 exhibit prepared? Your Exhibit 6, excuse me.

2 A. How it was prepared?

3 Q. Yeah.

4 A. It's a simple photocopy of a commercial document.

5 Q. Have you reviewed the data on the wells in this
6 area?

7 A. Yes, I have.

8 Q. And does your interpretation of the data on the
9 wells in this area accord with what's set forth on this
10 map?

11 A. I have found them to be accurate within reason
12 for the ability to pursue oil and gas exploration out here.

13 Q. Were Exhibits 6 through 12 prepared by you or
14 under your supervision or compiled from company business
15 records?

16 A. Yes, they were.

17 Q. And in your opinion is the granting of Pride's
18 Application in the interest of conservation and the
19 prevention of waste?

20 A. Yes, it is.

21 MR. BRUCE: Mr. Chairman, I'd move the admission
22 of Pride Exhibits 6 through 12.

23 MR. CARR: Mr. Chairman, I'd like to examine the
24 witness on Exhibit 6.

25 CHAIRMAN FESMIRE: Go ahead, Mr. Carr.

VOIR DIRE EXAMINATION

BY MR. CARR:

Q. Mr. Ellard, if you look at Exhibit Number 6, I believe you'll --

A. I'm sorry, I can't hear you.

Q. If you'll look at Exhibit Number 6 --

A. Yes.

Q. -- this exhibit was not prepared by you; is that correct?

A. The data which exists on the map is -- was created by Geomap.

Q. And what other information -- What have you done to change or adjust this?

A. Only placing where the trace of the 320 standup unit would be, placing a header stating Pride Energy Devonian Structure Map/Cross Sections, and marking where those cross-sections, A-A' and B-B', exist.

Q. Is your testimony that the faults you depict running north-south through Section 1 and into Section 12 is accurately placed?

A. I believe that -- I don't think that there is any question that a fault exists east of South Four Lakes Unit Number 3, located in the northwest.

Q. Of -- ?

A. -- Section 1, and that the fault -- that same

1 fault exists between South Four Lakes Unit Number 6,
2 located in the southeast of Section 2, and the Pride "M" 1
3 well, located in the southwest of Section 1.

4 Q. Have you examined the data that was utilized to
5 place this fault where it is shown?

6 A. Did I create the map?

7 Q. Yes.

8 A. No.

9 Q. You would agree with me, would you not, that
10 there is very limited data available to use, to place the
11 fault where it is exactly placed?

12 A. I would disagree.

13 Q. Let's take a look at this, then. If we look at
14 the data points -- and I assume you've checked the data
15 points?

16 A. Yes.

17 Q. Certainly the Number 1 "M" would be a useful data
18 point; is that correct?

19 CHAIRMAN FESMIRE: Mr. Carr, can I interject
20 something here?

21 MR. CARR: Yes.

22 CHAIRMAN FESMIRE: Are we going to pursue a line
23 of questioning concerning the credibility of the data or
24 the admissibility of the --

25 MR. CARR: I'm going to the admissibility. This

1 witness has not prepared the exhibit, there is limited data
2 available for the placement of it. We have had testimony
3 that we have looked at seismic information, we have
4 extensive data on the Four Lakes field, we have regional
5 studies, and it has not been presented.

6 And I therefore object to the admission of
7 Exhibit 6 because the witness cannot sponsor it. It's a
8 commercial service, and not to make fun of it, but it may
9 be accurate to a fault, but it is not properly sponsored,
10 there is no foundation for its admission. It is not his
11 work.

12 CHAIRMAN FESMIRE: Okay, go ahead and --

13 MR. CARR: That's it, I'll stand on that.

14 CHAIRMAN FESMIRE: Okay, and you're objecting to
15 the admission --

16 MR. CARR: I'm objecting to the admission of
17 Exhibit 6.

18 VOIR DIRE EXAMINATION

19 BY CHAIRMAN FESMIRE:

20 Q. Mr. Ellard, you previously testified that the
21 Geomap is a tool used in the industry, that it's generally
22 accepted for regional mapping, essentially, in the oil and
23 gas industry; is that correct?

24 A. Yes, sir.

25 Q. And you have verified the data on this map

1 concerning the wells in question?

2 A. Concerning the wells in question, I've verified
3 the structural points which are listed on here are the same
4 ones which I pick when I look at the logs, and -- within a
5 reasonable -- you know, they may be five feet off where I
6 would pick the top of the Cisco B, but they are accurate
7 within reason to be able to perform exploration work out
8 here.

9 Q. And you've worked with this data enough to be
10 comfortable with it and to urge this Commission to accept
11 it as essentially your work?

12 A. Yes.

13 CHAIRMAN FESMIRE: Mr. Carr, I'm going to
14 overrule your objection to the admission of this exhibit.
15 You can certainly examine the viability and the credibility
16 of the exhibit during the cross-examination.

17 So we're going to admit Exhibits 6 through 12. I
18 understand that there's no problem with the labeling on
19 these, that we don't have the same problem that we had with
20 1 through 5; is that correct?

21 MR. BRUCE: I don't think so.

22 MR. BROOKS: Well, these are labeled -- at least
23 6 is, there's one immediately in front of me -- it's
24 labeled "Oil Conservation Division, Case Number", and the
25 case number is not filled in, and then "Exhibit Number",

1 but it doesn't have "Before Examiner".

2 MR. BRUCE: I did them late, and I only had a
3 Division stamp.

4 CHAIRMAN FESMIRE: If you'd be so kind as to make
5 that correction and provide Florene a copy of these
6 exhibits.

7 MR. BRUCE: I'll provide two.

8 CHAIRMAN FESMIRE: Okay. Do you have any further
9 questions?

10 MR. BRUCE: I have no further questions of the
11 witness, Mr. Chairman.

12 CHAIRMAN FESMIRE: Mr. Carr, before you start,
13 why don't we take a 10-minute break and come back at five
14 minutes to 11:00?

15 (Thereupon, a recess was taken at 10:45 a.m.)

16 (The following proceedings had at 10:55 a.m.)

17 CHAIRMAN FESMIRE: I'm assuming, Mr. Bruce, that
18 you've completed your presentation?

19 MR. BRUCE: Yes, sir.

20 Mr. Carr, do you have any questions of this
21 witness?

22 MR. CARR: Yes, Mr. Chairman, I do.

23 CROSS-EXAMINATION

24 BY MR. CARR:

25 Q. Mr. Ellard, what is your position with Pride?

1 A. Geologist.

2 Q. And when did you start to work for Pride?

3 A. Approximately a year ago.

4 Q. At the time you came to work for Pride, the APD
5 for the re-entry had already been prepared and filed, had
6 it not?

7 A. I have no knowledge of the APD date.

8 Q. If you look at Pride Exhibit Number 2 -- would
9 you do that, please?

10 A. Okay.

11 Q. -- it shows that the APD was approved on July the
12 16th. Down at the bottom, you'll see a stamp down in the
13 lower right-hand corner?

14 A. I see that.

15 Q. Was that before you were employed by Pride?

16 A. Yes.

17 Q. So the determination to develop this section with
18 a west-half unit was made prior to your arrival?

19 A. Yes.

20 Q. The exhibits and the material that you have
21 presented here today were prepared by and compiled under
22 your direction; is that fair to say?

23 A. Yes.

24 Q. And during the last almost year --

25 A. Stop just a moment. The geological --

1 Q. Yeah.

2 A. Yes, anything related to the land --

3 Q. Correct.

4 A. -- APDs, legal documents I have no knowledge of.

5 Q. We're just talking about the exhibits that you
6 have sponsored here today?

7 A. Yes.

8 Q. And those were either prepared or compiled by
9 you; is that right?

10 A. Or at my direction.

11 CHAIRMAN FESMIRE: Okay, to be specific, you're
12 talking about Exhibits 6 through 12, Mr. Carr?

13 MR. CARR: I am, I am.

14 CHAIRMAN FESMIRE: Okay.

15 Q. (By Mr. Carr) You use this commercial map
16 service frequently, I understand, from what you say?

17 A. I use it, yeah, on a frequent basis.

18 Q. And you took the map and you have independently
19 checked the information on it?

20 A. And constructed my own.

21 Q. Have you presented any maps that you have
22 constructed on your own?

23 A. I have presented cross-sections I have
24 constructed on my own; I have not presented any structure
25 or isopach maps.

1 Q. Have you prepared those?

2 A. Yes, I have.

3 Q. And you've decided not to present them here
4 today?

5 A. We consider them proprietary and choose not to
6 have them present.

7 Q. If we look at the structure map, you've reviewed
8 the Yates structure map as well, I believe?

9 A. Yes.

10 Q. Both of the interpretations show the --

11 A. Just a moment. I don't have the Yates structure
12 map.

13 Q. That's all right. The structure map, Exhibit
14 Number 6, shows a high, does it not, off to the north and
15 northwest of the State "X" well location?

16 A. Yes.

17 Q. And the reserves that we are chasing in that well
18 are actually reserves that eroded off that high; isn't that
19 fair to say?

20 A. That is our best estimate.

21 Q. And the real difference between your
22 interpretation and that of Yates is that you see a fault
23 that would have affected where those reserves actually
24 wound up at the time they were deposited; is that right?

25 A. Incorrect, incorrect.

1 Q. Okay, what is your testimony on that? What is
2 the significance of the fault?

3 A. As I have previously stated, the source of the
4 alluvial fan may be the fault, which is in dispute as to
5 orientation, located along the section line between
6 Sections 11 and 12. The source may also be the fault which
7 is located along the midline of Section 11, running north-
8 south. We don't know, we only have one data point right
9 now where we have found reservoir-quality rock, the
10 presence of that rock and in a thickness that lends to
11 commercial reserves and production.

12 Q. And that's the 1 "M"?

13 A. That's the 1 "M".

14 Q. Correct. Would you agree with me that the
15 general regional dip is to the east-southeast?

16 A. Correct.

17 Q. If we -- what we're chasing is a relatively small
18 reservoir in the Mississippian formation, correct?

19 A. We don't know.

20 Q. You do at this time have limited data on that
21 reservoir, would you not agree with that?

22 A. Correct.

23 Q. If we look at the wells that you've put on your
24 cross-sections A and A', if we go to -- is this --

25 A. This is A-A' here, yes.

1 Q. -- and we look at the trace on Exhibit Number 6,
2 if we go to the well at A, that's in Section 2. No one
3 suggests that that is in this reservoir, correct?

4 A. There is -- a stratigraphic unit exists. It is
5 not of reservoir quality.

6 Q. If we go to the other end of that cross-section,
7 down in Section 13, there's a well there. No one is
8 suggesting that that is going to be part of this reservoir;
9 is that fair to say?

10 A. I've testified to that, yes.

11 Q. If we look at B-B', we go to the well at B, point
12 B, that is fault-separated and is not part of the reservoir
13 we're hoping to encounter with the State "X", correct?

14 A. Say that again.

15 Q. That doesn't give us any data --

16 A. No, no --

17 Q. -- at that location that we would use to map the
18 reservoir we're trying to encounter --

19 A. I didn't hear which cross-section you're
20 referring to.

21 Q. I'm sorry, B-B'.

22 A. B-B', okay.

23 Q. Yeah. There's no dispute that we're not trying
24 to encounter this reservoir over there, right?

25 A. Not at location B.

1 Q. And the two wells on the extreme east end of B,
2 at B', those wells again are outside this reservoir?

3 A. Correct.

4 Q. And so what we're trying to do is understand this
5 reservoir with really two data points, two places we can
6 look with logs that appear to intersect potentially
7 commercial reservoir, right?

8 A. Correct.

9 Q. And from that data we have a difference of
10 interpretation. We see a fault, you see a fault, we do
11 not; isn't that fair to say?

12 A. I do not agree with how you have couched that,
13 no.

14 Q. You see a fault, correct?

15 A. I see the same fault you see. I changed the
16 orientation of it.

17 Q. All right, you see a fault, but it is somewhere
18 else, right?

19 A. Which fault?

20 Q. You know, we can spend a long time on this. I'm
21 talking about the fault that crosses Sections 1 and 2.

22 A. All right.

23 Q. If you'll look at your exhibit --

24 A. I am --

25 Q. -- you will see it there.

1 A. I'm -- I agree with you completely on --

2 Q. All right. Now, when we look at the data that
3 you have --

4 A. Uh-huh.

5 Q. -- you could move the fault slightly, could you
6 not?

7 A. It could be interpreted, sure.

8 Q. It could be a hundred feet east or west of where
9 it is mapped on this commercial map?

10 A. Sure.

11 Q. It could be moved, based on this data, more than
12 a hundred feet, could it not?

13 A. The likelihood decreases with the greater
14 distance you move it.

15 Q. But this is not necessarily where that fault is
16 located?

17 A. Again, for reasonable exploration work, it is
18 properly placed.

19 Q. But the quantity and the quality of the data you
20 have to place that fault is limited, correct?

21 A. It is limited insofar as we have seismic, other
22 geologists have looked at this and constructed this map, I
23 have looked at it. Based on my work, I agree with the
24 placement of the fault.

25 Q. Have you looked at seismic across the area?

1 A. A geophysicist has looked at seismic across the
2 area at my request.

3 Q. And have you looked at the seismic?

4 A. I've looked at his interpretation

5 Q. And was any of that work integrated into this
6 exhibit?

7 A. No.

8 Q. And you're not sharing any of that work with us
9 either?

10 A. We consider that proprietary, yes.

11 Q. If we are looking for commercial reservoir in
12 Sections 1 and 2, I believe you testified that it was
13 important to be as close as possible to the fault; is that
14 what you testified?

15 A. As close as possible to the source fault, yes.

16 Q. What is the source fault on this map?

17 A. Again, we don't know.

18 Q. Now, if we look at the State 1 "M" well in
19 Section 1 --

20 A. Yes.

21 Q. -- and we compare that to the location of the
22 State "X" well in Section 2 --

23 A. Yes.

24 Q. -- do you have an opinion as to which appears to
25 be a better location?

1 A. Based on the logs which I have examined, that
2 were run in the "M" 1 prior to its re-entry, and comparing
3 that to the "X" 1, the "M" 1 appears to be slightly thicker
4 in the interval that can develop porosity. As far as
5 quantitatively stating that the "M" 1 has better porosity
6 or less porosity than the "X" 1, I can't make that
7 determination.

8 Q. Now, you have gotten logs -- you've gotten logs
9 since you re-entered, or since you re-entered the "M" 1,
10 correct?

11 A. Yes.

12 Q. And you've looked at those logs?

13 A. Yes.

14 Q. And when you look at that information, does it
15 suggest to you that you have a better chance of a
16 commercial well there, now knowing what you know about it,
17 than you would down in the 1 "X"?

18 A. Again, I don't know.

19 Q. So you would expect a comparable well with this
20 re-entry?

21 A. We would think that we would be looking at a
22 comparable-type well.

23 Q. Would you agree with me that it is farther from
24 the fault that you have depicted on 6 than the "M" 1?

25 A. Yes.

1 Q. Would that have any bearing, in your opinion, on
2 its productive capability?

3 A. Only insofar as to what the reservoir fabric
4 looks like within the fan at that point.

5 Q. But it wouldn't be --

6 A. The fan may be -- The reservoir-quality rock
7 within the fan may stretch a half a mile wide, three-
8 quarters of a mile wide, it may be a quarter of a mile
9 wide.

10 Q. And you don't know that?

11 A. We do not know.

12 Q. And so what we have here is just your
13 interpretation, or we have an interpretation that you're
14 endorsing and sponsoring?

15 A. That is my interpretation, yes.

16 Q. You have adopted the Geomap interpretation; is
17 that what you're saying?

18 A. No, I thought we were talking about the alluvial
19 fan --

20 Q. Okay.

21 A. -- my interpretation of the alluvial fan and its
22 placement along the fault.

23 Q. We're looking at a map on the Devonian; isn't
24 that right, when we look at Exhibit 6?

25 A. Correct.

1 Q. And the Mississippian is what we're talking
2 about. That's about how many feet above?

3 A. On this side, approximately 900 feet. Up on the
4 structure it's less than that.

5 Q. Did you testify that we might anticipate less
6 displacement along this fault in the Morrow than we see in
7 the Devonian?

8 A. Did you mean in the Mississippian?

9 Q. Yes, I'm sorry, I did mean the Mississippian.

10 A. Yes, I would anticipate that.

11 Q. I believe you testified that you thought, looking
12 at Section 12, that the northeast quarter was greater risk
13 than the northwest quarter?

14 A. Yes.

15 Q. Would you also say that the southwest quarter was
16 greater risk than the northwest quarter?

17 A. At this point in time, because we do not know the
18 lateral extent of the fan.

19 Q. And with the well data that you have and the
20 information you have, it's going to require some
21 development to get that data; isn't that true?

22 A. Correct.

23 Q. And it may be down there and it may not?

24 A. Correct.

25 Q. Have you done any work whatsoever to estimate the

1 drainage area for the well?

2 A. For the "M" 1 well or estimating --

3 Q. For the "M" 1 --

4 A. -- the "X" 1?

5 Q. -- for the "M" 1.

6 A. For the "M" 1, we are assuming -- again,
7 depending -- we only have one data point, so we don't know
8 the extent of the reservoir. We would assume the
9 orientation would run north northwest to south southeast,
10 because it should parallel the fault trace, dying distally
11 to the east. So we would have an elliptical or an ovoid-
12 shape drainage pattern which would be, we are estimating
13 just by thumbnail, 160 to 200 acres.

14 Q. When you stated that you had prepared -- or that
15 you had looked at the Yates drainage information and you
16 found it conservative, my question is, have you made an
17 volumetric calculations?

18 A. I have not.

19 Q. Have any been reviewed by you?

20 A. They have been discussed. I have not had hands-
21 on work in doing any volumetrics out of the "M" 1.

22 Q. Do you know if your company has?

23 A. Not directly.

24 Q. And you're not presenting any of that today?

25 A. No, sir.

1 MR. CARR: That's all I have.

2 CHAIRMAN FESMIRE: Commissioner Bailey?

3 EXAMINATION

4 BY COMMISSIONER BAILEY:

5 Q. Would you expect to see any difference in the log
6 signatures if the reservoir is patterned, in your opinion,
7 the you've discussed, as opposed to Yates's?

8 A. The log signatures, we of course are hoping that
9 we have a log that is comparable to the "M" 1. Based on
10 what we saw out of the old-style logs that were run in the
11 "M" 1, you know, which was a re-entry, we feel that the
12 tool signatures that we see in the "X" 1 give us
13 encouragement that we have reservoir-quality rock there,
14 that we think that we should have something similar to what
15 we have in the "M" 1. But until we run a modern log, we
16 will not know.

17 Q. But would we see any difference in signatures
18 between your interpretation of the reservoir, as opposed to
19 Yates's interpretation of the reservoir?

20 A. I think that Yates is depicting less reservoir
21 opportunity at the "X" 1 than we do. We see a signature
22 here of reduced resistivity that is on the order of 25
23 feet. On their isopach they're showing 10 feet. So we
24 would think that if we are correct, the orientation of the
25 fan strikes more north-south rather than east-west, as

1 they're depicting.

2 Q. The drainage pattern that you commented on in the
3 cross-examination, I think, is extremely important to this
4 case. Can you elaborate more on direction of permeability
5 as you see it?

6 A. We would expect preferred permeability, or
7 preferential permeability, to run parallel to the major
8 fault systems. We would drain in an ovoid shape, as
9 opposed to a circular shape around the wells. Therefore,
10 we feel like drainage would be oriented roughly north
11 south, you know, pending grain orientation, due to the
12 fracturing and solution modification of the reservoir.

13 Q. So essentially the east half of this section
14 would contribute nothing to this reservoir?

15 A. We feel that we lose fracturing, and we also --
16 because we're located further away from the fault. And we
17 would also lose reservoir-quality rock, because we're
18 located more distally from the fault. The material that
19 would be deposited in the east half of Section 12 would be
20 of a finer grain size and therefore have less porosity and
21 permeability.

22 Q. So you would expect no contribution from the
23 northeast or from the southeast, and if there was any
24 contribution from the quarter section outside of the
25 northwest, it would have to come from the southwest quarter

1 of the section?

2 A. That would be our contention.

3 COMMISSIONER BAILEY: That's all I have.

4 CHAIRMAN FESMIRE: Commissioner Chavez.

5 COMMISSIONER CHAVEZ: I don't have anymore.

6 EXAMINATION

7 BY CHAIRMAN FESMIRE:

8 Q. Mr. Ellard, I've been waiting to get the numbers
9 and I haven't exactly gotten them. What do you all predict
10 the reserves are in the "M" 1?

11 A. We are not in disagreement with Yates on an
12 ultimate recovery of in the 2-BCF range. We are -- I guess
13 I'm a little more optimistic in that I think you drain a
14 bigger area but probably not as efficiently as they believe
15 they do -- or they believe the well will drain.

16 Q. And what has it produced to date, do you know?

17 A. Approximately -- I want to say between 400 and
18 500 MCF, million, and I don't know how much oil. It makes
19 some associated oil, but I don't know how much.

20 Q. Okay. Now, Mr. Carr either made a very good
21 point or I missed something here. Do you agree with the
22 fault trace on the fault that runs through Sections 1 and
23 12 that you presented on this map?

24 A. That runs through 1 and 12, do I agree with the
25 trace?

1 Q. Yes.

2 A. At this time I do.

3 Q. Okay. It sounded to me like perhaps you had
4 seismic indications that that wasn't correct, and you all
5 were attempting to, in essence, play your cards by
6 inference and not tell us that fault is.

7 A. We believe there is a fault that is dying across
8 there. We have no question that we do not have the
9 displacement in -- Once you cross the line from 1 to 12, as
10 we go south, that fault is dying in intensity, compared to
11 the intensity, compared to the amount of displacement we
12 have in Section 1. We have no question, no quarrel with
13 that.

14 At Mississippian time, we cannot verify -- and we
15 won't argue for or against -- that the fault has 100 feet
16 of throw or 50 feet of throw or 200 feet of throw. And
17 what we think is more important is that we do show faulting
18 in Section 11 that provides the shedding off for the
19 alluvial fan into Section 12.

20 Q. But it may or may not be as represented on the
21 Geomap?

22 A. Right. Now, I agree with the interpretation as
23 shown on Geomap.

24 Q. Which is a sneaky of not answering my question.

25 A. I agree with the interpretation as depicted on

1 Geomap, the fault is dying and will quit as you move
2 further south. Other faults pick up further south of this
3 one.

4 Q. Okay. Now, you said that you haven't done the
5 volumetric calculations, but you presented everything today
6 that you'd need. You've got an ultimate recovery, you've
7 given us the porosity, you've given us the thickness, and
8 then you come up with an estimate plus or minus 20 percent
9 on the drainage area.

10 A. Again, you know, when we get into reservoir
11 engineering that is not my forte. I only talk to reservoir
12 engineers and try to learn what they tell me. Most of the
13 reservoir engineers that I talk to will tell you that you
14 drain a bigger area than you think you do and not as
15 efficiently as you believe you will. That is the basis for
16 what my statement was.

17 CHAIRMAN FESMIRE: Okay, I have no further
18 questions. Jim, do you have --

19 MR. BRUCE: Just a couple. I just wanted to get
20 a couple of numbers out because they may not have been
21 said.

22 REDIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. You said that you hope to get a thickness of 25
25 feet in the "X" 1 well; is that what you said?

1 A. That's -- The total indication we see on the
2 cross-section is a total thickness of the zone opportunity
3 of 25 feet.

4 Q. And what did you encounter in the "M" 1?

5 A. A little over 30 feet.

6 MR. BRUCE: Thank you, that's all I have.

7 CHAIRMAN FESMIRE: Mr. Carr?

8 MR. CARR: I have no further questions.

9 CHAIRMAN FESMIRE: Anything further from the
10 Commissioners?

11 Thank you, Mr. Ellard.

12 MR. BRUCE: That concludes my direct
13 presentation, Mr. Chairman.

14 CHAIRMAN FESMIRE: Thank you. Mr. Carr, are you
15 ready?

16 MR. CARR: Yes, may it please the Commission,
17 when we prefiled our exhibits we had logged it within the
18 wrong scale on Exhibit Number 6. I have -- We were able to
19 quickly get copies that you could, if you wanted, paste on,
20 but I do have exhibits that do not contain anything
21 different; they are just easier to read, and it is in a
22 correct scale at this time.

23 So with your permission and without objection
24 from Mr. Bruce, I hope, I will provide you with the
25 exhibit, and I have a copy for him.

1 Mr. Chairman, I have three witnesses, all of whom
2 have been sworn. Our first witness is Mr. Charles Moran.
3 Mr. Moran is a landman with Yates, and during the recess,
4 reviewing his testimony, much of it has already been
5 covered. I'm going to call him briefly to fill in just
6 several facts to be sure they're addressed in the record,
7 but we are substantially abbreviating his presentation at
8 this time, and I'm prepared to proceed if you're ready.

9 CHAIRMAN FESMIRE: Commission ready?

10 COMMISSIONER BAILEY: Yes.

11 COMMISSIONER CHAVEZ: Yes.

12 CHARLES E. MORAN,
13 the witness herein, after having been first duly sworn upon
14 his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. CARR:

17 Q. Would you state your name for the record, please?

18 A. My name is Charles Moran.

19 Q. Mr. Moran, where do you reside?

20 A. I reside in Artesia, New Mexico.

21 Q. By whom are you employed?

22 A. Yates Petroleum Corporation.

23 Q. And what is your current position with Yates
24 Petroleum Corporation?

25 A. I am the chief landman for Yates Petroleum

1 Corporation.

2 Q. Mr. Moran, when we talk about Yates Petroleum
3 Corporation here today, are we also discussing other Yates
4 entities?

5 A. Yes, we are talking about entities that are owned
6 by various family members. They are all separate entities
7 that are acting cooperatively.

8 Q. But they are all affiliated --

9 A. They are all affiliated --

10 Q. -- with Yates.

11 A. -- and I can speak for all of them.

12 Q. And you're speaking for 100 percent of the
13 working interest owners in the lease that covers the north
14 half and the southeast quarter of Section 12?

15 A. Yes, I am.

16 Q. Have you previously testified before this
17 Commission?

18 A. I have not testified before this Commission.

19 Q. Would you summarize for the Commissioners your
20 educational background?

21 A. I received a bachelor's of business
22 administration in 1988 in accounting from St. Edwards
23 University in Austin, Texas, and in 1991 I received a juris
24 doctor degree from the University of Tulsa in Tulsa,
25 Oklahoma.

1 Q. Since graduation, for whom have you worked?

2 A. Yates Petroleum Corporation.

3 Q. And at all times with Yates have you been
4 employed as the landman?

5 A. I've been employed in the land department and
6 received various promotions through time to be the chief
7 landman now.

8 Q. Are you familiar with the Application filed in
9 this case by Pride?

10 A. Yes, I am.

11 Q. Are you familiar with what we call the Limbaugh
12 AYO State Number 1 or the State "X" Well Number 1?

13 A. Yes, I am.

14 Q. And are you familiar with Yates' efforts to re-
15 enter that well?

16 A. Yes, I am.

17 MR. CARR: We tender Mr. Moran as an expert in
18 petroleum land matters.

19 CHAIRMAN FESMIRE: Commissioner Bailey, any
20 objection?

21 COMMISSIONER BAILEY: No objection.

22 COMMISSIONER CHAVEZ: No objection.

23 MR. BRUCE: No objection.

24 CHAIRMAN FESMIRE: His credentials are so
25 admitted.

1 Q. (By Mr. Carr) Mr. Moran, would you briefly state
2 what it is Yates seeks with this Application?

3 A. Yates seeks denial of the Application of Pride
4 Energy Company for cancellation of the drilling permit
5 issued to Yates for the re-entry of our well located in the
6 northwest quarter of Section 12, Township 12 South, Range
7 34 East.

8 Q. Do you ask the Division to permit Yates to
9 proceed with its development of this acreage?

10 A. Yes, we ask the Division to permit us to proceed
11 with our cooperative development of the north half of the
12 section.

13 Q. That does not require any kind of an order from
14 the Division, does it?

15 A. It does not.

16 Q. It simply requires the denial of the Application
17 here presented by Pride?

18 A. Correct.

19 Q. You have a hundred percent of the interest in the
20 north half of the section?

21 A. I have a hundred percent of the interest, all
22 voluntarily committed to development on the north-half
23 spacing unit.

24 Q. And it's a standard unit?

25 A. Standard 320-acre unit.

1 Q. And the well is at a standard location?

2 A. The well is at a standard location.

3 Q. We've heard testimony here today concerning the
4 ownership in the section. You agree with the testimony as
5 presented, do you not?

6 A. I agree as to the Yates ownership. I did not
7 review the Pride ownership.

8 Q. Would you explain to the Commission what rules
9 govern the development of the Mississippian formation in
10 this area?

11 A. This well would be developed under the standard
12 state rules that require a 320-acre spacing unit.

13 Q. Does it provide for a pre-approved infill well on
14 the other quarter section?

15 A. Yes, it does provide for a preapproved infill
16 well.

17 Q. If you look at Yates Exhibit Number 1, is this a
18 land map that simply shows the Yates ownership in Section
19 12?

20 A. Yes, this is intended to represent Section 12 of
21 Township 12 South, Range 34 East, Section 12 highlighting
22 the State of New Mexico Lease B-5855, which is composed of
23 the north half of the Section 12 and the southeast quarter.

24 Q. And the location for the State "X" Well Number 1
25 is shown in the northwest quarter of 12?

1 A. Yes, it is.

2 Q. The Pride-operated 1 "M" well is shown in the
3 southwest southwest of 1?

4 A. Yes, it is.

5 Q. And what acreage does Yates own in that section?

6 A. In Section 1 we own the east half of the section
7 and the south half, southwest of Section 1.

8 Q. Yates actually is the lessee of the tract upon
9 which the well is located?

10 A. Yes, it is.

11 Q. And that was developed with an east-half unit by
12 agreement of the parties?

13 A. West-half unit.

14 Q. West-half unit.

15 A. Yes.

16 Q. And you agreed to that?

17 A. Yes, we did.

18 Q. Let's go to the chronology that's marked Yates
19 Exhibit Number 2, and Mr. Moran, much of this has been
20 covered. I'd ask you to refer to this exhibit and review
21 information that has not previously been presented to the
22 Commission.

23 A. The part that is important is that Yates
24 Petroleum Corporation applied for the APD in August of
25 2003, August 25th. We received that APD on the 26th of

1 August, and we commenced our operation soon thereafter in
2 September of 2003, commenced the reworking of the well.

3 Q. Was this a request to reinstate a previous APD?

4 A. No, it was a newly filed APD.

5 Q. And was there anything unusual on Yates' part
6 about filing this APD?

7 A. To me it looked -- After reviewing the file, it
8 was determined it was a normal operation to file the APD.

9 Q. When you discovered that the compulsory pooling
10 Application that is the subject of this hearing had been
11 filed, what did you do?

12 A. We ceased working on the -- The decision was made
13 to cease working on the well.

14 Q. And is Yates still standing down on that property
15 and not --

16 A. We have not performed any work on that well since
17 the decision was made to stand down on the well.

18 Q. Is Exhibit Number 3 various items of
19 correspondence from Yates' files that support some of the
20 items shown on Exhibit Number 2?

21 A. Yes, it is.

22 Q. And what is Exhibit Number 4?

23 A. Exhibit Number 4 is a copy of our newly filed APD
24 that we filed on August 25th, 2003.

25 Q. When Yates was on the location, actually

1 commencing re-entry operations, was this APD in place?

2 A. I believe it to be in -- the APD in place, that
3 we were acting under.

4 Q. Will Yates call geological and engineering
5 witnesses to review the technical portion of the case?

6 A. Yes, we will.

7 Q. Were Exhibits 1 through 4 either prepared or
8 compiled under your direction and supervision?

9 A. They were compiled under my direction.

10 MR. CARR: At this time, Mr. Chairman, we move
11 the admission of Yates Exhibits 1 through 4.

12 MR. BRUCE: No objection.

13 CHAIRMAN FESMIRE: Any objection from the
14 Commission?

15 COMMISSIONER BAILEY: No.

16 COMMISSIONER CHAVEZ: No objection.

17 MR. CARR: That concludes my direct examination
18 of Mr. Moran.

19 CHAIRMAN FESMIRE: Okay, Exhibits 1 through 4
20 admitted.

21 Mr. Bruce?

22 CROSS-EXAMINATION

23 BY MR. BRUCE:

24 Q. Just a few questions.

25 Let's turn to your Exhibit 2, Mr. Moran, and this

1 is a pretty good listing of what went on. One of the top
2 items, June 1, 2001, Pride Energy Company acquires state
3 lease on the southwest quarter of Section 12. Are you
4 aware that state leases are always, at least in present
5 day, made effective on the first of the month following a
6 lease sale?

7 A. Yes, I am aware that tends to be the procedure.

8 Q. And that generally state lease sales are in the
9 middle of the month?

10 A. Yes.

11 Q. Okay. So really, June 1, although the lease was
12 issued on that date, Pride had purchased and paid for a
13 couple weeks earlier?

14 A. I presume they paid for it. But I know that
15 based on our decision, we'd already made plans to proceed
16 out there prior to that date.

17 Q. But the APD wasn't filed until after Pride had
18 acquired its lease?

19 A. No, I don't think it's good practice to go file
20 an APD during the lease sale, or with open acreage -- with
21 the lease sale coming out, to disclose what you want to do.

22 Q. One other -- I'll hand you Pride Exhibit 3, Mr.
23 Moran. Looking at your timeline, you have August 23, 2003,
24 OCD cancels Pride APD. That letter is actually dated
25 August 26th, isn't it?

1 A. That does appear to be correct.

2 Q. So in your timeline it should be August 25, Yates
3 submits new APD, and then on August 26th, the OCD canceled
4 Pride's APD and approved Yates' new APD.

5 A. I stand corrected on my timeline.

6 Q. And just a couple more questions.

7 Referring to your Exhibit 1, assuming that Yates
8 won this case and got a north-half unit and then a second
9 well was to be drilled to test the Mississippian in the
10 south half of Section 12, Pride and Yates would either have
11 to enter into a voluntary agreement or there would have to
12 be a compulsory pooling on the south half, would there not?

13 A. To develop a south-half spacing unit, the two
14 ways I'm aware of are by compulsory pooling or voluntary
15 agreement.

16 Q. And either way, the well could be located on
17 Yates' acreage or on Pride's acreage?

18 A. I think you're asking me to testify about geology
19 and well placement?

20 Q. No, I'm just saying, under a joint operating
21 agreement, if it was signed by the Yates entities and
22 Pride, or if there was a compulsory pooling, whether by
23 Pride or by Yates, that well could be located on either
24 quarter section, could it not?

25 A. Under a voluntary agreement with both leases

1 committed to the unit, placement of the well could be
2 determined on either lease.

3 Q. What about under force pooling?

4 A. Under a force pooling, the effect of the pooling
5 statute declares that the leases are pooled.

6 Q. And the well can be located on either -- on
7 anyone's lease?

8 A. I believe that it is potential that it could be
9 put on the lease.

10 Q. It could be placed on Pride's lease, or it could
11 be -- If Yates force pooled Pride, the well could still be
12 on Pride's lease; is that correct?

13 A. Restate, please?

14 Q. If Yates force pooled the south half, Yates could
15 still place that well on Pride's lease?

16 A. I have an unresearched opinion that the lease
17 gives you the permission to be there, and that -- and this
18 is a theory that you're asking me to get into that is
19 unresearched, and I haven't had the time to go finish
20 researching it, but under my general belief, the pooling
21 statute pools the leases, and the well could be placed
22 anywhere in the spacing unit.

23 Q. That's all I'm asking. Thank you, Mr. Moran.
24 Oh, one other question.

25 You talked about the pool rules out here, whether

1 it's Morrow or Mississippian. Both the Morrow and the
2 Mississippian out here, regardless of the pool they're in,
3 are spaced and developed on what we call the statewide
4 rules?

5 A. Statewide rules.

6 Q. And the statewide rules do not mandate a standup
7 or a laydown unit, do they?

8 A. No, they do not.

9 MR. BRUCE: Thank you.

10 CHAIRMAN FESMIRE: Commissioner Bailey?

11 MR. CARR: Mr. Chairman, could I violate your
12 rule very briefly and just ask two questions?

13 CHAIRMAN FESMIRE: Why don't we give the
14 Commissioners a chance to --

15 MR. CARR: All right.

16 EXAMINATION

17 BY COMMISSIONER BAILEY:

18 Q. Okay, Yates Petroleum is involved in quite a few
19 compulsory poolings in their line of business, right?

20 A. Yes.

21 Q. Is it a requirement that compulsory pooling
22 application be done before or after an APD is filed with
23 the OCD? What is the order that Yates consistently uses?

24 A. In determining how to proceed with a compulsory
25 pooling, we look at what the ownership is, and normally we

1 try to acquire as much ownership as possible. And in the
2 event we do not obtain, we make the decision to proceed
3 with a force pooling based on the uncommitted interest.

4 At the time, if we had a large uncommitted
5 interest, which is what is the subject here, which would be
6 50 percent, we would commence a force pooling prior to
7 beginning operations.

8 In the event that we had a very small, like one-
9 or two-acre uncommitted, we might make the business
10 decision to proceed based on the changes in the current
11 rules for the compulsory pooling.

12 The thing that we do look at is, do we have --
13 what rights we do own in the section, and normally we try
14 to obtain rights throughout the whole proposed spacing unit
15 and not be acting on a leasehold that we don't have some
16 sort of, either by contract, farmout or operating
17 agreement, rights to be on.

18 Q. What I needed to find out from you is, what is
19 the consistent timeline that Yates uses? Do they first
20 apply for an APD and then come in with compulsory pooling,
21 or do they first apply for compulsory pooling and then do
22 an APD?

23 A. Our practice is normally to file the APD first in
24 an attempt to obtain voluntary participation in drilling
25 the well.

1 Only at the time that we can determine we cannot
2 make a voluntary participation would we proceed with a
3 compulsory pooling.

4 COMMISSIONER BAILEY: Okay, thank you.

5 CHAIRMAN FESMIRE: Commissioner Chavez?

6 EXAMINATION

7 BY COMMISSIONER CHAVEZ:

8 Q. Along that same line, Mr. Moran, does Yates ever
9 file an APD for a location on a lease that it does not own?

10 A. I'm not going to say it's never happened, but
11 that's not standard practice that I'm aware of at the
12 company.

13 Q. Being that there was an existing APD at the time
14 that -- Well, let me put it this way.

15 Apparently Yates submitted their APD at the time
16 there was an existing APD to re-enter this well. Is that a
17 Yates practice?

18 A. The Yates practices -- We were continuing our
19 plans. I don't know that we went and verified whether
20 there was an existing APD out there or not.

21 Upon submitting the Application, I think, is when
22 we -- I don't know the exact time we learned that, but that
23 would go through the regulatory process in turning in. We
24 were not notified, to my knowledge, of the existing APD out
25 there, other than what would be available by going to the

1 OCD and checking their records.

2 Q. Is it not -- So Yates does not look to see if
3 there's an existing APD before they file an APD?

4 A. I presume that it would -- in planning our -- in
5 the filing of the plan, to me, looking back on the record,
6 it looks like we believe we had an APD, and there was a
7 time lapse in getting that one removed, so that we believe
8 that we went back and filed our APD.

9 That's a regulatory compliance that we have to
10 obtain from the OCD.

11 Q. If you had done that research and discovered that
12 Pride had an existing APD, would Yates have filed another
13 APD as they did on the 25th?

14 A. I believe we would, because we had voluntary
15 agreement to develop on a north-half basis, and I think
16 that's what we did, is file our APD. I'm basing it off the
17 review of the record.

18 Q. So you would have then, anyway, filed -- What
19 you're saying is, you would have filed an APD regardless of
20 whether there was an existing one or not?

21 A. I believe that's what we did, yes. The
22 regulatory department, working for us, makes those
23 decisions. I don't know what decision process the use, but
24 it is my understanding and belief that we did file an APD.

25 Q. When you filed an APD, even if there was an

1 existing one on place, were you contacted by the OCD about
2 the conflict?

3 A. I have no personal knowledge of whether we were
4 or we were not. That would have been handled by our
5 regulatory department, and I did not talk to them
6 concerning that.

7 COMMISSIONER CHAVEZ: That's all that I have.

8 EXAMINATION

9 BY CHAIRMAN FESMIRE:

10 Q. Mr. Moran, you testified a little earlier that
11 Yates would have a preapproved infill well on Section 12,
12 in the northeast quarter. Does Yates intend to drill that
13 if they win this case?

14 A. That is a management decision that I can't -- I
15 have not participated in, so I don't know an answer to
16 that. The geologist would be more apt to be able to answer
17 what he would recommend.

18 Q. Okay. How much has Yates expended to date on the
19 re-entry of the "X" 1?

20 A. The dollar number that comes to mind is
21 approximately \$50,000, but that's not a researched number,
22 just a conversation number that I'm recalling.

23 Q. Did you ever personally have contact with the
24 Hobbs OCD Office concerning the APD that was in place on
25 this unit?

1 A. No, I did not.

2 Q. Do you know of anybody who did?

3 A. I would believe that people out of our regulatory
4 department would have been contacted. If there was such
5 contact, that would be the normal -- they or the people at
6 the company charged with taking care of the permits.

7 Q. For clarification, I think, to one of
8 Commissioner Chavez's questions, did Yates know that there
9 was an existing APD on that location when they filed
10 theirs?

11 A. I don't know whether they did or they did not. I
12 cannot answer that question.

13 Q. Now, you had a -- or an APD and essentially an
14 extension to that APD for two years prior to Pride's APD;
15 is that correct?

16 A. Based on what I saw in the files, we had an APD
17 filed in approximately August -- I mean, June of 2001, and
18 then we received a subsequent extension of that APD,
19 correct.

20 Q. And for two years you didn't drill that well; is
21 that correct?

22 A. We were still within the primary term of our
23 lease.

24 Q. Right, and that's the reason you didn't drill the
25 well, is because you were within the primary term?

1 A. I don't know the business decisions that the
2 owners of the company decided on when to proceed with
3 drilling. I don't know any of that.

4 CHAIRMAN FESMIRE: I have no further questions.

5 Mr. Carr, you said you had some redirect. I have
6 no problem with redirect examination. It's recrosses and
7 re-re's.

8 MR. CARR: All right, I'm not even going to
9 redirect this witness.

10 CHAIRMAN FESMIRE: Okay.

11 MR. CARR: I'm just trying to get the lay of the
12 land here.

13 CHAIRMAN FESMIRE: Mr. Carr, then, assuming that
14 you have no more questions of this witness --

15 MR. CARR: I have no more questions of Mr. Moran,
16 and at this time we call John Amiet, our geological
17 witness.

18 CHAIRMAN FESMIRE: Mr. Carr, before you start, do
19 we have a copy of that?

20 MR. CARR: That is in the exhibit set I've handed
21 out.

22 MR. AMIET: It's Exhibit 6.

23 CHAIRMAN FESMIRE: Oh, okay.

24 MR. CARR: We had to correct the scale on the log
25 on the extreme right.

1 JOHN AMIET,

2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. CARR:

6 Q. Would you state your name for the record, please?

7 A. John Amiet.

8 Q. Mr. Amiet, where do you reside?

9 A. Artesia, New Mexico.

10 Q. By whom are you employed?

11 A. Yates Petroleum Corporation.

12 Q. And what is your current position with Yates?

13 A. I'm a geologist with Yates.

14 Q. Have you previously testified before this
15 Commission?

16 A. Never before the full Commission. I've testified
17 before the OCD seven or eight times.

18 Q. Could you review for the Commission your
19 educational background?

20 A. I graduated in 1978 from Colorado State
21 University. I've worked for about 21 years for Yates
22 Petroleum, about 18 of those in oil and gas exploration.
23 I've got about 21 hours, graduate hours, from University of
24 Texas, Permian Basin, and I've had about 20 industry
25 classes in oil and gas exploration.

1 Q. Are you familiar with the Application filed in
2 this case on behalf of Pride?

3 A. Yes, I am.

4 Q. Have you made a geological study of the area
5 that's the subject of this Application?

6 A. Yes.

7 Q. Are you prepared to share the results of that
8 work with the Commission?

9 A. Yes, I am.

10 MR. CARR: We tender Mr. Amiet as an expert in
11 petroleum geology.

12 MR. BRUCE: No objection.

13 CHAIRMAN FESMIRE: Any objection from the
14 Commission?

15 COMMISSIONER BAILEY: No.

16 COMMISSIONER CHAVEZ: No objection.

17 CHAIRMAN FESMIRE: He's so admitted.

18 Q. (By Mr. Carr) Mr. Amiet, let's go to what has
19 been marked Exhibit Number 5 in the exhibit book, and I
20 would ask you to identify this exhibit and review it for
21 the Commissioners.

22 A. This is a structure map on top of the Austin, or
23 also called the upper Mississippian. The faults are shown
24 with the heavy black lines with the up and down movement.
25 We're going to talk about cross-section A-A', as shown by

1 the green line. Seismic line is B-B'. The structure tops
2 on top of the Austin are shown in red, and TDs of the well
3 are shown below the wells in black. And I might mention
4 only the deep wells, or wells greater than 11,000 feet, are
5 shown on this map.

6 Q. And this exhibit was prepared by you?

7 A. Yes, it was.

8 Q. And in preparing this exhibit you used well-
9 control information?

10 A. I used both well control and seismic. And you
11 might notice that the Four Lakes field is what we call a
12 pop-up block. During compressional or wrench-type faulting
13 a lot of times you'll get these pop-up blocks. This is
14 kind of on the northwest part of the map, and it's labeled
15 "Four Lakes Field". You can see there's probably 500 or
16 600 feet of relief between that and the wells out -- that
17 we're referring to, the State "M" 1 and the State "X" 1.

18 Q. They're more --

19 A. And again, one of the things -- the contours kind
20 of point up towards that uplifted or fault blocks, or if
21 there's an alluvial fan or a debris flow, it's going to go
22 down to the southeast or, as Mr. Ellard stated, to the east
23 southeast. I think we agree on that point.

24 Q. So you agree that is the regional dip across the
25 area?

1 A. That's correct.

2 Q. All right. Let's go now to your exhibit, your
3 cross-section A-A'. The trace is on Exhibit 5, and that is
4 Exhibit 6 that we've just passed out revised copies. It's
5 also on the easel beside you. Would you review that?

6 A. Yes. Again, the faults are shown with the heavy
7 black line, the fault in the first and second well, and the
8 fault in the second and third well, the up-and-down
9 movement shown. Again, this is a structural cross-section,
10 this is what it looks like today.

11 I've colored -- my wife says this is kind of a
12 turquoise, I call it light blue -- the Austin or upper
13 Mississippian lime. This lower portion is a little bit
14 shalier and a little bit cherty, but as you go down the
15 first step to the first, if you refer back to -- or
16 actually we show it on this map here, there was the first
17 well, the second well, the third well and the fourth well.

18 So again, there's -- as you're stepping off that
19 Four Lakes high, you're gradually dropping down until you
20 get in this more gently dipping area of where the
21 productive Pride well is located, and the proposed re-
22 entry, the "X" Number 1.

23 Q. What is the red depicted on the well logs on the
24 right of the exhibit?

25 A. Again, if you look at this, the thickness in

1 blue, this is about 50 feet thick --

2 Q. That's the well -- Which well is that?

3 A. This is the Humble Oil and Refining South Four
4 Lakes Unit Number 1, so it's the first well on the left
5 side. You've got about 50 feet of what we're calling
6 Mississippian here. You drop down about 95 feet and you
7 get 160 feet. So again, you've got an unconformity at the
8 top, an unconformity here, an unconformity at the middle,
9 and then when you erode -- this is about 100 feet eroded
10 off of here and a good 60, 65 feet eroded off the second
11 well. That's got to be deposited down, what I'm showing in
12 red as this alluvial fan.

13 Now, it's difficult to -- off of logs, to
14 identify an alluvial fan, other than just say it's got
15 better porosity, if it's a different depositional system.
16 You can see the gamma-ray is a little bit hotter here, it's
17 cleaner right here. You have a shale kick right in here
18 at --

19 Q. When you say "here", I'd like you to identify the
20 log that you're talking from, John.

21 A. Okay, I'm talking the productive alluvial fan
22 well is Pride "M" Number 1, and the top of that fan is
23 going to be at about 12,110, say 12,120. And this well has
24 cum'd about 464 million to date and about 4600 barrels of
25 oil.

1 Again, as you have this erosion coming off of the
2 high into this "M" 1 well and the "X" 1 well, again, I
3 agree with Mr. Ellard, this is an alluvial fan. You've got
4 a lot of deposition as you're close to what I'm calling the
5 source of the fault. As you go farther to the south I
6 think you're getting farther away from the source of the
7 fault. The erosion is off this high block right here.

8 Q. And when you say "right here", you mean where?

9 A. Referring to my map, that would be the northeast
10 quarter of Section 2 and maybe a little bit of this --
11 primarily off the northeast quarter of Section 2, maybe a
12 little bit off the northwest of Section 1, 12 South, 34
13 East.

14 Q. And so that's where the erosion has occurred?

15 A. That's correct, yes.

16 Q. And then it flows where?

17 A. It flows downdip, it's east southeast or to the
18 southeast.

19 Q. Now, if we look at your exhibit and compare it to
20 the work of Mr. Ellard, you're, in fact, seeing less
21 productive pay in the location of the State 1 "X"; is that
22 right?

23 A. That's correct. I've shown -- Originally this
24 well --

25 Q. Which --

1 A. -- the Pride "M" 1 well, was logged with a sonic
2 log. Mr. Pride logged it with a neutron density log. It's
3 a more current log. It was run, I think, in March of 2001.
4 And it's showing good porosity development in what I'm
5 calling this fan, shown by the red color.

6 Now, you go over to the -- what we're calling the
7 Limbaugh or the State "X" 1 on the far east side of the
8 cross-section, this was an old 1957, old e-log. It's a
9 resistivity log. It does not measure porosity. It's very
10 difficult to infer how much pay there is in that well.

11 I've looked at some of the wells that we've
12 drilled, and it seems like you want to get below about 200
13 ohms in order for it to have a good, productive Austin
14 well. 200 ohms, if you're looking at the curve on the far
15 right, is your deep-reading resistivity curve.

16 And actually this red color should be down, just
17 about seven feet down in this interval, about seven feet
18 lower than where it's shown on this. That's a little
19 drafting error. Right where this curve comes back, that
20 touches the 200-ohm reading, so again, I'm kind of using
21 that as -- I think it's going to be a productive well. I
22 don't think it's going to be nearly as good a well as the
23 State "M" 1, so I'm showing less pay than Mr. Ellard from
24 looking at this log, but also some of the other logs that
25 we've run in the area: the Newgrass well, the Annabelle

1 well. There's four or five wells we've got completed in
2 the Austin, and it seems like you need to get below that
3 200-ohm reading to get a good well.

4 Q. So what you have is, you've got high resistance.
5 Is that what the 200 ohms shows you?

6 A. It's higher resistance than what -- on the State
7 "M" 1, it went below 200 ohms. It also has some porosity
8 above 200 ohms. The porosity above 200 ohms is in slightly
9 tighter rock, so again I think it's going to be productive.
10 I don't think it's going to be as good a well as the State
11 "M" 1.

12 Q. And how many feet -- I believe Mr. Ellard
13 estimated as much as 25 feet. How many feet do you see,
14 based on your interpretation of this log data?

15 A. It looks like there's about 10 feet touching that
16 200-ohm resistivity reading.

17 Q. And this is your interpretation, correct?

18 A. That's correct.

19 Q. Because the log you have available is, in fact,
20 not a tool that measures porosity?

21 A. This is not a porosity tool.

22 Q. Okay. Let's go now to Yates Exhibit Number 7.
23 Would you identify that and review it for the
24 Commissioners?

25 A. This is again a top-of-the-Austin or upper

1 Mississippi structure map. It's identical to the first
2 map except it's showing where I would put this alluvial
3 fan. Again, I think the erosion is coming off the tops of
4 the Four Lake field. You can see that there's a big
5 structural difference. We've looked at the cross-section
6 where you can see where there's a lot of erosion. That's
7 the source of the fan. We've all agreed that the dip is to
8 the east southeast, or the southeast, so I'm bringing that
9 down to the southeast.

10 One other thing I might mention. When you look
11 at the literature of a mountain front and a fan is coming
12 out of a mountain front, they're usually perpendicular to
13 that fault or the uplifted block. And so again I've taken
14 that perpendicular to this fault that's trending to the
15 northeast to the southwest on Exhibit 7.

16 Q. And you -- as you depict this fan, that extends
17 across the north half, not down on the west half of Section
18 12?

19 A. Pardon?

20 Q. The fan as you depict it goes across the north
21 half of the section?

22 A. That's correct, I'm taking it across the north
23 half of the section. Again, I agree with Mr. Ellard that
24 the closer to the source, you're going to have coarser sand
25 and gravel, and we're going to look at some pictures in a

1 minute.

2 As you get farther away from that source -- I'm
3 calling Four Lakes field the source -- where the State "X"
4 1 is you're going to have, as he said, finer-grain sands
5 and silts and clays. So you're getting farther away from
6 the source. I don't expect the "X" 1 to be as good a well
7 as the "M" 1, but again I think it's a potential re-entry
8 candidate.

9 Q. Let's go to Yates Exhibit Number 8. Would you
10 identify that and explain what it is?

11 A. Again, I've mentioned the literature. There's a
12 lot of documentation about alluvial fans and debris flows
13 and carbonate flows, and this is just one document, and
14 I've tried to -- again, that's showing the fan coming up
15 perpendicular to the mountain front, and I've tried to make
16 a fan look somewhat similar to this since again all we have
17 is two data points, and one of them doesn't measure
18 porosity.

19 Q. If we go back to Exhibit 7, you haven't shown
20 reservoir under the southwest quarter?

21 A. That's correct.

22 Q. And why is that?

23 A. Again, the fan is going to the east, southeast.
24 You bring that out perpendicular, and it's going to go to
25 the north half of the section. If it goes farther than

1 I've shown, if the reservoir is bigger, it's going to cross
2 down into the southeast quarter rather than the southwest.
3 I feel the southwest quarter as the least potential of any
4 of these four quarter sections.

5 Q. If you were making a recommendation to your
6 management on whether or not you were going to drill a well
7 over in the northeast quarter, what would you say?

8 A. I would rather drill the northeast, rather than
9 the southwest.

10 Q. What about the northeast, as opposed to the
11 southeast?

12 A. I would say, again, stay as close to the source
13 as you can, so I would drill the northeast as opposed to
14 the southeast or the southwest.

15 Q. Now, you have drawn this fan. It covers a
16 relatively small area.

17 A. That's correct.

18 Q. Why did you limit it to this area?

19 A. Again, I had some conversations with Dr. Boneau,
20 the reservoir engineer, and got an idea how much erosion
21 came off the top of this fan or off the top of this Four
22 Lakes field and tried to pattern my fan after what he was
23 -- how much was eroded. And of course not all of the
24 erosion is going to come down this direction. Some might
25 go in a slightly different direction, but I think the

1 majority of it is going to come to the southeast. And so
2 again, I contacted the reservoir engineer to talk about the
3 size.

4 Q. If you're wrong, if it's larger, would that make
5 the southwest a good candidate for the drilling of a second
6 well?

7 A. If it's very large, yeah, you could drill in the
8 southwest. Again, I would rather drill in the northeast or
9 the southeast first.

10 But again, I'm having a source kind of to the
11 northwest. Mr. Ellard is saying that you're getting -- if
12 I understand him, getting source more from the -- he's got
13 a fault coming down close to these two wells, the "M" 1 and
14 the "X" 1, so he's saying there's source coming more due
15 west. And I disagree with that from my evaluation of the
16 3-D survey.

17 Q. There was a question for Mr. Bruce about water in
18 the "M" 1. Do you see any evidence that water would be a
19 factor in determining whether or not any of these locations
20 are productive or not?

21 A. To my knowledge, the "M" 1 is not producing
22 water. As a general rule, we -- Well, actually, we only
23 have one well that's produced water from the Austin, and
24 we're not sure where that water is coming from, since it
25 got a bad cement job. So water is generally not a problem

1 in the Austin.

2 Q. Let's go now to Exhibit Number 9 in the exhibit
3 book, the Austin porosity isopach map. Will you identify
4 that for the Commissioners?

5 A. Again, this is the same basic map that we've
6 looked at previously. In this one I've just taken my 31
7 feet of pay for the State "M" 1 and 10 feet of pay in the
8 Penrose Danglade State "X" 1 or what we're calling the
9 Limbaugh, Yates is calling Limbaugh, and just made a
10 contour map and tried to stay -- again, it's going to be
11 thicker in the main part of the channel, and I think the
12 State "M" 1 really hit the main part of the channel system
13 coming down, and again it's close to the fault. As you get
14 farther out away, your fan is going to spread out and thin
15 rapidly.

16 Q. Mr. Ellard testified about fracturing in this
17 reservoir. I'd like you to refer to Yates Exhibit Number
18 10 and first review what it shows, and then I'd like you to
19 address the fracturing issue.

20 A. This is the Pride Energy State Number 1 "M" log
21 that Mr. Pride ran in 2001. This is a new log. Again, it
22 was run in 2001. It's neutron density.

23 I've highlighted the caliper curve on the left
24 side of the log, the tension curve and the correction
25 curve. These are indicative of tension. Whether the hole

1 is washed out and whether you're getting a correction on
2 the density curve, if it's fractured, a fractured reservoir
3 is going to show some washouts, it's going to show tension
4 as the curve catches, it's going to show correction as the
5 density pad loses contact, it's going over fracture, it's
6 going to lose pad contact, and that correction curve is
7 going to be spiking.

8 The only place you could really say it deflects
9 at all to the right, this correction curve, is right at the
10 shale from 12,116 to -20, to the shale spike right there,
11 and you get a little bit of a correction. Except for that,
12 there's no correction on this log, so I'm not sure how we
13 can -- or I see no evidence that this is a fractured
14 reservoir. A fractured reservoir, you see these curves
15 spiking.

16 Q. Let's go to Exhibit Number 11. What is that?

17 A. Again, this is just a picture out of the
18 literature. It's of a four-inch core out of the Wolfcamp
19 in the Midland Basin, just showing what I think this might
20 look like. You've got clasts and cobbles anywhere from
21 several inches to lime mud. This is actually a reservoir
22 rock, this produces, and this is just an example of what I
23 think we're looking at in the State 1 "M" and hopefully in
24 the "X" 1 well.

25 Q. Let's go now to your seismic line B-B', which is

1 Yates Exhibit 12.

2 A. This is B-B', and if you look back at your -- one
3 of the maps, it's shown on all the maps. It goes through
4 two wells.

5 It goes through one well, the Four Lakes State
6 Number 1, on the west side of a fault, and I've got the
7 fault trace shown. And then I've got the State "X" 1 kind
8 of right in the center of this cross-section.

9 This off on the right, this is in seconds, 1.5
10 seconds, 1.6 seconds. So each of these intervals in
11 between the 1.5 and the 1.6 on the right side or the left
12 side is 10 milliseconds in travel time.

13 It's got the Morrow picked on the lower right-
14 hand side, the Austin or upper Miss. lime and the Chester
15 shale.

16 Again referring to the fault, this is maybe a
17 300-, 350-foot fault that we're looking at. You look where
18 the up and the down is. That's the -- Where the up is, is
19 the upper Austin. You can see how much offset there is on
20 this fault.

21 You go over towards the State "X" Number 1, there
22 is no -- I don't see any faulting at all. There's a little
23 bump under the State "X" 1. This is about 2.5
24 milliseconds. It might relate to about 20 feet. This is
25 getting really beyond the resolution of the seismic data.

1 Again, also when we're looking for faults we're
2 looking for lineations. We see no lineations when we look
3 at the 3-D seismic, and again we have 3-D seismic over this
4 entire area. This is good quality seismic. It was shot in
5 -- I believe it was 1997 or 1998, so it's a good quality
6 3-D seismic program.

7 My structure maps represent our interpretation of
8 this 3-D seismic, and we don't see any fault in the
9 orientation that Pride has proposed. We see a fault going
10 from the northeast to the southwest, coming down from
11 Section 31, down across Section 1 and hooking up with the
12 main north-south fault in Section 2.

13 Now this pop-up block of Four Lakes field, if you
14 go south off this map, there's also another pop-up block
15 that forms the Ranger Lake Field. So again, we've got
16 regional coverage, and this fits in very well with our
17 regional seismic interpretation.

18 Q. The fault shown on this exhibit, on the left-hand
19 side of the exhibit, shows a substantial break in the
20 formation?

21 A. That's correct.

22 Q. And that's about a 300 to 350-foot fault?

23 A. That's correct.

24 Q. If you have a fault anything like that, you would
25 expect a similar break to show as you move --

1 A. Oh, there's no fault between there and the State
2 "X" 1 that's of any significance. If we were to argue
3 about a 10-foot fault, that's beyond the resolution.

4 Q. Is there anything here that would suggest any
5 faulting across Sections 1 and 12, like depicted by Pride,
6 that would affect the direction of the flow of the erosion
7 off that limestone high?

8 A. The only fault that I see is the one that goes
9 northeast to southwest. It's marked on the map. I don't
10 see a north-south fault cutting close to the Hanagan State
11 "M" 1 or the State "X" 1. And I don't see -- the argument
12 that there's fault-created porosity, I don't see that in
13 the log. So looking at the data, I don't see support for
14 either one of those facts.

15 Q. The data doesn't show the fault?

16 A. Pardon?

17 Q. The data does not show the fault?

18 A. That's correct.

19 Q. It does not show the fracturing?

20 A. That's correct.

21 Q. Is it your conclusion that this fault does not
22 exist as depicted?

23 A. The Pride fault, that's correct.

24 Q. You looked at the well data available on the
25 area, did you not?

1 A. Yes.

2 Q. Based on the kind of information you have
3 available, is it possible that the Pride fault, based on
4 that information, could be located 100 feet from where it
5 is shown on that Geomap?

6 A. On the Geomap, there's no doubt that there's a
7 fault on both sides of the Four Lakes field. Again, the
8 3-D seismic supports there's a north-south fault, and on
9 the east side of this pop-up block it's northeast-
10 southwest. There's not a north-south fault going through
11 Sections 1 and 12.

12 Q. Summarize your conclusions for the Commission,
13 please.

14 A. From looking at the data I have, which is 3-D
15 seismic, it's very obvious that this is a flat area out
16 from the State "M" 1 and the State "X" 1. There's no
17 significant faulting in there. From looking at the log
18 data -- this is a new log -- there's no evidence of
19 fracturing in that well. And again, this is -- we've spent
20 a lot of time on the 3-D seismic and it's very difficult to
21 argue with 3-D seismic. This is data that Geomap does not
22 have.

23 I use Geomap occasionally, or I used to use it.
24 It's a good start. But you use it as a starting basis.
25 You get more data or 3-D seismic or something, you have to

1 edit that data, because there's limited well control here.
2 And you can vary this fault not by 100 feet, you could vary
3 this location of the fault by 500 feet, because there's
4 only two wells in Section -- actually I guess three wells
5 total in Sections 1 and 12. So you could move that fault
6 all over the place. But we've located that with the 3-D
7 seismic.

8 Q. And based on your data, is it your opinion that
9 the reserves in Section 12, the recoverable reserves, are
10 located in the north half of the section?

11 A. And again, Mr. -- Dr. Boneau will testify to
12 this. But in talking with him, yes, these are draining a
13 limited area.

14 Q. Were Yates Exhibits 5 through 12 prepared by you?

15 A. Or under my supervision, yes.

16 Q. Can you testify as to their accuracy?

17 A. Yes.

18 MR. CARR: At this time, may it please the
19 Commission, we'd move the admission into evidence of Yates
20 Exhibits 5 through 12.

21 CHAIRMAN FESMIRE: Mr. Bruce, do you have any
22 objection?

23 MR. BRUCE: No objection.

24 CHAIRMAN FESMIRE: Any objection from the
25 Commission?

1 COMMISSIONER BAILEY: No.

2 CHAIRMAN FESMIRE: They're so admitted.

3 MR. CARR: That concludes my direct examination
4 of Mr. Amiet.

5 CHAIRMAN FESMIRE: Mr. Bruce, would it break up
6 your flow if we broke for lunch for a while?

7 MR. BRUCE: No, not at all.

8 CHAIRMAN FESMIRE: What do you say we come back
9 after lunch at 1:15?

10 (Thereupon, noon recess was taken at 12:05 p.m.)

11 (The following proceedings had at 1:12 p.m.)

12 CHAIRMAN FESMIRE: Let's see, when we left, Jim,
13 you were going to cross-examine Mr. Amiet.

14 MR. BRUCE: Yeah, I have a few questions.

15 CROSS-EXAMINATION

16 BY MR. BRUCE:

17 Q. I don't know if we need to refer to any
18 particular exhibit, Mr. Amiet, but did you use -- what type
19 of 3-D was used? Vibroseis?

20 A. It's a Vibroseis, yeah, Western Spec Shoot was
21 run in either 1997 or 1998, so it's relatively recent.

22 Q. And what is the minimum resolution?

23 A. It's probably about 70 hertz data. We're trying
24 to see 30-, 40-foot sands, sometimes we can't see them
25 inside a shale, so I would say it's probably greater than

1 40 feet, 50 feet, is what you're -- Sometimes we think we
2 can see indications, but you kind of have to use your
3 imagination to get much below about 50 feet.

4 Q. So 50 feet is kind of a cutoff. Would you rather
5 have a 100 feet difference to really be able to see it?

6 A. Oh, yeah, for sure. Ten milliseconds is probably
7 -- maybe a hundred feet, so 10 milliseconds is a pretty
8 small interval of it. You would like to start seeing 100
9 feet.

10 Q. Looking at your -- Let's look at your structure
11 map, which is your Exhibit 5.

12 A. Okay.

13 Q. Now, you've theorized this middle fault. Do you
14 have -- Does Yates have seismic up there?

15 A. Yes, you can see some indications of that fault.
16 It's not as resolvable as the north-south or this
17 northeast-southwest fault, and also the data kind of seems
18 to support that there might be something in there, although
19 if you wanted to delete that fault I wouldn't argue. I
20 think it's probably there, but it's a little more
21 questionable than the other two.

22 Q. Well, the reason I ask is, if you -- The highest
23 well is that South Four Lakes Unit Number 2, is it not?

24 A. That's correct.

25 Q. Now, if you go straight north a couple of wells,

1 you're going approximately -- oh, three-quarters of a mile,
2 and there's a well, the Number 4 well --

3 A. Yes.

4 Q. -- which is at minus 7575 --

5 A. Uh-huh.

6 Q. -- so the difference in structure there is 155
7 feet?

8 A. Yeah, that's approximate.

9 Q. And you don't see any fault there, going north-
10 south?

11 A. The difference is, on the 3-D seismic we can see
12 a little bit of a lineation, which is why I put that fault
13 in there, and the seismic data seems to support that, so I
14 put it in, although like I say, it's not as distinct a --
15 that area is pretty well broken up. It's an uplifted fault
16 block, so it's -- I wouldn't disagree that it's pretty well
17 faulted. There's a lot of faults going through there. We
18 thought we saw a lineation going up through there, though.

19 Q. All right. Because if you go to the southeast
20 from minus 7420, in roughly the same distance, you're just
21 going down 160 feet or so; is that correct?

22 A. That's correct, that's correct.

23 Q. So there's really no difference when you're
24 looking at the structure between going to the north or
25 going to the southeast; you just theorize that southeast --

1 A. I won't say I theorized it. Again, we see
2 indications on the seismic that there's a lineation there,
3 and again that's important to follow these faults. A fault
4 can't be at one point, a fault -- you have to follow it in
5 kind of a straight line or a direction.

6 Q. But definitely there's a fault from the Number 6
7 well, which is at minus 7582, down to the State "M" Number
8 1, that's about 330 feet --

9 A. That's correct, I'm looking --

10 Q. -- in approximately -- in a smaller distance,
11 actually?

12 A. We can see that very distinctly on the seismic.

13 Q. And I think this is your Exhibit 6?

14 A. Yes.

15 Q. Is that one you have up on the chart?

16 A. Right.

17 Q. And I guess my question is this: You were
18 talking about, I think, the porosity greater than 200 ohms?

19 A. Yes.

20 Q. In the "X" 1 well, how much on the "X" 1 well is
21 above 200 ohms?

22 A. The "X" 1, that's the well farthest to the
23 east --

24 Q. To the east, or on the right side of the chart.

25 A. On the right side. It looks like there's about

1 10 feet that's right at 200 ohms. If you look at the
2 resistivity curve farthest on the right, that's your deep-
3 reading curve.

4 Q. Okay, and what if you use the curve immediately
5 to the left of that? How much does that --

6 A. That's -- Well, that would be a thicker zone, but
7 again, you've got an 8-3/4-inch borehole, so that could be
8 reading some mud.

9 Q. Okay.

10 A. I'd just rather take a deep reading.

11 Q. The second curve that I just mentioned shows
12 about 25 feet, right?

13 A. That's correct, if -- Well, again, we don't know
14 what porosity is in that curve. I'm trying to relate the
15 deep reading to logs that we've run since 2001. We've
16 completed, oh, probably four or five wells in the Austin,
17 and as a general rule the good wells go below 200 ohms. So
18 again, it's not a porosity tool, so I've just made an
19 analogy. Over here 200 ohms seems like it's a cutoff, so
20 I'm going to apply it to this well here --

21 Q. Okay, is --

22 A. -- and that's --

23 Q. -- 200 ohms the maximum or the minimum that
24 you're looking at?

25 A. 200 ohms probably will -- Again, I'm making an

1 analogy from some of the other work that we've done. 200
2 ohms will probably produce a well, but it won't be a 2- or
3 a 3-BCF well. The well that -- like the Newgrass well is
4 an excellent well. It gets down to about 130 ohms. The
5 Chesapeake Chocolate Foam well in 15 South -- 14 South, 35
6 East, Section 33 -- this is way down to the south -- there
7 are no other good Austin wells in this are. Mr. Pride
8 found a good well with the "M" 1.

9 Q. Okay. Was it Pride's initial proposal to re-
10 enter the "M" 1?

11 A. I assume so. Like I say, I came to Yates, or I
12 started with Yates about a week after that well was logged.
13 So I started the end of March, 2001. I think that well was
14 logged March 21st, 2001. But I assume that they approached
15 Yates and asked for a farmout.

16 Q. On your Exhibit 7, which is your alluvial fan,
17 you've placed the beginning of the fan at a certain line on
18 the fault. I mean, could it be further to the northeast,
19 could it be further to the southwest?

20 A. Well, again, I've gone where I thought the major
21 part of the erosion was, and a lot of times coming out from
22 the mountains these are point sources. Again, if you had a
23 very long, uplifted fault block that was three miles long,
24 you would have a number of point sources coming out. But
25 this is a relatively small uplifted -- or a pop-up fault

1 block, and so again, I don't think there's going to be too
2 many channel systems coming out of this. I tried to put it
3 kind of in the middle of that uplifted fault block.

4 Q. There could be more than one channel system?

5 A. You couldn't go very far to the northeast or the
6 southwest, because you don't get the kind of relief,
7 especially going to the southwest, because you're getting
8 away from your fault block.

9 Q. And you really won't know until the "X" 1 is re-
10 entered and perhaps other wells are drilled in this area as
11 to the orientation and as to the extent of this alluvial
12 fan?

13 A. As to the orientation, I stand by my
14 interpretation. Again, perpendicular to that northeast-
15 southwest fault is an orientation that most of these fans
16 coming out of a mountain system. And also the contours
17 support that, that it's going to be going to the southeast.
18 In fact, Mr. Bruce also mentioned east-southeast was a
19 regional dip -- or Mr. --

20 Q. -- Ellard.

21 A. -- Ellard, sorry.

22 Q. Looking at your Exhibit 9, Mr. Amiet --

23 A. Yes.

24 Q. -- what justifies the eastern edge of your little
25 reservoir here, the zero line, the 10 line?

1 A. Again, in talking to Dr. Boneau, who's going to
2 testify in a minute, we looked at the amount of material
3 that might be eroded off of an 80- or 100-acre fault block
4 on top of this pop-up block, and kind of tried to keep
5 apples and apples, if this much is eroded, this much is
6 going to come out downdip.

7 Q. Okay, so 80- or 100-acre fault block, are you
8 talking about that fault block between your easternmost
9 fault and then that middle fault?

10 A. Oh, I would say probably a northeast, maybe 160,
11 is where most of your debris or alluvial fan is coming
12 from. So it could be 80, it could be 160, somewhere in
13 there. You're getting erosion. The 80 acres, you're
14 losing about 100 feet a section. If you go to 160, you're
15 losing less section as you come to the southeast.

16 Q. What I'm saying is, if that middle fault block
17 isn't there, then there's more material to erode; is that
18 correct?

19 A. That fault in the middle, well, again, you're
20 going to erode whether that fault is there or not. You're
21 still coming downdip to the southeast. You're still going
22 to have erosion, because again, looking -- you're going,
23 like you said, from minus 7420, down to 7582, down to 7911.
24 So you're coming downdip fairly steeply.

25 Q. But Yates doesn't have any well control to

1 justify the eastern or the southern boundary of this little
2 reservoir you've drawn.

3 A. The northeast quarter of the southeast quarter
4 of --

5 Q. Yes.

6 A. -- Section 12?

7 Q. Well, in the southeast quarter of Section 1 or
8 the northeast quarter of Section 12 or the southwest
9 quarter of Section 12 --

10 A. Oh, that's correct. Yeah, there's no well
11 control there. That's why I have to depend on the seismic
12 to --

13 Q. And you won't know until the "X" 1 is re-entered?

14 A. That's correct, although again, as Mr. Ballard
15 [sic] suggested, the farther away you're getting from this
16 fault block, your pay horizon is going to deteriorate and
17 get more clays and silts, and I think the log, the State
18 "X" 1, also suggests that.

19 Q. And the orientation of this reservoir is
20 completely dependent upon your orientation of that
21 easternmost fault?

22 A. The easternmost fault going perpendicular to it?

23 Q. The one that's running at 45 degrees --

24 A. That's correct, and also that's downdip, so again
25 that's the direction that your debris --

1 Q. Okay, if it was more oriented north-south, then
2 that could change your interpretation of where the
3 reservoir is.

4 A. I don't see any data to suggest that.

5 Q. That wasn't my question.

6 A. Okay, I'm sorry.

7 Q. If the easternmost fault is more north-south,
8 that would change how your reservoir is drawn, would it
9 not?

10 A. But it's not north-south. We've got 3-D seismic
11 outlining very -- this is, like you say, a fairly
12 significant fault.

13 Q. Well, let's get to that. How come you didn't
14 support -- You said you've got seismic data to the north.
15 How come you didn't present that seismic data? Wouldn't
16 that be the better determining factor as to the orientation
17 of that easternmost fault block? If you've got all that
18 seismic data to the north, why didn't you show that?

19 A. I have on my map, my structure map. This is
20 interpreted from the 3-D seismic.

21 Q. But you haven't shown any of those seismic lines
22 here, have you?

23 A. No, I haven't shown -- I've just shown the one
24 seismic line. I felt that's all that was needed to go
25 through the proposed location.

1 Q. Do you have those other seismic lines to the
2 north with you?

3 A. No, I don't.

4 Q. So you're not presenting those today --

5 A. No, I'm not.

6 Q. -- to justify this 45-degree orientation of that
7 easternmost fault?

8 A. Well, again, I think there's several pieces of
9 evidence that do support that. There's no doubt that fault
10 is there, off of 3-D seismic.

11 Q. Wouldn't the best evidence be that seismic data,
12 to show whether it runs 45 degrees?

13 A. I'm showing that by the interpretive map. Now, I
14 don't know how many seismic --

15 Q. And you're not showing me the data though?

16 A. If you'd like to come up to the office, I'd be
17 happy to show you this data, you know --

18 Q. But you're not showing it to me here today?

19 A. No, I'm not showing it today, I didn't think it
20 was necessary.

21 Q. And Pride or I have never had a chance to look at
22 that data to justify your orientation of that easternmost
23 fault?

24 A. I guess you could say that we misinterpreted a
25 several-hundred-foot fault that is similar to the one that

1 I've shown on the cross-section. There's no doubt where
2 this fault is located if you look at the seismic section.

3 Q. Well, the seismic section only has to do with
4 faulting that main north-south fault on the western side of
5 your maps. It doesn't have anything to do with this
6 northeast-southwest fault; is that correct?

7 A. That's correct, although I think the seismic
8 really -- the cross-section answers that question, that
9 there is a fault there.

10 Q. There is a fault, but you are not showing us the
11 underlying data which justifies your orientation of that
12 fault?

13 A. That's correct.

14 Q. I guess I just have one other question. If --
15 Well, a couple more.

16 Looking at your Exhibit 9 again, although Mr. --
17 excuse me, Dr. Boneau has not testified yet regarding
18 drainage, it's Yates' position, based on what Mr. Carr has
19 questioned my witnesses about, is that the State "M" 1 well
20 is draining Yates' lease in the northwest quarter of
21 Section 12. Is that --

22 A. Mr. Boneau is going to testify to that. I'd
23 rather wait and have him --

24 Q. Okay.

25 A. -- discuss that.

1 Q. Well, based on your mapping, why would you want
2 to re-enter the "X" 1 well, which you show as being very
3 poor? Why wouldn't you drill out a standard location, say
4 up in the northwest quarter, northwest quarter, where it
5 shows to be, number one, much thicker on your maps and,
6 number two, would immediately offset the State "M" Number 1
7 and prevent any future drainage of its acreage?

8 A. If the State "X" 1 comes in, that's something we
9 would consider if it -- see how the State "X" 1 produces.
10 You'd have to plug that well to drill a new well, but
11 that's something we would have to consider. First it's
12 economics. We think it's economical to re-enter the "X"
13 Number 1 well and see how far that -- see if there is pay
14 at that location. It's a much cheaper alternative than
15 drilling a top-to-bottom well.

16 Q. Well, is it more economical than re-entering one
17 well and drilling a second well?

18 A. Well, if the well comes in, that's a discussion
19 we will have. Also we'd possibly drill in the northeast
20 quarter.

21 Q. But Yates has no plans at this point to drill in
22 the northeast quarter?

23 A. Not at this point. First we want to re-enter
24 that "X" 1 well and see if that's a viable producer.

25 MR. BRUCE: I think that's all I have.

1 CHAIRMAN FESMIRE: Commissioner Bailey?

2 EXAMINATION

3 BY COMMISSIONER BAILEY:

4 Q. Up in Section 31, to the northeast of all of our
5 conversation here, it shows that the fault line goes
6 between the Humble State Number 1 and the Yates Willie
7 State Unit Number 1.

8 A. That's correct.

9 Q. What evidence do you have to show that it splits
10 the difference between those two wells?

11 A. Again, we've got the 3-D seismic data, and we
12 just drilled the Willie State Unit Number 1 and it came in
13 where the seismic predicted it. It came in low to the
14 Humble State "X" 1 in Section 31. So again, it supported
15 the seismic data. And that's where the 3-D seismic shows
16 that fault trend.

17 Now, you can -- On 3-D seismic you can vary it a
18 little bit, but in this interval you can't measure or you
19 can't -- I guess on the seismic you get a blurry zone
20 sometimes where you see a fault, but that's usually several
21 hundred feet wide, maybe. So I think that's very close to
22 the proper location for that fault, and the well data
23 supports that.

24 Q. What zone is the Willie completed in?

25 A. It's in the lower Morrow.

1 Q. What's the depositional environment?

2 A. The Willie Number 1, it would be kind of a north-
3 south-trending channel system, so it's a different
4 depositional system than what we're looking at here. It's
5 completed in the basal Morrow and lower Morrow.

6 Q. What is the potential -- You show one large fan
7 coming from this fault block.

8 A. That's correct.

9 Q. What is the potential for a series of overlapping
10 fans?

11 A. Well again, if you look at the subsea depths, the
12 depths on top of the Four Lakes field are structurally much
13 higher than any of the other depths, and so again you have
14 more section eroded off the top of that Four Lakes field.

15 If you go down south off of this map, there's
16 also the Ranger Lake field that you're seeing the same
17 thing. That's a pop-up block. And Mr. Ellard mentioned
18 fans coming off it. I also support that. There are fans
19 coming off these pop-up blocks, but you have to have some
20 vertical structure in order to get the erosion -- to erode
21 the limestone.

22 Just having a fault with a hundred or a couple
23 hundred feet of relief, I don't think is enough to create a
24 significant fan. You might have a small buildup right at
25 the base, but not a significant fan. You need some

1 structural relief to get the erosion.

2 Q. So according to your map, the northeast quarter
3 of Section 12 really isn't going to contribute very much to
4 the well in the northwest quarter of Section 12?

5 A. The northeast quarter? Well, I think it's going
6 to be thinner out there. And again, it depends on if the
7 State "X" 1 comes in, and if it's a better well than I'm --
8 I think it will be an economic well for a re-entry. We'd
9 have to evaluate, would that be an economic well in the
10 northeast quarter to drill a top-to-bottom well? I would
11 much rather drill in the northeast quarter than the
12 southwest quarter.

13 COMMISSIONER BAILEY: Those are all the questions
14 I have.

15 CHAIRMAN FESMIRE: Commissioner Chavez?

16 EXAMINATION

17 BY COMMISSIONER CHAVEZ:

18 Q. Mr. Amiet, I was trying to look at this in my own
19 mind to the up and downs that you have on showing which
20 directions the relationships are on either side of the
21 fault, and it's very, very difficult to imagine. So this
22 -- What we're looking at is tremendous changes underneath
23 the ground throughout this area?

24 A. That's correct, I think you can see that on this
25 structural cross-section, how much relief you get on some

1 of these pop-up fault blocks.

2 Q. But even then, when one side is up, one side is
3 down, and yet they come close together, in trying to
4 imagine that or make at least a model in my mind, as I get
5 towards the southern part of Section 2 it becomes real
6 difficult in my mind to see that. Would you say there's
7 quite a bit of change in there because of that?

8 A. Oh, yeah, no doubt. The seismic is a little --
9 as I mentioned earlier, the seismic is a little more
10 indistinct in there, because this pop-up block has been
11 broken up as it's being uplifted. It didn't come up as one
12 big piece, it came up as a number of slivers, so it's a
13 little hard to resolve in there.

14 But again, I put the contours the way we think
15 the seismic -- our best interpretation, although as you
16 come to the south it becomes less resolvable on that pop-up
17 block.

18 Q. Okay. Is this fault, then, more of a sealing
19 type of fault? What's the significance, say, between the
20 wells as far as we might look at drainage, these different
21 zones?

22 A. This northeast-to-southwest fault?

23 Q. Yes.

24 A. Okay, the northeast-to-southwest, I don't know
25 that I would call it a sealing fault. I think on top of

1 the structure -- Structure is more important for these
2 wells that are producing on top of the Four Lakes field. I
3 don't think structure means much in the deposition -- I
4 don't think structure is important in terms of fracturing
5 in these wells, the "M" 1 or the State "X" 1. So that
6 fault is important just in the fact that it lifted up this
7 Four Lakes field block, and you've got erosion off of that
8 high.

9 Q. Okay. Now, your interpretation of the direction
10 of the alluvial fan, just to glance at it for me, it looks
11 like just a very slight angular change -- I'm sorry, I'm
12 looking at your Exhibit Number 7 --

13 A. Yes.

14 Q. -- a very slight change in the way you've got the
15 direction of the material going there --

16 A. Uh-huh.

17 Q. -- a very slight angular change could put
18 everything more in the east half there at the -- where you
19 show the flow, I guess, coming across the fault.

20 A. Well, if you look at the contours, the contours
21 are going to -- or the channel is going to go downdip where
22 the contours point -- it's hard to explain this -- where
23 the contours point towards the Four Lakes field, the
24 channel will go down. That's the path of least resistance
25 or the path of easiest flow for the fluid, so I think there

1 could be a little bit more trending to the east.

2 And also I took into account the State "X" Number
3 1, and again my knowledge of other wells, that looks like
4 it might produce but it doesn't look like it's going to be
5 a great well, so I put less pay in the State "X" 1 using
6 that 200-ohm cutoff, and that kind of maybe tilted that fan
7 a little bit more to the east.

8 Q. But doesn't that assume that the contour lines
9 you're showing were in existence in that manner at the time
10 that the material was flowing down?

11 A. That's true, but that's all that we really can go
12 on. We can't go back and see what it looked like during
13 deposition of the fan or the uplift in the late Morrow
14 time. We just have to infer that it's similar to what we
15 see today.

16 Q. Okay. Was this information, the seismic
17 information, available to Yates at the time that they
18 entered into a voluntary agreement with the Applicant on
19 the west half of Section 1?

20 A. I believe it was.

21 Q. According to your interpretation here on your
22 Exhibit 7, however, it would seem like the majority of the
23 reservoir from that alluvial fan is in the south half of
24 Section 1, rather than on the west half.

25 A. Mr. Pride did a good job in recognizing the

1 potential in the State "M" 1. The Austin wasn't productive
2 in this area, or really it wasn't very productive anywhere
3 in the Tatum Basin. And I congratulate him on that; Yates
4 missed that. So we -- This map was not made at that time.
5 We had the 3-D seismic. We were looking for channel sands
6 in the lower Morrow, not Austin pay. So again Mr. Pride
7 found something that we missed, and this map was not made
8 at that point. We didn't recognize that potential for the
9 State "M" 1.

10 COMMISSIONER CHAVEZ: Okay, thank you. That's
11 all I have.

12 EXAMINATION

13 BY CHAIRMAN FESMIRE:

14 Q. Mr. Amiet, one thing that concerns me here is,
15 you've got these two faults, both the main northeast-
16 southwest-trending fault --

17 A. Uh-huh.

18 Q. -- and the smaller fault intersecting the north-
19 south fault --

20 A. Uh-huh.

21 Q. -- at sort of an odd angle. Isn't that an odd
22 angle for faults to intersect at?

23 A. No, it isn't. In a wrench-type fault system
24 where you get these pop-up blocks, you can have a 30- to
25 45-degree angle off of your main fault. Your main fault is

1 your north-south fault, and that's again in textbooks, that
2 you get secondary faults cutting off.

3 And again, we see the same thing, just the same
4 pattern that we're seeing here down in the Ranger Lake
5 field that's several miles to the south, identical fault
6 configuration coming off at a 30- to 45-degree angle.

7 Q. Well, it wouldn't take much of a change in your
8 interpretation to have those two faults running parallel at
9 40 to 60 degrees off the main fault, would it?

10 A. I believe enough in the seismic, that you can't
11 change the location of this northeast-southwest fault more
12 than maybe 100, 200 feet. The seismic is that good.

13 Q. Just to clarify something that's come up twice in
14 your testimony, do you all intend to drill -- if you're
15 successful in this case, do you intend to drill a second
16 location in the north half of 12?

17 A. That's something we'd have to evaluate, depending
18 on how good the "X" 1 well is. If it's a better well than
19 I think, yeah, that's the option we would definitely
20 consider.

21 At this time we have no plans to drill an offset.
22 First we want to re-enter this well, the "X" 1, and see
23 what kind of production there is, because the way I've got
24 it mapped on the -- maybe the limits of this fan, you still
25 get decent production, or is -- because again, you're going

1 out to the limits of the fan, you go out to the northeast
2 corner.

3 And again, that depends to some extent how much
4 limestone has been eroded, and Dr. Boneau is going to
5 address this question, how large some of these fans can be.

6 CHAIRMAN FESMIRE: Okay. I have no further
7 questions.

8 Mr. Bruce do you -- I mean, Mr. Carr, I'm sorry.

9 MR. CARR: Nothing further.

10 CHAIRMAN FESMIRE: Your next witness?

11 MR. CARR: Yes, sir, at this time we call Dr.
12 Boneau.

13 DAVID F. BONEAU,
14 the witness herein, after having been first duly sworn upon
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. CARR:

18 Q. Would you state your name for the record, please?

19 A. David Francis Boneau.

20 Q. Dr. Boneau, where do you reside?

21 A. Artesia, New Mexico.

22 Q. By whom are you employed?

23 A. Yates Petroleum Corporation.

24 Q. And what is your current position with Yates
25 Petroleum Corporation?

1 A. It's called engineering manager.

2 Q. What does that involve?

3 A. I'm responsible for all the engineering
4 functions, including drilling, completion, environmental
5 and reservoir.

6 Q. Have you previously testified before this
7 Commission?

8 A. I've testified before the Commission, but it was
9 composed of different people --

10 Q. All right, would you --

11 A. -- the last time --

12 Q. -- would you review your --

13 A. -- except for one.

14 Q. -- would you review your educational background?

15 A. Yes. I have a BS in physics from Notre Dame in
16 1962. I'm old. I have a PhD in nuclear physics from Iowa
17 State University in 1969. I have had two jobs in my life.
18 I worked for Phillips Petroleum for 12 years, first as a
19 research scientist, and through all sorts of funny events
20 turned into a reservoir engineer for Phillips Petroleum.
21 And I have worked 24 years for Yates Petroleum as reservoir
22 supervisor, reservoir engineer, and engineering manager.

23 Q. Dr. Boneau, are you familiar with the Application
24 filed in this case on behalf of Pride?

25 A. Yes, sir, I am.

1 Q. Have you made an engineering study of the area
2 that's the subject of the Application?

3 A. Yes.

4 Q. Are you prepared to review your work with the Oil
5 Conservation Commission?

6 A. That would really be great. Yes, sir.

7 MR. CARR: I tender Dr. Boneau as an expert in
8 petroleum engineering and reservoir engineering.

9 CHAIRMAN FESMIRE: Mr. Bruce, do you have any
10 objection?

11 MR. BRUCE: No, sir.

12 CHAIRMAN FESMIRE: Objection from the Commission?

13 COMMISSIONER BAILEY: No.

14 COMMISSIONER CHAVEZ: Qualified.

15 CHAIRMAN FESMIRE: He is accepted as an expert
16 witness.

17 Q. (By Mr. Carr) Dr. Boneau, let's go to what's
18 been marked Yates Exhibit 13, also bears the notation E-1.
19 Would you identify and review that, please?

20 A. Exhibit 13 is another map. You guys have seen
21 lots of maps. It simply shows Section 1 and Section 12 in
22 kind of big, bold -- The yellow is the Yates acreage, and
23 we're talking about two wells which I think we should agree
24 to call the State "M" and the State "X" and not worry about
25 all the other names that have been given to it. So you've

1 seen that exhibit.

2 Q. And the yellow shading is the Yates acreage?

3 A. The yellow shading is the Yates acreage.

4 Q. Okay. Would you go to Exhibit Number 14,
5 identify and review that?

6 A. Okay, the main thing I'm bringing to you is a
7 drainage calculation, and a lot of directions to go from
8 that, but we've done a drainage calculation for the Pride
9 Energy State "M" Number 1 well, and the page that's marked
10 Exhibit 14 is the summation of that. The pages behind it
11 gives some detail of the backup that's required to get this
12 equation -- I mean this analysis, this calculation.

13 It's a standard volumetric -- what I call
14 pancake-reservoir calculation, so constant-height reservoir
15 calculation, which we know we don't have here, but anyway
16 -- and item 1 is the volumetric equation, and I'm using a
17 recovery factor of 80 percent of the gas in place to be
18 recovered. And Pride has said that's high, but that's
19 relatively reasonable for this kind of medium-permeability
20 reservoir.

21 Item Number 2 is the results of my log analysis
22 that you will see in the preceding pages, and it gives a
23 hydrocarbon pore volume of 2.1 feet. That means if you
24 take all the 30 or so feet of pay and condense it down to
25 the pay that actually is gas, holes with gas, there's 2.1

1 feet of holes of gas in this log, in the log for the State
2 "M" 1.

3 Item Number 3 talks about the gas formation
4 volume factor, and that's -- as you engineers know, that's
5 simply related to -- you have a cubic foot of gas in the
6 ground under temperature and pressure. When it comes to
7 the surface and conditions, it gets a lot bigger. And it
8 goes through the calculation, and it says it becomes 275
9 standard cubic feet on the surface.

10 Then items 4 and 5, I've taken the equation,
11 rearranged it, and in item 5 completed the calculation.
12 And you need to see the pieces of this, but you need to see
13 the answers too. And the answers are, for the production
14 to date, which is about a half a BCF -- and the number
15 there, 464,127 MCF, is as of earlier this year. But that
16 much gas, with 80-percent recovery, came out of 23 acres of
17 this imaginary pancake reservoir. That's like -- has the
18 same thickness as what you see in the State "M" 1 well.

19 What we'll see a couple pages down the road, that
20 we need to spread that over a little bit more area because
21 it's not that same thickness everywhere, but for pancake
22 reservoir it's drained approximately 23 acres to the
23 present time. And I'll show you in a minute, you know, my
24 estimate of how well this Mississippi zone is going to do
25 in the future, and I'm saying it's going to make about 2.3

1 BCF in its life, and that would require that you pull 80
2 percent of the gas out of 113 acres of the same kind of
3 pancake reservoir.

4 Q. Okay, let's go --

5 A. So the bulk of my testimony is going to support
6 those calculations and then try to apply it to the more or
7 less real situation we have here.

8 CHAIRMAN FESMIRE: Can I ask a quick question?

9 MR. CARR: Yes, sir.

10 CHAIRMAN FESMIRE: Doctor, why did you use the
11 80-percent recovery factor, instead of calculating the gas
12 in place and abandonment pressure?

13 THE WITNESS: I think that -- you want -- well, I
14 think this is -- I don't know what abandonment pressure is.
15 I think this just avoids issues of compressors and of line
16 pressures and -- It's going to give you the same picture,
17 and it just avoids the complication of trying to -- us
18 agree on that parameter, on -- Scout's honor, we're going
19 to get the same kind of general conclusions. Maybe I
20 should just say this is easier than...

21 CHAIRMAN FESMIRE: Okay.

22 THE WITNESS: But I think it's entirely
23 appropriate in this case, and I'd hate to add those
24 complications to the gibberish that I'm putting out to you
25 right now.

1 CHAIRMAN FESMIRE: Okay.

2 Q. (By Mr. Carr) Dr. Boneau, let's go to Yates
3 Exhibit Number 15. What is that?

4 A. Yates -- So now I have a few exhibits, you know,
5 supporting what I did in that calculation, or at least
6 showing you what I did in that calculation.

7 Exhibit 15 is a production plot of the State "M"
8 1 well, the Pride well. The pink triangles are the gas
9 production in MCF per day, and the green triangles are the
10 oil production. The oil production is becoming less and
11 less significant, but there's about 5000 barrels of oil
12 involved here.

13 So the well is currently making, you'd say, 500
14 MCF a day. And it's been fairly flat. It's not going to
15 stay flat forever, it's going to decline. And I've got it
16 declining relatively slowly. That's what Exhibit 15 shows.

17 And it leads right into Exhibit 16, which is my
18 computer spit-out of the future of this well, including
19 dollars, which are not really of interest here. But it --
20 What's really of interest is, in the upper left there's a
21 couple columns, gross oil and gross production, gas, MMCF,
22 et cetera, which lists what amounts of gas the well would
23 produce in the future if it follows the curve that I am
24 forecasting for it.

25 And what it says is that over 20-some years,

1 quite a long time, the well will make an additional 1.8 BCF
2 and cum about 2.3 BCF. And that's what I think the well is
3 going to do, and I think that's pretty optimistic. It can
4 be a good well for 20 years or a -- a good well, it's not a
5 5-million-a-day well, it's a 500-MCF-a-day well. But it's
6 hanging in there, and I think it's going to hang in there
7 quite a while longer. And those are the numbers I used and
8 the drainage calculation for the production.

9 Q. Let's go to Exhibit 17, the log section.

10 A. Exhibit 17 and I guess Exhibit 18 talk about what
11 we did for the log analysis. And Exhibit 17 is exact- --
12 well, really close to exactly the same picture as our
13 geologist John showed in Exhibit 10. So it's the log that
14 Pride ran when they re-entered this well. It's the
15 porosity log. And we went in and read the porosity, both
16 the density porosity and the neutron porosity, over the
17 perforated interval from this log.

18 We also read the resistivity from the
19 accompanying log, which I didn't put in here and probably
20 should have put in here. We can go give it to you if you
21 really want it. But we took numbers off of their log to do
22 the log calculation. Here's the porosity log.

23 Exhibit 18 is a tabular presentation of foot by
24 foot, showing this log analysis. And so we have a column
25 that's depth and a column that's neutron porosity right off

1 the log, density porosity right off the log, crossplot
2 porosity, which is halfway in between those.

3 We used -- and "we" is me with consultation with
4 John Amiet -- used a porosity cutoff of 5 percent in a
5 carbonate, pretty reasonable number. And that cuts out
6 some of the porosities that are smaller than that, but it
7 leaves 31 feet that have porosity greater than 5 percent.
8 There's a column that's the deep resistivity off of the
9 resistivity log. Used Archie to calculate the water
10 saturation, and in the right-hand corner a hydrocarbon pore
11 volume.

12 The lower right-hand corner is the final answer,
13 the sum of all that right-hand column, 2.1 feet of empty
14 space that contains gas.

15 So it's just the details of our log analysis,
16 and --

17 Q. And that information was used in the drainage
18 calculation?

19 A. And that information was item 2 in the drainage
20 calculation, and the production information was used in, I
21 think, item 5 of the drainage calculation. But I tried to
22 show you where all the numbers came from that I used in the
23 drainage calculations.

24 Q. Dr. Boneau, let's now go to Exhibit Number 19.
25 Would you identify and review this exhibit?

1 A. Exhibit 19 you've seen before also. It's
2 basically Exhibit 9 or Exhibit 5 -- no, it's Exhibit 9 with
3 John Amiet's isopach. And then I've tried to show in that
4 context where these drainage areas, you know, actually fit.
5 And I need to say -- Well, I need to say this carefully and
6 right.

7 First of all, the porosity -- Well, first of all,
8 the isopach, the fan that is shown there contains about 6
9 BCF of gas. I calculated using this isopach and
10 planimeters and all that stuff. And if you assume that the
11 porosity in the "M" 1 is representative of the whole fan --
12 which, you know, maybe or maybe not is true -- there's
13 about 6 BCF of gas in place in that fan. I think that --
14 Well, I'm not arguing for anything; I just think that's a
15 number that you get in your head that acquaints you of what
16 we're talking about.

17 So there is a rather small, sort of dime-sized
18 red circle around the State "M" 1 well. That encloses the
19 area that the well -- the circular area that the well has
20 drained to date. And it's not 23 acres, since this isopach
21 is -- you know, is not flat, it has some curvature to it.
22 I've taken that into account, and this circle is about 29
23 acres, in order to contain the volume that's necessary
24 -- that's equivalent to that. 23 acres of 31 feet is
25 equivalent to 29 acres of 30 and a little, 25, et cetera.

1 I mean, you can't tell the difference very much, but that's
2 what I'm trying to do. I'm trying to show you the area in,
3 you know, quotes, the real reservoir, at least John Amiet's
4 real reservoir, that would be drained.

5 And I think a point is that to date the gas has
6 come from the southwest quarter of Section 1. It just has.
7 The drainage circle is not out all that far, so far, to the
8 state.

9 The blue circle that's more or less half-dollar
10 size shows the area of this isopach that would have to be
11 trained to contain the amount, the 2.3 BCF of gas that I am
12 forecasting the well will actually drain. And I calculated
13 113 acres as a pancake reservoir, and because of the
14 curvature of the fan that expands to like 145 acres. And
15 so the blue circle there is 145 acres. But that is an area
16 that would contain, at 80-percent recovery, the 2.3 BCF of
17 gas. Okay.

18 And from there we get into, you know, what does
19 all this mean for the situation that you face. And Mr.
20 Carr probably wants to lead me through that, or let me go
21 blind.

22 Q. There's nothing you could do to lead Dr. Boneau
23 through anything.

24 Dr. Boneau, would you summarize for the
25 Commission the conclusions that you've reached from your

1 engineering work on this reservoir?

2 A. Well, some of these are opinions and some of
3 these flow directly from the calculations.

4 I think that the "X" well will be about, you
5 know, half as good as the "M" well. It will be less good.
6 It has less feet of pay, it's further from the source, it's
7 going to be somewhat smaller particles, all that stuff.

8 The "M" well -- well, I told you, has drained 23
9 acres as a pancake or 29 acres to date, and it will
10 eventually drain 113 by one calculation, or something, up
11 by 150 eventually. But a lot of gas is going to come out
12 of less than 160 acres in this well.

13 The southwest quarter of Section 1 is where most
14 of the gas is coming from in the "M" well. And to apply
15 that to the "X" well I pull numbers around in my head, but
16 -- well, okay, let's see if I can tell you what numbers in
17 my head.

18 I think the "X" well will be half as good as the
19 "M". It's only got a third of the pay, and so it's going
20 to reach that dime-sized drainage area, you know, faster
21 than the "M" is going to reach it, in two years rather than
22 three years.

23 But the initial drainage around the "X" well, you
24 know, is going to be in the northwest quarter of -- the
25 drainage in the "X" well is always going to be more from

1 the northwest quarter than from the southwest quarter,
2 clearly in our picture, because we have no reservoir in the
3 southwest quarter. But even if there is reservoir in the
4 southwest quarter, the majority is going to be from the
5 better acreage in the northwest quarter.

6 If Pride is right that the "X" well is 25 or 30
7 feet thick, then it's like the "M" well, and my circles
8 around the "M" well you could transfer to that "X" well
9 location. And again it will say, initially, the first
10 three or so years, all the gas is going to come from the
11 northwest quarter. And over time, even if they're right
12 about the thickness at the "X" well, most of the gas, you
13 know, 60, 70 percent, 80 percent of the -- well, 60 to 70
14 percent of the gas is going to come from the northwest
15 quarter, and eventually that "X" well will get up there and
16 bump into my blue circle and push it back. It will take
17 those -- it will fight with the "M" well for those
18 reserves.

19 Probably a lot that is obvious to you, and --

20 Q. Dr. Boneau, if the --

21 A. -- that's fine.

22 Q. -- Application of Pride is granted and a west-
23 half unit is formed, what impact will that have on the
24 correlative rights of Yates?

25 A. Well, we're going to -- If what they want to

1 happen happens, we'll have 50 percent of the well, and we
2 will be providing, I think at a minimum, 65 percent of the
3 reserves and, according to our geologic picture, which
4 actually fits together pretty well, we're providing, you
5 know, 97 percent of the reserves, or some really high
6 percentage.

7 Q. In your opinion will approval of the Application
8 deny Yates the opportunity to produce the recoverable
9 reserves under its tract?

10 A. Say that again, because I didn't listen to the
11 first part.

12 Q. If the Application of Pride is granted, will it
13 deny to Yates the opportunity to produce the recoverable
14 reserves under its acreage in the north half and in the
15 northwest quarter of this section?

16 A. If the Commission approves what Pride wants,
17 we'll get a bunch of reserves taken away from us.

18 Q. If that Application is denied, will it prevent
19 Pride from developing its reserves with a well drilled on
20 its acreage?

21 A. No, Pride -- If there are reserves on Pride's
22 acreage, they can drill a well and get those reserves.

23 Q. Dr. Boneau, were Exhibits 13 through 19 prepared
24 by you?

25 A. Yes, they were, with a little help from people

1 who helped me with work --

2 Q. But you --

3 A. -- under my supervision.

4 MR. CARR: At this time, may it please the
5 Commission, we'd move the admission into evidence of Yates
6 Exhibits 13 through 19.

7 CHAIRMAN FESMIRE: Any objection, Mr. Bruce?

8 MR. BRUCE: No objection, Mr. Chairman.

9 CHAIRMAN FESMIRE: From the Commission?

10 COMMISSIONER BAILEY: No.

11 COMMISSIONER CHAVEZ: No objection.

12 CHAIRMAN FESMIRE: They're so admitted.

13 MR. CARR: That concludes my direct of Dr.
14 Boneau.

15 CHAIRMAN FESMIRE: Mr. Bruce, do you have some
16 cross-examination?

17 MR. BRUCE: Just a very little.

18 CROSS-EXAMINATION

19 BY MR. BRUCE:

20 Q. In an alluvial fan, does permeability and
21 porosity vary?

22 A. In carbonates permeability and porosity vary,
23 yes.

24 Q. Now, your calculations are based on a uniform
25 porosity, correct?

1 A. Yes.

2 Q. So if it's not uniform, would you then drain a
3 larger area less efficiently?

4 A. Yes, in theory, but we're talking -- with the "M"
5 well, we're talking about the good part of the reservoir,
6 which extends over most of what we -- over most of my blue
7 and red circles. And so in theory, yes, I agree, but I
8 don't want to agree that that's a great factor in my
9 calculation for the "M" well. Obviously, you're right --
10 Maybe out between the zero and 10 contour lines the
11 porosity is less and the rock is tighter and my recovery
12 factor should be lowered in that area.

13 Q. Now, let's get to one of the -- the final -- one
14 of the final questions Mr. Carr asked you, you said that
15 Pride won't be harmed because it can go drill another well
16 and get the reserves under its tract. I believe that was
17 the essence of your answer, it can drill its own well, it
18 can get the reserves under its tract? If necessary I could
19 probably have the court reporter read the question back.
20 I'm thinking --

21 A. Is your question, is that what I said, or --

22 Q. Yeah, is that what you said? It was with respect
23 to correlative rights.

24 A. Yeah, that's basically what I said. And this --
25 The "X" well, you know, I was surprised to hear Mr. Pride

1 say that we should love his deal for this "X" well because
2 we loved his deal for the "M" well. The difference with
3 the "X" well is that we own the whole north half, and we
4 don't need all this pooling nonsense, *et cetera*.

5 Q. Well, that's what I'm getting to.

6 A. I don't know if that's where you're going or not.

7 Q. No, not quite. I don't think we heard the word
8 "love" in here before, Mr. Boneau. But my question was
9 this --

10 A. Just a nice four-letter word.

11 Q. The question was this: You say Pride won't be
12 affected because they can go drill a well in the southwest
13 quarter.

14 A. Well --

15 Q. But then Yates would get 50 percent of that also,
16 wouldn't it?

17 A. Unless we went nonconsent or something, yes.

18 Q. Yeah.

19 A. I mean, I don't know where you're leading, but
20 the "X" well is a re-entry, it costs \$750,000. A new well
21 costs a million dollars more than that, and you need
22 commensurate -- double the reserves, or --

23 Q. Okay.

24 A. -- more than double the reserves to do that. So
25 Pride is not going to cavalierly go out and drill the

1 southwest quarter, and I'm surely not suggesting that they
2 should. But the reserves are mostly on our acreage, and
3 somehow we should get most of the reserves.

4 Q. But if Pride's -- if Yates gets what it wants,
5 which is a north-half unit, but Pride's geology is correct,
6 then Yates will be getting 75 percent of that production,
7 will it not?

8 A. Assuming a lot of things are equal, you're right,
9 you know. It might be somewhat different from that, but
10 yeah.

11 MR. BRUCE: Thank you. That's all I have.

12 CHAIRMAN FESMIRE: Commissioner Bailey?

13 COMMISSIONER BAILEY: I don't have any questions.

14 CHAIRMAN FESMIRE: Commissioner Chavez?

15 EXAMINATION

16 BY COMMISSIONER CHAVEZ:

17 Q. Yes, Dr. Boneau, after -- it looks like almost
18 three years of production from the well in Section 1, do
19 you find that the actual production profile that's there is
20 in agreement with your calculations of what you would
21 expect that well to be doing at this time, or have you
22 explored that?

23 A. I've asked myself that. Not every well -- Well,
24 whatever. The production profile of this well is a little
25 unusual. It's not unique or the only one ever seen, but

1 it's a little unusual.

2 I think the well -- the well really is declining,
3 and you can see three or four months at the end of '03,
4 it's declining, and then it's back up a little but it --
5 operators and wells can hang in there like this for a
6 while, but they can't do it -- And I don't even know what
7 direction you're going. I really think that my curve is as
8 optimistic as I dare be, is what I think my curve is.

9 I'm answering questions you're not asking, but
10 you get on the subject and, you know, I'll tell you what I
11 know or what I think about it.

12 So there's a period in there of six or eight
13 months where it's extraordinarily flat. Physics and, you
14 know, the real world simply can't let that happen forever.
15 It is falling. And so I think it's really, basically, a
16 normal operating well that had a few good months.

17 So I don't know what the permeability is. I
18 think the permeability is half a millidarcy or something in
19 that, and I can make that okay in my head, that this kind
20 of well would operate like that, and that 80 percent or so
21 recovery is reasonable for that kind of a well.

22 Yeah, I have tried to put together in my head and
23 on paper here the kind of things you're saying, and I think
24 it fits together. I think that the really flat part of
25 this production is just an anomaly that's not going to

1 continue over years, and it's going to -- this kind of
2 behavior makes sense with an unfractured carbonate, 8-
3 percent porosity, half a millidarcy permeability. Yes, I
4 have tried to think that through, and I have satisfied
5 myself that it makes sense together. I think that's what
6 you're asking, but --

7 Q. Yes, I --

8 A. -- I have worried about that, yes, and I am
9 telling you what my inner feeling is about it.

10 Q. Okay, was there anything from the production
11 profile of that well that influenced your calculations that
12 you made in that Exhibit 14?

13 A. Well, I'm not sure where that goes at all. I
14 have this production information about this well, I have a
15 log, I've learned lots in talking with the geologist that I
16 didn't know before, and it all makes a good picture.

17 To me, this well acts like lots of wells that we
18 have in Wyoming where there's relatively tight rock
19 everywhere, and then come down to a level and stay fairly
20 flat, but over time they fall off slowly anyway, and that's
21 -- I've taken the production and this is what I think it's
22 going to be and I think -- well, this is what I'm showing
23 you it's going to be, and I think that this is probably as
24 most optimistic I'd be about this well.

25 I have the feeling I didn't address your question

1 at all.

2 Q. Well, in a sense you did. I was asking if these
3 numbers that you used, the way you calculated --

4 A. Oh, you're talking about --

5 Q. -- on Exhibit 14 --

6 A. I should look at the --

7 Q. -- if there was any information in there, any of
8 the things that you used that came from the actual
9 production of the well in Section 1, anything that
10 influenced your calculations?

11 A. Okay. Well, let's talk about the num- -- There's
12 only a handful of numbers, really.

13 The recovery factor is just my guess, and it's my
14 guess based on guessing thousands of wells and other people
15 doing the same thing, but 75 or 80 percent -- 80 percent is
16 a right kind of number for this well. That's just my
17 feeling.

18 The log analysis is standard log -- number two,
19 is standard, you know, stuff that you're not going to have
20 much problem with.

21 In item number three, I do not have a bottomhole
22 pressure from Pride's well. The number there is based on a
23 gradient that's reasonable in the area from our wells, and
24 I think it says 4860 pounds, like I really know it's not
25 4870, but it's 4800 to 5000 pounds, and that's no factor.

1 The temperature is taken from the log and from
2 the gradient in southeast New Mexico, and that's within a
3 couple degrees of right.

4 I do not have a gas analysis from their well.
5 Their well makes a reasonable amount of oil, and I assumed
6 -- I'm quite sure the gas gravity is about .7; I don't
7 think it can be .65 because it makes too much oil for that.
8 I used .7. It might be .72, it might be .68, but that's a
9 number I had to use, and the number I used is a reasonable
10 one, so the Z and everything follows from that. So the 275
11 standard cubic feet per cubic foot has got to be right
12 within 10 or 20 standard cubic feet per cubic foot. It is,
13 even though a couple of the numbers I did not have the
14 actual thing.

15 The production numbers, the production to date is
16 in the state records, and you can just go look up the
17 number.

18 The prediction for the future is my prediction.
19 I sat down and do a curve out there and looked at it and
20 went and got a cup of Coke and came back and drew it again,
21 and that's what you see. It's my best estimate. Anyway, I
22 tried to review, you know, where those numbers came from,
23 blah, blah, blah, quickly. I hope that's --

24 Q. That's helpful, thank you.

25 A. -- helpful or --

1 Q. Okay, let's look at your Exhibit Number 19 then.
2 Okay, if the reservoir is made up as it's described here
3 with a certain thickness of material and all, do your
4 calculations appear to confirm that geometry that's shown
5 there?

6 A. Yeah, we -- You know, I'm glad you asked. You
7 may not have even asked this, but Mr. Amiet promised that I
8 would talk about how much material was in there, and I
9 really haven't done it.

10 The isopach that's on 19 and an earlier exhibit
11 where it first were introduced, the volume -- I gave him
12 the volume of that basically. He made the orientation, in
13 which direction do we go and how those channels go and all
14 that stuff, but I gave him a volume for the whole thing,
15 and it might be worthwhile to explain where we got that.

16 I think the best way -- I hope you asked this
17 question, because I'm trying to answer this question that I
18 made up in my head.

19 If you look at Exhibit 5, which is his original
20 structure map, I think you'd call it, but -- The volume of
21 the material in the fan was estimated by me in the way I'm
22 trying to explain in the next sentences.

23 I estimated the volume of this Devonian high
24 inside this pie-shaped piece. And in your thinking, if you
25 just ignore the little fault you're better off. I ignored

1 the little fault. The little fault is not big enough.

2 There's a pretty good-sized pie-shaped piece
3 there in the northeast part of Section 2, and in my
4 estimation of it, I basically looked at -- There's a
5 structure line of minus 7600 that goes from the diagonal
6 fault north and then turns west. It's there, and
7 essentially the high is defined by the north-south fault,
8 the diagonal fault and that minus 7600 line. That's the
9 real Devonian high and the real -- at the least the way I
10 picture the geology, the real high that rubbed off and went
11 down the hill and formed this fan. So that's about 200
12 acres. John mentioned some numbers. I used about 200
13 acres, is what I used as the number.

14 John estimates that about 100 feet came off that
15 high and fell down, and I said roughly two-thirds of that
16 material went the southeast direction. So 200 acres, 100
17 feet thick, two-thirds of it going the southeast direction,
18 gives you a volume of debris falling down the hill, and
19 that volume is represented in the isopach that John drew.

20 I don't know that that's at all -- Well, it's got
21 to be vaguely related to your question, but I wanted to
22 make that clear or at least tell you more about -- since
23 John promised and we hadn't delivered, I wanted to at least
24 tell you what we had done there.

25 Q. Well, what I was getting at is, you have a

1 volume, then, of material that forms this reservoir --

2 A. Yes, we have a volume --

3 Q. -- and it contains gas --

4 A. Yes.

5 Q. -- and given there's some gas producing from it
6 at a certain pressure, have you seen any -- does the
7 production profile or -- seem to match or in any way
8 confirm your estimates of what that material -- the size --
9 the volume it was and how much oil and gas it might
10 contain?

11 A. What's happened to date is consistent with the
12 picture that I've shown you.

13 Q. Okay.

14 A. Whether our picture is uniquely right, you know,
15 will be determined in time. We don't have enough data to
16 say, whatever. But what we have here is a -- The geologist
17 and I usually don't agree on things this well, but he
18 really does have 3-D seismic, and we've got agreements with
19 Western that we can't show you the 3-D seismic, and that
20 handcuffs us.

21 But on the 3-D seismic, this, and this diagonal
22 fault are, you know, clear to a dumb engineer. They are
23 really there. We got this amount of material that's a
24 reasonable estimate, off this high coming -- it's coming
25 down, and it sort of turns just like the structure map

1 turns.

2 The volume matches what we know about the logs.
3 We've only got two logs, and one of them is ancient. But
4 it all fits together into this picture, and the production
5 so far fits this picture.

6 So what we've done is supported by, you know, 10
7 or 15 different facts coming from different directions, and
8 it's way more believable than a lot of stuff that I've got
9 to show the bosses and we make decisions on. This one is,
10 you know, not pinned down to the corners, but it's pinned
11 down way better than most of the stuff we're doing,
12 estimate what's going on two and a half miles down in the
13 ground.

14 This is a good, consistent picture, and it makes
15 -- well, it definitely is sensible, and all the facts to
16 date confirm and agree with it. We'll learn something in
17 the future that it's not right here or there, but right now
18 it is a sensible, consistent picture.

19 COMMISSIONER CHAVEZ: Thank you, that's fine.

20 EXAMINATION

21 BY CHAIRMAN FESMIRE:

22 Q. Doctor, during this period of flat production do
23 we know what the flowing tubing pressure was doing?

24 A. I do not know. Pride probably knows. I do not
25 know.

1 Q. Okay. But you all --

2 A. I do not have the data on that detail on that
3 detail, no.

4 Q. Okay. We're going along producing about 500 a
5 day for a year or more, and then all of a sudden the
6 production doubles for a month. Do you have any idea what
7 caused that?

8 A. Yeah, I do have an idea what caused that. The
9 system has a zero, and it has two months as one entry.

10 Q. Okay.

11 A. You just look at the numbers and that's obvious.
12 There's a zero and a month that's double high. And if you
13 took that double high number, cut it in half and assigned
14 it to each of those months, you would not see it at all on
15 this plot.

16 Q. Okay.

17 A. I'm sure that's what happened.

18 Q. Okay. You broke the decline rate out in the
19 beginning of 2009, you changed your decline rate.

20 A. Yes.

21 Q. What's the scientific basis for that?

22 A. There's probably no scientific basis for that.
23 The initial decline rate from 2004-2009 is quite flat, and
24 I do not believe that that flat decline rate can continue
25 for 20 years, and I want to give it credit for what it's

1 doing now, but I just don't think it's right to give it
2 credit 20 years from now for what it's doing now. It just
3 isn't going to stay that flat. Wells do not stay that
4 flat. We've all looked at a lot of wells, and wells in
5 southeast New Mexico do not stay that flat.

6 And so I gently increased the decline rate.
7 That's what I do when I do our own company's reserves, and
8 that's what I did here.

9 CHAIRMAN FESMIRE: Okay, I have no further
10 questions.

11 Do you have any redirect?

12 MR. CARR: No, sir, I do not. That concludes the
13 presentation of Yates' case.

14 CHAIRMAN FESMIRE: Okay. Dr. Boneau, thank you
15 very much.

16 At this point, we probably ought to take about a
17 10-minute break, and then I think we're going to break into
18 executive session and go over what the evidence has been
19 presented today and try, I hope, to come up with a decision
20 this afternoon. We may not.

21 MR. BROOKS: Yes, I believe we need a motion and
22 vote on the record to go into executive session.

23 MR. CARR: And Mr. Chairman, I mean, if you want,
24 we can provide brief closings. If you don't need them, we
25 won't burden you with them.

1 CHAIRMAN FESMIRE: Having forgotten about that, I
2 wouldn't mind it. I don't know about the other members of
3 the Commission.

4 COMMISSIONER CHAVEZ: That would be fine.

5 CHAIRMAN FESMIRE: Well, why don't we go ahead
6 and do the closings, then, prior to --

7 MR. CARR: I had a very long closing, and I guess
8 not -- as being the unapplicant, I go first. Jim as the
9 Applicant goes last. And I have during the course of today
10 gotten rid of a good part of it, you'll be happy for that.

11 As I look at the case, the closing -- the purpose
12 of a closing is to review the evidence and the law. And at
13 the end of this case, as I look at it, it seems to me that
14 while we can argue about APDs and is Pride attacking the
15 actions of the District Office and have they tried to get
16 an APD to take reserves or not, that we've really gone
17 beyond that in this case.

18 Now, I want you to know that going first, I have
19 to sort of warn you that when Jim speaks I don't get to
20 talk again, and so there are a few things I sort of have to
21 head off up front.

22 We talked at some length, the two of us, and
23 addressed things in the prehearing statements about
24 problems with how APDs were approved. And I remember days
25 when anyone could get an APD, and everyone would come to my

1 office excited when they had one, and I got to tell them,
2 yes, but I'm sure the other side will have one too.

3 And the problem with it as I see, and as we sort
4 of banter back and forth on the same side sometimes, as
5 well as on opposite sides, is, the policy to only approve
6 one and strictly enforce creates a race to the OCD, and
7 that often is inconsistent with really trying to act to
8 protect correlative rights and prevent waste, because we've
9 had cases where people with top leases and no right to
10 drill can use that to prevent someone from drilling.

11 Having said that, it seems to me that where we
12 are today is still not arguing about the APD, we've gone
13 beyond that. The Examiner Order had questions about due
14 process and are there rights in permits versus rights in
15 minerals and where we go on all of that. And again, I must
16 tell you that I believe the case is beyond that, and I'll
17 tell you why.

18 In April of 2002, in a case that Jim was involved
19 in and I attended for Yates, TMBR/Sharp drilling, there
20 were competing pooling applications. And you entered a
21 finding that I suspect we will actually all agree on, and
22 that says that the issuance of a permit does not prejudice
23 the results of a compulsory pooling proceeding.

24 And any suggestion that an acreage-dedication
25 plat attached to an application to drill somehow pools

1 acreage is expressly disavowed.

2 We're no longer fighting over the APD, we're
3 talking about -- it seems to me -- compulsory pooling.
4 Usually when we come before you we have two competing
5 pooling cases, and we're only sort of in that posture now
6 because we don't need one. We have all the acreage; there
7 is nothing to combine.

8 And so it seems to me we've gotten to the point
9 where we have to look at this case as a pooling case, and
10 the standards that govern a pooling order kick in: good
11 faith negotiations prior to drilling. And you're going to
12 have to look at the letter from Mr. Pride and see if that
13 standard really has been met.

14 You're also going to have to look and see if they
15 really, before they file, have a right to drill the well.
16 Those are preconditions for a pooling order.

17 But as you sort through all of this, I think
18 you'll find yourself in a posture that the Division and
19 Commission has found itself before when there are competing
20 pooling applications. And it all boils down to questions
21 of geology, because they are involved in issues that relate
22 to waste and issues that relate to correlative rights. And
23 I think we've got two geological interpretations. I think
24 what you have is a pooling case, and you're going to have
25 to use your expertise to evaluate those two

1 interpretations.

2 And because I don't get to speak last, I'm sure
3 we're going to hear that they didn't give us their seismic.
4 They have seismic, they didn't present it. Well, I'll tell
5 you, we know what Pride's theory is, we know they have a
6 fault. But I don't know what their data shows, and I don't
7 think you do either, because while they suggested they have
8 a structure map, we didn't see it. They suggest they have
9 an isopach; we didn't see it. They suggest they too have
10 seen seismic, directly or indirectly; they showed none of
11 it. They talked about regional studies; we haven't seen
12 them.

13 I wonder what they showed? I mean, when you
14 don't do that, the way you attack the other side is, you
15 say, well, I want some more of their seismic. You can
16 always want more.

17 But I will tell you what we did. We put together
18 our best technical case. We showed you the evidence that
19 we thought addressed the issues concerning the
20 characteristics of this reservoir, and our data shows the
21 fault that Pride bases its case on isn't there. The
22 fractures that they see in close proximity to the fault
23 simply don't show on the one good log we have in this
24 reservoir.

25 They have very different interpretations than we

1 do, but we believe the case we have presented has been
2 presented, not just suggested. They haven't just given you
3 a commercial map and said, we think this is it. We've
4 shown you our case, we've shown you what we believe, and it
5 shows that the reserves are in the north half.

6 And if you take -- And when you look at this
7 pooling case, you know, you're working at the core with a
8 fiction. You have one well that's going to drain -- even
9 under our Rules, presumed to drain 160 acres, and you're
10 dedicating 320 acres to it.

11 And so Mr. Bruce is going to sit here and he's
12 going to tell you, well, the southwest becomes the mouth as
13 well as the northeast. Well, maybe, and what if, and we
14 may know that later.

15 But I'd ask you to rule on what you know today.
16 And what we know today is that the reserves are under the
17 northwest. And when we go to the definition of correlative
18 rights, it sounds in ownership under our property -- those
19 terms are in this definition, and when you do that, we own
20 the reserves that will be produced from our well. And I
21 think that's clear.

22 What we have on the other side is data that
23 hasn't been shown, interpretations that appear, in terms of
24 fracturing and things, to be pushed to the very limit if
25 not beyond where that data honestly can go.

1 But we came before you and we showed you solid
2 technical, geological and engineering data that shows there
3 is no fault in the Mississippian.

4 And then you can put the geology aside and you
5 get to the engineering presentation. We have a flat
6 pancake and we adjust it, and we go through all that stuff
7 for you because that's how it really is, to the best of our
8 understanding. And what that also shows it that the
9 reserves come from acreage owned by Yates.

10 Now, I'm going to tell you that Pride can go
11 drill its own well, and in some ways that's a very cavalier
12 sort of an attitude for me to pitch at you because we know
13 the economics are much better if we have a re-entry. But
14 you need to know that if you don't have the reserves you
15 shouldn't drill your well.

16 And you shouldn't be able to play games with the
17 Rules of this Division to economically be able to drill a
18 well by taking reserves from your neighbor. And that's
19 what when you pool like this actually does.

20 I think when you look at the evidence, you'll see
21 that what we came in with was better prepared,
22 scientifically sound, and it shows that what we know today
23 is the reserves that will come out of the State "X" Number
24 1 are owned by Yates.

25 And you apply those facts to the definition of

1 correlative rights, and if you're to do your duty you must
2 deny the Pride Application and let us proceed to develop
3 our one lease with a well on our acreage, at a standard
4 location, on a standard unit, not have to pay them half of
5 the cost of the re-entry and then take half of the
6 reserves. If you do that, I think you've violated our
7 correlative rights, and I think that is the only way on
8 this record you can go.

9 CHAIRMAN FESMIRE: Mr. Bruce?

10 MR. BRUCE: Well, I wasn't really going to say
11 anything about seismic. And as far as regional studies, I
12 think both geologists said they had regional studies and
13 they had regional seismic, and they didn't present it. And
14 the reason is simple: They have proprietary data they
15 don't like the other side to see. It's understandable.
16 They -- from -- Ever since I've been doing it -- and Bill
17 has been doing it longer than me -- companies have to
18 protect their data so that nobody gets an unfair advantage
19 by obtaining free data.

20 But as to what is important in this case, I'd
21 point out that at the Division level Yates took the
22 position that it had a valid APD and therefore the geology
23 was irrelevant. And now they're saying APD is irrelevant,
24 just look at the geology. The fact of the matter is,
25 either way Pride should win.

1 As I said in the opening, I think this is a
2 simple case about force pooling and the propriety of the
3 Division canceling a validly issued APD.

4 I won't go through the time line except in this
5 one instance where after Pride got its APD, sent a letter
6 as is proper to commence a pooling procedure or at least to
7 obtain a voluntary joinder under a JOA, it filed its APD in
8 early to mid-July. Shortly thereafter it sent a letter to
9 Yates.

10 On August 25th, Yates filed its own APD. On
11 August 26th that was granted. And on August 26th, that
12 same day, the Division allegedly sent out a letter to Pride
13 saying, hey, your APD is canceled. Why? Because you
14 haven't filed C-103s.

15 Well, Mr. Carr in his own questioning of Mr.
16 Pride said, Mr. Pride, is there any obligation of Yates
17 under its prior APDs to conduct any activity during that
18 year's period? The answer, of course, is no. The APD was
19 good for a year. Both Yates' APD was good for a year, a
20 year longer as extended, and so was Pride's APD.

21 The fact of the matter is, the Hobbs District
22 Office improperly canceled Pride's APD, which constituted
23 the basis for Yates to go on that land. And all of a
24 sudden, Pride thought it was marching down the road of
25 getting a voluntary joinder of Yates in the well proposal,

1 next thing it knows, Yates is on the well, and that's what
2 resulted in this hearing.

3 Pride's APD was valid for a year. There's no
4 Division regulation authorizing the Hobbs Office to
5 unilaterally change that time period. Can the Division
6 cancel an APD? Yes, it can, but that has to be done after
7 notice and hearing. That notice has to be given to Pride
8 of the basis, if any, for revoking that APD. That was not
9 done.

10 Now, I don't know how the Division's Hobbs Office
11 determined that it should cancel the APD, but nonetheless,
12 what it did was improper. If you have rules, you have to
13 follow them and they have to be followed, they have to be
14 applied fairly to all the people.

15 Secondly, as far as force pooling, although it's
16 not in the record, if the Commission would look at its own
17 records, the State "M" 1 well was completed in about March
18 of 2001. In May of 2001 was a state land sale. Pride
19 bought that lease. A few days later, Yates files its APD
20 on the well.

21 A month later, Mr. Pride sends a letter to Yates
22 asking about forming a west-half unit. He then found out
23 Yates had a north-half unit proposed. He didn't take any
24 further action at that time. He thought Yates was going to
25 move forward. They didn't. They spent two years and

1 didn't do a thing.

2 The only time they took action was after they got
3 a well-proposal letter from Mr. Pride, again in July of
4 2003. And somehow they get -- I won't say "they". I know
5 the people at Yates, they're good people. I don't know
6 them as well as Bill, but I'm not blaming them for
7 anything. But somehow that APD got revoked, and that was
8 just plain improper. And yes, Pride did have the right to
9 notice before that was revoked.

10 Now, as far as force pooling, as Mr. Pride
11 testified he was hoping to enter into a voluntary agreement
12 with Yates, just as he had on the State "M" 1 well. He had
13 sent them a proposal letter, which the Division has held
14 numerous times is what's necessary to commence the force-
15 pooling procedure.

16 Secondly, it is proper to combine these two
17 leases into a west-half unit. As the land plats show,
18 regardless of whether you have standup or laydown units,
19 there is going to have to be a JOA or compulsory pooling
20 involving the southwest quarter. It is perfectly proper
21 for Pride to -- excuse me, for Pride to propose a west-half
22 unit.

23 Mr. Carr said that -- regarding the TMBR/Sharp
24 case. I guess what's kind of contradictory about that case
25 is that during the proceedings leading up to the hearing in

1 that case, TMBR/Sharp had a drilling permit, and my client,
2 Ocean Energy, attempted to get a conflicting APD.
3 TMBR/Sharp had a north-half unit, Ocean Energy attempted to
4 get a west-half unit, and the Hobbs Office at that time
5 said, Oh, there's already a drilling permit in place, we're
6 not going to approve one.

7 Now, in this case they just take the exact
8 opposite position. Again, that's improper.

9 But force pooling was allowed to go forward. My
10 client lost, but at least they had their day in court. The
11 fact of the matter is, Pride Energy has taken all steps
12 necessary to propose a west-half unit and to commence the
13 force-pooling proceeding. There has been a good-faith
14 effort to obtain the voluntary joinder of Yates in this
15 well unit.

16 Yates just doesn't want to join; it wants a west-
17 half unit. And that's why we're force-pooling. That's the
18 way it goes.

19 Now, as to the geology, I think there's a couple
20 of things. We think our geology is proper. We think the
21 placement of the faults in Mr. Ellard's study of the area
22 shows that the reservoir is more north-south than east-
23 west, as proposed by Yates.

24 I was looking at Dr. Boneau's final exhibit,
25 which is basically the geologically exhibit, but I notice

1 one thing that always struck me on this map, is when you
2 look at the western edge of the reservoir, it goes almost
3 north-south, gets down to virtually the lease line of
4 Pride's lease and zips off at a right angle to the east.
5 The zero contour line virtually follows Pride's lease line.
6 That's not real geology, that's lease-line geology.

7 And I think Dr. Boneau in his testimony said that
8 the reservoir turns like the structure map turns. Well, if
9 you look at Yates' own structure map, it's north-south,
10 it's not east-west. We think this reservoir goes north-
11 south.

12 Another thing, the State "M" 1 well, Mr. Ellard
13 testified, has about 30 feet of reservoir, and he thinks
14 the State "X" 1 has about 25 feet of reservoir. But under
15 Yates' theory that goes from 25 feet to zero feet in about
16 660 feet. We don't think that's right.

17 The fact of the matter is, if Yates gets its way
18 and the geology presented by Mr. Ellard is correct, Yates,
19 with only a half of the reservoir on its lease, will get 75
20 percent of production, because Pride will be forced into
21 drilling a well in the southwest quarter to offset the "X"
22 1. They're very suspect that there's any reservoir in the
23 east half, and Yates will yet get three-quarters of
24 production.

25 As Mr. Carr said, correlative rights means the

1 opportunity to produce the proportionate share of reserves
2 under your acreage. The fact of the matter is, if Pride is
3 right -- and what we know at this time is, Pride is right
4 -- Pride will only get 25 percent of those reserves, versus
5 75 percent. We think the correlative rights of Pride must
6 be protected by approving a west-half unit.

7 We think that if Yates wanted to properly
8 terminate or cancel the APD of Pride, it should have filed
9 an Application. It never did so, that is not before the
10 Commission. Yates' permit was improperly granted. We
11 believe the geology supports a west-half unit, and we would
12 ask the Commission to affirm the Division's decision.

13 Thank you.

14 CHAIRMAN FESMIRE: Why don't we take a 10-minute
15 break and reconvene at five minutes to three?

16 (Thereupon, a recess was taken at 2:45 p.m.)

17 (The following proceedings had at 2:50 p.m.)

18 CHAIRMAN FESMIRE: Let's go back on the record.

19 At this time the Chair would entertain a motion
20 to go into executive session to discuss Cause Number -- is
21 it 13- --

22 MR. BROOKS: 13,153, I believe.

23 CHAIRMAN FESMIRE: Right.

24 COMMISSIONER CHAVEZ: I so move.

25 COMMISSIONER BAILEY: Second.

1 CHAIRMAN FESMIRE: All those in favor?

2 COMMISSIONER BAILEY: Aye.

3 COMMISSIONER CHAVEZ: Aye.

4 CHAIRMAN FESMIRE: All those opposed?

5 At this time we will -- the motion is accepted,

6 and we will go into executive session to discuss Cause

7 Number 13,153.

8 (Off the record at 2:51 p.m.)

9 (The following proceedings had at 3:46 p.m.)

10 CHAIRMAN FESMIRE: Okay, let's go back on the
11 record.

12 The Commission has deliberated on Cause Number
13 13,153. That was the only thing we discussed during the
14 executive session.

15 A motion was made and accepted to go back into
16 public session, and at this time we are back in public
17 session, and the Chair would entertain a motion to dismiss.

18 COMMISSIONER BAILEY: I so move.

19 MR. BROOKS: A motion to adjourn.

20 CHAIRMAN FESMIRE: Adjourn, I'm sorry.

21 COMMISSIONER CHAVEZ: I second a motion to
22 adjourn.

23 CHAIRMAN FESMIRE: All those in favor?

24 COMMISSIONER BAILEY: Aye.

25 COMMISSIONER CHAVEZ: Aye.

1 CHAIRMAN FESMIRE: Opposed?

2 The Commission meeting for August 12th is hereby
3 adjourned.

4 (Thereupon, these proceedings were concluded at
5 3:47 p.m.)

6 * * *

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 16th, 2004.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2006