

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION COMMISSION FOR THE)
PURPOSE OF CONSIDERING:) CASE NO. 12,734
)
APPLICATION OF RICHARDSON OPERATING)
COMPANY TO ESTABLISH A SPECIAL "INFILL)
WELL" AREA WITHIN THE BASIN-FRUITLAND)
COAL GAS POOL AS AN EXCEPTION FROM RULE)
4 OF THE SPECIAL RULES FOR THIS POOL,)
SAN JUAN COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING (Volume I, October 29th, 2002)

BEFORE: LORI WROTENBERY, CHAIRMAN
JAMI BAILEY, COMMISSIONER
ROBERT LEE, COMMISSIONER

October 29th, 2002
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission, LORI WROTENBERY, Chairman, on Tuesday, October 29th, 2002, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCI
(505) 989-9317

*Application of Richardson Operating Co.
Record on Appeal, 38.*

I N D E X

October 29th, 2002 (Volume I)
 Commission Hearing
 CASE NO. 12,734

	PAGE
EXHIBITS	3
APPEARANCES	6
OPENING STATEMENTS:	
By Mr. Kellahin	11
By Mr. Bruce	26
By Mr. Ausherman	30
RICHARDSON WITNESSES:	
<u>DAVID B. RICHARDSON</u> (Geologist; President, Richardson Operating Company)	
Direct Examination by Mr. Kellahin	31
Cross-Examination by Mr. Ausherman	59
Examination by Commissioner Bailey	82
Examination by Chairman Wrotenbery	84
<u>ROGER A. HIVELY</u> (Geologist)	
Direct Examination by Mr. Kellahin	87
Cross-Examination by Mr. Bruce	112
Examination by Commissioner Bailey	122
Examination by Commissioner Lee	123
Examination by Mr. Ross	124
<u>DAVE O. COX</u> (Engineer)	
Direct Examination by Mr. Kellahin	125
Cross-Examination by Mr. Bruce	194
Examination by Commissioner Lee	235
Examination by Commissioner Bailey	240
Examination by Chairman Wrotenbery	242
REPORTER'S CERTIFICATE	245

* * *

E X H I B I T S

Richardson	Identified	Admitted
Exhibit A		
1	12	57
2	37	57
3	38	57
4	-	57
5	38	57
6	39	57
7	41	57
8	41	57
9	43	57
10	43	57
11	43	57
12	44	57
13	44	57
14	45	57
15	47	57
16	47	57
17	47	57
18	48	57
19	48	57
20	50	57
21	51	57
22	51	57
23	52	57
24	-	57
25	53	57
26	54	57
27	54	57
28	55	57
29	55	57

(Continued...)

E X H I B I T S (Continued)

Richardson	Identified	Admitted
Exhibit B		
1	86	111
1-A	87	111
2	89	111
3	96	111
4	98	111
5	100	111
6	103	111
7	109	111
Exhibit C		
1	130	194
1-A	126	194
2	132	194
3	142	194
4	146	194
5	147	194
6	152	194
7	155	194
8	159	194
9	162	194
10	163	194
11	165	194
12	166	194
13	166	194
14	168	194
15	169	194
16	170	194
17	172	194
18	174	194
19	174	194
20	175	194

(Continued...)

STEVEN T. BRENNER, CC
(505) 989-9317

*Application of Richardson Operating
Co.
Record on Appeal, 41.*

E X H I B I T S (Continued)

Richardson	Identified	Admitted
Exhibit C		
21	175	194
22	176	194
23	177	194
24	178	194
25	178	194
26	182	194
27	17	194
28	187	194
29	191	194

* * *

San Juan Coal Company	Identified	Admitted
Exhibit 25	66	67

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

STEPHEN C. ROSS
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South Saint Francis Drive
Santa Fe, New Mexico 87505

FOR RICHARDSON OPERATING COMPANY:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR SAN JUAN COAL COMPANY:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.C.
500 Fourth Street, NW
NationsBank Tower, Suite 1000
P.O. Box 2168
Albuquerque, New Mexico 87103-2168
By: LARRY P. AUSERMAN

CHARLES E. ROYBAL
Counsel, BHP Minerals
BHP Coal New Mexico
300 West Arrington, Suite 200
Farmington, New Mexico 87401

* * *

1 WHEREUPON, the following proceedings were had at
2 9:05 a.m.:

3 CHAIRMAN WROTENBERY: Okay, we'll go on the
4 record and call this meeting of the Oil Conservation
5 Commission to order. It's Tuesday, October 29th, 2002.
6 We're here in Porter Hall in Santa Fe, New Mexico, for this
7 meeting.

8 I'm Lori Wrotenbery. I'm Director of the Oil
9 Conservation Division and I serve as chair of the Oil
10 Conservation Commission.

11 To my right is Jami Bailey, who represents Land
12 Commissioner Ray Powell on the Commission.

13 To my left is Dr. Robert Lee, who is director of
14 the Petroleum Recovery Research Center at New Mexico Tech,
15 and he serves as the designee of the Secretary of Energy,
16 Minerals and Natural Resources on the Commission.

17 We also have Florene Davidson, to my far right,
18 who's the Commission's secretary, and I think she'll stay
19 with here for a few minutes until we get started on the
20 Richardson case, and then she'll probably excuse herself.

21 To Dr. Lee's left is Steve Ross, the Commission's
22 counsel.

23 And then Steve Brenner is our court reporter.
24 He'll be recording the proceedings today.

25 We'll call for appearances in the Richardson case

1 in a moment. I just wanted to note we had a couple of
2 other items on the docket for today.

3 One of them was Case 12,897. This is the
4 Application of the New Mexico Oil Conservation Division
5 through the Environmental Bureau Chief for the adoption of
6 amendments to Division Rule 118 concerning hydrogen sulfide
7 gas.

8 We do not have an order ready to enter in this
9 case at this moment, but in the course of the next day or
10 two we may well have an order ready for consideration by
11 the Commission, so we may well take that up during the
12 course of these proceedings.

13 Case 12,622, the Application of Nearburg
14 Exploration Company, L.L.C., for two nonstandard gas
15 spacing and proration units in Lea County, New Mexico, that
16 was on the agenda, but we don't anticipate having an order
17 ready for action by the Commission until the Commission's
18 November 22nd meeting in that particular case.

19 That case was consolidated with Case 12,908-A,
20 which was the hearing called by the Oil Conservation
21 Division for an order creating, contracting, redesignating
22 and extending the vertical and horizontal limits of certain
23 pools in Lea County, New Mexico. Both of those will be
24 heard November 22nd.

25 And likewise for Case 12,934, the Application of

1 the New Mexico Oil Conservation Division for repeal of Rule
2 402 concerning the method and time of shut-in pressure
3 tests for gas wells. We anticipate having a final order
4 ready for the Commission's consideration and action at the
5 November 22nd meeting.

6 So that brings us to Case 12,734. This is the
7 Application of Richardson Operating Company to establish a
8 special "infill well" area within the Basin-Fruitland Coal
9 Gas Pool as an exception to Rule 4 of the special rules for
10 this pool, in San Juan County, New Mexico.

11 This case is being heard *de novo* by the
12 Commission upon the Application of San Juan Coal Company.
13 It was filed pursuant to the provisions of Rule 1220.

14 And I think we're ready to call for appearances
15 in this case.

16 MR. KELLAHIN: Madame Chairman, I'm Tom Kellahin
17 of the Santa Fe law firm of Kellahin and Kellahin,
18 appearing on behalf of the Applicant, Richardson Operating
19 Company.

20 MR. BRUCE: Madame Chair, Jim Bruce of Santa Fe,
21 appearing on behalf of San Juan Coal Company, together with
22 Larry Ausherman of the Modrall Sperling law firm, and
23 Charles Roybal who is in-house counsel for San Juan Coal
24 Company.

25 CHAIRMAN WROTENBERY: Thank you. Mr. Ausherman,

1 would you spell your name, please?

2 MR. AUSHERMAN: Yes, A-u-s-h-e-r-m-a-n.

3 CHAIRMAN WROTENBERY: Thank you. Other
4 appearances?

5 I take it you both have a number of witnesses
6 that you plan to call?

7 MR. BRUCE: I have six witnesses, I'm afraid.

8 CHAIRMAN WROTENBERY: Six witnesses.

9 MR. KELLAHIN: We have three.

10 CHAIRMAN WROTENBERY: Three. We'll ask at this
11 point if all of the witnesses will stand and be sworn.

12 (Thereupon, the witnesses were sworn.)

13 CHAIRMAN WROTENBERY: Thank you. Before we go
14 any further, I will note that the Commission has received
15 the Motion to Dismiss which Mr. Kellahin filed on behalf of
16 Richardson, and we've received the Response and
17 Supplemental Response from San Juan Coal Company.

18 What we plan to do at this point is to address
19 those motions and responses in our final order in this
20 particular case. We would like to go ahead today and for
21 the next couple of days, as necessary, and hear the
22 evidence in the case. But we will rule on that Motion as
23 part of the Commission's order in this particular case.

24 Are there other preliminary matters that we need
25 to discuss?

1 MR. KELLAHIN: No, ma'am.

2 CHAIRMAN WROTENBERY: Okay. Then do we have
3 opening statements?

4 MR. KELLAHIN: Yes, we do.

5 CHAIRMAN WROTENBERY: In this particular case San
6 Juan is the *de novo* Applicant but Richardson is really the
7 Applicant in the underlying case, so --

8 MR. KELLAHIN: It would be my preference to make
9 our presentation first, and do it much like we did the
10 Examiner Hearing with the original Applicant making their
11 presentation first, followed by the opposition.

12 MR. BRUCE: We have no objection to that.

13 CHAIRMAN WROTENBERY: Okay. Then, Mr. Kellahin,
14 would you like to start?

15 MR. KELLAHIN: Thank you, Madame Chairman.

16 You have before you two different binders that
17 were submitted as part of the prehearing exchange of
18 documents. They're divided between a binder that's got the
19 letter A on it and a binder that's marked B&C.

20 The first binder deals with the regulatory
21 aspects of handling the coal and the coal gas production in
22 the area that we're going to talk about. There's various
23 correspondence, documents that we will address.

24 Binder B&C is subdivided where B contains the
25 geologic presentation and C contains copies of all the

1 engineering documents that we're going to talk about.

2 So if you locate the A binder and look inside the
3 A binder, you're going to find a map that's in a sleeve.
4 It should be A-1, I believe. That's going to be a locator
5 map for us.

6 We're dealing with an area that is west of
7 Farmington. We're in the area of the Basin-Fruitland Coal
8 Gas Pool where San Juan Coal Company is mining or proposes
9 to mine the coal.

10 What we intend to present to you today is the
11 fact that the coal mine is not the issue. It's our
12 contention that the Commission has no jurisdiction to
13 prevent the waste of coal, but that you do have
14 jurisdiction to prevent the waste of oil and gas.

15 I see three issues for you to address.

16 The fundamental issue involved in this case
17 concerns when and how to remove the coalbed methane from
18 the coal.

19 First, should Richardson Operating, as the owner
20 of the right to the coal gas, be afforded its right to
21 produce and sell the coal gas before the coal is mined?

22 Or should the Commission allow the coal gas to be
23 vented, and thereby wasted, when San Juan Coal Company
24 mines the coal?

25 And finally, why should the Commission treat

1 Richardson's area differently from how the Division now
2 treats the rest of the underpressured area of the Basin-
3 Fruitland Coal Gas Pool?

4 Richardson started his hearing before Examiner
5 Stogner on November -- we took November 13th and 14th of
6 last year. We had a hearing on Richardson's Application
7 for a special infilled area to increase well density in the
8 Fruitland Coal Gas Pool in the area we're about to show you
9 on the map.

10 At that time, the Pictured Cliffs reservoir was
11 spaced on one well per 160 acres, and that is still the
12 rule. At that time the Basin-Fruitland Coal Pool Rules
13 provided two gas wells in the coal per section, using 320-
14 acre spacing units and requiring that the wells be located
15 either in the southwest quarter or the northeast quarter of
16 a section. That's not the rule now.

17 The rule now, as of a Division Order dated
18 October 15th of this year, has decided for the Basin-
19 Fruitland Coal Gas Pool that the underpressured area of
20 that pool can be drilled on four wells per section,
21 excluding the Richardson acreage. That Basinwide
22 discussion about well density subdivided the coal into the
23 fairway or what we call the overpressured coal. That's
24 substantially east of the Richardson area.

25 Mr. Stogner took that overpressured area, sent it

1 back to the industry committee for further study on well
2 density.

3 The balance of the pool, including the Richardson
4 area, had it not been objected to, would enjoy four coal
5 gas wells in a section. But because of the objection of
6 San Juan Coal in this pending Commission Hearing, Mr.
7 Stogner deleted Richardsdon's application area from the rule
8 that now allows everyone else, except those in Richardson's
9 area, from having four coal wells per section.

10 Richardson's Application, while predating the
11 Commission other proceeding on the poolwide case, was made
12 pursuant to a rule of the pool. The rule of the pool
13 allowed an applicant to ask for designation of a special
14 area and then be allowed to increase that well density from
15 two wells to four wells a section.

16 If you'll look at the locator map -- I have a
17 larger copy here -- let me go through with you some of the
18 basic factual components that you need to be aware of.

19 MR. ROSS: Tom, you're upside down.

20 MR. KELLAHIN: I've been accused of that before.

21 (Laughter)

22 MR. KELLAHIN: Does that help?

23 This map, like your map, has a red area that's
24 outlined, and that's the Richardson Application area. We
25 are at the intersection of four townships. Those townships

1 intersect right here where the orange line is, and if you
2 look to the northeast portion, you're in Township 30-15.
3 If you go east of that line, you're in Township 30-14.
4 Then south of the divider you're in 29-15, and then east of
5 the divider you're 29-14.

6 Within this area, you're going to see from the
7 documentation that there are two coal leases. There's a
8 coal lease that we call the Deep Lease. The Deep Lease
9 coal is the first two columns of townships on the display,
10 on the left side.

11 Next to that, on the east extension, there's an
12 additional two columns of townships -- or sections within
13 that township that are called the Deep Lease Extension.
14 That is the current extension of the coal gas leases that
15 San Juan Coal Company has control of now.

16 Within their lease area, the mine has subdivided
17 the leases and designated seven mine districts. You'll see
18 those labeled on your map, and they're all numbered from 1
19 to 7, and they're the shaded gray area.

20 My understanding of the mine plan is that within
21 the various districts, there's a time associated with being
22 -- commencing into and getting out of that district. And
23 as you look at the map, you can see some starting and some
24 ending dates. A couple of those overlap where you have
25 mining activity taking place in two districts

1 contemporaneously over some portion of that time.

2 My understanding is that they would build a
3 system where the longwall mining would commence on the
4 eastern side of a mining district, proceed to the west. So
5 that's the general plan.

6 The color code for the map on the well locations
7 is down at the bottom. It shows proposed locations, and
8 we're talking about Richardson activity.

9 Richardson's proposed locations are in yellow.

10 The Fruitland Coal recompletions are
11 recompletions intended to be performed on Pictured Cliff
12 wells.

13 And the last one are existing Fruitland Coal
14 wells.

15 When you look at the map, you can see the
16 distribution. While San Juan Coal has protested, they have
17 protested a column of sections that's east of their lease
18 area. They're disputing what we consider to be our right
19 to have four PC wells and two coal wells in this section,
20 plus the opportunity to increase the coal density so that
21 there's four coal wells. So they object even to this area.

22 When you look at the plan, at this point in time
23 we have counted up, including Richardson penetrations,
24 there are 70 -- 71 wellbores that penetrate the coal.

25 Our research indicates that this map, which will

1 be introduced later as Exhibit C-27, shows all the
2 penetrations. The mine must deal with all of these that
3 are existing wells.

4 And what Richardson is seeking to do at this
5 point is to add three more new wells. The three are shown
6 on Exhibit 1-A, and you can see them outlined in yellow.
7 Those are the three that directly conflict with the mine's
8 mine district.

9 In addition, when you look at the map, you find
10 that there are five blue wells that are Pictured Cliff
11 wells that Richardson wants to recomplete into the pool.

12 The current strategy for Richardson and most of
13 the operators in the San Juan Basin is that they drill PC
14 wells, set a bridge plug and isolate the coal and then
15 separately frac and stimulate the coal. The practice has
16 been, and Mr. Cox will demonstrate to you, that it's not
17 effective to simply rely upon your ability to perforate a
18 fracture into the Pictured Cliff and presume that you're
19 then well connected with the coal. It does happen on
20 occasion, but the best technique is to separately fracture
21 and produce each as a downhole commingled wellbore. And so
22 that's what their plan is.

23 If you see areas outside of the mine district,
24 that's a color code that will indicate to you what is the
25 current status.

1 When you look at the coal leases, there are two
2 state leases involved in the coal. In the Deep Lease area,
3 Section 36, it's a state lease. When you look over in the
4 Deep Lease Extension, Section 32 is a state lease. You'll
5 find that all the oil and gas leases predate the coal
6 leases.

7 By our count within the mine districts that we've
8 identified on the exhibit, there are 20 penetrations of
9 wells that are within the mine districts themselves. Our
10 understanding at this point is, the mining process has
11 begun and it's at the point where they take the methane gas
12 that comes out of the coal and it is vented and wasted. My
13 understanding is, it is at a rate of approximately a
14 million cubic feet of gas a day, or it could be more. I
15 guess we're going to find out.

16 One of the questions for you to decide is, if San
17 Juan Coal is to get relief from our additional three new
18 wells and five recompletions, what are they going to do
19 with the existing 71 wellbores?

20 You'll find when you look at the oil and gas
21 leases, none of the oil and gas leases we're presenting to
22 you have any stipulations limiting oil and gas exploration,
23 production or operations because of the presence of coal.
24 You will find that the Deep Lease Extension, issued by the
25 Bureau of Land Management, the March 2nd of last year

1 lease, contains three special stipulations on that coal
2 lease.

3 First of all, the coal lessee must diligently
4 operate to prevent the waste of non-coal resources.

5 In addition, the second stipulation says the coal
6 lease is subject to all prior existing rights, including
7 the rights of oil and gas lessees.

8 And then finally the coal lessee is solely
9 responsible, and not the BLM, to clear the coal tract of
10 any legal encumbrance or pre-existing land use, including
11 these oil and gas leases, if they want them out of the way.

12 When Richardson developed this area starting back
13 in 1992, he had a plan of development that would access the
14 PC and the coal.

15 And then BLM calls a meeting in November, on the
16 5th of November of last year, and the BLM invites
17 Richardson, Dugan, San Juan Coal and the BLM
18 representatives to a meeting. And the collective result of
19 that meeting was the agreement to expedite recovery of the
20 coal gas. The plan was to develop some priority by the BLM
21 so that Richardson could exercise his correlative rights
22 and get the coal gas out before it was wasted. And so they
23 discussed an agreement to accelerate that.

24 Richardson in June and July of last year filed,
25 among other things, four APDs. They were in Section 30 and

1 31. In Section 30 [sic] it was two wells in the north
2 half, in Section 30 it's the two wells in the east half.
3 Those four wells were the subject of the APD.

4 CHAIRMAN WROTENBERY: Would you say that again.

5 MR. KELLAHIN: Yes, ma'am.

6 CHAIRMAN WROTENBERY: Which four wells?

7 MR. KELLAHIN: He had four wells that he filed
8 APDs for in June and July, and if you look at Section 30 if
9 30-14, the east half has two wells -- forget the color code
10 for a moment -- but those did not exist then. They have
11 now been drilled.

12 In the north half of 31 there are two more wells.
13 Those were the subject of APDs. Those wells have now been
14 drilled. All four wells, although they're coded, have not
15 been completed. Because of the dispute we're withholding
16 further action on those wells.

17 CHAIRMAN WROTENBERY: Okay, thank you.

18 MR. KELLAHIN: Up until this point, San Juan Coal
19 has agreed to expedite the recovery of the methane coal.

20 And then you're going to find the evidence will
21 demonstrate to you that on August 30th of last year San
22 Juan Coal changes its position. They send a letter to the
23 BLM, and they now object to these four by Richardson, and
24 they raise for the first time the contention that further
25 drilling is going to cause roof instability, problems with

1 steel casing and the opportunity or possibility for
2 spontaneous combustion. They raise those issues to the
3 BLM. And the evidence will show you that on December 20th
4 last year, the BLM approved Richardson's APDs and denied
5 the coal gas objections.

6 The Coal Company filed a protest or an appeal to
7 the State Director of the BLM, and on December 17th of last
8 year, the BLM State Director denied the objections and
9 allowed Mr. Richardson to proceed to drill those wells
10 which now have been drilled.

11 Let's go back to Mr. Stogner's hearing. Back in
12 November of last year he had the hearing on the Richardson
13 Application.

14 On June 6th of this year, Mr. Stogner and the
15 Division issued an order approving Richardson's Application
16 and denying the San Juan Coal Company's objections.

17 Then we had what I described a while ago as the
18 pool infill hearing and order. The pool hearing was June
19 of this year, and after two days of hearing before Mr.
20 Stogner in Farmington the Basin-Fruitland Coal Gas Pool
21 Committee made their presentation.

22 And then on the 15th of October, just a few weeks
23 ago, the Division has entered the Order that I described to
24 you.

25 So at this point everyone in this underpressured

1 area of the pool enjoys the benefit of four coal gas wells
2 per section except Mr. Richardson.

3 Part of the dilemma now is that operators in the
4 column of sections just to the east of Mr. Richardson's
5 project area can now drill a coal density of wells where
6 they could put two wells on the east half of those
7 sections, and he now cannot meet that competition.

8 Let me turn to the technical part of the case
9 that you're going to see during this proceeding. We've
10 discussed this matter with Counsel. I think you're not
11 going to see objections to documents, evidence. All of
12 this is going to come in, and we're all going to talk about
13 it. We disagree with their conclusions and some of their
14 exhibits, but we have technical people that will tell you
15 the differences. So we'll make a full presentation and
16 allow them to do that too, so that you get to see all the
17 pieces of the puzzle. They're going to show you a movie
18 and displays about coal mining so you can have a feel and a
19 sense of how that takes place.

20 But here's what we think are the key issues:

21 There's lots of gas present in the Fruitland Coal
22 bed in the Richardson Application area. Richardson will
23 tell you that for as little as 25 or 50 MMCF per well
24 additional reserves, that he can economically recomplete
25 the PC wells and produce the coal. That's all the gas it

1 takes.

2 And even if you are to believe the San Juan Coal
3 Company's numbers, it will still make sense to approve
4 Richardson's Application.

5 In approving that Application for Richardson,
6 you're going to provide an opportunity for him to improve
7 ultimate recovery. When this process started he thought he
8 was just going to have to rate-accelerate in order to have
9 a chance to get his coal gas. His expert witness, David
10 Cox, has studied this for him and has now concluded not
11 only is it not rate acceleration, he's going to get
12 substantial additional reserves. And Mr. Cox is going to
13 tell you within the project area there's an additional 27
14 BCF of gas that's going to come out of this project if you
15 let us do it. That translates, by Mr. Cox's calculation,
16 to about \$27 million of additional value.

17 Those conclusions are going to be supported by
18 Mr. Cox. His testimony and evidence and calculations are
19 going to demonstrate the following for you:

20 We're going to tell you that there's not enough
21 difference between San Juan Coal and Richardson to make the
22 geology matter. This is not a fight over geology. It's
23 going to be a technical dispute over reservoir engineering.
24 And here's the framework within which that lies:

25 Mr. Cox is going to demonstrate for you that

1 while Pictured Cliff wells, some of those completions may
2 connect it to the coal, much better completions and
3 connections can exist if the PC wells are allowed to
4 separately isolate the well and perforate that coal and
5 fracture it. The Coal Company doesn't want us to fracture
6 the coal.

7 Mr. Cox, by using the correct isotherm, will
8 demonstrate that the gas content in the coal is about 240
9 standard cubic feet of gas per ton of coal. That number
10 matters a lot. So you want to remember 240 standard cubic
11 of gas per ton of coal.

12 Mr. Cox has analyzed this, and he has determined
13 that because the desorption measurements from coal cores
14 are not reliable, that San Juan Coal Company has
15 underestimated the gas content of the coal. He will
16 demonstrate to you that while they want to use these
17 desorption measurements from their coal cores, those
18 numbers are not reliable. By using those numbers, they
19 substantially undervalue the gas content of the coal. So
20 there's a difference there for you to pay attention to.

21 There's also going to be dispute about whether
22 this is a saturated or an unsaturated gas reservoir,
23 meaning that the coal is saturated with methane at or near
24 its saturation point.

25 Mr. Cox will argue for you that his well

1 performance data demonstrates that this is a saturated
2 reservoir, and he'll go through the calculations that
3 demonstrate why that matters one way or another. He's
4 going to give you an initial reservoir pressure of 251
5 p.s.i. I'm not sure that number's in dispute, but that's
6 the number he's using in his calculation, is, he uses about
7 250 p.s.i. of original reservoir pressure.

8 There's going to be a dispute about the thickness
9 of the coal. Mr. Richardson says through his experts that
10 the coal thickness of the upper coal is about 14 feet. The
11 average thickness of the lower coal is about 14 feet also.
12 That gives you a total of 28 feet. You're going to see a
13 little bit of difference. We contend as the geologists map
14 this and show you the isopachs, it really doesn't matter,
15 it's very close. So when Mr. Cox does his calculations
16 using the 28 feet and the other values, he will demonstrate
17 to you that a 320-acre spacing unit in this area has 3.8
18 BCF of gas in place. He then shows you recovery
19 calculations and where he gets the result to demonstrate
20 that 2.6 BCF of gas are recoverable per 320-acre unit. The
21 question then is, does Mr. Richardson have a chance to
22 produce that gas, or are we going to let the coal mine do
23 that?

24 In conclusion, then, we believe the evidence will
25 demonstrate that the Commission should consider the

1 Richardson Application and limit it to the questions of
2 waste and correlative rights associated with the production
3 of those hydrocarbons.

4 We contend that San Juan Coal Company has a
5 mining plan which will unduly interfere with Richardson's
6 ability and right to produce the coalbed methane within the
7 Fruitland Coalbed formation. Richardson's Application is
8 not only an attempt to prevent the waste of coal by
9 accelerating that production but an opportunity he enjoys
10 to improve ultimate recovery.

11 We contend that the Commission, after you hear
12 all this evidence, should do what Mr. Stogner did, and that
13 was deny the objection and let Richardson go forward with
14 its project.

15 Thank you.

16 CHAIRMAN WROTENBERY: Thank you, Mr. Kellahin.
17 Mr. Bruce?

18 MR. BRUCE: Madame Chair, I'm going to make a
19 statement, and then I would request permission for Mr.
20 Ausherman to briefly address just one issue that Mr.
21 Kellahin brought up.

22 CHAIRMAN WROTENBERY: That will be fine.

23 MR. BRUCE: May it please the Commission,
24 Richardson basically says it should be treated no
25 differently than in the poolwide case, the order which just

1 issued a couple weeks ago. However, I don't think you need
2 to look any further than one provision of the Oil and Gas
3 Act and then review the facts that will be presented over
4 the next couple of days to make the determination that it
5 should be treated differently.

6 Section 70-2-17.B says the Division may establish
7 a proration unit for pool, such being the area that can
8 efficiently and economically be drained and developed, but
9 in so doing the Division shall consider, first, the
10 economic loss caused by the drilling of unnecessary wells,
11 second, the prevention of waste, and third, avoidance of
12 the augmentation of risks arising from the drilling of an
13 excessive number of wells.

14 Now, as to economic loss, you'll hear a lot of
15 numbers today. But frankly, San Juan will show that,
16 first, the economic loss to the mine is severe if
17 additional Fruitland Coal completions are allowed. And
18 second, our reservoir engineer will show that there is
19 little or no economic loss in the mining districts if
20 Richardson is denied in its Application.

21 As to the prevention of waste, if infill drilling
22 is allowed the waste of coal will be enormous. The value
23 of the coal is ascertainable. And even using what I
24 believe are inflated figures that Richardson will present,
25 the values for the recoverable coal vastly exceed the value

1 of the gas.

2 As to the augmentation of risk, well, if there's
3 one thing that drives the operation of the mine it is
4 safety. Spontaneous combustion and roof instability are
5 substantial issues which will be addressed in this hearing.
6 Any accident could cause -- or fire, which is a possibility
7 -- could cause miners' deaths and also loss of the entire
8 mine, which initially will have a \$140 million capital
9 investment. This investment and the safety of the miners
10 must not be placed at risk.

11 As to the original Order in this case, if you
12 review the Order the one issue that was ruled on that
13 determined the outcome of the case was not Richardson's
14 economics, not our economics. The Division simply ruled
15 that it had no jurisdiction over waste of coal. We believe
16 that is an incorrect ruling under 70-2-26, which provides
17 that the Secretary of the Energy, Minerals and Natural
18 Resources Department must review decisions of the
19 Commission with due regard for the conservation of the
20 state's oil, gas and mineral resources, which we think
21 clearly includes the coal.

22 But the final issue -- and I think you can ignore
23 all the other issues, all the other facts that are going to
24 be presented to you, but you can deny the Application
25 because in effect Richardson already has the relief it's

1 requested.

2 Richardson claims to need four Fruitland Coal
3 wells per section. However, the combination of Fruitland
4 Coal and Pictured Cliffs wells already in this area -- and
5 all you need to do is look at that second chart Mr.
6 Kellahin put up; there's four, five, six, seven, eight
7 wells per section out there already -- gives, in effect,
8 more than four Fruitland Coal completions per section.

9 The fact of the matter is, the Pictured Cliffs
10 wells in this area, the ones already in place, are actually
11 Fruitland Coal producers. And those allegedly Pictured
12 Cliffs wells produced better than single Fruitland Coal
13 completions.

14 We ask the Commission to enforce its rules and
15 recognize where the gas is actually coming from in this
16 area. This situation, of course, is aggravated by the fact
17 that operators are already allowed four Pictured Cliffs
18 wells per section. Then they want four Fruitland Coal
19 wells per section. That's a total of eight.

20 There's also a case before the Division for a
21 pilot project to allow two Pictured Cliffs wells per
22 quarter section. That would add another four. In the
23 future you might be looking at 12 wells per section.
24 They're going to claim they're in the Pictured Cliffs, but
25 the geology -- maybe the one dispute in the geology is that

1 for most of this area there's no meaningful Pictured Cliffs
2 gas. It's all Fruitland Coal.

3 We believe allowing that many wells is
4 impermissible and aggravates the effect of these wells on
5 the mine. Based on these matters, this case must be
6 treated differently than the Basinwide case. We will ask
7 that you hear the evidence and deny the Application and
8 allow no further Fruitland Coal completions in the mine
9 area.

10 Thank you.

11 And I'd like to let Mr. Ausherman address one
12 issue regarding the leases.

13 MR. AUSERMAN: Thank you. If I may, I would
14 like to focus on one aspect of what Mr. Kellahin raised in
15 his opening statement, and that is the proceeding before
16 the BLM. I would just like to emphasize that the dispute
17 that was played out in the BLM over four APDs was certainly
18 a separate dispute from that which is before the Commission
19 today. The evidence will show that those four APDs were
20 not infill wells and the issues that the BLM considered
21 there were not the issues that the OCC is to consider here.

22 Although it was raised before the BLM, the issue
23 of seniority, the question of seniority is not before the
24 Commission today. And the BLM has, you will see from the
25 evidence, ruled that its decisions upon the four APDs will

1 not serve as a precedent for the granting of any further
2 applications for permit to drill before the BLM.

3 And so I just wanted to clarify that with respect
4 to the relationship with the BLM case, which is separate
5 from the case before the Commission today.

6 Thank you.

7 CHAIRMAN WROTENBERY: Thank you, Mr. Bruce and
8 Mr. Ausherman.

9 I think we're ready, then, Mr. Kellahin, for you
10 to present your witnesses.

11 MR. KELLAHIN: Yes, ma'am, we're going to start
12 with Exhibit Book A and I'm going to call Mr. David
13 Richardson.

14 CHAIRMAN WROTENBERY: Good morning, Mr.
15 Richardson.

16 MR. RICHARDSON: Good morning.

17 CHAIRMAN WROTENBERY: We're ready.

18 MR. KELLAHIN: Thank you.

19 DAVID B. RICHARDSON,
20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Mr. Richardson, would you please state your name
25 and occupation?

1 A. Sure, David B. Richardson. I am president of
2 Richardson Operating Company.

3 Q. Where do you reside, sir?

4 A. In Denver.

5 Q. How long have you had Richardson Operating
6 Company as an oil and gas company?

7 A. Approximately 20 years.

8 Q. During that period of time, describe for us the
9 type of production you have drilled and produced in New
10 Mexico?

11 A. Starting in the late 1980s we drilled coalbed
12 methane wells further east in Bargo Canyon area. We
13 drilled approximately 22 wells, and then subsequently we
14 moved further west.

15 Q. When we look at your current population of wells
16 in New Mexico, what kinds do you have?

17 A. We have Pictured Cliff and Fruitland Coal wells.

18 Q. That predominantly, then, is your activity in New
19 Mexico?

20 A. Yes, it is.

21 Q. Is that activity confined to the San Juan Basin?

22 A. No, it is not.

23 Q. It spills over into Colorado and other places?

24 A. Approximately six other states.

25 Q. Okay. What's your education, sir?

1 A. I have a bachelor of science from the University
2 of Oklahoma with a degree in geology.

3 Q. The geologic presentation today is being made by
4 consultants that you've hired in the geologic area to study
5 this for you?

6 A. Yes, it is.

7 Q. Do you maintain a staff of geologists and
8 engineers?

9 A. I use consultants, and I do -- I'm a geologist
10 myself, so I do a lot of the...

11 Q. So Mr. Cox is a consultant for you?

12 A. Yes, he is.

13 Q. Can you give us an indication of the number of
14 wells you have in the coal and in the PC at this point?

15 A. Right now we have 91 wells in the coal and the PC
16 in the Farmington area. This is just a part of what we're
17 doing out here in the mine area. We've accumulated about
18 -- a little over 30,000 acres, we've drilled 91 wells, we
19 have about another 100 wells to go. So this is just a
20 small portion of it.

21 Q. In terms of handling your plan for the
22 exploration of the PC and the coal, what type of wells do
23 you drill?

24 A. I'm sorry?

25 Q. What type of wells do you drill to access those

1 formations?

2 A. Conventional vertical wells.

3 Q. Okay. And do you access the coal and the PC in a
4 single wellbore?

5 A. Yes, we do.

6 Q. And how have you been going about doing that?

7 A. Typically we'll go in and perforate and frac the
8 PC, set a bridge plug and do the same with the coal.

9 Q. Why do -- Is there any difference in the
10 ownership between the coal and the PC in the areas that
11 you're operating?

12 A. Sometimes there is.

13 Q. In the area that we're looking at here for your
14 Application area, is there a difference in ownership
15 between the coal and the Pictured Cliff?

16 A. No, there isn't, only if it's beyond a 160-acre
17 spacing.

18 CHAIRMAN WROTENBERY: I'm sorry, could you
19 explain that, the qualification about being beyond --

20 Q. (By Mr. Kellahin) If you're dealing with a 160-
21 acre PC well --

22 A. Yes.

23 Q. -- you're dealing with a 320-acre coal
24 dedication?

25 A. That's right.

1 Q. And you might -- because of the fractions, you
2 may have a difference in the adjoining 160s --

3 A. That's right.

4 Q. -- that will change the fractions in the coal?

5 A. Right.

6 CHAIRMAN WROTENBERY: I understand now.

7 Q. (By Mr. Kellahin) So it's not a vertical
8 separation?

9 A. No, it is not.

10 Q. It has to do with the consolidation of one 160 in
11 the second 160?

12 A. That's right.

13 Q. As an experienced operator, Mr. Richardson, have
14 you had success with completing a well in the PC and
15 utilizing that PC frac job to adequately and efficiently
16 drain the coal?

17 A. Yes, we have.

18 Q. How often does that happen?

19 A. Wherever we can do it, we do it.

20 Q. Separately?

21 A. Yes.

22 Q. Oh, you don't do just one frac job?

23 A. No.

24 Q. All right. So if you do just one frac job in the
25 PC --

1 A. Yes.

2 Q. -- is that enough to let you effectively and
3 efficiently produce the coal?

4 A. No, it is not.

5 Q. And why not?

6 A. Because we haven't perforated the coal. It just
7 makes common sense, if we want to produce gas out of the
8 coal we need to complete that zone separately. They're
9 entirely different reservoirs, and we'll get into that
10 later.

11 Q. Yeah, and that's your plan of exploration of both
12 zones?

13 A. Yes, it is.

14 Q. Is to use a single wellbore?

15 A. Yes.

16 Q. All right. Have you and others on behalf of your
17 company been involved with the issue of the San Juan Coal
18 Company seeking to expand their mine area with the
19 acquisition of the Deep Lease Extension?

20 A. Yes.

21 Q. Have you been through all that?

22 A. Yes.

23 Q. Have you and others on your behalf participated
24 in all those --

25 A. Yes.

1 Q. When we look at how you've organized yourself to
2 pay for and finance the level of expenditure required for
3 this kind of activity in the Application area, how are you
4 doing that?

5 A. I'm doing that with my own money. I own the
6 company 100 percent. I started it, basically from zero, 20
7 years ago. To date in this area I've spent over \$15
8 million, and ultimately it will be between \$35 and \$40
9 million. So I believe it's very economic.

10 Q. Let's turn to the documents that we have before
11 you in Exhibit Book A, Mr. Richardson. Have you looked at
12 all these documents?

13 A. Yes, I have.

14 Q. These documents are taken either from lease files
15 of public record, documents between you and San Juan Coal
16 and the BLM?

17 A. Yes.

18 Q. In addition, you've included various orders of
19 the Division?

20 A. Yes.

21 Q. Have you reviewed the chronology that's set forth
22 as Exhibit A-2?

23 A. Yes, I have.

24 Q. To the best of your knowledge, is that accurate?

25 A. Yes, it is.

1 Q. Okay. I don't propose to go through all these
2 entries, Mr. Richardson, but I would like to establish a
3 sequence of the activity that's taken place affecting your
4 oil and gas leases in relation to what is occurring with
5 the coal gas leases.

6 A. Okay.

7 Q. And let's start behind Exhibit Tab 3. Exhibit
8 Tab 3 has a Division order. This is one of the coal
9 orders. This is the rules that you operate under?

10 A. Yes, it is.

11 Q. You're generally familiar with these rules?

12 A. Yes, I am.

13 Q. All right. When we flip past 3, there is an
14 accumulation of oil and gas lease documents. When you go
15 through all those documents, are these the base oil and gas
16 leases that you now operate that affect the Application
17 area?

18 A. Yes, they are.

19 Q. If you'll turn past those and go to Tab 5, have
20 you included behind Tab 5 the four co-leases in the
21 Application area?

22 A. Yes, I have.

23 Q. You've got the two state leases and the two
24 federal leases?

25 A. Yes.

1 Q. All right, let's go past that and start with 6.
2 Okay? Let's talk about events prior to August 19th of
3 1997. Prior to that time, what was your level of effort in
4 extracting the PC and the coal from the Application area?
5 What were you doing?

6 A. Prior to 1997?

7 Q. Yes, sir.

8 A. We were acquiring leases in the area.

9 Q. When was the first well that you drilled or had
10 an interest in that piqued your curiosity about producing
11 the coal gas out of the coal?

12 A. Right, it was the Bushman 6-1 well.

13 Q. Bushman 6 is in Section 6?

14 A. Six, yes.

15 Q. It's the red dot down here in the southeast
16 quarter of Section 6?

17 A. Yes, it is.

18 Q. What about that well caused you to have an
19 interest in the coal?

20 A. That was the first well that we drilled on this
21 side of the Basin. It was on the far western side. And
22 after we drilled it and completed it, we noticed right away
23 that we were getting gas pressure and we were seeing gas
24 almost immediately.

25 Q. What do you do with the produced water out of

1 your system? Where do you put that water?

2 A. We reinject it back into the ground, into a
3 deeper formation.

4 Q. You have a disposal system and a disposal well
5 somewhere?

6 A. Yes, we do.

7 Q. Where is that disposal well?

8 A. It's right here in Section 1. It's called the
9 Salty Dog Number 1 disposal well.

10 Q. By August of 1997, when we're looking at Exhibit
11 Tab 6, what is beginning to occur that comes to your
12 knowledge?

13 A. The BHP has applied for an extension of their
14 coal mining lease over into our area.

15 Q. When we talk about BHP, we're talking about the
16 San Juan Coal Company?

17 A. Yes.

18 Q. Just to keep me comfortable with the labels,
19 let's just call them the San Juan Coal Company --

20 A. Okay.

21 Q. -- even though there's some other caption.

22 A. Right.

23 Q. That's how I know the opposition.

24 A. They go by several names.

25 Q. Yeah. This is a letter to the BLM?

1 A. Yes, it is.

2 Q. And they're proposing to set up a process where
3 they can obtain coal gas leases for appears to be areas
4 east of their present lease in the Deep Lease area?

5 A. Yes, it is.

6 Q. What then happens, Mr. Richardson?

7 A. Well, we don't agree with that, and we write a
8 letter back to the BLM, and we object to the BLM
9 considering this.

10 Q. So when we -- And let's just continue through the
11 chronology. If you go to Exhibit Tab A-7, this is a letter
12 over your signature?

13 A. Yes, it is.

14 Q. And what's your purpose in sending this letter?

15 A. To notify the BLM that we disagree with this.

16 Q. Okay. What then happens, Mr. Richardson, when
17 you go to Exhibit 8?

18 A. The BLM has an RMP in this area, and they're
19 soliciting feedback from people.

20 Q. An RMP is the BLM's resource management plan?

21 A. Yes, it is.

22 Q. And in order to proceed with issuing coal leases,
23 they have to amend the plan, right?

24 A. That's true.

25 Q. If you'll turn to the plan -- and let me see if I

1 can help you find this. If you turn halfway back, you're
2 going to start some numbering pages, and you'll find page
3 26. You then get page 27, and then finally you have one
4 that's captioned Protocol from the Mediation of Adverse
5 Impacts on Oil and Gas Revenues. Do you see that page?

6 A. Yes, I do.

7 Q. Do you know what the source is of the protocol
8 that's shown on this display?

9 A. San Juan Coal Company prepared this.

10 Q. And when you look at the bottom about General
11 Principles --

12 A. Yes.

13 Q. -- what does that say?

14 A. It says San Juan Coal Company "will conduct its
15 operations in a manner consistent with the legally mandated
16 principles of multiple use of federal lands and mineral
17 reserves." San Juan "will use its best efforts to achieve
18 maximum economic recovery of federal resources. Valid
19 existing rights under federal oil and gas leases as well as
20 the 40 acre private oil and gas lease located" in Section
21 18 which predate San Juan "coal leases, will be honored."

22 Q. To the best of your knowledge, Mr. Richardson, do
23 all of the oil and gas leases that you are operating under
24 predate the coal leases?

25 A. Yes, they do.

1 Q. To the best of your knowledge, have you
2 maintained those leases in full force and effect?

3 A. Yes, we have.

4 Q. Have you paid your rentals ad your royalties on
5 all those leases?

6 A. Yes.

7 Q. When we turn to Tab 10 -- I'm sorry, I've gone
8 past 9. What are you doing in 9?

9 A. In 9 again in May of 1998, we sent a letter to
10 the BLM, to the Director, objecting to the new coal leases
11 being issued.

12 Q. This is over the signature of Cathleen Colby?

13 A. Yes.

14 Q. And who is Ms. Colby?

15 A. She was our land manager at the time.

16 Q. Was she working under your control and
17 supervision?

18 A. Yes, she was.

19 Q. Going to Tab A-10, what's happening here?

20 A. This is a letter to Ms. Colby from the BLM,
21 reviewing our request and concluding that the BLM New
22 Mexico State Director and Farmington District Manager
23 follow the applicable or planning procedures.

24 Q. If you'll turn to Exhibit 11, the BLM letter of
25 October 5th, what is the BLM telling you?

1 A. They "agreed to in the protocols included..." to
2 "...take all reasonable steps to avoid adverse impacts on
3 oil and gas production".

4 Q. So when you look down at the third paragraph of
5 that letter --

6 A. Yes.

7 Q. -- they are summarizing the commitments in the
8 protocol?

9 A. Yes.

10 Q. And then you go to Tab 12, this represents the
11 State Mining --

12 A. Right.

13 Q. -- documentation showing the requirements that
14 the State is imposing insofar as the permit applies to any
15 of the State lease sections?

16 A. Yes.

17 Q. And this would affect Section 32?

18 A. Yes, it would.

19 Q. Let's go past that and look at A-13. What's
20 happening now? We're now in February of the year 2000.

21 A. Okay, they've reviewed our protest letter of
22 January 10th, 2000. It goes on to talk about their
23 promoting "multiple use of Federal resources." And then
24 they say they have canceled the lease sale after our
25 objections.

1 Q. Let's go to 14.

2 A. Okay.

3 Q. We're now on February 22nd of the year 2000, and
4 there's an instructional memo issued by the BLM?

5 A. Yes.

6 Q. What are the major points of the memo that you'd
7 like to direct our attention to?

8 A. To "Clarify that the lessee's right to develop
9 its minerals may be junior to existing development rights
10 for other minerals on the same lands."

11 Q. All right, let's go through the pieces. If
12 you'll look at page 1 it says Issues.

13 A. Yes.

14 Q. And the second full paragraph, the second
15 sentence of the second paragraph, would you read that to
16 me?

17 A. "Therefore, the Bureau's policy is to optimize
18 the recovery of both resources and ensure the public
19 receives a reasonable return."

20 Q. As part of that plan do you meet with the Bureau
21 of Land Management and others about accelerating the rate
22 at which you recover the gas?

23 A. Yes, we do.

24 Q. That did occur?

25 A. Yes, it did.

1 Q. Let's turn to page 3 of the instructional memo
2 from the BLM and look at Use of Lease Provisions and
3 Regulations. Do you see those?

4 A. Yes, I do.

5 Q. If you look at the second one from the bottom,
6 what does that say?

7 A. "Direct the coal lessee to analyze all possible
8 mining plans to allow optimum recovery of CBM and deeper
9 hydrocarbons, as part of the...approval."

10 Q. And when you read up and find the first bullet
11 point under that heading -- it starts with "Direct
12 rates..."

13 A. Right.

14 Q. -- what's that say?

15 A. Okay, under "...its lease and regulatory
16 authority over conventional oil, gas or CBM development, as
17 appropriate, to: Direct rates of production, Issue orders
18 to produce or plug wells that are not producing in paying
19 quantities."

20 Is that what you're talking about?

21 Q. Yeah, it's the first bullet point, it says
22 "Direct rates of CBM exploration..."

23 Have you been directed by the BLM to accelerate
24 the rate of production of the coal gas?

25 A. Yes, we have.

1 Q. If you'll turn to the last page of that, what's
2 the top line say?

3 A. "Suspend the coal lease or coal operations to
4 allow optimum recovery of CBM."

5 Q. Let's turn and continue some of the protest
6 language. If you go to 15, this is a letter signed off by
7 you to the BLM. What's the purpose of this letter?

8 A. We're protesting the lease sale.

9 Q. Okay. And then when we go to 16, what's
10 happening here?

11 A. Then they notify us that they're going to --

12 Q. This is in response to your letter?

13 A. Yes. And in that response it says, "Although not
14 specified...we will only approve new leases or mine plan
15 modifications that won't impede methane production for the
16 next ten years.

17 "Given your situation, we encourage rapid
18 development of methane to maximize coalbed methane
19 recovery. To accomplish this, we will be requiring coalbed
20 methane producers to follow our diligence requirements in
21 your Lease Terms for timely development."

22 Q. Let's see how this fits together, then, with the
23 notification of the offer to lease the coal. If you look
24 at 17, there's a notice page out of the *Federal Register*?

25 A. Yes.

1 Q. And when you turn to the second page and look at
2 the first column, the BLM is setting forth --

3 A. Yes.

4 Q. -- lease stipulations for the coal?

5 A. Okay.

6 Q. We've already talked about those?

7 A. Do you want me to --

8 Q. Yeah, are these the same stipulations that --

9 A. Right.

10 Q. -- were identified for you earlier in the amended
11 resource management plan?

12 A. Yes, where it says "The tract is subject to
13 several prior valid and pre-existing surface and subsurface
14 rights."

15 Q. When we go to 18, what's happening at this point,
16 Mr. Richardson?

17 A. We are writing a letter to the BLM. We have
18 several APDs that have been filed, and we are requesting to
19 them to expedite their approval of those.

20 Q. Okay. Let's turn to 19.

21 A. Same thing.

22 Q. In the letter on January 2nd [sic], the first
23 sentence refers to a meeting on November 2nd [sic] of the
24 year before. What's happening at that meeting, on Exhibit
25 19-A?

1 A. On November 3rd?

2 Q. Do you have the January 2nd letter?

3 A. No, I don't. I go from the 4th to the 8th.

4 Q. All right, so -- On Tab 19.

5 MR. AUSHERMAN: Mr. Kellahin, we don't have that
6 either.

7 MR. KELLAHIN: Okay.

8 CHAIRMAN WROTENBERY: I think it's the January
9 4th letter.

10 MR. KELLAHIN: What did I say?

11 CHAIRMAN WROTENBERY: I think you said 2nd.

12 COMMISSIONER LEE: 2nd.

13 THE WITNESS: Okay --

14 MR. KELLAHIN: I'm sorry. I'm sorry, it's --

15 THE WITNESS: It is the 4th.

16 MR. KELLAHIN: It's the 4th.

17 MR. AUSHERMAN: We have that one. Thank you.

18 Q. (By Mr. Kellahin) It refers to a December 2nd
19 [sic] meeting. Do you see the letter?

20 CHAIRMAN WROTENBERY: It refers to a November 3rd
21 meeting.

22 THE WITNESS: Refers to a November 3rd meeting.

23 CHAIRMAN WROTENBERY: You've got something on the
24 2nd.

25 (Laughter)

1 MR. KELLAHIN: I have a reason.

2 (Laughter)

3 Q. (By Mr. Kellahin) All right, do you see that
4 date?

5 A. Yes.

6 Q. What's happening?

7 A. Well, we were directed by the BLM to expedite our
8 drilling program. Now we are writing them a letter saying
9 if you need to approve our APDs, then we'll start drilling.

10 Q. Did you attach a plat or a map to document to
11 them what you're proposing to do?

12 A. Yes, we did.

13 MR. KELLAHIN: Madame Chairman, this document
14 came to me after we had filed the prehearing documents.
15 I've shown it to Mr. Bruce. This is the same map we showed
16 Mr. Stogner at the -- at his hearing. I believe there's no
17 objection to having this inserted into the exhibit book as
18 the plat that goes along with Exhibit A-19.

19 MR. BRUCE: No objection, Madame Chair.

20 CHAIRMAN WROTENBERY: Okay, we'll make that,
21 then, a part of what's been marked as Exhibit A- -- Is it
22 A-19 or A-20? The only reason I ask that is that the
23 letter dated January 8th that's marked as Exhibit A-20
24 refers to a map.

25 MR. KELLAHIN: It's an A-20 map. I'm not so good

1 with numbers. You can see that, right?

2 CHAIRMAN WROTENBERY: Okay, so we'll make this
3 map part of what's been marked as Exhibit A-20.

4 MR. KELLAHIN: All right.

5 Q. (By Mr. Kellahin) Bring this back into focus for
6 us, Mr. Richardson. In January of last year, then, you're
7 trying to do what the BLM is telling you?

8 A. That's true.

9 Q. And what are they telling you to do?

10 A. To speed it up and drill it.

11 Q. Okay. When we look at the map, is this part of
12 your plan to speed this up?

13 A. Yes, it is.

14 Q. As part of that effort, do you continue to file
15 applications for permit to drill with the BLM?

16 A. Yes, we do.

17 Q. Let's turn, then, to Exhibit Tab 21. What's
18 happening here?

19 A. This is a letter from the BLM referencing the
20 November 5th, 2000, meeting where "...it was agreed that
21 there is a definite need to expedite development of the gas
22 reserves underlying the Deep Lease..."

23 Q. Go to 22 with me, and find the last page.

24 A. Okay.

25 Q. Down at the bottom it says Deep Lease Extension?

1 A. Yes.

2 Q. Are these the same coal lease stipulations that
3 we've talked about a while ago?

4 A. Yes, I believe this is their actual lease.

5 Q. Okay. We're going to skip 21 and come back to
6 it. I want you to look at -- We're going to skip 23 first
7 and then go to 24.

8 A. Okay.

9 Q. 24 is what, sir?

10 A. These are the four APDs, applications for wells
11 in the Deep Lease Extension, approved by the BLM.

12 Q. And we talked about those a while ago. Those
13 wells are in the east half of 30?

14 A. Yes.

15 Q. There's a C-102 attached to each of the displays.
16 If you flip through the displays, you can see where the
17 wells are.

18 A. Some are in 31.

19 Q. So you've got two in the north half of 31?

20 A. Yes.

21 Q. And two in the east half of 30?

22 A. West half of 30.

23 Q. In the west half of 30.

24 A. Yes.

25 Q. So when flip back to Exhibit 23, you draw

- 1 protests from the Coal Company about these APDs, don't you?
- 2 A. Yes, we do.
- 3 Q. It's an August 30th [sic] letter?
- 4 A. Yes, it is.
- 5 Q. What are they now contending is the problem, Mr.
- 6 Richardson?
- 7 A. They've got a number of concerns. In the letter
- 8 it says their concerns are threefold, the presence of steel
- 9 casing in the basal coal seam, and then we get into the
- 10 root stability issue and the increased risk of spontaneous
- 11 combustion.
- 12 Q. You're looking at the first full paragraph on the
- 13 second page of the letter?
- 14 A. Yes.
- 15 Q. What then happens to your APDs?
- 16 A. They're canceled.
- 17 Q. After being canceled, were they ever reinstated?
- 18 A. Yes, they were.
- 19 Q. Let's go to Exhibit Tab A-25. What's happening
- 20 now in September of last year?
- 21 A. Okay, this is where they -- This is where
- 22 canceled the approved permits.
- 23 Q. Okay.
- 24 A. The next...
- 25 Q. 25, they've canceled them, and now they're

1 looking at the protest and the issues raised in the
2 protest?

3 A. Yes.

4 Q. And so when we go to 26, what is the BLM now
5 saying?

6 A. This is six days later. Now they deny the
7 protest.

8 Q. At this point are you then able to go out and
9 drill your wells?

10 A. Yes, we are.

11 Q. What happened to the protest of the Farmington
12 BLM's office that was filed by San Juan Coal?

13 A. It was denied.

14 Q. Yeah. After that, was that issue was raised to
15 the State Director of the BLM?

16 A. Yes, it was.

17 Q. If you turn to Tab 27, what's happening with this
18 communication?

19 A. It's denied.

20 Q. So the State Director has denied the objection
21 San Juan Coal Company has made to your three APDs?

22 A. Yes.

23 Q. Or four APDs. And the issues raised during all
24 these disputed period of time are the same disputed issues
25 that San Juan Coal raised before Mr. Stogner?

1 A. Yes.

2 Q. When you turn to Exhibit Tab 28, what are we
3 looking at here?

4 A. This is our Application to establish a special
5 infill well area. That was approved.

6 Q. This is the Division's Order 11,775?

7 A. Yes.

8 Q. After that, have you received from the Division a
9 copy of Mr. Stogner's Order on October 15th, approving
10 infill drilling in the underpressured area of the San Juan
11 Coal Pool, with the exclusion of your --

12 A. Yes.

13 Q. You've seen that.

14 MR. KELLAHIN: Would you mark this A-28?

15 COMMISSIONER LEE: 29.

16 CHAIRMAN WROTENBERY: 29.

17 MR. KELLAHIN: 29.

18 MR. AUSHERMAN: Mr. Kellahin, could I get a copy
19 of that?

20 If I may for the record, just to clarify that our
21 proceeding has been carved out of the Basinwide proceeding,
22 so to the extent that this addresses issues that are beyond
23 the proceeding before us, we would object. For purposes of
24 background we have no problem with Mr. Kellahin talking
25 from that.

1 MR. KELLAHIN: I'm not sure I understand the
2 objection. Tell me again, Larry.

3 MR. AUSERMAN: The Basinwide proceeding has
4 carved out from it the infill Application which is at issue
5 today. So to the extent that you're offering the Basinwide
6 decision to establish that the infill Application should be
7 granted, we would object to that because the infill
8 Application has been expressly carved out of the Basinwide.

9 If, on the other hand, what you're doing is
10 wanting to use this as background, then we would not object
11 to that and you're free to do so.

12 MR. KELLAHIN: Let me respond. Here's what I
13 thought occurred in Farmington before Examiner Stogner. We
14 were proceeding with the infill case. Mr. Bruce entered
15 his appearance in that proceeding on behalf of San Juan
16 Coal. He got up and asked Mr. Stogner to incorporate the
17 record in the Examiner Hearing in the proceeding he was
18 hearing in Farmington. He did that, and in doing his order
19 in this case, now, he's carved back out Richardson's
20 special project area.

21 I intend, and I would like to have the Commission
22 take administrative notice of the infill case and to
23 compare the technical data presented by Burlington, of
24 which San Juan Coal is now a party in that case, with what
25 we are showing you today in the special area, to

1 demonstrate why should we be carved out?

2 So that's where I'm going.

3 CHAIRMAN WROTENBERY: We'll allow the
4 introduction of the exhibit, once it's offered anyway, and
5 then consider the relevance of the action in the Fruitland
6 Coal case on its merits.

7 MR. KELLAHIN: At this time, madame Chairman, we
8 would move the introduction of Richardson's exhibit in
9 Exhibit Book A, which are Exhibits A-1 through A-29.

10 CHAIRMAN WROTENBERY: You've stated your
11 objection to --

12 MR. AUSHERMAN: I have stated the objection --

13 CHAIRMAN WROTENBERY: -- A-29. Did you have any
14 objection to any of the other --

15 MR. AUSHERMAN: No, ma'am.

16 CHAIRMAN WROTENBERY: Okay, we'll admit
17 Richardson Exhibit A-1 through -29 into the record.

18 Q. (By Mr. Kellahin) Mr. Richardson, let me have
19 you summarize for us your plans. Do you propose to drill
20 any new coal gas wells within what is outlined as San Juan
21 Coal Company's mine districts?

22 A. Yes, we do.

23 Q. Are those as indicated on Exhibit A-1?

24 A. Yes.

25 Q. Do you also plan to recomplete Pictured Cliff

1 wells at the coal in wells that are still located within
2 any of the mine districts?

3 A. Yes, we do.

4 Q. And outside of the mine districts themselves,
5 within the two coal leases, you have other opportunities?

6 A. Yes, we do.

7 Q. And do those opportunities include additional
8 coal gas new wells?

9 A. Yes.

10 Q. And the recompletion of PC wells?

11 A. Yes.

12 Q. And then outside of the leases you have a row of
13 sections for which you intend to -- or would like
14 permission to complete in the coal and produce the coal?

15 A. Yes.

16 Q. What's the timing for doing all this?

17 A. We work very quickly, so in the very near future.

18 Q. Why haven't you already engaged in that activity
19 at this point?

20 A. We are unable to. We don't have the right to
21 downspace it. We've been denied that.

22 Q. You mean infill drill?

23 A. Yes.

24 Q. The existing PC wells --

25 A. Yes.

1 Q. -- those are standard, pursuant to the Rules?

2 A. Yes, they are.

3 Q. And you do have some coal well locations, which
4 would be standard under the old rules of two wells per
5 section?

6 A. Yes.

7 Q. The additional development of those resources has
8 been stayed by the Commission pending a decision here,
9 right?

10 A. Yes, it has.

11 Q. All right.

12 A. For the past year.

13 MR. KELLAHIN: That concludes my examination of
14 Mr. Richardson.

15 CHAIRMAN WROTENBERY: Thank you. Why don't we
16 take about a ten-minute break here, before we begin your
17 cross-examination?

18 (Thereupon, a recess was taken at 10:22 a.m.)

19 (The following proceedings had at 10:34 a.m.)

20 CHAIRMAN WROTENBERY: Okay, it looks like we're
21 ready to get started again.

22 MR. AUSERMAN: Thank you.

23 CROSS-EXAMINATION

24 BY MR. AUSERMAN:

25 Q. Mr. Richardson, you testified that you had in the

1 neighborhood of 91 wells in the Farmington area, and you
2 spent about thirty -- you have about 100 wells to go; is
3 that correct?

4 A. Yes.

5 Q. But you only have about 20 wells in the actual
6 mine area of San Juan Coal Company's coal leases; isn't
7 that correct?

8 A. Yes.

9 Q. How much have you spent on those wells?

10 A. I have not differentiated between. I just have a
11 total sum.

12 Q. Any more, any less, on a per-well basis?

13 A. In this area we've built our own pipeline, water
14 and gas infrastructure and -- No, I haven't broken it out.

15 Q. When was your first CBM well in San Juan's mine
16 area?

17 A. That was in 1999.

18 Q. So you've been active in this area for quite a
19 while before you began drilling wells in the mine area; is
20 that correct?

21 A. Yes.

22 Q. How many employees do you have in New Mexico?

23 A. Approximately 27.

24 Q. Do you have figures on how much royalty you've
25 paid to the federal and state government from your

1 operations in the mine area?

2 A. A considerable amount. I don't have an exact
3 number.

4 Q. No numbers on that?

5 CHAIRMAN WROTENBERY: Mr. Ausherman, may I ask,
6 when you refer to the mine area, what are you referring to?

7 MR. AUSERMAN: I'm referring to the area within
8 the Deep Lease and the Deep Lease extension.

9 CHAIRMAN WROTENBERY: Okay.

10 MR. AUSERMAN: Those are the two areas that Mr.
11 Kellahin has depicted on Exhibit A-1.

12 CHAIRMAN WROTENBERY: Thank you, I just wanted to
13 make sure I understood.

14 MR. AUSERMAN: Yes, and that would include the
15 state leases as well, which are in those southern sections
16 that Mr. Kellahin alluded to.

17 CHAIRMAN WROTENBERY: Okay, thank you.

18 Q. (By Mr. Ausherman) You testified that the
19 Bushman well, 6.1, was the well that interested you in
20 developing further in the area of the area of the mine; is
21 that correct?

22 A. Yes.

23 Q. The Bushman well is not within the mine area, is
24 it?

25 A. No, it's not. But however, it is the group of --

1 tier of sections that excluded from downspacing right now.

2 Q. But it's outside of the mine area?

3 A. Yes.

4 Q. Let me ask you to turn again to Exhibit 8, and
5 specifically turn to the last three pages of that exhibit,
6 which is entitled Protocol for the Mediation of Adverse
7 Impacts on Oil and Gas Reserves.

8 A. Yes.

9 Q. You testified about this in your direct
10 examination, did you not?

11 A. Yes.

12 Q. I call your attention to the language at the
13 bottom of the first page of that protocol that you read
14 into the record earlier, and that is the very last two
15 lines, "Valid existing rights under federal oil and gas
16 leases..."

17 A. Yes.

18 Q. Now, that does not say what the definition of
19 valid and existing rights are, does it?

20 A. Well, in this case it would be senior rights to
21 yours.

22 Q. That's your opinion; that's not what the BLM
23 said; isn't that correct?

24 A. Well, I think anyone with any common sense
25 whatsoever would see the same thing.

1 Q. Understood, that's your view. But let's take a
2 look at what the BLM's view is.

3 A. Okay.

4 Q. Does the BLM say what the definition of valid
5 existing rights are?

6 A. In this -- No.

7 Q. And they don't mention your leases specifically,
8 do they?

9 A. No.

10 Q. This document goes on to indicate that -- on the
11 last page -- that a binding arbitration procedure is set up
12 under the protocol; isn't that true under c) on page 3?

13 A. That's what the protocol says, yes.

14 Q. Are you willing to commit to the protocol?

15 A. No, I'm not.

16 Q. You're not willing to engage in binding
17 arbitration?

18 A. No, I'm not.

19 Q. You've met with San Juan Coal Company to discuss
20 fair market value and buyout, but it would be fair to say
21 you haven't reached agreement; is that correct?

22 A. That's true. We've been told many, many times
23 that you would be giving us an offer, and you never have.

24 Q. I won't go into the status of those specific
25 settlement discussions, given the confidentiality of it,

1 but I just wanted to establish that pursuant to the
2 protocol we have been in discussions with respect to fair
3 market value, although you're not willing to commit to the
4 arbitration aspect of the protocol?

5 A. No.

6 Q. I refer you to Exhibit A-24. Now, those are the
7 applications for permit to drill that were the subject of
8 the BLM proceeding; isn't that correct?

9 A. That's true.

10 Q. And you've drilled those wells, have you not?

11 A. Yes.

12 Q. So those wells are not in the infill Application
13 proceeding today; is that correct?

14 A. No.

15 Q. And those APDs are not at issue today?

16 A. No.

17 Q. The Commission is not going to be asked to
18 consider the granting of an APD, because that's the BLM
19 charge; isn't that correct? Isn't it the BLM that
20 considers the granting of APDs, not this Commission?

21 A. Well, on federal lands.

22 Q. Since granting those four APDs to you, the BLM
23 has granted no additional APDs to you in the mine area,
24 have they?

25 A. I don't know for sure on that.

1 Q. To your knowledge, they have not?

2 A. We permit so many wells I just couldn't tell you.

3 Q. So your testimony is today that you don't know
4 whether you've had any APDs granted by the BLM after the
5 grant of the four in Exhibit 24?

6 A. I just couldn't tell you.

7 Q. Now, since the BLM granted those four APDs, the
8 BLM has stipulated that their grant of those APDs will not
9 serve as precedent in the consideration of any other wells
10 in the mine area; isn't that correct?

11 A. I don't know that.

12 Q. Let me --

13 MR. KELLAHIN: I'm going to object to the line of
14 questioning. This gentleman is not an attorney. He can't
15 answer these questions.

16 MR. AUSERMAN: If I may, I would like to
17 introduce what we have provided as a rebuttal exhibit
18 yesterday, which is Exhibit 25, and the reason that we'd
19 like to introduce it is because it is the order that
20 disposes of the proceeding in the BLM that Mr. Kellahin and
21 Mr. Richardson have talked about.

22 CHAIRMAN WROTENBERY: Okay.

23 MR. KELLAHIN: I don't have any objection to the
24 introduction of the document, but it's improper to ask this
25 witness about that. There's no objection to introducing

1 the document --

2 CHAIRMAN WROTENBERY: Okay.

3 MR. KELLAHIN: -- I don't challenge that. But I
4 do object to having him ask Mr. Richardson to explain it or
5 talk from it or read from it.

6 CHAIRMAN WROTENBERY: The way I understood Mr.
7 Ausherman's question, he was asking Mr. Richardson what he
8 knew about the BLM's latest comments on --

9 MR. AUSHERMAN: Yes.

10 CHAIRMAN WROTENBERY: -- on the four APDs.

11 MR. KELLAHIN: Yeah, he said he didn't know.

12 MR. AUSHERMAN: May I continue?

13 CHAIRMAN WROTENBERY: Yes.

14 Q. (By Mr. Ausherman) Mr. Richardson, have you seen
15 the Stipulated Motion for Dismissal which I've handed you,
16 which is San Juan Coal Company Exhibit 25?

17 A. No, I have not.

18 CHAIRMAN WROTENBERY: And may I say, I don't
19 believe the Commissioners have copies of the Exhibit 25.

20 MR. AUSHERMAN: Oh, I'm sorry, we provided those
21 yesterday. Steve, did you get those? I have extras here.

22 MR. ROSS: I have one. I guess I was supposed to
23 distribute them.

24 CHAIRMAN WROTENBERY: Do you have multiple
25 copies, Steve? He's got -- Okay, thank you.

1 Q. (By Mr. Ausherman) I would refer you to the
2 Stipulated Motion for Dismissal.

3 MR. KELLAHIN: Madame Chairman, I'll continue to
4 object. The document speaks for itself. We've admitted
5 the document. This witness can't testify about it. If Mr.
6 Ausherman wants to argue about it, he can do that in his
7 closing statement.

8 CHAIRMAN WROTENBERY: Well, let me hear Mr.
9 Ausherman's question.

10 Q. (By Mr. Ausherman) Just one question. Referring
11 to paragraph 5, does that refresh your recollection about
12 whether you've seen this document before?

13 A. No, it does not.

14 MR. AUSERMAN: I would move the introduction of
15 San Juan Coal Company Exhibit 25.

16 MR. KELLAHIN: No objection.

17 CHAIRMAN WROTENBERY: No objection? Okay, San
18 Juan Coal Company Exhibit Number 25 is admitted into
19 evidence.

20 Q. (By Mr. Ausherman) Now, I'd like to ask you some
21 questions about San Juan Coal Company's opposition to
22 putting more wells in its coal seam. Could you turn to
23 Exhibit A-23, please?

24 A. Okay.

25 Q. And this is the letter, is it not, that San Juan

1 raised its concerns about the wells in the coal seam,
2 correct?

3 A. That's true.

4 Q. And about the time of this letter you had talked
5 with San Juan about their concerns and expressed some
6 frustration that this was a change of view on the part of
7 San Juan; is that correct?

8 A. Yes.

9 Q. And the date of that letter is August 31, 2001,
10 correct?

11 A. Yes.

12 Q. The date of your infill Application was September
13 11th, 2001; is that correct?

14 A. Yes.

15 Q. So at the time that you filed the infill
16 Application, you were well aware that San Juan Coal Company
17 had concerns about additional wells in the Coal seam?

18 A. We had begun the process much earlier than that.
19 That was just the date that it was filed.

20 Q. I see. But as of the date that it was filed, you
21 were well aware that San Juan Coal Company had objections
22 to additional wells in the coal seam, did it not?

23 A. Yes, they had made a 180-degree flip-flop on
24 their position at that time, yes.

25 Q. And you were aware of that --

1 A. Yes.

2 Q. -- at the time of the infill Application?

3 Let me talk with you about the history of the
4 APDs. You have filed quite a number of APDs in the
5 vicinity of the mine area, I assume --

6 A. Yes, we have.

7 Q. -- given the production you have there?

8 And you testified that even well before the APDs
9 which were the subject of the dispute in the BLM, the BLM
10 had asked you to accelerate development in the area?

11 A. Yes, we have.

12 Q. And at the time the BLM was asking you to
13 accelerate development, before those APDs, San Juan Coal
14 Company was also of the view that that could be done
15 safely, were they not?

16 A. Yes.

17 Q. And it was only after that that they changed
18 their view?

19 A. Yes.

20 Q. Refer you to Exhibit A-19. Now, this is the
21 letter you testified about that you had sent to the BLM to
22 explain that you filed numerous APDs in response to their
23 request to accelerate development; is that not correct?

24 A. Yes.

25 Q. And this is the list of APDs that Richardson had

1 filed since May, 2000, correct?

2 A. Yes.

3 Q. Are any of the priority 1 wells within the
4 acreage covered by San Juan's coal leases, what we've been
5 referring to as the mine area?

6 A. The first five are.

7 Q. Of the priority 1 wells, that would be 4-1
8 through 5-4?

9 A. Right.

10 Q. Are any of the other -- And the rest of the
11 priority 1 wells are not in the mine area; is that correct?

12 A. True.

13 Q. The priority 2 wells, are any of those in the
14 mine area?

15 A. No.

16 Q. You were accelerating development east of the
17 mine area at this time, were you not?

18 A. Yes.

19 Q. Turn to Exhibit 18 if you would, please. This is
20 a letter dated October 19, 2000, and this confirms that the
21 focus of your acceleration of development was actually not
22 in the mine area but to the east of the mine area; isn't
23 that correct?

24 A. No, that's not true, exactly. We were drilling
25 -- We have 30,000 acres out there. We're drilling in the

1 mine area, east of the mine area, south of the mine area.
2 It's just -- No, we didn't exclude that area.

3 Q. I would call your attention to the first sentence
4 of the last paragraph on page 1 where it says, "To date,
5 Richardson has drilled 31 wells east of San Juan Coal
6 Company's mine." Did I read that correctly?

7 A. Yes. Everything that we've drilled is east of
8 the San Juan Mine.

9 Q. Oh, so --

10 A. Your San Juan Mine is in Section 34 to the west.

11 Q. Oh, so what you're talking about here is not the
12 mine area but the surface mine?

13 A. That's what I -- maybe this was referencing, yes.

14 Q. But you're not sure whether that was what it
15 referenced?

16 A. I would have to review this.

17 MR. AUSHERMAN: Just for the record, and to
18 clarify for the Commissioners, the surface mine in this
19 area is immediately adjacent to what we've been referring
20 to as the Deep Lease in the mine area to the west. We'll
21 explain that in greater detail in our case.

22 CHAIRMAN WROTENBERY: Thank you.

23 Q. (By Mr. Ausherman) The coal to the east of San
24 Juan's coal leases is generally more productive than the
25 coal within the leases; isn't that true?

1 A. We don't know that to be true, ultimately, as we
2 dewater these wells.

3 Q. You don't know it to be untrue, it's just that
4 you won't know until you've dewatered the wells; is that
5 correct?

6 A. That's true.

7 Q. Just in comparing your efforts to accelerate
8 development to the east of San Juan Coal Company's leases
9 with some of your wells in the mine area, you referred to
10 -- refer you to the wells in the state Section 36 --

11 A. Yes.

12 Q. -- on Exhibit A-1.

13 A. Yes.

14 Q. Those wells have been frequently shut in, have
15 they not been?

16 A. Yes, they have.

17 Q. Are they currently shut in?

18 A. No, they're not.

19 Q. You've shut them in for a while, produced them
20 for a while, intermittently?

21 A. Yes. Two of the wells are producing now.

22 Q. Which two are those?

23 A. The 36-3 and the 36-2.

24 Q. Most of your current production in the infill
25 area is outside of the area of San Juan's coal leases;

1 isn't that correct?

2 A. Yes, it is.

3 Q. If I may, I'd like to ask you a few questions
4 about water disposal. You mentioned the Salty Dog well.
5 Could you show me again where that is?

6 A. In Section 1, the northeast quarter of 29 North,
7 15 West.

8 Q. I see. And this is referring to Exhibit A-1. Is
9 that the only injection well you have?

10 A. No, it is not.

11 Q. Where's your other --

12 A. It's --

13 Q. How many other injection wells do you have?

14 A. We have two other ones right now, and we're
15 applying for three more.

16 Q. Are the two that you have right now servicing the
17 wells in the area -- the wells within the San Juan Coal
18 leases?

19 A. Yes, they are.

20 Q. And where are those other two wells?

21 A. This is the Salty Dog Number 2 well in the
22 southeast of Section 5, 29-14. We also use commercial
23 disposal, and our third well is the Navajo H-13 well.

24 Q. And where is the Navajo --

25 A. That's south of the river, and that services

1 wells down there.

2 Q. Okay, so you don't use that well for your
3 production within the area of San Juan's coal leases; is
4 that --

5 A. No.

6 Q. -- correct? So to dispose of water from wells
7 within the area of San Juan coal leases, you use the two
8 wells you've referenced near the mine area, and then you
9 truck water as well, or --

10 A. Yes, we do.

11 Q. Do you have an estimate about what percentage of
12 the water you've produced is disposed in the two wells
13 you've referenced in the mine area and what percentage is
14 trucked?

15 A. No, I don't.

16 Q. What was the cost of those water injection wells?

17 A. Several hundred thousand dollars each.

18 Q. Any more specific than that, how many you've
19 got --

20 A. No, it would be in the -- maybe \$200,000, the low
21 hundred thousands.

22 Q. And you pipe the water to those?

23 A. We pipe and truck it, yes.

24 Q. So there's some water that you're trucking not
25 only down by the river, but you're also trucking the water

1 to these two injection wells in the mine area?

2 A. Yes.

3 Q. What's the rate for trucking water to --

4 A. We own our own water trucks, so it's -- It's over
5 a dollar a barrel.

6 Q. Do you have an estimate of your current unused
7 capacity for injection of water in the wells near the mine
8 area?

9 A. Unused capacity -- We are at capacity right now,
10 that's why we're permitting three more wells.

11 Q. Do you expect that the other three wells that
12 you'll be permitting will also cost in the neighborhood of
13 \$200,000 apiece?

14 A. No, we have one that we're permitting as an
15 Entrada test, a disposal well, and that will be \$600,000 or
16 \$700,000.

17 Q. Where are those three wells that you're seeking?

18 A. The Entrada disposal well is in the northeast of
19 Section 28, and then the other two are in Sections 30 and
20 31, all in 30 North, 14 West.

21 Q. Thank you.

22 A. We had offered to send water over to the mine,
23 because you all dispose of it on the surface, which --
24 originally you said you would do that, and that fell
25 through.

1 Q. Do you report the quantities of water that are
2 produced from all of your wells?

3 A. Yes, we do.

4 Q. From the very inception of each well?

5 A. Yes, we do.

6 Q. What's the first point that you make that report?
7 Is it the first barrel of water that comes out of the
8 ground?

9 A. Not always. Sometimes just in flow testing,
10 we'll flow it back into the fractates and take it over to
11 the injection well. But we try and get it as close as
12 possible.

13 Q. You don't handle that calculation reporting
14 personally, do you?

15 A. Some of the wells that I do, yes, but we have
16 field pumpers, and they report it to our office, and then
17 it gets to me in Denver.

18 Q. I see. Which wells do you personally handle the
19 reporting of --

20 A. Ultimately --

21 Q. -- disposal?

22 A. Ultimately all of them, I sign for.

23 Q. You sign for.

24 A. Yes.

25 Q. Do you handle the reporting in the field,

1 reporting activities in the field, for any of them?

2 A. No, I don't take actual measurements myself.

3 Q. So you leave the measurements to somebody else?

4 A. Yes, I do.

5 Q. And if somebody else had failed to report water
6 being produced, you would not have a way of knowing that
7 until it got to the point that it came to your attention?

8 A. Yes.

9 Q. You have pointed out that if you compare the
10 lease dates of the oil and gas leases, which are exhibits,
11 with our coal leases, your leases are older; is that
12 correct?

13 A. Yes.

14 Q. The holder of those leases held them for 20 or 30
15 years or more before there was any coalbed methane
16 developed; isn't that right?

17 A. Yes.

18 Q. And your contention is that those old leases give
19 you valid and existing rights; is that correct?

20 A. Yes.

21 Q. But whatever right you have is by the need to get
22 an application for permit to drill approved by the BLM; is
23 that not correct?

24 A. That may be a legal question you can ask my
25 lawyer.

1 Q. And in addition, before you have the opportunity
2 to drill, at least for the wells that you seek in this
3 proceeding, you need to have the infill application
4 approved; isn't that correct?

5 A. True.

6 Q. And so you do not at this point in time have the
7 necessary approvals you need to drill the wells which are
8 the subject of the infill Application?

9 A. That's true.

10 Q. The mine has obtained its permits and is
11 currently mining; isn't that correct?

12 A. Yes.

13 Q. So if you were to compare the date the
14 development rights were granted for the mine with the fact
15 that you have yet to obtain permits for the infill
16 Application, the mine's permit date is senior to yours;
17 isn't that correct?

18 A. I cannot make a legal conjecture there.

19 Q. I understand from the exhibits that your
20 geologist will be testifying about the fact that there are
21 seams and stringers of coal above the big Number 8 seam
22 that the Coal Company mines; is that correct --

23 A. Yes.

24 Q. -- and the horizons above that?

25 And you're aware that those other smaller seams

1 and stringers of coal exist above the big Number 8 seam; is
2 that --

3 A. Yes.

4 Q. The thickness and continuity of those stringers
5 and seams above the Number 8 seam that the Coal Company
6 mines is certainly less than the Number 8 seam that's the
7 focus of the mine; isn't that correct?

8 A. Well, I think that the total thickness of the
9 upper stringers is about equal to the lower basal coal.

10 Q. But it comes in thinner, more discontinuous
11 units; isn't that correct?

12 A. Yes, that's true.

13 Q. Are any of your wells completed and frac'd in any
14 of those upper seams or stringers?

15 A. Yes, they are.

16 Q. Could you tell me which ones are?

17 A. From memory I can't, I don't have that
18 information with me.

19 Q. Do you know how many are?

20 A. We started doing it -- Initially we didn't, and
21 then we started perforating and frac'ing with the basal
22 coal. I'm not sure how much of it got in the upper
23 stringers, but we opened it at the same time.

24 Q. I see. Help me out a little bit on that. When
25 you say that you frac'd the upper stringers, are you saying

1 that you frac'd those through a frac in the basal coal?

2 A. Yes.

3 Q. Okay. Have you frac'd the upper stringers by
4 focusing on them with the frac, as opposed to a frac in the
5 basal coal?

6 A. No, we have not.

7 Q. What would it cost you to complete a frac in a
8 well in some of those upper stringers?

9 A. Probably \$40,000 to \$50,000.

10 Q. Would that be about the same as it would cost you
11 to complete a frac in the big Number 8 coal seam?

12 A. Yeah, it would actually be a little bit more,
13 because you're selectively perforating various intervals,
14 so that portions of it would be a little more, maybe.

15 Q. It would be a little bit more to frac the smaller
16 seams and stringers than it would be --

17 A. Right.

18 Q. -- the big seam?

19 Do you have Pictured Cliffs wells too --

20 A. Yes.

21 Q. -- testified about?

22 And many of those wells are completed near the
23 top of the Pictured Cliffs, just below the Fruitland Coal;
24 is that correct?

25 A. Yes.

1 Q. Are all of them completed there?

2 A. We have completed a few. We've -- Where we had
3 low porosity in the top of the Pictured Cliffs, we moved
4 down 20 or 30 feet. But for the most part, it's right at
5 the top of the PC.

6 Q. You had stated San Juan had not made a written
7 offer of settlement, and then you discussed that you had
8 rejected the protocol provision on arbitration?

9 A. Yes.

10 Q. Would you be willing to waive any rights under
11 confidentiality agreement that governs settlement
12 discussions to allow for a demonstration of the offer
13 that's been made to --

14 MR. KELLAHIN: Madame Chairman, I'm going to
15 object to the question. He's talking about confidential
16 matters that are not permitted to be admitted into evidence
17 under the Rules of Evidence.

18 CHAIRMAN WROTENBERY: Sustained.

19 Q. (By Mr. Ausherman) If I may just go back to the
20 two injection wells that you've talked about, what is the
21 barrel-per-day capacity of the two injection wells that you
22 say you were either at or reaching capacity on?

23 A. Approximately 1000 to 1500 barrels per day.

24 Q. And the other three wells?

25 A. The newer ones?

1 Q. The ones, yeah, that you're --

2 A. Well, the Entrada well, if it is successful, it
3 could dispose of up to 10,000 to 12,000 barrels a day.

4 Q. And the other two?

5 A. In the 1000- to 1500-barrel range. Of course,
6 it's unknown. We're not sure. I mean, we hope it will but
7 we don't know.

8 MR. AUSERMAN: That's all I have.

9 CHAIRMAN WROTENBERY: Mr. Bruce, did you have
10 anything in addition to --

11 MR. BRUCE: Oh, no, Mr. Auserman was cross-
12 examining Mr. Richardson.

13 CHAIRMAN WROTENBERY: Okay, Commissioner Bailey?

14 COMMISSIONER BAILEY: I have a couple questions.

15 THE WITNESS: Sure.

16 EXAMINATION

17 BY COMMISSIONER BAILEY:

18 Q. I'm not as familiar with BLM oil and gas leases
19 as I am with the State oil and gas leases. Is there a
20 danger of you losing your BLM leases if you do not drill
21 additional wells?

22 A. I think there is, or we would have to pay
23 royalties if we are offset by this downspacing. Everyone
24 can go in now and drill on 160s, and if we are unable to do
25 that I don't know that there's a danger that we would lose

1 our leases, but we would have to pay royalties for gas we
2 should be producing.

3 Q. But that would only apply on the outside borders
4 of the area in question, correct?

5 A. Yes.

6 Q. Okay, which would mean the row of sections on the
7 far east side --

8 A. Right.

9 Q. -- on the --

10 A. But to answer your question, I don't think we
11 would lose our lease.

12 Q. Okay, that's what I need to know.

13 Under Exhibit 23, on the second page --

14 A. Yes.

15 Q. -- are you there? -- there are some alternatives
16 that are listed there as possible activities that may
17 mitigate some of the questions that San Juan has concerning
18 the roof stability and frac'ing and the other concerns.
19 Talk to me about the use of fiberglass casing and what that
20 would entail for you.

21 A. It's almost a moot point right now, because 95
22 percent of the wells are already there with steel casing.
23 But we as operators have never used the fiberglass. I've
24 heard in the Black Warrior Basin that it is feasibly
25 possible, but -- We frac these wells, they're so tight,

1 with high pressures, that I don't feel comfortable with it
2 myself. I've never done it.

3 Q. Are your current gas wells that are producing
4 from the Fruitland, are they inclining or declining in
5 their gas production?

6 A. We have been developing an infrastructure out
7 here, building our own gas lines, our own water-gathering
8 lines. Sometimes our pipelines pressure up, and we're
9 tweaking it out. It's really a several-year process.
10 Without question these wells will incline.

11 Q. So you have not seen any breakover into any kind
12 of --

13 A. No, any decline that you see on our wells, I can
14 say almost without exception it's a mechanical reason.

15 Q. Okay. Have you projected an economic life for
16 the producing wells?

17 A. Well, to the dismay of San Juan Coal Company,
18 it's probably well in excess of 20 years.

19 COMMISSIONER BAILEY: That's all I have.

20 CHAIRMAN WROTENBERY: Commissioner Lee?

21 COMMISSIONER LEE: (Shakes head)

22

23 EXAMINATION

24 BY CHAIRMAN WROTENBERY:

25 Q. I just wanted to ask a couple questions, make

1 sure I understand your testimony.

2 You had made some reference at the end of your
3 direct testimony to some pending administrative action that
4 had been stayed, and I thought you were referring to
5 something at the Oil Conservation Division, but I was not
6 clear.

7 A. I think I was referring to this *de novo* hearing.

8 CHAIRMAN WROTENBERY: Okay.

9 MR. KELLAHIN: There is a stay issued by the
10 Commission --

11 CHAIRMAN WROTENBERY: -- Commission --

12 MR. KELLAHIN: -- staying the Examiner Order.

13 CHAIRMAN WROTENBERY: -- order, okay.

14 MR. KELLAHIN: So that's where we are.

15 CHAIRMAN WROTENBERY: Okay, thank you.

16 Q. (By Chairman Wrotenbery) And then, I apologize,
17 you pointed it out twice but I still haven't found it on
18 Exhibit A-1, the Salty Dog Number 1 --

19 A. Yes.

20 Q. -- it's the first --

21 A. It's the same location as this Pit and Pond
22 Number 1 well.

23 Q. Okay.

24 A. They're about a hundred feet apart out there.

25 CHAIRMAN WROTENBERY: Okay, thank you. That was

1 all I had.

2 Mr. Kellahin, did you have anything more?

3 MR. KELLAHIN: Nothing further.

4 CHAIRMAN WROTENBERY: Okay, thank you for your
5 testimony, Mr. Richardson.

6 THE WITNESS: Thank you.

7 MR. KELLAHIN: May we have a few minutes to get
8 the geologic displays --

9 CHAIRMAN WROTENBERY: Sure, we'll take a five-
10 minute stand-up break.

11 (Thereupon, a recess was taken at 11:08 a.m.)

12 (The following proceedings had at 11:15 a.m.)

13 CHAIRMAN WROTENBERY: Mr. Kellahin?

14 MR. KELLAHIN: Madame Chairman, members of the
15 Commission, we're going to present Richardson's geologic
16 summaries. They're in the exhibit book that has the B and
17 C exhibits.

18 The first half of the book are the B exhibits,
19 which are the geologic displays. In the front of the B
20 section you're going to find a B-1. That's simply a
21 prehearing summary of the displays that Mr. Hively prepared
22 and submitted.

23 The book failed to include Mr. Hively's résumé,
24 which I have just passed out and which I advised Mr. Bruce
25 that I had omitted from the exhibit books.

1 So if you'll introduce Mr. Hively's résumé, and
2 just to make the numbers harder for me, why don't we call
3 this the B-1-A.

4 CHAIRMAN WROTENBERY: Okay.

5 COMMISSIONER LEE: Capital A or lower case a?

6 MR. KELLAHIN: You may choose.

7 CHAIRMAN WROTENBERY: Okay.

8 MR. KELLAHIN: Thank you.

9 ROGER E. HIVELY,
10 the witness herein, after having been first duly sworn upon
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q. All right, sir. Would you please state your name
15 and occupation?

16 A. My name is Roger Hively, I'm a petroleum
17 geologist.

18 Q. Mr. Hively, for the record would you please spell
19 your last name?

20 A. It's H-i-v- as in Victor -e-l-y.

21 Q. Where do you reside, Mr. Hively?

22 A. I live in Lakewood, Colorado.

23 Q. Summarize for us your education as a geologist?

24 A. I have a bachelor's degree in geology from
25 Wittenberg University in Springfield, Ohio, and a master's

1 degree in geology from the University of Texas at
2 Arlington, Texas.

3 Q. Summarize for us your petroleum geology
4 experience.

5 A. I've been consistently in the oil and gas
6 business in Denver and in the Rocky Mountains and mid-
7 continent, Gulf Coast regions, since 1979. I've lived in
8 Denver through that period of time.

9 I've been involved in oil and gas exploration in
10 all Rocky Mountain basins and have been involved in coalbed
11 methane exploration for a number of years as well.

12 Q. Let's specifically focus on the coalbed methane
13 geologic experience. Give us the time frame for which you
14 have been directly involved in analyzing the geology of the
15 coalbed methane?

16 A. For the past six years, I've been involved
17 specifically in exploration for coalbed methane in a
18 variety of Basins. I've been involved in the Powder River
19 Basin, the Raton Basin, San Juan Basin, of course, and as
20 well the Uintah Basin of Utah.

21 Q. Have you testified and qualified as a geologic
22 expert before other regulatory bodies, other than the New
23 Mexico Oil Conservation Commission?

24 A. I have testified a number of times in front of
25 the Colorado Oil and Gas Commission, yes.

1 Q. Are the geologic exhibits and the geologic
2 conclusions you're about to express your opinions and
3 conclusions?

4 A. Yes, they are.

5 Q. Are we about to look at your work product?

6 A. Yes.

7 Q. When we look at log correlations and picking
8 thicknesses, this is all your work?

9 A. Yes, it is.

10 Q. Have you been retained as a geologic consultant
11 by Mr. Richardson to review his application area for this
12 case?

13 A. Yes, I have.

14 Q. Have you completed that work?

15 A. Yes.

16 MR. KELLAHIN: We tender Mr. Hively as an expert
17 geologist.

18 MR. BRUCE: No objection.

19 CHAIRMAN WROTENBERY: We accept Mr. Hively's
20 qualifications.

21 Q. (By Mr. Kellahin) To set the geologic stage for
22 us, would you refer to what we've marked as Exhibit B-2,
23 which is the type log? Give us a moment to get your type
24 log.

25 Why have you selected this well as a type log?

1 A. The type log is the Richardson Operating WF
2 Federal Number 5-3. It is within the Application area.

3 Q. Find it for us on the A-1 map, will you?

4 A. It's located at the southeast corner of Section
5 5, 29 North, 14 West.

6 Q. Flip up the structure map so that you can see it
7 on the bigger map.

8 A. It's located right there.

9 Q. Okay.

10 A. Southeast quarter of Section 5. It is the well
11 that is included in both of the structural cross-sections
12 that we'll discuss shortly.

13 I chose the well because it is in the area that
14 is in the middle area or central area of development of the
15 coalbed methane in the Fruitland, and I think it represents
16 accurately the Fruitland Coal picture within the
17 Application area.

18 Q. Let's take the type log and have you either start
19 at the top or at the bottom and work your way in the other
20 direction, and let's identify the coal members.

21 A. The log is a cased hole log that is composed of
22 gamma-ray and neutron porosity curves. The formations in
23 the log are Fruitland at the top and Pictured Cliffs at the
24 base of the well and at the bottom of the log.

25 The coal formations, of course, are at the basal

1 portion of the Fruitland section, the Fruitland formation
2 section and moving upwards from there.

3 The Pictured Cliffs or PC is immediately beneath
4 the Fruitland Coal section in the well, and it exists at
5 the bottom or the total depth of the well, is Pictured
6 Cliffs.

7 Q. When you're on the Pictured Cliff, give us the
8 footage off the type log for the top and the bottom of the
9 PC.

10 A. The top of the Pictured Cliffs PC in this well is
11 at a depth of approximately 680 feet and continues to the
12 base or the total depth of the well.

13 The Fruitland Coal is anything above that.

14 Q. When we talk about the coals and attempt to
15 subdivide them between the upper coals and the lower coals,
16 what is the point of subdivision?

17 A. In my work, the terminology or the term "basal
18 Fruitland Coal" represents the single coalbed that is the
19 first bed immediately above the contact between the
20 Pictured Cliffs and the Fruitland formation, and I did not
21 segregate individual coalbeds above that. I called
22 everything above the basal Fruitland Coal "upper
23 Fruitland".

24 The basal Fruitand Coal is the same coal referred
25 to by the San Juan Coal Company as the Number 8 bed.

1 Q. So for your work, if we identify the basal coal
2 as the lower coal, that would be the basal coal package
3 that the Coal Company talks about as being Coal Seam 8?

4 A. Yes, that's correct.

5 Q. And if you categorize the coal packages above
6 that, you've characterized them as the shallow coal?

7 A. Or upper Fruitland Coals. Anything -- Any coal
8 above the basal Fruitland Coal is upper Fruitland Coal.

9 Q. Is there any difference in nomenclature or point
10 of location between your geologic work and that for what
11 we'll see presented by San Juan Coal Company?

12 A. Substantially I believe they are the same. San
13 Juan Coal Company exhibits map similarly to the way I do
14 with respect to the basal Fruitland Coal. Their maps of
15 individual coalbed numbers are slightly different above
16 that, however I believe that individual coalbeds that I
17 have illustrated on my cross-sections can be correlated to
18 and identified as the same nomenclature and the same
19 numbers as the San Juan Company.

20 Q. As an oil and as geologist, when you're looking
21 at a coal seam that might contain coal gas to be produced,
22 are you using a different criteria in selection than a coal
23 geologist would use to determine coal thickness for
24 purposes of mining the coal?

25 A. The data that I used for the determination in my

1 mapping here is predominantly oil and gas drilling,
2 exploration wells, wells drilled by Richardson as well as
3 other operators. We use predominantly electric log data to
4 determine the thicknesses and presence of the coals.

5 Q. We're going to look at the structure map in a
6 minute, but let's have a general verbal description about
7 the structure and what is the rate of dip or transition as
8 you move from one direction to another.

9 A. The dip and strike, or the structure in this
10 immediate area, the immediate area of the Application, is
11 generally downdip from west to east, with a little bit of
12 component to the southwest. The structurally highest area
13 in the Application area is the extreme southwest corner of
14 the area. The structurally lowest area of the Application
15 is in, then, the extreme northeast portion of the
16 Application area. So we have a general southwest-to-
17 northeast downdip area.

18 Q. As we go from mile to mile across this area,
19 what's the rate of dip as we move across the basal coal?

20 A. It's very gentle in the area, it's predominantly
21 about 100 to perhaps 150 feet per mile, around one degree
22 dip to the east or northeast.

23 Q. When you're looking at the logs to identify for
24 yourself what you as an expert would conclude to be coal,
25 what are you looking for and how do you do it?

1 A. Again, on the electrical logs that are drilled by
2 -- that are run by oil and gas operators, we look at a
3 combination of log parameters. The most definitive log
4 parameter for definition of coal is bulk density. Most of
5 these wells, or quite a few of these wells, don't have the
6 bulk density. We're looking at cased-hole wells.

7 We also use, then, the neutron porosity curve,
8 and we have cutoffs that determine what gets included or
9 excluded from a thickness measurement of a coal. In
10 addition we use the gamma-ray response to determine
11 cleanliness, if you will, or the degree of shaliness in an
12 individual bed.

13 So the combination of curves, neutron porosity,
14 bulk density if it's possible, and gamma ray.

15 Q. Is that methodology the same as generally applied
16 by oil and gas geologists looking for coal gas
17 opportunities in the San Juan Basin?

18 A. Yes, it is.

19 Q. It's not unique to you in how you analyze it?

20 A. No, I would say not.

21 Q. Let's drop down to the Pictured Cliff and have
22 you characterize the Pictured Cliff formation.

23 A. The PC in the area is generally considered to be
24 a fine-grained, relatively tight gas reservoir. It is a
25 sandstone that is not -- does not exhibit a great deal of

1 porosity and permeability as related to other reservoirs
2 within, say, the Rockies. It's considered a dirty or a
3 tight sandstone.

4 Q. When you start at the top of the PC in this area,
5 how far below the base of the basal coal are you starting
6 to get into the top of the PC?

7 A. The PC contact is generally considered to be the
8 sandstone immediately beneath the basal Fruitland Coal. In
9 some cases there are shale intervals in between, and the
10 sandstone does not occur until lower in the section. In
11 some cases the sandstone is very close to the basal
12 Fruitland Coal.

13 Q. When you talk about this Pictured Cliff reservoir
14 being tight, can you give us a range of permeabilities that
15 equates to what you're calling tight?

16 A. I don't have permeability numbers. Porosity
17 numbers can be, in logged porosity reservoir, designations
18 of 10 to 12, 14 percent in some cases.

19 Q. When you characterize the Pictured Cliff as being
20 a dirty sandstone, what does that mean?

21 A. Well, dirty means it has a relative abundance of
22 non-sandstone-size particles, perhaps clay particles, for
23 example, or other rock fragments which would limit the
24 porosity and permeability of the sandstone.

25 Q. When an operator penetrates and tries to

1 perforate the Pictured Cliff interval, will it naturally
2 produce gas without the operator engaging in any
3 stimulation program?

4 A. No, not at all.

5 Q. What does the operator have to do?

6 A. Well, I would presume that a fracture treatment
7 needs to be done in the PC.

8 Q. When you're looking for the sandstone gas in the
9 PC, I guess you would start at the top of the PC and work
10 your way down?

11 A. Yes.

12 Q. Describe what happens as you go downward.

13 A. In the formation, is that what you mean?

14 Q. Yes, sir.

15 A. There's very small distinction in the PC between
16 sandstone reservoir and other fine-grained rocks. As you
17 proceed more deeply into the Pictured Cliffs, predominantly
18 you deal with more shaly rocks.

19 Q. When you talk about a tight reservoir, are you
20 talking about permeabilities in the range of 0.1 to 1
21 millidarcies?

22 A. Less than 1 millidarcy is very common, yes.

23 Q. Let's turn to the structure map. That would be a
24 foldout out of the exhibit book. Give us a chance to
25 unfold your Exhibit B-3.

1 In preparing your structure map, give us the
2 point at which you are mapping the structure.

3 A. The structural datum on the map is the top of the
4 basal Fruitland Coal, or the coalbed, Coal Seam Number 8.

5 Q. Is that a readily identifiable marker point for
6 oil and gas geologists to use in this area for this type of
7 work?

8 A. Yes, it is. It's very consistent.

9 Q. And so there's not a fuss among you about where
10 to pick the top of the basal coal?

11 A. No, there's not.

12 Q. Let's look at the structure map you prepared, and
13 direct our attention to the key points. What does this
14 show you?

15 A. Once again, as I stated, it's a simple --
16 relatively simple structural picture across the Application
17 area. The regional dip in the area is from the southwest
18 to the northeast, downdip being to the northeast. The
19 attitude of the beds is relatively flat-lying, with dips of
20 around 100 to 150 feet per mile.

21 Across the Application area, in the four miles of
22 area, across the area, we have probably 700 to 800 feet of
23 structural dip from the highest area in the southwest to
24 the lowest area in the northeast.

25 Q. Have you looked at the structure map prepared and

1 submitted to the Commission by San Juan Coal Company?

2 A. Yes, I have.

3 Q. Are there any material differences between their
4 interpretation of structure and yours that you need to
5 identify for the Commission?

6 A. I don't believe there are any arguments on that
7 map. As we said, it's a very common datum to mark and to
8 map on, and the structure maps are very similar in nature.

9 Q. Let's turn to the cross-section. On the
10 structure map you show two lines of cross-section. You
11 have an A-A' cross-section running west to east, and then
12 you have a north-south cross-section. Let's start with the
13 A-A' cross-section.

14 A. Yes.

15 Q. Give us a chance to get organized. We've taken a
16 -- They're so big, if you can see that far, we have on the
17 display board.

18 A. The A-A' section is an east-west structurally
19 controlled, structurally hung cross-section. It's hung on
20 a datum of a positive 5000 feet. That's the elevation that
21 the logs are hung on for this section.

22 The cross-section illustrates two main points,
23 the first point being, as we've just discussed, that dip in
24 the region or dip across the Application area is downdip to
25 the east and updip to the west or southwest. Therefore,

1 the A edge of the cross-section on this side would be the
2 updip edge of the cross-section. That would be the
3 westernmost portion of the Application area. The A' edge
4 of the edge of the section, again, is the downdip edge of
5 the section on the eastern edge of the cross-section and of
6 the Application area.

7 With respect to the coals, the Fruitland Coals in
8 this area, the basal Fruitland Coal is the primary target
9 and the primary source of information here. The bottom
10 coal in each case on each log is consistent, and it goes
11 consistently in thickness from the eastern or downdip edge
12 of the area to the western or updip edge. The single
13 coalbed is present and consistent across the area.

14 Q. Do you see any major stratigraphic changes that
15 would disrupt or break the continuity of the coal?

16 A. No, things are very consistent across this area.
17 It's a distance of only four miles, so it's relatively easy
18 to make these correlations.

19 Q. So as you move across that four-mile interval,
20 you're able to conclude as a geologist that you have
21 continuity of the coals?

22 A. Yes.

23 Q. Can you say the same thing about all the coal
24 seams, the upper versus the lower?

25 A. In my mapping, as I suggested, every coal above

1 the basal Fruitland Coal, or the coal -- the Number 8 coal
2 seam, is grouped into what I call upper Fruitland Coals for
3 mapping purposes. We have on the cross-section illustrated
4 a number of the upper Fruitland Coals and indicated that
5 they are also in some cases present across the area, in
6 some cases they are less consistent and somewhat thinner.

7 The nomenclature between my work and the San Juan
8 Coal Company work suggests that the Number 8 seam is the
9 basal seam. The San Juan Coal Company calls the next main
10 seam up 8.6, and the next seam up that I have mapped on my
11 cross-section is Seam Number 9. So we have the same sorts
12 of geologic work happening here, and differences are in
13 nomenclature.

14 Q. Let's look at the reservoir in the other
15 dimension, if you go from north to south.

16 A. Can you see? What I have displayed here is
17 cross-section B-B', is a similar structural cross-section
18 hung again on the structural level of plus 5000 feet. The
19 indication as well on this section is from north to south,
20 the B section being the northern region, the B' edge of the
21 section being in the southern region.

22 Once again, we can demonstrate the continuity of
23 the basal Fruitland Coal. It is the lowermost coal, and it
24 is consistent with each well as you move from north to
25 south across the area.

1 Similarly, the upper Fruitland Coals are present,
2 and once again they do exhibit a similar degree with
3 somewhat less amount of thickness and consistency.

4 Q. Have you looked at the structure in the cross-
5 sections using any other lines of cross-sections, other
6 than the two we're looking at today?

7 A. Well, I evaluated and looked at in detail all of
8 the wells within the Application area, so that I was able
9 to work within that area and apply those other log data
10 points into the cross-section.

11 Q. Are these two cross-sections, then,
12 representative of the area?

13 A. Yes, they are.

14 Q. When we look at the thickness of the coal
15 displayed on your cross-sections, give us a sense of how
16 that thickness in the Richardson Application area compares
17 to thicknesses elsewhere in the Basin.

18 A. Well, this being the southern area, outside the
19 so-called fairway of the coalbed methane production in the
20 San Juan Basin, coals in general here are somewhat thinner
21 than the coals in the so-called fairway. Our average
22 thickness that we're using for our work here is 28 feet.

23 There are coalbeds in the -- accumulation of
24 coalbeds in the northern or fairway -- northern eastern or
25 fairway area is significantly thicker, as much as 70 feet

1 or more in some cases.

2 Q. How does this area of the San Juan Basin compare
3 to any of the work you've done in the Raton Basin?

4 A. The Raton Basin is somewhat similar to this.
5 However, the Raton Basin exhibits a series of very thin
6 coal stringers that are productive in the area. There is
7 not a single consistent coalbed that's the primary target
8 in the Raton Basin. The coalbed methane is produced from
9 as many as a half a dozen or more individual coalbeds that
10 are as thin as two feet or even less in some cases.

11 Q. For purposes of methane gas production out of the
12 coal, do you see an opportunity in all the coal seams to
13 produce coal gas, or are we just confined to gas production
14 out of the basal coal?

15 A. I think that every single coalbed that's a
16 thickness of two feet or better is potentially gas-
17 productive in this area. And again, it is consistent with
18 the types of coalbed producing zones that are present in
19 other basins.

20 Q. Are coal seams as thin as one to two feet
21 productive of methane gas by the oil and gas operators?

22 A. Yes, they are, they're perforated in many cases.

23 Q. Let's go to the thickness maps. Let me turn this
24 cross-section over. We are going to refer to Mr. Hively's
25 Exhibit B-7.

1 CHAIRMAN WROTENBERY: B-6.

2 MR. KELLAHIN: B-6. Can we --

3 CHAIRMAN WROTENBERY: We have that one out
4 already.

5 MR. KELLAHIN: You're way ahead of me.

6 Q. (By Mr. Kellahin) You have prepared two
7 isopachs, have you not?

8 A. Yes, I have.

9 Q. You have an isopach for what you've characterized
10 the lower Fruitland Coal, and then you have another isopach
11 for the upper coal?

12 A. Yes.

13 Q. Let's start with the lower coal. What's this
14 showing you?

15 A. The isopach map of the basal Fruitland Coal
16 indicates that -- The individual coalbed mapped here is
17 relatively consistent across the Application area. The
18 range of thicknesses is up to 18 feet, and significantly
19 less, as low as perhaps eight feet. Our average thickness
20 for this bed is 14 feet across the Application area. This
21 is the individual bed.

22 Q. So when you identify on the cross-section or the
23 type log the basal coal, which we call the lower coal, you
24 are mapping what you believe to be the thickness of that
25 interval?

1 A. Yes, that's correct.

2 Q. Describe for us how you go about determining the
3 thickness so that you can put it on your map and then draw
4 your contours.

5 A. Again, we use data that exists from oil and gas
6 operators, derived from electric logs in wells that were
7 drilled in the Application area, any log that's available,
8 using the combination of parameters we discussed before,
9 the neutron porosity in the case of a cased-hole log,
10 combined with gamma-ray. Bulk density, if it's available,
11 is also a primary tool. A combination of these tools
12 together is used to determine a total thickness for any
13 individual bed.

14 Q. Let's talk about the criteria you use in
15 analyzing the different types of logs. If you'll start
16 with the density log, are you using any cutoffs to tell you
17 what's going to be picked as coal for the thickness
18 calculation?

19 A. On a bulk-density log I use a cutoff of 2.0 grams
20 per cubic centimeter.

21 Q. And why would you use that?

22 A. That seems to be the most accurate and most
23 consistently accurate parameter as it -- when it's compared
24 to thicknesses that are determined from all the methods and
25 all the producibility studies that we do.

1 Q. Using that as your cutoff, when you analyze the
2 log and you're finding a coal thickness, is there a minimum
3 thickness that you'll use before you'll count that coal
4 towards your total?

5 A. I primarily use two feet as a minimum thickness.
6 The log resolution in most cases is not consistent and not
7 accurate enough to go below two feet for this area.

8 Q. So when we look at your map displaying the basal
9 coal, is there a range of coal thickness that you can
10 describe for us?

11 A. The basal coal ranges from a minimum thickness of
12 eight or nine feet to a maximum of 18 feet.

13 Q. On average through the Application area, what
14 would be a good average thickness to use?

15 A. 14 feet is what we use for average.

16 Q. There's going to be a difference between you and
17 the San Juan Coal Company's experts on thickness, is there
18 not?

19 A. I believe there will be a small difference.

20 Q. Describe for us how that difference is caused.

21 A. An individual, perhaps, will use judgment in some
22 cases to include or exclude individual coal beds or
23 individual coal thickness. Log parameters are interpreted
24 somewhat differently, sometimes, by some people. In
25 addition, in some cases, core data can be used to determine

1 coal thickness as well.

2 Q. Let's talk about any possible limitations you
3 might have about using coal core data from which to
4 determine thickness of coal for your mapping purposes.

5 A. Core data can be a valuable tool, of course it is
6 a valuable tool. We always want as much data as we can
7 get. A problem with that sort of data when used
8 exclusively is that recovery of core is somewhat -- usually
9 less than 100 percent. So coal thicknesses are generally
10 reduced somewhat when using that sort of individual kind of
11 data.

12 Q. What accounts for the fact that data from a coal
13 core sample might contain less coal gas than otherwise?

14 A. I'm sorry, less coal gas?

15 Q. Gas.

16 A. It certainly takes some time to remove a coalbed
17 from its resting place in the subsurface and put it into a
18 canister or a type of measurement device that will allow
19 you to measure that gas. Within that period of time, of
20 course, some gas is lost. So it will be -- The amount of
21 gas that's measured will then be, certainly, less than the
22 amount of gas that's actually present in the core or in the
23 bed in its formation state.

24 Q. When you're trying to do this type of work and
25 you're ranking the types of logs that you have to do this

1 work, what's the best possible log to have?

2 A. The best possible log is expanded scale bulk
3 density, open hole log.

4 Q. Do we have those generally available for the
5 Application area?

6 A. Primarily we do not, no.

7 Q. Are there any in this area that you have had an
8 opportunity to use?

9 A. No.

10 Q. They're just no here?

11 A. No, they were drilled in different methods and at
12 different time periods, and at that point in time -- and
13 the procedures that were used were just not -- they just
14 weren't run.

15 Q. When you're looking at your logs and trying to
16 analyze the coal thickness and you've used the density
17 cutoffs, is there anything that you use or look at to
18 determine the potential productivity of that coal? Are you
19 looking to see if it's all coal or if it's combined with
20 any other substance?

21 A. The combination of gamma-ray curve and density
22 curve and density -- or neutron porosity curve can often
23 give you an indication of shaliness or shale partings, as
24 they're called, within coalbeds, yes, you can determine, in
25 some cases, by a shaly or higher gamma-ray reading that an

1 individual bed or parting within a coalbed may not have the
2 same quality as the remaining portion of the coalbed.

3 Q. How would the ash content of the coal affect the
4 analysis? Or does it affect the analysis?

5 A. Ash content is a parameter that's generally
6 applied to coalbed reserve studies subsequent to their
7 removal from the wellbore. Again, ash beds and ash content
8 is generally determined by those logging parameters of a
9 less clean gamma-ray and a lower neutron or lower bulk
10 density reading.

11 Q. So when the petroleum engineer is trying to
12 analyze the coal to come up with a number to represent the
13 standard cubic feet of gas per ton of coal, he will take
14 into consideration the ash content?

15 A. Those are primarily -- yes, those are considered
16 in that evaluation, yes.

17 Q. Do you indirectly account for that in your log
18 analysis in deciding whether the coal is clean, dirty or
19 something else?

20 A. In some cases it can be removed. However, in a
21 general sense, my coal thicknesses perhaps diminish the
22 importance of an ash content in its total isopach value.

23 Q. When you look at your isopach of the lower coal,
24 do you see any portion of the Application area that is too
25 thin to represent a geologic opportunity to produce the

1 coalbed methane?

2 A. No, there's certainly enough coal within the
3 area, within the entire Application area, to produce gas.
4 The thinnest coalbed in the Application is eight feet, in
5 the lowest one. That's certainly adequately for gas
6 production.

7 Q. Let's turn to the upper isopach. Identify for us
8 what we've marked as Richardson Exhibit B-7, Mr. Hively.
9 B-7, what's that?

10 A. I believe that B-7 is the upper coal isopach.

11 Q. That's what I have. Let's go through the same
12 explanation. Tell us the major points of what you conclude
13 by preparing an isopach of the upper coal.

14 A. The purpose of an upper coal isopach is again as
15 a cumulative view of producible coal thickness across the
16 Application area. We're looking at a combination of
17 individual coalbeds that range in thickness down to three
18 feet and up to as much as 21 feet for the combination of
19 these beds, and we are looking for producibility thickness
20 that would be adequate for the producing of oil and gas, of
21 natural gas in this case.

22 Q. When we're trying to pick a top and the bottom
23 for the container of the coals to manage, then, from an oil
24 and gas perspective, do you see any geologic reason to try
25 to subdivide the pool into little minor pools within the

1 coal?

2 A. No, primarily every coal with an adequate
3 thickness of over two feet in the Application area should
4 be producible in combination with the other coalbeds and
5 should be combined.

6 Q. When we look at the upper coals, give us a range
7 of thickness over the Application area.

8 A. The thinnest coalbed in the -- the thinnest coals
9 in the upper area are three feet, and they range up to 21
10 feet in thickness.

11 Q. If we're trying to pick an average number over
12 the Application area, give us a number that's a good pick.

13 A. Once again, coincidentally, we come up with an
14 average coal thickness of 14 feet for the upper coals.

15 Q. Do you see any portion of the Application area
16 where the upper coals are so thin that you would recommend
17 that that particular area be excluded from being attempted
18 to be produced with the coalbed methane gas?

19 A. No.

20 Q. Let me direct your attention to the Pictured
21 Cliff. Have you attempted to isopach the Pictured Cliff
22 over the Application area?

23 A. No, I have not.

24 Q. Why not?

25 A. The Application is a Fruitland Coal Application,

1 and in my estimation and in our direction it does not deal
2 with the PC. It's not a PC Application.

3 Q. So you specifically focused on the coal?

4 A. Yes, I did.

5 Q. In a general sense, when you look at the Pictured
6 Cliff in the Application area, the PC is a viable target
7 from a geologic perspective in trying to complete a well in
8 that interval?

9 A. Yes, it is.

10 Q. We have PC locations or opportunities throughout
11 the Application area?

12 A. There are, yes.

13 MR. KELLAHIN: Madame Chairman, that concludes my
14 examination of Mr. Hively.

15 We'll move the introduction of his Exhibits B-1
16 through -7.

17 MR. BRUCE: No objection.

18 CHAIRMAN WROTENBERY: Okay, Exhibits B-1 through
19 B-7 are admitted into evidence.

20 And it's almost noon, so this would be a good
21 time, I think, to break for lunch. How much time do you
22 need for lunch?

23 MR. BRUCE: Till three? No.

24 MR. KELLAHIN: You know, an hour-plus. We're
25 right at noon, so we have to fight the local employees to

1 find something to eat, so --

2 MR. BRUCE: I agree.

3 MR. KELLAHIN: Do you want to try for 1:30? Does
4 that work?

5 CHAIRMAN WROTENBERY: Does that sound okay to
6 you?

7 COMMISSIONER BAILEY: Sure.

8 CHAIRMAN WROTENBERY: 1:30 we'll reconvene.

9 (Thereupon, noon recess was taken at 11:57 a.m.)

10 (The following proceedings had at 1:33 p.m.)

11 CHAIRMAN WROTENBERY: Okay, Mr. Bruce and Mr.
12 Ausherman.

13 MR. BRUCE: Okay.

14 CHAIRMAN WROTENBERY: Who's up?

15 CROSS-EXAMINATION

16 BY MR. BRUCE:

17 Q. Mr. Hively, first I'm going to refer to your well
18 log. I just want to clarify a few things which show up on
19 this and on your isopachs.

20 Your -- What you call your lower Fruitland Coal
21 isopach, which is your Exhibit B-6 -- it might be up on the
22 board there -- does your lower Fruitland Coal isopach only
23 include the basal Fruitland Coal?

24 A. Yes.

25 Q. As shown on your cross-section?

1 A. Yes.

2 Q. Okay. So then on Exhibit B-7 which shows your
3 upper Fruitland Coals, it's everything except that one
4 basal coal stringer, right?

5 A. That's correct.

6 Q. Okay. And then looking at your Exhibit B-7 and
7 your log, the B-2, does the upper Fruitland Coal isopach
8 include everything on this log that shows up as more than
9 two feet?

10 A. It's my understanding, I think it does, yes.

11 Q. Okay.

12 A. Although there may be some discrepancies because
13 we may have gone further up the hole with isopachs of upper
14 Fruitland Coal.

15 Q. And I guess what I'm looking at is on your well
16 log, if you'll look at it, starting with the second page,
17 it appears to me that there's -- you show on the first page
18 four coal stringers, on the second page there's another
19 four coal stringers, and on the third page, up at the top,
20 there's another coal stringer. So your upper Fruitland
21 Coal isopach includes these seven coal stringers, or I
22 should say -- is it nine coal stringers?

23 A. Well, we were somewhat arbitrary with those as we
24 come shallow with respect to upper Fruitland Coals. I
25 think I predominantly limited my coal isopachs in upper

1 Fruitland

2 Coal to zones within a depth range of about 200 feet of the
3 basal coal. Now, it's -- Obviously individual zones that
4 are blackened in here on the log won't necessarily mean
5 that they are coal, and they also perhaps are shallower
6 than that 200-foot interval that we were looking at.

7 Q. Okay, so what you're saying is that your Exhibit
8 B-7 would really -- again, looking at your well log, on the
9 very last page of it, it would include that zone just below
10 600 feet?

11 A. Yes, that would be -- I think that is your 8.6
12 zone.

13 Q. Okay. And then on the prior page it would
14 include the stringer that you have marked at 549 feet?

15 A. That is -- Yes, that's the Coal Company's 9 seam.

16 Q. Would it include any of these upper zones that
17 are also on the second to the last page of your well log?

18 A. No. I see no numbers, no coal numbers,
19 thicknesses, written on the log. I see high gamma-ray in
20 each of those cases. So the presence of a neutron porosity
21 that is blackened in is not necessarily what I'm counting
22 as thickness.

23 Q. It's not, or is not necessarily?

24 A. In this case, it's not.

25 Q. But it might be on some of your other well logs?

1 A. Depending on the individual log parameters.

2 Q. Is that noted on any of your cross-sections?

3 A. I'm sorry, I don't understand your question.

4 Q. Well, I mean --

5 A. The cross-sections -- The coals that are counted
6 in the isopach mapping are all denoted on the cross-
7 sections in the blackened zones that you see on the well
8 logs.

9 Q. Okay, on the well logs. But we can't tell from
10 looking at your Exhibit B-7 whether or not any of these
11 upper thin stringers were included on your upper Fruitland
12 Coal thickness?

13 A. No, I didn't include copies of all the logs, no.

14 Q. Okay. In looking at your B-7, you said that the
15 range of these upper thicknesses was from three to 21 feet.
16 Where is the -- I didn't see it off the top. Where is the
17 21-foot thickness that --

18 A. I'm not exactly sure. I'd have to look for it.

19 Q. Okay, B-7, the upper --

20 A. I see the southeast quarter of Section has --

21 Q. Okay.

22 A. -- the Bushman Federal 6-1 at 21 feet.

23 Q. Okay. Now, in your preparation of your exhibits,
24 did you use -- There was a hearing before this, and there
25 was a Mr. Shapiro, a geologist, who prepared exhibits. Why

1 didn't you use his isopachs?

2 A. This is a different hearing, I'm a different
3 person, I use my own maps.

4 Q. Did you disagree with his maps?

5 A. I didn't see them.

6 Q. You did not see them?

7 A. I didn't use them.

8 Q. Now, in the -- what you call the upper Fruitland
9 Coals, which generally seem to be thinner than the basal
10 Fruitland Coals, do they have the same lateral continuity
11 as the basal coal?

12 A. In some cases they do. For example, the Seam
13 Number 9 that's illustrated on my cross-section here, A-A',
14 goes from north to south -- or, I'm sorry, from east to
15 west, in a similar fashion as the basal Fruitland or your
16 basal Number 8 seam. In some cases the upper Fruitland
17 Coals are thinner, and you would suppose that they may be
18 less continuous than the basal coal and the Seam Number 9.

19 CHAIRMAN WROTENBERY: Could you point out Seam
20 Number 9 again? I'm sorry.

21 THE WITNESS: Seam Number 9, as I understand it,
22 is this one right here. This one would be 8 --

23 Q. (By Mr. Bruce) And for the record -- I'm sorry,
24 Mr. Hively, but could you identify the well number you're
25 looking at?

1 A. In the 5-3, my type log, Seam Number 9 is present
2 at a depth of 550 feet.

3 Q. And is that the upper coal seam that you have on
4 that well?

5 A. That is one of the ones that I'm including in my
6 mapping of upper Fruitland Coals.

7 Q. But on that particular well --

8 A. This is the uppermost coal seam, yes.

9 Q. Okay, that's all I'm --

10 A. And you can see that above that I have no more
11 isopach values attributed to coals in that well.

12 CHAIRMAN WROTENBERY: And the 8 again is -- ?

13 THE WITNESS: The 8 is the basal Fruitland Coal.

14 Q. (By Mr. Bruce) Mr. Hively, do you know what the
15 ash content is in these various coal zones?

16 A. No, I'm not aware of it. I haven't studied that.

17 Q. In looking again at your Exhibit 4, which is the
18 cross-section...

19 CHAIRMAN WROTENBERY: It's the B-B' cross-
20 section, right?

21 MR. BRUCE: The A-A'.

22 CHAIRMAN WROTENBERY: A-A'. Okay, I think that's
23 Exhibit --

24 MR. BRUCE: It's the one that is -- Yeah, right
25 in front of you here.

1 CHAIRMAN WROTENBERY: I think that's Exhibit 3,
2 isn't it? Or do I have that.

3 MR. BRUCE: You may be right.

4 CHAIRMAN WROTENBERY: I don't know, I lost track
5 here. No, you're right, it's Exhibit 4.

6 MR. BRUCE: Okay.

7 CHAIRMAN WROTENBERY: Sorry, now I'm getting my
8 numbers mixed up.

9 (Laughter)

10 MR. KELLAHIN: Don't ask me, please. I have no
11 clue.

12 Q. (By Mr. Bruce) Mr. Hively, if we could just look
13 at where these wells are completed for a minute, the first
14 one, the WF State 36-3, was completed only in the basal
15 coal; is that correct?

16 A. Yes, it is.

17 Q. Okay. And if you need to stand up to look at it,
18 that's fine, Mr. Hively.

19 A. The perforations are marked. It's hard to see
20 from back there, but the perforations are marked on the
21 well log.

22 Q. Now, the next one, the State 36 Number 1, where
23 is that one completed?

24 A. It's completed in the Pictured Cliffs, down below
25 the base of the basal Fruitland.

1 Q. About how far below the base of the basal coal?

2 A. It looks like the top perforation is about 20
3 feet below the bottom of the coal.

4 Q. Okay. Do you happen to know what the current
5 producing rates are from that well?

6 A. No, I do not.

7 Q. Now, in looking at both of your cross-sections,
8 that appears to be the -- shall we say the deepest
9 completion in the Pictured Cliffs. Do you know of any of
10 Richardson's wells out here, completed only in the Pictured
11 Cliffs, that are completed more than 20 feet below the base
12 of the basal coal?

13 A. As I said before, I haven't studied the PC. The
14 Pictured Cliffs was not part of my investigation. I have
15 limited my work only to the Fruitland section.

16 Q. Well, but you have the Pictured Cliffs
17 perforations on here?

18 A. As a matter of information, is all.

19 Q. Okay. So you don't know of any of the Pictured
20 Cliffs completions?

21 A. I haven't studied them.

22 Q. Okay. Do you know of any Fruitland Coal
23 completions that are outside of the basal coal, that are in
24 your upper Fruitland Coal?

25 A. I believe there are some perforations that

1 Richardson has, as we suggested this morning, but I'm not
2 specifically aware of those.

3 Q. You don't know of them?

4 A. I don't know --

5 Q. You've only heard that -- Mr. Richardson say that
6 some are completed in the upper Fruitland Coal?

7 A. Yes.

8 Q. And certainly none of those are reflected on your
9 cross-section?

10 A. That's correct.

11 Q. Do you know what the permeability of the coal is
12 here?

13 A. No, I don't.

14 Q. Do you know if it's low or high, in general,
15 relative terms?

16 A. That is relative, and no, I don't, I wouldn't say
17 low or high.

18 Q. If it had a high permeability, would there need
19 to be any reason to frac the coal?

20 A. What is high? I don't know, I'm sorry. I'm not
21 prepared to say low or high.

22 Q. Okay. If it's, say --

23 A. I'm not going to talk about permeability and frac
24 techniques and frac'ing.

25 Q. Now, I believe in response to Mr. Kellahin's

1 question about the PC, you made the statement that there
2 were viable locations throughout this area in the Pictured
3 Cliffs?

4 A. There are viable locations. There are existing
5 wells there as well. I would --

6 Q. I thought you said you didn't study the PC?

7 A. I would extend that only to say that since there
8 are existing wells there in the PC, that there must also be
9 viable locations.

10 Q. But you admit that you haven't studied the PC.
11 Could you look at any of these maps and predict which PC
12 locations would be good?

13 A. No, not without further work.

14 Q. Now, I think you gave some figure about Pictured
15 Cliffs porosity of 10 to 14 percent?

16 A. That's a range that I talked about, yes.

17 Q. How many Pictured Cliffs wells in this general
18 area do you know of that are economically productive with
19 10- to 14-percent porosity?

20 A. Again, I did not study the Pictured Cliffs. I
21 didn't study the isopach values or the production of the
22 Pictured Cliffs.

23 Q. Okay, so you really can't tell whether there are
24 any viable Pictured Cliffs locations in this area?

25 A. Other than to say that there are Pictured Cliffs

1 wells that do exist.

2 Q. Wells that are fractured in the Pictured Cliffs
3 -- or I mean, excuse me, completed in --

4 A. Completed in.

5 MR. BRUCE: -- the Pictured Cliffs?

6 That's all I have, madame Chair.

7 CHAIRMAN WROTENBERY: Thank you. Commissioner
8 Bailey?

9 COMMISSIONER BAILEY: A couple of questions.

10 EXAMINATION

11 BY COMMISSIONER BAILEY:

12 Q. You mentioned that dip was east-northeast. Have
13 you an opinion on the direction of permeability in
14 accordance with the cleats of the coal?

15 A. No, I don't.

16 Q. Okay. Would you say it's a very distinct contact
17 between the Fruitland and the PC, or would you say that
18 there has been interfingering between the two different
19 formations?

20 A. That's a loaded question. If you call the PC-
21 Fruitland contact at the base of the basal Fruitland Coal,
22 then it's very distinct. There is some indication or some
23 evidence that suggests that, in fact, may not be the PC-
24 Fruitland contact, that that contact perhaps could be
25 deeper, below the base of the basal Fruitland Coal by some

1 feet.

2 Q. Do you also see sands in the lower portion of the
3 Fruitland that could be characterized as Pictured Cliffs?

4 A. I haven't spent enough time to make that
5 suggestion, no. My study was fairly limited to the
6 Fruitland Coal zones.

7 COMMISSIONER BAILEY: Okay, that's all I have.

8 CHAIRMAN WROTENBERY: Commissioner Lee?

9 EXAMINATION

10 BY COMMISSIONER LEE:

11 Q. In your opinion, do you think you can study the
12 Fruitland Coal without studying the Pictured Cliff?

13 A. I believe that I can with respect to the scope of
14 the tasks that I was assigned, and that is looking
15 specifically at Fruitland Coals, the basal Fruitland Coal
16 or the C Number 8, as it's called, as well as upper
17 Fruitland Coals. I'm not looking at productivity in this
18 case.

19 Q. You're talking about upper one, you're talking
20 about basal, next to the Pictured Cliffs, you're telling
21 people you don't have to know the Pictured Cliff to
22 understand the --

23 A. I didn't extend my study to producibility or
24 contact. I'm simply doing isopachs and structure on those
25 specific zones.

1 COMMISSIONER LEE: Okay.

2 CHAIRMAN WROTENBERY: Mr. Ross, did you have a
3 question?

4 MR. ROSS: Yeah, I think we probably ought to
5 clear up one thing.

6 EXAMINATION

7 BY MR. ROSS:

8 Q. On B-6 and B-7 there's --

9 A. Yes?

10 Q. -- on this particular map, you've got some
11 numbers in red next to the wells. Are those the depths of
12 the coal at that point?

13 A. The red numbers --

14 Q. The red numbers.

15 A. -- represent the individual coal thicknesses at
16 each particular location.

17 Q. At the well?

18 A. Yes.

19 Q. And the black numbers are your mapping average
20 thicknesses?

21 A. Black numbers on the contours, is that what
22 you --

23 Q. Yeah.

24 A. Yeah, those are the isopach values on the
25 contours.

1 CHAIRMAN WROTENBERY: Thanks, Mr. Ross.

2 Mr. Kellahin, did you have anything else --

3 MR. KELLAHIN: No, ma'am.

4 CHAIRMAN WROTENBERY: -- of Mr. Hively?

5 Thank you very much, Mr. Hively, for your
6 testimony.

7 MR. KELLAHIN: Madame Chairman, we're calling now
8 Mr. David Cox. He's a consulting reservoir engineer for
9 Richardson.

10 CHAIRMAN WROTENBERY: Mr. Cox.

11 DAVE O. COX,

12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Mr. Cox, you've already been sworn, have you not,
17 sir?

18 A. Yes, I have.

19 Q. Please state your name and occupation.

20 A. My name is Dave O. Cox. I'm a petroleum
21 engineer.

22 Q. Where do you reside, sir?

23 A. I live in Golden, Colorado.

24 Q. Would you summarize for us your education?

25 A. Yes, I have a bachelor's of science in petroleum

1 engineering from the Colorado School of Mines in 1974 and a
2 master's of science in petroleum engineering from the
3 Colorado School of Mines in 1977.

4 Q. What's your position now with Questa Engineering
5 Corporation in Golden, Colorado?

6 A. I am a senior consultant with Questa Engineering.

7 Q. Have you been retained by Mr. Richardson as an
8 expert witness and petroleum engineer for purposes of this
9 case?

10 A. Yes, I have.

11 MR. KELLAHIN: Madame Chairman, the exhibit book
12 distributed failed to include Mr. Cox's résumé. We would
13 like to include it.

14 CHAIRMAN WROTENBERY: We should make this part of
15 Exhibit C-1; is that right?

16 MR. KELLAHIN: Yes, ma'am, C-1-A or something --

17 CHAIRMAN WROTENBERY: C-1-A?

18 Q. (By Mr. Kellahin) Mr. Cox, the résumé that I
19 have just circulated to the Commission and to counsel is a
20 document that you've prepared. This is your résumé, right?
21 This one right here?

22 A. Yes, it is. It's actually, though, a previous
23 version of my résumé. It does not include some changes to
24 my employment that have happened in the last few months.

25 Q. Let's give the Commission a general overview of

1 your experience, Mr. Cox. In addition to your employment
2 as a senior consulting engineer for Questa Engineering,
3 give us a summary of your work experience.

4 A. Okay. I've been a consulting engineer for most
5 of my career, about 22 years of my career. I spent five
6 and a half years working for an independent oil producer in
7 the mid-1980s and late 1980s and then got back into
8 consulting in 1990. I've been owner or co-owner of the
9 last four consulting firms that I've worked for. And then
10 recently here, in July, I was also appointed vice president
11 of engineering for Trident Exploration Corporation, which
12 is a Calgary based coalbed methane exploration firm,
13 looking for coalbed methane in western Canada.

14 Q. Have you written or published or presented
15 technical papers?

16 A. Yes, I have, I've written about 40 different
17 papers through the years, and about ten or a dozen of those
18 have been on coalbed methane.

19 Q. Do you teach any classes, Mr. Cox, on coalbed
20 methane gas?

21 A. Yes, I have. I've taught several seminars that
22 I've written and presented for industry seminars on coalbed
23 methane, coalbed methane reservoir engineering and
24 maximizing the asset value of coalbed methane reservoirs.
25 And then I've also taught a graduate level class in coalbed

1 methane at the Colorado School of Mines.

2 Q. Let's focus on the coalbed methane work
3 experience. Would you summarize that for us?

4 A. Yes, I've been working on coalbed methane
5 projects since 1981. At that time I was working for a
6 small consulting firm in Denver. We had a client who had
7 obtained a 46,000-acre leasehold in the Raton Basin.
8 Unfortunately, they were about 15 years too early and so
9 they could not make a commercial project at that time. But
10 we basically functioned as their engineering department,
11 looking at coalbed methane projects for them in Raton
12 Basin, the San Juan Basin and in Pennsylvania.

13 Then from 1984 through 1989 I worked for ANGUS
14 Petroleum. In 1988 the parent company of ANGUS, PG&E,
15 decided that they wanted to get into coalbed methane, and
16 so they had me seconded to PG&E, basically, to assist them
17 in evaluating coalbed methane projects, and I evaluated
18 about a dozen projects for them in 1988 and 1989.

19 In 1990, when I became a consultant again, I
20 began working on coalbed methane projects for different
21 clients at that time.

22 And then 1992 through 1996, a five-year period
23 there, I was in a variety of roles becoming, ultimately,
24 vice president of reservoir engineering for Advanced
25 Resources International. Now, they were one of the prime

1 contractors for the Gas Research Institute, so they did a
2 considerable amount of work on coalbed methane. In fact,
3 it was their main line of business, and for that matter
4 still is. So during that five-year period the majority of
5 my work was on coalbed methane reservoirs.

6 Then in 1997 I joined Questa Engineering -- and
7 by the way, that's Q-u-e-s-t-a, with an "a" at the end --
8 and since that time again, most of my time has been spent
9 on coalbed methane projects. We prepared the 3M model for
10 the Colorado Oil and Gas Commission, the Southern Ute Tribe
11 and the Bureau of Land Management, where we modeled the
12 entire Colorado portion of the San Juan Basin.

13 We've also done over 100 different coalbed
14 methane projects for different clients through the years
15 here. So I'm very experienced and have had a lot of work
16 on different areas, not just in the States but also
17 worldwide. I've looked at coalbed methane in India,
18 Australia, New Zealand, even places like Zimbabwe and
19 Poland.

20 Q. What functions have you performed for Mr.
21 Richardson as a petroleum engineer consulting expert in
22 coalbed methane gas production?

23 A. Primarily my work has been involved in assisting
24 Mr. Richardson in understanding his reservoirs and figuring
25 out how he can maximize production from those reservoirs.

1 Q. Are the exhibits and presentation you're about to
2 make on behalf of Mr. Richardson represent your work
3 product?

4 A. Yes, they do. It's either work that I have
5 personally conducted or that was performed under my
6 direction.

7 MR. KELLAHIN: We tender Mr. Cox as an expert
8 petroleum engineer with special expertise in coalbed
9 methane gas production.

10 MR. BRUCE: We have no objection to Mr. Cox as an
11 expert engineer.

12 CHAIRMAN WROTENBERY: He is so qualified.

13 Q. (By Mr. Kellahin) Mr. Cox, when we turn to the
14 exhibit book presented to the Commission, we come to
15 Exhibit C-1, this is a summary, a brief summary, of the
16 individual exhibits that you have compiled for the exhibit
17 book?

18 A. Yes, it is.

19 Q. And that exhibit summary is work that you have
20 supervised or done yourself?

21 A. That is correct.

22 Q. Mr. Cox, in evaluating Mr. Richardson's special
23 infill project area, I think it would be helpful if you
24 would give us an understanding, a basic understanding, of
25 how to know and understand coalbed methane in the project

1 area. Where do we start?

2 A. Well, we start first with the amount of gas that
3 is present there, and in order to get that we have to say
4 how big is the tank. So it's like a volumetric type of
5 estimate that we start with. We say that the coal extends
6 over a certain area and has a certain thickness and certain
7 density and then gas content.

8 Now, how we get that gas content is one of the
9 topics that we'll discuss at length today. There are
10 several different methods of that, and we'll go into that
11 in greater depth further here. But once we have those
12 different parameters we can calculate the gas in place.

13 The gas in place, though, is only a small part of
14 the equation. We also have to look at performance, how are
15 the wells performing? How do they produce and how will
16 they continue to incline? Because at the beginning,
17 coalbed methane wells increase in production, in some cases
18 for extended periods up to several years.

19 And so understanding that extended incline period
20 before we reach a peak -- and then normally we have a
21 stable production after the peak for a period, followed by
22 a decline -- that really leads us to the economics and the
23 economic viability of the project because of the production
24 profile that we see.

25 Q. Have you included in the exhibit book an Exhibit

1 C-2 that would be a good starting point for us to have you
2 describe how coalbed gas methane engineering differs from
3 conventional engineering in a sand reservoir that's
4 volumetrically derived? Where do we start?

5 A. Okay, this Exhibit C-2 is an excerpt from the
6 Presentation and Exhibits for the San Juan Basin Coalbed
7 Methane Spacing Study. Now, this was actually presented
8 back in 1991, so about 11 years ago. And although our
9 understanding of coalbed methane has changed with some of
10 the details, the basic principles still hold. And so
11 that's the reason why I included this exhibit here.

12 If you turn to the second page of the exhibit, it
13 shows specifically two different schematic or diagrammatic
14 decline curves. The upper one is a conventional decline
15 curve for a conventional reservoir.

16 And in a normal reservoir what we see is,
17 production starts off high because our pressure is high.
18 And then as we have a decline in pressure, our production
19 rate drops off. So that's pretty straightforward.

20 In coalbed methane we see a different type of
21 thing happening. As you can see there on that, on the
22 bottom curve there, there's an initial early peak in
23 production which occurs as we deplete or drop the pressure
24 right near the well. Then as you move -- as water is
25 coming in, because most of the coalbed methane reservoirs

1 start out filled with water, then we see a short decline in
2 production, and from there we have an extended production
3 incline. Many people call this the negative decline period
4 or the production incline period.

5 Q. Why do we see that characteristic of wells in the
6 coalbed methane?

7 A. It's because we start out -- The coal has one
8 channel, basically, for gas to get to the well, and that is
9 through the cleat system to whatever type of completion we
10 have. The cleats are natural fractures that exist in the
11 coal, but they're very small scale. In the San Juan we're
12 typically looking at four to as many as 20 cleats per inch.
13 So it's a very finely, or very heavily cleated type of
14 coal. Those cleats provide a channel for the gas to get
15 out of the coal and then move towards the well.

16 But initially the cleats are filled with water.
17 So what we have to do is, we begin pumping the water out.
18 And as we dewater we reduce the water saturation, increase
19 the gas saturation, and that's the increased gas effective
20 permeability. So it's a case -- That incline basically
21 results from that increase in gas saturation, gas effective
22 permeability.

23 Now, we reach a peak when the increasing gas
24 saturation, increasing permeability no longer offset the
25 decrease in reservoir pressure, because as we continue to

1 produce we drop reservoir pressure. That part is just like
2 a conventional reservoir, but we follow a different curve.

3 There's also another factor that can enter in and
4 is well documented in the San Juan Basin, and that's what
5 we call matrix shrinkage. And matrix shrinkage is where
6 the blocks of coal, the little cubes of coal, if you will,
7 actually shrink as we produce the methane, because the
8 methane takes up one to two percent by volume of the coal
9 in its original state, in the adsorbed state. So as we
10 produce that methane, those coal blocks begin to shrink.

11 Well, that opens up the cleats and then gives us
12 a better pathway or a better conductivity from the
13 reservoir into the well. And as a result of that, that's
14 the reason why we see many of the fairway wells, for
15 example, reach high levels and then sustain at those high
16 levels, in some cases for many years, before they begin to
17 fall off.

18 Q. What do you mean by the word "isotherm"? What is
19 that?

20 A. An isotherm is one of the techniques that we use
21 in evaluating coalbed methane reservoirs. And the third
22 page of this Exhibit C-2 shows, again, a diagrammatic
23 isotherm, although this is actually, if I remember
24 correctly -- was taken from a couple of the GRI research
25 wells. And it shows that conceptually what happens with

1 the isotherm, it is measured in the lab at a constant
2 temperature, and that's why we call it "isotherm"; the root
3 words mean "constant temperature". And what we do is, we
4 pump methane, progressively greater and greater volumes at
5 higher and higher pressures and let it equilibrate with a
6 ground-up sample.

7 And so taking this example here, at 2000 p.s.i.
8 we're at approximately 600 p.s.i. [sic] if we're saturated
9 with methane, and that's where the circle is on the right,
10 just under Coal A. So it says there "Coal A is Saturated:
11 Initial Gas Content is on the Sorption Isotherm".

12 If we were only at 1000 p.s.i., we'd be at
13 approximately 500 cubic feet per ton. And similarly, if we
14 go down to very low pressures, even at a pressure, say, of
15 100 p.s.i., we're still showing a gas content of about 100
16 cubic feet per ton here. So there's still a lot of gas at
17 very low pressures.

18 And so this isotherm gives us an understanding of
19 the amount of gas that the coal can contain at different
20 pressures.

21 Q. So the purpose of the isotherm is to develop a
22 curve using disciplines of engineering to show how much gas
23 a particular coal can hold?

24 A. That's correct.

25 Q. Let me show you an exhibit that we failed to get

1 copied into the book. It's one we used before Mr. Stogner.

2 Now, if we look at the isotherm that you just
3 displayed and use the help of the additional lines on this
4 -- what is marked as Exhibit 4 as part of this exhibit, it
5 will help you illustrate some of these different steps.

6 A. Yes, this was just the next page following the
7 previous pages there.

8 CHAIRMAN WROTENBERY: So we should consider this
9 part of Exhibit C-2?

10 THE WITNESS: That's correct.

11 Q. (By Mr. Kellahin) Let me have you take this in
12 pieces now. When you use the term "saturated" or "near
13 saturation", how do you use that in terms of this isotherm?

14 A. Okay, if I may point at this isotherm here, the
15 circle over here, if we take a coal that's saturated with
16 methane at 1900 p.s.i., then reading from the 1900 p.s.i.
17 up to the isotherm line, we then read left over to the Y
18 axis, and we see that its initial gas content would be 600
19 standard cubic feet per ton.

20 Now, if we were to drop the pressure on that even
21 a little bit -- say we drop 100 p.s.i. or about 5 percent
22 of the reservoir pressure, we're going to release methane.
23 We're going to have a little bit of methane come off. In
24 this case that number would be -- to an eyeball that looks
25 like 20 or 30 cubic feet per ton.

1 But because the isotherm is curved like this,
2 when you're saturated, every pressure drop that you get,
3 every p.s.i., is releasing gas. And because it's curved
4 like this, we have to bring the pressure down further and
5 further to get more of the gas. So in order to maximize
6 recovery, we'd need to bring the reservoir pressure down
7 into the 25- or 50-p.s.i. range.

8 Q. When you're dealing with pressures, you're
9 dealing with initial reservoir pressures?

10 A. Yes, in this case this would be the initial
11 reservoir pressure. So we'd start off with Coal A at
12 initial pressure. Then as we are producing, as the
13 pressure drops, that's how we release gas, because the
14 amount of gas between the initial gas content and the gas
15 content at a lower pressure is the amount that we release.

16 Q. Can we have a well which would have pressure
17 higher than the Coal A point on that display, higher up?

18 A. You mean gas saturation higher up?

19 Q. Yeah.

20 A. Yeah, if at 1900 pounds, let's say we had 700
21 cubic feet per ton, then we've got a problem because the
22 coal can only hold 600 cubic feet per ton. We don't have
23 any oversaturated coal, not in reality. The cleats can
24 hold a little bit, but the cleat volume is very small.

25 So basically we -- the operative region of this

1 is at or below the isotherm.

2 Q. Let's start there. If you're below the isotherm
3 where it says Coal B, are you in an undersaturated
4 condition?

5 A. Yes, you are. Coal B here at 1900 p.s.i. would
6 hold, it says here, about 450 cubic feet per ton. So that
7 would be an undersaturated coal.

8 Q. In the reservoir that we're dealing with in Mr.
9 Richardson's Application area, what initial reservoir
10 pressure are you dealing with on this display?

11 A. Well, we'd actually be dealing with initial
12 pressures down mostly in the 175- to 350-pound range, with
13 an average number of about 250. So we're looking at much
14 lower gas contents, down in about the 240-cubic-feet-per-
15 ton range for the initial gas content.

16 Q. Help me understand underpressured reservoirs.
17 Can you have an underpressured reservoir that is gas-
18 saturated?

19 A. Yes, we can. So underpressure -- the pressure
20 level in the reservoir -- Underpressured just means that
21 the pressure is lower than the pressure of a column of
22 water. So it depends on topography and where the standing
23 water level in the well is.

24 So if we're underpressured but we're saturated --
25 For example, if we're 250 pounds and 240 cubic feet per

1 ton, we would be saturated here. Whereas this Coal B here
2 might be an overpressured reservoir at 1900 p.s.i., if that
3 was occurring at 3000 feet or 4000-foot depth, that would
4 be an overpressured reservoir.

5 So whether a reservoir is underpressured,
6 normally pressured or overpressured, it can still be
7 saturated.

8 Q. What causes the coal to be undersaturated?

9 A. Well, there are several things that can happen.
10 What we find in practice is that -- In general, they come
11 in a couple of different ways. The first one is that the
12 gas originally had coal in it, because there's considerably
13 more gases formed when we generate coal than the coal can
14 hold. There's about five to ten times as much gas
15 generated as the coal can hold. So because of that, the
16 coals generally start out close to saturated.

17 But they can have the gas escape. For example,
18 if there's a fault that cuts down into the coal, then the
19 gas can escape through that. Or another way is if there's
20 water washing the coals. And we see that in both the
21 Powder River Basin, in some of the coals, and in the Uintah
22 Basin. There's even a couple of wells in the San Juan
23 Basin like that where they're in small fault blocks where
24 water rushing by or going by over a period of time has
25 washed the methane out of the coal.

1 The other kind of key thing that has happened
2 worldwide that we see is, up in Canada we find that coals
3 are often undersaturated because they started out saturated
4 when the coal was deeper. Now the coal is shallower and
5 the temperature is colder. And as the temperature has
6 changed, then the isotherm has changed, because at lower
7 temperature the coals can hold more gas. The molecules
8 aren't moving around as fast, so it's easier for the coal to
9 hold more gas. So in that case it started out saturated on
10 the isotherm and then has since changed.

11 Q. Are the Fruitland Coals in the San Juan Basin
12 generally undersaturated or saturated?

13 A. They are generally either saturated or close to
14 it. They are mostly within 20 to 50 p.s.i. of being
15 saturated. They're generally very close.

16 Q. Within Richardson's project area, what do you
17 find the coals to be? Saturated or unsaturated?

18 A. We find the coals to be saturated in the
19 Richardson area, and there's a very key piece of evidence
20 that shows this, and that is, when Mr. Richardson came in
21 and drilled his wells, they began making gas right away.
22 Now, at times it would be small volume that then grow. But
23 when it begins making gas right away for very little
24 pressure drop, that says we're very close to saturated.

25 If you look, as an example here, at this Coal B,

1 that Coal B here would be about 25 percent undersaturated.
2 What that meant is, in that particular example, they would
3 have to bring the reservoir pressure from 1900 p.s.i. all
4 the way down to 900 p.s.i. before they got any gas. That's
5 what happens to you in undersaturated reservoirs. You have
6 to dewater for extended periods, and you produce a lot of
7 water before you get any gas.

8 There's a good example in the Raton Basin of
9 this. There's one project that has produced 57 million
10 barrels of water and only 17 million cubic feet of gas.
11 That's about the amount of gas that you can carry in the
12 water as solution gas. So that project has been pumping
13 now for three and a half years and has not made any gas to
14 speak of. Mr. Richardson's wells made gas from day one.

15 Q. Help us understand how the water component fits
16 into the analysis.

17 A. Well, the water is great at the beginning. The
18 water is the reason that the gas -- or that the coals held
19 gas. The pressure from the water is the pressure that was
20 holding that gas in place. If that water pressure or water
21 head had been removed over geologic time, then the coals
22 would have lost their gas. But they didn't. You know, the
23 water held the gas in place.

24 But what we have to do is, we have to dewater
25 these reservoirs to maximize recovery. We have to bring

1 the pressure down. In order to do that, we have to pump
2 the water off. So it's a fairly complex process, but it
3 really boils down to, very simply, you have to dewater to
4 get the gas out.

5 Q. The Division's recent order on the pool rule
6 change that distinguished between the overpressured area
7 and the underpressured area, can you be in the
8 underpressured area and still be in saturated coal?

9 A. Absolutely.

10 Q. Is Mr. Richardson in a similar circumstance in
11 that he is in a saturated portion of the pool that is
12 underpressured?

13 A. Yes.

14 Q. How did you go through the process of deciding
15 how you would take this general concept of an isotherm and
16 find data to generate an isotherm that is useful or
17 characteristic of the coals within Richardson's Application
18 area?

19 A. Well, we're fortunate that we do have information
20 from the Coal Company. They actually measured isotherms on
21 two samples. And that's shown in Exhibit C-3.

22 Q. Let's turn to that.

23 A. Okay. The Test 151 there is the red curve up at
24 the top, and it showed -- What they do on these isotherms,
25 as I said, is, they take the samples and they equilibrate

1 with methane at different pressures so they see how much
2 methane goes onto a sample. On that particular one at 350
3 p.s.i., they would have had approximately 350 cubic feet
4 per ton.

5 Now, what they do is, they actually do this at
6 several different points, at different pressures, so I
7 haven't actually plotted their measured pressure points
8 here. This is the isotherm, though, that came from their
9 results. So they fit a mathematical curve called the
10 Langmuir isotherm to this, and then this is that curve.

11 So we have one sample is the red sample there.
12 The second sample is this green sample. And what I did is,
13 I averaged in between to get the blue isotherm there that I
14 called the average. So that's -- We have two samples, and
15 we find that when we average those we fall in between.

16 But there's really not that much scatter between
17 the two of them. It's only going from about 310 up to 350.
18 Most of this difference is attributable, most likely, to
19 difference in ash content between the two different
20 samples.

21 Now, there's one other isotherm that I've shown
22 here, which is the San Juan Basin average isotherm. So you
23 can see, even if we didn't have any isotherm information in
24 this area, we could use the available average isotherms for
25 San Juan Basin coal and find that this is still very close

1 to that isotherm.

2 Q. This isotherm is called an adsorption isotherm?

3 A. That's correct.

4 Q. What's that mean?

5 A. Adsorption means that we are adsorbing or adding
6 gas to the coal. So more and more gas is being added to
7 it, it's adsorbing onto the coal. And it's a little bit
8 like the word "absorb", but the term "adsorb" refers to --
9 call it a chemistry type of thing, a physical chemistry
10 type of thing.

11 Q. What's the significance of these Langmuir
12 pressures and volumes? What's that mean?

13 A. They just basically tell us what the shapes of
14 the curves are and what the levels are. The Langmuir
15 volume is defined as the maximum amount of methane that we
16 can adsorb on the coal if we carried it all the way up to,
17 in essence, infinite pressure but still had gas molecules.
18 And what that's happening is, we only get a monolayer of
19 methane onto the coal there. So that's the reason why we
20 have a finite volume at very high pressures.

21 And then the Langmuir pressure is the pressure at
22 which the adsorbed volume is equal to one half of the
23 Langmuir volume. And so that's a measure of the curvature
24 of the isotherm. If we had, like that number there, 1178,
25 a higher pressure, a higher Langmuir pressure means that we

1 have an isotherm that's a little bit straighter. A low
2 Langmuir pressure means that we have an isotherm that's
3 more curved.

4 So that's why if you look at that San Juan Basin
5 average isotherm with 315 for its Langmuir pressure, it has
6 more curvature than the other isotherms.

7 Q. Is this methodology for using the Langmuir
8 pressure volumes and these adsorption isotherms an accepted
9 engineering practice among engineers that are trying to
10 analyze the coalbed methane gas production in the San Juan
11 Basin?

12 A. Yes, it is.

13 Q. This is simply not unique to your study?

14 A. No, this is standard industry practice.

15 Q. Have you satisfied yourself that you've used the
16 best available isotherm in the Application area?

17 A. Yes.

18 Q. What result does it give you in terms of knowing
19 the approximate gas content per ton of coal?

20 A. That's actually on the next exhibit.

21 Q. Let's look at that.

22 A. Or, excuse me, it's actually on Exhibit C-5 which
23 for some reason is not in this book. C-4 has pressure
24 data, C-5 would be the next exhibit, or the exhibit about
25 use of the isotherm.

1 Q. Well, let's step back a moment. If you've
2 satisfied yourself that you have the correct isotherm to
3 use, what then is the next step that you use as an engineer
4 to get you to the ability to calculate the standard cubic
5 feet of gas per ton of coal?

6 A. Well, my next step is, I need to know at what
7 pressure do I enter that isotherm? So do I come in at 500
8 p.s.i. or 1000 p.s.i., or what pressure should I enter it
9 at?

10 Q. All right, so let's go back to Exhibit C-4 and
11 talk about your pressure data.

12 A. Okay, Exhibit C-4 is a summary of the pressure
13 information that I had in and around the Richardson
14 Application area. What I've done here is, I've shown the
15 well that a pressure measurement came from, the location of
16 the well, which zone that it was completed in, the date of
17 the test, the pressure that was measured, the depth that
18 that pressure was measured at, and then the ground level
19 gradient -- which by the way, the gradients here, as you
20 can see, are all in the .23 to .33 range, so we are
21 substantially underpressured.

22 And then that last column before the Comments is
23 a potentiometric surface elevation. And what I've done is,
24 I've taken that pressure and then calculated where the
25 equivalent standing water level would be in the well at

1 that point in time.

2 Q. What pressure, then, did you use in your analysis
3 of the isotherm?

4 A. Well, what I did is, I actually looked at a range
5 of pressures, depending on what depth that we are at. From
6 this information in Exhibit C-4, I determined that the
7 average potentiometric surface elevation in the Application
8 area around the time that Mr. Richardson was drilling his
9 wells was about 5100 feet. So by taking that number, then,
10 I can look at the depth of the coal and then calculate what
11 pressure the coal reservoir would have for varying depths.

12 So now if I may move to Exhibit C-5 --

13 Q. Yes, sir.

14 A. -- the Gas Content Based on the Isotherm, what we
15 have here, that average came out about 251 p.s.i. for an
16 average pressure, and that was based on looking at the
17 structure contour line that ran roughly through the middle
18 of the Application area, and with a range from 164 up to
19 294. At 251 p.s.i., then, I see an adsorptive capacity of
20 250 standard cubic feet per ton.

21 And then the range of initial adsorptive capacity
22 -- and these would be, then, those other red lines coming
23 up -- on the low end for the shallower coals it would about
24 178 cubic feet per ton. On the high end for the deeper
25 coals, about 281.

1 Q. When you read the isotherm and come to an average
2 gas content per ton of coal in this area, what number
3 should we use?

4 A. We should use this number of about 250 standard
5 cubic feet per ton.

6 Q. What would happen in the coal if in the
7 Application area it was severely undersaturated?

8 A. Well then, that number would be substantially
9 lower. If it were slightly undersaturated, say 10 percent,
10 then instead of 250 that number would be, say, 225. But if
11 it were severely under undersaturated, say 50-percent
12 undersaturated, then that number would be down in the 125-
13 standard-cubic-feet-per-ton range.

14 Q. Do you find any evidence in the Application area
15 to believe that the coals are undersaturated?

16 A. The only evidence that I see for that were the
17 desorption measurements that the Coal Company did on a
18 number of samples.

19 Q. Let's talk about that. If the San Juan Coal
20 Company is using core samples and from that they have
21 derived their desorption measurements, why have you not
22 used those numbers in your analysis to determine what the
23 volume of gas in standard cubic feet per ton of coal is?

24 A. Well, I have a number of problems with desorption
25 measurements. Gas desorption measurements are -- What they

1 do is, they take a core sample -- or cuttings in some
2 cases, but as I understand, the Coal Company actually cut
3 cores -- and you bring that core to the surface and then
4 you put it into a canister. You measure the amount of gas
5 that comes off, and if you wait long enough then all the
6 gas that's there basically will come off. But if you get
7 tired of waiting then you end up either grinding up the
8 sample or heating it up to drive off the residual gas.

9 Now, one of the problems we have is, we don't
10 know -- Because we haven't measured it, we really don't
11 know the amount of gas that was lost from the time that the
12 core bit penetrated the coal to the time that we got into
13 the canister.

14 In my classes that I teach I've shown examples
15 from some of the old projects, even here in the San Juan
16 Basin, where people would take three hours tripping,
17 bringing the drill bit to the surface because they had --
18 the core barrel was integral at the bottom, they could not
19 wireline-retrieve the core, and in three hours you would
20 lose 70 percent of the gas off that core. And then I show
21 other examples where if they wireline-retrieve the core,
22 you can bring the core to the surface and get it into the
23 canister, typically, in less than 15 minutes. And so what
24 you want to do is, you want to minimize that time that
25 you're losing gas.

1 Now, we can estimate the loss of gas. However,
2 we have to recognize that is an estimate. We have a number
3 of different methods to do that. Basically, we take the
4 early measurements from the gas desorption after it's put
5 into the can, and we back-extrapolate to lost gas time to
6 determine how much gas we lost.

7 Now, San Juan Basin coals tend to desorb very
8 rapidly. If we look at desorption time -- and that's
9 defined as the time it takes for 63 percent of the gas to
10 come off a sample -- in the San Juan Basin that's typically
11 a few hours up to as much as ten hours.

12 In other basins we find it to be much higher.
13 For example, back east many of the coals take as much as
14 300 days, in the Pennsylvania coals, to desorb 63 percent
15 of the gas. So those coals, if we had a three-hour lost-
16 gas time, we wouldn't worry.

17 Now, without having the information from the
18 original data sheets as to the fluid type that they drilled
19 with, their exact lost-gas times, how much lost gas they
20 determined was there and so on, then I don't have the
21 information, basically, to do a quality control check to
22 see what numbers the Coal Company came up with to tell
23 whether or not I can believe those numbers.

24 But basically it's very easy to lose gas from a
25 desorption sample, whereas an isotherm, you have control

1 over what's going on in the laboratory. So you know that
2 the isotherm is right. And we have other isotherms from
3 other areas in the San Juan that we compare to, to tell us
4 that we have the right type of information from the
5 isotherm.

6 Q. Can you use production behavior of a coal gas
7 well to tell you anything about the gas content of the
8 coal, whether you're using the right isotherm or whether
9 you ought to use something else?

10 A. Yes. Again, as I've said, there's actually two
11 pieces to this. The first one is to the performance. If
12 we get gas early, then that's telling us we're very close
13 to the isotherm. And if we're five percent under the
14 isotherm, frankly, that's beyond the range of measurement
15 that we can get to. But if we're 50 percent under the
16 isotherm we know, because we have to pump water and water
17 only for a long time. So performance tells us.

18 The other thing that we can do is what's called a
19 modified P/Z plot if we have average reservoir pressure.
20 So that would typically come from a monitor well, and we'd
21 see how does our average reservoir pressure drop as we
22 produce more and more gas?

23 In this case, though, it's very early in the
24 project and there are no pressure-observation wells, so we
25 don't have the information to do a P/Z* type of plot or an

1 isotherm from the field information.

2 Q. Do you now have enough information from which you
3 can calculate or evaluate the gas in place and determine
4 what that number is?

5 A. Yes.

6 Q. Within the Richardson project area, have you made
7 a calculation of what the original gas in place is?

8 A. Yes, I have.

9 Q. Is there a range of gas in place that you can
10 tell us that would be applicable to 320-acre spacing units?

11 A. Yes, I actually have that on Exhibit C-6.

12 Q. All right, let's go to Exhibit C-6 and have you
13 identify and describe for the Commission what you are doing
14 here.

15 A. Okay. Exhibit C-6 here shows the Fruitland CBM
16 calculated recovery as well as gas in place, based on the
17 isotherm. And so what I've done here, this ties the
18 volumetric calculations with the isotherm calculations.

19 So let's take -- We have different input data
20 here. The area, 320 acres per well, which is the current
21 spacing. Average thickness, now I've got a number here of
22 28 feet based on work that Mr. Hively did, and I've got a
23 note down to the bottom here that in my calculation of
24 recovery efficiency I actually reduced that number by 10
25 percent to account for uncompleted or unconnected coals.

1 But the 28 is the total gross coal thickness here.

2 Langmuir pressure, 792 p.s.i. That came from my
3 fit to the two average isotherms that the Coal Company
4 measured.

5 988 standard cubic feet per ton for the Langmuir
6 volume. Now, the match to the isotherm actually came out
7 1040 standard cubic feet per ton. I reduced that by 10
8 percent in the upper coals, because based on the
9 information that we had looking at the logs and the
10 different reports we had, it looked as if the upper coals
11 were ashier, and therefore we reduced the average isotherm
12 by about 5 percent, which would be 10 percent in the upper
13 coal, zero-percent reduction in the basal coal. So that's
14 how I get the 988 there.

15 Average coal density, 1800 tons per acre foot.
16 That's a representative number for the San Juan Basin.

17 And then the initial potentiometric elevation,
18 5100 feet, that's the water level, the equivalent standing
19 water level that we use to calculate the pressure at
20 different points there.

21 So we have three different cases -- or three
22 different types of behavior that we looked at: a minimum
23 pressure case which was based on a 4750-foot elevation, an
24 average case at 4550, and then a high-pressure case at
25 4450.

1 So from the potentiometric level and the
2 structural elevation, I calculated initial pressure. so
3 that ranged, then, from 164 to 294 with an average of about
4 251. And those then led to the gas content off of the
5 isotherm.

6 With that I then calculated the initial gas in
7 place, and those numbers ranged from 2.7 to 4.3 BCF in
8 place for 320 acres, with an average of about 3.8 BCF.

9 Now the next piece here, the next several lines
10 tie back to average reservoir pressure at abandonment. We
11 have to assume for this calculation an average reservoir
12 pressure when we abandon the wells. As we'll talk later,
13 we actually calculate that from the reservoir properties
14 later, but for this calculation we just took -- assumed
15 numbers of 25, 50 or 75 p.s.i.a. As you can see, at 25
16 p.s.i.a. we get pretty good recovery efficiencies, in the
17 75- to 80-percent range. At 50 p.s.i.a. it would be in the
18 59- to 70-percent range, and at 75 we would be in the 45-
19 to 61-percent range.

20 So if you want to take kind of a middle-of-the-
21 road average value, at 50 p.s.i. abandonment pressure, we'd
22 be looking at about 68 percent of the gas in place being
23 recoverable, and that would then lead us to 2.6 BCF
24 recoverable per 320.

25 Q. San Juan Coal Company has contended that Mr.

1 Richardson's PC wells are depleting the coal gas, and he
2 therefore doesn't need anymore wells in the coal. Have you
3 examined the Pictured Cliff reservoir?

4 A. To a small degree.

5 Q. Have you examined it to the extent that you have
6 tried to analyze what effect the Pictured Cliff has had on
7 the coal gas production?

8 A. Yes, I have.

9 Q. Let's talk about that. Let's go to Exhibit C-7,
10 and let's talk about the Pictured Cliff formation in this
11 area. What is the quality of that reservoir in the
12 Pictured Cliff in this area?

13 A. The Pictured Cliffs, it's a very ratty, shaly,
14 tight -- a very poor-quality reservoir, you know, let's be
15 honest here. It is a very difficult reservoir to produce
16 from. It's a tight-gas sand and tends to have -- require
17 frac jobs to produce and is low permeability and thus is a
18 difficult reservoir.

19 Q. Let's talk about your analysis of the Pictured
20 Cliff. Let's explain for the Commission your calculations
21 on exhibit C-7.

22 A. Okay, what I have here again is, I've looked at a
23 range of values here. In this case, I picked three
24 different thicknesses for the Pictured Cliffs to illustrate
25 the amount of gas in place and the potential recovery from

1 Pictured Cliffs reservoirs. So this is a volumetric
2 calculation of recovery and gas in place.

3 I start with the current spacing, or current area
4 for the Pictured Cliffs, 160 acres per well. Initial
5 pressure, about 300 p.s.i. So I've just said, let's take
6 an average number here and look at this, because the range
7 of variability of net pay thickness is the real question
8 here.

9 Reservoir temperature, about 85 degrees. Z
10 factor at that temperature and pressure would be about .95.

11 Now, the porosity here. I've thrown in, just for
12 the sake of discussion here, a 20-percent number. The
13 Pictured Cliffs has highly variable and very poor porosity
14 in general. People -- Depending on who you are and where
15 you're at in the Pictured Cliffs, I've seen people counting
16 clear down to 4-percent porosity as pay. Most people are
17 taking a 6- or an 8-percent porosity cutoff. Many people
18 take a 10-percent porosity cutoff.

19 What I did here is, I just picked a number of 20
20 percent for illustrative calculations. I'm not saying that
21 the porosity is 20 percent, but I can guarantee you, it
22 doesn't average more than 20 percent. So this is to give
23 an idea of the kinds of gas in place and recovery levels
24 that might be expected from the Pictured Cliffs, really on
25 the high end.

1 And then an assumed gas saturation of 50 percent.
2 Again, different folks would perhaps quibble with that.
3 Some people might use 40 or 60. In my experience with
4 tight reservoirs, where they have gas, that number tends to
5 center in that 50-percent range. And again, what I'm after
6 here is a comparison between the Pictured Cliffs
7 productivity and the coal productivity. So the exact
8 number on the Pictured Cliffs is less important to me than
9 the range that -- what I see compared to the coal.

10 So I've taken three different levels, 5, 10 and
11 20. And once again, exactly what is pay in the Pictured
12 Cliffs is subject to discussion. I've seen operators
13 complete Pictured Cliffs wells that I can't believe they'd
14 make gas out of it, and they do. So given that, we just
15 picked a range.

16 We have the porosity and gas saturation there,
17 leads to initial gas in place in the .07-to-.286-BCF-per-
18 160 range. This is -- To me, it is clear indication that
19 we're looking at relatively low volumes from the Pictured
20 Cliffs. When I apply recovery efficiencies here, again I'm
21 seeing a range. But now because recovery efficiency in a
22 conventional reservoir, our P/Z curve is very close to P
23 because Z is close to one, so it's almost linear. So we
24 aren't seeing nearly as much variation here as we do in the
25 coal.

1 So just kind of to pick a number, we're looking
2 at about .12 BCF per 10 feet. So if we have 20 feet it
3 jumps up to about .24 or a quarter of a BCF. If we have
4 five feet, then it's down in the .06 range.

5 The point I'm making here is, regardless of what
6 numbers you pick -- and as I say, these are really fairly
7 optimistic kind of numbers for the porosity -- I can't get
8 the Pictured Cliffs numbers to be higher than about a
9 quarter of a B per well, and more likely that number is
10 down in the 100-million-cubic-foot range per well. So it's
11 a very low number compared to the gas in place in the coal
12 on the previous slide, in the 3- or 4-BCF range with a
13 potential recovery, say on average, of about 2 1/2 BCF per
14 320.

15 So even if we are looking at two wells in the
16 Pictured Cliffs, kind of combined may be making .2 of a
17 BCF, it's very small compared to the potential of the coal.

18 Q. Mr. Cox, let's analyze some of the producing
19 wells that you've identified in the Application area, and
20 let's compare their production levels with what you now see
21 as your expectation of performance in the Pictured Cliff.

22 Are there examples of wells that we can talk
23 about?

24 A. Yes, there are. The first example I have here is
25 actually a well east of the Application area in Exhibit

1 C-8, the Russell Federal Number 2.

2 Q. Its location is shown in the caption?

3 A. Its location, in the southeast of the southwest
4 of Section 33 in 30 North and 14 West, is shown in the
5 caption. And this is an old historical well that was
6 completed as a Pictured Cliffs producer back in 1954.

7 Q. What's your point here?

8 A. Well my point here is, when you look at the
9 performance of this well, this well produced 1.6 BCF of
10 gas. That's way, way more than we can account for from the
11 Pictured Cliffs. And so if this gas came from the Pictured
12 Cliffs, it would have to be draining thousands of acres or
13 hundreds of feet of pay, of good-quality pay. Well, the
14 Pictured Cliffs is so tight that we can't drain thousands
15 of acres, and we don't see hundreds of feet of pay.

16 So the point of this is that the performance of
17 this well indicates it was draining or connected to another
18 source of gas. And obviously that source of gas would be
19 the adjoining formation, the Fruitland Coal.

20 Mr. Richardson had told me some time ago that
21 this well was the reason he focused on this area, the
22 Application area and the area around it here, for his west
23 Farmington development, because he could see that this well
24 showed that the Fruitland Coal had a substantial amount of
25 gas in it, and that it could be recovered.

1 So this particular well, even though it's listed
2 as a Pictured Cliffs well, is obviously in connection with
3 the Fruitland Coal.

4 Q. What's the vintage of this well?

5 A. It was drilled in 1954 or maybe late 1953, I've
6 forgotten the exact year, but it did produce in 1954, clear
7 up into 1991.

8 Q. Does it appear to you with the vintage of this
9 well that the operator was trying to frac out of the
10 Pictured Cliff into the coal so he could produce the coal?

11 A. No, it does not. In fact, you know, they did a
12 small frac job on this, and the high rate that they got
13 early on, over 300 MCF a day there from the well -- and it
14 actually tested at a much higher rate -- that's an
15 indication from the Pictured Cliffs, or from the Coal for
16 that matter, that you're looking at some degree of natural
17 fractures being present there to enhance the permeability
18 of that area.

19 Now, any natural fractures that occur in the
20 Pictured Cliffs almost certainly occur in the Fruitland as
21 well. Anything that caused fracturing in the Pictured
22 Cliffs would cause it in the Fruitland.

23 So what would have happened here is, even with a
24 small frac job they would have communicated with the
25 Fruitland through those natural fractures.

1 Q. Mr. Cox, in general will a fracture stimulation
2 in the Pictured Cliff be the best way to maximize methane
3 coal gas production?

4 A. No, absolutely not. First off, there's the old
5 common sense part of this. If we want to maximize
6 production from the coal, we need to complete the well in
7 the coal.

8 But more than that, what we find is that the frac
9 gradient in the Pictured Cliffs is much, much lower on
10 average than the frac gradient in the coal. We see frac
11 gradients in the Pictured Cliffs in the .7 to .8 range,
12 typically, less than 1 p.s.i. per foot. And so if we're
13 at, say, 1000 feet, that says in order to fracture the
14 Pictured Cliffs we need to pump in at 700 to 800 p.s.i.
15 fracture pressure downhole.

16 To fracture-treat the coal, though, typically
17 takes 1.5 to 3 p.s.i. per foot. So the coal being just
18 immediately above the Pictured Cliffs, that means to treat
19 the coal we need to inject into it at a pressure of 1500 to
20 3000 p.s.i.

21 So the much higher treating pressure required for
22 the coal says, if we want to complete the coal we need to
23 come in and perforate the coal and fracture treat it
24 separately from the Pictured Cliffs.

25 Now, this idea of perforating sands next to coals

1 and then treating those was actually tried on a number of
2 occasions in Alabama, and it was found that it was
3 generally ineffective in completing into the coal. The
4 idea was that if you perforated the sand, then you could
5 treat the well at a lower pressure and that the frac would
6 grow up into the coal. In a few cases it does, but more
7 often than not it doesn't ever penetrate that boundary
8 between the coal and the Pictured Cliffs.

9 Q. Let's talk about the level of Mr. Richardson's
10 gas production out of the coal beds in the Application
11 area. Do you have an exhibit that summarizes some of the
12 production in that area?

13 A. Yes, I do, Exhibit C-9.

14 Q. Let's look at that.

15 A. Okay. Exhibit C-9 here, what I've done is, I've
16 taken the production from all the Richardson wells in the
17 Application area, whether they're Fruitland Coal wells or
18 PC wells, I've just added them together to show what's
19 happening in this area. And as you can see, early on
20 production was virtually nothing, back in early 1999, and
21 it has since grown to over 4 million cubic feet per day.
22 He has now produced over 2.5 BCF from this Application
23 area.

24 Q. Would this be a signature of inclining
25 production?

1 A. Yes, it is.

2 Q. Are you at a point where you could apply the
3 conventional decline curve analysis to these wells?

4 A. No, we're not, because we're not yet at the peak
5 rate for the wells. So until we reach that peak rate, and
6 then actually many of the wells may stabilize at that peak
7 rate for some time, then we can't apply conventional
8 decline curve analysis because the wells are still
9 continuing to increase, just as you see this increase on
10 this chart C-9 here.

11 Q. Have you prepared a tabulation of all of
12 Richardson's wells in the Application area and presented
13 them on Exhibit C-10?

14 A. Yes, I have.

15 Q. What are you showing here, Mr. Cox?

16 A. What I'm showing here is, we've taken the
17 individual well production curves, and what we've done is,
18 we've plotted the daily production information so that we
19 could then calculate such factors as the average rate in
20 the first 30 days or first 31 days, then the median rate
21 and the average rate over the well life through 9-23 of
22 '02, which at the time that we prepared this exhibit that
23 was the last daily information we had, and the total days
24 on production through 9-23 of '02.

25 So if you look here -- for example, let's take

1 Well Number 5 there, the Bushman 6-1, that's -- reading
2 across, it's completed in both the Pictured Cliffs and the
3 Fruitland Coal. That's what the PC/FC means. We have its
4 location there in the southeast of the southeast of Section
5 6 of 29-14.

6 This well has already accumulated 307 million
7 cubic feet of gas through -- or to May 1 of '02. Its
8 average rate in the first 31 days reported there, 48 MCF
9 per day. Median rate 339, and the average rate 276. Total
10 days on production 1111. So you can see it's been on for
11 just over three years.

12 And the key point here, if you look at that
13 average rate in the first 30 days versus the median rate or
14 the average rate over the well's life so far, it's gone up
15 from 48 to 339 or 276, so about a factor of five to seven
16 times incline from what it started at.

17 Now if you look instead, say, at one of the wells
18 -- let's just pick, say, the 29-2 here, which is a Pictured
19 Cliffs well, its average rate at the beginning -- this is
20 line number 22 -- 176 MCF a day, median rate 214, average
21 rate so far 194. So this well has kind of held steady in
22 its rate. It has not shown much of an incline, but it
23 started out at a pretty good rate.

24 So you have many of these wells that start out at
25 low rates and have grown, but you have other wells -- the

1 well that started out at the highest rate, the Federal
2 33-3, which it says is a PC well, 758 MCF a day, and it's
3 now down to an average over its life of 429, so it's been
4 declining.

5 Now, that one says it's a PC well. However, it's
6 already accumulated 219 million cubic feet. So from the
7 Pictured Cliffs analysis that I did before, it's unlikely
8 that this well is producing solely from the Pictured
9 Cliffs. Rather, it has some degree of connection to the
10 coal. But the high rate suggests that there are natural
11 fractures again. Otherwise we would not get 600 MCF a day
12 at the beginning from a well like that.

13 And so those kind of wells, we're looking at a
14 different type of character than the average well in the
15 area.

16 Q. Your next series of exhibits here, Mr. Cox, are a
17 series of decline curves. Let's go through those and have
18 you summarize and give us your opinions about the
19 importance of these exhibits.

20 A. Okay. Well, Exhibit C-11 shows the Bushman 6-1.
21 The key things to me on this are, first off, that the rate
22 -- it started off with a finite rate of gas and then
23 climbed and reached over 300 and has produced consistently
24 in the 300- to 400-MCF-per-day range since about the middle
25 of year 2000.

1 So this well, again starting early, inclining,
2 that's a characteristic of a coalbed methane well. And
3 this well is the well that we have the longest period of
4 production on in the Application area.

5 If we move to the next well, the Pittam Pond,
6 again, Pictured Cliffs and Fruitland, you can see this well
7 started out at almost nothing and has since climbed to
8 about 70 MCF per day. This well is not done climbing. Mr.
9 Richardson is not done dewatering.

10 Now, actually that brings up a good point.
11 You'll notice what I've plotted here are gas rates. I
12 don't have corresponding water rates. The reason is that
13 the water information that Mr. Richardson had is not of the
14 same degree of accuracy on a daily basis as his gas
15 information. And so because of that he's allocating his
16 water production back from his totals, rather than having
17 separate meters on every well.

18 So the gas measurements are more accurate than
19 the water measurements, and this is normal in many coalbed
20 methane projects.

21 Now again, the fact that this well began making
22 gas very quickly is a sign that it's saturated, or nearly
23 saturated, with methane. The lower rate is a sign that it
24 either has lower permeability or a less effective
25 completion than the Bushman well.

1 If we move to the next well here, the State 36-3,
2 this, I think, is a critical well in the understanding of
3 what is going on in this system. The State 36-3 is located
4 in Section 36 of 30 North and 15 West. So if I'm pointing
5 here at Exhibit A-1, then the 36-3 is located right here.

6 Now, this well, as you can see, is the closest
7 well to where mine activities are currently underway. It's
8 basically the shallowest well there is in this area. And
9 yet, as you can see from the production curve on this well,
10 once they began really producing this well in July, they
11 began getting gas very quickly, and it has been climbing
12 ever since. The well is now up to about 150 MCF per day on
13 the most recent test.

14 I asked Mr. Richardson to have this well shut in
15 so that we could see what the pressure buildup might be,
16 because this well, being the closest to the mine, and thus
17 the shallowest and the lowest pressure, I thought that it
18 would be instructive to see what would happen if he shut it
19 in. He had his lease operator go and shut the well in for
20 two days.

21 At the time the well was shut in, the casing
22 pressure on the well was 30 p.s.i. The next day when the
23 pumper came by, it was 70 p.s.i. The next day it had
24 climbed to 115 p.s.i. Now, those are gauge pressures, so
25 if we add about 12 p.s.i. to get to absolute pressures,

1 that means that the gas pressure on this well, after only
2 two days of shut-in, was already up to about 130 p.s.i.,
3 and it was still building pressure.

4 This does not sound like a horribly
5 undersaturated reservoir. This is a reservoir that has a
6 gas pressure there, saturation pressure in excess of 130
7 p.s.i. And so this is telling me again, a confirmation now
8 from pressure information, that the coals in this area,
9 even very close to the mine like this 36-3, are either
10 saturated or very close to saturated with methane.

11 The next well that I had is Exhibit C-14, the
12 State 16-1, which is located in the northeast area up here,
13 of the Application area. So this is one of the deeper
14 wells.

15 The reason that I chose this is, the previous
16 three wells were all down in the southwest part of the
17 Application area. I want to show that we see the same type
18 of performance across the Application area. So this well,
19 again, it started at very low rates, down in the few-MCF-
20 per-day, and has since grown up into the over-a-hundred-
21 MCF-per-day sustained basis.

22 Now, these wells are not yet dewatered. Many of
23 these wells are still producing over 100 barrels a day.
24 And so until they get fully dewatered they aren't at their
25 peak yet. We don't see peak production until after the

1 wells are dewatered. So we can expect this production from
2 these wells to continue to grow from this point.

3 Now the next well here, the State 32-1 on Exhibit
4 C-15, is a Pictured Cliffs well. And this is more like the
5 type of production we would expect from the Pictured
6 Cliffs. Low rate, about 45 MCF per day to begin with, and
7 basically a declining curve from there. And so this is
8 more like a Pictured Cliffs well. This well clearly shows
9 that it either is not communicating with the coal or has
10 very little communication with the coal. Otherwise, we
11 would see an inclining production curve. And again, we see
12 this on a number of the wells, that they have low rates and
13 are not inclining. That says that we don't have an
14 effective completion to the coal.

15 So we can't just perforate the PC and expect it
16 to connect to the coal. Well performance is telling us
17 this.

18 CHAIRMAN WROTENBERY: May I just ask quickly
19 about your designations? When you say PC only, you've got
20 perforations in the Pictured Cliffs only; is that right?

21 THE WITNESS: That's correct.

22 CHAIRMAN WROTENBERY: And if you say FC/PC,
23 you've got perforations in both the Fruitland Coal and the
24 Pictured Cliffs?

25 THE WITNESS: That's correct.

1 CHAIRMAN WROTENBERY: And then if it's FC, it's
2 perforated only in the Fruitland Coal.

3 THE WITNESS: That is correct.

4 CHAIRMAN WROTENBERY: Okay. And if it's
5 perforated in both the Fruitland Coal and the Pictured
6 Cliffs, are you downhole commingling that production, or
7 are you producing those zones --

8 THE WITNESS: It's my understanding that they're
9 downhole commingled.

10 CHAIRMAN WROTENBERY: Thank you, I was just
11 trying to understand.

12 Q. (By Mr. Kellahin) I think you're read for
13 Exhibit Number 16, Mr. Cox.

14 A. Yes.

15 Q. What are you illustrating here for us?

16 A. Exhibit 16 shows the nearby Fruitland Coal wells
17 and the wells in the Application area. And what I've done
18 here is, because we only have very limited history, we only
19 have a couple of wells with even as much as three years of
20 history in the Application area, I said in order to try and
21 evaluate what is going on within the reservoir here, we
22 need to look at other coalbed methane wells in the vicinity
23 of this, this area here.

24 And so what we did is, initially I had one of the
25 engineers that worked for me pull up all the Fruitland Coal

1 wells south of the Fairway. It turned out that was in
2 excess of a thousand wells, and many of them were many
3 townships away, and so we tried to narrow in on wells that
4 were as close as we could get that had significant
5 histories.

6 So these are the wells that were within a couple
7 of townships east of here. And the reason that we're
8 looking mainly east of here, of course, is because the coal
9 outcrops to the west.

10 Now, the wells that are shown with the gold
11 circles there are the Richardson wells in the Application
12 area.

13 The open circles are wells outside the
14 Application area, or a few within that are not Richardson
15 wells, that have less than five years of history.

16 Then the wells that have more than five years of
17 history outside the Application area, we broke them into
18 three different types depending on their performance: the
19 wells that showed extended inclines for several years or
20 more, the wells that were low-rate wells that declined, and
21 then the wells that were high-rate wells that declined.
22 And so we broke them into these three classes to try and
23 identify what was going on in the performance of the wells.

24 Q. What did you conclude?

25 A. Well, what we concluded was that most of the

1 wells -- and again we're talking now -- for the wells
2 outside the Application area, we're talking wells that are
3 stated to be Fruitland Coal completions, that most of those
4 showed inclining production periods. And typically they
5 were inclining for about five years. Some of them had been
6 inclining for seven or eight years and had not yet reached
7 a peak in seven or eight years of production.

8 The wells that are low-rate wells that are
9 declining, accounted for about one well in every seven of
10 these wells. And so those are wells that are either very
11 tight or have poor completions, or maybe they just have not
12 yet begun to incline.

13 The wells that are high-rate wells that decline,
14 we feel are indicative of a natural fracture type of
15 behavior where we're seeing a much higher permeability than
16 the coal, and in those cases, instead of seeing the
17 incline, they start off at high rates and decline. And so
18 they're starting off, typically, over 300 MCF per day, some
19 of them as high as 600 and 700 MCF per day and declining.
20 The reason we don't see the incline is because they already
21 start off at good gas permeability and decline from there.

22 Q. Let's turn to the next exhibit, 17. What are you
23 showing, and what's your point?

24 A. Okay, Exhibit 17 is the production curve from
25 ROPCO Fee Fruitland Coal 6 Number 1. This is an inclining

1 well. This well started out at only 1 or 2 MCF per day,
2 and over a period of years -- you can see that it actually
3 started back in 1994 -- it climbed all the way up to 1.2
4 million cubic feet per day in the middle of the year 2000.
5 So about seven years later before it reached its peak rate.

6 Now, obviously if we have wells that have only
7 been producing for six months or a year or two years, if
8 they're going to incline for six years, we're not going to
9 be able to tell that that will happen.

10 If I take a curve like this, and I only have two
11 years of history and I try and draw a decline curve on
12 this, I will always be wrong, I will always have too low of
13 a number. I can't use decline curves in the Fruitland Coal
14 until I'm well past the peak and I have several years on
15 the downturn. Even here, from 1997 through 1999, you can
16 see a decline. This is probably either market-related or
17 pipeline constraints or other mechanical types of things.
18 It's not related to the reservoir performance of the well.

19 So when you see a decline like that, if you came
20 in in 1999 and drew a decline curve that started in the
21 period 1997, you would completely miss the fact that this
22 well was going to continue to climb and reach 1.2 million a
23 day.

24 So this example is showing how these wells in the
25 area do incline. And yes, it takes them many years. Part

1 of the problem is relatively wide spacing. At 320-acre
2 spacing, it takes longer for the wells to dewater, and in a
3 lower-pressure environment it takes longer for the wells to
4 interfere with each other.

5 Q. Turn to Exhibit 18 now, Mr. Cox.

6 A. Okay, Exhibit --

7 Q. Is that another example of inclining production?

8 A. Yes, Exhibit 18, or C-18, is an example of
9 inclining production.

10 Now, this one actually showed an early peak at
11 about 200 a day that quickly fell off over less than a
12 year. Again, if you tried to draw a decline curve on there
13 in 1994 or 1995, you'd completely miss the fact that with
14 continued production and dewatering over time, that this
15 well would ultimately come up to over 500 MCF per day. And
16 yes, it took it about nine years. So this one probably had
17 not even reached its peak yet, nine years after it began
18 production.

19 Q. Next?

20 A. The next curve here is the Gilbreath 1 curve, on
21 Exhibit C-19. Again, it's an inclining production curve.
22 After the first month the well stabilized at about 100 a
23 day for two years and then began to take off, and again has
24 reached now over 600 MCF per day, by the middle of 2002,
25 again about seven years after the well was put in.

1 Now, if these wells had had 160-acre offsets
2 early on, then their peak rates would have been achieved
3 much earlier, because interference with coal wells is
4 beneficial in this type of a setting, because what it does
5 is, it helps them dewater more rapidly and helps the matrix
6 shrinkage kick in more quickly, if that's a factor.

7 Q. Please continue.

8 A. Okay. These type of inclining curves, as I said,
9 on the wells that started out low accounted for about 80
10 percent of the wells that started out at low rates.

11 The next curve here, Exhibit C-20, shows instead,
12 now, a well that started out at a low rate, in the 80- to
13 100-MCF-per-day range, and has never yet inclined. So it's
14 now declined down to about 20 or 25 MCF per day. So this
15 well has not yet inclined.

16 So we do see a number of those, as I say. It's
17 about 20 percent of the wells that start out at low rates,
18 act like this, and we have not yet seen an incline.

19 Q. Next?

20 A. Now, the next one, Gallegos Canyon Unit 382,
21 started out very high, about 500 MCF a day. This is the
22 kind of well that, yes, we can draw a decline curve on this
23 well. But this is a rarity. On the ones that start out at
24 very high rates where we can estimate the ultimate
25 recovery, yes, then we can do this. But I think it's

1 notable that this well has now cum'd over a BCF of gas and
2 is still producing.

3 Q. All right, let's continue to C-22.

4 A. Okay, Exhibit C-22 is a summary table that I
5 prepared showing all of the 51 wells within this nearby
6 area. And by "nearby", what we -- that's the area on that
7 map that had at least five years of production. And so you
8 can see there were 28 of these that had inclining
9 production, there were 16 of them that had high initial
10 production rates that then declined, and then there were
11 seven of them that had low initial production rates without
12 an apparent incline.

13 You can see on this that the average for the
14 wells that inclined, they reached a peak rate on average of
15 644 MCF per day and took on average about 5.1 years to
16 incline.

17 Now, we've also tabled here the basal and upper
18 thickness. I had Mr. Hively apply the same methodology
19 that he applied within the Application area to determine
20 the thicknesses from the logs for these wells.

21 And then the final column over here, the zone,
22 you can see either I don't have the information or it's in
23 the lower coal, or in some cases -- many of these are
24 completed in both the lower and upper coals. So we're
25 seeing production from basically all the different coalbeds

1 within the Fruitland section.

2 Q. When we turn to Exhibit 23, what are you showing
3 and what's your conclusion?

4 A. Exhibit 23, what I was trying to do here was
5 determine whether we could infer from the properties that
6 we have information on what the sources of the peak rate,
7 why we reach different peak rates between wells and the
8 length of incline would be different between different
9 wells.

10 So in this case here what we have is, we've
11 plotted the wells where we know whether we're in the basal
12 or the upper and basal coal, and we've plotted well depth
13 versus peak gas rate. And as you can see, there's no
14 meaningful correlation between depth and peak rate.

15 Well, we know that as we get deeper we have
16 higher pressure, so our rates should increase. The fact
17 that we're not seeing a correlation here says some other
18 factor is more important to the peak rate than just depth.
19 And that factor, obviously, is permeability.

20 Permeability -- Where we've done modeling and
21 analysis of wells, we typically find permeability changed
22 or varied from well to well by a factor of three to ten
23 times on adjoining wells. The 3M study we did in Colorado
24 clearly demonstrates that, where we evaluated 1600
25 different CBM wells in Colorado.

1 So in this case we see we don't have the
2 correlation with depth. Depth is not the controlling
3 factor here.

4 Q. Is there a correlation between coal thickness and
5 peak rate?

6 A. There is a correlation, but again it's not much
7 of one. It's a very low correlation coefficient on Exhibit
8 C-24. And once again we know, all other things being
9 equal, that if we increase thickness we should increase
10 peak rate. Well, this again, because we don't have a
11 correlation here, it's telling us that all other things are
12 not equal, there are other factors that enter in. Again
13 specifically, permeability and perhaps the degree of
14 effectiveness of the completion.

15 Q. The next exhibit is C-25. It's part of an SPE
16 paper. What's your point here?

17 A. My point here is, I wanted to provide the
18 Commission with another factor that I think needs to be
19 considered, and that is the effect of matrix shrinkage or,
20 in this case, as they call it, How Permeability Depends on
21 Stress and Pore Pressure in Coalbeds. This is a paper by
22 Ian Palmer and John Mansoori, who were both with Amoco at
23 the time that they wrote this paper, and this is a paper
24 where they created a model to try and evaluate the effect
25 of matrix shrinkage on these coalbeds.

1 Now, Amoco had done a lot of work in the San Juan
2 Basin because they own so many wells, and they were one of
3 the first companies to recognize the importance of
4 production from the coal. And one of the things that they
5 found out as they were producing different coalbeds is,
6 they would make models of performance, and over time, and
7 especially in the fairway area, they found that those
8 models were pessimistic, that they would plug in a
9 permeability in an area -- say the plugged in or started
10 with 20 millidarcies -- over time they'd find that the
11 performance of the well improved more than what they could
12 account for with that permeability. And so they came up
13 with this idea of matrix shrinkage.

14 Now, my own personal experience with this was a
15 well just barely north of the underpressured area into the
16 fairway, where I had a client who had me evaluate a well
17 and then two years later come back and evaluate the well as
18 part of package of wells that they were evaluating. I had
19 them run a well test the second time. They had already run
20 a well test at the beginning when the well was producing
21 all water. They had a permeability of about 20
22 millidarcies.

23 Two years later the well had dried out. They had
24 a permeability to gas on the second test of 130
25 millidarcies. When I looked at the tests, both were good

1 tests. So I'm there -- What's going on here? The
2 permeability of the rock, an intrinsic factor of the rock,
3 had changed. It had gone up a factor of more than six
4 times. Well, the Palmer and Mansoori model accounts for
5 those kinds of increases.

6 When we were modeling the 3M project, we found
7 that we had to include matrix shrinkage, certainly in the
8 fairway, but even in areas outside the fairway, it was
9 definitely kicking in. The key types of coal where it
10 kicks in are coals that have sufficiently high gas content,
11 typically well over 100 standard cubic feet per ton, so
12 that matrix shrinkage is unimportant, and also very low
13 porosity so that --

14 COMMISSIONER LEE: I want to point out something
15 -- I think you shouldn't mislead the general public -- is
16 this shrinkage depends on the Young's modulus and the
17 porosity; is that correct?

18 THE WITNESS: That is correct, yes.

19 COMMISSIONER LEE: Sometimes it goes up,
20 sometimes it goes down?

21 THE WITNESS: That is correct.

22 COMMISSIONER LEE: So it's not a general
23 statement, say, well, if you depressurize it then you have
24 an increase of permeability; is that right?

25 THE WITNESS: That is correct, yes.

1 COMMISSIONER LEE: Thank you.

2 CHAIRMAN WROTENBERY: Dr. Lee, I missed the first
3 factor. You said it depends on something and porosity?

4 COMMISSIONER LEE: Young's modulus and porosity.
5 Do you measure Young's modulus?

6 THE WITNESS: No. In fact, even if you measure
7 Young's modulus there's a factor in here, the ϵ/B factor,
8 that is kind of a fudge factor -- an engineering judgment,
9 excuse me.

10 But unfortunately, the number that we need to
11 match in the models is about an order of magnitude
12 different than the number that we measure in the lab. And
13 so there's still some considerable question as to exactly
14 what is going on with regard to that parameter. But I
15 think the fact of the matter that we do see in many cases
16 increases in permeability is well documented. And that's
17 true not just in the San Juan Basin, but we also have seen
18 that in parts of the Raton Basin and in the Uintah Basin.

19 We do not see it in the Powder River Basin. It's
20 not a factor up there because we already start with high
21 porosity coals that already have good permeability.

22 Q. (By Mr. Kellahin) Do you have an exhibit, Mr.
23 Cox, that summarizes for us what you anticipate in terms of
24 ultimate recovery for the Application area?

25 A. Yes, I do, that is Exhibit C-26.

1 Q. Let's have you discuss that display.

2 A. Okay, Exhibit C-26 -- Excuse me.

3 CHAIRMAN WROTENBERY: Go ahead, Mr. Cox.

4 THE WITNESS: Exhibit C-26 is a summary of a
5 whole body of work that we had done for Mr. Richardson
6 since the last hearing. This information on the nearby
7 wells and how long the wells would continue to incline, we
8 did not have prepared before the hearing in November of
9 last year. So this is work that we've done since that
10 time.

11 So what we did is, we took and set up a
12 simulation model for the area within the Deep Lease and
13 Deep Lease Extension here, except we did not include this
14 area to -- the bottom row of sections to the south or so.
15 It was within the areas that they intend to mine. We set
16 up a simulation model where we modeled the performance of
17 the wells, both as they exist today, and then after we put
18 in, in the model, additional completions and additional
19 wells to fill in effective Fruitland completions throughout
20 the entire area.

21 So what we did is, we used the production
22 information, the coal thickness information, the initial
23 pressure that we determined using the 5100-foot
24 potentiometric elevation and the isotherm, and then we
25 matched the rates that we had up through the point in time

1 that we had data through, which at that time, if I remember
2 correctly, was the middle of this year.

3 Then what we did is, we allowed the wells to
4 increase in production in the model, and we brought them up
5 to where they would reach a total of about 500 MCF per day.
6 Now, the reason I picked 500 MCF per day was because the
7 total -- or the peak rate on those wells that inclined was
8 644 MCF per day, combined or total rate. So by taking 500,
9 I was bringing it up to a number somewhat less than that
10 but still substantial. And I brought that up over a period
11 of five years.

12 We then figured out what permeability we needed
13 to sustain that higher rate, and we allowed the
14 permeability to increase to that level, and then we held it
15 at that level from then on.

16 So now we have a reservoir characterization that
17 we could then take and plug in additional wells and see how
18 much additional recovery we would get from those infill
19 wells.

20 Now, we then took, for this hearing, and scaled
21 that information up to include the entire Application area
22 here. So that's what we've done in these forecasts here,
23 or these calculations here, is, we brought it up for the
24 entire area.

25 Q. (By Mr. Kellahin) Let me make sure I understand,

1 Mr. Cox. You've taken the input data, calibrated your
2 model using information from existing wells, you've
3 history-matched, and now you're ready to see what happens
4 when you introduce well density consistent with our
5 Application so that we have four coal gas wells per
6 section, and then you see what happens?

7 A. That's correct. And it's not just well density,
8 it's also effective completions, because many of these
9 wells -- right now there are several of these wells that
10 have not yet been completed, even though they've been
11 drilled. And some of the wells were completed in the
12 Pictured Cliffs, and so their completions are not fully
13 effective yet in the Fruitland Coal.

14 So we said what happens if we bring all the
15 completions up to an effective level and drill the
16 additional wells?

17 Q. So if you make the assumptions that the
18 Application is approved, additional wells are drilled, the
19 PC wells are recompleted into the coal, run the model to
20 see what happens in terms of additional reserves, from that
21 plan of operation what result did you get?

22 A. Well, what we found was, if we look here at this
23 Exhibit C-26, if we take the ultimate recovery in the --
24 let's just take down here the second to the last set of
25 rows, Ultimate Recovery in Bcf/well, that we found a total

1 on 160-acre spacing of 1.1 BCF or on 320-acre spacing 1.29
2 BCF. So what we're getting is much higher recovery by
3 adding the additional infill wells within this area.

4 The total recovery, that second box or Ultimate
5 Recovery in Bcf, went from 39 BCF all the way up to 66 BCF.
6 So it added 27 billion cubic feet of gas recovery by doing
7 those completions and drilling the additional wells.

8 Q. Have you reduced that to a dollar value so that
9 we can see the financial impact or consequences of
10 obtaining the additional 27 BCF of gas?

11 A. Yes, the -- I did not bother to bring detailed
12 calculations here. Rather, from the work that we have
13 done, looking at those detailed calculations, we were
14 saying a net value to Mr. Richardson of about one dollar
15 per MCF for the gas production. So what that's saying --
16 And that was starting with a gas price of about \$3.50 and
17 taking off operating cost and transportation and so on.

18 So what that says, at about a dollar per MCF that
19 we're looking at, about \$27 million of added value by doing
20 the work that's contemplated by this Application.

21 Q. It's obvious, Mr. Cox, that San Juan Coal Company
22 believes that these wells cannot be done profitably or
23 economically, or if they're necessary at all. What does it
24 cost to take a PC well and properly perforate and frac into
25 the coal? What range of costs are associated with that

1 operation?

2 A. We're generally looking at \$35,000 to \$50,000 to
3 stimulate the coal. And if you did two treatments, if you
4 did both the lower and the upper, say, as two separate
5 treatments, then that number would double so you'd be
6 looking at between \$70,000 and \$100,000 per well to do
7 those treatments.

8 Q. How much additional gas would you have to produce
9 as a result of that treatment in order to make it
10 profitable?

11 A. Well, per treatment, at gas prices of two to four
12 dollars, you'd only have to produce, say, about 25 to 50
13 million cubic feet. Fifty million cubic feet would pay off
14 a frac treatment and so on, and give a very good return to
15 Mr. Richardson. And so if you wanted to pay off two frac
16 treatments in a well, certainly 100 million cubic feet
17 would do it, and as little as 50 million cubic feet would
18 be kind of the lower end, depending on gas price.

19 Q. What about if you drill a new well?

20 A. Well, drilling new wells, we're typically looking
21 at a number in the \$100,000 to \$150,000 range, again for
22 one completion. So if you're doing multiple completions
23 you'd have to add to that.

24 Q. What is the amount of gas associated with
25 recovering that cost and starting to make a profit? If

1 you're dealing with a \$150,000 well and using the gas
2 prices that you just utilized for the recompletion, about
3 how much gas is involved in order to make this work?

4 A. Well, again, it would be in the 150 million cubic
5 feet range. It just does not take much gas recovery to
6 justify a well here.

7 Q. Would you recommend to the Commission that they
8 approve the Richardson Application?

9 A. Yes.

10 Q. There's an additional paper in here. I have it
11 marked as C-28. What is this? Are we looking at the same
12 thing?

13 A. Yes, Exhibit C-28 is a paper by Mr. William P.
14 Diamond that I copied. It refers to Underground
15 Observations of Mined-Through Stimulation Treatments of
16 Coalbeds.

17 Q. What's your point here, Mr. Cox?

18 A. My point here was that I wanted to get across to
19 the Commission that CBM production and fracturing wells is
20 not inherently incompatible with mining for coal, that --
21 This paper summarizes the results of 22 government-
22 sponsored mineback experiments where they fracture-treated
23 wells, and then as mining progressed they could take and
24 actually look at where the fractures were in the mine and
25 see what effect it had on the mine. Most of these were in

1 Alabama, but they also did wells and mines in Utah,
2 Illinois and West Virginia.

3 Then the -- I think the real key result here --
4 I've highlighted a number of pieces here to point out, but
5 I think the real key result follows from that last sentence
6 of the abstract on the first page where it says, "No roof
7 falls or adverse mining conditions were encountered that
8 could be attributed to the stimulations."

9 Basically what they found in this study -- and
10 there have been many non-government sponsored minebacks as
11 well, where different operators have mined through
12 different wells. Basically what they find is that the
13 places where they have roof-stability problems are areas
14 where there's already a roof-stability problem, and that
15 the fractures didn't cause it and didn't substantially
16 enhance a roof-stability problem, the hydraulic fracture,
17 that is.

18 Q. At the Examiner Hearing, San Juan Coal was
19 arguing that they could come in first, vent the coal gas,
20 take out the coal, and in this debris field, post-mining,
21 what they call the gob, that there would be enough residual
22 methane left that Mr. Richardson then could have what was
23 left. Is that going to be feasible? Is that how we ought
24 to do this? Mine the coal first and then go back and get
25 the gob gas?

1 A. Well, I think the question there is, what type of
2 recovery do you want to maximize? Certainly there are a
3 lot of gob gas projects around.

4 In Alabama there's a company called Black Warrior
5 Methane. It originally started out as a joint venture
6 between Kanab and Jim Walters Resources and has since gone
7 through some different owners. At this point Jim Walters
8 Resources in El Paso own Black Warrior Methane. They've
9 produced over 250 BCF of gas, primarily through gob gas and
10 some CBM wells ahead of mining. But many of those are gob
11 wells.

12 Up in Virginia there's a company called Consol
13 which is producing 130 million cubic feet per day from
14 coalbed methane wells and gob wells in association with
15 their mining activities.

16 I think there's a couple of key points here,
17 though.

18 First, gob gas production is real. Yes, you can
19 produce gas from the gob. Where does that gas come from?
20 Well, it would come from either the coal or from the tight
21 sands next to the coal, such as the Pictured Cliffs, for
22 example. Mr. Richardson already has the right to produce
23 that gas. So to say that he could come back later and
24 produce some of it from the gob, I think, is a little bit
25 disingenuous.

1 Another factor, though, is, the testimony in a
2 previous hearing about the gobs, the mining engineer
3 mentioned that they were planning to have inert gas in
4 their gobs to try and cut down the chance of explosions.
5 Well, if they fill the gobs with inert gas, how, then, is
6 Mr. Richardson or anyone else supposed to produce methane?

7 But then the final thing, I think, is very
8 simple. They have to ventilate the methane out of their
9 mine. That methane is coming primarily from the coal, and
10 the methane that's ventilated, that is let go in the
11 atmosphere, cannot be recovered, or is not recovered at
12 this point, to be put into a pipeline. So that methane,
13 it's just wasted into the air. It's gone. Mr. Richardson
14 wouldn't have a chance to produce that from his wells.

15 So I think this question of, do you do the mining
16 first and follow with wells, it's kind of a mixed question.
17 It doesn't really reflect the fact that there are two
18 different parties here who have different rights.

19 Alabama, Jim Walter Resources has the coal and
20 they control the coalbed methane extraction, in Alabama.

21 In Virginia, Consol owns the coal, has their
22 longwall mines and controls the coalbed methane production.

23 Here Mr. Richardson has the right to the coalbed
24 methane production, the Coal Company has the right to the
25 mine.

1 Q. Let me have you summarize this, Mr. Cox, so that
2 in summary we can put the technical portion of this case
3 into perspective. Let me get one of these displays.

4 Mr. Cox, I want you to ignore the first five
5 bullet points, and let's talk about the technical issues.
6 Give me a chance to hand out copies of this.

7 Forget the background, Mr. Cox, and let's go
8 through the technical issues. And based upon your study of
9 the prefiled exhibits from San Juan Coal Company and your
10 own work, let's go through and have you talk about the
11 things we agree upon. What's in agreement?

12 A. Okay, as we heard from Mr. Hively earlier, and
13 based on my comparison between the San Juan Coal Company
14 exhibits and Mr. Hively's exhibits, the geology is
15 basically the same. We're seeing very similar structure,
16 we're seeing very similar thickness between the Coal
17 Company's experts and Mr. Hively.

18 We see pretty similar initial pressures. Point
19 by point they vary from what the Netherland-Sewell exhibits
20 that the Coal Company has to my calculations off of a 5100-
21 foot potentiometric elevation, but they're well within the
22 range of engineering judgment.

23 We have basically the same isotherm. We're not
24 looking at a different isotherm here, and we shouldn't be
25 because we're looking at the same information. It's coming

1 from the same samples that we took.

2 I think we're both agreeing that the current
3 wells and spacing will lead to low recovery from the coal.
4 Now, the reasons for that may be in contention, but the
5 fact is that, as currently completed, most of these wells
6 will have fairly low recoveries and will take a
7 considerable period of time before they can reach peak
8 production and thus will get low recovery from the coal.

9 Finally, we're both agreeing, I think, that the
10 Pictured Cliffs reserves are small. And whether you pick a
11 number of 100 million cubic feet per well or a range
12 between 10 and 200, the number is still a fairly small
13 number.

14 So these wells are going to need some additional
15 methodology or some additional reserves to improve their
16 economics. The Pictured Cliffs alone are fairly marginal
17 wells.

18 Q. Let's talk about the points of disagreement. Put
19 those in perspective for us.

20 A. Well, I see really two key points of
21 disagreement. The first one is, how much gas is there?
22 And really and truly, I see this boiling down to, is the
23 coal saturated or is it severely undersaturated?

24 The Coal Company exhibits indicate that they feel
25 their desorption measurements are correct and that it is

1 undersaturated, but my analysis of the well performance of
2 Richardson's wells proves that it's saturated or very
3 nearly so.

4 I think the second point is, what will the CBM
5 reserves be? And the key point here, I believe, is the
6 recognition that coalbed methane wells have an incline at
7 their beginning.

8 So is production still rising -- you'll remember
9 the exhibit where I showed Mr. Richardson's production in
10 this area being about 4 million cubic feet per day now,
11 having risen from nothing -- or does it start declining
12 today and tomorrow, and that's the peak and we go down from
13 here?

14 Again, performance suggests to me both of such
15 wells as the Bushman well and the fact that many of these
16 wells have not yet reached a peak and look like they're
17 still inclining, and then tied with the neighboring well
18 performance, tells me that production is still inclining,
19 and with additional coal completions and 160-acre spacing
20 it will go up even more.

21 Q. In conclusion, Mr. Cox, what's the bottom line of
22 the case?

23 A. Well, I think the bottom line is that this
24 Application should be approved.

25 MR. KELLAHIN: That concludes my examination of

1 Mr. Cox.

2 We move the introduction of his Exhibits C-1
3 through C-29, and let's mark this as C-29, this
4 demonstrative exhibit.

5 CHAIRMAN WROTENBERY: Any objection to Exhibits
6 C-1 through C-29?

7 MR. BRUCE: No, madame Chair.

8 CHAIRMAN WROTENBERY: Okay, Exhibits C-1 through
9 C-29 are admitted into evidence.

10 And I think we should take a break here for a few
11 minutes, and then pick up again with cross-examination of
12 Mr. Cox. Is ten minutes enough? Okay.

13 (Thereupon, a recess was taken at 3:37 p.m.)

14 (The following proceedings had at 3:50 p.m.)

15 CHAIRMAN WROTENBERY: Okay, Mr. Bruce?

16 CROSS-EXAMINATION

17 BY MR. BRUCE:

18 Q. Okay, Mr. Cox, right at the end of your testimony
19 you gave me a number, \$27 million. What was that number?

20 A. That number was based on Exhibit C-26, where the
21 ultimate recovery going from 320-acre spacing to 160-acre
22 spacing increased by 27 billion cubic feet, and thus with a
23 value of a dollar per MCF or more, then that number would
24 translate to a benefit to Mr. Richardson of \$27 million or
25 more.

1 Q. Now, so we're straight, is that just from the
2 additional infill well, or all of the wells that you could
3 have, four Fruitland Coal wells per section, in the
4 Application area?

5 A. Excuse me, would you ask that again?

6 Q. Well, is that number based on four Fruitland Coal
7 wells per section, or is it based on just the two
8 additional Fruitland Coal wells per section?

9 A. No, that number is based on -- the 320-acre
10 spacing is based on the existing wells, and then the 160 is
11 actually going to four Fruitland wells per section.

12 Q. Okay, so that would -- correct me if I'm wrong,
13 but that would mean that this \$27-million figure would be
14 the future cash flow to Richardson Operating Company for
15 all of its Fruitland Coal wells in the area of the
16 Application?

17 CHAIRMAN WROTENBERY: I might be able to help
18 here because I think I'm following it.

19 MR. KELLAHIN: I think he's asking incremental?

20 CHAIRMAN WROTENBERY: Yeah, incremental -- In
21 your Exhibit C-26 you show the ultimate recovery in BCF at
22 39 BCF for 320-acre spacing --

23 THE WITNESS: Right.

24 CHAIRMAN WROTENBERY: -- and 66 BCF for 160-acre
25 spacing.

1 THE WITNESS: Right.

2 CHAIRMAN WROTENBERY: And the 27 is the
3 difference between the 66 and the 39?

4 THE WITNESS: That is correct.

5 CHAIRMAN WROTENBERY: So the 27 is the
6 incremental recovery?

7 THE WITNESS: Right.

8 Q. (By Mr. Bruce) Did you see the prehearing
9 statement that Mr. Kellahin filed on behalf of Richardson
10 in this matter, Mr. Cox?

11 A. I have seen a prehearing statement. I don't know
12 if it's the prehearing statement that you're talking about.

13 Q. Let me hand you -- This is page 11 of Mr.
14 Kellahin's prehearing statement, and I direct your
15 attention to paragraph 44. There's a \$50-million figure
16 for future cash flow to Richardson Operating. What is that
17 number? Where did that come from?

18 A. Well, I'm not sure exactly where this number came
19 from. But the 50 BCF kind of number, basically at this
20 point it's not just the incremental wells that I understand
21 that you're objecting to, but you're also objecting to Mr.
22 Richardson performing certain functions in the existing
23 wells, such as completing the Fruitland Coal and so on.

24 So the -- I think if you want to compare you
25 should compare that 50-BCF gross to the 66 BCF at 160-acre

1 spacing here.

2 Q. Well, then you'd still come up with a different
3 number, though. You'd come up with 16 million, wouldn't
4 you?

5 A. Well, this says more than 50 BCF.

6 Q. Well, but then it also says 30 BCF net to
7 Richardson, which would give you a third number, wouldn't
8 it?

9 A. Well, Mr. Richardson's not entitled to 100
10 percent of the gross production.

11 Q. Based on that, he's only entitled to 60 percent
12 of the gross production, isn't he?

13 A. I wouldn't necessarily say that, no.

14 Q. Now, if you had used the same ultimate recoveries
15 you used at the Division Hearing, you'd have yet another
16 number, wouldn't you?

17 A. Yes, we did have a different number at the
18 Division Hearing, and the key reason there was that since
19 that time there are two pieces of work that have been done
20 beyond -- or three pieces, actually, that have been done
21 beyond that. The first one is that we have the detailed
22 geologic work that Mr. Hively did. The second is that we
23 have the analysis of the offsetting nearby wells there that
24 show that wells will incline for extended periods. And
25 then the third one is that we have the modeling analysis

1 that I referred to.

2 Q. Okay, so that the geology that was done for the
3 Division Hearing by Richardson wasn't detailed?

4 A. No, it was detailed, it just -- In the previous
5 hearing what I had used was a number of 20 feet as a kind
6 of representative minimum average that I felt could be
7 completed. Since that time, after going through the work
8 that Mr. Hively's done, I've come up with a higher number.

9 Q. But didn't the geologist at the Division Hearing
10 have much thicker coals on his isopachs than Mr. Hively
11 had?

12 A. Yes.

13 Q. Much thicker?

14 A. Well, some of the coals were thicker, some of
15 them were very similar.

16 Q. Mr. Cox, I have a number of questions, and maybe
17 first let's start running through some of your exhibits,
18 starting with Number 2.

19 Now, looking at the coalbed methane curve, not
20 all coalbed methane wells exhibit this decline curve that
21 you have, do they?

22 A. No.

23 Q. A lot of them start out at a certain rate and
24 immediately start to decline?

25 A. Well, the wells that start out at a rate and

1 begin to decline, most of those either we're looking at the
2 very early decline that shows schematically there on the
3 second page of Exhibit C-2, or we're looking at wells that
4 may have been previously dewatered by other activities or
5 maybe in a high-perm system where they dewater very
6 rapidly. And in that case we're looking at more of a high-
7 rate-type phenomenon, as I discussed earlier.

8 Q. Okay. But you also have some that have a low
9 rate and still decline?

10 A. There are some that have a low rate and still
11 decline, yes.

12 Q. Low initial rate, I mean?

13 A. Yes, that's correct.

14 Q. And as a fourth category there are some that do
15 show this initial increase, and then a decline, and then
16 subsequent increase?

17 A. That's true.

18 Q. So what you're looking at is four different types
19 of coalbed methane production or declines?

20 A. Well, actually if we look around, there are
21 actually even other classes, categories we could add, such
22 as undersaturated reservoirs that produce all water at the
23 beginning and no gas for a considerable period of time.

24 Q. So that would be five types of coalbed methane
25 curves, or decline or incline, however you want to put it?

1 A. Well, it depends on how you want to categorize
2 them. You can come up with five classes. You can also
3 categorize by rate, by time to peak production or a number
4 of other properties as well.

5 Q. Okay. Now, on these charts, although this is
6 just a schematic, are these gas rates on these charts
7 usually logarithmic?

8 A. This is a schematic, and I'm not sure whether the
9 author intended it to be logarithmic or not.

10 Q. Isn't it standard for engineers to use
11 logarithmic charts in plotting production?

12 A. It depends on what purpose you're using it for.
13 Sometimes we use semi-log plots, like a conventional
14 decline curve. Many times we use linear plots if we want
15 to see trends of production that can be masked on a semi-
16 log plot. And sometimes we use log-log plots. So it
17 depends on the purpose we're using it for.

18 Q. Okay. Turning to the next page of your -- of
19 that same Exhibit 2, the -- just the relationship chart,
20 and if you do have a coal that is undersaturated -- and by
21 the way, what are the permeabilities in the coal here?

22 A. Well, I don't know that that relates to whether
23 coals are undersaturated or not --

24 Q. I'm not saying it is, I'm just asking you.

25 A. -- but the permeability in the coal here ranges

1 -- it has a range. We don't have tests, but from the
2 modeling analysis, the numbers that we come up with are
3 typically in the 10- to 20-millidarcy range initially.
4 Over time we have to use higher numbers for the wells in
5 the nearby area. We can't get 1.2 million cubic feet a day
6 out of 10 or 20 millidarcy at this shallow depth, like the
7 ROPCO 6 Number 1 well did, so that over time we're seeing
8 higher permeabilities.

9 Q. But getting back to the chart, if you're looking
10 at Coal B, if you drew down the pressure fairly quickly or
11 fairly hard near the wellbore, would it start to produce
12 some gas fairly quickly?

13 A. You can get a little -- I'll call it a little
14 burp of gas from a near wellbore like that. But then that
15 type of thing, if you're getting it in undersaturated
16 reservoir, it very quickly dies out. And so that's like
17 that -- on the previous page, how there's that early spike
18 on the coalbed methane production. What would happen is,
19 you'd get an early bump like that and then it would drop
20 back off to zero because now you've depleted -- or you've
21 dropped the gas right next to the well. And until you can
22 get drawdown out into the reservoir, you aren't going to
23 make gas.

24 So you might get a little burp of gas like that,
25 but you won't get sustained gas production that then

1 increases with time.

2 Q. But if you do have a low-permeability coal, it
3 wouldn't immediately recharge around the wellbore, would
4 it? The water?

5 A. Well, at the beginning you have much higher
6 permeability to water than you have to gas. And so the
7 water can move much easier than the gas at the beginning.
8 So that's exactly what happens, is the water comes in from
9 further out in the reservoir.

10 Q. And then moving on to Exhibit 5, Mr. Cox -- this
11 is just to confirm -- you did state that San Juan's
12 desorption measurements show the coal is undersaturated?

13 A. I said that San Juan Coal Company has interpreted
14 their desorption measurements to feel that the coal is
15 undersaturated. I disagree with that interpretation.

16 Q. Have you seen or considered the data from San
17 Juan on desorption or the Langmuir data?

18 A. I have seen some summary information such as that
19 contained in the San Juan Coal Company's exhibits that were
20 prefiled for this hearing. I have not seen their detailed
21 desorption data sheets or that type of information that I'd
22 need to make determinations off that.

23 Now, as far as isotherms, I did see the
24 information on two isotherms contained in Mr. Bertoglio's
25 report done for the San Juan Coal Company.

1 Q. Okay. And again, if this is saturated, then --
2 if the coal is undersaturated, then at your average
3 pressure of 251 the coal content would be much lower than
4 the -- well, I think in your other numbers you used 237
5 standard cubic feet per ton.

6 A. Okay, I -- Which question are you asking here?

7 Q. Okay, at your average pressure, which you said is
8 251 --

9 A. Yes.

10 Q. -- if the coal is undersaturated, then of course
11 the gas content of the coal would be much lower than that
12 250 number you have over on the left-hand side of this
13 chart?

14 A. Well, it depends on how far undersaturated it is.

15 Q. Okay. Now, is the coal saturated at the outcrop?

16 A. In this area, I do not know. In other areas of
17 the Basin where I've seen information, indeed the coal in
18 many cases is saturated at the outcrop.

19 Q. But you don't know here?

20 A. I've not seen information about that here.

21 Q. Next, let's look at y our Exhibit 6, Mr. Cox.
22 Now, is this an economic forecast? Is this what will
23 actually be recovered out here?

24 A. No, this forecast or this analysis here is a
25 calculation of what's recoverable from the coal to certain

1 abandonment pressures.

2 Q. And let's go down some of these numbers. Your
3 average thickness is 28, and I understand that comes from
4 Mr. Hively. That's the 14 feet in the lower and 14 feet in
5 the upper coal, correct?

6 A. That's correct.

7 Q. Okay. So you basically used 100 percent of his
8 thickness?

9 A. No, if you look at the note down on the bottom, I
10 used it but I reduced it by 10 percent to account for
11 uncompleted or unconnected coals in calculating the
12 recovery efficiency.

13 Q. Okay.

14 A. I used the total thickness on calculating the gas
15 in place.

16 Q. Okay. You reduced by 10 percent, but that was in
17 the upper coal only?

18 A. No, I've reduced the total by 10 percent, just
19 across the board, to say that there are going to be some
20 intervals that we don't effect good completions and/or --

21 Q. Okay.

22 A. -- we just don't capture.

23 Q. So you used -- What you're saying is, roughly you
24 used 90 percent of that 28 feet?

25 A. Right.

1 Q. Okay.

2 A. For the recovery efficiency. Again, for the gas
3 in place I used the 28 feet.

4 Q. Okay. Now, before the Division you used an
5 average thickness of 20 feet, did you not?

6 A. That is correct.

7 Q. And if you'll recall, I believe that Mr. Shapiro,
8 the prior geologist, had coal thicknesses, upper and lower,
9 totaling 50, 60 feet or more, did he not?

10 A. I don't recall exactly what his numbers were.

11 Q. Assume it's 60 feet. Why did you use one-third
12 of the coal thickness there and 100 percent of the coal
13 thickness here?

14 A. Well, I don't see the coal thickness as being the
15 real question here. The point, I think, in terms of my
16 testimony, previously I had used 20 feet based on examining
17 several of the logs. And with my experience of looking at
18 logs and determining what should be productive from coalbed
19 methane reservoirs in the San Juan Basin I said that at
20 least 20 feet should be productive on average. And this
21 current number of 28, as I said, is based on Mr. Hively's
22 number.

23 As far as the 20 feet I used before versus Mr.
24 Shapiro's number, I don't believe his average was anywhere
25 near as high as what you're talking. He may have had

1 individual wells that high.

2 At this point I'm going to say that the number I
3 feel is perfectly compatible with Mr. Hively's, and I think
4 Mr. Shapiro had picked more of gross intervals rather than
5 the same type of net coal numbers that I've seen Mr. Hively
6 pick.

7 Q. Keep Exhibit 6 in front of you, but could you
8 turn to your Exhibit C-26, your estimated ultimate recovery
9 summary sheet.

10 A. Yes. Let me --

11 Q. Sure, go ahead.

12 A. -- separate this. Okay.

13 Q. Now, looking at C-26, your average thickness is
14 the same, but are you using different pressures on Exhibit
15 C-26 than on Exhibit 6?

16 A. Yes, these are two different types of estimate.
17 Exhibit 6, as I said, was kind of a quick volumetric look
18 tying back to the isotherm.

19 Exhibit C-26 was based on a much more detailed
20 look where we took the structure and isopach that Mr.
21 Hively prepared and actually introduced that into a model
22 and then analyzed based on the detailed geologic picture.

23 And so the two don't tie exactly. The one is
24 more of a big-picture kind of stepping back and looking.
25 The other is based on a much more detailed examination.

1 Q. Now, in your model, Exhibit 26, you give about --
2 and correct me if I'm wrong. I'm looking at your ultimate
3 recovery numbers. You're giving about 40 percent of the
4 value to the upper coals?

5 A. Well, I wouldn't think they'd have 40 percent of
6 the value. It's -- if I look at -- on the ultimate
7 recovery of 320s, we've got 11 BCF from the upper coal
8 versus 39, which would be just under 30 percent of the
9 ultimate recovery coming from the upper. And then on 160
10 we have 19 out of 66, which would be even slightly lower.
11 So it would be in the 25 to 30 percent of the total range.

12 Q. It still is a substantial number?

13 A. Yes, it is.

14 Q. Are there any of the Richardson wells in the
15 Application area that are perforated in the upper coal?

16 A. Not that I'm aware of in the Application area,
17 but there are outside the Application area.

18 Q. Now, talking about your model, just tell me a
19 little bit about your model.

20 A. Well, it's a finite difference model, set up with
21 -- we plugged in the area that we're modeling with 440-foot
22 grid blocks and then -- excuse me, I believe those were
23 660-foot grid blocks, so that we had six of them in each
24 direction per section. And then we started out -- we
25 modeled the upper and lower coal separately, so we started

1 out with the lower coals and then added to that the upper
2 coals as they were completed.

3 Q. Did you just use the average thickness, or did
4 you actually go quarter section by quarter section and use
5 the thicknesses that Mr. Hively had charted out on his
6 isopach?

7 A. Well, we actually had gone through, and we used
8 the same thicknesses, basically, that Mr. Hively had, but
9 well by well, and then mapped that and gridded it so that
10 we could get the correct thickness that was from the maps
11 that Mr. Hively had.

12 Q. Okay. What permeability number did you use in
13 the model?

14 A. Well, the starting permeability ranged from about
15 10 millidarcy up to about, if I remember correctly, 20. We
16 did have to use different permeabilities for some of the
17 different wells. The high-productivity wells needed higher
18 permeability.

19 Then what we did is, we then allowed the
20 production to increase on the lower coal to 300 MCF per day
21 per well, for the wells that we had increasing, and then
22 rematched those at that rate five years after they were put
23 on production so that we then could take into account the
24 increase in permeability.

25 We assumed that we'd have no increase in

1 permeability beyond that time, and then what we did is, we
2 came in and put the infill wells and additional completions
3 into the model when -- at different points in time. I
4 think most of those came in approximately towards the end
5 of -- or towards the beginning of next year, and then added
6 the upper coals at some point, and I've forgotten whether
7 that was six months later or a year later, as a separate
8 model.

9 We took on the upper coals -- we used a reduced
10 isotherm because they appeared to be ashier and they're
11 also considerably lower pressure, and that's the reason why
12 we see much lower recovery efficiency for the upper coals
13 than for the lower coal.

14 Q. Did the model assume that production would
15 incline?

16 A. Yes, we brought production up in the model to
17 reflect what we see in the nearby wells. We did that on 80
18 percent of the wells and left 20 percent of the wells
19 basically at low levels throughout.

20 Q. What do you consider nearby wells?

21 A. The wells shown on Exhibit C-16 and C-22. The
22 list is on C-22, the map showing their locations is on
23 Exhibit C-16.

24 Q. So nearby you're considering 12-plus miles away?

25 A. Well, we had to do that to get a representative

1 sample, that the wells that are closest there, most of them
2 did not have sufficient time to have inclined and reached a
3 peak yet.

4 Q. Now, what is -- And I can't remember exactly from
5 Mr. Hively's log, but what is the approximate depth of the
6 Fruitland Coal wells in the Application area, round
7 figures?

8 A. Anywhere from a few hundred feet to over 1000
9 foot depth.

10 Q. What you call the nearby wells, what are the
11 depths of those wells?

12 A. Let's see here, on Exhibit C-23 you can see that
13 they generally range from just over 1000 -- I believe there
14 were a couple under 1000-foot depth as well, up to about
15 1800 feet. We did not count any wells that were more than
16 2000 feet deep.

17 Q. Okay. But these wells are deeper than the
18 Richardson wells?

19 A. Yes, they are. But that -- being a little bit
20 deeper is not the controlling factor here. The controlling
21 factor is that when we see wells increasing performance and
22 these wells have similar type of behavior -- and frankly,
23 we don't have five to seven years of history on wells as
24 shallow as Mr. Richardson's, so we could not use wells that
25 shallow as the sole database to look at here.

1 Q. And these wells you used also have higher
2 pressure than the Richardson wells?

3 A. Some of them probably do. I don't know that all
4 of them do.

5 Q. Do they have higher permeabilities than the
6 Richardson wells?

7 A. In general I would say no, if their pressures
8 were higher and we're seeing similar starting rates, we're
9 probably looking at lower permeabilities. And I think that
10 this can be confirmed by the fact that the Richardson wells
11 have the capability of producing on average more water than
12 these deeper wells, even though they have lower pressure.
13 And that says that on average the Richardson wells would
14 have higher permeability.

15 Q. Over in the area 29 North, 12 West - 30 North, 12
16 West, is the Pictured Cliffs thicker and a better producer
17 over there than it is in the Application area?

18 A. I don't know.

19 Q. What were the initial water rates in the wells
20 over to the east?

21 A. They varied, and many of them were low, some of
22 them were high. I don't recall the numbers.

23 Q. You don't recall the numbers?

24 A. No, I don't.

25 Q. Would higher water rates indicate a higher

1 permeability?

2 A. All other things being equal, yes. But as we
3 know, all other things aren't equal.

4 Q. Does the -- what happened to your model -- what
5 would happen to your ultimate recovery if the -- you said
6 you used 10 to 20 millidarcies. What if that was 1
7 millidarcy? How would that affect the ultimate recovery?

8 A. You can't produce a hundred barrels a day from
9 1-millidarcy rock with the type of frac jobs that Mr.
10 Richardson has. It would not be meaningful.

11 Q. And the question is, what would happen to your
12 ultimate recoveries if the permeability was 1 millidarcy
13 versus 10 millidarcies?

14 A. Well, the ultimate recoveries would be lower if
15 the permeability is lower. But as I say, I don't believe
16 that these are 1-millidarcy rocks.

17 Q. How much lower?

18 A. I would have to run a model to see.

19 Q. You don't know what factor the permeability plays
20 in your model?

21 A. Oh, I know what factor it plays, but I've found
22 that trying to just change one thing in your head without
23 actually running it, that's a way to make mistakes. I
24 don't know unless I ran the model.

25 Q. Would a factor of 10 in the millidarcy, or in the

1 permeability level, result in 10-percent decrease in
2 ultimate recovery?

3 A. It might, it might result in more, it might
4 result in less. I don't know. It would vary, depending on
5 the case you're looking at.

6 Q. Does the permeability that you use control the
7 projected peak rate, peak production rate in the model?

8 A. No, it really doesn't. What we did on
9 permeability to begin with is, we were tying that back to
10 the types of water rates and early gas rates we were
11 seeing. The ultimate permeability that we reached was tied
12 to the peak gas rates. As I said, what we used was 500 MCF
13 per day total, which was composed of 300 MCF per day per
14 well in the lower and 200 MCF per day per well from the
15 upper.

16 Q. Again on your Exhibit C-26, your estimated --
17 your EUR, is this a reserve number, or do you use a reserve
18 definition anywhere in your testimony?

19 A. No, I have not used -- These are not reserve
20 numbers, and I have not used the term "reserves". This is
21 what I consider to be an ultimate-recovery type of number
22 or a producible-gas type of number. Reserves depends on
23 many other characteristics.

24 Q. What characteristics?

25 A. Well, for example, are you talking proved

1 reserves or probable reserves or possible reserves? Are
2 you talking constant prices or escalating prices? What
3 type of economic scenario are you looking at?

4 You know, just as an example, are you looking
5 at -- Mr. Richardson had said that he was going to be
6 drilling additional water disposal wells. By doing so, he
7 replaces the operating cost of one dollar per barrel
8 trucking water down to his typical 12-cent-a-barrel
9 disposal cost into his disposal wells.

10 You know, which type of factors like this do you
11 plug in? There's a whole number of other things that go
12 into the definition of reserves.

13 Q. One other question on your Exhibit 6, Mr. Cox.
14 You did reduce net thickness for -- or you did use ash
15 content to reduce a certain number. Did you use moisture
16 content to reduce these numbers?

17 A. No, I assumed that the information that I had
18 tied back to the type of moisture content that the coals
19 have, and so no, I have not reduced this additionally for
20 changes or differences in moisture content.

21 Q. Are these dry coals or wet coals?

22 A. Well, these coals start off wet, they start off
23 with water in them, and that's why you have to dewater them
24 in order to get production.

25 Q. Let's look at a couple of your production charts,

1 starting with your Exhibit 8, which is the Russell Federal
2 well?

3 A. That's correct.

4 Q. Do you have -- Again, you said this was a
5 Pictured Cliffs completion. I believe that's what the data
6 show that you reviewed?

7 A. Yes, it was stated in the information that I
8 reviewed that it was a Pictured Cliffs completion.

9 Q. Was there any water produced by this well?

10 A. I don't recall whether water production was
11 reported.

12 Q. You didn't see any, or you don't recall?

13 A. I just don't recall.

14 Q. Okay. Let's move on to your Exhibit 10, Mr. Cox.
15 First off, you have a summary of production from the
16 Application area, and you have 36 wells here. Are these
17 all of the wells that are currently completed in the
18 Application area?

19 A. They are all of the wells that we received daily
20 production data from Richardson Operating within the
21 Application area.

22 Q. Okay. There might be a couple others out there
23 that you didn't get the data from?

24 A. Or that -- Yeah, I know there are several wells
25 out there that the wells have been drilled and they haven't

1 been completed, and some of the wells that have been
2 drilled may not have been put on stream yet or may not have
3 been producing at this point.

4 Q. Now, which of these, can you tell me, are in --
5 Let's start with the Deep Lease, which is -- The chart's
6 behind you there, Mr. Cox, but it's the westernmost coal
7 lease. Which of these wells on this list are in the Deep
8 Lease?

9 A. Which list are you talking about?

10 Q. Exhibit 10.

11 A. Now, I have a question on this. I'm not sure --
12 I don't know whether the Deep Lease actually extends into
13 Sections 1 and 2.

14 Q. No, it does not, Mr. Cox.

15 A. Okay, I didn't think that it did. So looking at
16 the wells that would be in this westerly township here,
17 that would be the wells basically in Section 36 there,
18 which would be the State 36-1, -2 and -3. The 36-4 has not
19 yet been drilled.

20 Q. Okay. And you don't have current daily rates on
21 here, but approximately what would be the current total
22 daily rate from those three wells in the Deep Lease?

23 A. The 36-3 I do have the rate on. That's Exhibit
24 C-13. It's currently making about 150 MCF per day. I'm
25 not sure what the 36-1 and 36-2 are making at this point.

1 Q. Okay. So it shows average rate, just a few MCF a
2 day for those two wells?

3 A. Right. Now, those wells are in this area to the
4 west where it's my understanding that Mr. Richardson had
5 not been focusing his efforts on that as much because of
6 them being shallower.

7 Now with the 36-3 coming up in rate and with him
8 continuing to work on his gathering and water-disposal
9 system -- See, part of the problem is, the 36-3 is capable
10 of making more water, and so as he had said, he was pegged
11 out on his disposal wells already and needs additional
12 water disposal. So this area here does need to have --
13 when you look at the production there, you need to factor
14 in operational and mechanical considerations as well.

15 Q. And which of these wells -- Okay, ignoring the
16 wells that are numbered 30, 31 and 32 on your list, which
17 of the wells are in the Deep Lease Extension?

18 A. The Deep Lease Extension would be the wells in
19 Sections 19 and 20 and 29 through 32 of Township 30 North,
20 14 West.

21 Q. Okay. And looking at your Exhibit 10, and
22 correct me if I'm wrong, those would be the wells numbered
23 11, 12, 13 and 21 through 26? Would that be correct?

24 A. Yes, that would be correct.

25 Q. Okay. Now, first let me get -- There's one

1 number on here that seems to be anomalous. If you look at
2 your well number 24, which is the Federal 29-4 well --

3 A. Yes.

4 Q. -- its average rate, its median rate, which are
5 20, 25 MCF, and then you have average rate, 439 MCF.

6 A. Looks like we have a typo there, yes, it does.

7 Q. Do you have -- Would that generally be about 20
8 MCF? Would you think that would be appropriate, or do you
9 have those numbers handy?

10 A. Well, you know, I'm not sure what that number
11 would be, because -- We'd have to get the cum and divide it
12 by the number of days. But obviously that number is a
13 typo.

14 Q. Now, and I haven't totaled them up, but if you
15 take the -- I think part of your testimony on one of your
16 charts was that in the Application area Richardson
17 Operating is producing about 4 million a day?

18 A. That's correct.

19 Q. If you took the area in the Deep Lease and the
20 Deep Lease extension, that number would be substantially
21 smaller, would it not?

22 A. Oh, yes, that's only a small number of the wells,
23 of the total here. And also, though, you've got to
24 recognize, these aren't the current rates. We don't have
25 those tabled here. What we have are the average rate at

1 the beginning and then the median and average rate over
2 life, or over life so far, and so we don't have the current
3 rate on here.

4 Q. Why didn't you put the current rate on here?

5 A. Well, I just copied it from the spreadsheet that
6 I had used in the previous hearing and I didn't have it on
7 that one either. I just didn't put it on.

8 Q. Did you look at all of the wells and the well
9 logs for all of the wells on this list?

10 A. No, I did not.

11 Q. Okay. Now, what would you expect, you know, for
12 a -- Let's just take the Deep Lease. Two or three years
13 from now, what would you expect a good well to produce?
14 And I know that's a relative -- but I mean, as opposed to a
15 well that's producing 40 MCF a day, I don't think you'd
16 agree that that's a great well, but what do you expect one
17 of these wells that has been completed, say, within the
18 last year or so to produce after two years?

19 A. Well, off the 36-3 it's already making 150 a day.
20 It continues to incline. It could very -- Again, we have
21 to couch that with nothing else changing here, other than
22 the well being able to be produced at its capacity. So,
23 you know, this says in 10 of 2004, according to the mining
24 plan this would be mined out. I don't think it will make
25 anything if it's mined out.

1 But if we assume that the mine were to stop, say,
2 and the well is allowed to produce, it would continue to
3 rise, and if it's fully dewatered, it's in a high-
4 permeability area, it very easily could be making 300 to as
5 much as 500 MCF a day. But at this point, you know, all I
6 can say is, it is making 150 and it has risen to that in a
7 very short period here.

8 Q. Well, except for the wells on the bottom part of
9 this chart, you know, most of these wells have produced, a
10 good fraction of them, a year, two years, three years, and
11 the production hasn't increased. I'm just looking at the
12 average rate to September 23, comparing these figures. The
13 vast majority of them are under 100 MCF a day.

14 A. That's correct. I think there's a couple of
15 factors, or three factors, actually, that you need to put
16 into this. The first one is that the gathering system and
17 water disposal system are being revamped. Some of these
18 wells need to be recompleted. But until you get more
19 dewatering out here, which you need better completions and
20 additional wells for, then you aren't going to get the full
21 capacity of the well. And until you get more gas
22 production causing matrix shrinkage, then you aren't going
23 to see matrix shrinkage kick in.

24 And so I think it's more a level of where you're
25 at in terms of operations today than it is in terms of the

1 capability of the well to produce. Don't make the mistake
2 of thinking just because a well has only made -- or, you
3 know, is making 100 MCF per day now, that that's the same
4 capacity that it would make if it were offset on all sides
5 on a 160-acre location with effective Fruitland
6 completions. It will make a whole lot more in the second
7 case than it would in the first.

8 Q. Well, do you know of any limitations on
9 commercial water disposal in this area?

10 A. Well, commercial water disposal would need to be
11 trucked to that. I don't believe that Mr. Richardson
12 actually has a pipeline to a commercial disposal, and so a
13 commercial limitation would be the cost of trucking.

14 Q. Didn't Mr. Richardson say he was also trucking to
15 his own injection wells?

16 A. Right, and the reason he's doing that is to try
17 and get more dewatering so that he can raise his gas
18 production.

19 But at a dollar a barrel for trucking, versus 12
20 cents a barrel for disposal through his gathering system,
21 he needs to get more of these wells hooked up and needs to
22 get more of a disposal system out there.

23 A. Now, you don't have water production data on this
24 chart either. What are the average water producing rates
25 from those wells?

1 A. Well, they vary. I don't -- As I said earlier, I
2 don't have the same type of information on a daily basis
3 for water that we have for gas. What we have instead are
4 monthly totals that have been allocated back. So that's
5 the reason I didn't put the water production information on
6 here.

7 Q. Then how do you know for a fact that the Bushman
8 well produced gas from day one and not water?

9 A. Because I've asked Mr. Richardson that specific
10 question.

11 Q. If the Bushman well produced, say, 30,000, 40,000
12 barrels of water before it produced any gas, would that
13 indicate that the reservoir is undersaturated?

14 A. It could indicate -- If that were the case, and
15 if it had actually produced no gas, it could indicate that
16 it was somewhat undersaturated. But I'd need to compare
17 that to the volume of the reservoir and what it was
18 draining.

19 At the beginning, the Bushman well was the first
20 well out here, and so because of that it's draining not
21 just -- or it's being -- have water coming in not just from
22 160 acres but from all around here. So in those kind of
23 cases you tend to produce more.

24 I think you'd be better served to look at such
25 cases as, for example, this 36-3, than just the Bushman

1 well. But it's my understanding that even from the
2 beginning the Bushman well made some gas.

3 Q. But you have no idea what the water production
4 rates are out here?

5 A. No, I have an idea. They are typically about 100
6 barrels a day per well, but they're limited by the water
7 disposal capacity and by the system capacity. It's my
8 understanding that the capacity, or the flow rate, on the
9 36-3 is even higher than that. It's in the couple hundred
10 to as much as 300 barrels per day per well.

11 Q. Now, Mr. Cox, I think you testified in an answer
12 to one of Mr. Kellahin's questions that just completing in
13 the Pictured Cliffs was not how to produce these Fruitland
14 Coal out here, if I can paraphrase you, not the best way.

15 A. Well, you can paraphrase me, but I think my
16 answer is something more to the extent that it's not the
17 best way of completing the Fruitland Coal.

18 Q. Okay. Well, let's look at your -- again, staying
19 on Exhibit 10, if you'll go to the second column from the
20 right-hand side, and if you'll look -- which is the average
21 rate to September 23, 2002, in MCF produced per day.

22 Now, if you take every well -- or the average
23 production is more than 100 MCF per day -- and I'll flip
24 through these real quickly, but that would be well number
25 3, well number 5, well number 15, well number 16, well

1 number 18, 19, 20, 21, 22 -- we'll ignore 24, because that
2 number is -- got to be something wrong with it -- number
3 27, number 28, number 29, number 34, number 35 and number
4 36. Now, all of the best wells out here, except for well
5 number 27, are not simple Fruitland Coal producers, are
6 they? They are all Pictured Cliffs completions?

7 A. You said except for --

8 Q. Except for item -- well number 27.

9 A. Well, but if you're using that 100 a day, well
10 number 21, well number 19, well number 5 are all Pictured
11 Cliffs and Fruitland producers.

12 And also I think you need to look at -- many of
13 the Fruitland wells have not yet gotten full dewatering.
14 In fact, none of them have full dewatering yet. So they
15 are still climbing, they are not up to their peak rate.
16 They're not up to anywhere near what their peak rate will
17 be.

18 So when you're comparing rates here, you need to
19 recognize that some of these on the Fruitland Coal, PC and
20 Fruitland, are still very low, because they're early in
21 life.

22 Q. Well, I'm looking in the first grouping of four.
23 The only Fruitland Coal well there has been on production
24 for over two years. The next grouping of four, they've all
25 been on production for two or three years. If you go down

1 the list, except for a very few at the bottom, they've all
2 been on production for a substantial period of time.

3 A. Well, once again, you need to not just look at
4 how many days they've been on production but how they've
5 been producing and whether or not they've been dewatered to
6 full capacity. And the answer is, they haven't been.

7 You heard Mr. Richardson say he needs additional
8 disposal wells here to get rid of the water.

9 Q. And he's also said that you don't have a real
10 clear idea on water production rates from these wells?

11 A. I don't, but there is a finite volume of water
12 these wells are making.

13 Q. Well, if you don't have a good handle on it, how
14 can you say they need to be dewatered more?

15 A. Oh, excuse me, that's a very simple one. Coalbed
16 methane wells that are still making a hundred barrels of
17 water a day in the San Juan Basin are not dewatered. Even
18 coalbed methane wells that are still making 50 barrels of
19 water a day.

20 These wells -- If we look at some of the offset
21 wells that drop off to one or two or five barrels a day --
22 many of the wells end up drying out completely, and that's
23 true in much of the San Juan Basin, except where there's
24 connection to aquifers like in the north part, parts of the
25 north part where the Pictured Cliffs is part of the

1 Fruitland aquifer system.

2 So for me to say they're not dewatered, just
3 because I don't know the exact production rate, they're
4 still not dewatered yet.

5 Q. Okay. What about the third well, the Federal 5
6 Number 3? Is that well producing water?

7 A. I don't know the exact water production on any of
8 these wells. The one that, as I said, that I know
9 particularly is the 36-3.

10 Q. But this -- the Federal 5-3 is listed as a
11 Pictured Cliffs well, and it has inclining production. Is
12 that normal Pictured Cliffs production behavior?

13 A. No, it is not. But again, the Pictured Cliffs in
14 this area, many of those wells benefit from pumps as well.
15 The Pictured Cliffs -- it's got gas and water both, and in
16 some areas you need to pull the water off or it loads up
17 and kills the well.

18 Q. Now, you use the Bushman 6 Number 1 well, the
19 fifth well on your list, as a key well. It is completed in
20 both the Pictured Cliffs and Fruitland Coal. Could the
21 initial gas production that you talk about have come from
22 the Pictured Cliffs rather than the Fruitland Coal?

23 A. There could be some component of that, yes.
24 However, I'd have to say that I think the way that the gas
25 production inclined there is characteristic of coal

1 production.

2 Q. Wouldn't you agree that -- in just looking at
3 your cumulative production figures, cumulative production
4 to May 1, 2002, that -- I mean, you agree that if the
5 Pictured Cliffs is out in this area, it's going to produce
6 a tenth of a BCF, maybe a little bit more? Isn't that what
7 your Exhibit 7 shows?

8 A. Yeah, I think a typical kind of number, not just
9 in the Application area but elsewhere, is in the 50- to
10 200-million-cubic-feet range.

11 Q. And those of these wells -- and if you look at
12 them, whether they're strictly Pictured Cliffs producers or
13 Pictured Cliffs and Fruitland Coal producers, they've
14 already produced in that range, haven't they?

15 A. Yes.

16 Q. So there's really -- Even if they're listed as a
17 PC well, they're producing from the Fruitland Coal?

18 A. Well, they may have some degree of connection to
19 the Fruitland Coal. Again, when we look at this 36-3, for
20 example, it's got to have some degree of fracturing,
21 natural fracturing, to be producing the kind of volumes
22 that it is. To have some degree of connection between the
23 Pictured Cliffs and the coal in some wells shouldn't be a
24 big surprise.

25 But I think the real question there is, does

1 frac'ing the Pictured Cliffs create an effective completion
2 in the coal? And the answer is no.

3 Q. Your well 29, the Federal 33-3, is that producing
4 strictly from the Pictured Cliffs?

5 A. No, I think that one is in connection with the
6 coal as well.

7 Q. That's the best well out there on this list,
8 isn't it, or --

9 A. Yeah --

10 Q. Second best?

11 A. -- that is an excellent well. Yes.

12 MR. BRUCE: Madame Chair, could I have five
13 minutes? Could we take a five-minute break and let me go
14 through my notes, and perhaps I could --

15 CHAIRMAN WROTENBERY: Sure.

16 MR. BRUCE: -- shorten --

17 CHAIRMAN WROTENBERY: Okay, thank you.

18 (Thereupon, a recess was taken at 4:52 p.m.)

19 (The following proceedings had at 5:00 p.m.)

20 MR. BRUCE: I've just got a few more questions.

21 CHAIRMAN WROTENBERY: Okay, go ahead.

22 Q. (By Mr. Bruce) Getting back to your model, Mr.
23 Cox, what -- were water rates a factor in that model?

24 A. Yes.

25 Q. And what rates did you use?

1 A. I don't recall, I just don't recall.

2 Q. What effect -- regardless of the water rate, what
3 effect does the rate have on the maximum production rate or
4 on the rate of incline or period of incline?

5 A. Well, basically, the initial water rate sets the
6 initial permeability, and so -- From there, though, because
7 we were then increasing that over time to reach the level
8 that I mentioned for a peak rate combined of 500 MCF per
9 day per well for those wells that inclined, then what it --
10 the primary thing that it did by setting the initial
11 permeability is, it sets the degree of interference that
12 occurs between wells.

13 So by using a number -- Let's say that we used a
14 hundred barrels a day. If we use that instead of 50
15 barrels a day, then it would show greater interference
16 between wells early on because of the greater permeability.
17 And so the higher the water rate is, then, the greater the
18 amount of early interference that would occur.

19 But by the time we get out towards the peak rate,
20 then, it has little impact from there because at that point
21 you're now constrained by the permeability to gas when we
22 reach a peak rate.

23 Q. Now, in your model -- I mean, is the solution you
24 came up with, which I believe is reflected in your Exhibit
25 26; is that correct? --

1 A. Yes.

2 Q. -- is that the only solution, or could you fiddle
3 with the variables and get other numbers?

4 A. You can certainly fiddle with variables, but we
5 are constrained by the amount of gas and water in place and
6 by the thickness of the wells and by the actual performance
7 on wells. So those provide the constraints.

8 Q. Did you use actual well performance to input into
9 the model?

10 A. Yes.

11 Q. But in the Seam 9, there are no completions in
12 Seam 9 in this area, are there?

13 A. No, there are not.

14 Q. So how could you use -- How could you model Seam
15 9?

16 A. What we did for the upper seams was, we applied
17 the same permeability as we had calculated for the lower
18 seams, based on performance. Again, without any actual
19 numbers we had to use something.

20 Q. And again, Exhibit 26 gives the amount of gas you
21 believe can be produced, but it's not an economic figure.
22 This is what you believe can be produced?

23 A. Oh, no, we ran this through economics to
24 determine what the economic limit was on a well-by-well
25 basis.

1 Q. And again, roughly, what would the recovery be
2 per half section?

3 A. Well, on Exhibit C-26 it's showing an ultimate
4 recovery per half section on 320-acre spacing of .91 BCF
5 from the lower coal, .38 BCF from the upper coal, for a
6 total of 1.29 BCF.

7 At 160-acre spacing those numbers increase to
8 1.56 BCF per well average, from the lower coal .65 BCF per
9 -- excuse me, BCF per 320-acre spacing unit, so that's from
10 two wells from the upper coal, for a total of 2.21 BCF per
11 320 acres with two wells.

12 Q. So 4.4 BCF per section, roughly?

13 A. Yes, that's correct.

14 Q. And I'm looking again at your -- just your gas-
15 in-place calculation shows that you show roughly 7.5, 7.6
16 BCF per section. That's your Exhibit 6, a middle case.

17 A. Yes, but now recognize again, that's on a
18 different basis than Exhibit C-26.

19 Q. I understand that, but you're looking at -- your
20 calculation of gas in place, the median value -- an average
21 value of 7.5 BCF per section?

22 A. Correct.

23 Q. Okay. In your Exhibit 28, which is the article,
24 and in the introductory part of that article where it says
25 a total of 22 stimulation treatments, et cetera, 21 of them

1 were in the United States, eastern area of the United
2 States.

3 Now, is roof stability in the eastern coals
4 different than that in western coals?

5 A. I don't know, I'm not a mining engineer.

6 Q. Okay. Geology could well be site-specific in
7 that context?

8 A. Absolutely.

9 Q. And have you studied or compared the stability of
10 these eastern coals with those in the San Juan Basin?

11 A. No, I did not.

12 Q. That's not your area of expertise, is it?

13 A. No, it is not.

14 Q. One final thing. Have you ever suggested to
15 Richardson Operating that they obtain some desorption data
16 in this area?

17 A. Not that I recall.

18 Q. Would you use it if you had it?

19 A. I would certainly examine it, but the use that I
20 would put to it would depend on what the information told
21 me.

22 Q. If you were convinced that the sampling was taken
23 correctly, would you use the data?

24 A. Well, it would depend on what the information
25 told me.

1 I can recall one instance in particular that
2 happened here in the San Juan Basin where the isotherms
3 were showing about 350 cubic feet per ton, all the
4 desorption measurements were indicating in the 200-cubic-
5 feet-per-ton range. We couldn't figure out what went on,
6 even from the data sheets. Everything looked like it had
7 gone perfectly till finally we called up the fellow who had
8 done the desorption, and it turned out that he'd done these
9 desorption measurements in his unheated garage in the
10 middle of February. And so they were desorbing at a
11 temperature that was very low compared to the reservoir
12 temperatures. So until we got that piece of information we
13 didn't know what the problem was.

14 So what I'm saying is, yeah, I have to look at
15 that in context with everything else, all the other
16 information that I have.

17 Q. Are there any companies out there that specialize
18 in taking this data?

19 A. Yes, there are several of them.

20 Q. Who are they?

21 A. Well, one company that does a lot of this kind of
22 work is Hampton and Associates, and I've forgotten what his
23 partner's -- I think Hampton's now out of it, his partner
24 is now running it.

25 Q. Where are they located, just for my info?

1 A. I'm not sure where their office is. I've met
2 them in Denver and I've seen the fellows up in Calgary
3 before as well, so I'm not sure where their office is.

4 Terra Tech has done work like this. In the past
5 a group called REI did work like this. My former employer,
6 Advanced Resources. has done a lot of this internationally.
7 There's a group in Salt Lake and Calgary called Norwest
8 Corporation that does a lot.

9 Just who did it is less important to me, in
10 general, than having a chance to actually dig through the
11 information. I always want to see the original data sheets
12 and be able to see the information so that I can do a
13 separate evaluation of it.

14 Q. On the data that you've seen from San Juan, there
15 were tests on 18 wells. Do you know how many tests were
16 taken per well?

17 A. No, I do not.

18 Q. Okay. But you haven't used San Juan's data?

19 A. Well, I examined the information that I was
20 provided, and because it's inconsistent with the isotherm
21 and the pressure information -- for example, when the 36-3
22 was shut in and reached that buildup pressure I alluded to
23 earlier -- and the well performance, then after seeing the
24 information that I saw, I considered it and rejected it.

25 Q. Okay, so you're assuming there was a 100-percent

1 failure rate on San Juan's data?

2 A. No, I would not say that. I don't know what --
3 how many samples they ran per well. They may have had some
4 samples that were correct and some that were erroneous. I
5 don't know, again, unless I can see the original data
6 sheets.

7 MR. BRUCE: That's all I have, Madame Chair.

8 CHAIRMAN WROTENBERY: Thank you, Mr. Bruce.

9 Dr. Lee?

10 EXAMINATION

11 BY COMMISSIONER LEE:

12 Q. This goes to the Exhibit C-26. Is this the model
13 you used, the two-phase model?

14 A. Yes, it is.

15 Q. What's the boundary condition you use for the
16 wellbore?

17 A. For the wellbore, we just did it as -- since it's
18 in a square block, we just used the kind of standard
19 formulation, a Peaceman-type of formulation for --

20 Q. What's the formulation, what formulation?

21 A. Well, it exhibits radial flow in the well, and
22 then apply the negative skin --

23 Q. No, I'm asking you what the boundary condition
24 is.

25 A. For the well or for the model?

1 Q. For the well.

2 A. Well --

3 Q. You have -- How many boundary conditions do you
4 have?

5 A. Well, the external boundary condition for the
6 model was a no-flow boundary, we put --

7 Q. No-flow boundary, so --

8 A. Yes.

9 Q. -- there's no recharge of the water,
10 everything --

11 A. Right, what we wanted to do --

12 Q. Okay, what's the internal boundary condition,
13 wellbore boundary condition?

14 A. It's just producing as radial flow into the well.

15 Q. You specify what?

16 A. Oh, excuse me, I didn't understand. You specify
17 water production at the beginning and then gas production
18 later.

19 Q. And how can you match your permeability?

20 A. Well, with the pressure information and assuming
21 that they've -- what pressure that they've drawn it down to
22 in looking at that, then the rates, then, give us a
23 permeability.

24 Q. I don't think so. I think it has to match the
25 relative permeability.

1 A. Right, it's an effective -- that's correct, there
2 is a relative --

3 Q. That's not correct.

4 A. -- permeability term there.

5 Q. This too has to match. You specify this, you are
6 not going to match this one.

7 A. We apply relative permeability curves based on
8 the San Juan average relative permeability --

9 Q. Okay, then --

10 A. -- curves.

11 Q. -- how can you apply the -- You have two fluids.

12 A. That's correct.

13 Q. Then you guess those two fluids to match the
14 relative permeability?

15 A. No, we take a relative-permeability curve
16 determined by matching over a thousand wells in the Basin,
17 so we took that curve as a basis.

18 Q. But I don't understand why -- This too is not a
19 boundary condition. You either specify the flow rate or
20 you specify the relative permeability. These two, the
21 chances to match it is very nil.

22 A. No, excuse me, what we are doing is, in order to
23 get the initial permeability, that's single phase with
24 water at the very beginning. And that the water --
25 effective permeability to water is, in essence, the

1 absolute permeability --

2 Q. Yes --

3 A. -- at the beginning.

4 Q. -- that's the initial absolute permeability. I
5 have no problem.

6 A. Okay.

7 Q. Later on when the gas comes out --

8 A. Later on when the gas comes out --

9 Q. -- it's dominated by the relative permeability?

10 A. That's correct.

11 Q. Then how can you specify the rate? I've never
12 seen people can specify the rate.

13 A. Well, what we do is, we specify the relative
14 permeability curve, and we don't change that. That's
15 determined from --

16 Q. You don't change that. How can -- you see, if
17 you specify the rate -- Your rate is governed by your
18 relative permeability.

19 A. Correct.

20 Q. Then how can you match?

21 A. Well, but for a given set of relative
22 permeability curves, then --

23 Q. Then you're supposed to set a constant pressure
24 instead of a constant rate.

25 A. And yes, that's what we end up with. At the

1 point where we hit the peak rate we have a pressure
2 boundary condition now where we've said at that point, five
3 years in the future, those wells are pumped down and are
4 pumped off to 25 p.s.i. bottomhole pressure.

5 Q. Okay, another question. If you have rate,
6 specified rate, how can you distribute it to these two
7 zones? They have a different pressure.

8 A. Well, what we did is, we just counted the lower
9 coals, we did not include the upper coal. So at this point
10 we said the completions are only in the lower coals right
11 now.

12 Q. Did you consider the fracture?

13 A. Yes.

14 Q. How can you handle a fracture? That's another
15 set of the relative perm.

16 A. Well, the fracture, we plug in just a negative
17 skin to account for the fracture.

18 Q. So this is a vigorous simulation? Negative skin.
19 If you specify the rate you do not count the negative skin.
20 You are talking about analytical solution and numerical
21 solution.

22 A. Well, but you can compare the two because this is
23 very standard in coalbed methane modeling, to take and get
24 the -- to apply a negative skin --

25 Q. Yeah, I --

1 A. -- in order to get the rate.

2 Q. -- I understand it, standard. But the
3 fundamental is always there, right?

4 A. I don't think I understand the question, sir.

5 COMMISSIONER LEE: Okay, I'm sorry. All right,
6 no further questions.

7 CHAIRMAN WROTENBERY: Commissioner Bailey?

8 EXAMINATION

9 BY COMMISSIONER BAILEY:

10 Q. Is there communication between the Fruitland
11 Coals in the area of interest here?

12 A. Communication between the upper and lower coals,
13 do you mean?

14 Q. Between the different wells.

15 A. At this point there's limited communication
16 between the different wells. There just hasn't been enough
17 pulled out of there to get to enough beneficial
18 interference yet. But there is some degree of limited
19 interference already between wells.

20 Q. Does the preferential production of certain wells
21 mean that there is preferential production of royalty oil
22 -- royalty gas, from the different overriding royalty
23 owners?

24 A. If I'm understanding your question, I think the
25 answer would be yes, that whatever well the gas comes out

1 of, that's the well that the royalty owners for that well
2 would receive the royalty on it.

3 Q. And as long as production is depressed
4 artificially because of saltwater disposal problems, say,
5 in Section 36, then that coalbed methane gas that may be
6 found under Section 36 may be produced under another well,
7 along preferential lines of communication?

8 A. That could happen, but I don't think it has been
9 a significant factor yet, because we're so early in the
10 life of these wells. These wells, from our calculations,
11 will have lives from 20 to as much as 50 years, depending
12 on the type of operation. So we're still very early in the
13 life of these wells.

14 Q. When would you see that there would be an impact?

15 A. Well, the impact would grow over time. I'm
16 sorry, I hadn't considered that question. It would -- The
17 significant impact would occur most when the wells are
18 approaching peak rate. You know, early on they're not
19 producing a whole lot of gas yet.

20 Q. What is your opinion on practicality of the use
21 of fiberglass casing for coalbed methane production?

22 A. I have not personally been involved in using
23 that. But from discussions I've had with other operators
24 who have run it, it costs more and so typically what they
25 would do is run a joint or two of the fiberglass, but that

1 they've had no problems with their frac jobs as a result of
2 that.

3 Q. So you're not aware of any operational problems
4 that arise from that?

5 A. Not that I've heard of, no.

6 COMMISSIONER BAILEY: That's all I have, thank
7 you.

8 EXAMINATION

9 BY CHAIRMAN WROTENBERY:

10 Q. Mr. Cox, I don't know if you can answer this
11 question or not. It may be a question for Mr. Richardson.
12 But do you know what Richardson Operating's plans are for
13 the production of the wells in this Application area in
14 terms of the length of time that these wells will be
15 produced in relation to the mining plans of San Juan Coal?
16 I'm still a little unclear about how the two operations
17 will mesh if, in fact, the Commission approves the infill
18 drilling Application, and assuming BLM also issues all the
19 necessary permits. What is the plan of operation for
20 Richardson in this area?

21 A. Well, Mr. Richardson has expressed to me on
22 numerous occasions that his preference would be to finish
23 his development here and produce as much gas as he can
24 produce.

25 Now, having said that, the proposed activities of

1 the mine would interfere with that, and if -- Obviously
2 some accommodation has to be made somewhere. But I look at
3 this mining plan here, and when it's showing that a well --
4 well, like, for example, the 36-3, if those dates are
5 correct, would be mined through in October of 2004.
6 Obviously that well can't produce to its full capacity, and
7 certainly by the time they begin mining here, that's going
8 to have a material effect on the production capacity of his
9 well as they are ventilating gas.

10 You know, they're -- I don't know the exact
11 number they're ventilating. I've heard numbers in the 1-
12 to 2-1/2-million-cubic-feet-per-day range from their mine,
13 so that's a lot of gas to be pulling out, and it's coming
14 out of the coal here. So that would obviously have a very
15 material impact on production.

16 So I'm not sure how this conflict gets resolved.
17 From a petroleum engineering standpoint I think I've looked
18 at it from the basis of, what is the way to maximize the
19 economic benefit from the coalbed methane? And so that's
20 the way that Mr. Richardson has couched his questions to
21 me.

22 CHAIRMAN WROTENBERY: Thank you, Mr. Cox.

23 Mr. Kellahin, did you have --

24 MR. KELLAHIN: No, ma'am. I'm well beyond done,
25 thank you.

1 CHAIRMAN WROTENBERY: Okay. I think we're all
2 well beyond done for the day.

3 We'll break until tomorrow morning and start back
4 up at 9:00 a.m.

5 MR. KELLAHIN: Thank you.

6 CHAIRMAN WROTENBERY: Thank you, Mr. Cox, for
7 your testimony.

8 THE WITNESS: Thank you.

9 (Thereupon, these proceedings were concluded at
10 5:25 p.m.)

11 * * *


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL ~~November 13th~~, 2002.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2006

STEVEN T. BRENNER, CCF
(505) 989-9317

*Application of Richardson Operating
Co.
Record on Appeal, 281.*

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION COMMISSION FOR THE)
PURPOSE OF CONSIDERING:) CASE NO. 12,734
)
APPLICATION OF RICHARDSON OPERATING)
COMPANY TO ESTABLISH A SPECIAL "INFILL)
WELL" AREA WITHIN THE BASIN-FRUITLAND)
COAL GAS POOL AS AN EXCEPTION FROM RULE)
4 OF THE SPECIAL RULES FOR THIS POOL,)
SAN JUAN COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING (Volume II, October 30th, 2002)

BEFORE: LORI WROTENBERY, CHAIRMAN
JAMI BAILEY, COMMISSIONER
ROBERT LEE, COMMISSIONER

October 30th, 2002
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission, LORI WROTENBERY, Chairman, on Wednesday, October 30th, 2002, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCF
(505) 989-9317

*Application of Richardson Operating
Co.
Record on Appeal, 282.*

I N D E X

October 30th, 2002 (Volume II)
 Commission Hearing
 CASE NO. 12,734

	PAGE
CUMULATIVE INDEX OF EXHIBITS	248
APPEARANCES	253
SAN JUAN COAL COMPANY WITNESSES:	
<u>LYNN R. WOOMER</u> (Technical Services Coordinator, San Juan Coal Company Projects Development Group)	
Direct Examination by Mr. Ausherman	254
Cross-Examination by Mr. Kellahin	301
Examination by Commissioner Bailey	320
Examination by Chairman Wrotenbery	325
Redirect Examination by Mr. Ausherman	336
Recross-Examination by Mr. Kellahin	336
<u>JACQUES F. ABRAHAMSE</u> (Mining engineer, San Juan Underground)	
Direct Examination by Mr. Ausherman	338
Cross-Examination by Mr. Kellahin	382
Examination by Commissioner Lee	400
Examination by Chairman Wrotenbery	403
Examination by Commissioner Bailey	412
Further Examination by Mr. Ausherman	417
<u>JOHN M. MERCIER</u> (Senior mine geologist, San Juan Coal Company)	
Direct Examination by Mr. Bruce	419
Cross-Examination by Mr. Kellahin	434
Examination by Commissioner Bailey	438
<u>PAUL C. BERTOGLIO</u> (Petroleum engineer, RM Energy)	
Direct Examination by Mr. Bruce	439
Cross-Examination by Mr. Kellahin	452
Examination by Commissioner Bailey	466
Examination by Commissioner Lee	467
Examination by Chairman Wrotenbery	471
Redirect Examination by Mr. Bruce	474
Recross-Examination by Mr. Kellahin	476
REPORTER'S CERTIFICATE	483

* * *

CUMULATIVE INDEX OF EXHIBITS

Richardson	Identified	Admitted
Exhibit A		
1	14	59
2	39	59
3	40	59
4	-	59
5	40	59
6	41	59
7	43	59
8	43	59
9	45	59
10	45	59
11	45	59
12	46	59
13	46	59
14	47	59
15	49	59
16	49	59
17	49	59
18	50	59
19	50	59
20	52	59
21	53	59
22	53	59
23	54	59
24	-	59
25	55	59
26	56	59
27	56	59
28	57	59
29	57	59

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

Richardson	Identified	Admitted
Exhibit B		
1	88	113
1-A	89	113
2	91	113
3	98	113
4	100	113
5	102	113
6	105	113
7	111	113
Exhibit C		
1	132	196
1-A	128	196
2	134	196
3	144	196
4	148	196
5	149	196
6	154	196
7	157	196
8	160	196
9	164	196
10	165	196
11	167	196
12	168	196
13	168	196
14	170	196
15	171	196
16	172	196
17	174	196
18	176	196
19	176	196
20	177	196

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

Richardson	Identified	Admitted
Exhibit C		
21	177	196
22	178	196
23	179	196
24	180	196
25	180	196
26	184	196
27	19	196
28	189	196
29	193	196

* * *

San Juan Coal Company	Identified	Admitted
Exhibit 1	258	300
Exhibit 2	264	300
Exhibit 3	264	300
Exhibit 4	264	300
Exhibit 5	265	300
Exhibit 6	265	300
Exhibit 7	270	300
Exhibit 8	271	300
Exhibit 9	272	300
Exhibit 10	273	300
Exhibit 11	277	300
Exhibit 12	277	300
Exhibit 13	292	300
Exhibit 14	344	380
Exhibit 15	348	380
Exhibit 16	363	380
Exhibit 17	367	380
Exhibit 18	368	380

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

San Juan Coal Company	Identified	Admitted
Exhibit 19	373	380
Exhibit 20	338	380
Exhibit 21	421	434
Exhibit 22	-	451
Exhibit 23	-	-
Exhibit 24	-	-
Exhibit 25	68	69
Exhibit 26	-	-
Exhibit 27	-	-
Exhibit 28	-	-
Exhibit 29	422	434
Exhibit 30	425	434
Exhibit 31	428	434
Exhibit 32	429	434
Exhibit 33	438	439
Exhibit 34	444	451
Exhibit 35	448	451
Exhibit 36	444	451
Exhibit 37	451	451
Exhibit 38	-	-
Exhibit 39	-	-
Exhibit 40	-	-
Exhibit 41	-	-
Exhibit 42	-	-
Exhibit 43	-	-
Exhibit 44	-	-
Exhibit 45	-	-
Exhibit 46	-	-
Exhibit 47	-	-
Exhibit 48	-	-

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

San Juan Coal Company	Identified	Admitted
Exhibit 49	-	-
Exhibit 50	-	-
Exhibit 51	-	-
Exhibit 52	-	-
Exhibit 53	-	-
Exhibit 54	-	-
Exhibit 55	-	-
Exhibit 56	-	-
Exhibit 57	-	-
Exhibit 58	-	-
Exhibit 59	-	-
Exhibit 60	-	-

* * *

Additional submission by San Juan Coal Company, not offered or admitted:

Identified

Line of cross-sections to Mr. Mercier's Exhibits 30 and 31	481
---------------------------------------------------------------	-----

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

STEPHEN C. ROSS
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South Saint Francis Drive
Santa Fe, New Mexico 87505

FOR RICHARDSON OPERATING COMPANY:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR SAN JUAN COAL COMPANY:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.C.
500 Fourth Street, NW
NationsBank Tower, Suite 1000
P.O. Box 2168
Albuquerque, New Mexico 87103-2168
By: LARRY P. AUSHERMAN

CHARLES E. ROYBAL
Counsel, BHP Minerals
BHP Coal New Mexico
300 West Arrington, Suite 200
Farmington, New Mexico 87401

* * *

1 WHEREUPON, the following proceedings were had at
2 9:06 a.m.:

3 CHAIRMAN WROTENBERY: Are you ready?

4 MR. AUSERMAN: We are.

5 CHAIRMAN WROTENBERY: Okay, then let's get
6 started.

7 Tom, are you finished --

8 MR. KELLAHIN: Madame Chairman --

9 CHAIRMAN WROTENBERY: -- with your --

10 MR. KELLAHIN: -- we have completed our direct
11 presentation to the Commission.

12 CHAIRMAN WROTENBERY: Okay, thank you.

13 MR. AUSERMAN: Madame Chairman, our first
14 witness is Lynn Woomer of San Juan Coal Company.

15 CHAIRMAN WROTENBERY: Mr. Woomer.

16 MR. WOOMER: Good morning.

17 CHAIRMAN WROTENBERY: Good morning.

18 Go ahead.

19 LYNN R. WOOMER,
20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. AUSERMAN:

24 Q. Mr. Woomer, please state your name and
25 occupation.

1 A. My name is Lynn R. Woomer. I'm the technical
2 services coordinator of the San Juan Coal Company Projects
3 Development Group.

4 Q. Where did you go to school?

5 A. I have a bachelor of science degree in forestry
6 from Southern Illinois University and a master's in
7 forestry with an emphasis on soils and land reclamation
8 from Stephen F. Austin State University.

9 Q. What was your work after school?

10 A. After school I spent about 13 years in the public
11 sector, working primarily with land reclamation programs,
12 code-administration type of programs, for the States of
13 Missouri, Colorado and Montana.

14 Q. Did those positions involve regulatory matters?

15 A. Yes, they did, primarily coal administration and
16 reclamation laws.

17 Q. When did you begin working at San Juan Coal
18 Company?

19 A. I began working -- Actually, I came on with BHP
20 Billiton with the Navajo Mine in 1995, November of 1995. I
21 transferred to San Juan in April of 1996.

22 Q. You've referred to BHP Billiton. Is that
23 affiliated with San Juan Coal Company?

24 A. Yes, it is. Actually, BHP Billiton is the parent
25 company, headquartered out of Melbourne, Australia.

1 Q. And you mentioned Navajo Mine. Is that a San
2 Juan Coal Company mine?

3 A. It's a sister mine of -- a sister company of the
4 San Juan Coal Company called Navajo Coal Company.
5 Basically they operate the Navajo Mine on the Navajo Indian
6 Reservation.

7 Q. So BHP Billiton is the parent, and BHP Navajo
8 Coal Company operates Navajo Mine, and San Juan Coal
9 Company operates San Juan Mine?

10 A. Yes, and also San Juan Coal Company operates La
11 Plata mine as well.

12 Q. How long has your work with San Juan Coal Company
13 focused on the underground project?

14 A. I started out with the underground project from
15 the outset of permitting, which would be back in the summer
16 of 1997.

17 Q. And were those responsibilities to initiate
18 development of the underground mine which has been referred
19 to in these proceedings?

20 A. Yes.

21 Q. Could you tell the Commissioners your
22 responsibility for the San Juan Underground Mine?

23 A. Well, initially when I started on with the San
24 Juan Projects Development Group, we were trying to permit a
25 pilot mine, a demonstration mine, a mine basically -- just

1 to determine whether or not it was feasible to mine coal
2 underground in our area.

3 The pilot mine was permitted -- Actually, we
4 submitted the permit application package or the permit
5 revision package around midsummer, and then that was
6 approved in September of 1997.

7 Also at about the same, we started putting
8 together our strategy and our plan for accumulating
9 environmental baseline data for the larger mine operation.

10 Q. Are you generally familiar with all aspects of
11 developing the underground mine?

12 A. Yes, from a permitting perspective, yes.

13 Q. Have you been involved with the coordination of
14 negotiations to resolve conflicts with gas producers?

15 A. Yes, I have. Actually, that's one of my major
16 tasks in this current position, is the oil and gas
17 negotiations.

18 Q. How many people does San Juan Underground Mine
19 employ?

20 A. Once it's up to full production we predict we'll
21 be employing about 300 people, of which about 50 percent
22 will be native American, primarily Navajo.

23 Q. Is BHP Billiton one of the top employers in San
24 Juan County?

25 A. Yes, it is. As I understand, we're one of the

1 top five employers in the county.

2 Q. Now, San Juan Coal Company had a mine just
3 immediately west of the underground mine for a number of
4 years, did they not?

5 A. Yes.

6 Q. And that was known as the San Juan Mine at the
7 time?

8 A. Correct.

9 Q. Why transition from that mine to an underground
10 mine?

11 A. Well, what's happened here, we actually -- as I
12 alluded to earlier, we actually have -- originally had two
13 surface mines. We had the La Plata Mine, which is about 22
14 miles up the haul road from San Juan Mine, and then we have
15 San Juan Mine.

16 The transition -- At least originally, we were
17 geared towards surface coal mining. The transition has
18 recently occurred as a result of our strip ratio. In other
19 words, the coal is getting deeper and we're having to
20 excavate through more overburden in order to get to the
21 coal. So it's not as economically feasible to operate
22 using surface mining techniques as compared to underground
23 mining techniques.

24 Q. Would you turn to San Juan Coal Company Exhibit 1
25 in the exhibit notebook and orient the Commissioners to the

1 location of the key features on that map, which is entitled
2 San Juan Mine General Vicinity Map?

3 A. Okay, actually you can see there's an indication
4 there, immediately to the west of the orange area, that's
5 identified as the San Juan Mine, which is the San Juan
6 Generating Station. That's the power plant that we
7 actually feed all our coal to.

8 Originally, as I indicated, we had two surface
9 mines. One is La Plata Mine, which is up in the --
10 basically the far upper right corner, and between La Plata
11 Mine and San Juan is a 22-mile haul road called La Plata
12 Haul Road. As I said, originally we also had a surface
13 mine at San Juan Mine.

14 The underground mine is immediately to the right
15 of the orange area identified as San Juan Mine. We have
16 two areas there. One is the Deep Lease, and an area
17 further to the east which is referred to as the Deep Lease
18 Extension.

19 Also you might note on this mine, immediately to
20 the west of the Deep Leases is a small circle, red circle,
21 which indicates or identifies the Underground Pilot Mine.

22 The mine is actually physically located
23 approximately 16 miles to the west of Farmington, New
24 Mexico.

25 Q. Mr. Woomer, what is the status of closure of the

1 La Plata and San Juan surface mines that we see in the
2 orange on this map?

3 A. In regard to the San Juan Mine, we no longer are
4 mining using surface mining techniques. There's two
5 techniques of underground mining there at this point in
6 time. One is highwall mining, the other is the longwall
7 underground mining technique.

8 La Plata Mine, on the other hand, I believe that
9 as of the most recent information that's been provided
10 we've got about 500,000 more tons of surface coal to remove
11 from La Plata Mine, then La Plata Mine will officially
12 close down, probably -- Right now what they're predicting
13 is probably around January, February of next year.

14 Q. So in the very near future there will be no more
15 production from San Juan surface mine or from La Plata
16 surface mine?

17 A. Correct.

18 Q. Are those two mines the sole source of coal for
19 what we see on this map as the San Juan Generating Station?

20 A. Yes, that is correct.

21 Q. So the underground mines are designed to replace
22 that as the sole source of coal?

23 A. Yes.

24 Q. Could you tell us a little bit about the San Juan
25 Generating Station?

A. The San Juan Generating Station, basically, as I indicated earlier, we provide all the coal to the station. The station employs, as I understand, a little more than 400 employees. It's the second largest power plant in the State of New Mexico and provides power to a number of locations throughout the State of New Mexico. The plant is actually owned by Public Service Company of New Mexico.

Q. What if the surface mines are closed and the underground mine became unoperational for some reason? Does San Juan Generating Station have a source of coal, other than from San Juan Coal Company?

A. No. No, they don't.

Q. Is there rail access to San Juan Generating --

A. No, there is no rail access. The only possibility, which is extremely remote, would be to accelerate coal mining at the Navajo Mine. But then you have to figure out a way to get the coal north to the power plant, which is a major hurdle.

Q. Who operates the San Juan Generating Station?

A. Public Service Company of New Mexico.

Q. And was PNM involved with the decision to shift from surface operations to the underground operations?

A. Yes, they were.

Q. And what were their concerns that related to the shift?

1 A. Well, obviously they're concerned about the price
2 of coal. There was a number of other projects that were
3 being debated at that time too. We were looking at a
4 couple of alternative surface mining projects. One would
5 have been to extend the existing La Plata Mine to the north
6 into the Southern Ute Indian Reservation. Another was a
7 smaller project called Black Diamond Mine. But their
8 primary concern is obviously the price of coal. And in our
9 estimation through the Projects Development Group, we felt
10 that this particular project, the longwall underground
11 mine, would result in a cheaper price for the coal on a
12 per-ton basis.

13 Q. Had the surface mines continued to operate, would
14 the price of coal become increasingly higher?

15 A. Yes.

16 Q. And what effect would that have on the rate
17 payer?

18 A. Well, ultimately, you know, the majority of the
19 costs are passed on to the power plant, and ultimately it
20 would end up, you know, in the laps of the rate payers.

21 Q. So the higher the coal, as a general proposition,
22 the more the rate payers pay for electricity?

23 A. Correct.

24 Q. Are PNM's coal sales that they've purchased from
25 San Juan Mine governed by a contract?

1 A. Yes, they are.

2 Q. The contract is with San Juan Mine?

3 A. Yes, San Juan Coal Company.

4 Q. San Juan Coal Company.

5 For how long does PNM's commitment to buy coal
6 from the San Juan Coal Company extend?

7 A. The existing contract extends through 2017.

8 Q. Another 15 years or thereabouts?

9 A. Correct.

10 Q. How much coal do you estimate would be supplied
11 from the new underground mine to San Juan Generating
12 Station over the life of the underground mine, or at least
13 over the life of that contract, until 2017?

14 A. Over the life of the contract we're talking
15 approximately 100 million tons of coal.

16 Q. Focusing on the Deep Lease and the Deep Lease
17 Extension, what are the coal leases that are the source for
18 the coal that you're mining there?

19 A. The source for the coal is what we call the 8
20 Seam, which is -- you know, as a surface mining operator,
21 we have a multiple-seam operation, we mine both the upper
22 seam, which is the 9 Seam, as well as the lower seam.

23 In the underground operation we're focusing
24 strictly on the 8 Seam, which is the basal coal seam.

25 Q. Are there leases that are the subject of

1 operations?

2 A. Yes.

3 Q. What are -- I refer you to San Juan Exhibits 2
4 through 5 in your exhibit book.

5 A. Okay.

6 Q. Do you recognize those?

7 A. Yes, I do.

8 Q. What are they?

9 A. Well, Exhibit 2 is a copy of our lease agreement
10 for the Deep Lease, which was effective as of April 1st,
11 1980.

12 Q. And the Deep Lease is the lease to the west on
13 the general vicinity map which is Exhibit 1?

14 A. Correct.

15 Q. And what is Exhibit Number 3?

16 A. Exhibit Number 3 is the coal lease agreement for
17 the Deep Lease Extension, which is that area immediately to
18 the east of the Deep Lease. This lease was effective March
19 1st, 2001.

20 Q. And what is Exhibit Number 4?

21 A. Exhibit Number 4 is a lease agreement with the
22 State of New Mexico, it's a coal-leasing agreement for
23 Section 32.

24 Q. And that's the section that was pointed out
25 yesterday on Exhibit A-1; is that correct?

1 A. Correct, and that's in the lower portion of the
2 Deep Lease Extension, is where that's located.

3 Q. And what is Exhibit Number 5?

4 A. Exhibit Number 5 is our State coal lease for
5 Section 36, which is a section that lies in our Deep Lease
6 area.

7 Q. I refer you to San Juan Exhibit Number 6. Do you
8 recognize that?

9 A. Yes, I do.

10 Q. What is it?

11 A. Basically, this exhibit shows highlighted in
12 yellow the infill area that Richardson Operating Company is
13 currently applying for. It also shows highlighted in blue
14 the underground mine area. The area immediately on the far
15 left of the map that's highlighted in blue would be the
16 Deep Lease. The area immediately to the right of that,
17 also highlighted in blue, would be the Deep Lease
18 Extension.

19 Q. Now, immediately to the west of the Deep Lease,
20 on the left side of this map, would be the old San Juan
21 underground mine that we've seen on Exhibit 1; is that
22 correct?

23 A. That is correct.

24 Q. And immediately to the west of that is the San
25 Juan Generating Station?

1 A. Yes.

2 Q. And just to clarify, the San Juan Generating
3 Station is operated by PNM, I believe you testified, but it
4 is also owned by PNM and other participants; is that
5 correct?

6 A. That is correct.

7 Q. Now, moving back to the east, to this map, the
8 Richardson leasehold interests are shown in yellow?

9 A. Correct.

10 Q. Richardson infill is shown in a cross-hatched
11 line?

12 A. That is correct.

13 Q. And you've testified that the San Juan lease area
14 is shown in blue?

15 A. Correct.

16 Q. So most of the Richardson leases fall outside of
17 the mine area; is that correct?

18 A. That is correct, yes.

19 Q. And many of the Richardson leases are within the
20 infill area but outside the mine area; is that correct?

21 A. Correct, yes.

22 Q. About how many acres are there in the underground
23 mine area?

24 A. There's approximately 9600 acres within the areas
25 known as the Deep Lease and Deep Lease Extension.

1 Q. And the infill area extends beyond that to the
2 south and the east, as shown on this map?

3 A. Correct.

4 Q. Does coal extend into that area on this map which
5 is east of the eastern boundary of the Deep Lease
6 Extension?

7 A. Yes, it does.

8 Q. Is that the same seam that you're mining in the
9 Deep Lease and the Deep Lease Extension?

10 A. Yes, it is.

11 Q. Do you have reason to believe that there are
12 significant quantities, minable quantities of coal there?

13 A. Yes, we do have reason to believe that there are
14 significant reserves in that area.

15 Q. And what's the basis of your view on that point?

16 A. Well, the basis of that view is that, you know,
17 our geologists have actually looked at some oil and gas
18 logs and, you know, we know that the coal seam, the
19 existing coal seam, continues to extend to the east of the
20 immediate mine area.

21 Q. So you have -- Do you have a leasehold to the
22 east of the immediate mine area?

23 A. No, we don't.

24 Q. But do you have an interest, long-term, in
25 pursuing that coal beyond the eastern boundary of the Deep

1 Lease Extension into that area on the east on this map?

2 A. Yes, we do.

3 Q. Now, that eastern area where there's coal but you
4 don't have a lease has been referred to in previous
5 proceedings as the Twin Peaks area; is that correct?

6 A. Yes.

7 Q. And the Twin Peaks area that San Juan is
8 interested in extends for two sections to the east of the
9 eastern boundary of the Deep Lease Extension; is that
10 right?

11 A. That is correct.

12 Q. Were you involved in San Juan Coal Company's
13 acquisition of the Deep Lease Extension, the easternmost
14 area of this blue coal lease area shown on the map?

15 A. Yes, I was.

16 Q. What was the first step in acquiring the Deep
17 Lease Extension from the United States?

18 A. Well, the first step was to file an application
19 with the Bureau of Land Management, which was done in the
20 summer of 1997.

21 Q. When was the lease actually issued by the BLM to
22 San Juan Coal Company?

23 A. The lease was issued in March of 2001.

24 Q. So it was about three and a half years?

25 A. That is correct.

1 Q. Why did it take three and a half years to go from
2 the point of applying for the lease to actually being
3 granted the lease?

4 A. Well, there's a couple of things there. One is
5 that the BLM had to go through a process of amending the
6 existing Resource Management Plan, which also involved a
7 rather extensive environmental assessment.

8 Secondly, you know, there had to be a big process
9 that was gone through, and actually San Juan Coal Company's
10 initial bid was not accepted, and so it was extended even
11 further for the second round of the bidding process.

12 Q. You need to bid to the BLM in order to obtain an
13 open-bidding process?

14 A. Correct.

15 Q. Were there also significant permitting activity
16 in this intervening three and a half years?

17 A. Yes, there was.

18 Q. What did that entail?

19 A. That entailed -- Basically what we had to do was,
20 we had to amend or revise our existing surface mine permit
21 to allow for underground mining. What that involved is
22 attempting to permit the 9600 acres that would be within
23 the immediate mine area for underground mining. That
24 involved extensive environmental baseline survey work, you
25 know, everything from archaeology to ground water, surface

1 water, vegetation, wildlife, soils et cetera.

2 Once the environmental baseline information was
3 accumulated, which took approximately a year or so, you
4 know, we had to put the text together for the application.
5 The application actually was submitted in January of 1999
6 to the Mining and Minerals Division, State of New Mexico,
7 and it consisted of a total of six volumes.

8 Q. I refer you, Mr. Woomer, to San Juan Exhibit
9 Number 7. Do you recognize that document?

10 A. Yes, I do.

11 Q. What is it?

12 A. This document is San Juan Coal Company's approval
13 of our underground permit revision application by the State
14 of New Mexico Mining and Minerals Division.

15 Q. So this was the culmination of this stage of the
16 permitting process that you were describing?

17 A. Correct.

18 Q. You mentioned also in this three and a half years
19 was a bid process, actually two bid processes because the
20 first one was rejected. What was the amount of San Juan's
21 bid for the Deep Lease Extension that was accepted by the
22 BLM?

23 A. I believe it was \$13 million.

24 Q. In preparing for the hearing today, you have
25 summarized some of the benefits to the public that San Juan

1 Coal Company expects to flow from the underground mine,
2 have you not?

3 A. Yes.

4 Q. Would you turn to Exhibit 8? Does this contain
5 your summary?

6 A. Yes, it does.

7 Q. Would you describe it for us?

8 A. Basically what we're indicating here is that, you
9 know, we've spent upwards of \$150 million in capital
10 investment on gearing up for the underground project.

11 Also, this once again indicates that we at full
12 production will be employing approximately 300 people
13 associated with the underground mine, and the payroll for
14 those 300 people would be around \$33 million.

15 It also indicates that we are the sole supplier,
16 San Juan Coal Company is the sole supplier of coal to the
17 San Juan Generating Station, which is operated by Public
18 Service Company of New Mexico, which is one of the largest
19 suppliers of -- well, the San Juan Generating Station is
20 one of the largest suppliers of electricity in the state,
21 and that plant employs over 400 employees.

22 Also, it indicates that we pay approximately \$50
23 million in federal and state taxes and royalties, and
24 that's paid by San Juan Coal Company.

25 Q. In addition to this exhibit which summarizes

1 public benefit, have you also prepared a summary of
2 estimated coal royalty revenues --

3 A. Yes.

4 Q. -- for an underground mine?

5 A. Yes, we have.

6 Q. I show you -- Or would you turn to Exhibit 9 in
7 the notebook? Is that your summary?

8 A. Yes, it is.

9 Q. Would you describe that for us?

10 A. Basically what this states is that between the
11 two federal leases and state leases within the underground
12 immediate mine area, we will be mining approximately 100
13 million tons of coal through the life of the contract with
14 San Juan Generating Station, which extends through 2017.

15 There's a potential royalty of \$250 million.
16 That's based on an 8-percent royalty base. Also, out of
17 that \$250 million, approximately 50 percent of that or \$125
18 million would go to the State of New Mexico.

19 From the state leases, estimates of projected
20 production and royalties of about 10 million tons of coal
21 would result in \$25 million in royalties, based on the
22 8-percent royalty base to the State of New Mexico.

23 And lastly here, we're suggesting that there's
24 significant federal coal reserves existing adjacent to the
25 immediate mine area as well, primarily to the east of the

1 immediate mine area.

2 Q. That would be the Twin Peaks area that you've
3 discussed?

4 A. Correct.

5 Q. Now, you have testified that you have been
6 involved in the transition from the surface mine to the
7 underground mine, and I would like to show you a blow-up of
8 what is in the exhibit notebook as Exhibit 10. Do you
9 recognize that?

10 A. Yes, I do.

11 Q. What is it?

12 A. This is a -- basically a map of our mine plan for
13 the underground mine area.

14 Q. Can you orient the Commission to, generally, the
15 two things that are depicted on that map?

16 A. Sure. Basically the map shows here this western
17 area would, once again, be identified as our Deep Lease
18 area. The area to the east would be identified as our Deep
19 Lease Extension. The map also shows in green Richardson
20 Operating Company's existing leases within the immediate
21 mine area. It also shows the well locations, both
22 producing as well as waiting on completion as well as
23 staked locations.

24 Within the mine area it also shows our panel
25 alignment. Over here it shows basically where our main

1 portal entry is.

2 Q. And when you say "over here", you mean the --

3 A. Yeah, immediately to the west of the Deep Lease.

4 Q. And it's that green windowpane pattern?

5 A. Right, the green area actually indicates here the
6 areas that we've actually developed. And what we've
7 developed so far is indicated on the map as we develop our
8 gate roads for our first panel, which is Panel 101.

9 Q. And those are shown in green going to the south?

10 A. Correct.

11 CHAIRMAN WROTENBERY: I'll just note for the
12 record that in our exhibit books it appears that color is a
13 little different. It's more blue.

14 THE WITNESS: Yes, I noticed that.

15 CHAIRMAN WROTENBERY: Okay.

16 THE WITNESS: Anyway, also the green area
17 indicates not only the gate road development but also the
18 primary main development from our primary portal area.

19 Q. (By Mr. Ausherman) And the primary main
20 development is the area that's going from the west to the
21 east?

22 A. Correct.

23 Q. And the gate roads go from north to south?

24 A. Correct.

25 Q. And they're depicted in the color on the western

1 part of the map.

2 Now, there are also squares that are shaded
3 throughout the -- with a cross-hatching, throughout the San
4 Juan Mine area. Can you describe what those squares are?
5 Are those the actual panels?

6 A. Yes, basically what we have is, we have a number
7 of what's called mining districts, and basically each
8 mining district is made up of several panels.

9 For instance, our first mining district, which
10 would be labeled in the hundreds, 101, 102, 103, those
11 would be individual panels within that mining district. So
12 we have three panels in our first mining district.

13 Our second mining district would be immediately
14 to the east, and that would be our 200 panels, so 201, 202,
15 203 and 204 and so on.

16 We've got a total of seven panels identified
17 within our immediate mine area -- I'm sorry, seven mining
18 districts with a number of panels per mining district.

19 Q. And when you refer to a panel, could you show the
20 Commission on the map an example of a coal panel?

21 A. A fairly decent example of a coal panel and one
22 that we've recently started mining with our longwall
23 equipment would be Panel 101.

24 Q. And that's this --

25 A. This panel right here, that is highlighted.

1 Q. LW-101?

2 A. Yeah, LW-101. Basically that is -- The periphery
3 is identified in green on the exhibit, but in the exhibit
4 in the book it's identified in blue. The panel is
5 approximately 10,000 feet long and 1000 feet wide.

6 Q. In what direction is that panel mined?

7 A. Mining is progressing from south to north.

8 Q. In that area?

9 A. Correct.

10 Q. And the panel to the north of there would
11 progress from north to south?

12 A. That is correct, yes.

13 Q. What are those squares within the panel you've
14 just described with dates written on them? And I know that
15 the Commission can't see the dates from that distance, but
16 can you describe generally what those squares depict?

17 A. Basically what they depict is just an individual
18 block of coal, and it gives a date in which we predict that
19 we're going to actually mine that coal.

20 Q. Through what machinery will you be mining the
21 coal in both the panels and removing the coal from the gate
22 roads and passageways?

23 A. The gate roads here around the panels and the
24 passageways are the primary mains to be mined with
25 continuous miners, whereas once we develop the gate roads

1 around each individual panel, we will be progressing coal
2 recovery with longwall mining equipment.

3 Q. Two vastly different types of apparatus, correct?

4 A. Correct.

5 Q. Let me refer you to your exhibit notebook again,
6 in particular Exhibit Number 12 -- I'm sorry, Exhibit
7 Number 11. Do you recognize that?

8 A. Yes, this exhibit shows a continuous miner.

9 Q. Can you give the Commission an idea of scale?
10 How big is this?

11 A. Well, the cutting head or the cutting drum on
12 this machine is around ten feet wide.

13 Q. So this machine is a lot smaller than what you've
14 referred to as the longwall miner?

15 A. Correct.

16 Q. And the purpose of this machine is to develop the
17 windowpane pattern that we see shown in green on that map
18 or blue on the map that's in the witness notebook?

19 A. That's correct.

20 Q. And the reason you use it for that is, it's more
21 maneuverable; is that a fair statement?

22 A. That's a fair statement, yes.

23 Q. If you would, turn to Exhibit 12 in the witness
24 notebook. What is that?

25 A. This actually shows the longwall mining

1 equipment. It also depicts the extent of the coal that
2 we'll be mining through in an individual panel. As I
3 indicated earlier, the panel is 10,000 feet long and about
4 1000 feet wide.

5 The longwall consists of three primary pieces of
6 equipment. One is a shearer which actually cuts the coal.
7 Then you can see there the shields which support the roof,
8 and then our conveyor immediately behind the shearer, which
9 conveys the coal out onto the primary conveyor belt.

10 Q. This is an enormous piece of equipment. What
11 this shows is that it's essentially 1000 feet long?

12 A. That's correct. And actually we have, I believe,
13 about 187 shields to support the roof.

14 Q. Then in addition you see that there's a conveyor
15 system going off in the direction depicted on this longwall
16 face cutaway as Coal Direction?

17 A. Correct.

18 Q. Why did San Juan Coal Company choose this
19 longwall mining method to mine the underground mine?

20 A. Well, the primary reason is, it's a highly
21 productive piece of equipment. And in order to meet our
22 commitments to the San Juan Generating Station, as
23 indicated earlier, we need to mine -- well, I guess maybe -
24 - well, I'm not sure if we got to this or not, but
25 6 1/2 to 7 million tons of coal per year is what we mine,

1 and this piece of equipment can certainly mine that amount
2 of tonnage, and even more if necessary.

3 Q. So taking a look at Exhibit Number 10 on the
4 easel, in the coal panel you're using for illustrative
5 purposes, LW-101, this 1000-foot-wide longwall miner would
6 begin at the southern portion of that coal panel and mine
7 all the way back to the north, to the gate road; is that
8 correct?

9 A. That is correct.

10 Q. And that would be what, about --

11 A. In that one individual panel, which is 10,000
12 feet long and 1000 feet wide, we would mine that entire
13 expanse of coal in approximately a year, and probably be
14 able to achieve our annual coal tonnage within that one
15 panel area.

16 Q. One panel? As you're mining with this longwall
17 miner apparatus -- and this is just an introduction; the
18 next witness, Jacques Abrahamse, will be testifying in much
19 more detail about the longwall miner -- but how many coal
20 seams do you mine with this longwall apparatus?

21 A. We mine just one coal seam, the 8 Seam, which is
22 the basal coal seam.

23 Q. So the 8 Seam and the basal coal seam that we
24 heard referred to yesterday is the same?

25 A. Correct.

1 Q. We heard yesterday that there a number of seams
2 and small stringers and the like above this big Number 8
3 Seam. Will the Coal Company be mining those?

4 A. No.

5 Q. Why is that?

6 A. Well, I believe it's because they're not
7 economically recoverable. The longwall can't mine a seam
8 that's less than 7 1/2 feet in thickness. The 9 Seam, I
9 believe, is somewhere around 5 to 6 feet; I'm not real sure
10 on that.

11 Q. Could you describe for the Commission the
12 characteristics of this Number 8 Seam that the Coal Company
13 will be mining?

14 A. The Number 8 Seam, I believe throughout the life
15 of the mine we're talking about an average mine recovery of
16 around 10 feet. That's going to vary anywhere between 9 to
17 13 feet. In our initial mining district, the Mining
18 District Number 1, the actual average thickness of coal in
19 that particular area is somewhere between 13 and 14 feet
20 thick.

21 Q. Is this particular coal deposit that are on San
22 Juan Coal Company's Deep Lease and Deep Lease Extension
23 considered to be a particularly promising one?

24 A. Yes.

25 Q. In some respects, it's been described as a world-

1 class coal deposit; is that correct?

2 A. That is correct.

3 Q. Despite that characterization and despite its
4 promise, there are some challenges in the development of
5 this particular coal seam, are there not?

6 A. Yes, there are.

7 Q. And what are those?

8 A. Well, we've got a number of geologic and
9 engineering conditions that tend to present a few
10 challenges to us. One is that we have pockets of fairly
11 elevated H₂S, hydrogen sulfide.

12 We also -- In our risk analysis and our
13 feasibility study, one of the major risks that were
14 identified was spontaneous combustion.

15 We also have a highly corrosive mining
16 environment as a result of the H₂S and the microbial-type
17 of reaction or sulfur-reducing bacteria.

18 We also have the issue of a number of wells
19 within the immediate mine area.

20 Q. Leaving the wells aside for a moment and focusing
21 on these other engineering and technical concerns, were you
22 aware of the extent of those concerns and those challenges
23 when the mine was on the drawing board, or was that more
24 something that you became aware of as you progressed in
25 these initial stages of the mine?

1 A. I believe in some instances, for instance the
2 H₂S, we had done enough drilling where we identified the
3 pockets. There are a number of pockets, but it's gotten to
4 the point where, you know, I believe we're encountering
5 much more than we ever expected.

6 The corrosive environment was an issue that has
7 been exacerbated as we've progressed in the underground
8 mining activity.

9 Another thing that I failed to mention earlier is
10 our roof conditions. You know, we knew that -- You know,
11 and we're leaving a couple of feet of coal for our roof
12 support. The strata immediately above that coal is
13 consisting of weakly laminated mudstones and shales and so
14 forth. We knew we were going to have a weak roof, but I
15 believe that issue has also come to light here recently as
16 being exacerbated beyond our predictions.

17 Q. Let me refer you to Exhibit Number 12 again in
18 the notebook, and I also think we have a blowup of that.
19 I'd like to ask you a few questions about wellbores.

20 If you were to imagine a wellbore penetrating
21 what's shown on this Exhibit 12 as a coal seam, would that
22 pose difficulties for the longwall mining apparatus?

23 A. Yes, it would.

24 Q. Can you describe what those difficulties would
25 be?

1 A. Well, first of all, if we don't own the well or
2 don't have the rights to the well we'd have to basically
3 move around the wellbore. According to MSHA requirements,
4 the Mine Safety and Health Administration requirements, we
5 cannot encroach within 300 feet of an existing wellbore
6 without re-entering the well, milling out the casing within
7 the basal coal seam and plugging the well from bottom to
8 top with expanding type of cement.

9 So therefore, if we don't have rights to the
10 well, then we can't re-enter it, we can't plug it according
11 to those standards. Therefore we have to skirt around it,
12 we have to bypass a block of coal.

13 Q. So as you're coming to a well, one option is to
14 disassemble the longwall and try to move around that well.
15 But you mentioned that you would do that if the well were
16 not plugged and abandoned. So I guess the second option,
17 then, would be if the well were plugged and abandoned.
18 What would you do then?

19 A. If the well were plugged and abandoned
20 appropriately, we had milled out the casing within the
21 basal coal seam, cemented it and so forth, we could mine
22 right through it.

23 Q. Well, let's talk a little bit more about these
24 two issues, and again Mr. Abrahamse will be discussing
25 these in greater detail. But let's talk first about the

1 theoretical option of disassembling the longwall and trying
2 to bypass a wellbore in the block of coal. Are there
3 operational problems that would entail with the 1000-foot-
4 long longwall apparatus?

5 A. Yes, there are. As you can see, this is a
6 massive piece of equipment. In just a standard longwall
7 move, we're removing the longwall equipment from one panel
8 to the next. It's a rather overwhelming undertaking, you
9 know. The average -- And we don't know right now because
10 we just started the mining activity, but other mines it
11 takes upwards of a month to move this equipment from one
12 panel to the next.

13 So if we had to bypass a block of coal because
14 there is an existing wellbore, we would have to shut down
15 the longwall miner. It would take us about a month to
16 relocate the equipment ahead of the wellbore. And prior to
17 that, we would have to use our continuous miners to develop
18 a setup room where we could actually set up the longwall
19 equipment.

20 Q. So from an operational point of view, is moving
21 this 1000-foot-long piece of equipment and stopping
22 production for a month a feasible thing?

23 A. It can be done, but it's extremely expensive and
24 it's -- you know, as I said, it has a major impact on our
25 production rates.

1 Q. How does MSHA -- that is, the Mine Safety and
2 Health Administration -- define the amount of coal you need
3 to leave around a wellbore if you were to attempt to bypass
4 it?

5 A. Basically, the way it's defined in the
6 regulations is that we have to leave a barrier, a 300-foot-
7 diameter barrier, from the wellbore, from the location of
8 the wellbore to our existing mine workings.

9 Q. For a total of 600 feet in all directions; is
10 that correct?

11 A. Correct.

12 Q. I'm sorry, you said diameter? Did you mean
13 radius?

14 A. Diameter from the wellbore to our existing
15 workings.

16 CHAIRMAN WROTENBERY: Which is usually -- Well,
17 the distance, then, from the wellbore to --

18 THE WITNESS: That's right.

19 CHAIRMAN WROTENBERY: -- the workings, okay.

20 MR. KELLAHIN: That would be a radius.

21 CHAIRMAN WROTENBERY: A radius or a --

22 THE WITNESS: Yeah, so it's the same thing as a
23 radius, basically.

24 Q. (By Mr. Ausherman) And MSHA has been in contact
25 with you about how to measure that, have they not?

1 A. Correct. What we had to go through there is, we
2 had to go through what's called a petition for
3 modification. We had to file that petition with the Mine
4 Safety and Health Administration in order to encroach, you
5 know, within 300 feet of a wellbore. And in that petition,
6 you know, it's fairly well defined.

7 Q. And MSHA has interpreted your requirements to be
8 to leave 300 feet from the wellbore to your face; is that
9 correct?

10 A. Correct, correct.

11 Q. And you need to follow MSHA's interpretation of
12 the regulations?

13 A. That is correct.

14 Q. Now, I have some questions about the second
15 alternative that you referred to, that upon coming to a
16 well, if it were plugged and abandoned you could mine
17 through it. What are the difficulties with plugging and
18 abandoning the well in order to mine through it?

19 A. Well, the difficulties are, as I alluded to
20 earlier, is that we have to own the well, obviously, in
21 order to go in it and mill out the casing and plug the well
22 with expanding type of cement. That's obviously a pretty
23 costly process. As a matter of fact, we've actually re-
24 entered three wells thus far -- which are not coalbed
25 methane wells; they were all Gallup wells that had already

1 been previously plugged and abandoned -- and it is a fairly
2 expensive process.

3 Q. If the well that you seek to mine through has
4 been frac'd before it was plugged and abandoned during its
5 producing history, does that pose additional safety
6 concerns?

7 A. Yes, it does.

8 Q. And although Mr. Abrahamse will be discussing
9 this in greater detail, as an introduction what concerns do
10 those pose?

11 A. Well, actually two concerns potentially. One
12 would be compromising the stability of the roof in the
13 mine, and secondly just enhancing the possibility of
14 spontaneous combustion.

15 Q. Now, there could be some wells in the coal seam
16 that are already plugged and abandoned, old wells?

17 A. Correct.

18 Q. As to those, what approvals would you need in
19 order to mine through those wells?

20 A. Well, regardless of whether or not they've been
21 plugged and abandoned, we still need to re-enter those
22 wells and plug them according to MSHA standards.

23 Q. And would it be the BLM you would be working with
24 to do that?

25 A. That is correct.

1 Q. And is that a relatively simple procedure --

2 A. It has been, yes.

3 Q. -- for those wells?

4 A. Yes.

5 Q. Now, for an active well, perhaps one of Mr.

6 Richardson's wells, that has not been plugged and

7 abandoned, are you able to mine through that well without

8 some agreement from Mr. Richardson, for example?

9 A. No, we're not.

10 Q. Have you been trying to reach an agreement with

11 Mr. Richardson for a buyout of his wells in the mine area?

12 A. Yes, we have.

13 Q. Have you made an offer --

14 A. Yes, we have --

15 Q. -- to Mr. Richardson?

16 A. -- made an offer.

17 Q. That was for the buyout of the wells in the mine
18 area?

19 A. Correct.

20 Q. And you've been unsuccessful in reaching
21 agreement on a buyout value, I take it, or we wouldn't be
22 here today?

23 A. That is correct, yeah.

24 Q. Yesterday we learned that Mr. Cox had not

25 reviewed the mine's desorption data. Has the company made

1 that data available to Mr. Richardson and Mr. Cox?

2 A. Yes, we have made that data available. Actually,
3 you know, following the extension of our initial offer, Mr.
4 Richardson had indicated he'd like to do his own valuation
5 on his wells within the immediate area, and during the
6 course of that valuation I had indicated to Mr. Richardson
7 that whatever data he'd like to request, we'd be willing to
8 provide that data.

9 Q. And this would include the backup data for
10 desorption testing?

11 A. That is correct, and we did actually provide some
12 data.

13 Q. Now, Mr. Abrahamse will be testifying to this, to
14 safety concerns, in greater detail. But as a general
15 introduction, the safety concerns you've testified to of
16 frac'ing a well in the coal seam relate to spontaneous
17 combustion?

18 A. Uh-huh.

19 Q. Have you known from the beginning about this
20 concern of spontaneous combustion in the coal seam, or is
21 this something that the company concluded after planning
22 for the mine was underway for some time?

23 A. This is something that we concluded after
24 starting development of the underground mine.

25 Q. What was -- Before learning of the potential for

1 spontaneous combustion, what was the mining company's views
2 about the acceleration of gas development as a solution to
3 this problem?

4 A. Well, at that point in time -- and that was prior
5 to the summer of 2000, I believe -- basically we felt that
6 -- you know, we knew that we were going to de-gas ahead of
7 the mine, so we felt that continued production, continued
8 well drilling and development might be beneficial to our
9 efforts to de-gas ahead of mining. So basically at that
10 point in time we were promoting additional well development
11 and production in the mine area.

12 Q. Did the time come when you concluded that that
13 was not a solution to this conflict?

14 A. Yes.

15 Q. When did that occur?

16 A. That occurred in the summer of -- I believe I
17 said 2000 earlier. It was actually the summer of 2001.

18 Q. And what prompted that change of view?

19 A. Well, what prompted that change of view is, we
20 had an absence of a fairly significant area of expertise,
21 and that had to do with ventilation engineering. And we
22 brought a ventilation engineer on staff, Jacques Abrahamse,
23 during that summer, and that's when the issue came up that
24 this, you know, continued well development and hydraulic
25 fracturing might have an impact on the safety and continued

1 operation of the mine.

2 Q. And that impact relates in large part to
3 spontaneous combustion?

4 A. Yes, it does.

5 Q. So what's the worst case? What happens if you
6 have a spontaneous combustion event in the mine?

7 A. Worst case, you know, we might have to shut the
8 mine down.

9 Q. And there could be --

10 A. And there could be, you know, some fatalities and
11 injuries associated with that mine fire.

12 Q. And these are the concerns that Mr. Abrahamse was
13 raising?

14 A. Correct.

15 Q. And were his concerns primarily about the
16 frac'ing of the wells?

17 A. Yes.

18 Q. Now, in the Powder River Basin and in surface
19 mines, it's common to have agreements to accelerate gas
20 development in advance of coal, isn't it?

21 A. As I understand, yes.

22 Q. Are there concerns about frac'ing and mine safety
23 in those surface mines?

24 A. No, there are not.

25 Q. Frac'ing is a concern, and the accumulation of

1 gas, that's and underground mine concern?

2 A. Yes, it's unique to underground mining.

3 Q. Now, we've heard that a number of the wells that
4 Mr. Richardson proposes are recompletions of old wells.
5 Would fractures in the coal seam from re-entry of an
6 existing wellbore, perhaps originally completed to a lower
7 formation, pose safety concerns as well?

8 A. Yes, they would.

9 Q. Does the magnitude of the problem caused by
10 wellbores in the coal seams, for the coal mining company,
11 increase as you put more wells and more fracs into the coal
12 seam?

13 A. Yes, it does.

14 Q. And why is that?

15 A. Well, for several reasons. The more coalbed
16 methane wells that we encounter out there, the more
17 hydraulic fracturing that's occurring, the more -- the
18 greater the potential for encountering unstable roof
19 conditions as well as spontaneous combustion.

20 Q. Let me ask you to turn to Exhibit 13.

21 A. Okay.

22 Q. Have you prepared an estimate of the amount of
23 coal that is bypassed, or that would have to be bypassed
24 according to MSHA requirements and other operational
25 concerns to avoid active wellbores?

1 A. Yes, we have.

2 Q. Does this summarize that study?

3 A. It does.

4 Q. Would you explain the top half of this Exhibit 13
5 to us?

6 A. Okay, the top half --

7 Q. The top half, the wellbore half.

8 A. Okay, the top half, basically, is just an
9 illustration of a block of coal we would have to
10 potentially bypass if we were unable to reach a settlement
11 with the gas producers.

12 What this depicts is a block of coal 600 feet
13 long, 1000 feet wide and 13 feet thick that potentially
14 would have to be bypassed, for a total of 333,000 tons of
15 bypassed coal with a potential lost royalty of \$800,000.

16 Q. And that's at an 8-percent royalty rate?

17 A. Correct. And then also on top of that, it would
18 result in a delay in longwall mining activities because of
19 having to relocate the longwall, do an additional setup
20 room and so forth.

21 Q. Let me ask you, if I may, about the dimensions of
22 this top half of the diagram. It's 1000 feet long, and
23 what does that 1000 feet correspond to on the longwall face
24 cutaway exhibit that's on the --

25 A. Basically what that corresponds to is just the

1 width of the block of coal, which is 1000 feet wide.

2 Q. Okay. Then the next dimension which you see on
3 this graphic is 600 feet. How does that relate to the 300-
4 foot barrier you testified to before?

5 A. Well, basically what MSHA is indicating is, we
6 can't get within 300 feet of that wellbore. So basically
7 we're leaving 300 feet on either side of the wellbore --

8 Q. When you say MSHA --

9 A. -- for a total of 600 feet.

10 Q. When you say MSHA is indicating this, this a
11 result of your discussions with the MSHA regulators?

12 A. That is correct.

13 Q. Now let's go, if we could, to the bottom half of
14 this exhibit, which is Bypassed Coal Panels. Could you
15 describe what this depicts?

16 A. Well, this depicts a couple of scenarios where we
17 have maybe several wells in our gate roads within an
18 individual panel, and then potentially several wells within
19 the panel itself.

20 The bottom line here is that if there's too many
21 wells within the panel, there's a potential that we might
22 abandon all efforts to retrieve the coal within that panel.
23 The reason for that is, as I indicated before, because of
24 the delays in having to bypass wells because of the
25 expense. We just -- It would not be economically feasible

1 to recover the coal in a panel that had, you know, three or
2 more wells within the panel, for instance, or a couple of
3 wells within the gate roads.

4 Q. When you say a couple of wells within the gate
5 roads, that would be the scenario depicted on the left at
6 the bottom of this exhibit?

7 A. That is correct.

8 Q. And wells in the coal panel are depicted on the
9 right?

10 A. Correct.

11 Q. So how many million tons of coal would be
12 bypassed if you had to bypass an entire panel?

13 A. As indicated earlier, at least in our first
14 mining districts, our panels are 10,000 feet long and 1000
15 feet wide, and we're mining approximately 13 feet of coal
16 in thickness. Based on that, about 5 1/2 million tons of
17 coal would have to be bypassed in one of these panels, with
18 over \$13 million in potential lost royalties.

19 Q. Yesterday Mr. Richardson testified, I think, that
20 there were about 20 existing wells within the coalbed in
21 your coal leases already. Now, if some of those wells are
22 plugged and abandoned or are wells that are to deeper
23 formations so that there is no frac'ing in the coalbed
24 itself, do those penetrations pose a great problem for the
25 Coal Company?

1 A. No, not an insurmountable problem, no.

2 Q. So the greater problem is the wells that are
3 frac'd into the coalbed?

4 A. Correct.

5 Q. Let me ask you a few questions about the venting
6 of gas from mine operations. Is the venting of gas from
7 the San Juan Underground Mine a necessary part of the
8 mining operation?

9 A. Yes, it is.

10 Q. And why is that?

11 A. Well, basically we have to de-gas the mine in
12 order for our work force to work in the underground
13 workings safely.

14 Q. I know Mr. Abrahamse will be testifying right
15 after you in detail about these safety concerns and
16 ventilation in the mine, but generally is the venting of
17 gas common at underground mines?

18 A. Yes, it is, it's an absolute requirement. As a
19 matter of fact, we have to submit a ventilation plan to
20 MSHA for their review --

21 Q. And has MSHA --

22 A. -- and approval.

23 Q. -- approved your ventilation plan?

24 A. Yes, they have.

25 Q. Why does the mining liberate gas? What is it

1 about it that causes the gas to be liberated?

2 A. Well, as we're cutting coal we're releasing gas
3 into the underground mine workings, and with our
4 ventilation system, which is an exhaust system, we're
5 exhausting the gas through the mine entries or through our
6 ventilation shaft.

7 Q. You mentioned the ventilation shaft as one way
8 the mine is de-gassed. Are there a couple of other routes
9 by which gas is vented from the mine?

10 A. Potentially, yes. As a matter of fact, in the
11 first panel, this Panel 101, we have -- we drilled a total
12 of six gob vent boreholes. And once we retrieve coal or
13 recover coal within the location of a gob vent borehole,
14 then we'll start venting gas through that borehole.

15 Q. So there's gob vent boreholes, and then there's
16 some de-gassing in advance of mining?

17 A. That's correct.

18 Q. And do you know what quantity of gas will be
19 liberated in the future from these de-gassing operations?

20 A. No, we don't. That's something that we're
21 currently studying, as a matter of fact.

22 Q. But you don't have the numbers about what has
23 occurred just in the brief time that the mine has been
24 operational to date, I guess.

25 A. Yes.

1 Q. And what's the -- I know this is not your primary
2 expertise, but what's your understanding of the range
3 historically over the last several months?

4 A. The range, as I understand from our monitoring
5 activities at the entries, would be anywhere between
6 800,000 and a million cubic feet of gas liberated per day.

7 Q. Now, you have recently gone from developing these
8 gate roads, which has been ongoing for quite some time, to
9 actually mining coal. When did the longwall apparatus
10 first get up and running?

11 A. I believe October 15th was when we initially
12 started cutting coal.

13 Q. So we're looking 15 days ago?

14 A. Correct.

15 Q. So your experience on what's going to happen with
16 the longwall is certainly preliminary at this point?

17 A. Correct.

18 Q. Now, there's been some discussion about the
19 ability to capture gas that the Coal Company vents from
20 mining. What would be the constraints on the Coal
21 Company's ability to capture this gas at the surface, that
22 it currently is required by MSHA to vent?

23 A. Well, the primary constraint would be that we
24 don't own the gas, so we can't capture the gas, you know,
25 without the ownership.

1 Q. Are there safety concerns?

2 A. In capturing the gas?

3 Q. Yes.

4 A. Not that I know of, no.

5 Q. Are there concerns about accumulating the gas in
6 pipes, trying to collect it, and associated safety and
7 operational concerns associated from that, that the Company
8 is considering?

9 A. We've discussed that, we've considered that.
10 There potentially could be some safety concerns, I suppose.

11 Q. And that's still under review?

12 A. Yes, it is.

13 Q. That's not your particular area of expertise; you
14 just know that from discussions within the company?

15 A. Correct.

16 Q. At this stage, does the company know whether it
17 will be ultimately feasible to recover the gas that MSHA
18 requires to be vented from the mine and capture it?

19 A. No, as I indicated earlier, we're currently
20 studying that to see what the feasibility is in capturing
21 the gas.

22 Q. Does methane gas get liberated in the process of
23 mining coal by surface methods as well?

24 A. If we're surface mining?

25 Q. Uh-huh.

1 A. Oh, of course.

2 Q. There's gas -- same gas in the coal, it's just
3 being liberated to the air in surface mining?

4 A. Exactly.

5 Q. So in that respect an underground mine is not
6 unique in its liberation of gas; a surface mine liberates
7 that as well?

8 A. That is correct.

9 Q. If coalbed methane development were to go first,
10 can you say that conventional CBM wells would recover as
11 much gas as what is liberated by mining?

12 A. No, I couldn't see that.

13 Q. The mine acts as an enormous frac, you've
14 testified before?

15 A. Yes, uh-huh.

16 Q. And so it may well be that gas liberated through
17 the mining operation would never be collected through
18 coalbed methane wells, I take it?

19 A. Possibly, yes.

20 MR. AUSERMAN: I would move the introduction of
21 San Juan Exhibits 1 through 13

22 CHAIRMAN WROTENBERY: Any objection?

23 MR. KELLAHIN: No objection.

24 CHAIRMAN WROTENBERY: San Juan Exhibits 1 through
25 13 are admitted into evidence.

1 And you're ready to pass the witness to --

2 MR. AUSHERMAN: I am, Madame Chairman.

3 CHAIRMAN WROTENBERY: -- Mr. Kellahin?

4 Go ahead.

5 MR. KELLAHIN: Thank you.

6 CROSS-EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. Woomer, when San Juan Coal acquired the Deep
9 Lease, was it their anticipation at that time that they
10 would utilize the longwall mining technology?

11 A. Yes.

12 Q. And when San Juan Coal Company acquired the Deep
13 Lease Extension, was it still your intention to utilize the
14 longwall mining technology?

15 A. Yes, it was.

16 Q. When you obtained the Deep Lease Extension in
17 March of last year -- I think it was what? 2001, was it?

18 A. That's correct.

19 Q. -- 2001, you obtained that lease subject to
20 certain stipulations, did you not?

21 A. Yes.

22 Q. One of those stipulations is based upon the fact
23 that San Juan Coal does not own the coalbed methane gas,
24 right?

25 A. I believe that is a correct statement.

1 Q. And under the lease stipulations it's your
2 obligation, and not the BLM's, to resolve any problems in
3 removing the coal and impairing the rights of the oil and
4 gas lessee?

5 A. One could interpret the stipulation as suggesting
6 that, yes.

7 Q. When we look at Exhibit 1-A from yesterday, I've
8 made a mistake in extending both the Deep Lease and the
9 Deep Lease Extension a row of sections too far to the
10 south, right?

11 A. That is correct, yes.

12 Q. And if the green line is horizontal to the
13 township intersections, that would be correct?

14 A. Yes.

15 Q. Okay. When we look at the Deep Lease area,
16 there's an area shaded in that shows mine districts?

17 A. Yes.

18 Q. To the best of your knowledge, is that shading
19 correct?

20 A. It appears to be, yes.

21 Q. When we look at the Deep Lease Extension, does
22 that shading appear to be correct?
23]Yes.

24 Q. When we look at that shading, can you tell me in
25 what mine district you're currently commencing the longwall

1 mining as of the 15th of this month?

2 A. Yes, we're commencing in Mining District 1, which
3 is this district to the far west side of the Deep Lease.

4 Q. And the plan, then, would -- to be on the east
5 side of that district and move to the west?

6 A. Yes.

7 Q. The Mine Safety Health Administration -- MSHA is
8 the anachronism?

9 A. Yes.

10 Q. We talked about that a while ago. -- that's the
11 federal agency that has rules --

12 CHAIRMAN WROTENBERY: I think it's an acronym
13 instead of --

14 MR. KELLAHIN: What did I call it? An accident?

15 CHAIRMAN WROTENBERY: Anachronism.

16 (Laughter)

17 MR. KELLAHIN: Close enough, right?

18 CHAIRMAN WROTENBERY: Close enough.

19 Q. (By Mr. Kellahin) MSHA --

20 A. Uh-huh.

21 Q. -- that's the federal agency that has rules and
22 regulations concerning mine safety, correct?

23 A. That is correct, yes.

24 Q. Within the mine lease area, and pursuant to your
25 mine plan, MSHA has rules and regulations that obligate San

1 Juan Coal Company to abide by, right?

2 A. That is correct, yes.

3 Q. Those rules and regulations set forth
4 requirements for dealing with roof support and stability,
5 do they not?

6 A. That is also correct.

7 Q. And those rules and regulations by MSHA include
8 provisions regarding ventilation?

9 A. Yes.

10 Q. And they also concern rules and regulations about
11 the presence of methane gas?

12 A. Uh-huh, yes, sir.

13 Q. Do those rules and regulations as amended take
14 into consideration the San Juan Coal Company's mining plan
15 to use the longwall mining technology?

16 A. Yes.

17 Q. And pursuant to those rules and regulations, MSHA
18 has determined that it is safe to mine the coal, provided
19 that the mine workings stay at least 300 feet away from an
20 existing oil or gas well?

21 A. That is correct, yes.

22 Q. So that distance component is what MSHA tells you
23 will be a safety factor to satisfy any concerns about roof
24 stability, correct?

25 A. Not about roof stability, no.

1 Q. How about roof support?

2 A. No.

3 Q. So the 300-foot radius around that wellbore to
4 keep you away from it does not serve the purpose of the
5 MSHA regulations to allow you, then, to mine the balance of
6 the coal?

7 A. I'm sorry, I didn't follow that. Can you repeat
8 that?

9 Q. Let's start over.

10 A. Okay.

11 Q. MSHA has got rules in place on roof support,
12 ventilation, stability, all these mine-safety issues,
13 right?

14 A. That's correct.

15 Q. And they said you can use the longwall
16 technology, provided you have a buffer or a protection
17 column around an existing wellbore that will have a radius
18 of 300 feet from the nearest workings that you engage in?

19 A. Yes, but that has nothing to do with roof
20 stability.

21 Q. At the time that San Juan Coal Company was
22 developing and committing resources or planning to commit
23 resources, I think you said you had committed about \$150
24 million to the project?

25 A. That is correct, to date, yes.

1 Q. What portion of that commitment had been made by
2 San Juan Coal before Mr. Abrahamse came on board as your
3 ventilation engineer?

4 A. I guess I really couldn't say for sure.

5 Q. When did he come on board, do you know?

6 A. He came on board in the summer of 2001.

7 Q. So prior to the summer of last year --

8 A. Uh-huh.

9 Q. -- had you taken into consideration the questions
10 about ventilation within the mine plan and concept?

11 A. In concept, yes.

12 Q. The specific details and concerns you now express
13 were brought to you by Mr. Abrahamse?

14 A. That is correct.

15 Q. And his concerns were articulated by you when you
16 sent the letter to the BLM that's dated August 31st of last
17 year, opposing Richardson's four APDs that were pending at
18 that time?

19 A. Yes.

20 Q. You incorporated into that protest or opposition
21 Mr. Abrahamse's concerns about safety that he's articulated?

22 A. Yes.

23 Q. The MSHA rules and regulations have procedures
24 regarding spontaneous materials and spontaneous combustion,
25 do they not?

1 A. I believe they do, yes.

2 Q. Have you expressed to MSHA all your concerns
3 about the presence of gas wells in the mine area that may
4 impact your operations?

5 A. I'm really not sure that has been expressed to
6 MSHA, especially in regard to our concerns with hydraulic
7 fracturing.

8 Q. Did you express any of those concerns about
9 hydraulic fracturing when you had MSHA -- you filed the
10 amended petition with MSHA to amend your project?

11 A. No, we didn't express those concerns.

12 Q. Am I correct in understanding, then, that the 30-
13 foot setback from the wellbore is a condition that MSHA
14 believes will satisfy all the safety concerns of
15 underground coal mining in association with gas or oil
16 wells?

17 MR. AUSHERMAN: Just a point of clarification --

18 THE WITNESS: Three hundred foot.

19 MR. AUSHERMAN: -- it's not --

20 Q. (By Mr. Kellahin) Three hundred feet.

21 A. Yeah. I would assume that that would be the
22 focus of MSHA's modification for petition approval, yes.

23 But as I said earlier, really there was nothing
24 brought up at that point, even when we filed the petition,
25 regarding our concerns with hydraulic fracturing related to

1 coalbed methane wells.

2 Q. Have you contacted MSHA again to further modify
3 your approvals to raise that issue with them?

4 A. I am not clear on that, but I do not believe that
5 we have.

6 Q. What's your understanding of who owns the gas
7 that's being vented?

8 A. The gas that's being vented? It's my
9 understanding that as a coal mine we have the right to vent
10 the gas.

11 Q. It's not your gas, though?

12 A. We don't own the gas, no.

13 Q. Within the coal gas lease, there's no claim by
14 San Juan Coal that they own the gas being vented?

15 A. No, we haven't laid claim to the gas, no.

16 Q. Prior to initiating the longwall mining process,
17 what was the volume of vented gas being reported to MSHA on
18 a daily basis?

19 A. It's my understanding we don't report that on a
20 daily basis to MSHA. We do record that on the mine level.
21 But on a daily basis, as I indicated previously, it ranges
22 anywhere from 800,000 to a million cubic feet per day being
23 vented.

24 Q. While MSHA allows you to vent the coalbed
25 methane, they also require you to measure that and to

1 report those measurements to MSHA?

2 A. I believe -- That might be something you'd want
3 to ask Jacques, but I believe that it is a requirement that
4 we monitor the gas levels.

5 Q. Now that you've commenced the longwall mining
6 process, has the amount of vented gas increased?

7 A. No, it hasn't, not to my knowledge.

8 Q. Do you have a contact with MSHA that you can
9 share with us that could verify the amounts of gas being
10 reported by San Juan Coal that's being vented?

11 A. I think that's probably a better question for Mr.
12 Abrahamse to answer.

13 Q. Are you aware that MSHA records show that you're
14 reporting 2.3 million cubic feet of gas being vented on a
15 daily basis at this point?

16 A. I'm sorry, can you say that again?

17 Q. Are you aware that your company is reporting that
18 you're now venting 2.3 million cubic feet of gas from your
19 coal-mining operations as we speak?

20 A. No, I am not aware of that.

21 MR. AUSERMAN: Just as a point of --

22 MR. KELLAHIN: You don't --

23 MR. AUSERMAN: -- clarification, "as we speak"
24 meaning today?

25 MR. KELLAHIN: On a daily basis, as of today?

1 THE WITNESS: We have reported to MSHA.

2 MR. AUSHERMAN: Yeah.

3 THE WITNESS: No, I am not aware of that.

4 Q. (By Mr. Kellahin) Do you pay royalties to either
5 the federal government or the State of New Mexico on the
6 gas vented?

7 A. No, we don't.

8 Q. Are you paying Mr. Richardson or any of the
9 working interest owners in the oil and gas leases any
10 interest for the gas vented?

11 A. No, we're not.

12 Q. As part of your mine plan, MSHA will allow you to
13 mine through the area within 300 feet of a gas well,
14 provided you do certain things; is that not what you told
15 us a few minutes ago?

16 A. Yes, it is.

17 Q. All right.

18 A. Yeah.

19 Q. Tell us again what you're allowed to do in order
20 to mine the coal that is now in this pillar around an
21 existing Fruitland Coal gas well, for example.

22 A. Well, according to the approved modification for
23 petition that we have through MSHA, we have to re-enter the
24 wellbore, we have to mill out the well casing within the
25 target coal seam, and then we have to plug the well with

1 expanding type of cement from bottom to top.

2 Q. Let's look at Exhibit 1-A. Mr. Woomer, when we
3 look into the mine districts, I count seven mine districts
4 for the mine?

5 A. Yes, that's correct.

6 Q. Within the mine district, Mr. Richardson's
7 Application proposes the drilling of three new coal gas
8 wells; the mine company is objecting to those three?

9 A. That is my knowledge, yes.

10 Q. That's your company's position?

11 A. Yes.

12 Q. With regards to the PC wells that he proposes to
13 recomplete into the coal and to fracture-stimulate -- those
14 are indicated in blue within the mine-district area -- your
15 company is opposed to those?

16 A. Yes, we are.

17 Q. Is your company opposed to Mr. Richardson's new
18 wells that are on either of the deep lease or the shallow
19 lease that's outside of the area that you're mining?

20 A. As I indicated earlier, you know, we do have
21 concerns regarding the area immediately to the east of us,
22 because that area which we had referred to as the Twin
23 Peaks is an area of obvious expansion of the mine
24 activities.

25 Q. All right, let's talk about areas south of the

1 township line, which, if you adjust the boundaries of the
2 lease, the area south, do you have an objection to those
3 wells that are outside of your lease area to the south?

4 A. Well, it's my understanding that we're objecting
5 to the whole Application, but obviously those wells are not
6 within the designated mine location, so I would think that
7 we wouldn't have a tremendous objection to those existing
8 wells.

9 Q. In Section 36, state lease in this township, Mr.
10 Richardson proposes to recomplete a well in the coal in the
11 southeast quarter of that section. The Mine District 7
12 extends into the top 60 acres, I guess, or 40 acres of that
13 section. Do you object to Mr. Richardson having activity
14 anywhere in Section 36 that's outside Mine District 7?

15 A. That's Section 32?

16 Q. Thirty-two --

17 A. Yes.

18 Q. -- outside of 7.

19 A. You know, the only thing I can say is that we are
20 objecting to the entire Application.

21 Q. So when we get over on the east side, and Mr.
22 Richardson has a row or a column of sections that are east
23 of the eastern boundary of the deep lease extension, San
24 Juan Coal is objecting to that column of sections and the
25 wells he's proposing?

1 A. Yes.

2 CHAIRMAN WROTENBERY: Mr. Kellahin, while we're
3 here could we clarify what the Twin Peaks area is? We've
4 talked about it, but I don't think we have --

5 MR. KELLAHIN: I'm just about there.

6 CHAIRMAN WROTENBERY: Okay, great.

7 Q. (By Mr. Kellahin) The Twin Peaks area you've
8 described would be the column of townships I've just
9 identified to the east of the east boundary of the Deep
10 Lease Extension and the next row farther east; is that
11 right?

12 A. Two sections to the east of the Deep Lease
13 Extension, yes.

14 Q. So if we take the two rows of sections east of
15 this green boundary, we're now in this Twin Peaks Extension
16 area?

17 A. That is correct.

18 CHAIRMAN WROTENBERY: Are we talking about a
19 total of eight sections in the Twin Peaks area?

20 THE WITNESS: Yes. Yes, we are.

21 Q. (By Mr. Kellahin) Let's read the section
22 numbers, make sure I'm not misspeaking, because I'm really
23 good at misspeaking. 15, 16, 21, 22, 28, 27, 33 and 34.
24 Did I get all of them?

25 A. Yes.

1 Q. Are you aware, Mr. Woomer, that the Division has
2 allowed oil and gas wells to have a density of four wells
3 per section under the new order they issued on October
4 15th, that would allow four wells to a section within the
5 eastern portion of what you're calling the Twin Peaks
6 Extension?

7 A. Four coalbed wells per section, yes. Yes, I am
8 aware of that.

9 Q. What's the position of your company concerning
10 taking a *de novo* hearing on the Commission order that was
11 issued on infill drilling of the underpressured area?

12 A. You mean for the Basinwide?

13 Q. Yes, sir.

14 A. We're currently studying that, and I don't know
15 exactly what our position is there.

16 Q. Have you made a decision as to whether or not to
17 appeal the Examiner order as to what he's allowed to be
18 infill drilling?

19 A. I can't say that for sure, no.

20 Q. So at this point that order, unless you appeal it
21 and get it altered, approves increased well density in the
22 coal in all areas near you, with the exception of the
23 Richardson area that's outlined in red?

24 A. Can you say that once again? I'm sorry.

25 Q. The infill order --

1 A. Yes.

2 Q. -- just issued --

3 A. Uh-huh.

4 Q. -- specifically excludes Richardson's Application
5 area?

6 A. Correct, yes.

7 Q. When we talk about the protection pillars around
8 a gas well, Mr. Woomer, and the opportunity to drill up to
9 300 feet of the mine working, and your approval from MSHA
10 to vent the coalbed methane gas, what do you think is going
11 to happen to the gas production out of that gas well once
12 you vent the gas?

13 A. As we encroach --

14 Q. Yes, sir.

15 A. -- to the 300-foot barrier?

16 Q. Yes, sir.

17 A. I guess that's kind of out of my area of
18 expertise.

19 Q. Are you a mining expert by degree?

20 A. I guess you could say so, yes. I'm not a mining
21 engineer, but --

22 Q. By degree?

23 A. Not by degree, no.

24 Q. Your degree is in forestry?

25 A. That is correct, I have two degrees in forestry.

1 Q. Do you hold a degree in oil and gas engineering?

2 A. No, I don't.

3 Q. Do you hold a degree in oil and gas geology?

4 A. No, I don't.

5 Q. Do you hold a degree in any mining discipline?

6 A. Only from the land-rehabilitation perspective.

7 Q. You talked a moment ago about the fact that you
8 had provided Richardson with some of the data on the
9 desorption measurements from San Juan Coal Company's coal
10 core tests?

11 A. No, we didn't provide that because it wasn't
12 requested. We provided some other data. We provided some
13 lithologic data, as well as coal thickness data, to Mr.
14 Cox.

15 Q. Am I correct in understanding that that data was
16 provided to Mr. Cox pursuant to potential settlement
17 evaluations of your offer and it was subject to a
18 confidentiality agreement?

19 A. That is correct, yes.

20 Q. You're negotiating with Mr. Richardson to
21 purchase these wellbores and to buy what can be agreed upon
22 as the value of the gas to be produced?

23 A. Yes.

24 Q. And you're doing that because of the obligations
25 of your coal leases?

1 A. That's one of the reasons, yes.

2 Q. Let me take you back to your Exhibit 13.

3 A. Okay.

4 Q. When we look at 13, it shows 13 feet of typical
5 coal thickness on there?

6 A. Yes.

7 Q. Mr. Hively yesterday was using 14 feet when he
8 was measuring that basal coal that you're mining in?

9 A. Uh-huh.

10 Q. Is there an appreciable difference between what
11 you've shown us to be 13 feet and what he had as 14 feet?

12 A. No, not appreciable.

13 Q. This longwall mining contraption, how big a coal
14 portion of the seam can it mine?

15 A. It can mine anywhere from 7 1/2 feet to 13 feet
16 of coal.

17 Q. All right, so the minimum distance is 7 1/2?

18 A. Correct.

19 Q. And so it's capable of being adjusted so that it
20 could take out all this basal coal seam?

21 A. Up to 13 feet, yes.

22 Q. Okay. Am I correct in understanding that prior
23 to Mr. Abrahamse coming on board with the Coal Company, the
24 Company's position was to have the methane gas production
25 accelerated by the gas operators in the mine area, such as

1 Mr. Richardson?

2 A. That is correct.

3 Q. And that after Mr. Abrahamse came on board you've
4 changed your position on that and no longer want the
5 additional wells drilled or frac'd in the area we've
6 described?

7 A. Yes.

8 Q. Mr. Woomer, is there criteria that you can
9 provide us that demonstrates why you have not taken other
10 portions of the Deep Lease or the Deep Lease Extension and
11 proposed mine districts in those areas?

12 A. Yes, there are criteria. Would you like me to
13 describe those?

14 Q. For example, when we look in Section 29, the west
15 half of that section is in Mine District 7. The eastern
16 portion substantially is not to be mined, correct?

17 A. Can I just look --

18 Q. You bet.

19 A. -- at our exhibit real quick? That is correct,
20 yes.

21 Q. All right. So within your Deep Lease and your
22 Deep Lease Extension, you have excluded portions of the
23 coal that you're not going to mine? Is that because the
24 basal coal is now too shallow to mine using your longwall
25 mining, in terms of thickness?

1 A. There could be a couple of reasons there --

2 Q. Tell us what they are.

3 A. -- Mr. Kellahin. One is that there is a thin
4 zone of coal that extends through the Deep Lease Extension.
5 That thin zone averages somewhere around seven feet of
6 coal. Now, we have committed to mining that coal
7 ultimately, using continuous miners.

8 The other reason might be that -- you know, that
9 basically what we're seeing here is an adequate plan to
10 mine 100 million tons of coal in order to meet our
11 contractual agreements through 2017.

12 Q. And to meet those contractual commitments, then,
13 there is a volume of coal that you've calculated that's
14 minable that's satisfied within the seven mine districts?

15 A. Correct. What I can't say for sure is why we
16 excluded, for instance, the eastern half of Section 29.

17 Q. All right, sir. Can you tell us why you excluded
18 any other of the lease portions of the Deep Lease or the
19 Deep Lease Extension that are not subject to the mine
20 district currently displayed?

21 A. Well, I can tell you that this area here, through
22 Section 18, 19, 30, 31 and I believe into Section 32 as
23 well, we have what I refer to as the thin zone. These
24 areas, these -- This is a little exaggerated here in terms
25 of the distance between the mining districts, but we leave

1 a barrier pillar between our mining districts.

2 MR. KELLAHIN: Thank you, Mr. Woomer, that
3 concludes my questions.

4 EXAMINATION

5 BY COMMISSIONER BAILEY:

6 Q. You mentioned that the San Juan and the La Plata
7 mines were the only ones that furnished coal to the San
8 Juan Generating Plant --

9 A. Correct.

10 Q. -- and that the Navajo Mine does not?

11 A. No, they don't.

12 Q. What is the market for the coal from the Navajo
13 Mine?

14 A. The Navajo coal goes to the APS Four Corners
15 Power Plant.

16 Q. What distance is that?

17 A. I believe the power plant is over 20 miles away
18 from the San Juan Generating Station. The mine, the Navajo
19 Mine, is probably greater than 20 miles, 25 miles possibly.

20 Q. I'm a little confused. Are you saying that it's
21 a shorter distance to the APS than it is to the San Juan
22 from the Navajo Mine?

23 A. No, no, what I'm saying is that the location of
24 the Navajo Mine to San Juan Mine -- to the San Juan
25 Generating Station, is greater than 20 miles.

1 Once again, Navajo Mine is a mine-to-mouth
2 operation. So in other words, they haul their coal
3 directly to the generating plant, the Four Corners
4 generating plant. So it's right there immediately adjacent
5 to the mine, to the Navajo Mine.

6 Q. Okay, and all of their coal is contracted to that
7 power plant?

8 A. Yes, it is.

9 Q. There's been some discussion about spontaneous
10 combustion.

11 A. Yes.

12 Q. That's not necessarily characteristic of
13 underground mines, though, is it? Doesn't Navajo Mine have
14 a history of spontaneous combustion?

15 A. Well, yes. As I said, in our feasibility study,
16 our risk-assessment study, we identified spon com as one of
17 the larger hazards. And yes, our coal at San Juan Mine, as
18 well as at Navajo Coal Company, are -- you know, keen on
19 spontaneous combustion. We see that in our stockpiles
20 periodically, as a matter of fact.

21 Q. Okay. We have a request for the mechanism for
22 spontaneous combustion, whether it's underground or surface
23 mining.

24 A. The mechanism?

25 Q. Yes.

1 A. Well, it's a combination -- and this is, you
2 know, a little bit out of my area, but it's a combination
3 of oxidation and hydration of the coal that results in coal
4 fires.

5 But I think in terms of specific, you know,
6 details of spontaneous combustion and the reasons behind
7 it, Mr. Abrahamse could answer those questions more
8 thoroughly.

9 Q. Great, thank you. You characterized the roof of
10 the mine as a shaly sand. You, in fact, even said it was a
11 weak roof because of its lithology.

12 A. What we do, ma'am, is, we leave behind a couple
13 of feet of coal, which is considered our roof stratum.
14 That's what basically exists in our roof. Above that two
15 feet of coal or so is weakly laminated sand- -- or not
16 sandstones but mudstones and shales.

17 Q. So wouldn't you have to take precautions anyway,
18 for roof instability?

19 A. We do. We do take significant precautions to
20 support our roof, as is -- I guess what I'm saying in terms
21 of the hydraulically fractured areas, you know, could we
22 even support the roof, you know, in those areas? It's hard
23 to say, we haven't mined through a fractured area thus far.

24 Q. Okay, so it's speculative at this point?

25 | A. To a certain degree, yes.

1 Q. Exhibit 9 talks about the royalties to be paid.
2 Have you applied to the BLM for a coal royalty reduction?

3 A. Yes, we have.

4 Q. To what point would that affect the figures that
5 you give here?

6 A. We have applied for a reduction from 8 percent to
7 5 percent.

8 Q. So how much lower would that be here?

9 A. From 250 million -- You know, without a
10 calculator I couldn't tell you for sure. But I believe
11 what we're estimating is a savings of \$70 to \$80 million.
12 So possibly \$180 million or something like that.

13 COMMISSIONER LEE: A hundred sixty.

14 THE WITNESS: A hundred sixty.

15 Q. (By Commissioner Bailey) You talked very
16 generally about mining through wellbores, and I sit here
17 and I count wellbores, not only in the Fruitland but all
18 the other formations.

19 A. Yes.

20 Q. And in fact the figure 71 different wellbores was
21 thrown around yesterday?

22 A. I believe a figure of 76.

23 Q. Seventy-six?

24 A. Yes.

25 Q. How many of those wellbores do you have rights

1 to?

2 A. We don't have rights to any of the existing
3 wellbores. The ones that were historically plugged and
4 abandoned, you know, as I said we've actually re-entered
5 those wells and -- three of those wells and plugged and
6 abandoned those, but had to go through an application
7 process with the BLM in order to do that.

8 Q. So you've only obtained rights to three wellbores
9 within these two areas?

10 A. That is correct.

11 Q. And a big question: On state sections you are
12 aware that we lease coalbed methane as part of our oil and
13 gas lease; is that right?

14 A. Yes, I am aware of that.

15 Q. Which means that the beneficiaries expect royalty
16 payments for all coalbed methane that's produced from state
17 resources?

18 A. (Nods)

19 Q. Are you saying that with venting that San Juan
20 Coal Company expects to do, that no royalties would be paid
21 to the state beneficiary?

22 A. I guess, ma'am, all I'm saying is that as I
23 understand the existing laws and so forth, we do have the
24 right to vent the gas, you know, as part of our underground
25 mining activities. I'm not saying that we have ownership

1 to the gas, I'm just saying that we do have the right to
2 vent the gas.

3 Q. Without compensation to the royalty owners?

4 A. As was indicated earlier, we're attempting to
5 arrive at some sort of reasonable compensation.

6 COMMISSIONER BAILEY: Those are all the questions
7 I have.

8 THE WITNESS: Okay, thank you.

9 EXAMINATION

10 BY CHAIRMAN WROTENBERY:

11 Q. I have a few more on some of those same points,
12 and since we were just talking about the venting or the de-
13 gassing as you described it at one point, you indicated
14 that the de-gassing is performed through boreholes; is that
15 right?

16 A. Yes.

17 Q. How many of those boreholes do you have now, and
18 where are they located?

19 A. Right now, ma'am, we've got a total of six gob
20 vent boreholes, and they're located in our Panel 101, which
21 is our first panel that we're currently developing.

22 Q. Okay, so you have a series of six boreholes along
23 the length of the panel --

24 A. Correct.

25 Q. -- is that right?

1 A. Correct.

2 Q. And from those six boreholes, you indicated that
3 you're currently producing somewhere between 800,000 and a
4 million cubic feet a day?

5 A. No, not from the boreholes.

6 Q. Okay.

7 A. We're not producing anything from the boreholes,
8 because we haven't intersected any of the boreholes thus
9 far with the longwall operation.

10 Q. Okay.

11 A. We've drilled the holes, but they're not
12 currently venting gas.

13 Q. Okay.

14 A. The 800,000 to 1 million cubic feet of gas being
15 vented originally was being vented through the entries.
16 It's now being vented through our ventilation shaft.

17 Q. Okay, and where is your ventilation shaft?

18 A. The ventilation shaft, if I can just show you on
19 this map here, the ventilation shaft is located right in
20 this area, just about our first panel, Panel 101.

21 Q. Okay, and by "ventilation shaft", that is a shaft
22 that extends from the mine main to the surface --

23 A. From the basal coal seam, from the underground
24 workings to the surface, yes.

25 Q. How big is that shaft?

1 A. You know, I don't know for sure. Jacques would
2 know, I believe. Yes.

3 Q. Okay, so the 800,000 to a million cubic feet per
4 day is coming through the ventilation shaft. You
5 anticipate in the future as you mine in District 1 and then
6 in other districts throughout the operation there will be
7 additional gas --

8 A. I don't know about --

9 Q. -- ventilated --

10 A. -- additional gas. You know, it could be that
11 we'll stay within that average range. You know, it's
12 uncertain at this point.

13 Q. Right, you had said you don't know --

14 A. Right.

15 Q. -- what the projected volume would be.

16 Okay, since we're considering in this case the
17 applicability of the Oil and Gas Act to certain aspects of
18 coal-mining operations, how the Commission should address
19 coal mining under the Oil and Gas Act, have you looked at
20 possible permitting requirements for boreholes that produce
21 gas under the Oil and Gas Act?

22 A. To the best of my knowledge, I don't believe
23 we've looked into that, no.

24 Q. At this point you don't have any permits to
25 produce or vent gas through those shafts or boreholes from

1 the state or --

2 A. Well, we're not actually capturing the gas, as I
3 indicated, because we don't have ownership to the gas. But
4 we do within our -- If you were to look at our underground
5 mine permit application, we do have within the application,
6 within the operations plan portion of the application, an
7 indication that we're going to be using gob vent boreholes
8 to vent the gas out of our gobbed area.

9 Q. Okay.

10 A. We also indicate in there, allude to the fact
11 that we are going to be venting gas through our entries and
12 our ventilation shaft.

13 So basically, we have been permitted, you know,
14 by the State of New Mexico to mine the coal. And according
15 to our operations plan, which has also been approved by
16 Mining and Minerals Division, we have indicated that the
17 gas will be vented.

18 Q. Okay, I guess what I'm asking you about are
19 requirements under the Oil and Gas Act, since that's --

20 A. No, we haven't --

21 Q. -- the subject of this hearing.

22 A. No, we haven't addressed those --

23 Q. Are you aware that there are certain regulations
24 relating to the venting of gas? In fact, there are some
25 pretty broad prohibitions on the venting of gas that apply

1 to some operations. I know we're considering here today
2 the extent to which the Oil and Gas applies to the coal-
3 mine operations, but --

4 A. Yeah, I'm not --

5 Q. -- have you looked at that issue at all?

6 A. -- I'm not real familiar with those regulations,
7 no.

8 Q. And you talked about the questions about the
9 ownership of the gas, and you indicated a couple of times
10 that your understanding is that San Juan Coal Company has
11 the right to vent the gas. What is your understanding of
12 the source of that right, or the basis for that right?

13 A. Well, you know, that's more or less a legal
14 question. But as I understand, a case between the Southern
15 Ute Tribe and Amoco which was decided upon at the Supreme
16 Court level indicated that, you know, as a matter of course
17 in the process of mining coal underground, we do have the
18 right as a coal mine to vent the gas.

19 Q. You also made a couple comments about the
20 corrosion concerns and the roof-stability concerns being
21 exacerbated as you've gotten into the mining operations.
22 What did you mean by that? What is it that has exacerbated
23 the concerns since you started the mining operations?

24 A. Right. Well, I think we knew from the git-go
25 that our roof conditions weren't going to be real good.

1 But we didn't realize that we were going to have roof falls
2 -- as many roof falls as we have had in just developing our
3 gate roads and our mains. As a result of those roof falls,
4 we've had to enhance our roof-control mechanisms in order
5 to hold that roof up. Jacques Abrahamse, once again, could
6 probably address specific questions about what we've had to
7 do there.

8 Q. Okay.

9 A. Probably additional roof-bolting would have to
10 occur, as well as meshing, as well as cribbing and so
11 forth.

12 On the corrosion side of the issue, as I said,
13 you know, it's a matter of the amount of H₂S that we're
14 encountering, primarily in the water, as we're mining the
15 coal in the coal seam, and a microbial type of activity
16 that's going on with these sulfur-producing bacteria.

17 And what's happening there is, it's causing a lot
18 of the equipment to corrode more quickly. We're having to
19 replace, for instance, brakes on our vehicles and so forth
20 more readily.

21 COMMISSIONER LEE: Because you don't have
22 pressure. You don't have the pressure to support the
23 corrosion.

24 THE WITNESS: Right. Well, one thing that we've
25 also noticed with the corrosion is that our roof bolts

1 actually were falling out of the roof as a result of
2 corrosion.

3 I'm not sure -- I can't address the issue, Mr.
4 Commissioner, of the pressure.

5 Q. (By Chairman Wrotenbery) What is cribbing? I
6 understood bolting and meshing, but I didn't understand
7 cribbing.

8 A. Cribbing is just, you know, basically supporting
9 the roof -- and Jacques can address this a little more
10 thoroughly -- supporting the roof from the floor up, with
11 either wood cribbing or whatever the case might be.

12 Q. Okay, it's some type of structure that's used to
13 support --

14 A. That's right.

15 Q. Okay. And you didn't mention de-watering. We
16 talked a lot about de-gassing, but is de-watering an issue
17 as well for the mining operation?

18 A. It really hasn't been a major issue thus far.

19 Q. Okay.

20 A. And we are pumping water out of the underground
21 mine, but a lot of that water source is just from the
22 sprays on the cutting drums of our continuous miner and our
23 longwall equipment. So we really haven't encountered a
24 significant amount of water underground thus far.

25 Q. And then back to the plugging of wells, you

1 indicated that you've plugged three wells at this point.

2 Can you identify which wells those are?

3 A. Well, you know, I don't believe they're on --

4 Well, yes, they are. Well, one of them is on here anyway.

5 This -- I believe this Federal K 3 well was one of them

6 that we plugged, and there's a couple over in the Fruitland

7 lease, which would be over in here, in this area here.

8 Q. Okay.

9 A. And that is mainly the south end of the last
10 panel in the first mining district, Panel 103.

11 Q. Okay, so --

12 A. Those wells were abandoned -- were completed back
13 in the early 1960s, in 1963, and they were plugged and
14 abandoned, I believe, in something like 1969.

15 Q. Okay. So the only one that shows up on this
16 Exhibit A-1 is the New Mexico Federal K 3, and that's in
17 your District 1?

18 A. That's correct.

19 Q. Okay. And the other two are to the west?

20 A. To the west and south of that location, yes.

21 Q. Okay.

22 A. One of them actually had to be re-entered,
23 plugged and abandoned because of our pilot mine activities,
24 so that would be further down in this location south of
25 Section 34.

1 Q. And what did you do when you re-entered those
2 three mines?

3 A. Well, what we did is --

4 Q. Well, I'm sorry.

5 A. Yeah, they -- Basically, we hired a drilling
6 company to re-enter the wells, drilled down through.
7 Apparently there was no casing below 125 feet. They were
8 all Gallup wells. We did -- There was a portion, a lengthy
9 portion of a couple of thousand feet where there was
10 absolutely no casing in the hole, and then there was casing
11 below, obviously, as it progresses through the Gallup seam,
12 or the Gallup formation.

13 Q. Uh-huh.

14 A. What they had to do was go down in -- They had to
15 mill out the wellbore. They did encounter some wooden
16 posts and rails and a few other odds and ends in there, and
17 once they milled out the entire wellbore, then we put in an
18 expanding type of bridge plug below the basal coal seam,
19 and then we filled it from bottom to top with the expanding
20 type of cement.

21 Q. And now that you've done that, the longwall miner
22 will be able to go --

23 A. Right.

24 Q. -- straight through that --

25 A. Only one of the --

1 Q. -- location?

2 A. -- three wells are actually in a location where
3 the longwall would be mining.

4 Q. And that's that --

5 A. That would be the --

6 Q. -- Federal K 3?

7 A. -- K 3, this K 3 well right here.

8 Q. Okay. And how much did it cost you to do that
9 replugging work?

10 A. For the three wells it cost us \$124,000.

11 Q. For all three?

12 A. For all three. There was the one well I said
13 that they encountered a number of things down the hole. As
14 a matter of fact, the second well they encountered -- in
15 the record of abandonment it had indicated they had put 19
16 sacks of cement down the hole. Well, they found the sacks,
17 but they didn't find the cement. So...

18 Q. We have an orphan well plugging program, and so
19 we encounter some of the same things.

20 And the existing wells, you talked a little bit
21 about that with Commissioner Bailey, and I can't remember
22 if you said -- How many of those 76 or so have already been
23 plugged and abandoned?

24 A. Madame Chairman, I really couldn't tell you for
25 sure. Now, we've plugged the three wells as I've

1 indicated. There's quite a number of wells out there that
2 have been plugged and abandoned. The majority of those
3 wells are either Gallup- or Dakota-formation wells.
4 There's a few PCS wells, as well, that have been plugged
5 and abandoned.

6 Q. And would it be San Juan Coal Company's plan to
7 plug those wells like it did the Federal K 3?

8 A. Correct. We would have to re-enter every one of
9 those wells and plug according to the MSHA standards.

10 Q. And then one last question about the desorption
11 data that San Juan Coal Company has. I understand how the
12 coalbed methane operators use that kind of data. How is it
13 that the coal companies use that kind of data? What would
14 prompt a coal company to collect desorption data? How
15 would they apply it to --

16 A. You know, I could just answer that generally.

17 Q. Okay.

18 A. You know, technically, I think, once again, Mr.
19 Abrahamse could address that, or Mr. Mercier. Generally,
20 you know, it's an analysis that's utilized to determine the
21 amount of methane in the coal, which obviously a concern to
22 us, not from a production side of things but from a safety
23 side of things.

24 CHAIRMAN WROTENBERY: Okay, thank you.

25 THE WITNESS: Thanks.

1 CHAIRMAN WROTENBERY: That's all I had.

2 Mr. Ausherman?

3 MR. AUSERMAN: Short redirect.

4 REDIRECT EXAMINATION

5 BY MR. AUSERMAN:

6 Q. Mr. Woomer, we've heard testimony that there are
7 70-some wells in the area of the mine, and 20 of those are
8 actually within the area covered by San Juan Coal Company's
9 coal leases. Did I understand that correctly?

10 A. Yes, that's correct.

11 Q. Would you have the need to plug and abandon wells
12 that are outside the area that San Juan Coal Company would
13 mine?

14 A. No, we wouldn't have that need.

15 MR. AUSERMAN: That's all.

16 CHAIRMAN WROTENBERY: Thank you.

17 Anything else --

18 MR. KELLAHIN: Yes.

19 CHAIRMAN WROTENBERY: -- Mr. Kellahin?

20 MR. KELLAHIN: I'm confused by the last answer.

21 RECROSS-EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Woomer, when we look at Richardson's Exhibit
24 C-27, by his count he has 71 penetrations of the coal
25 within his Application area. Can you tell us which ones of

1 these wells, in response to Mr. Ausherman's question, you
2 would not have to deal with in terms of plugging those
3 wells?

4 A. Well, what I can say to address your question,
5 Mr. Kellahin, is that where the wells are outside of that
6 300-foot area, you know, as far as the location of the
7 wellbore and where we're actively mining, then obviously we
8 don't have to re-enter and plug and abandon that particular
9 well.

10 So these wells basically that are located within
11 our mining district, certainly we're going to have to deal
12 with those wells. These wells, possibly, over here, some
13 of these other wells in what I called earlier the thin
14 zone, we more than likely won't have to deal with those, as
15 long as they're outside of the 300-foot criteria.

16 MR. KELLAHIN: Thank you.

17 CHAIRMAN WROTENBERY: Anything else? Okay, thank
18 you for your testimony --

19 THE WITNESS: Thank you.

20 CHAIRMAN WROTENBERY: -- Mr. Woomer.

21 And let's take a break here.

22 (Thereupon, a recess was taken at 11:03 a.m.)

23 (The following proceedings had at 11:20 a.m.)

24 CHAIRMAN WROTENBERY: Okay, I think we're ready.

25 MR. AUSHERMAN: Madame Chairman, our next witness

1 is Jacques Abrahamse.

2 JACQUES F. ABRAHAMSE,

3 the witness herein, after having been first duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. AUSHERMAN:

7 Q. Jacques, would you please state your name and
8 profession?

9 A. I'm Jacques F. Abrahamse. I'm a mining engineer,
10 and my current position at San Juan Underground is the
11 ventilation engineer.

12 Q. Mr. Abrahamse, is Exhibit 20 in your exhibit
13 notebook your personal résumé?

14 A. That is correct.

15 Q. What are your responsibilities as ventilation
16 engineer for San Juan Underground Mine?

17 A. Responsibilities include the design and the
18 implementation of ventilation appliances that render
19 noxious and harmful gases -- flammable, noxious and harmful
20 gases -- render them harmless underground, including gas-
21 monitoring processes and systems, and we liaison,
22 obviously, with regulatory bodies like MSHA.

23 Q. When did you come on board with San Juan Coal
24 Company as its ventilation engineer for the underground
25 mine?

1 A. I started 9th of July of 2001.

2 Q. As a ventilation engineer, are you generally
3 familiar with the longwall mining plan and method?

4 A. Yes, I am.

5 Q. What underground mining jobs have you held since
6 your graduation? And maybe first start by telling us of
7 your schooling.

8 A. Okay, I graduated, obviously from the accent,
9 from Australia, from the Wollongong University in New South
10 Wales, in 1987 with a bachelor of mining engineering
11 specializing in -- a bachelor of engineering specializing
12 in mining.

13 I've since worked as an underground operator for
14 many years, and I joined BHP in the Bowen Basin in the
15 State of Queensland in about 1991 and have been working
16 with BHP ever since then.

17 My roles have been as a mining engineer in
18 different locations, one year in an open-cut operation and
19 the remainder of my years in underground environments. So
20 most of working life I've worked in underground
21 environments. The operations that I've worked in within
22 BHP have been Norwich Park for one year, 1991 to 1992, at
23 the Moura Number 2 Underground from 1992 to 1996, and then
24 at the Crinum mine operation from 1996 to 2001.

25 Q. And was that a statutory position?

1 A. Yes, there were --

2 Q. Can you describe what a statutory position in
3 Australia consists of?

4 A. A statutory position involves the compliance with
5 the Coal Mining Act, which is a statutory body governed by
6 the States of Queensland and New South Wales, and it's an
7 official position that you have to have to manage and
8 operate shifts where underground people have to work.

9 Q. Have you testified before the New Mexico Oil
10 Conservation Division as an expert mining engineer in this
11 proceeding, with expertise in longwall mining and
12 spontaneous combustion?

13 A. Yes, I have.

14 MR. AUSERMAN: We tender Mr. Abrahamse as an
15 expert mining engineer with particular expertise in mine
16 ventilation.

17 MR. KELLAHIN: No objection.

18 CHAIRMAN WROTENBERY: We accept his
19 qualifications.

20 Q. (By Mr. Auserman) You've heard Mr. Woomer
21 testify this morning generally that San Juan Coal Company
22 seeks to use continuous miners for its gate road
23 development but primarily an underground mine for the --
24 primarily a longwall mine for the development of the coal
25 panel. Are you familiar with the longwall mining

1 apparatus?

2 A. Yes, I am.

3 Q. Would you use Exhibit 12 and go into a bit more
4 detail than Mr. Woomer about the components of the longwall
5 apparatus as an introduction to the animation that we will
6 show?

7 A. Okay. Just to start off first, the Exhibit
8 Number 12 is the CM, continuous mining unit, and its
9 primary function is to establish roadways or tunnels that
10 are of a dimension of 20 foot wide, nine foot high, and we
11 basically create tunnels, three tunnels in the headgate,
12 which we'll -- in the gate roads, we'll call the headgate
13 and tailgate gate roads, to establish a solid block of coal
14 that is of the dimension 1000 foot long by 10,000 foot --
15 1000 foot wide by 10,000 foot long. Obviously we need
16 these tunnels to physically get all these heavy pieces of
17 machinery down to one specific location.

18 On the longwall itself there are the four major
19 components, as we start from Exhibit Number 12 on the
20 right-hand side. The first component are our longwall
21 shields. Now, those longwall shields are the primary
22 walkway and the primary support for establishing a working
23 environment for operators and for ensuring that the rest of
24 the components are in a safe condition. The reason I say
25 safe condition is because that 1000-foot block -- 1000-

1 foot-by-10-000-foot block, obviously is a solid structure,
2 and it is a primary support.

3 Between that solid block, on the other side of
4 the longwall shields is what we call our gob, and basically
5 that is broken roof that falls behind the longwall shields.
6 So the shields are our primary roof support on the longwall
7 face. And in the animation we will actually stop and start
8 the shield motion process to see how they actually work.

9 Q. Mr. Abrahamse, if you were to depict on that
10 cutaway the location of the gob, where would it be, this
11 part that falls away?

12 A. Okay, the gob basically will fall behind the back
13 of the longwall shields, basically where the title
14 "Shields" is on Exhibit Number 12. That would be the
15 location of the gob, from there back.

16 The other components on the longwall equipment is
17 our shearer, and our shearer is basically a big metal box
18 with what we call ranging arms. And on the end of the
19 ranging arms are the cutting drums that cut a meter web,
20 what we call a meter web.

21 This shearer travels on the AFC, the armored face
22 conveyor, and the armored face conveyor is basically a set
23 of links of chains and flight bars, just metal bars that
24 run parallel to that 1000-foot face.

25 The AFC actually -- The AFC turns 90 degrees at

1 the head drive, what is indicated on Exhibit Number 12, the
2 head drive on the left-hand side of that diagram, and then
3 the coal is then turned at 90 degrees and is directionally
4 loaded onto the conveyor belt system as the coal heads
5 outby to the surface.

6 Q. Does that conclude your general orientation of
7 the depiction on the cutaway?

8 A. That's correct, yes.

9 Q. Have you brought an animation to show how this
10 machine actually mines through a coal seam?

11 A. Yes, it helps depict the motion of the longwall
12 shields. It also depicts how the shearer traverses from
13 one side of that thousand-foot block, from one side to the
14 next. It indicates people position and just general
15 techniques.

16 Now, in the video they talk about two types of
17 longwall mining, one being a retreat longwall mining system
18 -- that is what we employ at San Juan Underground -- and
19 there is an advancing longwall mining system, and it is a
20 technique that has been utilized in the UK because of
21 mining depth conditions. But it's not -- We do not employ
22 that system.

23 Q. And your presentation is on PowerPoint, is it
24 not?

25 A. Yes, it is.

1 Q. Just for the record, the longwall animation that
2 Mr. Abrahamse has put together is in the exhibit notebook
3 at Exhibit 14.

4 Mr. Abrahamse, would you show the animation now
5 and pause it as appropriate to demonstrate the various
6 aspects of the longwall mining operation?

7 CD-ROM soundtrack: "The longwall mining system
8 differs from conventional mining in that the coal seam is
9 removed in one operation by means of a long working face or
10 wall, from which the name 'longwall' is derived. The coal
11 is mined in a continuous line, cutting across a coal face
12 which may be several hundred feet in length."

13 THE WITNESS: I just stopped it at this point to
14 identify, we see the -- towards the left-hand side of the
15 screen, the red circular drum. That is the cutting drum of
16 the shearer, and as you can see it physically takes a slice
17 of the coal and traverses from one side of the block to the
18 next.

19 As that shearer traverses from one side of the
20 block to the next, the shields that you can see in the
21 corners have been advanced, and as those shields advance,
22 they then create a safe working environment for persons to
23 work on that longwall system.

24 On the left-hand side you can see the black coal,
25 and it gets turned basically at 90 degrees at the stage

1 loader or at the head drive, and then gets transported all
2 the way out to the surface via conveyor belt.

3 Beg your pardon?

4 COMMISSIONER BAILEY: Is that as a slurry or as
5 dry material?

6 THE WITNESS: Dry material.

7 COMMISSIONER BAILEY: Okay.

8 THE WITNESS: Obviously there are water sprays on
9 the shearer itself, so during the cutting process we
10 utilize water for dampening of dust that's generated on the
11 longwall face. And then at the transfer point at the
12 headgate drive there are more water sprays. Again, as coal
13 moves -- when it's turned over it generates dust again, and
14 the water suppression is for dust control.

15 COMMISSIONER BAILEY: Okay.

16 CD-ROM soundtrack: "There are two basic systems
17 of longwall mining, the advancing and the retreating
18 systems. In the longwall advancing system of mining, the
19 coal is extracted from a face, starting from a shaft and
20 advancing through the coal deposit toward a boundary or
21 other limit lines.

22 "In the longwall retreating system, narrow
23 developing headings are driven through to the boundary or
24 limit line of the coal seam, and then the coal is extracted
25 by longwall faces retreating back in the direction of the

1 shaft."

2 THE WITNESS: As Mr. Woomer had indicated, on
3 Exhibit Number 10, at this stage of the game the District 1
4 or the 100 series, we are currently in LW-101, LW
5 identified as longwall 101. Mr. Woomer identified that our
6 shaft location are our, you know, east mains, and the
7 direction that the longwall is currently mining is from the
8 southern end of LW-101 and will move from there towards the
9 east mains.

10 The rationale for utilizing that technique is to
11 ensure that when the coal -- when you mine that coal, that
12 area that becomes the gob remains behind you. In an
13 advancing scenario you have a gob that follows you all the
14 way through, which is not -- it's not the safest way to
15 mine coal. All longwalls that are mined in the US and in
16 Australia utilize the longwall retreat mining systems.

17 CD-ROM soundtrack: "As the mining machine makes
18 a pass across the face, cutting a width of coal, the pan
19 conveyor and roof supports are advanced immediately be- --"

20 THE WITNESS: As they just indicated there -- I
21 don't know if we can see, but we can go back if people
22 didn't catch it, but the shields -- the longwall mining cut
23 for San Juan Coal Company cuts to 13 feet. The design of
24 those longwall shields has a maximum stroke length of 14
25 feet. So to advance the longwall shields, individually

1 each shield has to be released from the roof, pulled
2 forward and then reset. So the reason for cutting a 13-
3 foot roof is that if we go to 14 or beyond, we then do not
4 have the ability to positively set our shield to something
5 above us, we'll have a void above us.

6 CD-ROM soundtrack: " -- behind it toward the
7 new face. As this happens, a void is left behind the
8 supports. The roof is allowed to collapse or cave in,
9 filling this void."

10 THE WITNESS: And that is the final picture of
11 what it actually looks like underground where the roof has
12 fallen in behind the longwall shields, and that's a picture
13 taken at what we call the headgate of the longwall and the
14 loose rubble that's left behind.

15 Q. (By Mr. Ausherman) Mr. Abrahamse, does that
16 conclude the animation?

17 A. That certainly does.

18 Q. In the very last section of the video, when the
19 roof collapses, that's known as the gob; is that correct?

20 A. That is correct, yes.

21 Q. And that would be the same area as you depicted
22 on the poster "Longwall Face Cut-away" near where the label
23 "Shields" --

24 A. That is correct.

25 Q. -- appears?

1 Mr. Abrahamse, I'd ask you to turn to what is
2 marked as San Juan Exhibit 15 in the witness notebook, if
3 you would. What does this depict?

4 A. Exhibit Number 15 is just a typical longwall
5 layout that again depicts the shearer on the right-hand
6 side, and then the red self-advancing hydraulic roof
7 supports or what we call the shields.

8 Q. What are the green things on either side of the
9 coal seam?

10 A. Okay, the green things on the left-hand side
11 basically indicate coal pillars that have been left. As I
12 indicated previously, the continuous miners -- the first
13 job is for the continuous miners to develop roadway
14 headings, and we have three roadway headings at San Juan
15 Underground, and those -- of centerline dimensions between
16 150 feet in length and -- but approximately 80 feet in
17 width.

18 Q. So between the green pillars, the white on the
19 typical longwall layout, which is Exhibit 15, would be the
20 gate road, essentially?

21 A. Would be called the gate road. If we went
22 underground today, we would be traveling basically in
23 between that white area, yes.

24 Q. And where is the gob on this depiction?

25 A. The gob is identified behind the self-advancing

1 hydraulic roof supports.

2 Q. At San Juan Mine we've heard of the existence of
3 coal stringers and seams above the Number 8 Seam that is
4 the seam the mining company will be mining. Would those
5 fall into the gob, would some of those fall into the gob?

6 A. The one foot of remaining coal within the 8 Seam,
7 as well as the mudstone and shale roof and the Number 9
8 seam would be debris in the back of the gob, yes.

9 Q. Is it important that the longwall mining
10 apparatus move in a systematic way?

11 A. It's quite a definite dimension of steel segments
12 that have been put together that form, obviously, this
13 1000-foot-long piece of machinery. Each piece of machinery
14 has to be individually taken underground in segments, one
15 shield at a time, one AFC section at a time, the shearer --
16 Yes, it's just a whole lot of small pieces -- not small
17 pieces, but a whole lot of large mechanical pieces that
18 have to be put together like a jigsaw, underground in the
19 setup room.

20 Q. Are continuous miners, that we've seen the
21 picture of, more flexible in their movement than this 1000-
22 foot-wide longwall apparatus?

23 A. Yes, they are.

24 Q. Is it important that the longwall apparatus keep
25 moving?

1 A. Yes, from a geotechnical point of view and from a
2 ventilation point of view, it is critical that the longwall
3 doesn't sit for prolonged periods of time and that you
4 continuously keep in front of abutment loadings that you
5 see on the longwall face.

6 Q. If you would turn to Exhibit 10, which is the
7 large map on the poster, for orientation between what we've
8 been looking at, which is Exhibit 15 that depicts gate
9 roads, could you show us the gate roads on Exhibit 10?

10 A. Okay. As the current status is, you can see
11 rectangular pillar -- rectangular blocks, beg your pardon,
12 in HG 101, and rectangular pillars in TG 101. Those are
13 your headgate and tailgate by definition, and those are the
14 coal pillars in the headgate section.

15 Q. Can you describe what a coal pillar is and what
16 is its purpose in an underground mine such as this one?

17 A. The coal pillar's primary function is for roof-
18 control measures. We establish a solid block of coal, and
19 it's your primary means of roof support. You open an
20 excavation that is between 19 and 20 foot wide, and the
21 load is then transferred from one coal pillar to the next.
22 We obviously, then, put supplementary support in the form
23 of roof bolts to secure that opening even further.

24 Q. Are coal pillars also involved in your
25 ventilation system to help establish seals to control the

1 movement of gases?

2 A. That is correct, yes, they are.

3 Q. You heard Mr. Woomer testify about the risk of
4 spontaneous combustion in the mine. As a ventilation
5 engineer, how do your responsibilities relate to potential
6 for spontaneous combustion in the mine?

7 A. Identifying in the project, initially identified
8 the risk of spontaneous combustion, a technique that is
9 well utilized in Australia as well as some mines in the
10 western districts of the United States. The role of
11 controlling air flow into gob areas that have loose coal
12 within themselves, that management of that process is the
13 spontaneous combustion event that we need to -- that I have
14 to be mindful of, and the process to do that is to remove
15 oxygen and air flow to as large a degree as possible,
16 utilizing these coal pillars and also seals in between the
17 coal pillars.

18 Q. In a moment I'll ask you how you accomplish that
19 as a ventilation engineer. But before we get there, I'd
20 like for you to explain the elements of spontaneous
21 combustion. In previous testimony, you used the analogy of
22 a fire triangle to do so.

23 A. Yes. As Mr. Woomer had indicated, spontaneous
24 combustion is an oxidizing process that is related to coal.
25 It has many factors that contribute to an actual

1 spontaneous combustion event occurring, the least -- sort
2 of the least serious casing being when we've developed
3 first workings, the headings and the gate roads, we have
4 oxygen basically being -- we have coal being oxidized by
5 the oxygen that is in those headings. That is the most
6 simple case. Just like rust, metal and rust.

7 The worst-case scenario is that we have loose
8 coal that is located underground, and it actually has gone
9 past its own latent temperature and actually sustains its
10 own ignition source and basically is the formation of
11 burning of coal.

12 From an open-cut point of view we see that very
13 clearly in the San Juan area and the Navajo Mine area,
14 where coal that is being uncovered by draglines and that
15 has been spoiled by the draglines onto the spoil heaps, a
16 little bit of moisture, a lot of aeration, and that coal
17 will burn on the stockpiles, and also -- on the spoil piles
18 and also stockpiles, coal stockpiles.

19 Q. Mr. Abrahamse, could you describe the three legs
20 of the fire triangle with reference to what each leg would
21 constitute at the San Juan Underground Mine?

22 A. Okay. Part of the process for management of
23 spontaneous combustion underground, I used the analogy in
24 the last hearing of this fire triangle: your source, your
25 fuel and then obviously your oxygen, okay, to complete that

1 fire triangle.

2 The process that I have to require to minimize
3 the effects of spon com underground is to eliminate that
4 oxygen component from the gob. The fuel basically being
5 coal that has come from the upper seams, and also methane
6 that we have underground, your fuel being -- you know, once
7 it starts generating it can live on itself, the coal that's
8 there, and the oxygen component of that triangle.

9 By managing that triangle by eliminating oxygen,
10 I control that fire triangle for a spontaneous-combustion-
11 prone mine.

12 Q. Do you have concerns about spontaneous combustion
13 at the San Juan Underground Mine?

14 A. Yes, prior to me coming on board, the project
15 feasibility evaluation identified it as their number-one
16 risk.

17 Q. Are there concerns that you and others at San
18 Juan Mine have about spontaneous combustion, based upon
19 principles that are well established in science and
20 industry?

21 A. Yes, they are.

22 Q. Do the concerns arise, at least in part, from
23 instances in other underground mines where spontaneous
24 combustion has caused mine fire?

25 A. Yes. The western districts of the United States

1 have within the last five years rated the occurrences of
2 fires in the western districts as being -- have really
3 woken up the industry in the States to better understand
4 the techniques and systems that can be utilized to manage
5 mine fires and spontaneous combustion events in this end of
6 the world.

7 The eastern end of the States does not have the
8 same characteristic coal. Even though they do have, and
9 they have had, mine fires, the relationship to spontaneous
10 combustion events are not as well documented as such.

11 In Australia we -- it is in the Bowen Basin,
12 which is identified as a spontaneous-combustion-prone
13 region, the methods that we are employing at San Juan are
14 the methods that they employ in that region.

15 Q. If you were to assess the extent to which a
16 particular coal deposit were prone to spontaneous
17 combustion, I take it from your testimony that there would
18 be a number of factors that could influence whether a given
19 coal seam is more or less prone to spontaneous combustion
20 than another; is that correct?

21 A. That is correct.

22 Q. What would those factors include?

23 A. There are numerous what I call cherries that need
24 to be aligned to give a final result of coal burning
25 underground, and they are dependent on things like the rank

1 of the coal.

2 A lower-ranked coal has a higher propensity to
3 burn, to spontaneous combustion.

4 If you leave a lot of loose material, loose coal
5 material, in areas -- whether they be behind your seals,
6 whether it be in the gob -- by exposing a greater
7 percentage of surface area of coal, that is another factor
8 that affects spontaneous combustion.

9 The dryness of the coal is another factor. If
10 you have a coal that has been dried significantly, it then
11 leads to this potential for greater friability, greater
12 looseness, and therefore also enhance the potential for
13 spontaneous combustion.

14 Q. So if you compare those different factors -- or
15 cherries, if you will -- to the particular coal seam we're
16 talking about at the San Juan Mine, San Juan Underground
17 Mine, how would you characterize the San Juan Underground
18 Mine with respect to whether it's prone to spontaneous
19 combustion?

20 A. It has been identified as being a coal that is
21 liable to -- that is prone to spontaneous combustion. And
22 like I said, it is evident in the coal stockpiles that they
23 have at the generating plant. It's been evident in the
24 open-cut mining processes where the draglines have
25 uncovered coal, because they're light as well.

1 Q. Is it more prone to spontaneous combustion than
2 eastern coals, generally?

3 A. Yes.

4 Q. Is it more prone to spontaneous combustion than
5 most western coals?

6 A. Because of its location, being at the bottom end
7 of the Basin -- it is difficult to categorize everything in
8 the west, but it has a higher propensity to be affected by
9 spontaneous combustion.

10 Q. What areas of the mine are most prone to
11 spontaneous combustion?

12 A. The major area of concern is obviously our gob.

13 Q. Now, spontaneous combustion exists at surface as
14 well, as you testified?

15 A. That's right.

16 Q. Is it as of great a concern at a surface mine as
17 it is an underground mine?

18 A. No, it's just a lot more accessible, and it's
19 just located within fresh air.

20 Q. Well, it's easier to control in a surface mine
21 than it is --

22 A. That's right.

23 Q. So you've talked about the control with
24 ventilation and the importance of seals as one element of
25 the tools you have to control the fire triangle in a way to

1 prevent spontaneous combustion.

2 Is the introduction of gases such as nitrogen
3 another factor that enables you as a ventilation engineer
4 to try to control spontaneous-combustion risk?

5 A. That is correct. As the project was developed --
6 It was critically identified as, obviously, the number-one
7 risk factor in the early stages of the project. And to
8 assist me in my job, we are the first underground coal mine
9 in the United States to have on tap, if you can call it
10 that, nitrogen, 99.95-percent nitrogen gas, and we have
11 that pumped into behind the seals to try to reduce the
12 amount of oxygen in our gob area at all times.

13 We also have another system, what we call a tube
14 bundle system, a system that I brought over from Australia.
15 It is a requirement in Australia to have a monitoring
16 system that can go to remote places and that does not
17 require power in an underground environment to analyze
18 gases. And between those two systems, as well as the
19 development of seal construction, that's how we are going
20 to manage the spontaneous combustion events underground.

21 Q. And this ventilation system has been presented to
22 MSHA, has it not?

23 A. Yes, what we call the bleederless mining
24 ventilation system has been approved by MSHA. We are the
25 second coal mine in the United States to incorporate this

1 design, and there are two other mines that are in line to
2 go through the approval process for a bleederless mining
3 system.

4 Q. I'd like to ask you in a second, what is a
5 bleederless mining system? But let me follow up on one
6 question about MSHA before I get there.

7 There was testimony this morning about whether
8 MSHA was aware of problems for spontaneous combustion posed
9 by frac'ing of the wells in the San Juan Mine area. To
10 your knowledge, has the company briefed MSHA on that
11 potential problem?

12 A. Last year we actually briefed the BLM initially
13 before we had sought any approval for the bleederless
14 system at San Juan. I was aware that the BLM had
15 discussions with the Denver MSHA office, the Division 9
16 Denver office, so they are aware of the proceedings.

17 San Juan has not officially addressed it with
18 MSHA. And the reason for that is, the longwall bleederless
19 mining system only has just been approved, but it is
20 approved for the initial district, the Longwall 100
21 District area. And this is obviously up for review on an
22 annual basis. And as we do not have any oil wells within
23 the District Number 1, there was a three-year period,
24 obviously, before that had to be addressed. And hopefully
25 these proceedings will assist us before we get to that

1 stage.

2 Q. Okay. Now, Mr. Abrahamse, can you give us the
3 basics of a bleederless ventilation system? How does it
4 work?

5 A. Very simply, the word "bleeder" and "bleederless"
6 clarifies what is actually happening to the ventilation.

7 In the East, most -- 99 percent of the
8 underground operations utilize a bleeder system. And the
9 bleeder system means that air is forced to the longwall
10 face, and that air is then bled through the gob to a fan
11 that takes it to the surface. The reason for that is so
12 that it actually reduces the methane content within the gob
13 and takes it to the shaft and out the shaft. That's -- In
14 the most simplest terms, that's what a bleeder system is.

15 A bleederless system employs the technique where
16 we do not bleed air through our gob, and that is done by
17 construction of the seals in the gate roads so that the air
18 comes into the longwall face, goes across the longwall face
19 and back out to the shaft. It doesn't go through the gob.

20 So by doing that, that assists me in ensuring
21 that I do not dilute the oxygen -- or increase the oxygen
22 content, which is part of the spontaneous-combustion
23 management system.

24 Q. Now, we will come back to the bleederless system
25 with a diagram that will allow you to show that in greater

1 detail, specifically with respect to the problems that a
2 frac can impose. But with that introduction alone, just as
3 a simple background, simply stated, what is the goal of the
4 bleederless ventilation system?

5 A. The goal is to reduce the oxygen content behind
6 the longwall face and create an inert atmosphere behind
7 there so that it does not sustain a potential heating. And
8 that can be greater than 25-percent methane, you know, to
9 create an inert atmosphere, or if we get to a stage where
10 you get a lot more nitrogen in there. But the idea is to
11 remove the oxygen content from the gob area.

12 Q. Is that important to prevent mine fires?

13 A. That is correct.

14 Q. Is a mine fire the ultimate result of spontaneous
15 combustion, or could be?

16 A. It is the first stage, and the ultimate is if you
17 have high levels of methane in your gob to an explosion.

18 Q. And then explosion, then, could cause a mine
19 fire?

20 A. The explosion will close the pit, yes, close the
21 mine.

22 Q. Could the explosion or the mine fire cause
23 problems for coalbed methane wells in the vicinity of the
24 fire or explosion?

25 A. It could, yes, very much so.

1 Q. Could it cause problems for San Juan Generating
2 Station?

3 A. It would cause a lot of problems for San Juan
4 Generating Station.

5 Q. Is that because it could render not viable San
6 Juan's sole coal supply?

7 A. Yes, that's correct.

8 MR. AUSHERMAN: Madame, Chairman, the next step
9 of the direct examination would be to go through the effect
10 of coalbed methane wells on the risk of spontaneous
11 combustion. I'd be happy to do that now, if you'd like.
12 It's noon --

13 CHAIRMAN WROTENBERY: This would be a good time
14 for lunch --

15 MR. AUSHERMAN: Okay.

16 CHAIRMAN WROTENBERY: -- I think. So should we
17 get back together at 1:30 like we did yesterday? Okay,
18 that's good.

19 (Thereupon, noon recess was taken at 12:00 noon.)

20 (The following proceedings had at 1:36 p.m.)

21 CHAIRMAN WROTENBERY: Okay, whenever you're
22 ready.

23 Q. (By Mr. Ausherman) Mr. Abrahamse, beginning
24 again after lunch, we were just to the point before lunch
25 that I was about to ask you about the effect of coalbed

1 methane wells on the risk of spontaneous combustion.

2 Is the spontaneous combustion risk at the San
3 Juan Underground Mine influenced by the existence of
4 coalbed methane wells in the coal seam?

5 A. Yes, it is my belief that it is, yes.

6 Q. And how is it influenced by those wells?

7 A. There are three -- two or -- two factors. As Mr.
8 Woomer had indicated previously, on arrival at San Juan we
9 had identified that -- what we would identify as relatively
10 weak roof in our overlying stratas. To combat that, in the
11 14-foot-high seam, on the first -- on the main heading
12 developments, we would not cut to that 13-foot or 14-foot
13 horizon, we would only actually cut to 9 to 10 foot. This
14 effectively left a more secure beam across our 20-foot
15 roadways.

16 So the first point was, we had identified that we
17 have weak roof. And during the process of the mining of
18 headgates it became evident that we have a weaker roof
19 structure than people have anticipated, resulting in --
20 what? We have five falls within a period of less than a
21 year.

22 So the effects of understanding that on primary
23 development we have this weak roof, by having coal -- by
24 having CBM wells located within our workings, by fracturing
25 that component of your upper strata would lead to

1 potentially more damage and weaker structure and also
2 weaker roofs, by introducing water into shales and also
3 mudstone roof. That was one concern.

4 And the second concern obviously has to do with
5 once we frac our coal seam, to some degree we deteriorate
6 the coal pillars in our headings where we need to place our
7 seals. It deteriorates the potential credibility of those
8 seals.

9 Q. Have you prepared a diagram today showing how
10 frac'ing of the Number 8 Seam could cause risk for the
11 longwall mining process?

12 A. Yes, I have.

13 Q. Looking on the postern, the enlargement of San
14 Juan Coal Company Exhibit 16, do you recognize that?

15 A. Yes, I do.

16 Q. What is it?

17 A. It is a cartoon depiction of what our cross-
18 section -- sectional area between the Number 8 and the
19 Number 9 seam, identifying a number of laminated mudstone
20 shales, siltstone factors.

21 It also identifies in a cartoon configuration --
22 understanding that there are no dimensions on this, it is
23 just to depict a potential zone or potential area -- the
24 red line on the left-hand side indicates a cased well, and
25 the potential zones of -- if the Number 8 coal seam is

1 fractured.

2 We also have indicated on the right-hand side,
3 behind the longwall shield, zone 1 and zone 2. And those
4 two zones are important zones in understanding -- for two
5 reasons: understanding the formation of our gob in two
6 specific zone types, and then also the -- basically the
7 transferring, potential transferring of a load from behind
8 the gob in front of the longwall face.

9 Q. Just a few questions about the schematic nature
10 of the diagram, that it's not to scale. Fracs are depicted
11 by cross-hatched lenses in red on the left side of the
12 diagram by the wellbore, correct?

13 A. That is correct, yes.

14 Q. Are those fracs to scale?

15 A. No, no, it's just a cartoon diagram to give some
16 appreciation, potential appreciation.

17 Q. Fracs would -- If you were to look at the
18 dimension above, 9-foot mudstone, 3-foot coal/shale, and
19 apply that dimension to the fracs, you would be much too
20 small?

21 A. That is correct. Yes, that is correct. There is
22 an indication on one of those zones, a hydrofrac
23 distribution, typical type, and it's estimated between 100-
24 to 400-foot regions. Which direction has the oil industry
25 in a major debate as well. We will find out.

1 Q. Using that diagram, could you list for us the
2 problems for spontaneous combustion that frac'ing presents?

3 A. Okay. As I have indicated before, understand the
4 zone 1 and zone 2 that's identified on the right-hand side,
5 as the longwall retreats -- when I say retreat, it's
6 retreating towards the east main, so those shields are
7 moving from the right-hand side to the left-hand side on
8 the -- sorry, on Exhibit Number 16.

9 As the wall progresses, you have an initial gob
10 zone 1 fall. As you can see behind you, there are --
11 behind the shields are basically step configurations as you
12 go up into the higher stratas. The zone 2 is basically a
13 second-stage fall behind the shields to give maximum
14 subsidence on the surface and also maximum compaction in
15 your gob.

16 Now, as the shields move closer to that
17 potentially disturbed well casing, the load that gets
18 transferred from the gob area, you can see there's a
19 cantilevering action on the upper stratas above the
20 shields. This cantilevering action transfers loads in
21 front of the shields in your coal. If those hached zones
22 are disturbed to a great degree in the upper strata, then
23 this could potentially lead to the roof falling out in
24 front of the shields.

25 If this occurs -- and when I initially identified

1 cherries -- that is not enough to create a spontaneous-
2 combustion event. But the results of the roof falling to a
3 higher height than 14 feet means that now the shields are
4 unable to physically push from floor to something above
5 them, because there's nothing above the shields to push up
6 against, which therefore stops the longwall operation from
7 being able to be advanced through that process.

8 In the longwall industry the action, the course
9 of action, is to cavity-fill the voids above the shields.
10 Now, this process takes a number of days. And during that
11 period of time, that is when we have the loose coal in the
12 gob. The longwall is stationary for a number of days, and
13 potentially for a number of weeks, and if it is not
14 rectified fairly soon, that longwall piece of machinery
15 sits there, and then we just keep fanning the coal that is
16 behind the gob.

17 So that is what would lead to a potential
18 spontaneous-combustion event occurring behind the longwall.

19 Q. In addition to roof falls, do fracs inhibit your
20 ability to maintain seals in other parts of the mine?

21 A. Yes, as indicated previously, if we frac the coal
22 then what we are doing is potentially creating leakage
23 paths through the coal seam, and those leakage paths that
24 allow air to pass through small cracks, once we've passed
25 it, is also a typical example of a potential spontaneous-

1 combustion event occurring, because now the coal is drier,
2 we have these open paths for air to flow through, and if
3 you create a very tight seal to minimize or to actually
4 reduce the oxygen behind -- in the gob, you've effectively
5 created another problem for allowing air to escape or
6 travel through the coal seam itself that has been
7 fractured.

8 Q. You talked about roof stability and its effect on
9 mine safety, Mr. Abrahamse. Would you turn to Exhibit 17
10 in the witness notebook? It's a photograph. Do you
11 recognize that?

12 A. Certainly do.

13 Q. What is it?

14 A. It is a -- what we would call a heading in one of
15 the gate roads.

16 Q. What does it demonstrate about roof conditions?

17 A. Okay, what we can see on both sides of the
18 heading, we have what we call rock props, and those rock
19 props are providing additional support to what looks like a
20 potential beam failure. As you can see, the roof is
21 sagging and cracking on the left-hand side of the heading.

22 Q. Now, this roof condition is unaffected by any
23 coalbed methane well. It's sagging on its own; is that
24 correct?

25 A. That is correct.

1 Q. Is that because the roof conditions naturally in
2 the mine are relatively instable?

3 A. It is an example of an area of instability from a
4 geotechnical point of view, yes.

5 Q. Now, this depicts roof support that you use as a
6 matter of course for the gate roads that you can see on the
7 upper part of the gate road in this picture; is that
8 correct?

9 A. That is correct.

10 Q. Mr. Abrahamse, I'd ask you to turn to Exhibit
11 Number 19 in the exhibit book. Can you describe what this
12 is and what it depicts?

13 A. Okay, this is an area --

14 Q. I'm sorry, I believe that's 18. The exhibit that
15 we've just -- that we looked at showing the sagging roof
16 condition was 18, and we're now at Exhibit -- Exhibit
17 Number 17 showed the sagging roof conditions, and I'm now
18 asking you to look at the picture which is San Juan Coal
19 Company Exhibit 18, I'm sorry.

20 A. Okay, this is a photo of the aftermath of an area
21 that exhibited signs like we saw in Exhibit Number 17, that
22 has fallen, has been cleaned up and has been resupported.

23 On Exhibit Number 17 you can see on our driveage
24 we install roof bolts, eight-foot roof bolts, with wire
25 mesh to prevent what we call fretting of roof, just little

1 bits of roof falling through the mats.

2 Then we have what we call monster mats or beams,
3 and in Number 18 at the top of the page, Exhibit Number 18
4 at the top of the page, you can see again a mesh strap with
5 your monster mats and your roof bolts. And then it turns
6 up into the cavity that was formed in that particular fall.

7 Q. Does it take more time and money and operational
8 effort to shore up a roof after conditions such as those
9 depicted in Exhibit 18 occur than a normal roof condition?

10 A. Yes, it certainly does.

11 Q. And you can see that in the upper part of Exhibit
12 18 by the extent of support that exists in the caved-in
13 area?

14 A. That is correct.

15 Q. Is this the only area of the mine that has
16 experienced cave-ins so far?

17 A. No, as I've indicated we actually have -- if we
18 talk to reference in Item Number 10, we have had five
19 conditions similar to that within the HG-101 and the TG-101
20 areas.

21 Q. How could hydrofrac'ing affect roof stability?

22 A. Well, one of the major issues with the
23 hydrofrac'ing process is the introduction of water, water
24 gels, sands, basically solutions into the coal seam or the
25 Pictured Cliffs or wherever, to stimulate the frac'ing

1 process.

2 With having a geology of overlying strata made up
3 of siltstones, mudstones and shales that are affected by
4 water, those components would actually deteriorate the
5 condition of our upper stratas and actually reduce the
6 compressive strengths of those rocks.

7 One of the techniques in our bolting action is
8 that we use what we call a dry drilling process. When we
9 install bolts we use a vacuum system so we don't introduce
10 water into the upper stratas, and this has helped
11 significantly in the process of when we mine. Like I said,
12 by adding the hydrofrac'ing process into such areas only
13 deteriorates the roof to a greater degree.

14 Q. Does the effect of hydrofrac'ing linger in the
15 coal seam even after a well is plugged and abandoned?

16 A. Yes, it does.

17 Q. The fracs are there forever?

18 A. They are there forever.

19 Q. Could roof instability cause the longwall miner
20 to stop?

21 A. Yes, as indicated previously that's the initial
22 result of failure in front of the shields.

23 Q. And that's what you described before about
24 inhibiting your ability to manage the components of the
25 fire triangle?

1 A. That is correct.

2 Q. Now yesterday Mr. Cox introduced an exhibit which
3 he did not offer and which he testified he has no
4 expertise. It was Exhibit C-28. I hand you a copy of
5 that.

6 Mr. Abrahamse, have you reviewed that particular
7 report before it was introduced yesterday?

8 A. Yes, I have.

9 Q. And in what context did you review that report?

10 A. On informing the BLM last year sometime when we
11 did them, part of the request from the BLM was to conduct a
12 literature search on the potential effects of stimulated
13 hydrofrac'ing in coal-mine operations. This might not be
14 the -- Mr. Richardson might have had this himself, but this
15 was a document that we submitted to the BLM as part of our
16 literature search.

17 Q. What are your views about whether its conclusions
18 should diminish or allay San Juan Coal Company's concerns
19 about roof instability?

20 A. It's not site-specific to us, and that's the most
21 important issue out of taking this report and putting it
22 into context of where we are at.

23 Q. What mines are listed in the data that
24 contributed to that report?

25 A. Okay, in the introduction it identifies 22

1 government-sponsored treatment gas-bearing coalbed studies.
2 Twenty-one of the 22 were conducted in the eastern United
3 States, which exhibit a very different type of coal, a very
4 different type of roof -- potentially, roof lithology.
5 There is one that was conducted in Utah, which is in the
6 western districts, you know, to try to give an overall
7 picture.

8 What is important out of this particular paper
9 was in the abstract, the second sentence from the bottom,
10 it actually identified that "Penetration of strata
11 overlying coalbeds was observed in nearly half of the
12 treatments intercepted..." Okay?

13 Now, understanding that, and putting that in
14 context with the situation we have, that is really one of
15 our main issues, understanding those two factors.

16 Q. Mr. Abrahamse, is the coal at the San Juan
17 Underground Mine more susceptible to roof fall than eastern
18 coals?

19 A. It's hard to generalize to the fullest extent.
20 You can say that one area is better than the next in the
21 eastern -- In the eastern coalfields they do have what we
22 call "shitty roof". Excuse the expression, but -- and that
23 is part of your mining. Part of going underground is being
24 able to cope with poor roof conditions.

25 What we have found here, and we have had

1 geotechnical persons from the United States identify that
2 we have what we call a very soft roof condition for the
3 United States overall, and we're doing quite a bit of
4 extensive work in identifying techniques to understand our
5 soft roof nature and how to manage it properly.

6 In that regard, we are a little bit different to
7 -- we are different to the eastern coalfields. This is
8 very similar roof that I have experienced in the Bowen
9 Basin where the roof -- and at Crinum and down in the
10 western area of the Bowen Basin, it had very soft roof as
11 per what we have at San Juan.

12 Q. And the Bowen Basin is the area you testified
13 about in Australia; is that correct?

14 A. That is correct, yes.

15 In the paper too, it just -- it identifies where
16 there were areas of instability. It's on page 164. Excuse
17 me, I'm just -- It identifies evidence of deterioration
18 where areas have been stressed, you know. And that's not
19 astounding news; I mean, that's just a fact of life. Where
20 you have areas of highly stressed roof, whether it be due
21 to jointing, faults, dikes, and you introduce a stimulant
22 like a frac well in those areas, it's great for coal -- for
23 CBM production, but from an underground point of view it
24 can be a nightmare.

25 Q. Mr. Abrahamse, I'd ask you to turn to Exhibit 19

1 in the witness book, and I have an enlargement of that
2 here. Before we touched on the effect of hydrofracturing
3 on the ventilation system's ability to control gases, you
4 said we'd come back to that in a bit greater detail with a
5 diagram. What does this exhibit show?

6 A. This is a blown-up version of the longwall face
7 line. In the middle of the longwall block you can see
8 rectangles, and those rectangles indicate the actual
9 shields. We have 178 shields on that longwall face, each
10 being roughly 5.5 feet wide.

11 This also depicts on the HG-101 side, behind the
12 shields, a number of seals that we install in the crosscuts
13 on both sides of what we call the Longwall 101 gob area.

14 Q. For the record, what do the shields look like?
15 Are they the bars with the little dots next to them?

16 A. No, the seals --

17 Q. Or the seals, rather, I'm sorry?

18 A. Yes, beg your pardon, the seals in the headgate
19 are identified by a thick black line with five circular
20 dots on either side of that black line.

21 This diagram also indicates what we call the
22 ventilation circuit of the mining face, and the blue arrows
23 indicate fresh air that comes into that longwall area, and
24 the red arrow with the two arrowheads indicates what we
25 call the return air, the air that has been exposed to dust,

1 to gases, and it's on its way out to the fan.

2 Q. What do the red target-shaped depictions on the
3 gate road to the right illustrate?

4 A. The red target areas are from our last hearing
5 here in Santa Fe. It was basically to identify that if we
6 had areas that were frac'd in our gate road headings, the
7 potential effect that they would have on the integrity of
8 our seals. Keep in mind that, like I had indicated before,
9 the seals are our primary method to ensure that we don't
10 get air coming from the intake side and going across the
11 back of the gob to the longwall return where the two red
12 arrows are.

13 If you have these areas -- if you have the seals
14 in the tailgate area compromised to any degree, then the
15 air that comes into the beginning of that longwall face
16 will actually find its way to the areas that are disturbed,
17 that are not sealed off properly.

18 So the idea is, if you create very good barriers
19 all the way up in your longwall gate roads on both sides,
20 you actually keep that air at the right spot, which is
21 along the face line, underneath the shields.

22 Q. Mr. Abrahamse, we heard this morning from Lynn
23 Woomeer a little bit about the quantification of this
24 ventilation gas as it exits the mine. Mr. Woomeer said that
25 over time historically, it had averaged 800,000 to a

1 million MCF a day, but Mr. Kellahin alluded to a number
2 that as of today MSHA might have taken a higher daily
3 reading. Are you -- And I believe the number that Mr.
4 Kellahin referred to was over 2 million.

5 Are you aware of a higher number, and can there
6 be spikes in the amount of methane that is produced from
7 the ventilation system?

8 A. To do that, the data recording system that MSHA
9 have, they can come in, and they do spot samples in the
10 return. So what we do need from Mr. Kellahin is to clearly
11 identify a time frame, the date that that was taken, where
12 it was taken, to be able to validate that information, and
13 then on that particular day to identify what was actually
14 occurring on that particular event at that time frame.

15 It's a little bit hard to -- At this stage, as we
16 speak today -- or not today, as of Saturday, Saturday
17 morning, we were liberating, when not mining, around the
18 800,000 CFM a day, and that represents about .1 of a
19 percent of methane coming up the fan shaft. When the
20 longwall was running we were somewhere between .1 and .2
21 percent methane coming up the shaft.

22 And that is a requirement from MSHA, to ensure
23 that we dilute any noxious and harmful gases in the mine.

24 Q. That's MCF, was the measure?

25 A. Sorry?

1 Q. The measure of the methane was MCF?

2 A. Cubic feet per day.

3 Q. Cubic feet per day.

4 A. Sorry, what did I say?

5 Q. Next, if you could, I'd like to follow up --

6 A. Just to put that in context -- sorry, sorry,
7 sir -- understanding that that quantity of methane -- the
8 topic has risen its head -- is air that comes into the mine
9 workings through the portals and then traverses
10 approximately 14 miles of roadways --

11 Q. If you could --

12 A. -- before it gets to the shaft.

13 Q. -- illustrate, Mr. Abrahamse, the length of
14 roadway -- you spoke of the extent of the effective venting
15 -- on Exhibit Number 10, please.

16 A. Sorry, beg your pardon. On Exhibit Number 10, on
17 the left-hand side of the exhibit we have a note called the
18 north portals. Air is actually sucked into those north
19 portals, the five portal areas -- excuse me, the four
20 portal areas -- and travels into the mine, travels south
21 down headgate HG-101 to the longwall face, across the 1000-
22 foot-long wall face, and then travels out the three
23 headings, all the way back up TG-101 to where the shaft is
24 located, approximately 500 feet from the beginning of
25 TG-101.

So that methane concentration encompasses that entire district of the mine, if that -- Does that make sense?

Q. Mr. Abrahamse, does MSHA have certain percentages of methane concentrations in the vent gas that they require?

A. They do. Under MSHA Part 75, if you have more than 1-percent methane at a coal-working face, work is to stop and work is required to rectify that problem. And the problem is rectified by running curtains or putting in extra auxiliary fans to dilute that.

Q. Have you considered whether dewatering of gas wells in the coal seam can affect mining risk?

A. Yes, I have. And as I have indicated before, it is one of the cherries. By dewatering process -- if we refer back to Exhibit Number 19, if we de-gas a section of the coal seam where the coal pillars are an integral part of the seal procedure, then we create an area that has dried out the sand or whatever other medium is used in the hydrofrac'ing process. If it is actually pumped into the coal, then it creates additional leakage paths.

The drying-out process makes coal a little bit more brittle and, as Mr. Cox had indicated yesterday, a little bit more -- opens up the cleat spacing in those areas. So a drying-out process does not assist -- is one

1 of the factors that does not assist a spontaneous-
2 combustion prone seam.

3 Q. So the drier the coal, all other things being
4 equal, the more susceptible it would be to spontaneous
5 combustion?

6 A. That is correct, yes.

7 Q. Is there any different level of risk posed by
8 frac'ing a new well on the one hand, as compared with
9 frac'ing a recompleted well, as a ventilation engineer?

10 A. No, they're all a problem to me. They will all
11 be some type of problem.

12 Q. Now, the Coal Company has put exploration holes
13 into the coal seam, have they not?

14 A. That is correct.

15 Q. Do those exploration holes pose a risk of
16 spontaneous combustion?

17 A. No, part of the procedure for exploration holes
18 is, when they are completed they are filled from bottom to
19 top.

20 Q. Does the risk to the San Juan Underground Mine
21 increase as more wells in the mine are frac'd?

22 A. It will do, yes.

23 MR. AUSHERMAN: I move the introduction of San
24 Juan Exhibits 14 through 20.

25 MR. KELLAHIN: No objection.

1 CHAIRMAN WROTENBERY: Okay, San Juan Coal Company
2 Exhibits 14 through -- 20 did you say?

3 MR. AUSHERMAN: Yes. Oh, I had --

4 CHAIRMAN WROTENBERY: -- through 20 are admitted
5 into evidence.

6 MR. AUSHERMAN: And I had one other question,
7 just following up on this morning.

8 CHAIRMAN WROTENBERY: Okay.

9 Q. (By Mr. Ausherman) From the point of view of a
10 mining engineer, what is the basis for MSHA's requiring the
11 300-foot barrier around active wellbores?

12 A. I don't know specifically. Coal-mining acts have
13 always been written after something terrible has happened,
14 most of the laws have.

15 I do not know specifically when that rule was
16 made or its total or -- you know, encompassing all of the
17 effects for coming to that reasoning. But my understanding
18 is that the dimension that has been put into the Act is
19 really for the absolute safeguard of the people that are
20 underground.

21 In many occasions wells that have been put in
22 from the surface most probably haven't been cased. If you
23 are an underground operator mining to a potential hazard
24 the issues that the MSHA body would have been faced --
25 well, where the heck are the holes? They might know where

1 they are on the surface, but where they are underground is
2 an unknown. Were they fully cased, or were they uncased?

3 So from -- Like I said, I don't know exactly, but
4 the way the mining engineers are, would think, you're
5 establishing a barrier, whatever that barrier is. It's got
6 nothing to do with roof control, it's more about ensuring
7 safety of persons.

8 The incident in Pennsylvania where miners were
9 flooded out is a classic example. If you don't have
10 legislation like that in place and a miner -- mining
11 company mines towards a potential known zone, well then
12 they're putting their miners at risk.

13 If that area is frac'd, then depending on the
14 frac material and process that was used, those could lead
15 between 100 and 400 feet in diameter of that zone. So if
16 you're mining towards that zone, if you've got gas going up
17 a well and you intersect the fissures where the fracture
18 has occurred, well then you potentially could get gas
19 that's going up the hole, instead of going up, going into
20 the mine workings.

21 So from a mining engineering point of view,
22 that's where I think they were coming from.

23 MR. AUSHERMAN: Thank you, madame Chair.

24 CHAIRMAN WROTENBERY: Thank you. Mr. Kellahin?

25 MR. KELLAHIN: Yes, ma'am.

CROSS-EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Abrahamse, let's talk about where we are now with the MSHA regulations. Am I correct in understanding that the safety issues that you're attempting to address today are resolved pursuant to MSHA regulations by leaving a coal pillar that has a radius of 300 feet around that gas well?

A. That is as per the regulations, yes, sir, a rectangular pillar. I mean, we have to leave a pillar, you know.

Q. I understand you're working with equipment that forms a square --

A. That's right.

Q. -- but in general terms --

A. In general terms, yes, sir.

Q. So that's correct, that's the purpose of those rules and regulations, is safety?

A. Is safety of underground personnel, yes, sir.

Q. Are there roof-stability issues without having coal gas wells in the area?

A. Yes.

Q. Are there spontaneous-combustion issues in a coal mine, in the absence of having coal gas wells?

A. Yes.

1 Q. Are the coals that you mine naturally fractured?

2 A. Coal formations have natural cleats.

3 Q. Okay.

4 A. It's not fractured, though.

5 Q. When MSHA developed its regulations using this
6 300-foot distance, they were taking into consideration not
7 only roof stability but spontaneous-combustion issues as
8 well?

9 A. I'd like to think they did, but with the current
10 standard of U.S. legislation and MSHA knowledge about spon
11 com I don't think it was part of that equation.

12 Q. Let's find a place where you're comfortable.
13 When we talk about the existence of the gas well and the
14 fact that it's there, MSHA for its safety regulations have
15 given you a 300-foot setback distance. Have you studied
16 hydraulic fracturing techniques that the oil and gas
17 industry utilizes to enhance methane recovery from coal
18 reservoirs like this?

19 A. Not in great depth, but I have a general
20 understanding.

21 Q. Are you degreed in any of the oil and gas
22 disciplines?

23 A. No, I'm not.

24 Q. Have you expressed to MSHA your concerns that the
25 300-foot distance is not enough to protect the mine from

1 wellbores in the coal that have been fracture-stimulated?

2 A. We have not officially written to MSHA to
3 identify the location of gas wells and its problem. The
4 Denver office have been approached by the BLM in the
5 Farmington office, and they are aware of it, they are aware
6 of these proceedings.

7 Q. And you have approached the BLM office in
8 Farmington about your concerns about fracturing of coal gas
9 wells in your area?

10 A. We did that last year, yes.

11 Q. Did you describe to the BLM the distance that you
12 felt would be necessary to be set back from a coal gas well
13 that had been artificially fracture-stimulated in the coal?

14 A. It wouldn't be in my expertise to identify that,
15 and I don't think it's in the oil industry -- they are not
16 aware of the extent and the planes that they effectively
17 are able to reach. It's a real guess.

18 Q. In order to study the concern you have about the
19 fracture length of these hydraulic fractures introduced by
20 the gas operator into the coal, have you retained any
21 experts in the gas industry to make calculations for you
22 about fracture lengths?

23 A. We do have gentlemen in the back that have
24 assisted us with generic ideas. We have spoken to
25 Burlington Resources about ideas on what their information

1 is, but they were none the wiser themselves.

2 Q. You've illustrated on one of your displays here,
3 this cartoon, that you have an area of influence around a
4 gas well that has been fractured in the coal, and you give
5 us an approximate distance of 400 feet. Is that a radius
6 from the wellbore out to the mine working, this 400 number?

7 A. Sorry, that particular notation on that just
8 identifies the oil and gas drill hole at 400 feet, plus or
9 minus. Like I said, it's a cartoon, it's a cartoon
10 indicator. That's the actual hole depth.

11 Q. All right, so on Exhibit 16, this first 200
12 number on the upper portion of the display is the depth of
13 that hole, that oil and gas well, into the coal?

14 A. Where we are at the moment from a mining depth,
15 we are at a depth of approximately 480 feet.

16 Q. Okay.

17 A. And that was all that notation was there for.

18 Q. I understand. So if this coal well is fractured
19 in the coal, you have approximated for us a distance of 100
20 to 400 feet of horizontal fracture impact?

21 A. With an estimate at the back, that's right.

22 Q. Well, I'm happy to put a question mark at the
23 end. Do you want to make the 400 bigger, or is 400 good
24 enough to give you a protection zone from a gas well that's
25 been frac'd?

1 A. It is something that the oil industry don't know
2 themselves, so it's very difficult for a coal industry that
3 does not information on the effects of a well in that area.

4 Q. If I'm like you and I'm going to be underground
5 in this environment, wouldn't you expect to have you and
6 others find out for your own safety how far away I have to
7 set back from a hazard that may be created by the
8 fracturing of that coal gas well?

9 A. I daresay in time we will identify that.

10 Q. So is the 400-number setback too big or too
11 small?

12 A. That's beyond me at this stage of the game.

13 Q. Should it be 800 feet?

14 A. Like I said, it's beyond me at this stage of the
15 game.

16 Q. How far is far enough? How far is far enough?

17 A. That's a technical aspect that hasn't been
18 addressed yet.

19 Q. Well, see, I'm not a ventilation expert in coal,
20 Mr. Abrahamse, and I'm trying to figure out why, if you
21 have your mine districts in the gray, you're protesting Mr.
22 Richardson's opportunity two miles away to fracture the
23 coal artificially with his frac treatments?

24 A. Yeah, I understand these proceedings are to be an
25 absolute -- There's an absolute condition on it. That's

1 where we are at this stage, as of today.

2 Q. Okay. Is Mr. Richardson, over in Section 4, far
3 away enough from the mine plan not to pose a risk of having
4 spontaneous-combustion or roof-stability issues in your
5 area of your mine district?

6 A. I mean, I understand your line of questioning,
7 sir, but at this stage the hearing is for total infill
8 spacing, to not allow total infill spacing for the
9 Application. I understand where you're coming from.

10 Q. Sure. If we're outside the Application area in
11 the Twin Peaks area, the second row -- column of sections
12 east of that line, are these wells far enough away from the
13 mine operations not to pose a risk if they're fracture-
14 stimulated in the coal?

15 A. Well the ones that you had indicated in Section
16 27 and 28 will be in our zones of mining. Is that correct?

17 Q. You're telling me in Section 27 --

18 A. The Twin Peaks area.

19 Q. -- this is in your forecasted Twin Peaks area; is
20 that right?

21 A. That's right, yes.

22 Q. Do you understand the Division has already
23 allowed whoever operates the oil and gas interest in
24 Section 28 to have four Fruitland Coal gas wells in that
25 section and that they might be perforated, completed and

1 frac'd?

2 A. I do understand that.

3 Q. Is that far enough away not to pose a risk to
4 you?

5 A. Same reasoning, sir.

6 Q. I'm trying to find your reason. Is there a
7 reason to have a certain minimum distance, and what is that
8 reason?

9 A. Technically, I'm not able to answer you on the
10 exact distance.

11 Q. Mr. Abrahamse, let me direct your attention to
12 your Exhibit 10. When I look at Exhibit 10, can you find
13 the locations on that display that will identify the points
14 of measurement of the methane that's being vented from the
15 mine?

16 A. As I indicated before, it is the entire mining
17 area that is indicated in the green, to where you can see
18 coal rectangles or coal pillars, starting from the north
19 portal on the north portal notation on the right-hand side,
20 to the bottom of the longwall face, which is in the bottom
21 of Section 35, and back up to the shaft.

22 Q. At what point does that methane escape into the
23 atmosphere?

24 A. It escapes into the atmosphere -- It's difficult
25 to identify a clear location, but if you -- for generality,

1 between HG-101 and TG-101, in the east mains, in the
2 middle, for the record.

3 Q. Is that the only point at which the gas is being
4 vented from the mining operations into the atmosphere?

5 A. That is correct. There's that shaft. There is
6 also another fan that is located in the pilot mine, which
7 is at the bottom end of Section 34, and that set of
8 workings is under care of maintenance and is not producing
9 any methane at all.

10 Q. Is that fan system you just described connected
11 to the ventilation system we started with?

12 A. That is correct, sir.

13 Q. So the point of discharge into the atmosphere for
14 that fan, once it's working or if it does work, would still
15 be the same discharge point?

16 A. Oh, no, sorry. There are two fans that are
17 operational at the mine, one being the very first point
18 that I indicated. The second is at -- you know, like I
19 said, at the bottom of Section 34.

20 Q. So there's two points of measurement there?

21 A. There are two points of measurement --

22 Q. We have two points of measurement?

23 A. -- as we stand today, yes.

24 Q. Does San Juan Coal Company monitor or measure the
25 volume of methane discharged at each of those two points?

1 A. Yes, we do.

2 Q. How do you do that?

3 A. There's two methods of doing that. On a weekly
4 basis we will take what we call a bag sample, and that bag
5 sample is gas collected in a silvery -- a silver bag
6 anyway, and it goes away for analysis, to come back with a
7 gas content.

8 Q. Okay. Unlike a gas well in the coal that would
9 take the gas to the surface and run that volume of gas
10 through a meter, you're making the estimate of the volume
11 of methane discharged from the mine based upon a sampling
12 protocol?

13 A. That is correct.

14 Q. How often do you sample the coal?

15 A. In the --

16 Q. I'm sorry, sample the methane discharged by the
17 coal mine?

18 A. As we've started mining with the main fans, on a
19 weekly basis.

20 Q. And is that a measurement taken by San Juan Coal?

21 A. That is correct.

22 Q. Does MSHA have representatives that take samples,
23 that make their own studies and calculations?

24 A. They do, yes.

25 Q. Are your numbers reported to MSHA on a quarterly

1 basis?

2 A. Not at all, no. Not that I'm aware of, no.

3 Q. How often do you report those numbers?

4 A. I don't think we report them at all.

5 Q. I didn't think so either.

6 A. No.

7 Q. You don't report it?

8 A. No.

9 Q. MSHA maintains their own system of sampling, and
10 they determine for themselves the level of methane being
11 vented on a daily basis, using some protocol to measure and
12 figure out the volume?

13 A. Daily would be an overexaggeration. That's what
14 I indicated, that particular number that you obtained, I'd
15 be very interested to see on what particular day that that
16 sample was taken, so we could try to correlate what sort of
17 mining activities were occurring, what time frame, you
18 know.

19 Q. Do you know Mr. Ed Ventner of MSHA in the Aztec
20 office?

21 A. I know him well, yes.

22 Q. And what does he do?

23 A. He's the MSHA inspector for San Juan Coal
24 Company.

25 Q. And Mr. Ventner would be in a position to have

1 the MSHA samples and the protocol and the numbers on what
2 the volume is of methane being vented from the mine?

3 A. That is correct.

4 Q. If you're taking these samples, how do you make
5 the calculation to give us a daily average in MCF per gas
6 [sic] being vented? You're talking about 800 to a million
7 a day. How do you get that number?

8 A. Okay, there's two -- Like I said, we would do bag
9 samples on a weekly basis just to correlate, to ensure that
10 our monitors are picking up the same gas content as what we
11 call the AMS system, atmospheric monitoring system, will
12 pick up, and those are instantaneous readings that we have
13 as well.

14 We also have a tube bundle that would take a
15 sample on a half-hourly basis at the top of the shaft, and
16 we have a number of those points underground as well.

17 Q. Has San Juan Coal Company made any proposals to
18 MSHA to change their setback or their safety footages
19 around the gas wells?

20 A. No, we have not addressed that issue in our
21 ventilation plan.

22 Q. Is there a procedure available to you at MSHA
23 where you can address your concerns about the safety
24 distance to stay back from a gas well in the coal?

25 A. It's upon amendment of our ventilation plan. If

1 we produce evidence that that is a potential hazard we can
2 make amendments as -- or apply for amendments to MSHA as we
3 see fit.

4 Q. When was the last time that was done, Mr.
5 Abrahamse?

6 A. The latest amendment to the ventilation plan was
7 approved by MSHA beginning of October for the bleederless
8 system for longwall mining.

9 Q. This was October of last year?

10 A. This year.

11 Q. This year.

12 A. Just gone.

13 Q. It just happened?

14 A. Just happened.

15 Q. So in October of last year when you come on staff
16 -- I think it was the 9th of August you came on duty with
17 San Juan Coal, and by the 30th of August they have
18 identified in correspondence to the BLM that there are
19 concerns about spontaneous combustion, roof stability.
20 You're on board at that point, and the information in that
21 letter is derived from you and your recommendations about
22 ventilation and safety?

23 A. That is correct.

24 Q. Did you recommend to your company that a safety
25 distance of 300 foot around that gas wellbore was

1 sufficient to satisfy your concerns as a ventilation
2 expert?

3 A. Well, at that stage of the game we were hoping to
4 resolve this issue, so we did not know.

5 Q. All right, 14 months later when you go back to
6 MSHA and get these latest changes, have you told them
7 within that 14-month period that you have further concerns
8 about safety caused by these gas wells being --

9 A. They are very aware of our proceedings that we
10 are in today. In the first district for the next three
11 years, in the 100 panel area, LW-101, -102 and -103, all
12 risks have been mitigated for gas wells in that area.

13 Q. Okay, let's look at the map and see how they've
14 been mitigated. Let me show you Richardson Exhibit 1-A.
15 At this point, we're talking about District 1?

16 A. 1 only.

17 Q. 1 only, and the mitigation that's occurred is
18 this gas well down here in the south has been acquired by
19 the Coal Company, and you've gone in there and taken the
20 necessary remedial work so that you can now longwall mine
21 that district?

22 A. That is correct.

23 Q. When you get to District 2 with your longwall
24 mining, what are you going to do about the existing coalbed
25 gas methane well that Mr. Richardson has down in the

1 southeast quarter of that mine district?

2 A. Hopefully, we'll have this little issue resolved.

3 Q. And how do you propose that? We're going to do
4 it with money, right?

5 A. That's what it is.

6 Q. If you'll acquire all of Mr. Richardson's wells
7 that adversely affect the mine district, he's out of the
8 way insofar as you can now mine these districts without
9 having the interference of these wells that are trying to
10 produce the coal gas?

11 A. That is right.

12 Q. Do you have plans for drilling -- or extracting
13 the coal from the balance of either lease area that we're
14 seeing on this display?

15 A. Sorry?

16 Q. Within the Deep Lease and the Deep Lease
17 Extension, there are portions of that lease that are not in
18 proposed district areas.

19 A. I understand your question again, sir, but as --

20 Q. All right.

21 A. -- back where we are today.

22 Q. So why have you omitted portions of the Deep
23 Lease and the Deep Lease Extension from mining districts?

24 A. Sorry, I've missed that one.

25 Q. Let's try it again. In Section 29, Mine District

1 7 is only part of Section 29. Why have you excluded the
2 eastern part of the section?

3 A. Mr. Mercier will be able to fill you in on more
4 exact details of seam lensing, what we call seam lensing.
5 He'll be able to identify what the thin zone consists of,
6 and basically, as Mr. Woomer had indicated, those are areas
7 that were identified to supply our contractual arrangements
8 with the San Juan Company, the generating plant.

9 Q. If Mr. Richardson's wells in the mine district
10 are acquired by you and you're allowed to resolve or
11 terminate the wellbores, do you think it's going to be
12 necessary for you also to acquire the balance of Mr.
13 Richardson's wells in the coal within his Application area?

14 A. Well, I think that's a legal argument at the end
15 of the day.

16 Q. I'm looking at safety issues, mine safety issues.
17 Are you telling me it's going to be necessary to acquire
18 the wells adjacent to the mine districts in order to
19 satisfy your concerns about safety?

20 A. If that -- From a technical aspect, if we are not
21 going to be mining in those areas, then there is no need.
22 But as we stand today, we're in a situation where we have
23 an Application before the hearing, and that's where we are.

24 Q. I don't know how any of this gets resolved,
25 but --

1 A. I don't know --

2 Q. -- let me ask you this: If you've acquired the
3 wells in the mine districts, then those wells outside the
4 mine district, if I understand, do not pose a safety risk
5 that you see as a ventilation expert?

6 A. No, it would not indicate a ventilation risk.

7 Q. If you acquire Mr. Richardson's wells, how are
8 you going to resolve with that that there are 20 other
9 wells that have penetrated the coal, that currently exist
10 within the seven mine districts? What are you going to do?

11 A. I'd say there's a bit of hard work ahead of us,
12 isn't there?

13 Q. How are you going to go about managing that
14 workload?

15 A. If you're talking about job security, I think
16 someone's got to do it, haven't they?

17 Q. Well, what jobs should you and I look for then?

18 A. I know where I'll be.

19 Q. I never know.

20 When we look at the 20 wells in the mine
21 districts under the mine safety ventilation concept, it's
22 going to be necessary for you to acquire the ownership of
23 those wellbores from whoever may own them, correct?

24 A. Correct assumption.

25 Q. In addition, you're going to have to do something

1 about the fact that San Juan Coal does not own the coalbed
2 methane gas?

3 A. That is correct.

4 Q. What is the effect of the injection of nitrogen
5 in the gob on the coalbed methane?

6 A. It's like a ventilation engineer on narcotics.

7 It's a lifesaver from a spon-com point of view.

8 Q. So the idea is, you inject nitrogen into the gob?

9 A. That is correct.

10 Q. You're trying to displace the potential for
11 oxygen --

12 A. That is correct?

13 A. -- saturation in the area? Maybe that's the
14 wrong word.

15 A. Wrong -- Air consists of 80-percent nitrogen.

16 Q. And by increasing the nitrogen level of the
17 air --

18 A. Yes.

19 Q. -- you can reduce the effects of spontaneous
20 combustion?

21 A. That's correct, yes.

22 Q. What effect does the nitrogen injection in the
23 coal gas have on the methane?

24 A. It's not a linear relationship. In the exercises
25 that we have done, we still have a -- once you have a

1 decrease in your oxygen content, you still have a potential
2 increase in your methane. Part of our management plan
3 process is to ensure that when we go through what we call
4 the explosive ranges of gas concentrations, that people
5 will be evacuated. And we just had an exercise three days
6 ago where people were out of the mine for a period of just
7 less than two days while we inertized a specific area.

8 Q. If you're introducing nitrogen into the mine, are
9 you affecting -- How is that gas injection affecting the
10 coal gas well? Is that well going to be producing the
11 nitrogen as well as the methane?

12 A. The coal gas well -- are you making reference to
13 the gob vent boreholes?

14 Q. No, I'm talking about the operator, Richardson's
15 well that is perforated, in fact, in the coal. He's
16 producing the methane.

17 A. If his well is in the middle of our gob, then
18 we've resolved this little issue, haven't we? And we've
19 mined through it.

20 Q. So that's the only way the nitrogen can get into
21 the gas well? You're not introducing nitrogen into the
22 coal system in such a way it could then subsequently be
23 produced by Mr. Richardson's well?

24 A. No, if we were in the unfortunate circumstance of
25 having to leave 600-foot longwall blocks, then that well

1 would not be affected.

2 MR. KELLAHIN: Thank you, madame Chairman.

3 CHAIRMAN WROTENBERY: Thank you.

4 Commissioner Lee?

5 EXAMINATION

6 BY COMMISSIONER LEE:

7 Q. What's cribbing?

8 A. Creeping?

9 Q. Yes.

10 CHAIRMAN WROTENBERY: Cribbing.

11 THE WITNESS: Cribbing. In Exhibit Number --

12 It's a form of secondary support. There are a lot of ways
13 you can -- when you have poor roof and you have an
14 expansion of 20 feet and the roof is sagging, what you do
15 is, you place a secondary support, a passive support as we
16 call it, in those areas. One way -- And basically it is a
17 support from floor to roof, to stop the roof from
18 continuing to come down.

19 Cribbing is the use of timber, timber cogs,
20 sleepers, like a sleeper, and you basically set it up like
21 the kids' blocks, and you build a square of timber from the
22 roof to the floor, and that acts as a passive support.

23 Q. (By Commissioner Lee) What is the nitrogen
24 content you're circulating?

25 A. Injecting?

1 Q. Yes.

2 A. The injection -- at this stage the analysis of
3 samples that have been taken have been 99.95-percent
4 nitrogen.

5 Q. Oh, so you have a separator, the membrane
6 operation on the surface?

7 A. Yes, there is a separate -- We actually have
8 nitrogen gas -- a pipeline from -- Sorry, Lynn?

9 MR. WOOPER: Western Gas.

10 THE WITNESS: Western Gas, sorry, from Western
11 Gas, that is in Kirtland, and they pipe -- We have a
12 pipeline that pumps nitrogen to the surface facilities and
13 then down a borehole all the way to the longwall.

14 Q. (By Commissioner Lee) So how are your personnel
15 down there --

16 A. Sorry?

17 Q. How's your personnel?

18 A. The pressure?

19 Q. Personnel --

20 A. Oh.

21 Q. -- down there? You don't have enough oxygen
22 there.

23 A. No, one of the beauties about inertization
24 processes, in Australia we have a number of systems. One
25 is the use of liquid nitrogen, and that has only been used

1 in the case of major emergencies, what they call Tomlinson
2 boilers, they basically -- jet engines, or engines that
3 produce gases like CO, CO₂, other hydrocarbons and a low
4 oxygen content, and they pump that underground to make
5 things inert.

6 Another system is CO₂, the use of CO₂ as a gas.
7 But because CO₂ is a heavy gas, if you've got a seam that's
8 on an angle, wherever you place it, it will run down to the
9 lower spot.

10 The use of nitrogen, because it's the largest
11 component of air, it's a good gas to use for inertization,
12 for displacement of oxygen. Only where we have the -- if I
13 can describe on this exhibit, on the longwall face we will
14 have points of injection through the seals into the gob, at
15 least two seals behind the longwall face. The idea is to
16 make sure that this area behind -- because you have air --
17 if you can imagine these great hunks of metal sitting side
18 by side, they don't fit flush, there are gaps, right, for
19 the entire thousand-foot face.

20 So as we put air into that point, you have some
21 air go across the back of the gob. So by injecting in the
22 points behind the longwall face, we have the ability to
23 inertize this area and nitrogen to flow to that point.

24 From a monitoring point of view on what we call
25 the tailgate shield we have a methane sensor, an oxygen

1 sensor and an H₂S sensor. As part of the statutory
2 requirements by the face foreman, they will make sure that
3 they have sufficient air across the face, that they do
4 continuous measurements with, and they have meters that
5 identify potential oxygen-deficiency areas.

6 If we had used CO₂, because the seam dips in that
7 direction, so the CO₂ would go straight down there.
8 Nitrogen, being a general-body gas, doesn't have that
9 tendency.

10 COMMISSIONER LEE: No questions.

11 EXAMINATION

12 BY CHAIRMAN WROTENBERY:

13 Q. Just a follow-up question to that. What is the
14 content of the gas at the point that it's vented?

15 A. What is the quality of the --

16 Q. Yeah, how much nitrogen, how much methane?

17 A. It's predominantly fresh air, but you have
18 constitutions of a bit of methane in -- because of the mine
19 workings. You could get a little bit of CO₂, although we
20 produce very, very little. At this -- There's naturally
21 .03 percent in air. We don't produce very much CO₂ from
22 our coal seam.

23 The only other thing that we do produce is CO,
24 carbon monoxide. We have about three to four parts as a
25 general-body carbon monoxide level in our mine, and it is a

1 function of the coal oxidation process.

2 CHAIRMAN WROTENBERY: Did you have some
3 questions? I have a few more.

4 COMMISSIONER BAILEY: No, go ahead.

5 Q. (By Chairman Wrotenbery) Okay. Can you talk a
6 little bit about the seals and how those are --

7 A. -- constructed?

8 Q. -- built? Yes.

9 A. There are -- MSHA have a wide range of
10 construction techniques for seal-building. We employ
11 predominantly two methods. The first method is, we use
12 solid ash blocks -- sorry, concrete blocks, and we build
13 two walls roughly 18 inches apart, and those walls -- in
14 between the two walls it contains gravel. And as we
15 construct it we'll place gravel between the wall and then
16 put what we call a rock-lock material, and a rock-lock
17 material is basically like a two-component glue system, so
18 -- and build that up for the entire width of the heading.
19 So that's 20 foot by 10 foot high. That's one type of
20 seal, and it's called a Micon 550 seal.

21 The second seal that we are currently installing
22 is called a Tech Seal, and it is a cementaceous product
23 that is basically pumped between two frames, and it ranges
24 from five foot wide to seven foot wide. There are criteria
25 for seal construction that are directed to us from MSHA.

1 There are half a dozen different type of seal
2 constructions, but those are the two that we are employing
3 at San Juan Underground.

4 Q. And you construct these seals just behind the
5 miner --

6 A. The longwall --

7 Q. -- as it passes --

8 A. No, no, we actually --

9 Q. -- or when do you construct the seal?

10 A. Say for example, in Exhibit Number 19, when the
11 longwall -- the tip, the front end of the longwall shield,
12 what we call the tip of the shield -- enters that crosscut,
13 we will have done all the prep work in the form of passive
14 support, the structure, the form work on each side, and
15 that seal has to be constructed before the back of the
16 shields goes through that crosscut.

17 Q. Okay, so on this diagram that should be sealed by
18 now, probably?

19 A. In the process of being built.

20 Q. Or in the process of --

21 A. Yes, in the --

22 Q. Okay.

23 A. -- process of being built, yes.

24 Q. Okay. And you expressed concern about the effect
25 of hydraulic fracturing of coalbed methane wells on your

1 seals?

2 A. In the seal side, yes, in the gate roads.

3 Q. In the gate roads?

4 A. Yes. Now, the depiction there was just on the
5 tailgate. But the headgate, headgate 101, the same
6 rationale applies to that.

7 Q. Okay, so it's not that the hydraulic fracturing
8 has an adverse effect on the seals themselves, but it may
9 have an adverse effect on the --

10 A. -- the surrounding --

11 Q. -- the surrounding rock, and --

12 A. It's like a foundation, you know. If you build a
13 house on a weak foundation you potentially -- You line your
14 cherries up, that's what you're doing. You've given
15 yourself an extra cherry on your tote machine.

16 Q. Okay. And then I just wanted to clarify for the
17 roof-stability issue. Where exactly is it that the roof
18 collapses is a primary concern? And you've talked about
19 this to some extent, but I'm not sure I followed all the
20 discussion. And where I'm having a little bit of
21 difficulty is, the mine is designed for the roof to
22 collapse behind --

23 A. Behind --

24 Q. -- the miner?

25 A. Behind the longwall, yes.

1 Q. Yes. So could you summarize again --

2 A. Yes.

3 Q. -- where it is that the collapse creates --

4 A. -- a problem?

5 Q. -- a safety problem --

6 A. Yes.

7 Q. -- or any other kind of operational problem?

8 A. It has to do with the transferring of load, your
9 bending moment of your strata to the face in front of you.

10 As I indicated before, when we talk about --
11 Sorry, referring to Exhibit Number 16, if you can look at
12 the -- and again it's a cartoon arrangement but the
13 engineering principles are exactly the same.

14 Behind the longwall shield your roof breaks away
15 into your first gob area. As that shield moves further
16 away from that initial Zone 1 cave, you get a further
17 failure behind that zone. And that Zone 2 is a total
18 function on the type of roof material that you have, the
19 depth that you mine at, and the consistency of that
20 material. Okay? If you have a material that's got a very
21 high bulking factor, then that height in those zones will
22 change.

23 But what doesn't change is the fact that this
24 support, the top of the shield, is supporting a load that
25 goes back that way. So you actually have a cantilevering

1 effect on your shield.

2 Now, as we explained previously, the reason -- in
3 your heading developments your coal pillars are your -- are
4 primary roof support. It's your -- you know, your bearings
5 on your arch for your support. So your shield and your
6 coal are your two points of support, okay, to carry this
7 load that transfers back to that point, okay, at an angle
8 to the top of that...

9 If we get to this zone where the well is located,
10 and depending on the nature of the frac that was conducted,
11 depending on the extent of the damage in the upper stratas,
12 depending how much we've degraded this material, when the
13 shield gets close to that area and we exert that same
14 bending moment across onto the solid coal, which isn't
15 solid anymore, we then create a potential cavity, a roof
16 fall, in that area.

17 Q. Okay. And in this scenario, you are assuming
18 that the fractures extend outside of the coalbed --

19 A. Yes.

20 Q. -- and into the shale and mudstones and the
21 coalbed?

22 A. I'll be honest, that's a major assumption on our
23 behalf. The literature that Mr. Cox presented, that's why
24 I highlighted that point, that in half of the cases there
25 was some penetration into the upper stratas, depending on

1 the geology of each of those locations, I am saying that
2 for our case, with a whole other mudstone and shale, that
3 we potentially will exacerbate our problems by introducing
4 those cracks into that area, which will then have water
5 that goes into it, which will make that -- which will give
6 it a weaker compressive strength.

7 Q. So you think that the fractures would be
8 propagated into the shales and mudstones?

9 A. There's a good chance of that. To what extent, I
10 wouldn't be able to hold my hand on my heart and say it
11 goes up 10 feet or 15 feet, but to the fact that it will
12 propagate to those areas and give us weaker roof, yeah.

13 Q. Also I had a question, in your prior work in
14 Australia, did you do any coal mining work in a coalbed-
15 methane producing area?

16 A. No, I didn't, no.

17 Q. Okay.

18 A. There is work that -- in the conference that we
19 went to in Denver last year, CBM development is going very
20 strong --

21 Q. In Australia?

22 A. -- in Australia, in the Bowen Basin area. But as
23 most of the coalbed methane projects -- and they are
24 touching on the same issues of oil and gas versus coal.
25 It's, you know, different locations, same --

1 Q. Same --

2 A. -- problem.

3 Q. Okay.

4 A. The availability of areas where CBM is occurring
5 is in more fractured zones, more steeply dipping zones in
6 some cases, in some cases deeper zones where Australian
7 coal mines don't have to go to at the moment. And so in
8 all the cases in our literature search that we looked at, I
9 drew a blank everywhere to try to correlate hydrofrac'ing
10 cases in softer bearing stratas and correlate coal mining
11 activities with that.

12 Q. And then Mr. Woomer had talked about some work
13 that was currently being done to evaluate the potential to
14 recovery the methane. Have you been involved in that work
15 at all?

16 A. There is work that's -- At this stage of the
17 game, no, I've been very much operations-driven. But there
18 is a whole lot of work that is still ongoing at the moment,
19 investigative work. I personally have been involved in
20 methane drainage projects, underground methane drainage
21 processes like -- as part of my previous lives, and so I
22 will obviously have input into it on how we want to conduct
23 ourselves underground, but it's all technical at the
24 moment.

25 Q. What kind of methane drainage work have you been

1 involved in, in the past?

2 A. At the Moura mine we inseam-drilled, what we call
3 inseams. You actually went underground and you drilled in
4 the coal in advance of mining units.

5 Q. I'm just trying to relate that to what I know.
6 Is that some type of horizontal drilling or --

7 A. Purely horizontal drilling from inseam operation,
8 from and underground perspective, yes.

9 Q. Okay.

10 A. There are a host of -- The Denver conference
11 identified a host of alternatives that are out there. We
12 just haven't evaluated, you know, what we want to do and
13 what system is available and who's available. At the end
14 of the day, no one will touch us with a ten-foot pole until
15 we resolve this, you know?

16 Q. Okay, and then one last thing. You had stated a
17 couple of times that you understood that this Application
18 was an all-or-nothing kind of issue.

19 A. Yeah.

20 Q. If I were to tell you that the Commission has
21 quite a bit of discretion to fashion an order that
22 addresses the Application in whole or in part or in
23 different ways, would that affect at all your comments
24 about the wells in the area outside of the --

25 A. Yes --

1 Q. -- mining districts?

2 A. -- it most certainly would, yeah.

3 Q. So do I understand correctly that from the
4 standpoint of the spontaneous-combustion concerns and the
5 roof-stability concerns, that your primary focus is the
6 wells within the mining districts?

7 A. That is correct, yes.

8 CHAIRMAN WROTENBERY: Thank you.

9 EXAMINATION

10 BY COMMISSIONER BAILEY:

11 Q. Referring to the exhibit that you have up on the
12 easel --

13 A. Yes.

14 Q. -- can we assume that there's also Zones 3, 4, 5,
15 6, on up to the surface? And what is the subsidence
16 potential?

17 A. Okay, the subsidence is approximately 80 percent.
18 It's been deemed engineering-studywise to be about 80
19 percent of the recovery of coal that we take out from the
20 seam.

21 If we were back at site, we most probably would
22 be able to give you a really good idea, because we've
23 actually mined 150 -- 160, say, foot from the startoff of
24 the longwall. So again -- Yeah, so you would drop the seam
25 roughly 80 -- you drop the surface roughly 80 percent of

1 the coal thickness that you remove.

2 Q. And you're removing that 13 feet, right?

3 A. Yes.

4 Q. Okay.

5 A. To validate that, you actually need to get -- we
6 need to go and do -- The face is 1000 foot long. The first
7 real numbers that we could identify -- We have survey
8 locations above this Longwall 101 panel. When we reach
9 what we call the square, a thousand foot -- Once we've
10 advanced a thousand foot and we have a thousand-foot face,
11 that will give us the most correct subsidence levels that
12 we will see at the San Juan area. It is very typically
13 dependent on the bulking factor of the overlying strata,
14 you know.

15 Q. Logically, in my mind, the faster that your
16 milling machine can eat through the face of the coal wall,
17 the better the business for you?

18 A. The better the business for the ventilation
19 engineer to inertize his gob, yes.

20 Q. That means the faster the coal is produced, the
21 better for San Juan Coal Company?

22 A. No. No, San Juan Coal Company has got a very
23 funny arrangement. Its contract for the generating plant
24 is very definite to tons of coal produced for a given time
25 frame. It is not like anything I've ever worked for. You

1 are correct when you say the faster we cut coal, the more
2 coal that gets on the surface, the more we sell -- In every
3 real world that I have lived in, that's been the case.

4 San Juan's agreement with the generating power
5 station is totally different. They have identified a set
6 amount of coal they want on an annual basis, nothing more,
7 nothing less.

8 Q. So there's no advantage for the coalbed to be
9 fractured, making it easier to mill through?

10 A. Sorry?

11 Q. Because I'm more familiar with the drilling rate
12 going through coal --

13 A. Right.

14 Q. -- than chewing it horizontally, the rate of
15 penetration in a fractured coal is going to be very much
16 different from the rate of penetration of an unfractured
17 bed. So logically I was trying to find whether there would
18 be an advantage to San Juan Coal Company to be milling
19 through a fractured bed. Am I completely off base?

20 A. No, the situation that would arise, that if we
21 had ownership of well and we removed the well casing, as
22 the ventilation engineer I would identify that zone as
23 being a critical zone. Okay?

24 In that critical zone we would then clearly
25 identify a maintenance time frame and clearly identify a

1 coal-cutting time frame so that we would move through that
2 particular area in a timely manner.

3 The same applies for any geological structures
4 that you have. If you go through a geological structure
5 that goes across a thousand-foot face, the worst thing you
6 can do is stop, have a drink, wait a couple of days and
7 start again. You know, from a geological point of view
8 that's putting yourself in a vulnerable position.

9 So again, from a risk-management process you
10 would want to move through that particular zone, if the
11 well is removed, and go through that area, so that you
12 wouldn't have this abutment load cantilevering in that
13 particular area, creating a weakness above your shields.

14 Q. Just so I get it very clear in my notes, you
15 mentioned that 800,000 to a million MCF per day of methane
16 is being ventilated. But yet we've also heard that .1, .2
17 percent of the ventilated air is methane. So is it a
18 million MCF per day of methane or a million MCF per day of
19 the gas mixture that's being ventilated?

20 A. The calculation is the quantity of air that comes
21 up the shaft times your -- and we measure that in feet per
22 minute. So you multiply that by 60, multiply that by 24
23 and multiply that by your percentage that you are recording
24 at that time of methane coming out the mine, and that's --

25 Q. Okay, so the bottom line is 800,000 to a million

1 MCF per day of methane?

2 A. Of methane.

3 Q. And no taxes and no royalties are being paid on
4 this?

5 A. No, it is my understanding that that's part of
6 the MSHA requirement to ensure that you dilute any noxious
7 and harmful gases out of coal mining.

8 CHAIRMAN WROTENBERY: Just to clarify, I think
9 the testimony was 800,000 to a million cubic feet per day,
10 rather than 800,000 to a million MCF.

11 THE WITNESS: Oh, sorry. Yes, cubic feet. And
12 like I said, you know, that encompasses -- that's the
13 entire 14 miles of headings at 20 feet by 9 feet, you know?
14 So you're looking at a perimeter -- Because we leave coal
15 in the roof, a little bit in the floor and also your walls,
16 your entire mine entry, what you see in Exhibit 17, has a
17 dimension of 20 foot across, 9 foot down, 20 foot on the
18 floor and 9 foot up, you know. So you're looking at --
19 what? That's 58 feet of exposed perimeter, times 14 miles,
20 you know.

21 Q. (By Commissioner Bailey) So most of this methane
22 that's being vented is from Section 35?

23 A. No, that's what I'm saying, that --

24 Q. I'd like to hear a specific section or sections
25 that contribute to the --

1 A. Well, the sections would be where the actual
2 markings are of our coal mine at the moment.

3 So it's the very bottom half -- the bottom line
4 between 22 and 27 -- It gets very messy, but it's where the
5 workings are on your Exhibit Number 10. That constitutes,
6 you know, approximately 14 miles of heading. So it's, you
7 know --

8 Q. Okay, primarily from Sections 26 and 35?

9 A. 26 and 35, yes.

10 COMMISSIONER BAILEY: Okay, thank you.

11 CHAIRMAN WROTENBERY: Anything further?

12 MR. AUSHERMAN: I just have one point of
13 clarification.

14 FURTHER EXAMINATION

15 BY MR. AUSHERMAN:

16 Q. Commissioner Lee had asked you some questions
17 about the safety of the air for the people working in the
18 environment underground.

19 Do miners working in the area of the face wear
20 individual monitoring devices?

21 A. They most certainly do, yes.

22 Q. Do those monitoring devices monitor for different
23 kinds of gases?

24 A. Oh, yes. Yes, they measure one unit, our
25 industrial scientific unit measures for four gases, your

1 oxygen, methane, CO and H₂S, and then we have other
2 individual units that just monitor H₂S for -- because we
3 have that in our seam, we have MSHA specifications on
4 limits that we're allowed to mine in.

5 MR. AUSHERMAN: That's all, ma'am.

6 CHAIRMAN WROTENBERY: Mr. Kellahin, did you have
7 anything else for Mr. Abrahamse?

8 MR. KELLAHIN: Nothing further, thank you.

9 CHAIRMAN WROTENBERY: Thank you very much for
10 your testimony, Mr. Abrahamse.

11 THE WITNESS: Thank you.

12 CHAIRMAN WROTENBERY: And I think it's just about
13 time to take a break, but could we talk just a little bit
14 about scheduling?

15 MR. AUSHERMAN: Yes.

16 CHAIRMAN WROTENBERY: How does it look at this
17 point, and what should be our plan for the rest of the day?

18 MR. BRUCE: The next two witnesses are a
19 geologist -- an engineer and a geologist, and they will,
20 combined, be fairly brief.

21 I don't know if we will get through two of them
22 today or maybe all three. Our final witness is our
23 reservoir engineer, and I think it would be wise to wait
24 until tomorrow morning for him.

25 CHAIRMAN WROTENBERY: Okay. Well, let's take a

1 ten-minute break then.

2 (Thereupon, a recess was taken at 3:10 p.m.)

3 (The following proceedings had at 3:27 p.m.)

4 JOHN M. MERCIER,

5 the witness herein, after having been first duly sworn upon
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. BRUCE:

9 Q. Would you please state your name for the record?

10 A. My name is John M. Mercier.

11 Q. Could you spell your last name for the court
12 reporter?

13 A. M-e-r-c-i-e-r.

14 Q. Where do you reside?

15 A. I live in Farmington, New Mexico.

16 Q. Who do you work for and in what capacity?

17 A. I work for the San Juan Coal Company, and I'm a
18 senior mine geologist for the underground mine.

19 Q. What are your duties at the San Juan Underground
20 Mine?

21 A. Basically, I manage the geologic program. I'm
22 involved with data acquisition, drilling programs, data
23 correlation, modeling work with safety and operations and I
24 gather geologic information, document geologic features
25 underground, mapping and things like that. I try to relay

1 that information to the safety and operations people and
2 try to work -- or build predictive maps of hazardous
3 conditions or geologic features in advance of mining.

4 Q. Have you previously testified before the Oil
5 Conservation Division or the Commission?

6 A. No, I have not.

7 Q. Could you summarize your educational and
8 employment background for the Commissioners?

9 A. I have a bachelor of science in geology from the
10 University of Redlands in California, and I have a master's
11 in geology from Washington State University.

12 Basically my professional experience, I have
13 worked for a variety of consulting and engineering
14 companies. Starting in about 1975 I worked for Resources
15 Company and Kaiser Engineers on the Kaiparowits Plateau
16 Coal Project. From there I consulted for some utilities,
17 Utah Power and Light, specifically, from 1976 to 1978;
18 worked for an international rock mechanics firm, Seegmiller
19 International, from 1978 to 1980; and worked for Getty
20 Mining Company from 1980 until Texaco took it over, and
21 then that moved it to Cyprus Minerals and into RAG Mining
22 Company until November of 2000. Since that point I've
23 worked for Norwest Consulting or Norwest Engineers in Salt
24 Lake City for a period of months, and most recently for
25 RAG.

1 Q. When did you become employed by San Juan Coal
2 Company?

3 A. In the latter part of August, 2001.

4 Q. Okay. And does San Juan Exhibit 21 contain your
5 résumé?

6 A. It does not. That's about a year and a half out
7 of date there.

8 Q. Okay, it's not your current résumé, it was your
9 prior one?

10 A. Right.

11 Q. It omits your BHP or San Juan Coal Company
12 experience?

13 A. Yes, it does.

14 Q. Okay. And are you familiar with the coal geology
15 involving the San Juan Underground Mine?

16 A. Over the past 14 months I've become familiar with
17 that, yes.

18 MR. BRUCE: Madame Chair, I'd tender Mr. Mercier
19 as an expert geologist with a specialization in coal
20 geology.

21 CHAIRMAN WROTENBERY: Any objection, Mr.
22 Kellahin?

23 MR. KELLAHIN: No objection.

24 CHAIRMAN WROTENBERY: We find him so qualified.

25 Q. (By Mr. Bruce) Mr. Mercier, could you first

1 identify San Juan Coal Company Exhibit 29 for the
2 Commissioners?

3 A. Okay, that is a report I generated from the Coal
4 Company, San Juan Coal Company's geologic database. And in
5 that I was trying to summarize the -- in our database, the
6 total coal thicknesses that we have noted from all our
7 drill holes. We have approximately -- We have over 400
8 drill holes we're using for a database. And in there I've
9 also noted the thickness of the lower Fruitland Coal, which
10 we're calling the Movable 8 Seam here. And so the middle
11 column, entitled Total Coal, shows the total thickness that
12 we would have in the Fruitland formation, that we've noted.

13 Q. Okay. Now, the movable 8 Seam is what is
14 sometimes referred to as the basal coal?

15 A. Right. Actually, there is a bit more coal
16 thickness in the 8 Seam. The movable, we have identified
17 for computer modeling as the -- The coal seam is built up
18 of a series of benches. Maybe I should digress a little
19 bit here.

20 Q. Oh, sure.

21 A. As a coal mining geologist, we focus on the
22 detail in the seams of interest. We look for the detail
23 because small changes in thickness or quality have big
24 impacts on underground operations. So we have broken the
25 seam down into five plies or benches. Each one of those

1 benches are separated by a volcanic episode or a series of
2 episodes. So we have 8-1 on the bottom to 8-5 on top.

3 And also there is a rider seam, or another
4 separate, thinner seam that is in part connected to the
5 main 8 Seam and can get up to 15 feet or more above the
6 seam, and that may have been included in what Richardson
7 identifies as the upper Fruitland Coals, so...

8 Q. Okay. Now, you were here during Mr. Hively's
9 testimony, were you not?

10 A. Yes, I was.

11 Q. And he used well logs to measure his thicknesses?

12 A. Right.

13 Q. And as a matter of course -- You look at it a
14 little bit differently than Mr. Hively does?

15 A. Yes, we do.

16 Q. And as a matter of course, do coal geologists
17 usually look at these drill holes and cores that they take
18 when determining what is minable?

19 A. Yes, we do. In part, where we don't have company
20 data, we've gone out and acquired the oil and gas logs, and
21 in those cases I've identified basic -- you know, as
22 closely as possible, the seam thickness from those logs.
23 They're not the logs that we would typically use in our
24 exploration programs. And our -- We've also gathered
25 information from USGS drilling programs and any other

1 source that we could.

2 Typically for the Coal Company, or San Juan Coal
3 Company, we would drill a hole down to above the coal seams
4 of interest and then core that zone. And the reason for
5 that is to gather samples for coal quality, for strength
6 testing, for gas desorption, for quality parameters, you
7 know, which is part of a typical program.

8 And then we would geophysically log the hole.
9 And some of the geophysical curves would be gamma, bulk
10 density or compensated density so we can really tie the
11 thickness and the character of the seam, especially in
12 areas where, if we didn't get complete core recovery, we
13 could get much closer on coal thickness. We also run the
14 curves slower, so the curve has more time to adjust, and we
15 get a tighter control on thicknesses and things like that.
16 We also run neutron in some cases, sonic resistivity and
17 caliper. All of them are important to define the character
18 of the coal seam.

19 Q. Now, it's fair to say that your interpretation of
20 the minable coal or the Seam 8 coal is probably more
21 conservative than Mr. Hively's?

22 A. Yes. One thing here in the report I've
23 generated, my database identifies coal, volcanic ash bands,
24 shales -- you know, it breaks it out. So this is probably
25 quite conservative. I'm giving coal only there. The seam

1 itself could be a couple -- or a foot and a half thicker if
2 I add the ash-band zones in.

3 Q. If you take the total -- not what you call
4 minable 8 Seam coal, but the whole Seam 8 coal, is there an
5 average ash content in the coal?

6 A. Okay, just -- The total coal designation, that
7 includes all of the rider coals in the section and the 9
8 Seam or the upper Fruitland Coal thickness and any other
9 coals that we've seen in the coring or the geophysical
10 logging, probably to half a foot, if we could define that.

11 And your question again? I'm sorry.

12 Q. And the question is, what is the average ash
13 content in the coal in this area?

14 A. For the -- Let's say the minable 8 seam, we're
15 probably looking for something like 17 to 23 percent. And
16 that would include the ash bands and so on.

17 Q. Okay. Let's move on to your next exhibit, 30,
18 and could you identify that, please?

19 A. Thirty is a cross-section. I generated the
20 cross-section, trying to follow a cross-section from a
21 previous Richardson exhibit.

22 Q. Okay. Now, when you say previous -- Hold on a
23 minute, Mr. Mercier.

24 When you say previous Richardson exhibit, you're
25 talking about the Richardson geology that was done for the

1 original Division hearing?

2 A. Yes.

3 Q. You're not talking about Mr. Hively's exhibits?

4 A. No.

5 Q. Okay.

6 A. No, I'm not.

7 CHAIRMAN WROTENBERY: Mr. Bruce, may I ask -- I
8 have a little different exhibit than everybody else has,
9 apparently.

10 MR. BRUCE: Well, you got short-changed --

11 CHAIRMAN WROTENBERY: I did.

12 MR. BRUCE: -- because so did I.

13 CHAIRMAN WROTENBERY: Okay. That's okay, I'll
14 look on with -- Is this the same --

15 MR. BRUCE: That should be the same, yes.

16 CHAIRMAN WROTENBERY: -- it's just a miniature of
17 the --

18 MR. BRUCE: Exhibit 30, yes, ma'am.

19 CHAIRMAN WROTENBERY: Okay.

20 THE WITNESS: And under the seam, this is roughly
21 the cross-section from northwest to east, across the Deep
22 Lease and Deep Lease Extension. And what I show there is
23 some of the detail that I have in the database, the
24 lithologic columns we created from our database and the
25 detail on the coal thicknesses for both the 8 Seam, which

1 is the lower bench, and the 9 Seam --

2 Q. (By Mr. Bruce) Okay.

3 A. -- and our coal thicknesses, which should match
4 the report that I generated.

5 Q. Okay, so then down below each of these well logs
6 or boreholes there's numbers in black, and those are the
7 coal thicknesses that you have calculated, and that would
8 be the total coal, the lower and the upper?

9 A. Yes, and any rider seams and splits, we --

10 Q. Okay.

11 A. -- figure that a half a foot.

12 Q. And now although the point is kind of moot, what
13 are the red numbers immediately below your black numbers,
14 say on the left-hand side, that 58 number?

15 A. That 58 number is a composite of the previous
16 isolith maps that we had as Richardson exhibits, showing
17 the thickness through the cut of the cross-section --

18 Q. Okay, so --

19 A. -- for both the upper and lower coals.

20 Q. Okay. So anyway, you found 15.9 feet, and not
21 Mr. Hively but Richardson's previous geologist found 58
22 feet of coal in that same position?

23 A. Yes.

24 MR. BRUCE: Okay.

25 CHAIRMAN WROTENBERY: Mr. Bruce, I may have

1 missed some of the foundation here for this particular
2 cross-section. Do we have a map that shows where these
3 boreholes are located, or did --

4 MR. BRUCE: You know what, we -- I do not have my
5 -- I don't. I can get that for you, I believe I can get
6 that for you maybe for tomorrow morning, but it is -- What
7 it was was, the prior Richardson geologist had a cross-
8 section, more or less of a west-east cross-section, and
9 this mirrors that cross-section.

10 Now, we should have had a -- we meant to place it
11 on our next map, and if it's okay with you what we could do
12 is, at the end of the day we could highlight it on one of
13 our maps so you can see exactly where it is.

14 CHAIRMAN WROTENBERY: That would be great.

15 Q. (By Mr. Bruce) And then, Mr. Mercier, is your
16 next exhibit, Exhibit 31, is that essentially the same?
17 Richardson had two cross-sections previously, an east-west
18 and a north-south, and your Exhibit 31 is simply a mirror
19 of the original Richardson north-south cross-section?

20 A. That's essentially correct. As closely as
21 possible I've followed that trend, and this is more on a
22 north-south section, but I've used our drill-hole data.

23 Q. Okay. And again, the numbers at the bottom
24 reflect your calculation of the coal thickness, as opposed
25 to Richardson's prior coal geologist and his coal thickness

1 numbers?

2 A. Yes.

3 Q. Okay. Let's move on to your next exhibit, and I
4 think we'll be fairly brief with this exhibit, but would
5 you identify it for the Commission and highlight what the
6 colors mean on this map?

7 A. Okay, this is Exhibit 32, and what I've shown
8 here in color is basically the total coal thickness in the
9 Fruitland zone across the Deep Lease here and the Deep
10 Lease Extension.

11 And basically there's a color code on the right-
12 hand side showing, you know, an aggregate thin zone cutting
13 from the west to the northeast, and --

14 Q. At the top of the chart?

15 A. At the top of the map. And the general total
16 thickness of the coals across.

17 Part of what I do is develop depositional models
18 so we can better understand the coals, you know, in those
19 benches and try to reconstruct what was happening 70
20 million years ago. There's a large distributary drainage
21 across -- you know, like a drainage in the Mississippi, is
22 a modern counterpart, and we can see episodes of flooding
23 and over-bank flow that come down into the property and
24 thinned-out coals in certain areas and some of the
25 resultant effects that impact our ability to mine in those

1 areas. So all of the fine detail is very important to us.

2 And also on the exhibit in green are the existing
3 works we have now where the first panel in the first
4 district shows basically where we've mined up, and I have
5 even greater detail at the mine documenting conditions and
6 features that we've encountered underground. And I'm
7 trying to project those features into other areas of the
8 mine.

9 Q. And on that map -- There's been some comment
10 before about areas, there's some space between the mining
11 districts. That northwest-southeast-trending area, what is
12 that?

13 A. That -- My interpretation of that low-coal area,
14 again in our minable Number 8 Seam, in the bottom part of
15 the number 1 bench of the 8 Seam, we have loss of thickness
16 in that zone. And what that is, likely, is an overflow or
17 a storm event that created what's called a crevasse splay.
18 And it actually breaks through the banks of that
19 distributary to the north and flows across the swam, and it
20 displaced peat -- or is contemporaneous with the peat
21 formation, so you didn't get the formation of that bottom
22 bench. And we also can see smaller features developing off
23 of that.

24 So this area has a very large -- like a mudstone
25 fan in the basal part of the seam that sweeps across this

1 area. And, you know, there's a whole lot of features that
2 are important to us, to help us understand what the floor-
3 bearing capacity is going to be of the seam, seam quality
4 in certain benches, so -- and that would -- some of the
5 higher ash zones, we would be able to identify as certain
6 depositional causes, and also let us plan on periods of
7 changes in our coal quality as we produce that.

8 Q. Okay. Now, as part of San Juan's evaluation of
9 the coal in its mine, did it have desorption tests
10 conducted at certain parts of its leases?

11 A. It did. There are, I think, several different
12 companies that were involved with the desorption sampling.

13 Q. Out of how many wells were samples taken?

14 A. Let's see, of -- like the in-house, 300 holes or
15 270 holes, we probably had 17 or 18 holes that were sampled
16 for desorption.

17 Q. Is there just one desorption sample taken per
18 hole?

19 A. Our files show that typically we took four to ten
20 or more samples per seam --

21 Q. Okay.

22 A. -- per hole.

23 Q. So really, the number of data point is more like
24 100 or something, rather than 18?

25 A. Yes.

1 Q. And those tests were provided to your consulting
2 engineer?

3 A. Yes.

4 Q. Just one final issue. There's been some
5 questions about the effect of fracturing ahead of the
6 mining. Could you address that from your geologic
7 standpoint?

8 A. One of the reasons why I came down to work for
9 BHP is, you know, we're starting in a major underground
10 operation in a new basin as -- you're new in the Basin,
11 you're in a new field, you're seeing things that really no
12 one else has seen. I do a lot of very detailed mapping
13 underground. As the entries are developed by the mining or
14 the operations, I get in and map practically every
15 fracture, every split variation. You know, that's
16 important to what I do in our predictive side of things.

17 So I've mapped -- Very commonly we have slump
18 features, which are soft sediment deformation faults. They
19 have moved during compaction and they have slickensided or
20 mirror-smooth surfaces. Those slump features are both
21 peat-contemporaneous in the lower part of the seam, they
22 happened while it was still peat and there's movement, and
23 you see these features offsetting the seam a little bit, a
24 couple feet. I've done everything from a half foot to over
25 seven feet.

1 And you can see slumping or compaction after the
2 seam was completed and covered over with mudstone. So
3 they're slumps that go into the seam but, you know, were
4 propagated up in the roof.

5 We've also got exposures in the adjacent surface
6 mines. So we can follow our seam for thousands of feet and
7 see large-scale slump features in them. And it's, more
8 than anywhere that I've worked in 27 years, displaced as
9 soft sediment deformation because of the soft strength of
10 the strata. It's very clay-rich. And the roof is
11 characterized by slumps, these small features that range
12 from a half foot to more than that.

13 Q. Were Exhibits 21 and 29 through 32 prepared by
14 you or under your supervision? 21 is simply your résumé.

15 A. Okay, through -- ?

16 Q. And 29 through 32?

17 A. Yes, they were prepared by me.

18 Q. And in your opinion should Richardson's
19 Application be denied?

20 A. Safetywise, for the safety of the people working
21 underground, I believe so, you know, for what would impact
22 the safety of the people underground. The last mine I
23 worked at had a fire and explosion and killed some guys.

24 MR. BRUCE: Thank you, Mr. Mercier.

25 I'd pass the witness.

1 MR. KELLAHIN: Mr. Mercier, your geological --

2 CHAIRMAN WROTENBERY: Would you like us to
3 introduce --

4 MR. BRUCE: Oh, yes, excuse me. I'd move the
5 admission of Exhibits 21 and 29 through 32.

6 MR. KELLAHIN: No objection.

7 CHAIRMAN WROTENBERY: Okay, those exhibits are
8 admitted into evidence.

9 CROSS-EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Mercier, your geologic objectives as a
12 geologist for a coal mine are different from Mr. Hively's
13 objectives as a geologist for methane coal gas production,
14 are they not?

15 A. Not entirely. Mr. Hively is, you know,
16 identifying his resource, his source for coalbed methane,
17 and I'm identifying a coal material that is, you know,
18 going to be mined, but they're --

19 Q. That is the difference, then?

20 A. Yes.

21 Q. You're mining a coal member to determine if it is
22 thick enough to be minable?

23 A. Right.

24 Q. And you're looking for a quality of coal that is
25 minable?

1 A. That's correct.

2 Q. So when you're picking the top and the bottom of
3 the basal coal, that's your objective?

4 A. Right.

5 Q. Mr. Hively's objective for the gas company is to
6 look at a coal thickness that would contain methane that
7 could be produced out of the coal? They're not necessarily
8 the same, are they?

9 A. Not entirely the same, but the principles, I
10 think, are close to the same.

11 Q. How many coalbed methane projects have you worked
12 on as a geologist to pick coal thicknesses for a gas
13 operator in the coal?

14 A. Perhaps only one. The previous mine, we had a
15 gas company as a joint venture or joint partner, and the
16 data that I gave to them was important in their evaluation
17 of the resource available.

18 Q. Did you participate on behalf of San Juan Coal
19 Company in the committee process in the San Juan Basin to
20 study the coal and determine the density of wells to be
21 drilled in the coal?

22 A. For exploration?

23 Q. For any purpose?

24 A. I have -- Since starting with BHP I've conducted
25 several drilling programs. One was exploration to the

1 north to define the distributary system, and the others
2 were to develop the gob vent borehole system.

3 Q. Was that study part of your participation with
4 the industry committee under the chairmanship of Mr. Hayden
5 up in Farmington with the Oil Conservation Division?

6 A. No, sir.

7 Q. You didn't participate in that committee work?

8 A. No.

9 Q. Did you testify at the October hearing on behalf
10 of your company, in which the Division considered changing
11 the density in the underpressured area of the pool?

12 A. No.

13 Q. Did you avail yourself of the opportunity to look
14 at the geologic data submitted by Burlington in that
15 hearing, to talk about coal thicknesses and coal quality in
16 the underpressured area of the coal?

17 A. No, I did not.

18 Q. Are you aware that the Burlington presentation in
19 that case was based upon log calculations of coal, and not
20 coal coreholes?

21 A. No.

22 Q. When we look at your map, how many coreholes in
23 the coal do we have in Richardson's Application area?

24 A. I don't know what the exact number is.

25 Q. When we look at Exhibit 29, how many total

1 coreholes are we looking at? Don't we have an Exhibit 29
2 that shows the coreholes?

3 A. That includes public-record drill holes that have
4 both core and/or just geophysical logs. That includes
5 rotary holes with geophysical logs from surface operations,
6 oil and gas holes from public record like are on file at
7 the BLM, and also San Juan Coal Company coreholes, with or
8 without geophysical logs.

9 Q. Can we go through this exhibit and have you tell
10 us how it's indexed so we can find the drill holes
11 identified with the cores the San Juan Coal Company has
12 generated in this mine area?

13 A. This report, you wouldn't be able to do that, per
14 se, unless you were familiar with all of the drill holes
15 that could be available --

16 Q. So I can't take Exhibit 29 and figure out which
17 one of these coreholes represent core data points the
18 company has developed within Richardson's Application area?

19 A. You could go take the drill hole name and locate
20 those drill holes on Exhibit 32 and find out which --

21 Q. You can count them up, right?

22 A. Yeah, count them up.

23 Q. And you've not yet counted them up to figure out
24 how many of those coreholes are within Richardson's project
25 area?

1 A. I haven't done that specifically, no.

2 MR. KELLAHIN: No further questions.

3 CHAIRMAN WROTENBERY: Commissioner Lee?

4 COMMISSIONER LEE: No.

5 CHAIRMAN WROTENBERY: Commissioner Bailey?

6 EXAMINATION

7 BY COMMISSIONER BAILEY:

8 Q. What do you see as the orientation for the
9 primary fractures of the cleat system?

10 A. Primary cleat would be north-50-east. I think
11 that's the -- And secondary or butt cleat would be about
12 north-50-west.

13 Q. Thank you.

14 A. North-40, say north-40-east and north-50-west for
15 a butt cleat, yes.

16 COMMISSIONER BAILEY: Thank you.

17 CHAIRMAN WROTENBERY: Did you have any follow-up,
18 Mr. Bruce?

19 MR. BRUCE: I have no further questions.

20 CHAIRMAN WROTENBERY: Thank you very much for
21 your testimony, Mr. Mercier.

22 MR. BRUCE: Madame Chair, Exhibit Number 33 is
23 simply a San Juan Basin map, just for informational
24 purposes. If Mr. Kellahin has no objection, I would just
25 move the admission of that exhibit.

1 MR. KELLAHIN: Not a problem.

2 CHAIRMAN WROTENBERY: San Juan Coal Company
3 Exhibit Number 33 is admitted into evidence.

4 Mr. Bruce, at a hearing last week Mr. Kellahin
5 marked all over Mr. Carr's exhibit, so he's been very
6 restrained. I don't know --

7 MR. BRUCE: God bless him.

8 MR. KELLAHIN: We're not done yet.

9 (Laughter)

10 MR. BRUCE: He's not as mad at me as...

11 PAUL C. BERTOGLIO,

12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. BRUCE:

16 Q. Could you please state your name and city of
17 residence for the record?

18 A. Yes, my name is Paul Bertoglio -- that's spelled
19 B-e-r-t-o-g-l-i-o -- and I reside in Casper, Wyoming.

20 Q. And by profession what do you do?

21 A. I am a petroleum engineer.

22 Q. Who do you work for currently?

23 A. I am a co-owner of an oil and gas company called
24 RM Energy.

25 Q. In Wyoming?

1 A. In Casper, Wyoming.

2 Q. Okay. What is your relationship to San Juan Coal
3 Company in this matter?

4 A. San Juan Coal Company is a -- BHP was a sister
5 company of BHP Petroleum, who I had worked for for 13
6 years. After I went out on my own BHP had sold all their
7 oil and gas assets onshore, as well as pretty well disposed
8 of all their engineering talent that related to anything
9 onshore. They were looking for an outside petroleum
10 engineer that could give them some advice. They
11 contacted --

12 Q. San Juan Coal Company?

13 A. San Juan Coal Company. They contacted me, and I
14 believe it was about early 1996 when the Coal Company was
15 looking at the potential to do some underground mining and
16 was just doing some scoping work at that point.

17 Since that time, I have worked to advise them
18 beyond the scoping portion, which included locating problem
19 wellbores, pipelines that need to be relocated, reserve
20 analysis, reviewing outside reports that included anything
21 from MSHA to reserve reports, reviewing methane tests, just
22 the whole gamut of anything that related to the oil and gas
23 operations.

24 Q. Okay, to advise the Coal Company on oil and gas
25 matters?

1 A. Yes.

2 Q. Have you previously testified before the Oil
3 Conservation Division?

4 A. Yes, I have.

5 Q. And were your credentials as an expert petroleum
6 engineer accepted as a matter of record?

7 A. Yes, they were.

8 Q. And are you familiar with the oil and gas
9 engineering related to the Application area in this case?

10 A. Yes, I am.

11 Q. Now, if I could, could you just briefly go over
12 your employment history, because you said you were
13 previously employed by a predecessor -- or I should say a
14 sister company to San Juan Coal Company.

15 A. Yes, I graduated from Montana Tech, Montana
16 School of Minerals Science and Technology -- that was the
17 name at that point -- in 1981 with a bachelor of science
18 degree in petroleum engineering.

19 I went to work for a small company called Energy
20 Reserves Group in Casper, Wyoming. I worked for them for
21 about five years in the capacity as a petroleum engineer,
22 which included all facets of petroleum engineering, which
23 included drilling, production, reservoir, I did a lot of
24 geology, permitting. We were a very small company. My
25 area of primary focus was the San Juan Basin. At that

1 point in time Energy Reserves Group had operations in about
2 300 wells, including one that I learned a tremendous about
3 this area in the Gallegos Canyon Unit.

4 Q. And for reference, the Gallegos Canyon Unit where
5 -- Mr. Cox used a number of wells from that unit --

6 A. Yes.

7 Q. -- in his analysis?

8 A. Yes.

9 Q. Okay.

10 A. Energy Reserves Group was bought by BHP. At that
11 point -- it was approximately November of 1985, they wanted
12 to get into the United States. BHP was -- At that point in
13 time their only oil and gas assets were in the Bass Straits
14 in Australia. They were looking to expand worldwide. They
15 bought Energy Reserves Group.

16 Subsequently they bought -- in about another
17 eight-month period they bought Monsanto's oil and gas
18 assets. They merged the two companies together and
19 consolidated the companies under BHP Petroleum.

20 At that point in time, unfortunately, we also had
21 a very significant downturn in the oil and gas industry,
22 and they closed quite a number of offices. I went from the
23 petroleum engineering side into the petroleum operations
24 side, where I was the superintendent of operations in
25 Farmington and actually lived there for about 15 months. I

1 had managerial responsibilities over employees as well as
2 oil and gas assets of about 20, 25 million a day and about
3 a thousand barrels of oil.

4 I stayed there for about -- as I said, till about
5 November of 1987, moved to Oklahoma City as a senior
6 petroleum engineer. I was there for two years, and that
7 was the only time I was really out of the Rockies area, as
8 far as engineering focus. They again went through another
9 downturn in the industry, and we closed all our engineering
10 -- offices that had engineers in, and moved to Houston.
11 Lived in Houston and worked for BHP for five years, where I
12 did a significant number of different tasks ranging from
13 acquisition analysis to senior engineering. Engineering
14 supervisor was my final position when I left.

15 I went to work for Snyder for a short period of
16 time in Denver and elected at that point in time to strike
17 out on my own, and I have a business partner and we have
18 been in business since 1995 and focusing on oil and gas
19 acquisitions.

20 Q. And did your experience at Energy Reserves Group
21 and BHP include experience with respect to production from
22 both the Fruitland Coal and the Pictured Cliffs formation?

23 A. Yes.

24 MR. BRUCE: Madame Chair, I'd tender Mr.
25 Bertoglio as an expert petroleum engineer.

1 MR. KELLAHIN: No objection.

2 CHAIRMAN WROTENBERY: We accept Mr. Bertoglio's
3 qualifications.

4 Q. (By Mr. Bruce) Mr. Bertoglio, could you identify
5 San Juan Exhibit 34 and discuss its contents?

6 A. Exhibit 34 is a production plat indicating all
7 penetrations that were focused on the Pictured Cliff or
8 Fruitland Coal. That does not include all penetrations
9 that were somewhat deeper that were exploration holes, but
10 by and large it's representative of all the wells. Really,
11 the primary focus was the Pictured Cliff and Fruitland.

12 Q. Now, it's not outlined on here, but does this
13 include the entire Application area of Richardson
14 Operating's Application?

15 A. To the best of my knowledge, yes.

16 Q. Okay, this is just an orientation map?

17 A. This is a typical map. Anytime I get an area,
18 this is probably the first map I make.

19 Q. Okay, let's skip one and move on to your Exhibit
20 36, and could you describe what type of production was
21 coming from the Application area?

22 A. In reviewing the area, one of the first reports I
23 did, actually looked at the potential. And from that it
24 became fairly clear that the Pictured Cliff, as almost
25 every expert will testify, is very poor. To what degree --

1 I would classify it very poor.

2 So when I started seeing Pictured Cliff
3 production that was, in my opinion, Fruitland Coal
4 Production, I started really questioning what was
5 completed, and it's --

6 Q. And what type of materials did you review to make
7 your determination?

8 A. Well, a Fruitland Coal well, or any coal well,
9 has some very unique characteristics that are different
10 than conventional wells. Conventional wells typically --
11 the best date of production is first, thereafter you're
12 seeing declining pressure and the wells typically tend to
13 decline accordingly. Coal wells typically come on with
14 high water, low gas, inclining production.

15 What I'm trying to depict with Exhibit 36 is a
16 review summarizing the production characteristics of the
17 Pictured Cliff-only completions in light of what a coal
18 well would look like. And to do this, the first three
19 columns are primarily driven by examination of production
20 history.

21 Again, typically a Pictured Cliff producer would
22 have a high initial gas rate. So in reference to the WF
23 State Number 36, using it as an example, a typical Pictured
24 Cliff would have a very high initial gas rate, and a coal
25 well would typically have a low one. So there I put a

1 note, high initial water production. Pictured Cliff
2 producing wells, with the exception of maybe one that I'm
3 aware of, and that one is questionable, typically do not
4 produce high quantities of water. A few barrels a day
5 would be a high Pictured Cliff completion.

6 So the WF State 36 1 exhibited high initial water
7 on its test.

8 Initial gas rate incline, I don't have enough
9 data. The well has been completed, but there isn't enough
10 data to suggest whether it's going to incline or not.

11 The Pictured Cliff, as everyone has said, the
12 reserves are fairly low. If I'm seeing reserves that
13 clearly, based on production, exceed 100 million, the gas
14 has to be coming from somewhere else.

15 So what I did in the next two columns was to look
16 at the production, existing current production as well as
17 cumulative production. And in the third column from the
18 right was a projection, is the gas going to -- is the
19 cumulative going to be more than 100 million from that
20 well? If it were, then the gas had to -- it's an
21 indication it's coming, most likely, from the coal.

22 The net 15 foot was simply a way of cutting off
23 whether or not there was any productive Pictured Cliff
24 sand.

25 To tie all those together you have to actually

1 say, is the coal characteristics in this area acting like a
2 coal well? So I would examine the immediate offsetting
3 coal wells and say, What are their coal characteristics?
4 And when I see the exact same characteristics in the offset
5 wells that are coal wells to these wells, I indicated those
6 characteristics with a "yes".

7 The far right column basically just is a
8 summation of my opinion that if, given those criteria, they
9 met what I believe was a coal well, then I believe the
10 Pictured Cliff is effectively communicated with the coal.
11 And as you will note, it's predominantly a yes answer.

12 Statistically, on the bottom, there are 27
13 Pictured Cliff wells. Nineteen of them I have no doubt are
14 communicated with the Pictured Cliff. That's 70 percent of
15 the wells. Six, given a little bit more time, I believe,
16 would clearly be -- would turn into a "yes". The
17 production is fairly -- Completion data as well as some of
18 the initial data would indicate that they're most likely
19 communicated.

20 Only one well do I actually believe is acting
21 like a Pictured Cliff well, and Mr. Cox alluded to that.
22 That was the WF State 32-1.

23 And one well, there just really isn't enough data
24 to make an opinion on.

25 Q. Do have an opinion on the WF State 32 Number 1?

1 Do you have an idea what that well is currently producing?

2 A. I believe it's like 35 MCF a day. I think it was
3 -- in Mr. Cox's exhibit, which I don't have, the number was
4 initially 45 MCF a day. It's down to 35 MCF a day.

5 Q. Okay, relatively small?

6 A. Yes.

7 Q. So in your opinion, over 90 percent of these
8 wells, which are supposed to be Pictured Cliffs wells, are
9 really Fruitland Coal wells?

10 A. If they are not entirely Fruitland Coal, they're
11 very close. Very few of them have any sand to speak of
12 that would be considered productive in any quantity. So
13 yes, I would say that that is the logical conclusion.

14 Q. Okay. Let's move back to your Exhibit 35. What
15 does that --

16 A. Thirty-five is just a very simple picture of
17 spacing, effective spacing. The yellow wells that are
18 circled are Fruitland Coal-completed, currently. They're
19 either PC-Fruitland Coal or Fruitland Coal individually,
20 and those are typically in your standard spacing,
21 northeast-southwest quarters.

22 The yellow triangles are Pictured Cliff-only
23 completions that are exhibiting Fruitland Coal production
24 characteristics. The yellow triangles with the circle are
25 the probables. The reds are wells that either have not

1 been drilled, have not been completed, or there's not
2 enough data at this point.

3 Q. So pretty much at this point there's -- for the
4 most part, there's one Fruitland Coal well per quarter
5 section at this point?

6 A. Yes, with the exception of Section 32, in which
7 case I believe due to the completion there's actually two
8 Fruitland Coal wells already there, effectively.

9 Q. And did you have a chance to review, look at Mr.
10 Cox's exhibits, and in particular his Exhibit 10, which was
11 a listing of the Richardson wells in the area?

12 A. I looked at all of them, but I'm not exactly sure
13 which one you're referencing.

14 Q. It was just a listing of the wells with their
15 average producing rate --

16 A. Yes.

17 Q. And without going into detail, is it fair to say
18 that the better wells on that chart are Pictured Cliffs
19 wells, allegedly, or Pictured Cliffs-Fruitland Coal dual
20 completions?

21 A. I would say that the majority, yes, are.

22 Q. Are you surprised by that?

23 A. No, actually I'm not. I found in the Gallegos
24 Canyon Unit that in large part some of the best completions
25 were actually Pictured Cliff wells that exhibited extremely

1 strong coal characteristics.

2 Q. Were they generally completed at the top of the
3 Pictured Cliffs?

4 A. They could be. Typically in the Gallegos Canyon
5 Unit the sand is located within five feet or less. There
6 are places where there's a shale barrier, as much up to 20
7 feet. Surprisingly, that did not appear to be a detriment
8 to the communication of the coal to the sand.

9 A lot of that came about -- If you look at it on
10 a production basis, it started when we started doing foam
11 fracs. There is a vintage of wells where we drilled wells,
12 before my time, before I was born, and they would set
13 casing on top of the coal -- or on top of the PC, drill
14 through it, shoot it with nitrogen. That lasted to the
15 mid-1960s or sometime in there. Subsequent drilling
16 drilled it, did a -- put casing all the way through the
17 sand, perforated, did a slick water frac.

18 1970s, we did casing and cross-linked gel fracs.
19 When we started doing foam fracs, we started getting these
20 exact same characteristics that you're seeing in
21 Richardson's wells, where you have very low bottomhole
22 pressure in the Pictured Cliffs, where even in the Pictured
23 Cliffs in the Gallegos Canyon Unit, you could only put 300
24 million cubic feet. Great reservoir sands. Could only put
25 300 million cubic feet of gas in it. The wells will

1 produce 2 1/2 BCF. That's all --

2 Q. So the gas had to be coming from somewhere --

3 A. The gas had to be coming from somewhere else.

4 Q. Okay. And finally, Mr. Bertoglio, is Exhibit 37
5 -- is that just a listing of the Fruitland Coal, Fruitland
6 sand and Pictured Cliffs wells in the general area of the
7 Application area, just for information purposes?

8 A. It appears to be. I did not create this exhibit.

9 I have a duplicate -- I have one that I prepared
10 similar to this. My understanding is, this was prepared
11 from data that I had supplied, and just reformatted.

12 Q. Were Exhibits 22 and 34 through 37 prepared by
13 you, under your supervision or compiled from company
14 records?

15 A. Yes.

16 Q. And in your opinion is the denial of Richardson's
17 Application in the interests of conservation and the
18 prevention of waste?

19 A. Yes.

20 MR. BRUCE: Madame Chair, I'd move the admission
21 of San Juan Exhibits 22 and 34 through 37.

22 MR. KELLAHIN: No objection.

23 CHAIRMAN WROTENBERY: Those exhibits are
24 admitted.

25 Do you pass the witness now?

1 MR. BRUCE: Yes, I pass the witness to Mr.
2 Kellahin.

3 CHAIRMAN WROTENBERY: Thank you.

4 CROSS-EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Bertoglio, is it your opinion as a petroleum
7 engineer that a frac in the Pictured Cliff is the
8 equivalent of a frac job in the Fruitland for purposes of
9 producing and depleting the methane in the Fruitland Coal?

10 A. In most cases in this particular area, yes.

11 Q. So it's your position that if you have the
12 Fruitland and you frac the Fruitland, you don't have to
13 separately perforate and frac the Pictured Cliff to obtain
14 the maximum opportunity to produce the methane out of the
15 coal?

16 A. Could you restate that?

17 Q. Let's see if I can. In Richardson's Application
18 area, if a well is completed in the Pictured Cliff and that
19 well is fracture-stimulated, you're telling me that's as
20 good as if that operator had set a bridge plug, gone in and
21 perforated the coal and separately fracture-stimulated the
22 coal in order to produce that methane?

23 A. In most cases, based on the production right now,
24 I would say that's true.

25 Q. Do you know any operator in the San Juan Basin

1 that currently completes its coalbed methane gas wells by
2 fracturing the PC only?

3 A. No.

4 Q. Are you saying that there's communication between
5 the PC and the Basin-Fruitland Coal methane?

6 A. Yes.

7 Q. Your study did show some communication?

8 A. A significant communication.

9 Q. Is that the most effective and efficient way to
10 obtain completion of a coal well, by reliance upon that
11 communication?

12 A. If I had to say that -- Reliance?

13 Q. Uh-huh.

14 A. No. If I had to -- if I look at the data, based
15 on the data that I see, I would -- the data to me right now
16 suggests that the coal is being more effectively completed
17 via the existing Pictured Cliff completions than the coal
18 completions.

19 Q. Do you consider the Gallegos Canyon coalbed
20 methane and the Pictured Cliff wells to be analogous to Mr.
21 Richardson's wells in his Application area?

22 A. Parts of the Gallegos Canyon are analogous, parts
23 are not. The Gallegos Canyon Unit has some very large
24 sandbodies in it that are 60 to 100 feet. They have 22-
25 percent, extremely clean porosity, wells --

1 MR. BRUCE: Is that Pictured Cliffs or --

2 THE WITNESS: That's the Pictured Cliffs. The
3 wells -- There are wells there that will have produced 1 to
4 3 BCF natural completions out of the Pictured Cliffs.

5 The coal is, in my opinion, very comparable as it
6 relates to quality. Methane composition or content, I
7 believe, is significantly higher in this area due to depth.

8 Q. (By Mr. Kellahin) Are you in agreement with Mr.
9 Cox that the Richardson wells in this Application area are
10 in the early stages of performance and their production is
11 inclining?

12 A. I would -- Based on the data I have right now, I
13 would say there's a significant number that have already
14 peaked and are declining.

15 Q. Let me refer you to the transcript of November
16 13th of the year 2001 and ask you whether this is the
17 question I asked you, and is this the answer you gave: Are
18 you and Cox "...in disagreement, then, about the fact that
19 the Richardson wells are in the early stages of..." their
20 performance curves and that they have inclining pressure?

21 You then correct me and say, "Inclining
22 production."

23 I correct myself and say, "Inclining production."
24 And then you say "Yes".

25 A. Yes, that was --

1 Q. Is that still your answer?

2 A. That was a year ago --

3 Q. That's not your answer now?

4 A. That is not my answer now. We've got another
5 year of production that is available, and I'd be glad to go
6 well by well. But I do see wells right now, given just
7 strictly the production, that appear to have peaked within
8 six to 18 months and are either flat or have rolled over
9 and started to decline.

10 Q. Have you conducted any type of coalbed methane
11 simulations like those performed by Mr. Cox?

12 A. I have not.

13 Q. Have you ever conducted simulations in the
14 coalbed methane?

15 A. No, I have not.

16 Q. Have you ever evaluated undersaturated coalbed
17 methane reservoirs?

18 A. From what standpoint?

19 Q. From whether they're undersaturated or
20 oversaturated, between saturated and undersaturated?

21 A. Not from the standpoint of making that the sole
22 objective. I have reviewed desorption-adsorption data from
23 the standpoint of trying to determine reserves and whether
24 they were fully saturated or undersaturated, to make some
25 kind of determination of how much water is going to have to

1 get out to lower the pressure before I was going to start
2 seeing some gas.

3 Q. Were you the petroleum engineer responsible to
4 the Coal Company for the sampling of the coal cores in
5 order to get data from whence to derive the desorption
6 measurements?

7 A. No, I was not.

8 Q. You did not collect that data?

9 A. I did not collect the data.

10 Q. As a petroleum engineer, can you define for me
11 within the context of gas reservoir engineering what I mean
12 by the concept of correlative rights?

13 A. Yes, we did this last time.

14 Q. Let's do it again.

15 A. Okay.

16 Q. What's correlative rights?

17 A. Correlative rights is, I have the right to
18 produce my gas that is underlying my lease.

19 Q. Is it an absolute right?

20 A. I believe we discussed this before. I believe
21 that's a legal question, which I cannot answer.

22 Q. What if I tell you correlative rights is the
23 opportunity to produce your share of gas reserves
24 underlying your tract in relation to the gas produced in
25 the pool? Would you agree with me?

1 A. Yes.

2 Q. How is Mr. Richardson going to exercise and
3 protect his correlative rights to produce the coalbed
4 methane gas if that gas is vented by your client before Mr.
5 Richardson can produce it?

6 A. In the context of the mine and the oil and gas
7 interplay, conflict if you wish, I don't know if
8 correlative rights is even applicable. When I review
9 correlative rights, I'm looking at it from an oil and gas
10 lease versus another oil and gas lease, and I don't know if
11 the two are even applicable, to be meshed together.

12 Q. Let's do that, then. Within the context of your
13 understanding of correlative rights, you're talking about
14 the competition for the coalbed methane between parties
15 that have interest in the coalbed, right?

16 A. Yes.

17 Q. And so what we're looking at is, within
18 Richardson project area, if we took the eastern boundary of
19 his project and compared it to what happens on the other
20 side, the question of correlative rights arises when you
21 look to see if operators on each side of that line have an
22 equal and fair opportunity to produce their share of the
23 gas?

24 A. Yes.

25 Q. Wasn't the basis of your opposition and testimony

1 back in November of last year the fact that Mr. Richardson
2 -- his Application area was premature, right?

3 A. One of them, as well as a violation of
4 correlative rights, or could lead to a violation of
5 correlative rights. I think I had three reasons, but the
6 one we're currently discussing was one of those reasons.

7 Q. One of those reasons was, you thought Mr.
8 Richardson's Application was premature?

9 A. From the standpoint of drainage, yes.

10 Q. And that was in response not to my question but
11 to a question from Mr. Bruce?

12 A. I don't know who the question came from, but yes,
13 that was my testimony.

14 Q. Mr. Bruce asked you, on page 221, "Mr. Bertoglio,
15 just briefly, what are the three or four primary points..."
16 you're making about your testimony?

17 Number one, in your answer, "that any decision
18 for infill drilling at this point is premature."

19 A. Yes.

20 Q. And the basis for saying it's premature is that
21 you observed that Mr. Richardson, on his side of the
22 project area, would have coal density of four coal wells
23 per section?

24 A. No, the premature was from the standpoint I
25 couldn't ascertain drainage at that point. One of the

1 further points down is exactly the point you've just made,
2 though.

3 Q. Let's talk about that point, then. That was your
4 concern, is that Mr. Richardson would have a correlative-
5 rights advantage --

6 A. Yes.

7 Q. -- over the offsets, because his well density is
8 four wells to the other side of the line, which would enjoy
9 only two wells to a section?

10 A. Correct.

11 Q. Are you aware on October 15th of this year the
12 Commission -- the Division has now approved four-well
13 densities on those sections adjoining Mr. Richardson?

14 A. Yes.

15 Q. Is that going to impair Mr. Richardson's
16 correlative rights, if he now is denied on his side of the
17 line the chance to have four coal gas wells?

18 A. Yes, and no. If the wells that are in Section
19 27, 34 and Section 3, 10, 15, 22, 27 and 33 of 30 North, 14
20 West, as well as Sections 3, 7, 8, 9 and 10 of Sections --
21 of Township 29 North, 14 West -- if the operator is a
22 different operator, yes, that would occur.

23 If the operator was different and they were
24 allowed a Pictured Cliff and a coal well, two separate
25 wellbores in the same section, I believe that would -- and

1 the Pictured Cliffs acts as the offset wells are, which act
2 like a coal well, you would have two coal wells in the
3 section.

4 Right now -- My observation suggests that right
5 now there are four coal wells producing in most of those
6 sections. So it's possible you would see some. However,
7 in some of these cases, I know that Mr. Richardson is the
8 offset operator. But there are going to be a couple of
9 areas where correlative-rights issues could come into play.

10 Q. Let me ask you this: If Mr. Richardson is the
11 operator of the adjoining spacing unit, are you telling me
12 there's no correlative-rights violation if there's a common
13 operator?

14 A. If there's a common operator and a common royalty
15 owner.

16 Q. All right, so we have to have the same interest
17 owners in each spacing unit and a common operator?

18 A. Yes.

19 Q. Okay. The concept of waste, let's talk about
20 that. Under the Oil and Gas Act, the Division or the
21 Commission has a responsibility not only to protect
22 correlative rights, but they must prevent the waste of
23 hydrocarbons. Do you understand that concept?

24 A. Yes.

25 Q. If Mr. Richardson is attempting to exercise his

1 correlative rights and the coal mine is venting the
2 methane, is that not waste?

3 MR. BRUCE: I would to the extent that that's a
4 legal question, madame Chair. I think that's been brought
5 up before with Mr. Woomer and others about what waste and
6 what rights the Coal Company has.

7 MR. KELLAHIN: Madame Chairman, Mr. Bruce has
8 waived that when he asked this witness his conclusions
9 about waste and correlative rights as the last question he
10 asked this witness.

11 CHAIRMAN WROTENBERY: He did ask that. I'll
12 allow the question.

13 Q. (By Mr. Kellahin) Describe for me waste.

14 A. Waste would be the loss of economically
15 recoverable reserves.

16 Q. When the mine vents the methane, are they paying
17 royalties on that venting?

18 A. No.

19 Q. Are they paying anyone for the value of that gas?

20 A. I have no idea whether that gas at this point has
21 any economic value.

22 Q. Have you looked within the concept of waste to
23 see what the total volume of gas will be wasted by the coal
24 before it's produced by Mr. Richardson?

25 A. I did a review a long time ago, and the mine

1 plans have changed numerous times. So I did do some
2 preliminary projections, albeit significantly less
3 reserves, that overlay production histories with mine
4 plans, but that was -- the mine plan at that point was
5 going -- the panels were going east-west. They've changed
6 a significant number of times, so it's hard to do that.

7 But yes, I have where I actually looked at where
8 I believed there was going to be impact, looked at a
9 projection of production and at what point would we start
10 seeing an impact and how much reserves would have been
11 produced to that date, versus how much was remaining.

12 Q. Under any method of analysis, the coal mine is
13 going to vent and waste the methane, right?

14 A. Again, the definition of waste, I in a lot of
15 cases question whether or not the reserves are economic
16 reserves. Until we know whether they're economic, I can't
17 quantify that there's economic waste occurring.

18 Q. See, I didn't ask you that, Mr. Bertoglio. I
19 asked you, Are they going to vent the gas?

20 A. The gas will be vented, yes, as it is currently
21 occurring.

22 Q. Have you made an economic analysis of the
23 Richardson wells to determine whether it meets an economic
24 threshold?

25 A. Yes.

1 Q. That's part of your work?

2 A. Yes.

3 Q. Have you looked at the Bushman well that Mr.
4 Richardson operates?

5 A. Yes.

6 Q. Is that well economic?

7 A. Yes.

8 Q. How about the 33 and 2 well? Is that economic?

9 A. Could you be more -- The WF Federal 33-2 in
10 Section 33?

11 Q. Yes.

12 A. Yes.

13 Q. How about the 36 Number 1 well? Is that
14 economic?

15 A. In my opinion, no --

16 Q. It's not --

17 A. -- it's not right now.

18 Q. Okay.

19 A. The question of economics -- The Bushman,
20 initially I would have said it was not economic. But
21 circumstances have changed since Mr. Richardson has put in
22 disposal wells.

23 Without a disposal well I would say it's marginal
24 at best, with the high water rates that the well has
25 produced and is continuing to produce, although it's

1 declining.

2 Q. Until Mr. Richardson is able to implement a full
3 and effective means by which he can produce and dispose of
4 produced water, we're not going to know if these coal gas
5 wells are going to be economic?

6 A. True.

7 Q. Is the 36-and-3 well economic?

8 A. Which location?

9 Q. In Section 36, the 36-and-3 well?

10 A. At this point, given the production rate that Mr.
11 Cox has given, it's hard to say. Commercial doesn't mean
12 the initial rate; commercial, to me, means that it will pay
13 out the well.

14 These wells may come up to 150 MCF, 200 MCF a day
15 for three or four months, and fall. That happens in the
16 Powder River Basin. A short-term production does not
17 indicate commerciality.

18 Q. Have you made any study of the area outside Mr.
19 Richardson's Application area to see if the underpressured
20 portion of the pool, exclusive of his area, is economic?

21 A. I have reviewed it, and based on reserve volumes
22 and production -- I know Dugan has some very good wells to
23 the east, as well as have -- they have the infrastructure
24 to handle the water volumes.

25 So I believe he's got some good commercial wells

1 over in there.

2 Q. Is the area adjoining Mr. Richardson's
3 Application area that now enjoys four coal wells density to
4 a section any different economically from Mr. Richardson's
5 wells inside his Application area?

6 A. Economically, I believe that you are going to see
7 higher return as you go from west to east. The wells on
8 the western side produce higher volumes of water.

9 There is clearly no disagreement that the gas
10 contents, whether saturated or undersaturated, is less. So
11 from an economic standpoint, you're going to see an
12 increasing value as you go deeper into the Basin.

13 Q. Are you contending that this is an undersaturated
14 reservoir?

15 A. Yes.

16 Q. Did you participate on behalf of your company
17 with the Division's committee that studied the Basin-
18 Fruitland Coal Gas Pool?

19 A. No.

20 Q. Did you testify at the Examiner Hearing in
21 October of this year concerning changing the pool rules?

22 A. No.

23 Q. Were you present at that hearing?

24 A. No.

25 Q. Have you reviewed any of the exhibits from that

1 hearing?

2 A. No.

3 MR. KELLAHIN: No further questions.

4 CHAIRMAN WROTENBERY: Commissioner Bailey?

5 EXAMINATION

6 BY COMMISSIONER BAILEY:

7 Q. Your Exhibit 36, did you look at the well logs,
8 or did you look at the C-105 that were filed?

9 A. Regarding -- ?

10 Q. Regarding where these wells are producing from.

11 A. Where they are perforated?

12 Q. Uh-huh.

13 A. I relied on the scout cards as well as, when I
14 had well logs, I reviewed the perforations on those.

15 Q. So you did pick the tops of the Pictured Cliffs
16 for some of the wells by yourself?

17 A. Generally, ma'am, I relied on the operator's
18 pick. When the operator said he has perforated the
19 Pictured Cliff from 1000 to 1010 feet, he is calling it the
20 Pictured Cliffs. So no, I haven't verified the tops
21 myself.

22 Q. Okay. Did you see interfingering of the Pictured
23 Cliffs and the Fruitland?

24 A. In this particular area I don't see -- In some
25 areas you do see a one- or two-foot stringer that comes in,

1 but generally in this area, no.

2 COMMISSIONER BAILEY: That's all I have.

3 CHAIRMAN WROTENBERY: Dr. Lee?

4 EXAMINATION

5 BY COMMISSIONER LEE:

6 Q. Did you perform a simulation on this well?

7 A. No, I do not have access to a simulator, and -- I
8 have been trained on one, but I've never actually performed
9 a --

10 Q. So all your data is the truth, nothing but the
11 truth? You didn't make any assumptions?

12 A. No, other than the visual review.

13 Q. So you never used any dynamic parameters on this
14 study?

15 A. Dynamic parameters, such as --

16 Q. Like permeability?

17 A. No.

18 Q. So you didn't change the permeability like Mr.
19 Cox did?

20 A. No. In fact, the degree that I used permeability
21 -- I'll digress a little bit to get back to something.

22 The Pictured Cliffs permeability in this area, in
23 my opinion, is extremely low, based on porosities that I've
24 seen. And that's one of the reasons why I think the
25 Pictured Cliff has essentially no commercial gas quantities

1 in it.

2 In the Gallegos Canyon Unit there's a tremendous
3 number of coreholes that were taken early in the life and
4 analysis done. When you get less than 16-percent porosity,
5 you're looking at water saturations, connate water
6 saturations due to the clay contents, of upwards of 75
7 percent. So that alone precludes any significant portion
8 of gas being in the Pictured Cliffs.

9 That's about the limit of permeability I've even
10 considered.

11 Q. From your engineering point of view, if you had
12 the same volume of the fracture fluid, same thickness of
13 the Fruitland Coal and the Pictured Cliff, which one would
14 go further if you fracture it?

15 A. If you fracture it? My opinion on that is based
16 on production. I believe where you have the ability to
17 propagate, as it relates to a coal, if you can propagate a
18 significant distance you will get a better fracture from a
19 Pictured Cliffs than you do a coal.

20 A lot of the data I have seen, the coal fractures
21 tend to -- they will go out a certain distance, and the
22 fracs immediately go to the roof and pancake, so you don't
23 get a vertical fracture.

24 If you can propagate a fracture into the sand,
25 the sand goes out and then it goes up.

1 The reason I say it's my opinion based on
2 production is, when you look at the production you get
3 those same coal characteristics except for the -- they act
4 stronger than a Fruitland Coal frac, which would indicate
5 that you're getting a better communication back to the
6 wellbore via a Pictured Cliff fracture that has propagated
7 out farther before it went to the roof, versus a coal that
8 has either crushed the coal around the wellbore area and
9 then have the sand go to the roof and stay on the roof. So
10 you're really not opening up the coal as significantly as
11 you potentially can if you can propagate the fracture out
12 through the sand.

13 Q. Have you ever performed a frac job for the
14 Fruitland Coal or the Pictured Cliff?

15 A. Have I frac'd either?

16	Q. Yes.
----	---------

17 | A. Yes, hundreds.

18 Q. Do you -- In your calculations do you think those
19 fractures are contained only in those zones?

20 A. Only in the zones, in the Pictured Cliff and the
21 Coal?

22 Q. Yes.

23 A. In the Gallegos Canyon Unit we saw frac gradients
24 in excess of 1 p.s.i. when we fractured the Pictured Cliff,
25 which would be significantly higher than you would expect

1 if it were staying entirely in the zone. It makes no sense
2 why it's higher, because one would anticipate that the frac
3 would have stayed in the sand. But that frac reading is
4 more indicative of a coal frac.

5 Q. There's another thought. I heard the Pictured
6 Cliff production is maybe recharged from the Lewis shale.
7 Is that possible?

8 A. I believe you do get -- I don't know about the
9 Lewis shale. I know that in the Gallegos Canyon Unit there
10 is a significant section underneath, a hundred feet. It
11 shows up very well on an electric log, the SP has some
12 fairly decent deflection, and you do see some reservoir
13 sand in there. It may be 100 feet of 10-percent gas
14 saturation, but that 10 feet over 100-foot thickness over
15 -- the Gallegos Canyon Unit was 55,000 acres, or is 55,000
16 acres -- has a tremendous recharge in it. If you
17 perforated it, you would get little if any gas. But from a
18 recharge -- I know that at least some of the basal, real
19 dirty, dirty sands, can act as a recharge, in my opinion.

20 Q. So to summarize your opinions, you look at the
21 data, production data, you draw your engineering
22 conclusion, you say most of the production is from the
23 Fruitland Coal?

24 A. Yes.

25 COMMISSIONER LEE: Okay, thank you.

EXAMINATION

BY CHAIRMAN WROTENBERY:

Q. Mr. Bertoglio, I just had a couple more questions about the completions in the PC and the production of Fruitland Coal methane through those completions.

You made some kind of statement -- and I don't have it down exactly, but to the effect that you thought the coalbed methane was more effectively completed or produced through the Pictured Cliffs than through the Fruitland Coal itself?

A. Yes.

Q. And you based that on your review of production --

A. Production.

Q. -- data?

What area were you talking about there? That's the part that --

A. In the Application area, the --

Q. Okay, so that's based on your review of the Richardson wells and the other wells in the Application area?

A. Yes, there's very -- other than a couple of Dugan wells with just a couple of months' production history, the Application area in the mine where the development is, the wells are almost all Richardson's wells.

1 Q. Okay. And does that mean you do not believe that
2 you'll get significantly more production by frac'ing --
3 completing in the Fruitland Coal and frac'ing in the
4 Fruitland Coal itself, or what does that mean as far as
5 maximizing the recovery of the coalbed methane?

6 A. Significantly more reserve recovery.
7 Incrementally, you might see a little bit more gas, but it
8 may be at the very later stages in life, at very low rates.

9 However, initially, what I'm saying right now is
10 that qualitatively the coal appears to be yielding higher
11 rates from the Pictured Cliff well -- Pictured Cliff-
12 completed perforations that are immediately underneath it.

13 Q. Okay. And you explain that with reference to the
14 propagation of the --

15 A. Yes.

16 Q. -- fractures in the Pictured Cliffs versus --

17 A. Uh-huh.

18 Q. -- the Fruitland Coal?

19 Let me ask you too about your experience with
20 frac'ing in the coal. We heard earlier today that some of
21 the concern about the safety hazards created by frac'ing in
22 the coal related to the propagation of fractures into the
23 shales and mudstones above the coal.

24 What has been your experience about where those
25 fractures go in the Fruitland Coal and above?

1 A. Okay, when we started in the Gallegos Canyon
2 Unit, we started a program that we did a lot of testing
3 data that most companies would never do: adsorption,
4 desorption, approximate -- we studied it significantly,
5 because we were getting ready to kick off a fairly large
6 program. It was probably one of the first big programs in
7 the underpressured area. We gathered as much data as we
8 could get from every source.

9 Most of the interesting, real hands-on, real-
10 world data came from minebacks, and what you would find is,
11 the coal -- your perception of the coal frac'ing in a nice
12 penny in either direction doesn't hold. They found blocks
13 that would separate four inches and be packed with sand.
14 But in large part they would find that -- a distance out,
15 that you would get significant impact, or the sand would
16 impact and get on the roof and stay on the roof.

17 So you weren't -- You were getting either the
18 sand going out and doing all kinds of gyrations through the
19 cleat system and then eventually getting to a point where
20 it was -- especially at the shallower depths, you would
21 start seeing pancaking of the sand, either being on the
22 floor or the roof.

23 Q. Okay, and when you talk about the roof, what are
24 you talking about there?

25 A. The roof would be the interval separating the top

1 of the coal and the shale.

2 Q. The shales and mudstones?

3 A. Uh-huh.

4 Q. So the sand would move -- or would be found right
5 there at the top of the coal?

6 A. Right. You still have the permeability, the
7 fluid leaking off in the least -- in the easiest direction,
8 which is still into the coal and along that parting. So
9 there's no reason for it to go up.

10 Originally, when fracturing first started, one of
11 the fracture-design criteria was, what's my top and bottom?
12 And if you had a coal you always said, well, it cannot go
13 through the coal, because once it hits the coal it will --
14 the permeability in the coal will be higher than the
15 surrounding strata.

16 The fluid wants to go down that least path of
17 resistance, so if once it gets into the coal it tends to
18 stay in the coal.

19 CHAIRMAN WROTENBERY: Okay, thank you.

20 Did you have some follow-up?

21 MR. BRUCE: I just had a couple of follow-up
22 questions.

23 REDIRECT EXAMINATION

24 BY MR. BRUCE:

25 Q. Mr. Bertoglio, with respect to -- and I refer you

1 to your Exhibit 35.

2 With respect to Mr. Kellahin's questions about
3 correlative rights, by your estimation, other than maybe in
4 the northeast quarter of Section 21, there are four
5 Fruitland Coal wells per section at this point, are there
6 not?

7 A. Yes.

8 Q. So anything outside the Application area,
9 Richardson Operating has already covered with respect to
10 protection of correlative rights?

11 A. Yes.

12 Q. And when you were asked about what you reviewed,
13 the data, the PC wells in the area of the Application, to
14 determine if they're producing from the Fruitland Coal,
15 again, you also saw similar behavior in the Gallegos Canyon
16 Unit?

17 A. Yes.

18 Q. And the Gallegos Canyon Unit is where most of Mr.
19 Cox's -- quote, unquote -- nearby wells came from that he
20 used in his modeling?

21 A. They're either in the unit or in the immediate
22 area --

23 Q. Immediately adjacent --

24 A. -- to the north of it.

25 MR. BRUCE: That's all I have.

1 CHAIRMAN WROTENBERY: Thank you.

2 Mr. Kellahin, do you have anything else of Mr.
3 Bertoglio?

4 EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Just a quick question here, Mr. Bertoglio.
7 Aren't there areas all over this map where Mr. Richardson
8 is not yet able to have a density of four coal gas wells
9 per section?

10 A. Physically, to perforate the coal in each
11 quarter-quarter -- or each quarter?

12 Q. Right.

13 A. Yes.

14 Q. Show me where it is that you think he's
15 protecting his correlative rights in his Application area
16 that's adjacent to an area that already has four wells, for
17 which he has four wells. Where are those areas?

18 I'm trying to follow up on Mr. Bruce's question.

19 Are you contending that in Section 28 Mr.
20 Richardson already has four wells that are coal wells that
21 allow him to protect himself from Section 27? Is that what
22 you're saying?

23 A. Yes.

24 Q. How is Mr. Richardson going to be able to protect
25 the State of New Mexico in Section 32? He's only got one

1 well right now?

2 A. Right, and that would be my one area, one well of
3 concern, because that is the one well I don't believe is
4 completed or effectively communicating with the coal. And
5 you have the two wells in the northeast corner of 32 that I
6 currently show -- I believe are effectively both producing
7 from the coal.

8 Q. With the exception of Mr. Richardson's well in
9 the southeast quarter of 32, do you believe the rest of his
10 PC wells are effectively depleting the coal?

11 A. At this point, yes.

12 Q. So in order for Mr. Richardson to protect the
13 State Section 32, he needs some more coal gas wells, does
14 he not?

15 A. I don't know what spacing the current coal well
16 is, whether it's a laydown or a standup.

17 Q. It doesn't matter.

18 A. Well --

19 Q. -- if we're just talking about well density per
20 section.

21 A. If well density was the controlling factor.

22 Q. Under the existing Rules that were recently
23 amended, even under the amendment the operator is required
24 to put a well in the southwest quarter and the northeast
25 quarter; that's the first pattern?

1 A. Right.

2 Q. Without the increased-density Application being
3 granted, Mr. Richardson under the current Rules in Section
4 19 can make this a coal gas well in the northeast quarter,
5 can he not?

6 A. Yes.

7 Q. Are you contending that the well in 29, in the
8 southeast quarter, this Richardson WF Federal 29 Number 2,
9 that this PC well is a coal well?

10 A. Yes.

11 Q. How is Mr. Richardson then going to protect the
12 State lease from drainage by that well if he's not allowed
13 the opportunity to have a coal gas well in the northeast
14 quarter of that section?

15 A. In the northeast quarter of Section 32?

16 Q. Right.

17 A. The northeast quarter of Section 32 is owned by
18 Dugan, and Dugan currently has two wells on that, that are
19 both coal wells. But one is definitely a coal well, and
20 one that acts like a coal well.

21 Q. So when we look in Section 32, if we add in the
22 Dugan-operated wells, are you satisfied that State section
23 is fully protected in the coal?

24 A. No.

25 Q. In Section 6, what are we going to do in Section

1 6 when right now there's three undrilled coal locations?

2 A. To do what?

3 Q. In order to effectively and efficiently produce
4 the gas that's underlying Section 36 in the coal, are you
5 telling us that that single well in the southeast quarter
6 is going to be enough?

7 A. My calculations would indicate that the Bushman
8 well is going to drain in excess of 320 acres. You would
9 still need a well at least in the north. As far as
10 protecting from wells surrounding it, the wells in the
11 south half of 31 are so far that they're never going to
12 affect it. So the drainage would -- any effect would most
13 likely have come from the mine.

14 Q. So in Section 6 Mr. Richardson ought to have a
15 second well in order to properly drain the section?

16 A. Under current spacing, he could drill three
17 additional PC wells and effectively -- if it follows what
18 I'm seeing out there, he could effectively have four coal
19 wells, even without a downspacing of the coal.

20 Q. So if we drill this whole area up on 160-acre PC
21 wells, can you design a frac treatment for us that we can
22 put in the PC that will let us effectively communicate with
23 the coal and use that well to deplete the coal gas methane?

24 A. Can I?

25 Q. Yeah.

1 A. I believe that Mr. Richardson is currently doing
2 that, so whatever he's doing I believe is effective.

3 Q. You said you've designed hundreds of frac jobs --

4 A. Yes, I could -- If I were doing it, I'd go look
5 and see what Mr. Richardson's doing, because I believe it's
6 effectively doing it.

7 So I would follow Mr. Richardson. I think he's
8 doing a great job of development out there.

9 Q. Have you looked at his data to see the magnitude
10 of frac job that he's --

11 A. Yes.

12 Q. -- putting into the Pictured Cliff?

13 A. Relative to what I can get through public data,
14 which is not much more than volumes -- I don't know sand
15 schedules, I don't know pressure data, I don't know rates.
16 All I know is what has been pumped in.

17 Q. And you can't name me a single operator in the
18 Basin that currently accesses the coal by fracturing the
19 Pictured Cliffs separately in trying to extract the methane
20 from the coal.

21 Is there anyone that uses your technique?

22 A. I'm not suggesting it is a technique, I'm just
23 suggesting that it is doing it.

24 MR. KELLAHIN: All right, nothing further.

25 MR. BRUCE: I have nothing further. I have one

1 final closing matter for today.

2 CHAIRMAN WROTENBERY: One -- I'm sorry, one final
3 closing what?

4 MR. BRUCE: Yeah, I think everybody's done with
5 Mr. Bertoglio, unless the Commission has further questions.

6 CHAIRMAN WROTENBERY: Thank you for your
7 testimony, Mr. Bertoglio.

8 MR. BRUCE: I'm guessing it's the end of the day.

9 CHAIRMAN WROTENBERY: It's five o'clock.

10 MR. BRUCE: One final thing, madame Chair, you
11 asked for the line of cross-sections on Mr. Mercier's --

12 CHAIRMAN WROTENBERY: That would help us
13 understand the --

14 MR. BRUCE: -- two cross-sections. What I have
15 is what is his coal thickness map. It's not the rainbow-
16 colored one, but it's basically the same, and on it are the
17 two lines of cross-section, the A-A' -- the east-west and
18 the north-south, and it's the only copy I have, but if I
19 can just provide that for your information, for your file,
20 and it will show where those lines of cross-section are.

21 CHAIRMAN WROTENBERY: Okay, thank you. I can't
22 remember if he summarized for us -- Roughly where does it
23 run?

24 MR. BRUCE: I think you -- when you -- You will
25 be able to see on his map where this --

1 CHAIRMAN WROTENBERY: Okay. Anything else for
2 today?

3 MR. BRUCE: No.

4 MR. KELLAHIN: (Shakes head)

5 CHAIRMAN WROTENBERY: We will then break until
6 9:00 a.m.

7 MR. KELLAHIN: Thank you.

8 CHAIRMAN WROTENBERY: Thank you.

9 (Evening recess taken at 5:00 p.m.)

10 * * *

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 18th, 2002.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2006

STEVEN T. BRENNER, CCR
(505) 989-9317

*Application of Richardson Operating
Co.
Record on Appeal, 519.*

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION COMMISSION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 12,734

APPLICATION OF RICHARDSON OPERATING)
COMPANY TO ESTABLISH A SPECIAL "INFILL)
WELL" AREA WITHIN THE BASIN-FRUITLAND)
COAL GAS POOL AS AN EXCEPTION FROM RULE)
4 OF THE SPECIAL RULES FOR THIS POOL,)
SAN JUAN COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING (Volume III, October 31st, 2002)

BEFORE: LORI WROTENBERY, CHAIRMAN
JAMI BAILEY, COMMISSIONER
ROBERT LEE, COMMISSIONER

October 31st, 2002
Santa Fe, New Mexico

02 NOV 21 PM 3:18

OIL CONSERVATION DIV

This matter came on for hearing before the Oil Conservation Commission, LORI WROTENBERY, Chairman, on Thursday, October 31st, 2002, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCF
(505) 989-9317

*Application of Richardson Operating Co.
Record on Appeal, 520.*

I N D E X

October 31st, 2002 (Volume III)
 Commission Hearing
 CASE NO. 12,734

	PAGE
CUMULATIVE INDEX OF EXHIBITS	486
APPEARANCES	491
SAN JUAN COAL COMPANY WITNESSES:	
<u>PAUL C. BERTOGLIO</u> (Petroleum engineer, RM Energy) (Recalled)	
Direct Examination by Mr. Bruce	492
Cross-Examination by Mr. Kellahin	493
<u>JOHN G. HATTNER</u> (Petroleum geologist, Netherland, Sewell and Associates)	
Direct Examination by Mr. Bruce	494
Cross-Examination by Mr. Kellahin	514
Examination by Commissioner Bailey	526
<u>PAUL C. BERTOGLIO</u> (Petroleum engineer, RM Energy) (Recalled)	
Direct Testimony	530
<u>DAN PAUL SMITH</u> (Petroleum engineer, Netherland, Sewell and Associates)	
Direct Examination by Mr. Bruce	531
Cross-Examination by Mr. Kellahin	567
Examination by Commissioner Lee	600
Examination by Chairman Wrotenbery	603
Further Examination by Mr. Bruce	604
RICHARDSON WITNESS:	
<u>DAVE O. COX</u> (Engineer) (Recalled)	
Examination by Commissioner Lee	606
REPORTER'S CERTIFICATE	627

* * *

CUMULATIVE INDEX OF EXHIBITS

Richardson	Identified	Admitted
Exhibit A		
1	14	59
2	39	59
3	40	59
4	-	59
5	40	59
6	41	59
7	43	59
8	43	59
9	45	59
10	45	59
11	45	59
12	46	59
13	46	59
14	47	59
15	49	59
16	49	59
17	49	59
18	50	59
19	50	59
20	52	59
21	53	59
22	53	59
23	54	59
24	-	59
25	55	59
26	56	59
27	56	59
28	57	59
29	57	59

(Continued...)

STEVEN T. BRENNER, CCI
(505) 989-9317

*Application of Richardson Operating
Co.
Record on Appeal, 522.*

CUMULATIVE INDEX OF EXHIBITS (Continued)

Richardson	Identified	Admitted
Exhibit B		
1	88	113
1-A	89	113
2	91	113
3	98	113
4	100	113
5	102	113
6	105	113
7	111	113
Exhibit C		
1	132	196
1-A	128	196
2	134	196
3	144	196
4	148	196
5	149	196
6	154	196
7	157	196
8	160	196
9	164	196
10	165	196
11	167	196
12	168	196
13	168	196
14	170	196
15	171	196
16	172	196
17	174	196
18	176	196
19	176	196
20	177	196

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

Richardson	Identified	Admitted
Exhibit C		
21	177	196
22	178	196
23	179	196
24	180	196
25	180	196
26	184	196
27	19	196
28	189	196
29	193	196

* * *

San Juan Coal Company	Identified	Admitted
Exhibit 1	258	300
Exhibit 2	264	300
Exhibit 3	264	300
Exhibit 4	264	300
Exhibit 5	265	300
Exhibit 6	265	300
Exhibit 7	270	300
Exhibit 8	271	300
Exhibit 9	272	300
Exhibit 10	273	300
Exhibit 11	277	300
Exhibit 12	277	300
Exhibit 13	292	300
Exhibit 14	344	380
Exhibit 15	348	380
Exhibit 16	363	380
Exhibit 17	367	380
Exhibit 18	368	380

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

San Juan Coal Company	Identified	Admitted
Exhibit 19	373	380
Exhibit 20	338	380
Exhibit 21	421	434
Exhibit 22	-	451
Exhibit 23	499	513
Exhibit 24	519	566
Exhibit 25	68	69
Exhibit 26	507	513
Exhibit 27	529	-
Exhibit 28	-	-
Exhibit 29	421	434
Exhibit 30	425	434
Exhibit 31	428	434
Exhibit 32	429	434
Exhibit 33	438	438
Exhibit 34	444	451
Exhibit 35	448	451
Exhibit 36	444	451
Exhibit 37	451	451
Exhibit 38	500	513
Exhibit 39	502	513
Exhibit 40	503	513
Exhibit 41	504	513
Exhibit 42	505	513
Exhibit 43	505	513
Exhibit 44	542	566
Exhibit 45	540	566
Exhibit 46	543	566
Exhibit 47	544	566
Exhibit 48	545	566

(Continued...)

STEVEN T. BRENNER, CCR
(505) 989-9317

*Application of Richardson Operating
Co.
Record on Appeal, 525.*

CUMULATIVE INDEX OF EXHIBITS (Continued)

San Juan Coal Company	Identified	Admitted
Exhibit 49	545	566
Exhibit 50	547	566
Exhibit 51	548	566
Exhibit 52	549	566
Exhibit 53	549	566
Exhibit 54	550	566
Exhibit 55	552	566
Exhibit 56	553	566
Exhibit 57	553	566
Exhibit 58	555	566
Exhibit 59	559	566
Exhibit 60	560	566

* * *

Additional submissions by San Juan Coal Company, not offered or admitted:

	Identified
Line of cross-sections to Mr. Mercier's Exhibits 30 and 31 (Marked as San Juan Coal Company Exhibit 27 at page 529)	481
"Whom Do We Work For?"	537

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

STEPHEN C. ROSS
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South Saint Francis Drive
Santa Fe, New Mexico 87505

FOR RICHARDSON OPERATING COMPANY:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR SAN JUAN COAL COMPANY:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.C.
500 Fourth Street, NW
NationsBank Tower, Suite 1000
P.O. Box 2168
Albuquerque, New Mexico 87103-2168
By: LARRY P. AUSHERMAN

CHARLES E. ROYBAL
Counsel, BHP Minerals
BHP Coal New Mexico
300 West Arrington, Suite 200
Farmington, New Mexico 87401

* * *

1 WHEREUPON, the following proceedings were had at
2 9:02 a.m.:

3 CHAIRMAN WROTENBERY: Are we ready to get started
4 here?

5 MR. BRUCE: I'd like to start, madame Chair, by
6 just recalling Paul Bertoglio to the stand, just for
7 essentially one question. If we could have the record
8 reflect that he was previously sworn and qualified.

9 CHAIRMAN WROTENBERY: Okay.

10 MR. BERTOGLIO: Good morning.

11 PAUL C. BERTOGLIO (Recalled),
12 the witness herein, having been previously duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. BRUCE:

16 Q. Mr. Bertoglio, yesterday there were questions
17 when you were talking about the frac'ing of the coal,
18 frac'ing of the PC, and how the fracture went up to the
19 ceiling, and you talked about a pancake shape. Could you
20 expand upon that to the effect that, does the frac just run
21 along the top of the coal, or does it affect the materials
22 above the top of the coal?

23 A. The frac -- The fluid especially is going to
24 follow the path of least resistance. So wherever it
25 intersects an existing fracture or lineament, any stress

1 point, you're going to see leakage, most likely vertical up
2 into that.

3 So if, for example, the frac was near an existing
4 fracture that's already in the strata immediately above the
5 coal, most likely you would see leakage into there,
6 compounding an already existing weak point in the roof.

7 MR. BRUCE: Thank you. Pass the witness.

8 MR. KELLAHIN: Yes, ma'am.

9 CROSS-EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Bertoglio, when we look at San Juan Coal
12 Exhibit Number 16 and we find the coal wellbore and look
13 over on the far right corner, there is an elliptical shape.
14 Is this the pancake area you're talking about?

15 A. No. No, in fact, that is showing a vertical.
16 The pancake I'm talking about is a horizontal sandbody that
17 would be similar to the two lower lobes right here where
18 you would see it come across here. And the fluid would
19 leak -- If there was a, for example, lineament or an
20 existing fracture, the fluid and potentially the sand would
21 follow up that path, simply because it's the highest-
22 permeability section.

23 Q. For illustration purposes, then, the pancake is
24 not this umbrella, it's the representation of the two lower
25 shapes?

1 A. Yes.

2 MR. KELLAHIN: Thank you.

3 CHAIRMAN WROTENBERY: Anything else? Is that all
4 you had --

5 MR. BRUCE: That's all I have for --

6 CHAIRMAN WROTENBERY: -- for Mr. Bertoglio?

7 MR. BRUCE: -- Mr. Bertoglio.

8 CHAIRMAN WROTENBERY: Thank you, Mr. Bertoglio.

9 THE WITNESS: Thank you.

10 MR. BRUCE: Call Mr. Hattner to the stand.

11 JOHN G. HATTNER,

12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. BRUCE:

16 Q. Would you please state your name for the record?

17 A. John G. Hattner.

18 Q. And how do you spell your last name?

19 A. H-a-t-t-n-e-r.

20 Q. What is your occupation?

21 A. I'm a professional petroleum geologist.

22 Q. Where do you reside?

23 A. I reside in Keller, Texas.

24 Q. And who do you work for?

25 A. I work for Netherland, Sewell and Associates.

1 Q. Just briefly, what is Netherland, Sewell?

2 A. Netherland, Sewell and Associates is a reservoir
3 engineering consulting firm.

4 Q. Okay. Have you previously testified before the
5 Division?

6 A. I have not.

7 Q. Could you summarize your educational and
8 employment background for the Commissioners?

9 A. I have a bachelor's in geology from the
10 University of Miami, I have a master's in geological
11 oceanography from Florida State University, I have an MBA
12 from St. Mary's College in California.

13 I started work in the petroleum industry for
14 Chevron in 1980. I spent 12 years with Chevron; two and a
15 half years domestic, five years working for Chevron North
16 Sea, in the North Sea; two years for Chevron Overseas,
17 working east Africa; a year working in Indonesia with
18 Amoseas/Caltex, a 50-50 joint venture of Chevron and
19 Texaco; then I spent another two years with Chevron working
20 north and west Africa. And since 1991, November, I've been
21 working with Netherland, Sewell and Associates as a
22 geologist/geophysicist.

23 I've worked projects in most areas of the world,
24 specifically the geophysical arena, and then in the last
25 six and a half years I've been working a large variety of

1 CBM projects.

2 Q. Okay. What is Netherland, Sewell's relationship
3 to San Juan Coal Company?

4 A. Netherland, Sewell's relationship with San Juan
5 Coal Company is, we were hired on a project basis to
6 evaluate the potential of the San Juan Coal Company, I
7 guess leases or mine area and what the reserves would be
8 within that area, as an independent third-party consultant.

9 Q. Were you employed to minimize the value of the
10 reserves?

11 A. No, actually in this case, under the direction of
12 our contact with San Juan Coal Company -- primary contact
13 is Lynn Woomer -- his specific direction to us was to not
14 be conservative, to do a reasonable estimate without being
15 conservative, since there had been, as we were informed,
16 some negotiations on trying to come to some kind of
17 agreement with the outside interest holders, other than the
18 Coal Company, and some previous work had been considered
19 ultra-conservative.

20 So our charge was to come in as an independent
21 third party, evaluate this as we would any project, but
22 without a conservative -- definitely without a conservative
23 bias.

24 Q. Okay. And when you did your evaluation, did you
25 use the standard evaluation that Netherland, Sewell uses

1 for any project?

2 A. I used the standard practices that I would
3 approach this project on a CBM basis. As I said, I've
4 worked a lot of CBM in the western US. And consequently,
5 therefore, I approached it as an oil company -- or an
6 geologist, using just the wireline logs. And again, some
7 of that was discussed yesterday, Mr. Mercier, some of Mr.
8 Hively's work.

9 I used just the electric logs instead of using
10 the cores because cores, on the logging basis and the
11 database provided by San Juan Coal Company, tend to be more
12 conservative. Coal miners tend to work on a scale of
13 inches. Our logging tools are used, basically, on a scale
14 of one to two feet.

15 So in order to come up with approach that would
16 approximate another oil company geologist working this type
17 of analysis, I basically just used the wireline logs.

18 Q. Okay. Similar to Mr. Hively?

19 A. Yeah, actually, after having just received the
20 maps this weekend, my analysts do a difference map between
21 Mr. Hively's maps and mine, and we differ by 7 1/2 percent,
22 approximately, in the Deep Lease, and in the Deep Lease
23 Extension we differ by about 10 percent in total volume,
24 which equilibrates basically to one two-foot coal stringer.
25 So as a general statement it appears that Mr. Hively and I

1 picked things fairly consistently, which I would expect
2 using wireline logs and oil and gas analysis.

3 Q. Based on that 7-1/2- to 10-percent difference,
4 you really don't dispute Mr. Hively's coal geology?

5 A. No, and as I said, I think the difference is
6 basically summarized to about one two-foot coal stringer.
7 I basically dealt with the S8 Seam, as we talked about, the
8 basal, and the little difference in that is just where
9 assigned the coal, because I've lumped the S8.6, which
10 merges onto the 8 Coal in the mine area, and it diverges as
11 you move into the east, whereas when that divergence is
12 there, Mr. Hively's put that in the upper. So it's more of
13 an assignment.

14 And then I just dealt with those coals in the 9,
15 so one two-foot stringer in there, which Mr. Hively had
16 some of his cross-sections, is basically the differential
17 in our interpretation.

18 Q. Okay, and were you charged with looking at both
19 the Fruitland Coal and the Pictured Cliffs geology?

20 A. Yes, actually we were charged -- we -- Mr. Smith
21 is the engineer on this project with me -- we have a
22 significant number of projects we've worked together,
23 actually, over the last 11 years. We were charged with
24 looking at all the value in the area, not just the
25 Fruitland but the PC, and we looked at the Gallup and the

1 other potential in the area. So I did look at the PC as
2 well as the Fruitland.

3 Q. Okay, and you mentioned Mr. Smith, our next
4 witness. Is he a reservoir engineer?

5 A. Yes, he is.

6 Q. And you essentially work as a team with him?

7 A. Yes, we have for about 11 1/2 years.

8 Q. And when you looked at this area, you looked at
9 the Deep Lease; is that correct?

10 A. We looked at the Deep Lease, Deep Lease
11 Extension, and also part of our charge was to look out in
12 the Twin Peaks area.

13 MR. BRUCE: Madame Chair, I'd tender Mr. Hattner
14 as an expert petroleum geologist.

15 MR. KELLAHIN: No objection.

16 CHAIRMAN WROTENBERY: Mr. Hattner is so
17 qualified.

18 Q. (By Mr. Bruce) And Mr. Hattner, the first thing,
19 is Exhibit 23 a copy of your résumé?

20 A. I don't have that one. I'll believe it.

21 Q. Let's start with your exhibits. I think the
22 first one is 38.

23 A. Yes.

24 Q. You mentioned that you looked at the Pictured
25 Cliffs geology. Could you identify the exhibit for the

1 Examiner [sic] and discuss the Pictured Cliffs in the area
2 of interest?

3 A. Exhibit 38 is an isopach map of the Pictured
4 Cliffs that I prepared. I guess all the exhibits that are
5 my exhibits here and the maps are my maps as prepared and
6 mapped by me.

7 I looked at approximately 176 logs in the area,
8 not only in the lease areas but surrounding the lease areas
9 and looked at basically all the logs that were available to
10 me at the time of the preparation of this.

11 The Pictured Cliffs isopach map -- and again, in
12 some of the discussion with Mr. Hively yesterday, the base-
13 of-the-Fruitland Coal, top-of-the-PC pick is -- There's
14 some disagreement or different picks. The structure map
15 that I've picked is the base of the S8 Coal, which is
16 basically in agreement with Mr. Hively. He just picked the
17 tops. We're pretty close.

18 The reason there's just the PC isopach is, this
19 deals with an area in the southeast part of the region
20 where I have some logs that basically indicate an area of
21 porosity development of over 20 percent. So local porosity
22 development, it's probably a bar-type area and the
23 environment is a little bit cleaner than the average PC in
24 the area, which is immediately underneath the Fruitland
25 Coal also in this area.

And some of the work with this goes back to looking at the Russell Federal well and its PC production. It's the old well that was referred to, some of the previous testimony.

But looking at the porosity logs, there's a porosity development in this southeast corner, in the PC, versus the rest of the area.

Q. So the PC thins to the north and the west?

A. Well, some of the discussion -- the PC is probably -- the exact sand members are time-transgressed over this area, and there's probably a local porosity development. There is PC sand across the rest of the area, but the majority of it is lower porosity, as described by Mr. Hively, and I think Mr. Cox also referred to that earlier.

Q. Based on the production performance of the PC to the north and west of this -- the area that you show on your map, the PC is there, but would you from a geologic standpoint expect it to be marginal?

A. I did not see the 20-percent-type porosity development I saw in the southeast corner in those other areas, and the performance -- You'd have to ask Mr. Smith on that. I just know that we had the good performance of the Russell Federal and some of the other wells in this area that tied into this area of the PC.

1 Q. Okay. But from a geologic standpoint, you would
2 not recommend drilling --

3 A. I did not see a good porosity development in that
4 area. Consequently, compared to the performances Mr.
5 Bertoglio referred to in other areas, the PC doesn't
6 perform well in those low 10- to 14-percent type
7 porosities.

8 Q. Okay. So based on the performance, the
9 production, say, in the Deep Lease and the northern part of
10 the Deep Lease Extension would probably be from the
11 Fruitland Coal rather than the PC?

12 A. I think the majority of that would be expected to
13 be from the Fruitland. And I think again, supporting Mr.
14 Cox's analysis and Mr. Smith's, there's small volumes of PC
15 gas in that area.

16 Q. Okay. Let's move on to your next exhibit. Could
17 you identify that and discuss the basal coal seam in this
18 area, how it compares to Mr. Hively's --

19 A. This is my isopach of -- as I said, the slight
20 difference here is the S8 and the S8.6. I think Mr.
21 Mercier referred to it as the -- the overlying stringer as
22 the 8.6.

23 When you come into the mine area, the actual --
24 the surface mine area, the San Juan Mine to the west, the
25 8.6 actually is in connection with the 8 Coal. There is no

1 division in that particular area.

2 As you move to the east, the 8.6 begins to ride
3 up into the section, up to 35 to 50 feet above the 8 Seam.
4 So I've made an isopach of the 8 and the 8.6, and it's just
5 basically one seam over to the west.

6 So I guess a statement would be that Mr. Hively
7 and I, when we get to the west, are probably in exact
8 agreement on the lower, and as that coal splits and runs
9 further up above the 8, we would diverge in our lower
10 isopach a little bit, just by the amount of the 8.6 seam.

11 Q. Okay, so the difference is in how you group the
12 coal seams, rather than the actual thickness?

13 A. Right, he would then count the 8.6 in his upper,
14 as indicated by his cross-sections, and I've counted it as
15 a lower. But as I said, in total we're -- basically in
16 total in the whole area, we're within about a 9-percent,
17 8-1/2-percent difference.

18 Q. Okay. And what does your next exhibit show,
19 Number 40?

20 A. My next exhibit, which is Exhibit 40 --

21 Q. The -- yeah, 40.

22 A. -- is a depth structure of the top of the S8.
23 And again the difference here, as I did state, with Mr.
24 Hively it's -- we're pretty much showing the same amount of
25 dip, around 100 feet or so per mile in the western part of

1 the area, and then when we get into the Deep Lease
2 Extension the dip flattens. There's a flattening of the
3 dip to about 150 feet per mile. So there's a little bit of
4 a flexure across the Deep Lease, the Deep Lease Extension,
5 on the top of that coal, and I think we're in -- again with
6 Mr. Hively, we're very, very close, within a couple of
7 feet.

8 Q. And then your next exhibit, 41, what does that --

9 A. Exhibit 41 is -- that's an isopach of the S9
10 Coal, the Seam 9, which Mr. Hively indicated on his cross-
11 section is one of his coals in the upper coal. It's
12 actually probably the most significant coal in the upper
13 Fruitland Coal section that Mr. Hively maps. And as I
14 said, when we add these together we're within basically 9
15 percent.

16 Q. And the upper coals, of course, are thinner than
17 that basal coal?

18 A. Yes. There are some local areas where you get a
19 little bit of a thickening. But you know, average across
20 here, it's probably about average, seven, eight feet for
21 the S9 seam.

22 Q. Okay.

23 A. And this seam, out of the upper coals, is the
24 most continuous. I mean, there are the other stringers,
25 but you'd expect those to be less continuous across the

1 area.

2 Q. The two-foot ones or whatever could be
3 discontinuous?

4 A. Yes.

5 Q. Okay. And then move on to your next exhibit,
6 Number 42.

7 A. My next exhibit, Number 42, is just a structure
8 map on the top of that S9 seam across the area. It
9 basically mirrors the structure of the S8 Coal, so there's
10 no significant depositional changes or growth faulting
11 across this area that was noticeable within this section.
12 I think Mr. Hively's cross-section illustrated the same
13 pretty general dip into the Basin.

14 Q. Okay. Then your next exhibit, 43, which is a
15 portion of a well log -- this may be superfluous at this
16 time, but could you just say what you were trying to show
17 on this one?

18 A. Yeah, these log exhibits were prepared based on
19 the previous cross-sections prepared by Richardson, which
20 was shown on some of Mr. Mercier's cross-sections
21 yesterday, and this was just to illustrate some of the
22 differences in that interpretation.

23 Using the density log as a comparison in here,
24 you can clearly see cases where, as Mr. Hively discussed
25 how net pays were picked yesterday, if you look at the

1 Turk's Toast Number 1 well, on the top of the S8 Coal, you
2 can see fairly reasonable agreement.

3 But then you see in the next coal or section
4 picked up above that -- if you actually look at the density
5 log, the comparison of the Netherland, Sewell pick shows a
6 three-foot coal, and the previous geological work showed
7 about a 12- or 14-foot coal. Clearly, looking at the
8 gamma-ray response and the density response, over half,
9 actually about eight feet of that pick of the previous
10 geological interpretation was shale or bentonite.

11 So it was an extremely optimistic interpretation.
12 And I think, as I said, Mr. Hively and I are in -- and we
13 did not collaborate on this -- we're almost in complete
14 agreement. So it really makes these exhibits kind of mute
15 [sic], because we're in almost excellent agreement on those
16 picks.

17 Q. Okay.

18 A. I think as a reasonable geological -- petroleum
19 geologist, this is the way you would interpret these
20 sections.

21 Q. There's essentially no difference between you and
22 Mr. Hively?

23 A. No.

24 Q. Mr. Hattner, finally I hand you what's been
25 marked Exhibit 26. Can you just briefly identify what this

1 exhibit is?

2 A. Exhibit 26 is a paper from the AAPG of --
3 actually it's tomorrow's, it's November, 2002's, *Bulletin*
4 of the AAPG.

5 Q. And when did you first receive this, and maybe
6 more importantly, when did you have a chance to fully --

7 A. Actually, I received my volume last week, I think
8 at the start of the week, when we started this proceeding,
9 I think -- I thought it was about eight days ago. Finally
10 finished reading the article yesterday. So it's somewhere
11 between ten days and two weeks ago.

12 Q. And could you perhaps just point out a few key
13 matters out of this article regarding Fruitland Coal
14 production in the San Juan Basin?

15 A. I think this article is a great summary article
16 of a lot of the work that's going on in both the San Juan
17 and Powder River Basins, in which we do an awful lot of
18 work, especially in the Powder.

19 Some of the main points about the article is, a
20 lot of this work was funded by the, you know, GRI, who's
21 one of the leaders in the coalbed methane, funding of CBM
22 research, in having this work become a part of the database
23 for the companies in the Basins, and a lot of people have
24 relied on this work over the years.

25 And again, some of the work was done -- it's

1 referred to here in the acknowledgements, as Mr. Whitehead
2 at New Mexico Bureau of Mines and Mineral Resources. So
3 there are a lot of collaborators in this research, it's not
4 just Mr. Ayers.

5 And some of the basic data -- like in 1857 you
6 can see some of the range of permeabilities within the
7 Basin. The San Juan is the squares. And again, it ranges
8 from basically less than a millidarcy through, with some
9 exceptions, up over 100 millidarcies. But clearly not the
10 type of permeability in some of the coals that we see in
11 like the Powder River.

12 And then it discusses some of the basics of CBM
13 projects, including water handling, gas treatment, et
14 cetera, and I think that we're all in agreement on those
15 things. Just a lot of the details that Mr. Cox discussed,
16 including coal thickness and extent, thermal maturity
17 permeability, permeability-thickness, these things.

18 Then on 1859 is a reasonable cross-section across
19 the Basin, just showing the relationship of the various
20 units, including the Pictured Cliffs and the Fruitland
21 Coals.

22 And then you have -- several of the questions
23 refer to kind of the fairway area and basin dip, and I
24 think you -- 1860 you see the regional structure across the
25 Basin. The fairway is indicated on those sections, and you

1 can see that the area of discussion is west of Farmington,
2 and you can see the fairly consistent dip out quite a ways
3 into the Basin.

4 Then 1861 you see the Fruitland Coal and the deal
5 with several areas and different reservoir characteristics,
6 shall we say, within those different trend areas. There's
7 some tables in there to talk about those reservoir
8 characteristics later.

9 Q. And this is referred to as the Trend 2 area that
10 we're --

11 A. Yes, this is the Trend 2 area, is where we're at.

12 Turn to page 1862, it's a Fruitland net coal
13 thickness map, and you actually see the area just west of
14 Farmington, and this area is less than 30 feet. And I
15 think Mr. Hively and myself were in the 28-foot-type range,
16 or 26, and he's at 28. So that's in good agreement with
17 the map. It's just that basically this research is just
18 supporting about where we're at.

19 The next page, 1863, just talks about vitrinite
20 reflectance and the grade of the coal, and I think we're
21 all in pretty good agreement on that.

22 There's discussion on coal and -- on page 1864,
23 on the Basin uplift and the removal of section under the
24 Coal and Coalbed Gas Origin, Composition, and Resources,
25 the paragraph up from the bottom in the left-hand column,

1 and it talks about thermogenic gas generation, uplift of
2 the Basin, overburden removal and loss of coal -- or
3 changing coal capacity, and it's caused the coalbeds to be
4 undersaturated, according to this article.

5 Q. Now, one thing on this same page, it talks about
6 ash content and it talks about it commonly exceeds 20
7 percent. That would confirm Mr. Mercier's statement
8 yesterday, would it not?

9 A. Yes, under that same section -- sorry, I missed
10 that -- second sentence in that first paragraph, "Ash
11 content in the Fruitland Coal ranges from 10 to 30% and
12 commonly exceeds 20%," with moisture content of 10 percent
13 in the southern part of the basin, 2 percent in the north.
14 So it just gives some basic characteristics of the coals in
15 the area for the Fruitland.

16 The next page, 1865, Figure 12, calculates in
17 place volumes regionally through the Basin, and it shows
18 this area west of Farmington having less than 5 BCF in
19 place per section.

20 Q. And that would differ from Mr. Cox's estimate?

21 A. That would differ from Mr. Cox's. And again,
22 this is a general trend map. And of course you'd expect
23 that the closer you get to the outcrop, that that would
24 even be reduced further.

25 The next page, 1866, may answer some of the

1 Commissioner's questions -- I know there were some
2 questions the last couple days -- about cleat orientation
3 in the area that we're at, west of Farmington. It shows
4 the northeast-southwest-trending cleat orientation. I
5 believe Mr. Mercier's north-40-east, and that would be --
6 the base cleats and the butt cleats are at 90 degrees of
7 that, so I think that was north-50-west, I believe was Mr.
8 Mercier's testimony yesterday.

9 And then page 1867 just shows a potentiometric
10 surface map of the area, and I believe from Mr. Smith that
11 -- I think we're in agreement with Mr. Cox. It's 5100 feet
12 within this area, so it would just be one more contour in
13 the area just around the mine, just west of Farmington.

14 And then page 1868, Table 1 goes through
15 characteristics of the trends from Figure 8. The area west
16 of Farmington is in Trend 2, 30 to 50 feet of coal. We're
17 close to that, 28 feet. I think it's just a little bit of
18 a difference toward the outcrop.

19 The grade of the coal, mostly less than 150
20 s.c.f. a ton, undersaturated, 3 to 15 b.c.f. per square
21 mile. Ratio of gas composition. CO₂ content less than 1.5
22 percent. And since that hasn't been discussed, I think
23 everybody's in pretty fair agreement on that.

24 Underpressured, northeast dip into the Basin, 5
25 to 25 millidarcies, which seems to fit the previous

1 discussion. Then there's production rates, water rates,
2 then depth. Now, the one difference in our area of Trend 2
3 is that we're up closer to the outcrop so our depths are --
4 if you go actually to the mine face, I think Mr. Mercier
5 said we're at about 400 feet, and I think we pass down to
6 about a thousand feet, which is at the -- Well, the upper
7 end of that range is actually above that range a bit, so...

8 Q. And this table indicates that in the Trend 2
9 area, that the gas contents of the coal are what, generally
10 less than 150 standard cubic feet per ton?

11 A. Yeah, that's what it says in this table. And
12 then there's a written discussion of that also on page 1869
13 where it basically writes out, I think, the results of the
14 table.

15 Q. And it also states that this area is
16 undersaturated?

17 A. Yes, it does.

18 Q. Could you finally refer to page 1881 and discuss
19 that final issue?

20 A. Page 1881 talks about Coalbed Formation
21 Evaluation. It discusses some of the same issues we've
22 had. "The most important and difficult coalbed gas
23 parameters to assess are gas content and permeability
24 during the early project stages."

25 And then it goes down and basically says you

1 can't use well logs to measure methane content or
2 permeability. "Instead, gas content of coal must be
3 measured by desorbing samples in the laboratory. Core
4 samples provide the most accurate results, but gas content
5 can be measured from cuttings," but with a large margin of
6 error. That's under the CBM Formation Evaluation Issues.

7 Q. Does this article -- and I know Mr. Smith hasn't
8 testified -- generally confirm Netherland, Sewell's
9 geologic and engineering study of this area?

10 A. From my understanding of Mr. Smith's work, that's
11 true, but you'd have to ask him some of those specific
12 questions on that side. But geologically, I think this
13 ties in very well with our analysis.

14 Q. Were Exhibits 23, 26 and 38 through 43 prepared
15 by you or compiled from the magazine article?

16 A. Yes.

17 MR. BRUCE: And madame Chair, I'd move the
18 admission of San Juan Coal Company Exhibits 23, 26 and 38
19 through 33 [sic].

20 MR. KELLAHIN: No objection.

21 CHAIRMAN WROTENBERY: Okay, those exhibits are
22 admitted into evidence.

23 MR. BRUCE: Pass the witness.

24 CHAIRMAN WROTENBERY: Mr. Kellahin?

25 MR. KELLAHIN: Thank you.

CROSS-EXAMINATION

BY MR. KELLAHIN:

Q. What's the exhibit number, Mr. Hattner, for Walter Ayers' paper?

A. I believe, if I read this right, it's 26.

Q. Okay. Do you see Mr. Ayers in the room today?

A. I don't know him, no.

Q. He's not here, is he?

A. I don't believe so.

Q. Are you urging the Commission that this paper represents a current representation of the Fruitland Coal Gas Pool?

A. This is the most recent publication that I have knowledge of that refers to the Fruitland Basin and the Powder.

Q. Let's see how recent this is. If you'll turn to page 1857, let's look at page 1857. If you look over at Figure 5 --

A. Yes.

Q. -- if you look at the reference, you'll see that this data is more than 15 years old, is it not?

A. If I go from 1988 to 2002, I get 14 years, depending on the month you want to deal with, 14, 15 years, yes.

Q. Fourteen, 15 years.

1 A. But it is modified from that original data, it
2 says. It's not completely that original data, if I read
3 that right.

4 Q. If we relied on this display back in -- several
5 years ago, we would not have believed that you could
6 successfully drill and complete and produce wells in the
7 coal fairway which are at depths of approximately 2000
8 feet, 2000 to 3000 feet?

9 A. I believe there's comments in here if we want to
10 go -- if we want to take the paper apart section by section
11 where it discusses the fairway and drilling -- it says
12 generalities, but it does discuss drilling in the fairway,
13 if we want to go find that.

14 Q. So if I'm looking at Exhibit 5 on this display,
15 that information shown would not encourage me to go drill
16 the fairway for coals as deep as 2000 to 3000 feet?

17 A. (No response)

18 Q. Isn't the point of Figure 5 is, they're trying to
19 demonstrate that coals at that depth would have too low a
20 permeability to be productive?

21 A. There are indications of the higher perms that
22 range up to -- I guess it's about 60 or 70. It looks like
23 at 2000 feet, because -- exactly where you pick that up.
24 But it does discuss in the paper overpressuring and that
25 effect on performance.

1 Q. Let's turn to page 1661 -- I'm sorry, 1861.
2 There's a figure on this page, it's Figure 7 -- I'm sorry,
3 Figure 8.

4 A. Yes.

5 Q. Figure 8 at the top. This appears to be more
6 than 10 years old, does it not?

7 A. Again, if you read the title it says it's
8 modified, so...

9 And if you go back to the table of contents it
10 refers to production characteristics from the associates
11 from Wyoming, data from 2002, Wyoming Oil and Gas
12 Conservation Commission, coalbed production, accessed June
13 27th, 2002, page 1890, third reference from the top, left-
14 hand column.

15 Q. Am I correct in understanding that on Figure 5
16 the basis of this work originates from more than 10 years
17 ago?

18 A. Figure 5 is 15 years ago, and it's been modified
19 since then. But all basic work in science, when it's done,
20 gets modified along the way. But that doesn't mean we
21 throw out the baby with the bathwater.

22 Q. Are you satisfied that this paper is current in
23 all its respects?

24 A. Can I verify every word and every piece of data
25 in here is absolutely accurate up until today, to the last

1 second? Absolutely not.

2 Q. All right, let's go to page 1681.

3 A. 1881?

4 Q. I'm sorry, you've got to help me with numbers,
5 1881.

6 A. Yes, sir.

7 Q. Look at the far left column on page 1881, just
8 below the caption that says Coalbed Formation Evaluation
9 Issues.

10 A. Yes, sir.

11 Q. Am I reading this correctly when I find it says,
12 "Instead, gas content of coal must be measured by..."
13 desorption "...samples in the laboratory"?

14 A. Yes, sir.

15 Q. "Core samples provide the most accurate
16 results..."

17 A. Yes, sir.

18 Q. "...but gas content can be measured from drill
19 cuttings, with a large..." margin of error. Right?

20 A. Yes, sir.

21 Q. When you see these desorption calculations of gas
22 content, do you always believe those numbers to be
23 accurate?

24 A. Again, I'll have to refer to -- a lot of -- to
25 Mr. Smith.

1 I think if you had one sample or one number,
2 certainly take that with a large grain of salt, whereas if
3 you have a preponderance of numbers, statistically,
4 obviously, that you'd have a higher degree of confidence in
5 those numbers.

6 Q. Have you used the available data and your best
7 geologic judgments and talents to determine the measured
8 values for gas content on a standard cubic of gas per ton
9 of coal?

10 A. As I said, Mr. Smith handles that part, the
11 desorption values and the assignment of gas content. I
12 just do the isopachs and the volumetric part through that
13 stage, so you'll have to ask him.

14 Q. So you would not have been involved in preparing
15 the exhibit that deals with the measured values of gas
16 content per ton of coal?

17 A. I did not.

18 Q. Okay. When you look at this paper, is there any
19 of this work that includes the data for Mr. Richardson's
20 coalbed methane area?

21 A. I do not know if it has any of Mr. Richardson's
22 specific data, no.

23 Q. Do you see if it includes information from any of
24 his specific wells?

25 A. As I said, I do not know that data.

1 Q. Let me show you your résumé and Mr. Smith's
2 résumé, they're Exhibits 24 and 23. Mr. Hattner, yours is
3 23 --

4 A. Yes, sir.

5 Q. -- and Mr. Smith's is 24. Is your coalbed
6 methane experience identical to Mr. Smith's?

7 A. Pretty close.

8 Q. So when those résumés have exactly the same words
9 in each, they represent both of you in the same way?

10 A. Yes, as I said, we worked as a project team, and
11 there are very few projects that we have not worked
12 together over the last 11 1/2 years. The organization of
13 Netherland, Sewell is engineering teams with a support
14 group of geology. The geologists are assigned on a team
15 basis to the engineers. Mr. Smith and I have worked, and
16 we've looked at a lot of the rest of the projects that are
17 listed under here. You'll see a lot of those projects show
18 as exactly the same.

19 Q. Let's go to the Pictured Cliff. I'd like to look
20 at the isopach that you submitted as Exhibit 38.

21 A. Are we --

22 Q. We're done with that.

23 A. I'm sorry, which figure --

24 Q. Yes, sir --

25 A. -- excuse me?

1 Q. -- 38.

2 A. Figure 38. I only have a Figure 32.

3 Q. Okay --

4 A. In the paper?

5 MR. ROSS: Exhibit 38.

6 THE WITNESS: Oh, I'm sorry, I'm sorry, I was
7 looking in the paper. I'm sorry.

8 Q. (By Mr. Kellahin) I'm going back to the exhibit
9 book and looking at Exhibit 38.

10 A. The other Figure 38.

11 Q. I'm sorry, this is contagious, apparently.

12 A. Yes, sir.

13 Q. All right. This is your isopach on the Pictured
14 Cliff?

15 A. Yes, sir.

16 Q. When I look at the contours on here, there's a
17 zero line depicted on the map?

18 A. Yes, sir.

19 Q. Is this a gross isopach of the PC?

20 A. This is an isopach of the PC, basically 20-
21 percent porosity. So well-developed porosity. As I
22 explained earlier, this is that well-developed porosity
23 that we see down in this area.

24 Q. Okay. I was trying to figure out how you've
25 taken a gross PC interval and reduced it. And so you've

1 reduced it by using a cutoff of -- did you say 20-percent
2 porosity?

3 A. Twenty percent.

4 Q. So if a portion of the PC has a thickness and a
5 porosity of less than 20 percent, you've excluded it?

6 A. Yes, this was just to -- the performance in this
7 area and to see what the log characteristics looked like,
8 and there was an increased porosity development in this
9 area, and it was just a -- It's an isopach of that porosity
10 development.

11 Q. Is it your professional geologic opinion that you
12 have to have a cutoff of 20 percent porosity in order to
13 have a PC interval that will be gas-productive?

14 A. No.

15 Q. Okay. Do you have a gross PC map?

16 A. No, I do not.

17 Q. So you have not presented us a gross isopach of
18 the PC so we could see how it's distributed over the whole
19 area?

20 A. No, performance was the driver in the rest of the
21 area.

22 Q. Are you aware that in the San Juan Basin there is
23 substantial PC gas production from areas of the Pictured
24 Cliff that have porosities of 6 to 8 percent?

25 A. I'm aware there is production from those levels.

1 Q. And is there also production below 20-percent
2 porosity, in the range of 10 to 14 percent?

3 A. I've heard of some of those numbers, but could
4 you inform me where those 6-percent producing Pictured
5 Cliff wells are?

6 Q. Well, apparently you've excluded any of those
7 from this display, have you?

8 A. You asked me if I was aware of those wells, and I
9 just asked you if you could tell me where all those
10 6-percent producing wells were at.

11 Q. Well, let's see if we can find them. When we
12 look at your map and I'm using a 20-percent porosity
13 cutoff, the way you've isopached what I would call a net
14 map --

15 A. Yes.

16 Q. -- is that we should not have PC wells outside
17 the zero contour lines on this display?

18 A. No, this map just indicates area of high
19 porosity, and hopefully it's tied -- I tried to tie that
20 and explain the production, like the Russell Federal Number
21 2 well in the PC.

22 Q. Mr. Hattner, let me see if I can go through some
23 of the rest of these things, which I think you're in
24 agreement with Mr. Hively on. I just want to make sure I'm
25 not wrong. I believe you said you don't see any

1 significant differences between you and Mr. Hively on your
2 structure map.

3 A. The only difference would be the comments that
4 were made that we see a hundred-foot-per-mile dip basically
5 across the entire area, and then as I mentioned, there is a
6 flexural change in the Deep Lease Extension where those
7 contours flatten out and actually you're up to about 150
8 feet -- or you're actually down to more like 50 feet per
9 mile. The dip flattens out in the west.

10 So the hundred-foot-per-section statement across
11 the entire area is not totally correct, but as I said,
12 we're in reasonable agreement. It's not significant.

13 Q. Is that difference of a magnitude that we should
14 bring it to the attention of the Commission and that would
15 be a deciding factor in how to resolve this case?

16 A. I can't tell you whether it's a significant
17 factor for the Commission to decide on or not. I rather
18 doubt it, but that's their decision.

19 Q. Let's talk about the isopach.

20 A. Yes, sir.

21 Q. Would you agree with --

22 A. Which one?

23 Q. I'm going to look at the isopach map of the Seam
24 8 and the Seam --

25 A. -- and the Seam 9, the two -- the 8 plus the 8.6

1 and then the 9? You're looking at both at the same?

2 Q. No, I'm looking at the 8 and the 8.6 first.

3 A. Okay.

4 Q. That's Exhibit Number what?

5 A. 39, I believe.

6 Q. All right. I believe you've agreed with Mr.

7 Hively that your map of this Seam 8 and Seam 8.6 is very
8 similar to Mr. Hively's isopach of what he called the lower
9 coal?

10 A. Yeah, I -- well, actually a bit thicker to the
11 east, as I said earlier, because I include the 8.6 in the
12 basal, where he includes the 8.6 in his upper. As I said
13 in total, when you add the 9 and the 8 and the 8.6 to Mr.
14 Hively's upper and lower, we are within about 7 percent.

15 Q. Let's go to the second map, that's the map of the
16 Seam 9?

17 A. Yes, sir.

18 Q. That's Exhibit Number --

19 A. That will be Exhibit Number 41.

20 Q. -- 41. Would you agree with me that your Exhibit
21 41 is different from Mr. Hively's map at the upper coal in
22 that his map excluded from that seam little splits that you
23 have included? There is a difference there, is there not?

24 A. No, we're in agreement. I did not include any of
25 the thin splits.

1 Q. So he did. I have it backwards, Mr. Hively
2 included some thin splits just above yours?

3 A. Yeah, looking at his cross-section, very few,
4 because those don't extend, as he stated several days ago,
5 which I forget which day. Those are not as continuous or
6 not across the entire area.

7 So as I stated, when you add my 8-plus-8.6 map,
8 which is where we differ, and that is in the lower to Mr.
9 Hively's, which to the east he has included in the upper,
10 when you add his upper and lower maps together with my 9
11 plus my 8 and 8.6, then we are within that 7- to 9-percent
12 difference.

13 Q. So when we look at your Exhibit 41, and looking
14 at Coal Seam 9, I think we see that your map is slightly
15 thinner than Mr. Hively's map of the lower coal?

16 A. No, you said the lower coal. My map is thicker
17 for the lower coal and thinner for the upper, if you're
18 trying to compare those on that basis.

19 Q. All right.

20 A. I think that's what you were trying to ask.

21 Q. And the collective difference between these is
22 not of a range of magnitude that matters?

23 A. If you want to argue it on a percentage basis, as
24 I said, it's 7.5 to 10.0 -- 7.48 to 10.02 percent. If you
25 add the two together, then the difference is about 8.5 to 9

1 percent, which is approximately one two-foot stringer,
2 which I'm not going to stand up here -- I couldn't stand up
3 here and say that you couldn't find those differences
4 within my interpretation and his.

5 Q. That would be a range of difference that's common
6 among geologists using the same data and applying their own
7 analysis?

8 A. It's very easy on how you would pick logs and
9 shoulder effects, and you could easily pick a difference of
10 six inches on each shoulder of each of the significant
11 coalbeds, and you won't even need a stringer for a
12 difference.

13 Another thing, as I said, if you look at the maps
14 there's cases where I'm thicker and there's cases where Mr.
15 Hively's thicker. In aggregate, I think, I said, we're
16 within that 7-1/2- to 10-percent range.

17 MR. KELLAHIN: Thank you, madame Chairman.

18 CHAIRMAN WROTENBERY: Thank you.

19 Commissioner Bailey?

20 EXAMINATION

21 BY COMMISSIONER BAILEY:

22 Q. If you could help me orient myself on the
23 article, Exhibit Number 26 --

24 A. Yes, ma'am.

25 Q. -- page 1863.

1 testimony that said that -- when we were talking about
2 spontaneous combustion, that the lower rank the coal, the
3 higher the combustibility, which conversely tells me the
4 higher rank the coal, the lower the combustibility?

5 A. I believe that was Mr. Abrahamse' statement, but
6 I'm not a mining geologist and can't make fair comment on
7 combustibility of coal. And I don't know -- And again,
8 these contours are here and look good on a map, but it's
9 certainly gradational, and I can't say or don't know how
10 much of a gradation or change in coal quality is necessary
11 before that issue, which, as I said, I do not know anything
12 about, takes effect.

13 I'm afraid that would have to be directed to like
14 Mr. Abrahamse or Mr. Mercier. I apologize, ma'am, for not
15 knowing that.

16 COMMISSIONER BAILEY: Maybe the San Juan Coal
17 Company witnesses could help me with this question?

18 MR. BRUCE: Mr. Abrahamse has returned to his
19 job, so I'm afraid we can't help you on that at this point.
20 I guess the best we could would be to have Mr. Brenner find
21 that in his transcript. But there's no -- The geologist
22 and the engineer from San Juan Mine have gone back to the
23 mine.

24 COMMISSIONER BAILEY: Thank you, that's all I
25 have.

1 CHAIRMAN WROTENBERY: Did you have any follow-up,
2 Mr. Bruce?

3 MR. BRUCE: I have nothing further of Mr.
4 Hattner.

5 CHAIRMAN WROTENBERY: Okay, thank you very much
6 for your testimony, Mr. Hattner.

7 THE WITNESS: Thank you.

8 CHAIRMAN WROTENBERY: Mr. Bruce, just a little
9 bit of cleanup before we go further.

10 MR. BRUCE: Yes, ma'am.

11 CHAIRMAN WROTENBERY: At the end of the day
12 yesterday you gave us a map. It's not marked as an
13 exhibit, but it's entitled San Juan Underground, Composite
14 Fruitland Coal Thickness, and it shows the cross-sections
15 A-A' and C-C', related to Exhibits 30 and 31; is that
16 right?

17 MR. BRUCE: Yes. Yes, those -- A-A' and C-C'
18 were used by Richardson's previous geologist, and San Juan
19 Coal Company Exhibits 30 and 31 use those same line of
20 cross-sections.

21 CHAIRMAN WROTENBERY: Okay. Should we mark this?

22 Would that help us keep track of it, or --

23 MR. BRUCE: We could. I think it could be marked
24 as San Juan Coal Company Exhibit 27.

25 CHAIRMAN WROTENBERY: Okay.

1 MR. BRUCE: And I believe it is simply an
2 uncolored copy of San Juan Coal Company Exhibit 32, with
3 the line of cross-section drawn on it.

4 CHAIRMAN WROTENBERY: Do we need a break? We
5 need just a five-minute break here.

6 MR. BRUCE: Yeah, I think our next witness is
7 going to be lengthy.

8 (Thereupon, a recess was taken at 9:55 a.m.)

9 (The following proceedings had at 10:05 a.m.)

10 CHAIRMAN WROTENBERY: Okay, Mr. Bruce, we're
11 ready.

12 MR. BRUCE: One matter to answer Commissioner
13 Bailey's question. If Mr. Bertoglio could just stand here
14 for a minute and -- Commissioner Bailey, you referred to
15 Exhibit 26, page 1863. Mr. Bertoglio has been at the mine
16 numerous times and can tell you with more precision where
17 the mine is actually located.

18 PAUL C. BERTOGLIO (Recalled),
19 the witness herein, having been previously duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT TESTIMONY

22 BY MR. BERTOGLIO:

23 The mine, relative to this map, is more in the --
24 above the .5 line. But the proximate analyses that have
25 been done out there all indicate that the coal is all

1 subbituminous -- or excuse me, high-volatile C. The
2 vitrinite reflectance values are all greater than .5 and
3 less than .7, with the average probably close to .6.

4 COMMISSIONER BAILEY: So does that make it a
5 high-ranking in the coal system?

6 MR. BERTOGLIO: No, it's a low rank in the -- The
7 rank goes subbituminous, high-volatile -- If you look at
8 that chart from bottom to top is the rank order --

9 COMMISSIONER BAILEY: Okay.

10 MR. BERTOGLIO: -- so subbituminous would be a
11 very low rank, and the low-volatile bituminous would be the
12 high rank.

13 COMMISSIONER BAILEY: Thank you for that
14 clarification.

15 MR. BERTOGLIO: You're welcome.

16 DAN PAUL SMITH,
17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. BRUCE:

21 Q. Could you please state your name for the record?

22 A. Yes, my name is Dan Paul Smith.

23 Q. And where do you reside, Mr. Smith?

24 A. Dallas, Texas.

25 Q. Who do you work for and in what capacity?

1 A. I work for Netherland, Sewell and Associates in
2 Dallas as a -- I'm a senior vice president there and a
3 petroleum engineer.

4 Q. And did you work on this project in conjunction
5 with Mr. Hattner, our prior witness?

6 A. Yes, I did.

7 Q. Have you ever testified before the New Mexico Oil
8 Conservation Division or Commission?

9 A. No, I have not.

10 Q. Could you summarize your employment and
11 educational background for the Commissioners?

12 A. Yes, I graduated from Mississippi State
13 University in 1973 with a bachelor of science degree in
14 petroleum engineering. I then spent about three years in
15 New Orleans with Exxon Company USA, working in their Gulf
16 Coast Division. And I left Exxon and spent five years with
17 Pennzoil Producing Company in Shreveport, Louisiana,
18 working kind of the south, southeast US properties.

19 Then in 1980 I joined Netherland, Sewell and
20 Associates as a consultant and have been a consultant for
21 the past 22 years with that firm.

22 My coalbed methane experience, as our résumés
23 indicate, kind of mirrors Mr. Hattner's résumé. John and I
24 had been involved pretty much with most of the development
25 of the coalbed methane business of Netherland, Sewell and

1 Associates, and that's why our histories are quite similar
2 in that regard.

3 I actually was with the firm before John, became
4 involved in the coalbed methane, and so my coalbed methane
5 experience really started back in around 1990 or maybe the
6 late 1980s.

7 My initial experience was in the San Juan Basin
8 in connection with a lot of the Section-29 tax credits that
9 were going around at that time, and so we were working in
10 the San Juan Basin in that regard.

11 And from that time to the present, I'd say my
12 résumé and our firm's résumé has kind of followed the
13 industry. We went through the Black Warrior Basin cycle
14 and then through the San Juan Basin, and I'd say right now
15 that our biggest focus is the Powder River Basin. We
16 currently as a firm have probably three-fourths of the
17 Powder River Basin clients, three-fourths coverage of the
18 Powder River Basin in terms of number of clients and
19 acreage.

20 And we also have been quite involved in most of
21 the other basins in the US, most of the major basins in the
22 US, and are conducting international projects, or have
23 conducted international projects in Australia, Mexico,
24 Czechoslovakia, Poland, many countries around the world.

25 Q. And are you familiar with the engineering matters

1 related to this case?

2 A. Yes, I am.

3 MR. BRUCE: Madame Chair, I'd tender Mr. Smith as
4 an expert petroleum or reservoir engineer.

5 MR. KELLAHIN: No objection to his
6 qualifications.

7 CHAIRMAN WROTENBERY: We accept Mr. Smith's
8 qualifications.

9 Q. (By Mr. Bruce) Before we get into your exhibits,
10 Mr. Smith, and before we go to your handout, could you
11 summarize for the Commissioners your agreements and
12 disagreements with Richardson?

13 A. Yes, I think Mr. Cox actually went over a list
14 the other day when he was testifying that's very similar to
15 my list, so in some ways I'll be restating some of the same
16 things that Mr. Cox mentioned.

17 In general, the structure map, I think there are
18 some minor differences, but we have a general agreement
19 there.

20 We are in agreement with the potentiometric
21 surface, although as you'll see as my testimony progresses,
22 most all of our work is done with a specific value for
23 every 160-acre plot or tract, so we'll have a different
24 answer for every 160-acre block.

25 Q. You don't use an average value across --

1 A. We don't use an average value across there. But
2 in general, our potentiometric surface, even though it
3 varies across the area, is very close to 5100, so I don't
4 think we have any issue there in particular. So as a
5 consequence of that, our pressures are roughly, I'd say, in
6 the range that Mr. Cox was discussing.

7 I think we do agree that there is some level of
8 communication between the Pictured Cliffs and the Fruitland
9 Coal. Maybe the level of that communication may be in
10 dispute.

11 We are in general agreement with the overall
12 isotherm curve that's being used.

13 We are in general agreement with the abandonment
14 pressures for the zones. And as you'll see, even our
15 abandonment pressures are a bit lower than those being used
16 by Mr. Cox.

17 My areas of disagreement may be a little longer
18 than Mr. Cox had indicated.

19 I'll put coal thickness as a minor area of
20 disagreement. As John Hattner has testified, that's in the
21 range of 7-percent difference for the coal thickness.

22 We have what I would classify as a major
23 difference in the gas content of the coal, in that I
24 believe Mr. Cox would consider it to be saturated, and we
25 would consider it to be undersaturated.

1 COMMISSIONER LEE: Gas content?

2 THE WITNESS: Yes, the standard cubic-feet-per-
3 ton gas content of the coal.

4 COMMISSIONER LEE: Of the rock.

5 THE WITNESS: Of the -- Yes, yes.

6 COMMISSIONER LEE: I thought you were talking
7 about composition.

8 THE WITNESS: Yes, content. Yes.

9 I think we would have a different view with
10 regard to what constitutes an analogy well. I think we
11 would tend to look more at the wells on the Deep Lease and
12 the Deep Lease Extension, rather than going a great
13 distance away from this area to find wells to draw analogy
14 to. So I think we would have a fundamental disagreement
15 there.

16 And in the same way, that would then result in a
17 disagreement with regard to what a typical well looks like,
18 because we would look at a typical well in the context of
19 the wells that are already on the Deep Lease and Deep Lease
20 Extension.

21 We would have some differences with regard to
22 reserve categorization, as well talk about. We as a firm
23 tend to classify our reserves as proven, probable and
24 possible, whereas I don't think we understood what reserve
25 category Mr. Cox was using.

1 And then finally, I think we would have some
2 difference of opinion with regard to the model. We have
3 not done a computer model of this area and don't really
4 think that it's very appropriate to do that.

5 Q. (By Mr. Bruce) Thank you. Would you now refer
6 to your handout -- it's not been marked as an exhibit --
7 and discuss two things: the type of people you work for,
8 the type of reserve categories you use and why you use
9 those categories?

10 A. Good, yeah, I did want to kind of expand on Mr.
11 Hattner's discussion of Netherland, Sewell and who we are
12 and kind of our view of this project.

13 We have never testified before the Board. We
14 don't like to do this, to be honest with you, it's not our
15 favorite work to do, we try to avoid it. But I wanted to
16 let you know what our normal course of business is, and
17 that will maybe kind of help you understand how we look at
18 this project.

19 We normally work for major and independent oil
20 and gas companies in the US and around the world, and we
21 also do a great deal of work for government oil companies.
22 In that regard, we're currently doing a study of the
23 coalbed methane potential in Mexico for Pemex.

24 We normally work for financial institutions where
25 our work is used to finance projects, to -- as collateral

1 for loans. So in that regard we normally have to be very
2 clear in defining reserve categories for the estimates that
3 we put forward.

4 The next page shows kind of a list of some of our
5 coalbed methane clients that we now have, and these are
6 pretty active producers in the US, and I'm sure you'll
7 notice some of the names. For the most part, our work for
8 these clients is used for SEC filings or to collateralize
9 loans that they have. And again, I think that's important
10 because we do have to be very careful how we categorize our
11 estimates for these companies, and that our numbers will be
12 used by the Securities and Exchange Commission of the US.

13 Now, I have this Oil and Gas Reserves and
14 Resource Terminology exhibit here that really shows that
15 there's all kind of rules and regulations with regard to
16 how you tag and identify reserve estimates, all the way
17 from those that are not discovered yet. And the AAPG has
18 definitions of undiscovered reserves, and we won't have to
19 deal with those today.

20 Under discovered reserves, there's a subdivision
21 between commercial and noncommercial. And then once you
22 get into a commercial development or a play, then you have
23 reserves. And the three classifications that we have under
24 reserves that we normally use are proven and probable and
25 possible, and those are the three that you see at the

1 bottom of the page there.

2 Q. Okay.

3 A. The next page shows some of the authorities with
4 regard to reserve categorization. The Securities and
5 Exchange Commission is a very important one for classifying
6 proven reserves for SEC filings, and we also use the
7 SPE/WPC, Society of Petroleum Engineers and World Petroleum
8 Congress, definitions.

9 Q. Now with respect to the SEC filings, these public
10 companies you work for have to meet the SEC guidelines, so
11 you darn well better use their definitions; is that right?

12 A. That's correct. And the reason I'm going through
13 this is to show you why I think it's important -- it's the
14 very last page of the handout -- is, these reserve
15 definitions have meaning in that they identify the relative
16 risk of that reserve that you've estimated.

17 Under the SPE/WPC definitions, a proven reserve
18 should have a 90-percent-or-greater probability of being
19 produced, so that's a fairly certain reserve. And we have
20 to take that very seriously when we assign a proven reserve
21 classification.

22 In the same way, a proven plus a probable reserve
23 should have a 50-percent chance of being equal to or
24 greater than the estimates, and the possible reserves
25 should have a 10-percent chance of being greater than the

1 estimates.

2 So really, the important part of this is, when
3 you throw out a recoverable volume estimate you need to
4 label it and tag it so that you can compare it to other
5 estimates. It makes it very difficult, we believe, to take
6 our numbers and compare them with the Richardson estimates,
7 that ours are really classified and categorized, and the
8 Cox estimates are not.

9 Q. Based on what you've seen -- You've been present
10 during the last two-plus days of testimony, have you not?

11 A. Unfortunately, yes.

12 Q. Based on what you've seen, how would you
13 categorize the values Mr. Cox has given in his testimony
14 and exhibits?

15 A. Certainly the way Netherland Sewell would
16 classify reserves, anything in excess of our estimates of
17 prudent or probable reserves would be in the possible
18 reserve categories, I'd say. A substantial portion of Mr.
19 Cox's estimates would be what we would normally classify as
20 possible.

21 Q. Okay. Let's start with your exhibits, and first
22 let's skip Exhibit 44 and go to Exhibit 45 as your first
23 point of reference, and could you discuss your methodology
24 in determining the reserves in the three areas you've
25 discussed -- or the two areas, the Deep Lease and the Deep

1 Lease Extension?

2 A. Yes, we were hired to conduct an independent
3 third-party study of the proven, probable and possible gas
4 reserves in the Fruitland Coal and the Pictured Cliffs --
5 and, as John mentioned, even for the other zones, even
6 though that's not a subject of this discussion -- as of
7 January 1, 2002. Now what that means is that at the time
8 we did our work, the effective date of our estimates was
9 January 1, 2002. We have done our work in accordance with
10 SPE/WPC reserve definitions.

11 In the course of doing our work we go through a
12 pretty standard process -- it sounds very similar to the
13 one Mr. Cox described -- in that we will estimate the
14 original gas in place in the Fruitland Coal and the
15 Pictured Cliffs. We will then determine how much gas is in
16 there and then try to run some cash flow and economics.

17 In the course of our work we have estimated --
18 we've used what we refer to as a discounted cash-flow
19 method, where we actually estimate year by year for every
20 property the reserves and revenue cost associated with that
21 to determine whether those reserves are commercial or not.

22 Q. Now again, was Netherland, Sewell hired to do a
23 conservative study of the data?

24 A. We normally would say that we don't care why
25 we're hired, whether it's conservative or optimistic, we're

1 going to call it like we see it. In this case I would say
2 that the instructions we had from BHP San Juan Coal Company
3 was, if there's a gray area try to err on the optimistic
4 side because we don't want a lowball report on these
5 reserves.

6 Q. Okay. Let's go to your Exhibit 44, which is
7 actually kind of a -- maybe a final answer that you'll get
8 to after you go through your other exhibits, but could you
9 identify that and discuss what that shows.

10 A. As you say, that is essentially the final answer.
11 The important column is the right-hand column, which is the
12 gas ultimate reserves, and they are separated by the Deep
13 Lease and the Deep Lease Extension.

14 You'll notice in my discussions today I'll be
15 very focused on those project areas, with very little
16 discussion of Twin Peaks and any other areas outside there.
17 I've tried to focus on those areas primarily.

18 In the Deep Lease, for example, what you see here
19 is there's three proved developed producing wells that
20 we've used. Proved developed producing, those are wells
21 with actual history and that are actually selling gas, and
22 we classify those as PDP. And in the Deep Lease there's
23 three of those.

24 Proved developed non-producing on the table here
25 would be wells that are completed but not yet on line, and

1 we weren't aware of any of those.

2 We had nine proved undeveloped wells in the Deep
3 Lease that range in reserves from 114 to 216 million cubic
4 feet per well, and we have 11 probable undeveloped
5 locations on the Deep Lease that range in reserves from 128
6 to 254 million cubic feet per well.

7 For the Deep Lease Extension we have a history
8 and have a classified proved developed producing reserves
9 for 20 wells that ranges from essentially 1 million cubic
10 feet to 525 million feet. We have 10 proved undeveloped
11 wells in the Deep Lease Extension that range in reserves
12 from 16 to 322 million, and we have 12 probable undeveloped
13 locations that range in reserves from 168 to 349 million
14 cubic feet.

15 Q. Well, let's maybe now just start in on discussing
16 how you go to those numbers. And if I could refer you to
17 Exhibit 46, could you discuss what is shown on that
18 exhibit?

19 A. Yeah, I have a series of kind of cartoon graphs
20 that kind of just spot things areally. Exhibit 46 is a
21 list of the desorption measurements from -- I believe there
22 18 wells here -- kind of posted in an areal sense so you
23 can kind of see where they fall. As I think the discussion
24 has evolved, it's become very clear that we have used those
25 desorption measurements.

1 Q. Okay. Do you think that is the proper way to
2 measure gas content?

3 A. We saw no reason not to use them. And as I'll
4 discuss later, we think that the undersaturated reservoir
5 of coal that these measurements are indicating tie
6 reasonably well with the performance of the wells that are
7 producing in the Deep Lease and Deep Lease Extension. So
8 we were comfortable using those.

9 Q. Well, let's move on to your adsorption isotherm,
10 Exhibit 47. And Commissioners, that is one of the revised
11 exhibits I've given you.

12 Mr. Smith, could you discuss Exhibit 47? And
13 first off, what is the only difference between the original
14 Exhibit 47 and the revised Exhibit 47?

15 A. Yeah, in the revised Exhibit 47 we've actually
16 put the points down there that correspond to the desorption
17 test, just for comparison purposes.

18 I think Mr. Cox had explained the adsorption
19 curve. We've talked about that quite a bit already, so I
20 won't talk about that. But the important point there is
21 that the adsorption curve measures the ability of a coal to
22 hold gas. It doesn't necessarily say that that's how much
23 is actually in the coal. And that really defines saturated
24 versus undersaturated coals.

25 What we're seeing here, and what this exhibit is

1 indicating, is that the measurements from the desorption
2 canister analysis are showing that this coal doesn't have
3 all the gas in it that it could, in theory, hold.

4 Q. Again, the basic adsorption isotherm is -- you
5 don't have a substantial disagreement with Mr. Cox's on
6 that particular issue?

7 A. That's very close.

8 Q. Okay. And then what is Exhibit 48?

9 A. Exhibit 48 is a plot of the depth to the top of
10 the coal versus the desorption gas content.

11 What we're attempting to do in this case is to
12 establish a trend of gas content that we might expect as we
13 move from the shallower portion to the west of the Deep
14 Lease, over to the deeper portion as we move easterly to
15 the Deep Lease Extension and eventually into Twin Peaks.
16 So we're trying to get a relationship of these desorption
17 measurements as they relate to the depth of the coal.

18 Q. And is that then reflected on your next exhibit,
19 49?

20 A. Yes, Exhibit 49 takes the theoretical gas in
21 place that you would have -- or excuse me, it takes the
22 theoretical gas content that you would have at each section
23 from the Langmuir curve and it compares that to the linear
24 relationship that we've developed of the gas content versus
25 depth from the desorption curve.

1 And so it's an indication of the relative amount
2 of saturation of the Fruitland Coal as you move, in this
3 case, from the west side, which is around 4900 feet, to the
4 east side, which goes down to 4400 feet. It shows that at
5 the surface, or very near the surface, that the coal is
6 very undersaturated, maybe 10 to 15 percent, and that as
7 you move to the west -- excuse me, to the east of the
8 project area and you gain depth, you're actually becoming
9 more and more saturated, and it would be more of a
10 transition from undersaturated to more saturated as you
11 move from west to east.

12 Q. Okay, so the undersaturation ranges from about 10
13 to 40 percent?

14 A. In this area.

15 Q. In this area.

16 A. Yes.

17 Q. And would that be consistent with the paper that
18 Mr. Hattner discussed, Exhibit 26?

19 A. Yeah, that paper -- and I honestly have not had a
20 chance to look at that paper, but yeah, that paper does
21 indicate what you can read in most literature, is that
22 because this area of the Basin has been uplifted and
23 cooled, that when it's cooled it can hold more gas, and so
24 it would become undersaturated with that uplifting. And
25 that would be consistent with that observation.

1 Q. Did you then take the desorption data, the
2 undersaturation data, the gas-content data, and apply that
3 to determine gas content within the project areas?

4 A. Yes, I did, and that's Exhibit 50, which again
5 with my love of cartoons, it just kind of shows how the gas
6 content for every 160-acre block there varies as you move
7 across the Deep Lease, Deep Lease Extension and Twin Peaks,
8 and just a visual of that shows that the gas contents are
9 low in the west and increase as you move to the east, which
10 is normally expected because you're getting deeper and the
11 pressure is increasing.

12 Q. Okay. So you have a gas content per quarter
13 section in this entire area?

14 A. That's correct.

15 Q. And you do not use an average value?

16 A. That's correct.

17 Q. Now, in looking at the data that you've just
18 discussed, perhaps at this point -- maybe just briefly
19 again -- this has probably been gone over before, but
20 what's the difference between the adsorption and
21 desorption?

22 A. Okay, the adsorption is a measure of the ability
23 of the coal to hold methane gas. The desorption test is a
24 measure of how much gas is actually there. And so that
25 would be an indication of whether all the gas is there that

1 could in theory be contained in the coal.

2 Q. Now, if Mr. Cox had used these last two exhibits,
3 could that, in your opinion, explain the poor performance
4 of certain Richardson wells in the area of the Deep Lease
5 and Deep Lease Extension?

6 A. It would be more consistent with the poor
7 performance.

8 Q. Okay. Now, using this data, moving on to Exhibit
9 51, what does this reflect?

10 A. This is an indication of the pressure for each
11 160-acre block across the area. And again, this is based
12 on the potentiometric surface map that we've applied across
13 the area and basically takes a pressure calculation down to
14 the midpoint of the coal, and then just post that.

15 So it again indicates that as you get further to
16 the east, you're deeper and the pressure is increasing.

17 Q. And again, when you make your final calculations,
18 you did not use an average pressure, did you?

19 A. That's correct.

20 Q. You used the pressure per quarter section?

21 A. That's right.

22 Q. And what numbers did you come up with? And I
23 refer you to Exhibit 52.

24 A. Generally in the Deep Lease the pressure varies
25 from 60 p.s.i. in the extreme southwest portion up to a

1 high of -- you have 250 p.s.i. along the eastern edge, and
2 the pressure continues to increase to a pressure of 300
3 p.s.i. as you move to the eastern edge of the Deep Lease
4 Extension.

5 Q. And what are the original gas in place in the
6 coal that you derived after using these numbers? And I
7 refer you to Exhibit 52.

8 A. Yeah, Exhibit 52 only relates to the S8 Coal, and
9 what we've done is, we've combined the gas content
10 information that you just saw with the mapped thickness
11 provided by Mr. Hattner, and with the localized densities
12 that we had from proximate analysis provided by BHP. We've
13 combined all these into a calculation of the original gas
14 in place per 160-acre tract.

15 Q. Okay, now this is only the Seam 8, right?

16 A. This is only Seam 8, that's correct.

17 Q. But your final numbers do take into account Seam
18 9, do they not?

19 A. That's correct.

20 Q. Let's move on to your next exhibit, 53, and
21 identify what you have projected from the data you have.

22 A. Yeah, this is the same type of exhibit but
23 includes the 8 and the 9 coals.

24 Q. And are these --

25 A. On these -- I'm sorry, Exhibit 53 is a

1 calculation if the reserves for the 8 and 9 Coal. The
2 reserves differed from the original gas in place in that we
3 assumed that you can go down to an abandonment pressure of
4 10 p.s.i. in both the 8 and the 9 Coal, and so this
5 reflects your recoverable reserves that you would get, in
6 theory, if you were to reduce every 160-acre tract down to
7 a 10-p.s.i. abandonment pressure.

8 Q. Okay, so Exhibit 52 is original gas in place in
9 Seam 8, whereas Exhibit 53 are your projection of reserves
10 in both the Seam 8 and Seam 9?

11 A. That's correct.

12 Q. Okay. Now, did you also look at -- Well, let's
13 move on to Exhibit 54. What does this reflect? And again,
14 a revised Exhibit 54 was submitted to the Commission.

15 A. Okay, what we've done is, once we determine the
16 theoretical gas in place and theoretical reserves down to
17 the 10-p.s.i. abandonment pressure for every 160-acre
18 tract, we then have gone back to the wells that are
19 actually producing in the Deep Lease, the Deep Lease
20 Extension and in this case Twin Peaks. We've attempted to
21 make projections of, based on performance, what the
22 reserves would be for the wells that are actually
23 producing.

24 We then compared those performance-based
25 projections to the theoretical amount of reserves, and then

1 we back-calculated a recovery factor based on performance
2 as a percent of the original gas in place.

3 Q. Okay. In then preparing Exhibits 54 and 55, is
4 Exhibit -- excuse me, Exhibit 53 and 54. Is Exhibit 53,
5 your Seam 8 and 9 coal reserves -- does this reflect what
6 is commercially recoverable?

7 A. The proved developed producing projections would
8 include commerciality tests, and they are based on
9 projections of reserves and operating cost. And when the
10 well goes noncommercial then we cut off the production. So
11 to the extent that those are proved developed producing
12 reserves, they do have a commerciality test included.

13 Q. Okay. To the -- You mean on Exhibit 53?

14 A. On Exhibit --

15 Q. But Exhibit 53, which is your --

16 A. No, Exhibit 53 does not have a commerciality
17 test. That is only the theoretical gas that could be
18 recovered down to 10 p.s.i. abandonment pressures.

19 Q. Okay. So this isn't saying that any operator out
20 there, say in the northeast quarter of Section 19, would
21 recover 260 -- a quarter of a BCF of coal gas, based on --
22 He's not necessarily going to recover that, because it may
23 not be commercial to recover that?

24 A. That's correct, that would be the theoretical
25 amount of gas he would produce.

1 Q. Okay. Now, did you also look at potential
2 reserves in the Pictured Cliffs?

3 A. Yes, those estimates are contained in Exhibit 55,
4 and as Mr. Hattner's maps indicate, we think that the --
5 what we'll call the sweet spot of the Pictured Cliffs is
6 down to the southern and southeast portion of the Deep
7 Lease Extension and extends over into Twin Peaks, and by
8 Mr. Hattner's maps they actually would extend on down
9 below, south of the Deep Lease Extension --

10 Q. Okay.

11 A. -- to the south of Twin Peaks.

12 Q. So this is, again, volumetric reserves. It's
13 what, somewhat similar to Exhibit 53, but for the Pictured
14 Cliffs?

15 A. That's correct. But that would be the volumetric
16 reserves to be recovered from the current pressure, not
17 from original pressure.

18 Q. Okay. Now this question has come up: Based on
19 performance, you don't see any reserves in the northern
20 part of the Deep Lease Extension or in the Deep Lease in
21 the Pictured Cliffs?

22 A. We don't see very much effective pay up in that
23 area.

24 Q. Okay. There's gas there --

25 A. Right, there --

1 Q. -- just not much?

2 A. That's right.

3 Q. What then is Exhibit 56?

4 A. Exhibit 56 is, again, a calculation of reserves
5 for the 8 and 9 Coal, but this time we've added in the
6 Pictured Cliffs reserves. So you can see that the size of
7 the circles increases to the south of the Deep Lease
8 Extension and the south of Twin Peaks because in those
9 cases we've added in the Pictured Cliffs reserves.

10 Q. Okay. Now, again, this does not show
11 commercially recoverable reserves?

12 A. That's correct.

13 Q. Let's move on to your next two exhibits, and I
14 think we have some blown-up charts for these, Mr. Smith.
15 Let's go first to San Juan Coal Exhibit Number 57. There's
16 a fair amount of data on this. Could you go through it for
17 the Commissioners?

18 A. Yeah, this is a bit of a vision test, and I
19 appreciate that you won't be able to see everything
20 exactly, but --

21 COMMISSIONER LEE: Is this fifty- --

22 MR. BRUCE: Fifty-seven.

23 THE WITNESS: Yes, what we've attempted to do
24 here is take each producing well that's in the Deep Lease
25 and Deep Lease Extension and post a production history plot

1 in an areal sense, where the well is actually located. It
2 seems we spend a lot of time kind of talking about
3 performance of wells outside this area, but we haven't, I
4 don't think, kind of focused in on exactly how the wells
5 inside the Deep Lease and the Deep Lease Extension are
6 performing.

7 So I'm just going to go through it very quickly.
8 I'll try not to take too much time, we all want to get to
9 Hallowe'en.

10 But in Section 36, in the Deep Lease -- and this
11 is the Deep Lease area -- there are three wells producing
12 in Section 36 -- I guess for purposes of my discussion I'm
13 going to say that 30 MCF a day or 35 MCF a day or 1000 MCF
14 a month is essentially subcommercial. You're not making
15 hardly any money. You certainly couldn't drill a well for
16 that, so those are wells that aren't performing well.

17 The scale here is the same. The red is the gas
18 and the blue is the water production for each well. I
19 think the important line here for commerciality is the
20 third line from the bottom, second from the top, is always
21 the 1000-MCF-per-month line, which says that any red line
22 below that is noncommercial. So in some cases you'll have
23 to take my word for it and go back and look at this later.

24 But Section 36, what we have there is three
25 wells. Two of them are essentially below the economic

1 limit at this point, and one of them has some recent
2 performance improvement that's looking pretty good. That
3 would be the 36-3.

4 So in terms of the production inside the Deep
5 Lease, there are two wells essentially that are
6 noncommercial in that section and one well that's begun to
7 increase. And that's really the database in terms of
8 existing production that we have there in the Deep Lease.

9 This will become more important in the next map,
10 but the green line here is the S8 Coal thickness greater
11 than 16 feet. And there's a yellow line that doesn't
12 appear on here -- it will appear on the Deep Lease
13 Extension -- that's greater than five feet in the Pictured
14 Cliffs.

15 There was really not that much information
16 available on the deep ones.

17 Q. (By Mr. Bruce) Why don't you move, then, to your
18 Exhibit 58, which is the next large chart. And that is
19 part of the -- Now we're into the Deep Lease Extension?

20 A. Yes.

21 Q. Maybe start off first with what are the green and
22 the yellow lines on that map?

23 A. Again, the yellow line here is the Pictured
24 Cliffs greater than five feet of pay, so this is Mr.
25 Hattner's kind of sweet spot where he has greater than five

1 feet of high-quality PC. You can see that it actually
2 incorporates a large portion of Section 29, and then a
3 portion of Section 31 and most of the southern two-thirds
4 of Section 32. So this is going to be an area that would
5 be influenced by the PC in those areas.

6 The green is kind of the thicker coal members,
7 greater than 16 feet, and there are some areas where you
8 kind of have a corresponding thickness of the coal and the
9 PC. So obviously what we're going to try to do is relate
10 wells that appear to be performing better than others to --
11 it's in the better portion of the coal and the PC at the
12 same time.

13 I'm just to go on a quick little spin tour right
14 here. I'll start with Section 31 and go up and just kind
15 of tell you about how the wells are performing.

16 Section 31 has two wells. The average ultimate
17 for those two wells is about 90 to 100 million cubic feet.
18 We have used decline-curve analysis on those. One has a
19 history of 17 months, and one has like a 16-year history.
20 They would both below that 1000-MCF-per-day line currently,
21 1000-MCF-a-month line, which would be not commercial.

22 As part of your vision test, if you can see these
23 red lines, one of the things that's important to notice,
24 whether they're actually inclining, which would indicate
25 that there's significant contribution of coalbed methane.

1 And in these two sections, wells in Section 31, there's
2 very little indication of incline for those two wells.

3 In Section 30 it's really one well with two
4 completions, as far as State reports are concerned, which
5 we got a lot of our production information from State
6 information. It's one wellbore but two completions. They
7 have histories of 11 and 30 months, roughly, and both wells
8 are below this 1000-MCF-per-month level and not exhibiting
9 commerciality as yet.

10 Section 29, we didn't find anything -- Excuse me,
11 Section 19, we didn't find anything.

12 Section 18 has two wells. Again, both are below
13 this 1000-MCF-per-month line, both at this point
14 noncommercial. Both of those wells have been on production
15 for about six months each. And both of these wells,
16 coincidentally, make a pretty large volume of water for
17 each one.

18 For these wells that appear to be still rising --
19 as you can see, these two wells appear to be on an incline
20 -- we have projected in our work that they continue to
21 incline up to rates of 100 to 150 MCF per day per well and
22 then go to the volumetric ultimates that we have previously
23 shown to you. So we would project these two to continue to
24 increase.

25 Section 17, there's no history.

1 In Section 20 there's two wells that are --
2 actually four completions, two wells. One has been on line
3 16 months and one 29 months. Three of them are very poor,
4 below the 1000-MCF-per-month line, and one looks really
5 good in the Fruitland Coal, the 29-1. We estimate 266
6 million cubic feet by performance, and the other, the 29-2,
7 we estimate 521 million cubic feet by performance.

8 As we get into Section 29, we're getting into
9 some good wells here, but we're within this area where the
10 PC is thicker and the coal is thicker, so we're expecting
11 to see some better things happen.

12 Section 32 has lots of wells in it. I think
13 there's six completions. Three of the six are
14 subcommercial at this point, we would say, at less than 30
15 MCF a day. They are essentially flat or declining, no
16 incline. Three are good wells, in this area, at 246
17 million cubic feet, 525 million cubic feet and 282 million
18 cubic feet, by decline-curve analysis.

19 That's kind of a quick spin through that, and
20 really our conclusion -- and we are always led very much by
21 performance, how are the wells in that area actually
22 performing? And in this area we saw that you're seeing
23 some pretty good performance down in 29 and 32, but the
24 other ones, we interpreted, have already increased, in many
25 cases they dewatered in four to 12 months, and many of them

1 have already plateau'd and appeared in some cases to be
2 already turning over. And we tried to use a projection of
3 that actual performance to calculate the PDP performance.

4 The thing that we think is important is that once
5 we go through that exercise of projecting these wells and
6 compare that to our theoretical recovery using the
7 desorption data, it's a pretty good match. You're really
8 at recovery factors that make sense to us.

9 Q. In this area you don't see years of incline, do
10 you?

11 A. No, no, that was one of the reasons I've created
12 this exhibit, was, I wanted to get a feel myself for
13 whether I saw a large number of wells exhibiting a
14 consistent incline.

15 Q. And based on the production data and the geology
16 prepared by Mr. Hattner, you're not surprised at the good
17 wells in Sections 29 and 32?

18 A. No, I would have expected those to be the better
19 wells, at least.

20 Q. Okay. You did mention the decline curves. Are
21 your decline curves submitted as Exhibit 59?

22 A. Yes, I have included those. And what each
23 decline curve shows is the history for the gas in MCF per
24 month. And then where you see a line on there, that is my
25 actual projection that I've drawn. So you can kind of see

1 for each well what the history looks like and then what my
2 proved developed producing projection looks like.

3 In some cases we've actually made a projection,
4 but it was not commercial. For example, this WF Federal
5 20-1, the first one, and in that case there would be a "No
6 Economic Reserves" block included on that plot.

7 But just in the interest of full disclosure, I
8 wanted everyone to see every decline curve that we had in
9 there.

10 Q. Okay. You're not going to spend a lot of time on
11 these --

12 A. No, I won't.

13 Q. -- this is just backup data for your conclusions?

14 A. That's right.

15 Q. Okay. Let's go to your conclusions, which are
16 submitted on a list as Exhibit 60, and discuss what you
17 find in this area.

18 A. Our conclusions, after going through our study,
19 was that the Fruitland Coal appears to us to be
20 undersaturated in the Deep Lease and Deep Lease Extension.
21 We believe that is because it's close to the outcrop and
22 there's been some leakage, and also we've mentioned that we
23 think the whole area is at least somewhat undersaturated.

24 We think that the level of undersaturation
25 decreases in proportion to distance from the outcrop, which

1 is generally southwest to northeast or west to east.

2 We think that the gas reserves in the Deep Lease
3 and the Deep Lease Extension are directly affected by this
4 level of undersaturation.

5 We conclude that the bottomhole pressures in the
6 S8 Coal vary from 60 p.s.i. in the Deep Lease to 300 p.s.i.
7 in the Deep Lease Extension.

8 We conclude that the gas reserves per 160-acre
9 Fruitland Coal/PC well varies from near zero in the
10 southwest to 558 million cubic feet on the west edge of the
11 Deep Lease Extension.

12 We find that the Deep Lease average volumetric
13 reserves per 160-acre well are estimated to be 116 million
14 cubic feet for 23 wells.

15 We see that the Deep Lease Extension average
16 volumetric reserve per 160-acre well are estimated to be
17 287 million cubic feet for 32 wells.

18 We believe that at a gas price of \$3.20 per MCF
19 that the minimum commercial well that you would be able to
20 drill in this area is in the range of 100 to 200 million
21 cubic feet.

22 Our average performance base reserve for the Deep
23 Lease three wells was 20 million cubic feet, and our
24 average performance base over the Deep Lease Extension was
25 116 million cubic feet.

1 Q. In looking at these numbers, again, you say that
2 the minimum amount for a commercial well is in the range of
3 100 to 200 MMCF. That's relatively -- I mean, that's in
4 the same range -- I think Mr. Cox gave a figure of, say,
5 150 MMCF for a new well?

6 A. I believe that's correct.

7 Q. Now, you use this \$3.20-per-MCF gas price. Where
8 did you get that value?

9 A. That -- At the time we did our original study,
10 which was as of January 1, 2002, the BLM, I believe, had
11 specified that the price to be used in reports presented to
12 them should be the 12-month average price prior to the
13 effective date.

14 Q. Has a quick check been made of what the October,
15 2002, gas prices are in the San Juan Basin?

16 A. I haven't done a lot of research on that, but
17 I've heard that it's in the \$2.40-per-MCF range. But I've
18 been too busy and haven't researched that recently.

19 Q. Okay. But obviously matters like gas price,
20 operating costs, transportation costs, et cetera, will have
21 a substantial effect on commerciality?

22 A. Yes.

23 Q. Now, based on the numbers you've gotten, what is
24 the -- what would you estimate is the maximum revenue
25 stream over the life of the reservoir for Richardson's

1 proven reserves, assuming Richardson's price -- which I
2 think was what, \$3.50 an MCF?

3 A. Now again, we didn't evaluate Richardson's
4 interest. We were asked to evaluate the Deep Lease and the
5 Deep Lease Extension --

6 Q. Yeah.

7 A. -- the coal area, but we didn't focus on
8 Richardson's -- We also have some information and some
9 production from other operators in the area. So -- But for
10 the Deep Lease and the Deep Lease Extension, based on our
11 work, based on a gas price of \$3.20, the proven revenue,
12 total revenue, was in the neighborhood of \$16 million, and
13 the proven plus probable total revenue was in the
14 neighborhood of \$29 million.

15 Q. Okay. So that would be the total revenue stream
16 in both the Deep Lease and Deep Lease Extension?

17 A. That's correct.

18 Q. And it's not all Richardson acreage, is your
19 understanding?

20 A. That's my understanding.

21 Q. Okay. Now, so if that's the revenue stream, then
22 the royalty interests are going to be what, about an eighth
23 of that?

24 A. That's correct.

25 Q. So you're looking at what, two to three million

1 dollars in royalty revenue off of the coal gas production
2 in the Deep Lease and Deep Lease Extension?

3 A. I haven't made that calculation, but that sounds
4 close.

5 Q. Now, you know, there's been questions about
6 bypassing coal and -- or I should say -- yeah, bypassing
7 coal if there's a wellbore. What -- and I don't know if
8 you want to just pick out a well that you feel comfortable
9 looking at, but what is the royalty value of the coal -- or
10 excuse me, the estimated future revenue of a decent well in
11 the Richardson Application area, say Deep Lease Extension?

12 A. If you took, for example, a-300-million-cubic-
13 foot well as an infill well in that area at the gas price
14 that we've used of \$3.20 per MCF, that's roughly a million
15 dollars of revenue for that well.

16 Q. Okay, and again that's total revenue, 100
17 percent, 8/8 of the production?

18 A. Right.

19 Q. One final question. Oh, the other thing, when
20 you were talking about when you do your calculations on
21 revenue stream, did you use the operating costs that
22 Richardson gave Netherland, Sewell?

23 A. One of the differences in our work on this
24 project was that we did not have full access to the
25 operators. We normally are hired by the operator, and they

1 spend lots of time with us and explain their plans and cost
2 structures, but we didn't have the benefit of that.

3 I did have some brief discussions with two of the
4 operators, and based on those discussions I used the costs
5 that were conveyed to me during those discussions.

6 Q. Okay, so you didn't have any verification, you
7 just used the numbers they gave you?

8 A. Right, that's correct.

9 Q. Okay, the final matter. There's been discussion
10 by San Juan of gas that is vented from the mine, coalbed
11 methane gas that is vented from the mine. Is the amount
12 that is vented from the mine -- does that reflect gas that
13 could be commercially produced from vertical wellbores in
14 the coalbed methane?

15 A. That would be very difficult for me to answer.
16 It would be dependent on where the gate roads and all those
17 things were that the gas was coming from and whether or not
18 a well would be commercial in the neighborhood of where
19 that gas was being sourced from, so it would be difficult
20 for me to make that assessment.

21 Q. Okay. But the fact of -- In the mine there are
22 -- what do they say? -- 14 miles substantial exposed
23 surface, as opposed to a little wellbore going into the
24 Fruitland Coal, and -- which is a factor in the large
25 amounts of gas that is vented?

1 A. Yes, certainly to the extent that wells become
2 less commercial toward the west, the commerciality of those
3 wells would be less. And so they would be, I guess, less
4 subject to capturing gas that could be recovered from a
5 well in that area as compared to the east side of the
6 block.

7 Q. Okay. But just as a general matter, the gas
8 that's vented doesn't reflect gas that could be
9 commercially produced from a wellbore?

10 A. I'd rather not make that assessment.

11 Q. And were Exhibits -- let me make sure I've got
12 the right numbers -- 24 and 44 through 60 prepared by you
13 or under your supervision?

14 A. Yes, they were.

15 MR. BRUCE: Madame Chair, I would move the
16 admission of Exhibits 24 and 44 through 60.

17 MR. KELLAHIN: No objection.

18 CHAIRMAN WROTENBERY: Exhibits 24 and 44 through
19 60 are admitted into evidence.

20 MR. BRUCE: And I pass the witness to Mr.
21 Kellahin

22 CHAIRMAN WROTENBERY: Mr. Kellahin?

23 Oh, that wasn't marked as an exhibit, yeah, the
24 handout that Mr. Smith spoke from.

25 MR. BRUCE: The handout was not marked as an

1 exhibit.

2 CHAIRMAN WROTENBERY: That was just a...

3 CROSS-EXAMINATION

4 BY MR. KELLAHIN:

5 Q. Mr. Smith, when you analyze whether Mr.
6 Richardson's well is economic, can we translate that into a
7 total volume of gas?

8 A. In terms of an existing producing well or a well
9 to be drilled?

10 Q. Let's subdivide it. In terms of a well to be
11 drilled to penetrate the coal gas, to be perforated and to
12 produce that coal gas, is there a number we can use for
13 convenience this morning to say if we can get that much
14 gas, we can pay the cost of the well, the operations and
15 have a profit?

16 A. Based on our work, we were estimating somewhere
17 in the neighborhood of 100 million to 200 million cubic
18 feet per well in this area would be the minimum commercial
19 well.

20 Q. And if we were to take a Pictured Cliff well, an
21 existing Pictured Cliff well, and choose to recomplete that
22 by perforation and frac into the coal, is there a volume of
23 gas associated with your definition of what is commercial?

24 A. That would certainly be less. And I heard your
25 number the other day, that those values sound somewhat

1 reasonable.

2 Q. Mr. Cox testified that it would be between the
3 range of 25 and 50 MCF?

4 A. Uh-huh, yes, I believe that's correct.

5 Q. Yeah, and that would be enough to allow Mr.
6 Richardson to recomplete these PC wells in the coal and
7 qualify as commercial wells?

8 A. That's correct.

9 Q. When you analyze the Richardson wells in the Deep
10 Lease, you have presented those to us on Exhibit 57; is
11 that what this is?

12 A. That's correct.

13 Q. On 57. When we look at this analysis, can you
14 tell me which wells in the Deep Lease on my Exhibit 1-A --
15 and remember, I've made a mistake. The green line at the
16 bottom is a row of sections too far south, and it should be
17 up a line. Which ones of those are economic, using the
18 criteria you've given me for a new well between 100 and 200
19 MCF?

20 A. For the existing wells in Section 36, as I
21 mentioned, two of those were noncommercial in that they
22 were below what we consider to be minimum commerciality by
23 about 30 MCF a day.

24 So I believe they are the 36-1 and 36-2 at this
25 point, would be subcommercial based on performance data.

1 And the 36-3 well is one that Mr. Cox presented the graph
2 on during his testimony that that well has increased up to
3 -- I believe, 150 MCF a day was the testimony.

4 Q. Let me find these wells that are in Section 36.
5 I've got two coal gas wells, I've got a location, and then
6 I have a PC potential recompletion. Among the four spots,
7 which, if any, of those wells would you say is economic?

8 A. Well, to the 36-3 -- between those three existing
9 wells, the 36-3 is the one that's actually performing well
10 currently.

11 Q. All right, this was the good one.

12 A. Yeah.

13 Q. That one meets the standard for being economic.

14 COMMISSIONER LEE: Is that your chart?

15 CHAIRMAN WROTENBERY: That's his.

16 Q. (By Mr. Kellahin) Are there any other wells in
17 the Deep Lease that you've analyzed to see if they were
18 economic?

19 A. Based on the publicly available production
20 records, those are the three that we found in the Deep
21 Lease.

22 Q. Did you seek to obtain data from Richardson?

23 A. Actually, I did call Mr. Richardson early on in
24 the process and asked if I could come visit and gather some
25 information and never got that invitation, so we didn't

1 exchange information.

2 Q. Did you ask your attorneys to subpoena that data
3 for purposes of preparing your testimony on your
4 evaluation?

5 A. No.

6 Q. Have you or any personnel under your direction
7 talked to staff or contract employees or consultants hired
8 on behalf of Mr. Richardson?

9 A. We did have one meeting in Mr. Richardson's
10 office in Denver several months back, and it was a -- I'd
11 say a very brief three- or four-hour meeting where we had
12 some technical discussions, primarily with Mr. Cox at that
13 time. Those are essentially the only discussions that
14 we've had where we got any information from Richardson.

15 Q. When I look at your exhibit and look at Section
16 36, I don't see the PC coal overlap that you have shown on
17 Exhibit 78 -- or 58.

18 A. That's correct.

19 Q. Is there a Fruitland component to the fact that
20 the 36-and-3 well is economic?

21 A. I'm not sure I understand the question.

22 Q. It appears to me that you've drawn some
23 relationship with whether a well in the Deep Lease
24 Extension is economic based upon a juxtaposition of the
25 overlap of the coal and the PC.

1 A. We're saying that the better wells appear to be
2 in that area.

3 Q. When we look at Section 3, you've not
4 demonstrated a map that shows a coal-PC overlap?

5 A. That's correct.

6 Q. What accounts for the fact that in your opinion
7 Well 36-and-3 is economic?

8 A. Well, 36-and-3 at the time I looked at it was not
9 economic, as you can see from the production graph there.
10 It was below the economic limit. Since we gathered that
11 production information, beginning in actually July, I
12 think, that well had a rather significant increase in
13 producing rates, and as Mr. Cox's exhibit showed, it has
14 increased up to over 100 MCF a day now. That -- I'm not
15 sure there was a question there.

16 Q. Well, there's about to be. When you look at that
17 production data at a given point in time, are you presuming
18 that you have achieved peak production rate, and from there
19 you draw a decline curve?

20 A. In our analysis of the 36-3 well, when we looked
21 at it, it was down at only 200 or 300 MCF a day -- per
22 month, which is only 10 MCF per day. We projected in our
23 study that that well would increase up to a rate of 100 MCF
24 a day over the next several months and then go to the
25 volumetric estimate.

1 Q. All right. So the assumption, then, is, you have
2 a coal gas well that is in, still, the inclining phase?

3 A. For that well, we did project it to be inclining.

4 Q. Well, how do you know on your forecast when it's
5 going to get the peak rate, or when you can then start to
6 project a decline?

7 A. Our philosophy has been that to get to the
8 volumetric ultimate that we calculated for these wells, we
9 know about what peak rate we have to get to to have a curve
10 that looks like typical wells in the area. And for this
11 well we assumed that that well would increase up to 100 MCF
12 a day during this year to achieve that.

13 Q. When we look at Exhibit 44, I think it is, Mr.
14 Smith, we're looking at your tabulation of estimated
15 ultimate recoveries for various wells? Am I reading this
16 right?

17 A. That's right.

18 Q. Let's find the 36-3 well on Exhibit 44. Where is
19 that?

20 A. It's the second from the top.

21 Q. And what do you forecast for the expected
22 ultimate recovery from that well?

23 A. Approximately 30 million cubic feet.

24 Q. What was the peak rate you used on your decline
25 curve for that well?

1 A. 3000 per month or 100 MCF per day.

2 Q. Once you start declining at that rate, can you
3 match this estimated ultimate recovery for that well that's
4 shown on Exhibit 44?

5 A. Well, what happens in that case is, once I hit
6 100 MCF a day, it's very near the volumetric ultimate that
7 we estimate, so there's very little production. So based
8 on our projection that was contained in the report, it goes
9 on a very rapid decline from that point and only lasts a
10 few more months.

11 Q. Have you controlled the estimated ultimate
12 recovery from the well based upon what you calculate
13 volumetrically would be contained in the container from
14 which that well produces?

15 A. Based on 160-acre drainage, that's correct.

16 Q. When we look at your Deep Lease Extension work --
17 Well, let's go back to the Deep Lease and look at the PC
18 potential recompletion for the well. It's the 36-and-1
19 well in the southeast quarter of -- 36-and-1 well in
20 Section 36 well, in the southeast quarter. In order to
21 recomplete that well and have it economic, we need 25 to 50
22 MCF of gas; is that right?

23 A. Million.

24 Q. I'm sorry, I forgot an M. MMCF, right?

25 A. That's correct.

1 Q. Have you analyzed to see if there's potential in
2 this well to recover that volume of gas and allow it to be
3 then commercial as a recompletion?

4 A. We map no commercial PC production in that area,
5 so I would not have ascribed any PC reserves to that well.

6 Q. Well, I meant in terms of coal, the coal value
7 for the PC well being recompleted into the coal. All we
8 need is about 25 to 50 MMCF of coal gas?

9 A. In that well, we basically used the decline-curve
10 analysis that we had. We did not give any further reserves
11 to any of the zones there, under the theory that if it's
12 frac'd, it's probably already communicating with those
13 zones.

14 Q. What was your estimated ultimate recovery from
15 Exhibit 44 for that well?

16 A. It would be equal to the cumulative in that it
17 was essentially noncommercial, so we would estimate no
18 remaining reserves.

19 Q. So you assign no further potential for that
20 wellbore in the coal?

21 A. That's correct.

22 Q. Okay. On Exhibit 57 you've analyzed the
23 Fruitland -- or Mr. Richardson's wells that are in the Deep
24 Lease Extension?

25 A. Yes.

1 Q. I've got these backwards. Try again. Exhibit 58
2 is the Deep Lease Extension, correct?

3 A. That's correct.

4 Q. Okay. When we're looking at this display, help
5 me find on my Exhibit 2-1 the Richardson coal wells that
6 are not yet recompleted into the coal, that under your
7 classification or criteria would be economic.

8 A. I'm not sure I understand the question, I
9 apologize.

10 Q. It's probably my fault. Let's look at the Deep
11 Lease Extension. When we look at that area, can we use
12 your criteria for any of these sections in that area and
13 have you tell me which of Mr. Richardson's wells are going
14 to be able to produce between 100 and 200 MMCF of coal gas?

15 A. I'll tell you that for any quarter section that
16 has a PC completion only, we would assume that a well would
17 be drilled there and it would recover the volumetric
18 ultimate that we show on our exhibits. So if there's only
19 a PC completion in that quarter section, we would classify
20 that as either a proven undeveloped location or a probable
21 undeveloped location to be drilled in the future.

22 The way we distinguish between proven and
23 probable is based on whether it was currently a legal
24 location or not.

25 Q. In the Deep Lease Extension area there are some

1 existing Richardson wells that are coal wells. I get eight
2 of those in the Deep Lease Extension. Are any of those
3 economic by your criteria?

4 A. I believe so. I believe I pointed some of those
5 out earlier as I went through.

6 Q. Yeah, I want to be able to mark those on my
7 display so I know which ones you tell me you expect to be
8 economic.

9 A. Again, I ask the question, economic in terms of
10 being commercially viable for the existing well in a
11 decline-curve analysis, or economic in terms of, if I
12 drilled that well today and have two offsets, recover the
13 investment and have a positive net present value?

14 Q. I'm talking about these wells in terms of --
15 Let's call these new drills, with the red. And so I
16 haven't produced enough gas out of these wells at this
17 point, I assume, to recover the original investment. It's
18 those wells I want to know.

19 So let me correct myself. What I'm looking for
20 is, I'm looking for -- Let's talk about the recompletions.
21 We started in that direction.

22 If you take the PC wells and recomplete to the
23 coal, is there any way for you to tell me which ones of
24 those are going to be able to produce the 25 to 50 MMCF
25 that's needed to make them commercial?

1 A. In our analysis we have assumed that there is a
2 PC well that is producing, and there's no coal in the
3 quarter section, and we assume that well will be drilled to
4 the coal and completed separately, and then we'll recover
5 the volumetric reserves that we've estimated. In our
6 analysis, each 160-acre tract stood on its own merits in
7 terms of whether or not it was able to recapture or recover
8 the investment for that well.

9 Q. Are you going to be able to tell me for a
10 potential PC recompletion if Mr. Richardson ought to try to
11 recomplete that into the coal?

12 A. We have not taken that approach. We've -- As I
13 mentioned, we have assumed that a new well would be drilled
14 to recover the Fruitland Coal reserves.

15 Q. I'm slowly beginning to understand. Let's go
16 back to my map, and now let's look at the yellow wells in
17 the Deep Lease Extension. And if I can count, I see six of
18 them. Based upon your analysis of the yellow symbols, are
19 we going to be able to drill those wells and have them
20 economic?

21 A. We assign undeveloped locations either proved or
22 probable in the undrilled quarter sections.

23 Q. Yes, sir.

24 A. Again, each location stands on its own merits
25 with regard to whether or not it can support commerciality.

1 Q. Which ones of these are going to be quarter
2 sections that are going to be economic?

3 A. I would have to go back to my exhibits.

4 Q. Can I pull off of your Exhibit 58 wells within
5 the Deep Lease Extension that you've analyzed that are
6 going to be economic?

7 A. Again, in terms of existing wells being -- having
8 remaining commercial reserves?

9 Q. Right.

10 A. In the Deep Lease Extension, many of the wells
11 have remaining commercial proved development producing
12 reserves. I can't count those right now, but you can go to
13 the production plots listed under Exhibit, I believe, 58,
14 and go through the individual PDP projections and see which
15 ones have remaining reserves.

16 Q. I know you can, Mr. Smith, I just didn't want to
17 do it. And I was hopeful that you would have a display
18 that would outline Richardson's area, and we could
19 highlight those wells that you can see are economic by
20 whatever criteria?

21 A. No, I certainly --

22 Q. You can't do that here?

23 A. I certainly have not memorized which ones are
24 commercial and which ones are not.

25 Q. Okay. Well then I'll stop right there.

1 If we're looking at your analysis, am I correct
2 in understanding your assumption about economics is
3 predicated upon your belief that we're dealing with
4 undersaturated coal?

5 A. That's correct.

6 Q. If it is saturated coal, you're going to be
7 wrong?

8 A. That's correct.

9 Q. When we look outside of the Deep Lease and the
10 Deep Lease Extension, have you analyzed any of the wells in
11 the performance of the Fruitland Coal wells, say, east of
12 Mr. Richardson's Application area?

13 A. We have analyzed the wells in the Twin -- what's
14 referred to as the Twin Peaks area.

15 Q. Does your analysis demonstrate that any of the
16 wells in the Deep -- in the -- what am I calling it?

17 A. Twin Peaks.

18 Q. -- the Twin Peaks Extension, economic by your
19 criteria?

20 A. Yes, the wells, as you move from west to east,
21 get progressively better, as indicated by most of my
22 exhibits. And by the time you're in Twin Peaks, the wells
23 are calculating nice volumetric reserves.

24 Q. Help me understand. My recollection from
25 yesterday is, the furthestmost tier or column of sections

1 adjacent to the Deep Lease Extension is the first column of
2 the Twin Peaks area, and the next one is the second column
3 of sections in the Twin Peaks.

4 A. I think I agree with that.

5 Q. Okay. Where do I go from east to west, to find
6 the edge of the commercial coal before I transcend into an
7 area that you think is not economic?

8 A. That's been the whole idea of doing everything on
9 each specific 160-acre tract, is, when we do that analysis
10 at that detailed level, then each location has to pass the
11 commerciality test. And I doubt it's a straight line.

12 Q. I was trying to visualize, is when you look at
13 that analysis can we see a pattern so that we know as we
14 move from east to west we can find a point where we
15 transcend into an area that you know by your analysis is
16 uneconomic?

17 A. It's a function of thickness, structure,
18 pressure, degree of saturation. There's many things that
19 go into the calculation of ever reserve for every 160-acre
20 tract, so it's gradational, there's no one line that
21 defines the commerciality point.

22 Q. Mr. Smith, have you analyzed the wells to the
23 south of the Deep Lease or the Deep Lease Extension in
24 terms of --

25 A. We have looked at them. I would say we have not

1 presented any findings. Consultants tend to do what we're
2 hired to do, and we were hired to look at the Deep Lease,
3 Deep Lease Extension and Twin Peaks, and we looked at them
4 only to the extent that we thought they might be analogy
5 wells.

6 Q. As part of your résumé, I saw a substantial list
7 of oil and gas companies that you have performed work for?

8 A. That's correct.

9 Q. Is that work that you personally performed?

10 A. In most cases.

11 Q. And is it work you've personally performed in the
12 coalbed methane?

13 A. That's correct.

14 Q. Have you done any work in the underpressured area
15 of the San Juan Basin-Fruitland Coal Pool, other than the
16 Deep Lease and the Deep Lease Extension?

17 A. Yes.

18 Q. Did you present that work to the Division when
19 they had the hearing in July to talk about well density in
20 the underpressured area of the pool?

21 A. No.

22 Q. We talked about your conclusion that you believe
23 this area is predicated on it being undersaturated?

24 A. Yes.

25 Q. How far do we have to move to the east before we

1 get into a saturated area of the pool?

2 A. We haven't extended our analysis any further than
3 Twin Peaks.

4 Q. Okay, and as we go south you're not able to tell
5 me if we move from a place of undersaturation to
6 saturation?

7 A. That's correct.

8 Q. Help me remember, did you present individual
9 production plots for each of Mr. Richardson's wells?

10 A. That was the intent.

11 Q. Right, I'm just reflecting back. Is there a
12 plot, a diagram, a production profile for each of the
13 wells?

14 A. I believe that's correct.

15 Q. Let's find one, just -- You pick one and tell me
16 what exhibit number it is.

17 A. The first one I have here is the -- under Exhibit
18 59, is the WF Federal 20-1.

19 Q. Let's start with that well on Exhibit 58. When I
20 look at this well and I look at the first production, is
21 there any indication to you as an engineer that you're
22 dealing with a coal gas well that has inclining production?

23 A. No.

24 Q. This is obviously straight line, it's flat, it
25 really doesn't present much of a decline at this point that

1 you can plot very well?

2 A. That's correct.

3 Q. Is this the signature of a coal gas well?

4 A. In our view, this was a well that appeared to be
5 tight, low productivity, and we simply projected this based
6 on the over two years' performance that the well has
7 already exhibited. We saw no indication that this well is
8 heading toward inclining.

9 Q. The source of this data, Mr. Smith, is what
10 source?

11 A. It's publicly available data from IHS.

12 Q. Okay. Now, all these production plots are
13 collected behind Exhibit Tab 58, are they not?

14 A. 59, I believe.

15 Q. I'm sorry, 59. Let's go through and help me find
16 the one that shows the Dugan well. I'm looking for the
17 Dugan well in Section 30. It's a coal gas well. Yeah, I
18 have it as the Mayre 90R.

19 A. Okay, I see that one.

20 Q. This is a well that Mr. Dugan apparently started
21 to produce in early year 2001. That well has an inclining
22 rate of production. Do you see that?

23 A. That's correct, for the first year -- or say nine
24 months that it was on, it inclined.

25 Q. And then halfway through the year, it takes a

1 drop in July, and then afterwards -- apparently one month,
2 it starts climbing back up to the top?

3 A. Yes.

4 Q. And then you project a decline, based upon what
5 you have for a data point in mid year 2002. I see that?

6 A. Yes, correct.

7 Q. You're forecasting this decline based upon a
8 starting point in 2002, about halfway through the year?

9 A. That's correct.

10 Q. Isn't it typical to forecast a decline curve
11 based upon multiple points?

12 A. It's typical to project a decline curve based on
13 your judgment as to where the well is headed, based on the
14 history.

15 Q. How were you able to forecast that this well had
16 achieved peak production?

17 A. To me -- and again, these are judgment calls --
18 it appeared to have flattened out for a six-month period
19 and was showing no indication of further increase or
20 inclining production.

21 Q. Is that the criteria that you apply to establish
22 you have peak production from which you can now start to
23 forecast a decline?

24 A. That's pretty much all we have, is the ability to
25 analyze and look at the production, and then when it

1 appears to flatten off, we then think that it may have
2 achieved a peak.

3 Q. Mr. Smith, if you'll turn back for -- It's one of
4 our exhibits, isn't it? Mr. Smith, let me approach you and
5 give you a copy of Mr. Cox's Exhibit C-17.

6 A. Thank you.

7 Q. Let me give you a moment to look at that.

8 A. Okay, I see it.

9 Q. All right. When you look at that signature of
10 production, it starts off initially and it climbs. Do you
11 see the inclining production?

12 A. Yes, I do.

13 Q. And then it will hit a first peak, and then it
14 will have a profile where it starts declining. Do you see
15 that?

16 A. I see that, yes.

17 Q. How come that first peak does not represent the
18 maximum rate of production on that well, from which we
19 could then use the other data points and draw a decline and
20 figure out its EUR?

21 A. In this case I believe there was an operational
22 change, in terms of compression, where it initially began
23 declining in 1997 and there was an operator change, I
24 believe, and then some compression was added, and it began
25 to incline again after that operational change was made.

1 Q. If we had forecasted EUR off the top of the first
2 peak under the assumption that was the peak rate, we would
3 have underestimated the ultimate recovery from that well,
4 would we not?

5 A. That's correct.

6 Q. When we look at these coal gas wells in this
7 area, isn't it truly difficult to find if you're at the
8 peak rate of production with only one year's worth of
9 production?

10 A. It's preferable to have a sustained flat life, to
11 make a 100-percent as to whether or not you have actually
12 achieved that peak. With one year's production it is
13 difficult. With two and three years' production, you think
14 you're getting to the point where you can begin to make
15 those judgments with some accuracy.

16 I will be the first to admit that we had no
17 access to the operators, and we don't have any way of
18 knowing -- or did not have any way of knowing, if there
19 were any operational changes that were anticipated or
20 planned for these wells, that we might have included. Had
21 we been allowed access to the operators, we may have been
22 able to incorporate some of those enhancements into our
23 evaluation, but we didn't have the luxury of that
24 information.

25 Q. Well, you did have the luxury, Mr. Smith. You

1 could have obtained the data through your attorney, could
2 you not?

3 A. That's not my call.

4 Q. Did you recommend to your attorney that you were
5 short of data and needed more information from Mr.
6 Richardson to complete your analysis?

7 A. I was not dealing with attorneys at the time, I
8 was dealing with the BHP managers.

9 Q. Okay. One of those operational limitations could
10 be the fact that the coal gas well is not adequately and
11 efficiently being dewatered so that we can get the water
12 off the reservoir and achieve a peak rate from which we
13 start declining?

14 A. Could be, yes.

15 Q. When you look at the Richardson wells in the
16 area, do you have a display that will show us how you've
17 accumulated that information to reach a conclusion, which I
18 believe you raised, that Richardson's wells are now all
19 declining? Is that not your conclusion?

20 A. No, I didn't say Richardson's wells were all
21 declining. There are -- My philosophy was, if based on my
22 judgment I thought the well had peaked or was already
23 declining, I then applied a decline.

24 For wells that appeared to be increasing I then
25 continued to project that those wells would increase, up to

1 a rate that would support the volumetric ultimate that we
2 show in our analysis.

3 So it was a combination of some wells we project
4 to decline and some wells we project to incline.

5 Q. When dealing with coal gas wells, Mr. Smith, give
6 us a list of the factors that will affect whether a well is
7 to be inclined and at what point it's going to achieve a
8 peak from which it will start a decline?

9 A. Well, based on our study, we have defined what we
10 believe to be the ultimate recoverable reserves from that
11 well. We incline a well up to a rate that will support
12 that ultimate. If in our judgment a well has already
13 exhibited characteristics of flattening or declining, we
14 then honor that production performance data.

15 Q. Does your evaluation show an evaluation of what
16 would happen in the upper coals if those coals are
17 perforated and produced?

18 A. I think we've been very liberal in that regard in
19 that we include all of the S8 and all of the S9 together in
20 every well that we drilled, so there is no additional
21 investment or treatment or cost imposed to achieve the
22 additional S9 reserves.

23 So we treat, in our study, the S8 and the S9 as
24 one coal, effectively.

25 Q. Do you share Mr. Bertoglio's conclusion and

1 belief that the frac jobs in the PC have extended up into
2 the coal?

3 A. I think there's evidence that there is
4 communication between the PC and the Fruitland Coal.

5 Q. Have those fracs, to your knowledge, extended and
6 communicated the PC with the upper coals?

7 A. I can't make that judgment.

8 Q. We don't know if they've gone that far?

9 A. Don't know.

10 Q. If Mr. Richardson is able to obtain additional
11 disposal and more effectively and efficiently dewater the
12 coal, whether it's saturated or unsaturated, that will have
13 the effect of increasing performance of the wells, will it
14 not?

15 A. In all of our studies, data allows us to make new
16 interpretations. So as new data becomes available, whether
17 in the form of additional saltwater disposal capability or
18 other operational changes, it could potentially change our
19 conclusions. It is a dynamic process.

20 Q. So one of the variables about your forecast at
21 this point is that if the wells are more effectively
22 dewatered, or more completely dewatered, it would result in
23 a new forecast having to be performed?

24 A. It could. But I will say, one of our difficult
25 conclusions would be that there's an extremely large

1 difference in our reserve estimates and Mr. Cox's reserve
2 estimates, and there would have to be rather dramatic
3 increases in gas rates from the -- what we interpret to be
4 flat production now, to go from the reserve level that I'm
5 estimating versus the reserve level that Mr. Cox is
6 estimating.

7 Q. Let me have you direct your attention to your
8 Exhibit 46.

9 A. Yes.

10 Q. Am I correct in understanding that this exhibit
11 represents a measured gas content from the coal cores in
12 standard cubic feet per ton of coal?

13 A. That's correct.

14 Q. That's what we're displaying here. I believe I'm
15 correct in understanding that you and Mr. Cox have a
16 disagreement, that he thinks these numbers are not correct
17 representations of the gas content in the coal, and you
18 think they're correct?

19 A. Our interpretations differ on that point.

20 Q. Okay, I'm looking for points of difference, and
21 that is a point of difference?

22 A. That's correct.

23 Q. You advance your conclusion based upon this
24 exhibit that demonstrates the measured gas content using
25 the coreholes, and you display that in terms of data in

1 quarter-section locations?

2 A. But the data that's presented here on 46 is just
3 a visual display of where the gas-content analyses were
4 taken, just to get a visual sense of the gas contents over
5 the study area.

6 Q. Let's find Mr. Richardson's Section 36, where has
7 the 36-and-3 well.

8 A. Yes.

9 Q. Down in Section 36 I'm going to look over in the
10 southeast quarter of Section 36, and I see -- southwest
11 quarter of Section 36, and I see the number 43.

12 A. Yes.

13 Q. Do you see that? That represents a measured
14 number for the coal gas -- the content of the gas in the
15 coal in that quarter section?

16 A. That measure is -- that is a representation of a
17 measurement at that point, yes.

18 Q. Let's do Exhibit 50 now. If you look at Exhibit
19 50, Mr. Smith, we're now looking at your calculations of
20 gas content in terms of standard cubic feet of gas per ton
21 of coal. That's what this is, right?

22 A. That's correct.

23 Q. Let's look down in this same Section 36. In the
24 southwest quarter of Section 36 I see the number 32.

25 A. That's correct.

1 Q. When we move from Exhibit 46 to 50, it appears
2 that the gas content of the coal has been reduced by about
3 25 percent?

4 A. Exhibit 50 is based on the overall gas content
5 trend that we presented earlier. There will be localized
6 differences in the actual measured points versus this
7 trend, but what we've done is tried to establish an overall
8 gradational change in gas content versus structure. So you
9 will be able to find localized differences in the actual
10 measurement and the one that we've used.

11 If you look at the northeast of Section 32 you'll
12 see that coincidentally, that one came out to be exactly 75
13 in both cases. Purely coincidental, actually, but -- So
14 you're going to see some that are close and some that
15 aren't that close, because we have converted the individual
16 points to a straight-line relationship.

17 Q. When I look at Exhibit 46 and I go up into the
18 northern portion of the display and look at Section 18, I
19 see the number 98?

20 A. Yes.

21 Q. And when I come down on -- That's the measured
22 gas content. When I come down to the calculated content
23 displayed in that same quarter section in 18, it's been
24 reduced to 72?

25 A. That's right, again for the same reason.

1 Q. If you'll add now your isotherm -- It's Exhibit
2 47, if you'll look at the isotherm now with me.

3 A. Okay.

4 Q. When I look at the data from the calculated gas
5 content in the coal in the southwest quarter of 36 and I
6 use the number 32 as my value, and I want to interpret that
7 value in relationship to Exhibit 47, what pressure in terms
8 of p.s.i.a. will I find if I look --

9 A. Well, this is Exhibit 47.

10 Q. Yeah, I'm on Exhibit 47 and I'm looking at the
11 vertical scale. I have a gas content of 32?

12 A. Okay.

13 Q. All right. And I'm going to put that on the
14 vertical scale. And what I do then is, I read over to the
15 right until I'm on the isotherm --

16 A. Okay.

17 Q. -- and then I would read down until I bisect the
18 horizontal line, and that should give me a pressure in
19 p.s.i.a., does it not?

20 A. Yes.

21 Q. My guess is -- The scale is not useful here, but
22 my guess is, that's about 20 p.s.i.a.

23 A. I would have said 30, but that's --

24 Q. All right, let's say 30. Let's find a number you
25 like.

1 Now, if I want to take p.s.i.a. and convert it to
2 a gauge pressure, to a p.s.i.g., and I have 30 as my
3 starting number, that translates into what as a p.s.i.g.
4 value?

5	A. You subtract 12.
---	---------------------

6 Q. Okay, and I get what? I can't do numbers.

7 | A. Eighteen.

8 Q. So I now have 18. Do you remember Mr. Cox's
9 testimony yesterday on Mr. Richardson's well, the 36-and --

10 COMMISSIONER LEE: Why is 12?

11 MR. KELLAHIN: Huh?

12 COMMISSIONER LEE: Why is 12?

13 THE WITNESS: It's the difference in the
14 atmospheric pressure.

15 COMMISSIONER LEE: So that's 14.7.

16 THE WITNESS: In the Rockies it's closer to 12
17 because of -- higher it is.

18 Q. (By Mr. Kellahin) I believe it's 12.5 used
19 around here, Mr. Smith.

20 | A. I'm rounding.

21 Q. Okay, and 12.5 would be a conversion for
22 atmosphere.

23 All right, let's work in p.s.i.g. So if we're
24 down to 18 and Mr. Cox tells Mr. Richardson to shut in the
25 36-and-3 well, he did so at a point in time where Mr. Cox

1 knew that the pressure on the gauge was 30 p.s.i.g. Right?
2 He testified to that yesterday; assume it for purposes of
3 the discussion, that that's the number.

4 A. But your discussion is based on the adsorption
5 curve being the correct curve. We haven't used the
6 adsorption curve.

7 Q. I'm sorry?

8 A. We haven't used the adsorption curve. Your
9 discussion was premised on this adsorption curve being the
10 correct curve. We have not used this curve. So this
11 hypothetical example doesn't reflect what we've done.
12 We've used the desorption data.

13 Q. I understand that, but I want to use the isotherm
14 on your exhibit and see if I can take the various gas
15 contents, gas volumes in standard cubic feet of gas per ton
16 of coal, and some pressure numbers and see where I would be
17 on your curve here if I was to use the isotherms and not
18 your measured volumes of gas. We can do that, can't we?
19 Do you want to do it?

20 A. No, it makes no sense. You're mixing the
21 adsorption with the desorption data and trying to make a
22 conclusion from one based on data from the other.

23 Q. Well, Mr. Smith, you're telling me the reservoir
24 is undersaturated. At some point it's going to be
25 saturated, is it not?

1 A. If you drop the pressure sufficiently, that's
2 correct.

3 Q. So I want to deal with the pressure on the
4 36-and-3 well using this isotherm and see if I can take
5 that pressure and work back to a gas content per ton of
6 coal, and see how that number compares with what you told
7 me was your calculated value for the gas content on this
8 other display.

9 A. Again, Mr. Cox can do that in his evaluation
10 because he's used the adsorption curve. I have not used
11 the adsorption curve, so you can't go through that math
12 exercise with my numbers because I haven't used that curve.

13 Q. Mr. Smith, if you didn't use that, how are you
14 able to conclude that you're not dealing with a saturated
15 reservoir?

16 A. I used the desorption data, and then I compared
17 the desorption data to the adsorption data, and to the
18 extent that it was less it indicated that the coal was
19 undersaturated, which caused me then to make the decision
20 not to use the adsorption curve.

21 Q. Did you use any pressure numbers on the 36-and-3
22 well in your analysis?

23 A. I only heard that number from Mr. Cox's testimony
24 just the other day.

25 Q. When you're looking at the performance of the

1 36-and-3 well and looking at the production, did you also
2 look at any of the pressure data from that well?

3 A. Again, I just saw the 36-and-3 updated production
4 data a few days ago. I haven't had a chance -- or I
5 haven't been asked to update my analysis for that well.

6 At the time I looked at the 36-3 well it was
7 noncommercial. It's had a very nice increase of production
8 since I saw it, with production through May of this year.

9 Q. Have you used any pressure information in your
10 analysis?

11 A. I've calculated pressure for every 160-acre
12 block.

13 Q. And you and Mr. Cox are in agreement about the
14 original reservoir pressure numbers to use? That's not a
15 point of difference?

16 A. That's correct, in rough agreement, not exact
17 agreement.

18 Q. So if we're going to resolve the engineering
19 difference between the two of you, we have to decide
20 whether it is an undersaturated reservoir, as you contend
21 it is, or we have to believe it is a saturated or an almost
22 saturated reservoir, as Mr. Cox believes it is?

23 A. I think the way we resolve the difference is
24 produce a couple more years, and we'll all know the answer.

25 Q. We'd like to do that, and we'd like to do it by

1 infilling the density of the area that the mine tells us we
2 can't do.

3 How long do you think we would have to go before
4 we would know the answer?

5 A. It depends on how the data evolves, it depends on
6 the certainty of the data as the wells are produced. It's
7 just difficult to say.

8 Q. What's the methodology utilized in the Basin, Mr.
9 Smith, for producing the coal gas? They drill a wellbore,
10 penetrate the coal, and I guess they perforate something.
11 What do they perforate in the basal seam coal?

12 A. They perforate the coal.

13 Q. That's what they do?

14 A. (Nods)

15 Q. Is there any selected portion of the basal coal
16 that you perforate, or do you perforate the whole thing?

17 A. I'm not sure I -- The coal is perforated and
18 treated and brought on production.

19 Q. How is it treated?

20 A. By fracture treatments.

21 Q. The operators perforate the coal, and they
22 fracture-stimulate the well in order to make it produce,
23 right?

24 A. That's correct.

25 Q. Is that the recommended method for producing the

1 coalbed methane out of the coal?

2 A. That's the common practice in this area of the
3 basin.

4 MR. KELLAHIN: May I have a moment to decide if
5 I'm through?

6 CHAIRMAN WROTENBERY: Certainly.

7 MR. KELLAHIN: Thank you.

8 CHAIRMAN WROTENBERY: We'll take a five-minute
9 break.

10 (Thereupon, a recess was taken at 11:50 a.m.)

11 (The following proceedings had at 11:55 a.m.)

12 CHAIRMAN WROTENBERY: Okay, Mr. Kellahin.

13 MR. KELLAHIN: Madame Chairman, Mr. Carr and I
14 are going trick-or-treating tonight, and --

15 CHAIRMAN WROTENBERY: Are you?

16 MR. KELLAHIN: -- if I'm not there to help him
17 with his costume and his candy jug, we're just not going to
18 go out, so I'm going to stop now and let you ask Mr. Smith
19 some questions. I'm done.

20 CHAIRMAN WROTENBERY: Thank you. Do you have any
21 questions?

22 COMMISSIONER BAILEY: No, Mr. Kellahin asked
23 mine.

24 COMMISSIONER LEE: I want to ask one.

25 CHAIRMAN WROTENBERY: Oh, certainly.

EXAMINATION

BY COMMISSIONER LEE:

Q. Can you tell me how you determine the desorption curve on taking a core from the bottom of your wellbore?

A. The desorption measurements were done by industry firms that do that for a living, and they collected the cores and analyzed anywhere from three to, in some cases, ten samples per well from the cores, and they sent them to a lab that analyzed them, and we were provided the results of those.

Q. But you didn't know what's the process of this?

A. We weren't on site to witness them. It all happened before we were hired, so all we had was --

Q. So anybody in your sites can explain how they do? Because this is very important data for you, right?

A. Yes.

Q. Whenever you do the engineering calculations, you relied on this data.

A. Oh, I -- Yeah.

Q. You should know how it goes.

A. Okay. Yeah, they put the core into a canister, and then they record the pressure buildup. And then from that information, from the pressures, they can --

Q. Pressure buildup, what do you --

A. Within the canister, the --

1 Q. Down there, they cut a core --

2 A. Yes.

3 Q. -- they put a container there?

4 A. No, they bring it to the surface --

5 Q. They bring it to the surface.

6 A. -- and then cut it, put it into a canister and
7 seal it.

8 Q. And it exposes to atmospheric pressure?

9 A. Just for a short period of time, as short as
10 possible between the time they get it to the surface, they
11 get it into the canister and then seal it, and then as the
12 gas in the coal then continues to desorb it builds up
13 pressure in the canister.

14 Q. What is the drilling mud they use?

15 A. I don't know what muds they used on these
16 particular cores, I don't recall.

17 Q. But you don't question about how they do this?

18 A. Well, we -- Yeah, I think the strength of this
19 data is that there were two to three, I believe, companies
20 that did these desorption tests, I think, 60, 70 samples.
21 So I mean, the fact that you have such a large statistical
22 sampling of desorption information makes you feel like
23 there's some reliability there. So that was something that
24 gave us a great deal of comfort.

25 One of the biggest issues with the desorption

1 analysis is how much gas you lost from the time you cut the
2 core and get it into the canister, and those are called
3 lost-gas correlations. And luckily in these cases, those
4 lost-gas volumes were estimated to be relatively small.

5 Q. How? Did you present it?

6 A. No, we didn't present that.

7 Q. Why you don't want to present that data?

8 A. I don't have any of that data with me, but I did
9 review it --

10 Q. You're engineers, are you entitled to question
11 this question?

12 A. Yeah, we get desorption tests all the time, and
13 we conduct reviews of them and check some of the things
14 that are, you know, typical to check.

15 Q. Did you include in your review here?

16 A. I did not put in my reserve report or --

17 Q. I thought this was the focal point of the
18 argument, of whether this data is right or wrong. If you
19 do any work, why don't you present it?

20 A. The measurement of the desorption tests we didn't
21 do, we just provided the results. There was some --

22 Q. Well, I still hold you responsible --

23 A. Right, right.

24 Q. -- because you used that data.

25 A. That's right, that's right. And we have that

1 data in our offices in Dallas, but we didn't bring it with
2 us.

3 COMMISSIONER LEE: No further questions.

4 EXAMINATION

5 BY CHAIRMAN WROTENBERY:

6 Q. I just had one question to, I think, clarify the
7 record, although it may be that I'm the one that's confused
8 about the numbers. But I believe we talked about the Twin
9 Peaks area yesterday as including eight sections, and I
10 note on your exhibits -- for instance, Exhibit Number 46 is
11 the one I'm looking at right now -- it actually includes
12 Sections 9 and 10, for a total of ten sections. Is that --

13 A. I was surprised yesterday when it was described
14 as only eight sections. I understood it to be ten
15 sections. But --

16 Q. Okay.

17 A. -- I'm not sure which one it is, to be honest
18 with you.

19 MR. HATTNER: I don't know how to do this, but I
20 had a discussion with Mr. Woomer yesterday about that same
21 issue. But the actual area of interest is only eight
22 sections. They had us look at the ten, the two
23 northernmost sections, just within our analysis. It's not
24 part of what the mine actually considers the Twin Peaks.

25 CHAIRMAN WROTENBERY: Okay, thank you, Mr.

1 Hattner.

2 That's all I had, then.

3 Mr. Bruce, did you have any follow-up?

4 MR. BRUCE: Just a few.

5 FURTHER EXAMINATION

6 BY MR. BRUCE:

7 Q. When you're looking at the recoverable coal gas,
8 did you use both the 8 and 9 Seam in your estimate?

9 A. Yes, I did.

10 Q. Is that an optimistic assumption at this point?

11 A. It assumes that they were both open to flow and
12 both frac'd and producing together.

13 Q. Okay, but there's no wells in this immediate area
14 that are produced from the Seam 9 at this time, is there?

15 A. That is correct, there is no isolated Seam 9
16 production that I'm aware of.

17 Q. Okay. Now, if -- You use performance and
18 production, do you not, to reasonably estimate reserves? I
19 mean, is it better than a theoretical calculation?

20 A. We as a firm have a hierarchy of things that we
21 like to rely on, and performance is at the top of that
22 list, and everything kind of goes down from there.

23 Q. Okay. Now, you were asked questions by Mr.
24 Kellahin about the ROPCO well. Do you consider that to be
25 an analogous well to the mine area?

1 A. That's a well that's 10, 12 miles away, I
2 believe.

3 Q. Yeah. Do you consider that to be an analogy
4 well?

5 A. Well, we think it's pretty far away, it's deeper,
6 higher perm, and -- lots of reasons not to use that well
7 for an analogy.

8 Q. Okay. Have you done any volumetrics on that
9 ROPCO 6-1 well?

10 A. No.

11 Q. And finally, is use of desorption test data
12 standard in your analysis and other people who work like
13 you?

14 A. Yes.

15 MR. BRUCE: Thank you. That's all I have, madame
16 Chair.

17 CHAIRMAN WROTENBERY: Thank you.

18 Mr. Kellahin?

19 MR. KELLAHIN: No further questions.

20 CHAIRMAN WROTENBERY: Okay. Thank you, Mr.
21 Smith, for your testimony.

22 MR. KELLAHIN: May we have a lunch break?

23 CHAIRMAN WROTENBERY: Okay, I was just going to
24 ask, what do you need to do before we can take this case
25 under advisement?

1 MR. BRUCE: Mr. Smith was my last witness.

2 CHAIRMAN WROTENBERY: Okay.

3 MR. KELLAHIN: Mr. Cox and I need to discuss
4 rebuttal, and then Mr. Cox needs to return so that he can
5 respond to any questions that Dr. Lee has.

6 CHAIRMAN WROTENBERY: That's right.

7 MR. KELLAHIN: And then we need to have short
8 closing statements, and then we can go home.

9 CHAIRMAN WROTENBERY: Okay, so we --

10 COMMISSIONER LEE: Can we go first? I ask the
11 questions and then the rebuttal, before we take a break?

12 CHAIRMAN WROTENBERY: Okay, actually Dr. Lee has
13 a list of questions, so maybe it would be helpful if we
14 told you before the lunch break what those questions were.

15 MR. KELLAHIN: Let's do that. May we recall Mr.
16 Cox at this time?

17 COMMISSIONER LEE: All right.

18 CHAIRMAN WROTENBERY: And then we'll break for
19 lunch.

20 DAVE O. COX (Recalled),
21 the witness herein, having been previously duly sworn upon
22 his oath, was examined and testified as follows:

23 EXAMINATION

24 BY COMMISSIONER LEE:

25 Q. Look at the exhibit, your Exhibit Number 26.

1 When I first looked at it I thought this is a very simple
2 volumetric calculation. But after I talked to you, I know
3 this is a full-scale simulation. So --

4 CHAIRMAN WROTENBERY: Just a second, Mr. Cox
5 hasn't found the exhibit yet. Okay, he's there now.

6 Q. (By Commissioner Lee) So this data is coming out
7 from the simulation, right?

8 A. That's correct, yes.

9 Q. Okay. So you decided to go into this
10 sophisticated simulator yourself, right?

11 A. Yes.

12 Q. You decided? You believe you have enough
13 reliable data to put into this model?

14 A. Yes, I do.

15 Q. Okay. All right. So I would like to know first
16 of all, maybe, the methodology of the model, the two-phase,
17 you know. Briefly describe this model with the two-phase.
18 Is that 3-D or 2-D?

19 A. This one is a 2-D model. It's model -- the 3M
20 model that we used -- that the Colorado Oil and Gas
21 Conservation Commission asked us to prepare to analyze
22 coalbed methane reservoirs.

23 Q. Okay. Is that a finite difference model?

24 A. Yes, it is.

25 Q. Okay. So would you please supply us the

1 structure map? Because during the simulation -- you say
2 this is a model -- I think it's only for this Commission to
3 know the details of your simulation.

4 A. Yes, the structure that we had was basically that
5 that Mr. Hively presented.

6 Q. Yeah, but when you cut it to the pieces, I want
7 to know how you cut it to the pieces.

8 A. We just put it into SURFER, and I had SURFER dump
9 it out in quarter sections.

10 Q. You don't have a printout?

11 A. No, I don't have a printout with me.

12 Q. So it's a -- really input-output, huh?

13 MR. KELLAHIN: Well, we can -- you can print
14 those things out, you just don't have it with you?

15 THE WITNESS: Right, I just don't have it with
16 me.

17 MR. KELLAHIN: Dr. Lee, we're happy to present it
18 to you.

19 Q. (By Commissioner Lee) Okay, I would like to see
20 that, all right?

21 A. Okay.

22 Q. And I would like to know where is your defined
23 no-flow boundary, okay? --

24 A. Okay.

25 Q. -- from the map. Where is your no-flow boundary?

1 What's the area you simulated?

2 A. Okay, would you like me to answer that right now?

3 Q. Well, you can answer it.

4 A. Yes. What we did is, we actually modeled the
5 area that was within the area to be mined, with the
6 exception -- and within this Application. So it's the Deep
7 Lease and Deep Lease Extension, except we only included
8 Section 36, because that's all that Mr. Richardson had
9 rights to. We didn't want to be pulling gas in from
10 outside the model.

11 Q. Well, what are you talking about? You're not
12 going to pull in water, and you decided, or the physics
13 decided?

14 A. No, I decided -- if we took and set up the model
15 and didn't have all the other wells around, then it would
16 have too much gas available to come to these wells. And so
17 I said --

18 Q. So that's the constraint you put on to this
19 model?

20 A. Yes, I put a constraint on it --

21 Q. All right.

22 A. -- so that we only included the gas within the
23 area that Mr. Richardson had there.

24 Q. All right, thank you. This is number four. I
25 would like to see your initial condition, including your

1 permeability direction and your distribution of that.

2 A. Okay, the permeability direction, we used an
3 isotropic permeability. The tests in the San Juan Basin
4 generally indicate a directional permeability between 1 and
5 1.4 to 1, and that low level of anisotropy does not
6 materially affect the results.

7 Q. That's your engineering judgment?

8 A. That's my engineering judgment --

9 Q. So another --

10 A. -- yes, sir.

11 Q. -- assumption you give to this sophisticated
12 model?

13 A. Well, I think it's key to note why we used that
14 model, sir, because what we had, we had the basic
15 information in terms of the volumetrics tied with the
16 isotherm, but --

17 Q. But I believe there are more introduced
18 parameters you can tune into this sophisticated model than
19 the simple model, all right? But if you want to present
20 it, then I would like to see that.

21 A. Well, if I may finish here, sir, I think I can --
22 I think I understand -- and if I can repeat here, perhaps,
23 how I'm understanding your questions. I think that there's
24 a misconception, perhaps, in terms of I may not have
25 communicated well on my testimony.

1 The information that's summarized in Exhibit C-6
2 was based, as I had said, on some average type of
3 parameters and such. C-6, which is the isotherm
4 information, is very simple. We can't use this type of
5 information, though, to evaluate the different -- This
6 tells us for various abandonment pressures and such what
7 will happen. It doesn't tell us, though, what that
8 abandonment pressure is going to be under different
9 conditions.

10 And so that's the reason why we went to the
11 model, so that we could evaluate the effect of the
12 different factors, particularly completing the upper coals
13 and additional dewatering and interference.

14 Q. If you presented something, you make ten
15 assumptions into your model, then this Commission -- I
16 think this Commission has a right to know that. Right?

17 A. Yes, sir, I'm responding to your questions, as
18 best I can, sir.

19 Q. And the other one, number five, how can you
20 specify the water rate and the gas rate in a single well
21 simultaneously? All right? I want you to explain it now
22 or in writing.

23 A. Okay, we do not specify both rates
24 simultaneously. We specify water rate at the beginning and
25 have it convert later to gas rate. And so we have two

1 different -- During time, either water rate is specified or
2 gas rate is specified. And then in addition we have a
3 minimum bottomhole pressure constraint that is specified,
4 so that if the pressure drops below that minimum pressure
5 in the well, then it curtails the well and won't allow it
6 to produce at the specified rate.

7 Q. I heard what you're saying. You put two boundary
8 conditions in your one point. You put out the water
9 production and the constraint of the pressure into the
10 well. How can you do that?

11 A. No, we put a minimum pressure that the -- the
12 pressure -- as we produce water, the pressure drops in the
13 well. And once that pressure -- or gas -- once that
14 pressure reaches the minimum level, then it converts to a
15 constant bottomhole pressure constraint.

16 Q. All right. All right, number seven. Every well,
17 when you simulate it, every well, your production data,
18 your prediction and your corresponding absolute
19 permeability and -- changing because of your shrinkage.
20 You know, every time you change the permeability, would you
21 please give out the -- and submit it to the Commission?
22 All right?

23 A. Okay, basically what we did is, we just took two
24 points on permeability, though.

25 Q. Well, did you tell us about it?

1 A. Yes, what we did is, we were tying -- we started
2 out the forecast at initial permeability level to obtain
3 the correct gas and water rates, type of gas and water
4 rates at the beginning. But then what we did is, we
5 allowed those rates to increase over an average of five
6 years of production on each well until they reached a total
7 combined rate of 500 MCF per day per well on 80 percent of
8 the wells. The other wells we held flat. So at that
9 point, that's where we said we needed that higher
10 permeability.

11 So it was really with that permeability from that
12 point forward that our modeling was taking place.

13 Q. Okay, number eight. How can you distribute your
14 rate to the two different zones?

15 A. We assumed that because we didn't have
16 information to divide those, that we would just combine
17 those and lump them together as a single equivalent sum.

18 Q. So right now the truth comes out. Your --

19 A. Well, the truth's been out all along, sir.

20 Q. Your regress simulation is communicated with each
21 other?

22 A. Yes, there is a degree of communication in many
23 of the wells --

24 Q. All right.

25 A. -- between the Pictured Cliffs and the Fruitland

1 Coal.

2 Q. What is -- the lower Coal and the upper Coal,
3 right?

4 A. We separated the lower Coal and upper Coal and
5 did those as independent layers.

6 Q. Then why do you want to do the simulation? You
7 separate the two zones, you're producing at the same time.

8 A. No, the upper and lower Coals are not being
9 produced at the same time.

10 Q. Are you assuming they are going to produce at the
11 same time? Are you assuming the producer is going to
12 produce the upper Coal first and the lower Coal second?

13 A. No, I'm assuming that Mr. Richardson -- In fact,
14 we assumed that he would come in at approximately 2004 and
15 fracture-treat and complete the upper Coals as well.

16 Q. You see, I have a lot of questions because I
17 didn't see the output, right? I didn't see the write-up.
18 This is a single page about a whole model.

19 A. That's the summary of the results from the model,
20 yes, sir.

21 Q. Okay. The next one, yesterday you said you used
22 a skin factor to represent a fracture, so I would like to
23 see what the fracture looks like, and I would also like to
24 see how you explain the two-phase skin factor. This is
25 two-phase flow, right?

1 A. This is two-phase flow, yes.

2 Q. What is this two-phase skin factor?

3 A. In coalbed methane modeling, the way that the
4 skin factors are applied in this industry -- and we
5 currently have four different coalbed methane models in
6 house, simulation models, and I have in the past used other
7 models as well -- they all use a single skin factor for
8 both single-phase or two-phase. They don't break up the
9 two different skin factors.

10 Q. I thought this was a vigorous simulation. It has
11 to be hundred percent, as close as possible, to represent
12 the physics. And right now you are telling me that 20 feet
13 of the fracture, you are assuming the wellbore is bigger.
14 Is that a right simulation?

15 A. A which kind, excuse me?

16 Q. Is that a right description --

17 A. Oh --

18 Q. -- of the physics?

19 A. Well, coalbed methane simulation is extremely
20 complex. We need to make certain simplifications to make
21 it work, and this is the same type of -- whether we're
22 running in COMET or EXODUS or 3M or a MORE model or any of
23 the commercial models, they all make these simplifications.

24 Q. This is the hearing. This is the hearing, you
25 are using the tool, the data to present it to show the

1 other side you are right, they are wrong. And in your
2 model you have 20 assumptions there. And do you think this
3 Commission has a right to know those 20 assumptions,
4 instead of only know this is the model? One word, model?

5 A. In terms, sir, of -- we normally don't provide an
6 entire simulation deck on every project, because it's just
7 numbers and doesn't give the background of what happens.
8 Instead --

9 Q. Okay --

10 A. -- what we have to do as consulting engineers is,
11 we use our best judgment, just as we would on decline
12 curves or material balance or other techniques, and we
13 apply the same techniques that we do in other projects.

14 Q. Okay. About the -- you say it's not going to
15 affect the final answer. How about relative perm? Where
16 did you get the relative perm?

17 A. The relative permeability curve that we used is a
18 curve we developed from matching many of the San Juan Basin
19 wells. And so --

20 Q. Regardless about the regions?

21 A. Well, we don't have sufficient information in
22 this area to match a relative permeability curve specific
23 for this project, so we had to apply one from another area,
24 yes.

25 Q. Okay, but that relative perm curve is determining

1 when the gas will flow, how much gas will flow and how fast
2 it can flow; is that right?

3 A. Yes, it does, but we have to calibrate that back
4 to the actual performance on the wells.

5 Q. And that calibration is your engineering
6 judgment?

7 A. Well, that calibration is -- yes, it is, but we
8 have to use that actual performance to match back to.

9 Q. Yeah, I just want to establish that something
10 is -- whenever the case is coming to the Commission, you
11 should have the input on how you do it and the output,
12 instead of telling us, This is the model. If you give me
13 the 69 parameters, I can tell you there's an elephant in
14 back of this room, all right? And I really strongly
15 believe, you know, the -- if you can -- you can do that and
16 you can give me more, then, of this. All right?

17 A. Well, but --

18 Q. But this is your -- this question, okay? But I
19 have a -- I want to know more data. So --

20 A. Sir --

21 Q. -- eleven, I want to know the conclusion. All
22 right?

23 So let's see, let's go through the list. Can you
24 write it down?

25 Methodology of the model, that's number one.

1 Okay, number two is the --

2 CHAIRMAN WROTENBERY: Hold on just a second, Mr.
3 Cox is writing. Okay.

4 Q. (By Commissioner Lee) Number two is the
5 structure map and where is the no-flow boundary?

6 Number three is the initial condition and also
7 including the permeability direction assignment
8 distribution.

9 CHAIRMAN WROTENBERY: Okay, hold on just a
10 second. Okay, now.

11 Q. (By Commissioner Lee) Number four, how you
12 specify the water and gas rate to the well. If you have
13 something, write it down.

14 Number five, if you have any constraint of the
15 model, please say so.

16 Number six, every well, whenever you simulate it,
17 every well, all the production data in your prediction,
18 please plot it. Okay? And also, what is the permeability
19 changing of every time? What's your scheme of the
20 permeability change?

21 Number seven, how you distribute a rate to the
22 two different zones.

23 Number eight --

24 A. Do you mean the PC and the Coal, or do you mean
25 the upper and lower --

1 Q. Upper and lower.

2 A. -- coal? Okay.

3 Q. Explain the two-phase skin factor and what the
4 fracture looks like. For every well, how you change those
5 fractures to skin.

6 Number nine, the conclusion.

7 I have no further questions.

8 CHAIRMAN WROTENBERY: Thank you. Mr. Cox, did
9 you have something else you wanted to say? You had started
10 to say something.

11 THE WITNESS: Yeah, I'm sorry, I didn't mean to
12 attempt to interrupt.

13 We don't have much of this information, because
14 the models don't work in this way. There are no two-phase
15 skin factors. What the frac looks like does not go in the
16 model, a skin factor goes into the model.

17 So many of these questions are not -- they're not
18 something that I can answer. But I can tell you the
19 conclusions and the results are summarized here in C-26.

20 But in addition, the other piece that I need to
21 get across here is, what we had done was modeled a smaller
22 area, rather than come back and attempt -- or rather than
23 come back and model the entire Application area, what we
24 did was, we then did a scale-up to the Application area, as
25 I had mentioned, applying the recovery efficiencies

1 determined from the model in order to get the total
2 recovery from the Application area.

3 So we don't have a model of the entire
4 Application area, we don't have every single well, and so
5 what we have is only basically the model that we have. And
6 I can provide you the input deck from the model that we
7 have, but all this other stuff, we really don't have that.

8 Q. (By Commissioner Lee) If you don't have that --
9 Well, I think you should have it. But if you don't have
10 it, just say you don't have it.

11 A. Well --

12 CHAIRMAN WROTENBERY: And explain why --

13 COMMISSIONER LEE: And explain --

14 CHAIRMAN WROTENBERY: -- briefly, you don't have
15 it.

16 THE WITNESS: Okay.

17 CHAIRMAN WROTENBERY: I think that would work.
18 Provide what you can, and then what you can't provide,
19 state that and explain why.

20 THE WITNESS: Well, now, there's another problem
21 that I have, and I recognize this is not the Commission's
22 problem, this is a personal problem, but I am traveling a
23 considerable amount, and I will only be in the States for a
24 few days in the next two months, so --

25 Q. (By Commissioner Lee) Wait a minute, this is

1 already done?

2 A. Yes, but still, when you want the write-ups of
3 these different things -- As I say, I can gladly provide
4 you the input decks, but when you're asking for all this
5 other information, we don't have that put together, and
6 that would require me to go and put it together, or else to
7 say we just don't have that.

8 CHAIRMAN WROTENBERY: Well, why don't you visit
9 over lunch with your attorney, and then we can talk after
10 lunch about the scheduling for the Commission.

11 MR. KELLAHIN: I think we can do this now.

12 CHAIRMAN WROTENBERY: You think so?

13 MR. KELLAHIN: Dr. Lee has raised some
14 interesting things, and we want him satisfied about the
15 model. If you'll allow us, Mr. Cox and I will submit that
16 together, we'll give you a narrative so that you can
17 understand how we did it, and if you disagree then you can
18 disagree on the points of difference.

19 And maybe we've had enough in the last two and a
20 half days. And if you want to stop now, that's fine with
21 me. We'll stop doing this and we'll submit a written
22 closing to you and a summary for Dr. Lee so he can analyze
23 the simulation, and we can just -- I think we're done.

24 CHAIRMAN WROTENBERY: Okay. Did you have
25 anything else, Mr. Bruce?

1 MR. BRUCE: Well, I don't have anything else to
2 submit, but we would certainly appreciate the chance for a
3 couple weeks' time for our experts to look at Mr. Cox's
4 submission.

5 CHAIRMAN WROTENBERY: Certainly, we can plan on
6 that.

7 MR. KELLAHIN: That's only fair. We will submit
8 that to Mr. Bruce ahead of time so that he has a chance to
9 look at it, and we can decide if there's a --

10 CHAIRMAN WROTENBERY: Okay. Then let's talk a
11 little bit about due dates for the additional information
12 and also for the written closing statements. And I got
13 away without my palm pilot. Does anybody have a calendar
14 up here? Steve, do you have your calendar with you?

15 MR. ROSS: Yes, I do. What do you think a
16 date --

17 CHAIRMAN WROTENBERY: Let's let them talk a
18 little bit about when they might be able to submit their...

19 Mr. Kellahin, when do you think you might be able
20 to submit the additional information requested by Dr. Lee?

21 MR. KELLAHIN: I'm losing Mr. Cox, he's going to
22 Hawaii without me. He leaves tomorrow. I gave him my
23 travel books and he's leaving. And so his associate Rhonda
24 and I will have to e-mail Mr. Cox, and we will do our very
25 best to have Dr. Lee's information to Dr. Lee and to Mr.

1 Bruce. If you could give us ten days, we can do that.

2 CHAIRMAN WROTENBERY: Ten days will be roughly
3 the -- the 12th of November, because the 11th of November
4 is a holiday, so --

5 MR. KELLAHIN: The 12th is what day of the week?

6 CHAIRMAN WROTENBERY: It's a Tuesday.

7 MR. KELLAHIN: That would be good.

8 CHAIRMAN WROTENBERY: And then Mr. Bruce, how
9 long would you need to respond?

10 MR. BRUCE: A week, madame Chair.

11 CHAIRMAN WROTENBERY: Okay, and that will get us
12 to the 19th of November. And how about we make the written
13 closing statements due that same day, the 19th? Will that
14 work for everyone?

15 MR. KELLAHIN: Yes, ma'am, we can do that.

16 CHAIRMAN WROTENBERY: Okay, good. Are there any
17 other matters we need to address today?

18 MR. KELLAHIN: There have been a lot of people
19 that have sat here all week long. I don't know if there's
20 any parties that want to make statements or any of that
21 stuff. There was a representative from Mr. Dugan's office,
22 and I don't know if he wants to say anything.

23 CHAIRMAN WROTENBERY: He left, yeah.

24 MR. KELLAHIN: I guess we know what he wants.

25 CHAIRMAN WROTENBERY: Okay.

1 MR. KELLAHIN: I do have one short witness that I
2 want to call for an unsworn statement, if I might.

3 CHAIRMAN WROTENBERY: Okay, are you going to
4 surprise us?

5 MR. BRUCE: Is that Mr. Carr in there?

6 (Off the record)

7 CHAIRMAN WROTENBERY: Okay, we'll go ahead and
8 adjourn this proceeding. Thank you very much to all of the
9 witnesses who testified. We appreciate everybody's time
10 and attention to this matter. It's been quite instructive,
11 this particular hearing process, and so we'll look for the
12 addition information and closing statements in the next few
13 weeks.

14 And at this point we'll take this matter under
15 advisement.

16 I would ask at this point for a motion from the
17 Commission to go into closed executive session in order
18 that we may deliberate on this matter.

19 COMMISSIONER BAILEY: I so move.

20 COMMISSIONER LEE: Second.

21 CHAIRMAN WROTENBERY: All in favor say "aye".

22 COMMISSIONER BAILEY: Aye.

23 COMMISSIONER LEE: Aye.

24 CHAIRMAN WROTENBERY: Aye.

25 (Off the record at 12:28 p.m.)

1 (The following proceedings had at 1:18 p.m.)

2 CHAIRMAN WROTENBERY: And I'll entertain a motion
3 to end our executive session and go back into open meeting.

4 COMMISSIONER BAILEY: I so move.

5 COMMISSIONER LEE: Second.

6 CHAIRMAN WROTENBERY: All in favor say "aye".

7 COMMISSIONER BAILEY: Aye.

8 COMMISSIONER LEE: Aye.

9 CHAIRMAN WROTENBERY: Aye. And I'll just note
10 for the record that while we were in closed executive
11 session the only matter we discussed was Case 12,734, the
12 Application of Richardson Operating Company to establish a
13 special infill well area within the Basin Fruitland Coal
14 Gas Pool, which is the case we just spent two and a half
15 days on hearing testimony and taking other evidence.

16 I'll also note that we had talked at the outset
17 of this particular meeting about possibly acting on Case
18 12,897, the Application of the New Mexico Oil Conservation
19 Division through the Environmental Bureau Chief for the
20 adoption of amendments to Division Rule 118 concerning
21 hydrogen sulfide gas.

22 Commissioners, Mr. Ross and I were not able to
23 complete the process of getting the draft order in final
24 form, so we will need to defer action on that particular
25 matter until we meet again on November 22nd. Okay?

1 And I believe that is everything we need to cover
2 at this particular meeting. Shall we adjourn?

3 COMMISSIONER BAILEY: I move we adjourn.

4 COMMISSIONER LEE: Second.

5 CHAIRMAN WROTENBERY: Okay, all in favor say
6 "aye".

7 COMMISSIONER BAILEY: Aye.

8 COMMISSIONER LEE: Aye.

9 CHAIRMAN WROTENBERY: Aye. We're done, thank
10 you.

11 (Thereupon, these proceedings were concluded at
12 1:20 p.m.)

13 * * *


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 20th, 2002.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2006