

3 IN THE MATTER OF THE HEARING CALLED  
4 BY THE OIL CONSERVATION DIVISION FOR  
5 THE PURPOSE OF CONSIDERING:

5 APPLICATION OF OCCIDENTAL PERMIAN  
6 LIMITED PARTNERSHIP TO AMEND ORDERS  
7 R-4934 AND R-4934-E GOVERNING THE  
8 SOUTH HOBBS GRAYBURG-SAN ANDRES  
9 PRESSURE MAINTENANCE PROJECT TO  
10 ALLOW THE INJECTION OF CARBON  
11 DIOXIDE AND PRODUCE GASES, TO  
12 MODIFY THE SURFACE INJECTION  
13 PRESSURE, TO OBTAIN OTHER RELIEF,  
14 AND TO QUALIFY THIS EXPANSION FOR  
15 THE RECOVERED OIL TAX RATE PURSUANT  
16 TO THE NEW MEXICO ENHANCED OIL  
17 RECOVERY ACT, LEA COUNTY, NEW MEXICO.

CASE NO. 14981

ORIGINAL

RECEIVED OOD  
2013 MAY 30 PM 1:29

13 REPORTER'S TRANSCRIPT OF PROCEEDINGS

14 COMMISSION HEARING

15 VOLUME 1 OF 2

16 BEFORE: JAMI BAILEY, CHAIRPERSON  
17 TERRY WARNELL, COMMISSIONER  
18 ROBERT S. BALCH, COMMISSIONER

19 May 9, 2013  
20 Santa Fe, New Mexico

21 This matter came on for hearing before the  
22 New Mexico Oil Conservation Commission on Thursday,  
23 May 9, 2013, at the New Mexico Energy, Minerals and  
24 Natural Resources Department, 1220 South St. Francis  
25 Drive, Porter Hall, Room 102, Santa Fe, New Mexico..

23 REPORTED BY: Mary C. Hankins, CCR, RPR  
24 New Mexico CCR #20  
25 Paul Baca Professional Court Reporters  
500 4th Street, Northwest, Suite 105  
Albuquerque, New Mexico 87102

1 APPEARANCES

2 FOR NEW MEXICO OIL CONSERVATION COMMISSION:

3 BILL BRANCARD, ESQ.  
4 NEW MEXICO ENERGY, MINERALS AND NATURAL RESOURCES  
5 DEPARTMENT  
6 OFFICE OF GENERAL COUNSEL  
7 1220 South St. Francis Drive  
8 Santa Fe, New Mexico 87505  
9 (505) 476-3210  
10 bill.brancard@state.nm.us

11 FOR APPLICANT OCCIDENTAL PERMIAN LIMITED PARTNERSHIP  
12 (OXY):

13 MICHAEL H. FELDEWERT, ESQ.  
14 HOLLAND & HART  
15 110 North Guadalupe, Suite 1  
16 Santa Fe, New Mexico 87501  
17 (505) 988-4421  
18 mfeldewert@hollandhart.com

19 FOR INTERVENOR STATE OF NEW MEXICO OIL CONSERVATION  
20 DIVISION:

21 GABRIELLE A. GERHOLT, ESQ.  
22 OFFICE OF GENERAL COUNSEL  
23 OIL CONSERVATION DIVISION  
24 Energy, Minerals and Natural Resources Department  
25 1220 South St. Francis Drive  
Santa Fe, New Mexico 87505  
(505) 476-3451  
gabrielle.gerholt@state.nm.us

FOR ADJOINING LANDOWNER MALCOMB COOMBES:

RICHARD L. "RICK" ALVIDREZ, ESQ.  
THE LAW OFFICES OF MILLER STRATVERT, P.A.  
500 Marquette, Northwest, Suite 1100  
Albuquerque, New Mexico 87102  
(505) 842-1950  
rickalvidrez@mstlaw.com

	INDEX	PAGE
1		
2	Case Number 14981 Called	6
3	Opening Statement by Mr. Feldewert	7
4	Opening Statement by Ms. Gerholt	14
5	Opening Statement by Mr. Alvidrez	15
6	Occidental Permian Limited Partnership's (OXY)	
7	Case-in-Chief:	
8	Witnesses:	
9	Richard E. "Rick" Foppiano:	
10	Direct Examination by Mr. Feldewert	17
	Cross-Examination by Ms. Gerholt	83
11	Cross-Examination by Mr. Alvidrez	85
	Cross-Examination by Commissioner Warnell	94
12	Cross-Examination by Commissioner Balch	97
	Cross-Examination by Commissioner Bailey	103
13		
14	Jerad Brockman:	
	Direct Examination by Feldewert	108
15		
16	Lunch Recess	135
17	Jerad Brockman (Cont'd):	
	Continued Direct Examination by Mr. Feldewert	135
18	Cross-Examination by Ms. Gerholt	153
	Cross-Examination by Commissioner Warnell	159
19	Cross-Examination by Commissioner Balch	162
	Cross-Examination by Commissioner Bailey	168
20	Redirect Examination by Mr. Feldewert	175
21	Randy Stilwell:	
22	Direct Examination by Mr. Feldewert	178
	Cross-Examination by Commissioner Warnell	197
23	Cross-Examination by Commissioner Balch	198
24		
25		

1	INDEX (Cont'd)	
2		PAGE
3	Occidental Permian Limited Partnership's (OXY)	
4	Case-in-Chief (Cont'd):	
5	Witnesses (Cont'd):	
6	Scott Hodges:	
7	Direct Examination by Mr. Feldewert	200
8	Cross-Examination by Ms. Gerholt	225
9	Cross-Examination by Commissioner Warnell	227
10	Cross-Examination by Commissioner Balch	229
11	Cross-Examination by Commissioner Bailey	232
12	Redirect Examination by Mr. Feldewert	232
13	Jerad Brockman (Recalled):	
14	Direct Examination by Mr. Feldewert	234
15	Krishna Chokkarapu:	
16	Direct Examination by Mr. Feldewert	236
17	Cross-Examination by Commissioner Warnell	268
18	Cross-Examination by Commissioner Balch	269
19	Recess	272
20	Certificate of Court Reporter	273
21		
22		
23		
24		
25		

1	EXHIBITS MARKED, IDENTIFIED, OFFERED AND/OR ADMITTED	
2		PAGE
3	OXY Exhibits:	
4	1 - Occidental Permian Ltd. South Hobbs CO2 Project, Form C-108, April 2013	14
5		
6	2 - Occidental Permian Ltd. South Hobbs CO2 Project, Area of Review, April 2013	14
7	3 - Bio of Richard Foppiano and Associated Documents 1 through 10	82
8		
9	4 - Order No. R-4934 (Case No. 5372)	82
10	5 - Order No. R-4934-E (Case No. 8082)	82
11	6 - Administrative Order IPI-340	82
12	7 - City of Hobbs Resolution 5987	83
13	8 - Map of South Hobbs Unit and North Hobbs Unit and Associated Documents	153
14	9 - Randy Stilwell's Bio and Associated Documents	196
15	10 - NHU CO2 Satellite and Associated Documents	224
16	17 - Economic Development Corporation of Lea County Resolution	81,83
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (9:03 a.m.)

2 COMMISSIONER BAILEY: Next, we have been  
3 asked to take the cases slightly out of order that were  
4 listed on the docket. So first we will call Case 14981,  
5 which is the application of Occidental Permian Limited  
6 Partnership to amend Orders R-4924 [sic] and R-4934-E  
7 governing the South Hobbs Grayburg-San Andres Pressure  
8 Maintenance Project to allow the injection of carbon  
9 dioxide and produced gases, to modify the surface  
10 injection pressure, to obtain other relief and to  
11 qualify this expansion to the recovered oil tax rate  
12 pursuant to the New Mexico Enhanced Oil Recovery Act, in  
13 Lea County, New Mexico.

14 Call for appearances.

15 MR. FELDEWERT: Madam Chair, Members of the  
16 Commission, my name is Michael Feldewert from the  
17 Santa Fe office of Holland & Hart. I'm appearing today  
18 on behalf of Occidental Permian Limited Partnership. I  
19 have seven witnesses.

20 MS. GERHOLT: Madam Chair, Commissioners,  
21 Gabrielle Gerholt on behalf of the Oil Conservation  
22 Division.

23 MR. ALVIDREZ: Madam Chair, Commissioners,  
24 Rick Alvidrez on behalf of Malcomb Coombes. He is an  
25 adjoining landowner to the property at issue in this

1 case.

2 COMMISSIONER BAILEY: Mr. Feldewert, do you  
3 have an opening statement?

4 MR. FELDEWERT: I do.

5 OPENING STATEMENT

6 MR. FELDEWERT: You are going to learn  
7 about OXY's South Hobbs Unit. It's been an -- it is an  
8 existing waterflood. It's been an existing waterflood  
9 for almost 40 years. OXY Exhibit 4 that I'm going to  
10 present to you is the approval order for that waterflood  
11 back in 1974. The injection occurs in the Grayburg and  
12 San Andres Formations at around 4,000 feet.

13 And as you can tell from the application  
14 that OXY seeks to do today is to convert to a tertiary  
15 recovery project with the injection of CO2 and the  
16 injection of produced gases and water.

17 You're also going to hear about the North  
18 Hobbs Unit. It is adjacent to the South Hobbs Unit,  
19 same area, same reservoir. Since 2003, it has been  
20 operating safely as a tertiary recovery project. So at  
21 the 30,000-foot level, what OXY seeks to do at the South  
22 Hobbs Unit is exactly what it is doing with the North  
23 Hobbs Unit.

24 I have a total of seven witnesses.

25 Rick Foppiano, sitting to my right, is the

1 director of Regulatory Affairs. He's going to be our  
2 first witness. He's going to talk about OXY's  
3 experience with these types of projects. He's going to  
4 go over through the life cycle of a reservoir and why  
5 you move to a tertiary recovery project. He's going to  
6 talk a little bit about how these types of projects work  
7 and how they differ from disposal wells, which I know  
8 have been before you previously. He's going to outline  
9 the relief that we seek, and he's available to address  
10 whatever questions you may have about that requested  
11 relief. I anticipate his testimony's going to take a  
12 little over an hour.

13 Our second witness is going to be Jerad  
14 Brockman. He's an engineer, and he is the project  
15 manager for the South Hobbs Unit. He's a bright young  
16 guy.

17 He's going to give you a general overview  
18 of the project, the location of its facilities, the  
19 costs, the timeline of events. He's going to address  
20 briefly the gas-oil ratio issue, if it's an issue for  
21 the Commission. And, quite honestly, I'm puzzled as to  
22 whether a gas-oil ratio even applies to a tertiary  
23 recovery project. I can't really find anything in the  
24 rules that tell me one way or the other. My assumption  
25 is that it would not, but if that is an issue, then

1 we're prepared to address that. I guess what I'm saying  
2 is, we'll save a little time if the gas -- if a gas-oil  
3 ratio does not apply to a tertiary recovery project like  
4 this.

5 He's also going to talk about the requested  
6 injection pressures, how they were determined for this  
7 project. He's going to address the packer-setting issue  
8 that we raised, and he's going to discuss their downhole  
9 corrosion mitigation efforts. His testimony is going to  
10 take about an hour and a half.

11 So I think it's going to take most of the  
12 morning, but you're going to have a good feel of the  
13 project by the end of the morning.

14 Our third witness is going to be Randy  
15 Stilwell. He's a geologist. He's going to talk about  
16 the structure of the injection zone. And the best way  
17 he described it to me is, it's a very -- that I can  
18 understand. It's a contained structure. He's going to  
19 discuss the location of the freshwater zones and  
20 demonstrate that these freshwater zones are indeed  
21 protected by layers -- layers of impermeable material.  
22 His testimony is going to take about a half hour.

23 Scott Hodges is going to be our fourth  
24 witness. He lives in Hobbs. He's the operations leader  
25 for the South Hobbs Unit. He's going to discuss OXY's

1 SCADA System that he utilizes in the North Hobbs and  
2 South Hobbs Units, very interesting system. Does a lot  
3 of things, but what he's going to focus on is how it  
4 monitors temperature and water content, how it monitors  
5 pressure, how it monitors H2S levels, and how it does a  
6 gas analysis on a consistent basis. He's going to talk  
7 about their realtime monitors, and the automatic  
8 shutdown systems that are associated with them. His  
9 testimony is going to take about an hour.

10 We're going to have Krishna Chokkarapu as  
11 our fifth witness. He is part of OXY's Facilities and  
12 Construction group, which is part of a group within OXY  
13 that addresses all of their worldwide projects,  
14 including big projects like this. He is an expert in  
15 design and engineering and construction of CO2 flooding  
16 surface facilities.

17 He's going to talk about what his group  
18 does and how they are involved in the design and  
19 material selection for these surface facilities, how  
20 they are involved in fabrication and construction and  
21 how they are involved in the maintenance, a  
22 cradle-to-grave concept through this group that draws on  
23 their worldwide experience.

24 He's going to talk about the surface  
25 facilities that's going to be used at the South Hobbs

1 Unit and how the standards -- the industry standards and  
2 the method that they use resulted in the material  
3 selection and the fabrication and construction -- what  
4 will be the fabrication and construction of these  
5 facilities all designed to obviously maintain the  
6 mechanical integrity. His testimony is going to be  
7 about an hour.

8 Kelley Montgomery is our sixth witness.  
9 She's a production and environmental engineer with OXY.  
10 She's actually the person who put together both the  
11 C-108 and the area of review notebooks that you have in  
12 front of you.

13 She has met with the Division about this  
14 project, addressed their concerns. She will quickly  
15 initially run through the data that I think we have to  
16 run through as part of the tax incentive request. We  
17 can do that fairly quickly. She's then going to do an  
18 analysis of the proposed injection wells. She's going  
19 to talk about the wells within the area of review.  
20 She's going to address the MIT frequency issue that we  
21 have raised in our application, as well as the cement  
22 bomb [sic] law requirement that currently exists in Rule  
23 15 under the Division order that governs this project.  
24 Because of how she has organized the area of review, I  
25 think we can get her testimony in in about an hour and a

1 half.

2 Finally, our last witness is Pat Sparks,  
3 and he's our landman. He's an experienced landman who  
4 has testified before the Division, and -- I know the  
5 Division, previously. He is the one that led OXY's  
6 six-month effort to address the extensive notice  
7 requirements for this project, and he's going to talk  
8 about that. He's going to demonstrate that OXY  
9 fulfilled the notice requirements for this application.  
10 His presentation is about ten minutes.

11 So if we have a period of time right before  
12 a break, perhaps he's a witness we can move up and fill  
13 that time, because it's only about 10 or 15 minutes.

14 This is an important project to OXY. It's  
15 a \$600 million effort to extract additional oil from the  
16 ground that's otherwise going to be wasted. It's  
17 important to the city of Hobbs. You're going to find  
18 that they're behind this effort. It's important to Lea  
19 County. They're behind this effort.

20 The company and its employees have put  
21 forth a substantial effort into this project, and  
22 they're here today to provide you with the information  
23 you need to fulfill your regulatory oversight over these  
24 types of projects. And I'm confident that after this  
25 presentation you're not only going to have a complete

1 understanding of the project itself, but you're going to  
2 find that's it's going to prevent waste and protect  
3 correlative rights and that it can be done safely, just  
4 like it's being done safely at the North Hobbs Unit.

5 A couple of housekeeping matters: You have  
6 three notebooks in front of you. The first notebook is  
7 the Form C-108. I would like this considered as OXY's  
8 Exhibit 1, for ease of reference in the record. So this  
9 notebook (indicating), "Occidental Permian South Hobbs  
10 Project, Form C-108" can be OXY's Exhibit Number 1.

11 The "Area of Review" notebook, which is the  
12 second white notebook you have, I would like to have  
13 considered as OXY Exhibit Number 2.

14 And then I have structured our presentation  
15 to sequentially admit additional exhibits from 3 on.

16 So with your permission -- I think I can do  
17 this given that they've been filed -- I'd like to move  
18 the admission of OXY Exhibits 1 and 2, and our witnesses  
19 can begin their presentation, and we can admit the  
20 exhibits as we go along.

21 COMMISSIONER BAILEY: Any objections to the  
22 admission of Exhibits 1 and 2?

23 MS. GERHOLT: No objection.

24 MR. ALVIDREZ: No objection.

25 COMMISSIONER BAILEY: Then they are so

1 admitted.

2 (OXY Exhibit Numbers 1 and 2 were offered  
3 and admitted into evidence.)

4 MR. FELDEWERT: We're prepared to begin  
5 whenever you are.

6 COMMISSIONER BAILEY: Let's see if  
7 Ms. Gerholt has an opening statement.

8 OPENING STATEMENT

9 MS. GERHOLT: Thank you, Madam Chair.

10 The Oil Conservation Division has been  
11 charged by the legislature to prevent waste, protect  
12 correlative rights and protect public health and the  
13 environment. The Oil Conservation Commission also  
14 shares this charge. A recognized and accepted method to  
15 prevent waste is through enhanced recovery projects.

16 The Commission and the Division have the  
17 statutory authority to permit the injection of natural  
18 gas or any other substance into any pool in this state  
19 for the purpose of repressuring, cycling, pressure  
20 maintenance, secondary or any other enhanced recovery.

21 OXY filed a C-108 application for a  
22 secondary recovery and pressure maintenance. Richard  
23 Ezeanyim, Chief Engineer at the OCD, reviewed the  
24 application and determined that waste will be prevented  
25 and correlative rights protected if the expansion of the

1 South Hobbs Unit is permitted by the Commission.

2 The Division has the duty to protect public  
3 health and the environment by regulating the use of  
4 hydrogen sulfide. Chief Engineer Ezeanyim reviewed the  
5 C-108 and determined that additional conditions were  
6 needed to be included to protect public health and the  
7 environment. The conditions the Division asked to be  
8 included require a one-way automatic AC valve,  
9 fiberglass line tubing and nickle-plated packers, MITs  
10 every two years for injection wells, operations to be  
11 conducted in a closed-loop system, and the use of  
12 corrosive-resistant cement. By including the requested  
13 conditions, the Commission would protect public health  
14 and the environment.

15 The Division will not be calling  
16 Mr. Ezeanyim today, but, instead, will proffer his  
17 testimony as Exhibit A. Neither OXY nor Mr. Coombes  
18 objected to that, and, therefore, the Division will be  
19 relying upon that exhibit today.

20 Thank you.

21 COMMISSIONER BAILEY: Mr. Alvidrez?

22 MR. ALVIDREZ: Yes, Madam Chair.

23 OPENING STATEMENT

24 MR. ALVIDREZ: Members of the Commission.

25 Just very briefly, as I indicated upon

1 introduction, Mr. Coombes is an adjoining landowner. He  
2 is not opposed to this project. He certainly does,  
3 however, want to make sure that it's carried out in such  
4 a manner that protects his interests as an adjoining  
5 landowner, protects the health and safety and  
6 environment as well. And we are also fully supportive  
7 of the additional safety conditions and environmental  
8 protection conditions that the Division has advocated  
9 before the Commission. But primarily we're here to  
10 learn, ask a few questions, and Mr. Coombes may say a  
11 few words to the Commission at the appropriate time.

12 Thank you.

13 COMMISSIONER BAILEY: I have an  
14 announcement to make. We were told that there were some  
15 people who wanted to make public comments. This is an  
16 adjudicatory hearing. It is not rulemaking. OCD rules  
17 do not provide for public comments during adjudicatory  
18 hearings, so we will not be taking public comments, if  
19 that is anyone's intent here. We will be deciding this  
20 case on the facts of the case.

21 Thank you.

22 You may call your first witness.

23 MR. FELDEWERT: We will call Richard  
24 Foppiano.

25 COMMISSIONER BAILEY: Would you swear in

1 the witness, please?

2 RICHARD E. "RICK" FOPPIANO,

3 after having been first duly sworn under oath, was  
4 questioned and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. FELDEWERT:

7 Q. Would you please state your full name and  
8 identify by whom you are employed and in what capacity?

9 A. Yes. My name is Richard E. Foppiano, Rick  
10 Foppiano. I am currently director of Regulatory Affairs  
11 for OXY in Houston.

12 Q. Do your employment responsibilities include  
13 involvement in the regulatory issues associated with the  
14 CO2 injection project?

15 A. Yes, they do.

16 Q. Does your employment include the regulatory  
17 efforts associated with the South Hobbs Unit?

18 A. Yes, they do.

19 Q. Were you involved in the North Hobbs Unit?

20 A. I was, yes.

21 Q. Do you have experience in Texas and New Mexico?

22 A. In regulatory matters and production  
23 engineering, yes, and other matters.

24 Q. As a result of your employment, are you  
25 familiar with the South Hobbs Unit -- the current South

1 Hobbs Unit Waterflood Project?

2 A. Yes, I am.

3 Q. When was that waterflood commenced?

4 A. In the mid-'70s, shortly after. It was  
5 approved by the New Mexico Oil Conservation Division.

6 Q. Did you oversee the preparation of the C-108  
7 application, which has been marked as OXY Exhibit 1, and  
8 the Area of Review notebook, the area of review, which  
9 has been marked as OXY Exhibit Number 2?

10 A. Yes, I saw those.

11 Q. Mr. Foppiano, have you also put together a  
12 series of slides to assist you in your presentation here  
13 today?

14 A. I have, yes.

15 Q. Are those contained in the third notebook,  
16 under tab three, in what has been marked as OXY Exhibit  
17 Number 3?

18 A. Yes, they are.

19 Q. And it contains a total of ten pages or ten  
20 slides?

21 A. Yes, it does.

22 Q. Let's go to the first slide, if we could,  
23 please. Does slide one accurately summarize your  
24 educational background, your work experience and your  
25 personal professional affiliations?

1           A.    Yes, it does.

2           Q.    I want to focus a little bit on your experience  
3   in petroleum engineering.  How much experience do you  
4   have in that particular area, and what have been your  
5   primary areas of focus?

6           A.    I started out as a civil engineer, graduating  
7   from Georgia Tech in 1977.  And then I went to work for  
8   Halliburton as a field engineer, where I designed frack  
9   jobs, acid jobs, cement jobs and supervised them in the  
10  field.  So I acquired a fair amount of experience in  
11  that aspect of oil and gas operations.

12                   Then following that short stint, I went to  
13  work for an oil company, City Service Oil Company, as a  
14  drilling production engineer, and I was in charge of  
15  drilling and production activities in a multistate area  
16  that included shallow gas, deep gas, sour gas, including  
17  some very, very sour gas in south Mississippi, south  
18  Alabama and other places, East Texas.  And I eventually  
19  became the chief production engineer for a five-state  
20  area for the City Services operations.

21                   And then I moved into the regulatory part  
22  of oil and gas -- my oil and gas career, and then later  
23  on became a Registered Professional Engineer, petroleum  
24  engineer, in Texas in 1977, through experience and by  
25  tests.  So that pretty much sums up my petroleum

1 engineering experience and background.

2 Q. Did that include -- your five-state area, did  
3 it include New Mexico at that time?

4 A. It did not.

5 Q. It did not. Okay.

6 You focused on Texas and other --

7 A. It was East Texas, Arkansas, Louisiana,  
8 Mississippi, Alabama, Florida.

9 Q. And you mentioned that you had experience, at  
10 that time, with sour gas. What kind of experience?

11 A. Well, we operated a well, I believe, in  
12 Florida, and I think it had in excess of 20 percent H2S.  
13 It was a gas reinjection type project. And then in East  
14 Texas, I remember I was in charge of a waterflood  
15 operation we had up in -- trying to think of the exact  
16 name, of the city where it was. But it was a waterflood  
17 project that involved eight percent H2S in that  
18 reservoir. It was a limestone reservoir that we were  
19 waterflooding. And then there were various other gas  
20 wells in Smackover and other places in East Texas where  
21 we -- I was in charge of production operations where we  
22 were handling, you know, very significant quantities --  
23 high rates of gas containing H2S.

24 Q. Did you then use that petroleum engineering  
25 experience to kind of move into, then, oil and gas

1 regulatory compliance issues?

2 A. I did. The company decided to broaden my  
3 experience level and move me into regulatory compliance  
4 issues about the middle part of my career, and that's  
5 when I became a lot more focused on dealing with  
6 regulatory -- interpreting regulations, assisting our  
7 various operations throughout the United States in  
8 hearings and getting regulatory approvals, and then  
9 ultimately migrated into positions with associations  
10 where I worked with them to develop comment and feedback  
11 through regulatory bodies on proposed rules,  
12 regulations. I even migrated a little bit into the  
13 government-affairs arena with the lobbyists for a period  
14 of time here.

15 So I did this pretty much throughout the  
16 United States. You can see a listing of some of the  
17 states where I was involved in regulatory projects of  
18 one type or another. And so I did that for about 17  
19 years.

20 And in the course of that, obviously I  
21 dealt quite often with hydrogen sulfide issues, writing  
22 hydrogen sulfide safety plans, obtaining regulatory  
23 approvals for projects such as these and other types of  
24 issues associated with those projects that involved  
25 compliance with the various rules and regulations of

1 that state for those type of operations.

2 Q. From your bio here, it appears your oil and gas  
3 regulatory experience included Texas and New Mexico,  
4 correct?

5 A. Yes. Probably most of my experience and most  
6 of the time I spent on regulatory compliance issues was  
7 in Texas and New Mexico, and most of that in the Permian  
8 Basin.

9 Q. Were you involved in the development of  
10 New Mexico's H2S Rule?

11 A. Actually, yes. I was chairman of the  
12 Regulatory Practices Committee with the New Mexico Oil  
13 and Gas Association, and we had the opportunity to work  
14 with the New Mexico Oil Conservation Commission in  
15 revamping that H2S rule. And that was, I believe,  
16 because of -- right after our North Hobbs Unit hearing.  
17 So we worked with them to upgrade that rule, and based  
18 on what I have seen recently, it's still pretty much in  
19 the same form as what it was back then, what we  
20 developed back then. We used Texas Rule 36 as a  
21 starting point, but I like to say that we did it one  
22 better in New Mexico.

23 Q. What experience do you have with health and  
24 safety issues associated with oil and gas projects?

25 A. Yes. After -- my regulatory career took a -- I

1     guess it was put on hold a little bit when I was asked  
2     to go be in charge of our health and safety issues  
3     associated with our emerging operations in Libya. So I  
4     was one of the safety managers.

5           Q.     When was that?

6           A.     That was about mid-2000- -- 2005.

7           Q.     Okay.

8           A.     So I went to Libya in charge of all health and  
9     safety matters and bar [sic] operations there in Libya,  
10    which was quite interesting because we started from  
11    scratch. And amazingly enough, we ran into H2S issues  
12    with some of our production there in Libya. So we were  
13    able to provide some guidance to the host government  
14    there on how to handle some of these issues. They  
15    seemed, you know, quite interested in our experience in  
16    that area. And then following that -- I did that for a  
17    year, dealing with those health and safety issues,  
18    writing regulations -- not regulations -- I'm sorry --  
19    policies, and ensuring compliance with the host  
20    government's requirements around environmental issues  
21    primarily.

22                   And then following that, I went to our  
23    Colorado office and was in charge of our Colorado  
24    operations, including our regulatory matters for  
25    Colorado, which involve regulatory compliance.

1                   And then after that, I was asked to head up  
2     our Auditing Department in Houston. The company has a  
3     very robust auditing -- internal auditing program for  
4     health and safety issues that is actually driven by our  
5     board of directors. And they required that we  
6     internally go out and audited our operations on some  
7     frequency for compliance with health and safety  
8     requirements.

9                   And so I headed that program for a little  
10    over five years, which resulted in me participating in  
11    audits as an expert -- subject-matter expert in health  
12    and safety issues and also leading audits and then  
13    directing the entire program to comply with our internal  
14    requirements that were defined by our board.

15           Q.     Did some of the operations that you were  
16    auditing include operations that had to deal with H2S?

17           A.     Yes, they did, throughout the world.

18           Q.     Did that experience allow you to meet what I  
19    would call the experience requirements that are  
20    necessary to apply for a certification as a professional  
21    health and safety auditor?

22           A.     Yes. I decided, before I got out of that  
23    field, I would at least get the certification for that.  
24    And since I met the experience qualification, which,  
25    much like a professional engineering certification, are

1 quite extensive. There's an experience qualification;  
2 there's a training qualification, and there is a work  
3 history-type qualification. So I met all of those  
4 qualifications, applied for it, and now I'm just in the  
5 process of taking the test. And I've already taken one  
6 of the three tests, and I'm scheduled to take the next  
7 two tests. And then following that, assuming I pass  
8 them, I should be certified as a professional health and  
9 safety auditor.

10 Q. You have been a member of the Society of  
11 Professional Petroleum Engineers for how long?

12 A. Since early in my career, so 30-plus years.

13 Q. And you've been a Registered Professional  
14 Engineer for over 15 years?

15 A. Yes.

16 Q. Are you familiar with OXY's application in this  
17 case?

18 A. Yes, I am.

19 Q. And are you familiar with its overall project  
20 to convert its waterflood -- existing waterflood  
21 operations to a tertiary recovery project?

22 A. Yes, I am.

23 MR. FELDEWERT: I would tender Mr. Foppiano  
24 as an expert witness in petroleum engineering, oil and  
25 gas regulatory matters and health and safety issues

1 associated with oil and gas projects.

2 COMMISSIONER BAILEY: Any objection?

3 MS. GERHOLT: No objection.

4 MR. ALVIDREZ: No objection.

5 COMMISSIONER BAILEY: He is so accepted.

6 Q. (BY MR. FELDEWERT) Mr. Foppiano, you touched on  
7 some of your worldwide experience. I'd like to move to,  
8 if we could, slide two and discuss briefly with the  
9 Commission the company's worldwide experience in oil and  
10 gas operations.

11 A. Yes. I thought it would be helpful to give a  
12 little perspective of OXY, in particular as it relates  
13 to its experience dealing with H2S production.

14 This is a picture, obviously, of the world  
15 titled "Worldwide Oil And Gas Producing Areas," and  
16 shown in yellow are active operations where we're  
17 directly supervising those activities. And shown in the  
18 other color, brown, I would suppose, are other  
19 operations that we're involved in, and those are  
20 generally joint ventures with host governments or other  
21 international oil companies.

22 So starting out in the United States,  
23 obviously we're very active in the Permian Basin, and  
24 I'm going to talk a little bit more about that in a  
25 minute. And you can see, we're also in North Dakota,

1 Colorado, Kansas and Oklahoma, but our primary U.S.  
2 operations are the Permian Basin, and then we are very,  
3 very active out in California. But with respect to H2S  
4 issues in the United States, it's pretty much the  
5 Permian Basin. And I'll talk a little bit about how  
6 prolific H2S is in the Permian Basin.

7 We're very active in Colombia and Bolivia.  
8 Not really any H2S issues there. It just brings a  
9 different international perspective to our operations.

10 And then going over to the Middle East, we  
11 operate -- I know it's hard to see there -- in Qatar,  
12 Oman and Yemen. And with respect to H2S issues, Qatar  
13 is a very interesting project. It is all offshore, and  
14 it's approximately -- it's a little over 100,000 barrels  
15 a day, and it handles gas with H2S concentrations close  
16 to seven percent. And when we say -- we're going to be  
17 talking about H2S concentrations in terms of parts per  
18 million and percentage. And to give you a flavor, one  
19 percent H2S is 10,000 parts per million. So seven  
20 percent H2S is 70,000 parts per million.

21 And what's interesting about that Qatar  
22 project offshore is that it involves a lot of workers,  
23 not very -- not in proximity to the public. It's  
24 proximity to workers, and we're talking 100 to 150  
25 workers, offshore platform, and they're in close

1 proximity to the hazard of H2S in an offshore facility.  
2 So we're very, very keen on ensuring the safety of those  
3 workers through training, through proper selection of  
4 equipment, mechanical integrity, a lot of the same  
5 things you're going to see here today that we do because  
6 of the uniqueness of that operation.

7 Q. I mentioned to the Commission that  
8 Mr. Chokkarapu is going to be talking later and that  
9 he's part of this Facilities and Construction group that  
10 draws on the worldwide experience. Is this the type of  
11 experience that we're talking about?

12 A. Yes. Exactly. We not only -- when we are  
13 designing those type of facilities and operating them,  
14 we draw worldwide experience from our worldwide  
15 experience in other areas to ensure that we're doing the  
16 best that we can do based on our own knowledge and  
17 experience and industry practice and standards. We try  
18 to keep it state-of-the-art.

19 And, in fact, the audit process works to  
20 make sure that there is a good technology transfer going  
21 on in our company, because we bring subject-matter  
22 experts from, say, the Permian Basin to go audit our  
23 operations in Qatar, and there is a very robust and very  
24 good exchange of information about how to best manage  
25 the hazard associated with handling H2S.

1           Q.   Now, you mentioned that your company operates  
2   in a lot of different regions, a lot of different  
3   environments, some more challenging than others.  What  
4   has been the company's overall safety record?

5           A.   The company is a safe company.  We measure --  
6   like every other company does in the United States, we  
7   measure incidents that occur with our employees, and we  
8   record a rate based on criteria set by the Occupational,  
9   Safety and Health Association.  And those numbers are  
10   reported annually to, I believe, the Bureau of Labor  
11   Statistics, BLS.  In short, it's called -- in industry  
12   parlance, it's called the IIR, the OSHA reportable  
13   rate -- or OSHA incident rate.  And IIR stands for  
14   illness and incident rate.

15                   And a rate of one means that there was one  
16   incident that met OSHA's criteria for every 100 workers  
17   for that year.  So an incident can be nothing more than  
18   someone got a cut on a finger, went to the emergency  
19   room and got it sutured or got some prescription  
20   medication.  That's an incident that would show up on  
21   that record.  In 2011, our employee incident rate was  
22   .29, I believe, which indicates that only a third of an  
23   incident per 100 workers for an entire year.

24                   And we're very proud of that rate.  That's  
25   not just an anomaly.  That's the range of IIR rates that

1 the company has had for many years, and that is well  
2 below the companies that do the same type of work, you  
3 know, as compared in the API statistics, because we do  
4 look at how we do compared to other companies,  
5 particularly companies that are operating in the same  
6 areas, performing the same activity. And we are well  
7 below the average for our peer companies.

8 Q. Let me ask you, you and I talked earlier and  
9 you mentioned the loss [sic] on the CO2 project. Where  
10 is that located?

11 A. It's in the Permian Basin.

12 Q. Would it make sense to go to the next slide,  
13 then?

14 A. Well, one other comment I'd like to make about  
15 our safety record.

16 Q. Sure.

17 A. Obviously, we do a lot of work through  
18 contractors, and even though we're not required to do  
19 so, we monitor our contractors' safety records just like  
20 we do our employees. And contractors' safety record is  
21 also well below one throughout the Permian Basin,  
22 throughout our worldwide oil and gas operations. So  
23 we're very proud of that. We work very hard to ensure  
24 the safety of our contractors, the safety of our  
25 workers. And obviously they are our first line of

1 defense to ensure that we do our operations and not  
2 present a hazard to the general public.

3 So I just wanted this Commission to know  
4 that the company that's before you today asking for your  
5 permission to inject this substance in the Hobbs field  
6 is a safe company. We have a good, safe record of  
7 operating in this kind of environment.

8 Q. Let's move to what's been marked as slide  
9 number three on OXY Exhibit 3. Would you please first  
10 orient us to what's shown here and run through what you  
11 want to discuss using the slide?

12 A. Okay. This is a picture of OXY's CO2 floods in  
13 the Permian Basin. And for reference, the Permian Basin  
14 is, essentially, west Texas, southeast New Mexico, and  
15 shown along here is the state line between Texas and  
16 New Mexico. So there are a couple of things that are  
17 shown on this map, on this slide, that I'll just go  
18 through.

19 First of all, you can see there are a  
20 number of red and green areas identified. Those are  
21 active CO2 projects, and you can see a bunch of lines.  
22 Those are CO2 lines -- CO2 supply lines, where we're  
23 bringing CO2 into the Permian Basin from Bravo Dome,  
24 Sheep Mountain, Camel Dome, those areas. So that's what  
25 makes these projects viable. We bring that CO2 in, and

1 we inject it; and when it gets produced out, then we  
2 handle it.

3 So the difference between the red and the  
4 green is primarily CO2 floods that either remove the  
5 sulfur at the surface or reinject the sulfur with the  
6 CO2 back into the ground. And the Wasson field that you  
7 were talking about -- looks like they're in the  
8 middle -- that's the largest CO2 flood in the world, and  
9 it's been operating for a very long period of time. I'm  
10 going to say about 30-years-plus. And it's a premier  
11 CO2 flood, and we operate that. You can see that the  
12 yellow arrow marks the location of the Hobbs field, so  
13 it's kind of on the western edge of the Permian Basin.

14 But these -- the CO2 floods in the Permian  
15 Basin, almost all of them handle H2S in some form or  
16 fashion because H2S is prevalent in the Permian Basin.  
17 Some of the statistics that I saw showed that over 2,000  
18 fields in the Permian Basin contain H2S.

19 So these projects, as they initially got  
20 started, the standard operating mode was to -- was to  
21 install sulfur recovery as part of the CO2 flood. So  
22 even though the produced gas would come out of the well  
23 with CO2, oil, methane and other constituents and H2S,  
24 in those floods, the H2S was actually removed before the  
25 CO2 was reinjected into the ground.

1                   Now, we've had a number of years of  
2     experience with these sulfur recovery units, and as many  
3     people may know, they are a challenge to operate.  
4     They're -- they have emissions issues. They have  
5     operational issues, and they're very expensive, too. So  
6     as the CO2 floods have sought out -- as we have sought  
7     out smaller and smaller targets for CO2 flooding, we  
8     have determined that it is actually better to reinject  
9     the H2S back in the ground with the CO2 than it is to  
10    try to recover it.

11                  One of the problems with sulfur recovery,  
12    obviously, is the market. There really is no market for  
13    this sulfur. So you generate a waste product at the  
14    surface that you have to figure out what to do with.

15                  So utilizing the H2S in our CO2 flood has  
16    turned out to be something that has allowed more CO2  
17    floods to be developed, and we have determined that we  
18    can do that safely. So that's why you see, in red, a  
19    number of CO2 floods in the Permian Basin that involve  
20    the reinjection of the produced gas instead of sulfur  
21    recovery.

22           Q.     Let's -- let's get into some of the -- how many  
23    active CO2 floods is the company operating in the  
24    Permian Basin?

25           A.     We operate 28 CO2 floods.

1 Q. And how many of those involve the reinjection  
2 of produced gas?

3 A. Fifteen of those involve the reinjection of  
4 produced gas, and in those 15 projects, that involves  
5 more than 2,500 injection wells. So we're looking at  
6 2,500 produced-gas injection wells. And of those 2,500,  
7 65 percent are injecting CO2 with H2S greater than 100  
8 parts per million.

9 Q. How old are some of these floods?

10 A. Oh, at least 40 years old. This has been going  
11 on in the Permian Basin for a very long period of time,  
12 since they discovered how to be successful.

13 Q. And with respect to the gas injection, do you  
14 know how old some of those are?

15 A. I permitted one of the first ones for OXY in  
16 the Welch field, and that was about, I want to say, the  
17 mid-'90s.

18 Q. Now, the arrow there points to the area that  
19 comprises both the North Hobbs Unit and the South Hobbs  
20 Unit?

21 A. Correct. That's identifying the Hobbs field.

22 Q. And I'm not sure we touched on this yet. What  
23 exactly is going on in the North Hobbs Unit?

24 A. Well, in the North Hobbs Unit, we are -- we  
25 started out much like we're talking about doing here,

1 injecting pipeline-quality CO2, and then as the CO2  
2 started coming back and being produced -- since the  
3 Hobbs field is a sour-gas field, it does contain H2S.  
4 When the CO2 became -- started to come back in the  
5 producing wells, it contained H2S, and we turned right  
6 around and removed the oil. And we're now removing the  
7 liquids, and then we're recompressing the gas. And we  
8 are putting the produced gas back into wells that are  
9 permitted as produced gas injectors. And we're doing  
10 that in the north -- kind of the northeast part of the  
11 Hobbs field, outside the city limits.

12 Q. How long has that operation been going on, the  
13 injection of CO2 and then the reinjection of produced  
14 gas?

15 A. I believe the injection of CO2 commenced about  
16 2004, so we've been doing it about ten years now.

17 Q. And as I said earlier in my opening statement,  
18 am I correct in, essentially, the company's seeking now  
19 to do in the South Hobbs Unit what it is currently doing  
20 in the North Hobbs Unit?

21 A. Yes. One feature of the CO2 floods from our  
22 standpoint that we have is, we don't do produced gas  
23 injection inside city limits. We don't want to locate  
24 those facilities inside city limits. We didn't do it in  
25 North Hobs. We're not proposing to do that at South

1 Hobbs, and we don't do that anywhere in the Permian  
2 Basin. And it's not because we can't do it or it's  
3 prohibited. That's just an internal decision that the  
4 company has made to locate those facilities outside of  
5 the city limits area. So what we're producing here in  
6 the South Hobbs Unit is that same concept continued.

7 Q. Let's go to slide four and talk a little bit  
8 more in comparison with what OXY's done compared to  
9 other companies.

10 A. Yes. As I mentioned, OXY operates a number of  
11 CO2 floods. This slide shows, obviously, the number of  
12 floods, on the left, and I've taken the companies' names  
13 out so we don't embarrass them. But as you can see, we  
14 operate 28 CO2 floods in the Permian Basin, and it's  
15 more than half of the active CO2 floods that are going  
16 on in the Permian Basin. These floods have been around  
17 for, some of them, at least 40 years. But there are  
18 other companies that are operating CO2 floods.

19 Q. So one of the things that I didn't know before  
20 being involved in this project is, these are -- am I  
21 correct, Mr. Foppiano, that these are long-term,  
22 capital-intensive projects?

23 A. Yes. The only project that we have that has  
24 been shut down in the last 40 years was an unsuccessful  
25 CO2 projects. So projects that were initiated 40 years

1     ago that have been successful, have many, many more  
2     years of life left in them, they are long-term projects.

3           Q.     Let's turn, then -- I'd like to turn now to a  
4     different topic and that is, give us a general  
5     understanding of the life cycle of the reservoir and why  
6     you end up going into a tertiary recovery project. So  
7     if you'll turn to slide five -- there is an animation  
8     associated with this, correct?

9           A.     I hope so.

10          Q.     Shall I hit the button?

11          A.     Yes.

12          Q.     Go.

13          A.     Okay. I'll start with a very simple diagram of  
14     an oil zone trapped underground. And this presentation  
15     is really designed to put basic concepts before the  
16     Commission to help put things in perspective as you hear  
17     more detailed testimony and more technical testimony  
18     later on.

19                         But we start with an oil zone trapped in  
20     a -- in a -- in a geologic trap underground. And in the  
21     case of South -- or actual Hobbs field, this oil zone  
22     had a little gas cap with it. So it existed there with  
23     gas sitting on top, oil sitting on the bottom and  
24     permeable strata on top, and it's what we call a trap.  
25     That oil is trapped there. It always starts out at an

1 original pressure, what we drilled before any well is  
2 drilled and before any production. It indicates, in the  
3 Hobbs field, it had an initial H2S concentration on the  
4 order of about four to five percent. So it's important  
5 to understand, the H2S for this type of reservoir in the  
6 Hobbs field was already there. We're not bringing it in  
7 from outside. We didn't create it by what we're doing.  
8 It was already there. It's part of the native  
9 characteristics of this oil reservoir.

10 Now, if you'll go to the next click.

11 Q. (Complies.)

12 A. As an oil zone begins producing, a well is  
13 drilled, obviously, and the volume is starting to be  
14 produced out of this oil zone. We'll see what happens  
15 to the reservoir pressure, if you'll click, please.

16 Q. (Complies.)

17 A. The reservoir pressure declines. And this is  
18 exactly what happened in the South Hobbs Unit. Our  
19 reservoir pressure started out at about 15-, 1600 PSI,  
20 and primary production brought this field down to a  
21 reservoir pressure on the order of about 400 pounds.  
22 And the H2S concentration during this phase stays fairly  
23 well constant because it's a constituent of the gas.

24 It's important to note that when a  
25 reservoir pressure drops like this, that's more of an

1 indicator that it's contained. There's nothing moving  
2 in from outside. We're just pumping this oil straight  
3 out of a contained area. So as the volume is withdrawn,  
4 the pressure will drop, and that's exactly what we're  
5 seeing here.

6 Q. Let me ask you something. Is that where a  
7 gas-oil ratio comes into play, to help maintain that  
8 reservoir pressure as long as possible?

9 A. Yes. It's typical in an oil reservoir that  
10 would be producing oil if wells were drilled downdip or  
11 below -- and completed below the gas cap. Those wells  
12 would be producing at a much lower GOR than a well  
13 drilled in the very top of the gas cap, which would be  
14 producing a very high gas rate.

15 So it's typical from a regulatory  
16 standpoint to have GOR limits for protection to allow  
17 some production from the gas cap, but primarily to  
18 preserve the gas cap in the reservoir as long as  
19 possible to maximize the recovery. Because what happens  
20 is, the pressure begins to drop. The gas expands, and  
21 it pushes oil to the wells. So by controlling GOR in a  
22 reservoir like this -- and every regulatory agency I  
23 know does the same thing -- it maximizes the recovery of  
24 oil from a reservoir such as this.

25 So at the end of what we call the primary

1 phase or the phase of an oil reservoir where we're  
2 utilizing the natural energy and pressure of the  
3 reservoir, we get to a point where we begin to study the  
4 reservoir to see if it has -- it's a candidate for  
5 waterflooding. And not every oil zone is a candidate  
6 for waterflooding. It depends on the characteristics of  
7 the oil. It depends on the quality of the reservoir,  
8 the size of the tank, a number of things.

9 But in the case of the Hobbs fields, it was  
10 a very viable candidate for waterflooding, so companies,  
11 at that time, looked at it and said, We believe that we  
12 can pump water into the reservoir, use it to push oil to  
13 the producers and increase the recovery of hydrocarbons  
14 in this reservoir and, obviously, make money doing so.

15 So this is what happens. If you'll click  
16 again, you'll see, injection wells are drilled, and  
17 pressure has started to increase with the introduction  
18 of this water injectate, because you're trying to  
19 actually force some of this gas back into solution with  
20 the oil to improve the sweep efficiency of the  
21 waterflow. And so reservoir pressure will be built back  
22 up. It actually achieves -- like in our case, we're at  
23 about 1,200 now in the waterflood in South Hobbs Unit.  
24 And this is what's going on right now. We're just  
25 pumping water in and using it to push oil to the

1 producers and then producing it. And the H2S  
2 concentration during this phase stays constant.

3 Q. Now, to put it in perspective for this project,  
4 what we're talking about here, the waterflood was  
5 started in the South Hobbs Unit almost 40 years ago,  
6 correct?

7 A. Correct, in the mid-'70s.

8 Q. At some point in time, then, as the company has  
9 done here, do oil and gas companies look at whether a  
10 particular zone qualifies for a tertiary recovery  
11 project?

12 A. Exactly. They do the same type of analysis.  
13 Quite frankly, a CO2 project is much more extensive than  
14 a waterflood project. So it is screened very carefully  
15 to determine if it's a candidate for a tertiary type of  
16 process. Not every waterflood is a candidate for a  
17 tertiary project or a tertiary process for one reason or  
18 another. But in the case of the Hobbs field, we find  
19 this reservoir here to be -- to be a good candidate.

20 And so the company will analyze it again.  
21 They'll -- and you'll hear from one of the later  
22 witnesses about some of the modeling that's done, and I  
23 believe OXY has got some of the state-of-the-art  
24 modeling technologies and experience for CO2 flooding.  
25 It's a complex type of environment to try to simulate.

1 And, quite frankly, what you're doing is, you're saying,  
2 Well, okay. If I drill wells and I pump CO2 in the  
3 ground, what can I expect to get out of it in terms of  
4 production? When will I get this production, and then  
5 how much money can I sell all this for? How much money  
6 is it going to cost me to do all this, and is this a  
7 good investment?

8 Q. So you have a reservoir component to the  
9 screening of the project, and then you have an economic  
10 component to the projects?

11 A. Yes. Yes.

12 Q. All right. Let's assume that the project  
13 qualifies. Then what happens?

14 A. Well, if the project does qualify and the  
15 CO2 --

16 Q. Go ahead.

17 A. -- the CO2 starts again, a couple of things  
18 start to happen. CO2, typically in an almost liquid  
19 phase but it's produced out of a gaseous phase, it  
20 dilutes the gas that is produced. So what happens to  
21 the H2S concentration is, in the producing wells, it  
22 drops dramatically. In fact, it drops dramatically in  
23 the reservoir. The order of magnitude we're talking  
24 about here in the South Hobbs Unit, or the Hobbs field,  
25 four to five percent. Initial H2S concentration, we're

1 estimating it to be around one percent very quickly when  
2 CO2 starts to come out of the reservoir.

3 Q. Now, is that estimate based on your experience  
4 at the North Hobbs Unit?

5 A. Yes, it is, and in other floods throughout the  
6 Permian Basin.

7 The other thing that happens is, we  
8 continue to build the reservoir pressure up to a target  
9 reservoir pressure. And this target reservoir  
10 pressure -- and you'll see a little bit more in a minute  
11 about this concept. This target reservoir pressure is  
12 known as the minimum miscibility pressure. What that is  
13 is a pressure in the reservoir at which CO2 becomes  
14 miscible with the oil, and it's where a CO2 flood is  
15 operated. It's operated at a reservoir pressure at or  
16 above the minimum miscibility pressure.

17 And that's a very important concept in the  
18 CO2 flood, because if the reservoir is allowed to -- if  
19 the reservoir pressure is allowed to drop below the  
20 minimum miscibility pressure, the CO2 starts to come out  
21 of solution. It doesn't -- you don't get the swelling  
22 and the lower viscosity effects that you need to have an  
23 efficient CO2 flood.

24 So we work very hard to, first, understand,  
25 what is this minimum miscibility pressure for our flood.

1 It's different from flood to flood. And then secondly,  
2 as we prosecute the flood, how is our reservoir  
3 pressure? What is it -- how is it responding to the  
4 injectate, and what is that reservoir pressure in each  
5 one of these different patterns that you'll see in a  
6 minute that we use to operate the flood.

7 In short, we operate the CO2 flood based on  
8 the reservoir pressure, and we maintain it in a range  
9 above the minimum miscibility pressure. We don't want  
10 it to get too high because that's a waste of CO2, and  
11 we're putting more CO2 in the ground than we need to.  
12 And we obviously don't want it to get too low.

13 So as an additional witness will testify  
14 to, this range is going to be somewhere on the order of,  
15 I think, about 4- to 500 pounds above the minimum  
16 miscibility pressure.

17 Q. So let me see if I'm understanding this. So  
18 you have side -- in a CO2 flood, you have sideboards,  
19 essentially, on your reservoir pressure that you --  
20 correct?

21 A. Absolutely.

22 Q. You don't want it to be too low?

23 A. Yes.

24 Q. And you don't want it to get too high because  
25 there's no benefit there?

1 A. That's correct.

2 Q. So you have an economic incentive in an EOR  
3 project to maintain what essentially becomes almost a  
4 constant pressure; is that right?

5 A. Correct. And we'll show how we do that here in  
6 a later slide.

7 Q. Anything else about this slide?

8 A. No.

9 Q. Okay. Then let's move to what's been marked as  
10 slide number six in OXY Exhibit Number 3. What are you  
11 showing here?

12 A. Well, this slide puts in to perspective one of  
13 the main drivers of CO2 flooding and, actually,  
14 waterflooding.

15 We start out with, like in the case of the  
16 Hobbs field, the oil trap that we're operating in today,  
17 and it has a certain amount of oil in place. We talked  
18 a little bit about how we drill a well and we use the  
19 reservoir energy to produce oil from that trap. And a  
20 typical recovery of that original oil in place utilizing  
21 that mechanism is 15 percent. So if all we did was  
22 produce until the wells couldn't produce above the  
23 economic limit anymore -- we didn't waterflood; we  
24 didn't CO2 flood or anything else -- we could expect to  
25 recover around 15 percent of the oil that is in place

1     there in the rock.

2                   If we did waterflood, which, in fact, is  
3     what we did in the Hobbs field, the recoveries there,  
4     where the oil zones are actually contacted by the water,  
5     can be increased all the way up to double what primary  
6     was. So that's obviously why waterflooding is a very  
7     common practice in the Permian Basin and other areas,  
8     because you do get a lot of extra oil out if you're able  
9     to do that.

10                  But even at the end of waterflooding, you  
11     may be looking at 45 percent of the oil recovered, so  
12     you still have over half of the oil left in the ground.  
13     And it's why operators like OXY look very closely to see  
14     if there is enough oil and enough potential recovery  
15     available to justify a CO2 flood like what we have here.

16                  And a CO2 flood recovery, as you can see,  
17     is typically 15 percent. So even after the end of all  
18     of this, primary waterflood and CO2, you still have as  
19     much as 40 percent of the oil left in the ground for  
20     future technologies to become available to recover.

21           Q.     Does this slide help demonstrate the financial  
22     risk associated with moving from a waterflood to a CO2  
23     flood?

24           A.     Yes. It demonstrates that the recoveries that  
25     you might expect from a CO2 flood, 15 percent of the

1 original oil in place, is -- it's substantial, but it  
2 means you have to have a very big target to go after.  
3 And because of the expense of a CO2 flood, which you'll  
4 hear a lot about -- it's about \$600 million for just the  
5 South Hobbs Unit loans. These are very, very expensive  
6 projects. And so it is a -- it is a challenge to  
7 economically justify to your shareholders and investors  
8 that this project is worth investing it.

9 Q. And a 15 percent additional recovery, if you  
10 get it, is going to be spread out over a lengthy period  
11 of time, correct?

12 A. As you've just seen, many of these CO2 floods  
13 operate for many, many years. So these recoveries  
14 typically occur over a very long period of time.

15 Q. Now I would like to turn, Mr. Foppiano, to  
16 slide seven, which I think will assist in kind of  
17 briefly demonstrating how the CO2 floods work.

18 A. Okay.

19 Q. Now, as I understand it, there is some  
20 interesting animations associated with this?

21 A. Yes, there is.

22 MR. FELDEWERT: So bear with us as we  
23 change the animation.

24 Q. (BY MR. FELDEWERT) So this (indicating) is  
25 going to go on for a time?

1           A.   Six or seven slides.

2           Q.   Six or seven slides.  Okay.  While that's going  
3 on, let's talk about this slide.

4           A.   Well, a CO2 flood is conducted, in many  
5 cases -- not all, but in many cases, in what's called a  
6 WAG type of operation.  In other words, we start off in  
7 a -- like we would here, we start off injecting CO2  
8 behind the water that's already been injected, and then  
9 we will use water alternating with CO2 to decrease the  
10 use of CO2 but also to improve the sweep efficiency  
11 through the reservoir to recover as much oil as we can.  
12 We call this a WAG operation, water alternating with  
13 gas.

14                   And what goes on in the reservoir -- this  
15 is a side view of our injector-to-producer, kind of,  
16 environment.  And you can see the reservoir here  
17 (indicating).  Starting at the producer, what's coming  
18 out of the reservoir from a CO2 flood at this stage is  
19 the additional oil that's being pushed, a gas that's  
20 being -- you know, that is part of the oil or that was  
21 trapped in the pore spaces, so it's being produced.  So  
22 you still have -- if it's an H2S -- a reservoir with  
23 H2S, you still have H2S coming out of the well, and then  
24 you'll have some water.  So you're pushing all this to  
25 the producer.

1 Right behind that is this miscible zone. I  
2 talked about miscibility of CO2 with the oil, and this  
3 is where the benefits of the CO2 floods really occur in  
4 the reservoir. When CO2 becomes miscible with the oil,  
5 the oil swells, and it becomes thinner and easier to  
6 flow through the rock. So we're able to push it more  
7 easily with the water when it actually undergoes that  
8 change.

9 And so as it swells and expands, it  
10 obviously pushes more oil to the producing wells. So  
11 that's how we recover more oil, by injecting CO2 into  
12 our reservoir.

13 So as you can see behind that, you'll have  
14 a CO2 bank. So between the oil and the CO2 bank, you  
15 have this zoned miscibility that is sweeping through the  
16 reservoir, and then we're using water to push the CO2  
17 through. The water is also sweeping oil. So we still  
18 have a sweeping mechanism going on here, in addition to  
19 a chemical reaction going on with the oil itself.

20 And then, finally, behind it is drive  
21 water. So we will create this CO2 bank with these  
22 alternating CO2 and water slugs that we're pumping in,  
23 and then when we're finished putting CO2 into that  
24 portion of the reservoir, we switch it back to water and  
25 continue on pumping water.

1           Q.    Okay.  Now, one of the things that this slide  
2   doesn't do a very good job of showing is that, as I  
3   understand, Mr. Foppiano, as you're doing this  
4   waterflood, the fancier [phonetic] goes into the wellbore  
5   on the right of slide seven.  It's not just oil, but  
6   you're going to have CO2 flowing in, you're going to  
7   have produced gases, and you're going to have water  
8   flowing in, correct?

9           A.    Yes.  As we can picture this, these banks  
10  moving towards the producing well, the miscible zone  
11  will reach the producing well, as will the CO2, and so  
12  forth.  So everything that's in the reservoir is being  
13  produced, H2S, methane, NGLs, oil, water, and you can  
14  see, CO2 starts to break through.  So in a producing --  
15  so in a reservoir -- a CO2 reservoir that has produced  
16  gas injection, what's going on here is, the gas that's  
17  coming out, the CO2, methane, H2S -- we're removing the  
18  oil and, in some cases, maybe the NGL, but we're turning  
19  right back around, and putting it back in.  So we're  
20  cycling the CO2 and the produced gas back to increase  
21  the oil recovery.

22          Q.    And that's what's going on in North Hobbs?

23          A.    That's exactly what's going on in North Hobbs.

24          Q.    With this sweeping in mind, let's turn to how  
25  these injectors are produced and located in the field.

1 So let's turn to slide eight.

2 A. Yes. If you'll flip one more.

3 Q. This is animated as well?

4 A. This is animated.

5 The way a CO2 flood is prosecuted is much  
6 like a waterflood. We do it in patterns, patterns of  
7 injection and producing wells. So what I want to show  
8 you is how this pattern actually works.

9 A CO2 flood is, essentially, a group of  
10 patterns inside of a reservoir. In the case of the  
11 South Hobbs Unit, our pattern will have the injection  
12 well in the middle and the producing wells on the  
13 outside. And you'll hear one of our witnesses talk  
14 about 80-acre five-spot, 40-acre five-spot. Well, this  
15 is a five-spot pattern that he's talking about, with the  
16 injector in the middle. So you can change the shape of  
17 it a little bit to make it 80-acre or whatever, but it's  
18 still a five-spot pattern. And if you'll click it, I'll  
19 start the animation.

20 Q. (Complies.)

21 A. This is what happens when injection just starts  
22 in a five-spot pattern. If you're looking at it from,  
23 let's say, overhead looking down, you're seeing the  
24 injectate radiate out towards the producing wells in  
25 pretty much a circular fashion. And as you continue

1 your injection, the injectate starts to preferentially  
2 migrate to the producing wells because they're  
3 producing. They're withdrawing fluid from the same  
4 reservoir that you're injecting into. So this is what  
5 the shape of your sweep patterns would look like about  
6 midway through this flooding operation.

7 And then if you continue, you've had  
8 injectate break through to the producers, and this area  
9 of the reservoir is pretty well swept by this flood, and  
10 you can see that it is all contained within this  
11 pattern. And that's the design of a flood like this is  
12 on a pattern basis.

13 We know how much is coming out of these  
14 producers. We measure it. We know how much is being  
15 injected into the injection well. We measure it. And  
16 so we're able to balance these injectates to maintain  
17 this reservoir pressure at a constant level. But we're  
18 not satisfied with that. We'll do other things to  
19 measure the pressure in these patterns to ensure that we  
20 are maintaining the reservoir within this five-spot  
21 pattern at a target reservoir pressure.

22 Q. So that's different from a disposal well in the  
23 sense that you are monitoring what's going in and what's  
24 coming out for purposes of maintaining your minimum  
25 miscibility pressure?

1           A.    Oh, yes, it's very different from a disposal  
2    well because you're not withdrawing anything in a  
3    disposal operation.

4           Q.    There have been some concerns raised by, I  
5    think, Mr. Coombes and perhaps others about the  
6    horizontal flow of injectates. Does this five-spot  
7    pattern assist in the control of the horizontal flow of  
8    injectates?

9           A.    Yes, it does. And, in fact, our whole design  
10   of the CO2 flood is designed -- is created to control  
11   horizontal movement of the -- of the injectate. The  
12   injectate is very expensive. We want it to be used to  
13   recover oil, and so the patterns are all designed to do  
14   exactly that, to recover oil within a pattern by  
15   producing the injectate that is in that pattern.

16                   And so that's what we've done here. These  
17   patterns are set up as part of our design. It's what  
18   we're doing in North Hobbs. It's what we do in any CO2  
19   floods. And we may actually alter the pattern in some  
20   cases to put line drives in place to create additional  
21   barriers if we are trying keep the CO2 contained in a  
22   certain area, like a water -- water cushion or something  
23   like that. So that's another type of pattern. But all  
24   told, patterns are utilized to contain the injectate  
25   within that one small area.

1 Q. But from an economic perspective, then, for EOR  
2 projects like this, you have an economic incentive to  
3 maintain your injectates within a tight pattern,  
4 correct?

5 A. Absolutely.

6 Q. And, secondly, to maintain a constant pressure?

7 A. Absolutely.

8 Q. Which may not -- those economic incentives may  
9 not exist in a disposal well?

10 A. Yes. A disposal well is just a completely  
11 different operation.

12 Q. What's the pattern going to be at the South  
13 Hobbs Unit?

14 A. I believe the design pattern is 80-acre  
15 five-spot, which just makes this a little rectangular  
16 instead of a square, but it's still injector-centered.

17 Q. Now, you touched on a little bit about how  
18 these projects differ from disposal wells, but I'd like  
19 to move now to slide nine and talk about that in a  
20 little more detail. Can you run us through why EOR  
21 projects and disposal wells are really different  
22 animals?

23 A. Yes. I know this Commission has heard  
24 testimony and had discussion about acid-gas disposal  
25 operations and maybe not as much about EOR injection

1 operations. So my slide here is attempting to show the  
2 major differences between these two activities.

3 Let's start with H2S concentrations.

4 Typically, these acid-gas disposal wells are handling  
5 H2S gas in very high concentrations. My research  
6 indicated that these wells were -- the lowest, I  
7 believe, had ten percent H2S gas, and some of them had  
8 H2S concentrations in their disposal fluid, in their  
9 waste gas, as high as 60-some-odd H2S. And that is  
10 important from the standpoint of how facilities are  
11 designed and how the public can be impacted and so on  
12 and so forth. When we're talking about those kind of  
13 operations, it's a different regime entirely from EOR,  
14 which involves very low H2S concentrations.

15 As we've seen here, we're talking about H2S  
16 concentrations starting out at four percent, but because  
17 of the injectate, dropping to as low as one percent.  
18 And that's our experience throughout the Permian Basin.

19 I looked at our 2,500 wells that we operate  
20 that involve -- that have injectate containing H2S, and  
21 the highest concentration on those 2,500 wells was 2.5  
22 percent, and the vast majority of those wells operate  
23 with about one percent H2S gas. So when we look at  
24 that, just the H2S concentrations that are being  
25 handled, it's just apples and oranges completely. It's

1 a different regime entirely.

2 Q. Now, Mr. Foppiano, I don't think we have to go  
3 through every line on here. I mean, you kind of talked  
4 about the native and non-native nature of the H2S.

5 What about, for example, the target  
6 reservoir and things of that nature?

7 A. Well, the target reservoir -- and I have  
8 permitted disposal wells before. So I'm familiar with  
9 what you're looking for in a disposal zone versus an EOR  
10 zone, and they're almost opposite.

11 In a disposal zone, you're looking for a  
12 zone that is laterally very extensive. It's  
13 nonproductive. It doesn't even, hopefully, have the  
14 potential to produce, because you're disposing of a  
15 waste into that zone, and hopefully, if you've done your  
16 research properly, you're not going to adversely impact  
17 somebody's future oil and gas production out of that  
18 same reservoir.

19 So you're looking for a reservoir that has  
20 no potential for production. It's laterally extensive.  
21 It's as big as possible, so you can put as much waste  
22 into that reservoir as absolutely possible. And so  
23 it's -- and it's generally undeveloped. Meaning,  
24 there's not a whole lot of penetrations of wells through  
25 that type of reservoir. So that actually impacts the

1 amount of information you may have available.

2 If you contrast that with an EOR injection,  
3 the zone that we are putting this injectate in is  
4 productive. In fact, that's the intent, to enhance its  
5 productivity, enhance the recovery.

6 It's a contained reservoir. You want to do  
7 a CO2 flood only where you can contain that CO2, because  
8 the injectate is just very expensive. You will know a  
9 lot about that reservoir. We have hundreds of well  
10 penetrations in the Hobbs field. We have logs. We have  
11 lots of information which we can adequately and very  
12 accurately determine where the reservoir exists and if  
13 it is contained or not. And so we have a lot of good  
14 information on our reservoir, and it's because it is  
15 well developed and it's been producing for many, many  
16 years. So they're just -- they're just completely  
17 different reservoirs that you're operating.

18 Q. And that kind of just dovetails into our next  
19 line, the affected area, which we touched on a little  
20 bit.

21 A. Yeah.

22 Q. Part of that is controlled by the reservoir and  
23 then the pattern sites, correct?

24 A. Yes. Obviously, for a disposal zone, you're --  
25 the area that's affected by your disposal is based on

1    how much you're putting in the ground and how big the  
2    container is, which relates to porosity, permeability,  
3    size of the reservoir, so forth and so on. Whereas, as  
4    you've just seen, in our EOR project, it's based on your  
5    pattern size. You are operating within a tight pattern.  
6    You're monitoring everything that goes on in that  
7    pattern, in this case, 40 acres. So you're staying  
8    within a 40-acre area for affecting your -- that  
9    reservoir.

10        Q.    And as you move into the South Hobbs tertiary  
11    recovery project sites, it's going to be 80 acres?

12        A.    Correct. I'm sorry. 80 acres, yes.

13        Q.    Now, what's your point on the number of wells  
14    in the area of operation?

15        A.    Well, the number of wells is a -- just another  
16    perspective, and it may relate more to experience.  
17    There are very few of these acid-gas disposal wells in  
18    operation in New Mexico. They serve a very valuable  
19    purpose. Obviously we operate one, with our Indian  
20    Basin Gas Plant. But they're typically associated with  
21    a plant. In other words, it may be that the plant  
22    personnel are the ones that are actually in charge of  
23    that well.

24                    Whereas, with an EOR operation, we have  
25    thousands of these wells. We've operated them for many,

1 many years. We have a very high level of experience  
2 with these wells, and the people that operate these  
3 wells are oil and gas well operations people, and you'll  
4 hear from some of them today. And so there is a big  
5 difference in that operation, you know, the waste  
6 disposal associated with a plant versus the EOR  
7 injection wells that are associated with an oil and gas  
8 production operation operated by people with years of  
9 experience in well operation. So I think that speaks  
10 to, you know, some of those issues.

11 Q. From a regulatory perspective, are the pressure  
12 concerns different between an EOR project than an  
13 acid-gas disposal well?

14 A. Yes. As we've seen, there are no withdrawals,  
15 or you're designing your disposal project to hopefully  
16 have no withdrawals of this waste from the zone you're  
17 injecting into, as opposed to the EOR project where  
18 you're maintaining the injectate within a pattern. And  
19 we are operating our CO2 floods by measuring and  
20 monitoring our reservoir pressure. And the only way you  
21 can really do that with a disposal well is to, you know,  
22 shut it down and do a pressure check, because you're  
23 pumping into a closed tank.

24 And so that pressure in that reservoir is  
25 going to increase over time solely based on reservoir

1 characteristics and how much you're putting in. And  
2 that's not what affects the pressure in the injection  
3 pattern of an EOR project because it's based on how much  
4 you're withdrawing, how much you're putting in,  
5 essentially the voidage in that reservoir in that  
6 particular area. And then as I've mentioned, we  
7 maintain it within a specified range. So we don't let  
8 it get above a certain point.

9 Q. So, Mr. Foppiano, from a regulatory standpoint,  
10 is there a need to monitor or really be concerned  
11 between the starting and the ending reservoir pressures  
12 for an EOR project like there might be, for example, in  
13 a disposal well?

14 A. No, I don't think so.

15 Q. Do other states monitor the starting and ending  
16 reservoir pressures for an EOR project?

17 A. Not that I'm aware of.

18 Q. Is that because, as you talked about, your  
19 economic incentive is to maintain a constant pressure,  
20 correct?

21 A. Exactly. Yes.

22 Q. In your opinion, given what we've talked about,  
23 is it practical to proceed with an EOR project as a  
24 company if it's going to be subject to some type of  
25 regulatory termination date or re-evaluation period?

1           A.     Having a termination date can render the  
2     project uneconomical from -- from our standpoint. And  
3     let me say a little bit more about this.

4                     When we do a project like this, as I  
5     mentioned, we're estimating how much it's going to cost  
6     to do it and how much is going to be produced as a  
7     result of the project, how long it's going to take to  
8     get that production. And as you've seen, that can take  
9     a very long period of time, and what you will see, we're  
10    expecting 40 years or more for this project. And then  
11    the price at which we will sell that -- that product  
12    could be sold at. So the company is undertaking a  
13    substantial risk of correctly estimating the cost and  
14    correctly assuming a price of the production.

15                    So when we put all these things together  
16    and we run our economics, if we introduce the concept of  
17    regulatory uncertainty, about how long we would be able  
18    to prosecute the project, if we introduce that into the  
19    equation or into the analysis, then that makes the  
20    production beyond that point something that we may not  
21    be able to have as part of our analysis. And as a  
22    result, we might have to discount that production, and  
23    that can affect the viability of the project. And so  
24    ultimately, we may decide not to do it because -- you  
25    know, depending on where that termination date would be

1 set.

2 So, in my experience, I'm not aware of any  
3 EOR project and CO2 injection project that operates with  
4 a termination date.

5 Q. In your opinion, would the introduction of a  
6 term limit or some kind of re-evaluation period for your  
7 approval create an uncertainty that would run the risk  
8 of discouraging these types of projects and resulting in  
9 waste?

10 A. That's correct. It just adds additional risk.  
11 A project like this really can't stand a whole lot more  
12 risk than what it already has.

13 Q. I want to go over our last topic, and it  
14 involves the last slide of Exhibit Number 3, slide ten.  
15 And I want to walk through the relief that the company  
16 is requesting and get a general understanding. Okay?

17 A. Okay.

18 Q. First off -- and we can kind of skip over this  
19 one. But because of the nature of the project, you're  
20 seeking authority to inject not only CO2 but produce  
21 gases and waters as a result of the sweeping that we  
22 just saw; is that correct?

23 A. That's correct.

24 Q. If we go to OXY Exhibit Number 4 in the  
25 notebook, is this the order from 1974 that initially

1 approved the current waterflood operations in the South  
2 Hobbs Unit?

3 A. Yes, it is.

4 Q. And if I go to page 3 of this order, on Exhibit  
5 Number 4, and I look at paragraph two on page 3, it  
6 indicates that the company's authorized to inject water  
7 into the Grayburg and San Andres Formations. Do you see  
8 that?

9 A. Yes, I see that.

10 Q. So by this application, do you seek to expand  
11 that authority to include not just water but CO2 and  
12 produced gas and produced water?

13 A. That's correct.

14 Q. Now, there are certain injection wells listed  
15 here. Since this order, have there been additional  
16 injection wells that have been approved administratively  
17 by the Division?

18 A. Yes, there have.

19 Q. While we're here, if we look at Exhibit Number  
20 5, this is Order Number R-4934-E, as in Edward. Is this  
21 the most recent order governing your South Hobbs  
22 operations?

23 A. I believe it is, yes.

24 Q. And towards the end of that order, we'll see it  
25 contains a number of rules that are specific to this

1 operation; is that right?

2 A. Yes, it does.

3 Q. A total of 17?

4 A. 17.

5 Q. 17.

6 A. Yes.

7 Q. And some of those rules your application seeks  
8 to amend; is that right?

9 A. That's correct.

10 Q. For example, if I look at Rule 11, right now it  
11 indicates that your surface injection pressure is based  
12 on point -- 0.2 psi per foot?

13 A. Correct.

14 Q. First off, has that rule been modified through  
15 an administrative order for the injection of water?

16 A. Yes.

17 Q. If I look at OXY Exhibit Number 6, is that  
18 Administrative Order IPI-340 that was entered in 2009  
19 that approved a municipal surface injection pressure for  
20 water at 1,100 psi?

21 A. That's correct.

22 Q. Now, a couple of things. It refers to the  
23 wrong rule, unfortunately, within this particular order,  
24 so don't be confused by that.

25 And, secondly, it references that that was

1 based upon some step-rate tests that were done by the  
2 company in 2008?

3 A. Yes.

4 Q. Now, the company seeks, through this  
5 application, to modify the surface injection pressure  
6 limits, then, for CO2 and produced gases that would  
7 normally be dictated by that Rule 10 that we previously  
8 saw?

9 A. Correct.

10 Q. So it's already been approved for water at  
11 1,100 psi. What are the corresponding injection limits  
12 that the company seeks for CO2 and produced gases?  
13 Would it be -- does 1,250 psi sound correct --

14 A. That sounds correct.

15 Q. -- for CO2?

16 A. Yes, it does.

17 Q. And then produced gases at 1,772 [sic]?

18 A. Yes.

19 Q. Is that based, first off, on the 2008 step  
20 pressure test -- step-rate test?

21 A. Yes, they are.

22 Q. And is it also then based, as I understand it,  
23 on the differences between the density of water versus  
24 gas and other factors that go into play?

25 A. Yes. And let me explain in a little more

1 detail. The 1,100 psi limit that we're currently  
2 operating under with water is based on a parting  
3 pressure, obviously, from the step-rate test and a --  
4 and a bottom-hole pressure limit based on that measured  
5 parting pressure.

6 All we're really asking for here is, since  
7 we're going to be injecting a fluid that has a different  
8 density than water, is that the surface pressure limits  
9 applicable to those different injectate be adjusted, but  
10 at no point will they exceed that bottom-hole pressure  
11 limit that is the same that we have for the water  
12 injection wells. So I hope I explained that.

13 It doesn't go above the limit that is  
14 contemplated with this step-rate testing. It just  
15 adjusts the surface pressure limit because there is a  
16 density difference from water to produced gas and then  
17 CO2.

18 Q. So as I understand it, the maximum surface  
19 injection pressures that you request for CO2 and  
20 produced gases should be the equivalent of what it would  
21 be for what's already been approved for water?

22 A. That's correct.

23 Q. And as you already mentioned, I believe, that's  
24 just the maximum surface injection pressure that you  
25 request. That's really going to be controlled by that

1 minimum miscibility pressure in terms of how you're  
2 operating your wells?

3 A. Well, yes. These surface pressure limits will  
4 allow us to operate at or above the minimum miscibility  
5 pressure.

6 Q. Finally on this point, have these rates that we  
7 seek under this application already been approved for  
8 the North Hobbs Unit?

9 A. Yes, they have.

10 MR. FELDEWERT: And I believe that was,  
11 Madam Chair, under Commission Order R-6199-B relating to  
12 the North Hobbs Unit.

13 Q. (BY MR. FELDEWERT) And the South Hobbs Unit  
14 involves the same formation?

15 A. Same formation.

16 Q. Same basic project?

17 A. Same basic project.

18 Q. Now, the third request in the application  
19 involves increasing the GOR limit, and this is the  
20 one -- well, let me ask you: From a regulatory  
21 perspective, okay, based on your expertise, should there  
22 be a GOR limit for a tertiary recovery project?

23 A. I don't believe so, no.

24 Q. And why is that?

25 A. Well, particularly like in the case of

1 New Mexico, where the gas production that is reported to  
2 the State, which is used to calculate the GOR, would  
3 actually include -- a large part of that would be CO2  
4 that we're pumping into the reservoir. So in a sense,  
5 the CO2 flood artificially raises the GOR and based on  
6 how it's reported to the State.

7                   So what we've done, and similar to what we  
8 did in North Hobbs, we've asked for an increase in the  
9 GOR limit that might or might not be applicable to this  
10 project. And, once again, this gets back to the  
11 uncertainty level. We really don't know if the GOR  
12 limit would operate to restrict production from this  
13 reservoir or from this tertiary recovery project.

14                   So we're just trying to remove any  
15 uncertainty that it might, because -- my understanding  
16 may be inaccurate -- that a 2001 GOR limit statewide  
17 rule might apply. But since most of that gas that's  
18 coming out of the reservoir actually is CO2, we're, out  
19 of an abundance of caution, asking the Commission for an  
20 increase in that GOR limit to allow us to operate the  
21 flood with wells producing a GOR that is up close to  
22 70,000 standard cubic feet per barrel, understanding  
23 that that GOR calculation is based on CO2 being the  
24 primary component of that gas.

25                   So we're just, out of an abundance of

1 caution, trying to remove what might be down the road,  
2 artificial limits on the production from this CO2  
3 project.

4 Q. Mr. Foppiano, before this hearing today, did  
5 you have a chance to review the affidavit that was  
6 submitted by the Chief Examiner, Richard Ezeanyim --

7 A. I did.

8 Q. -- for the Division?

9 A. Yes.

10 Q. He says in there, and I quote, on page 2 of his  
11 affidavit: "Therefore, during the EOR stage, the pools  
12 should not be subject to limiting GOR." And he goes on  
13 to explain why. Do you agree with Mr. Ezeanyim that  
14 from a regulatory perspective this project should not  
15 have a limiting GOR?

16 A. I agree, yes.

17 Q. You also, then, under this application, seek an  
18 exception to the requirement that the injection is  
19 within one year. Now, you have a witness that's going  
20 to talk about the timeline associated with this project,  
21 correct?

22 A. Correct.

23 Q. When do you anticipate commencement of  
24 injection out in this field if this is approved, and you  
25 can get these facilities in?

1 A. Today we are estimating September of 2015.

2 Q. And is there some investment that needs to be  
3 made in advance of the commencement of the injection?

4 A. Yes, a substantial amount of investment in  
5 facilities that are necessary to be able to commence the  
6 CO2 flow.

7 Q. And is that why, therefore, you seek an  
8 exception to the normal requirement that injection under  
9 a Division or Commission order commence within a year?

10 A. Yes. We're just asking for, in our particular  
11 case, more time to commence injection because of the  
12 scope of what we're trying to do in the South Hobbs  
13 Unit, new facilities that would be constructed, new  
14 lines that would be installed, and we just need more  
15 time. The business is -- the oil business is very  
16 active right now. Equipment availability impacts this  
17 schedule. And as you'll see from the next witness, it  
18 is -- we're fixing to commit a lot of money to this  
19 project, assuming that it's approved, so that's why  
20 we're a little -- we're two years ahead of when we're  
21 actually planning to start injection, because it takes  
22 that long and we need the regulatory approval to have  
23 that certainty that would allow us to go ahead and start  
24 ramping up our spending.

25 So at this point, we're estimating two

1 years, but we're asking for three years of time from the  
2 date the order is issued to give us the flexibility in  
3 case that start date starts to the slide.

4 Q. Now, you also ask for some relief with respect  
5 to the extensive area of review analysis that has been  
6 done and which is contained in what has now been marked  
7 as OXY Exhibit Number 2. What's the thought process  
8 there?

9 A. Well, the thought process is that we've just  
10 concluded a very extensive area of review process with  
11 the Commission, and it is upwards of close to 400 wells  
12 that have been analyzed, virtually all the wells in the  
13 South Hobbs Unit and nearby, as you will see when that  
14 witness discusses it.

15 So we have looked at all the wells in the  
16 area, based on how they are currently constructed, to  
17 determine if there are any concerns with respect to  
18 confining the injectate to the injection zone. So we've  
19 done that analysis.

20 And then going forward, what you'll see is,  
21 we have detailed information on the wells that we're  
22 going to be converting, the wells that we're going to be  
23 drilling for injection. They're going to be constructed  
24 in such a way that they wouldn't be a concern.

25 So we're asking for the Commission, similar

1 to what we did in the North Hobbs Unit, to allow this  
2 area of review to be good, essentially, for at least  
3 five years.

4 And one of our witnesses will actually  
5 testify about the very low level of non-OXY activity out  
6 here, which I think would also give some comfort to the  
7 Commission about, you know, what else might be going on  
8 out there. There's not very much. This is it for the  
9 Hobbs area.

10 So we're saying: Give us five years; let  
11 these areas of review be good for five years. And then  
12 after five years, for any well that has not started  
13 injection yet -- and some of these wells that we're  
14 asking for approval will not have started injection by  
15 then because this is a phased project. For those wells  
16 that haven't started injection by then, then we would  
17 review the information that was submitted, and if there  
18 is no change to the area of review information, then  
19 just allow us to submit a statement saying there is no  
20 change to the area of review information; or if there  
21 is, then we can just update that.

22 This process was proposed and accepted by  
23 the Commission for our North Hobbs project. And in  
24 discussions with the OCD staff, they seemed to like it;  
25 they don't see a problem with it. And we like it

1 because it does streamline the process a little bit. So  
2 we're asking for the same thing. Instead of three years  
3 that we asked for the North Hobbs Unit, we're asking for  
4 five years here, because we're starting a little  
5 earlier, and there is such a low level of activity. So  
6 we think five years is appropriate.

7 Q. And you're an expert in petroleum engineering,  
8 and you have expertise in health and safety issues  
9 associated with oil and gas projects, correct?

10 A. Yes.

11 Q. And you're familiar with the area of review  
12 analysis that was done in this case?

13 A. Yes, I am.

14 Q. In your expert opinion, is it necessary to  
15 conduct another area of review analysis for wells that  
16 commence injection within the next five years?

17 A. It wouldn't be necessary to resubmit the same  
18 data we've already submitted, no.

19 Q. The next request you seek is to allow for a  
20 five-year mechanical integrity test frequency for any  
21 temporarily abandoned well that is equipped with  
22 realtime pressure monitoring. Do you have a witness  
23 that is going to discuss these realtime pressure  
24 monitors that are currently on the OXY injection wells?

25 A. Yes.

1 Q. And is OXY, over time, planning on installing  
2 similar realtime pressure monitoring devices on its  
3 temporarily abandoned wells in the South Hobbs Unit?

4 A. Yes.

5 Q. And so the relief you seek here is only for  
6 those temporarily abandoned wells that will have these  
7 actual realtime pressure monitors, correct?

8 A. That's correct, yes. We think this is an  
9 excellent opportunity to create a system utilizing our  
10 automation that will be in place for this project, to  
11 provide better monitoring of the mechanical integrity of  
12 our temporarily abandoned wells than what is provided  
13 through periodic MIT testing. So we're asking the  
14 Commission to let us do that. And on those wells that  
15 are so equipped and monitored, that a five-year  
16 frequency for MITs would be appropriate.

17 Q. And in your expert opinion, would your proposal  
18 avoid unnecessary mechanical integrity tests for both  
19 the company and for the Division?

20 A. I believe so, yes.

21 Q. The company also seeks to change the current  
22 rule governing the packer-setting depth. And just to  
23 put it in perspective, go to Exhibit Number 5 and go to  
24 Rule 10, which would be towards the back of the exhibit  
25 on page 5. So, again, this is a rule that currently

1 governs your South Hobbs Unit project?

2 A. Correct.

3 Q. And if I look about halfway through this rule,  
4 it says that the "packer shall be set as near as is  
5 practicable to the uppermost perforation or, in the case  
6 of an open-hole completion, to the casing shoe." Has  
7 that created some operational difficulties for the  
8 company over time?

9 A. Yes, it has. It's necessitated several  
10 exceptions -- exception requests, which have been  
11 subsequently granted by the district office or the OCD.

12 Q. And we're going to jump ahead a little bit. If  
13 we jump to Exhibit 8, tab eight, in the third notebook,  
14 and if we then, once on Exhibit 8, go to slide 22.

15 MR. FELDEWERT: And I will represent to the  
16 Division that this is a, quote, "order that was entered  
17 in 2012, Order R-5897-A."

18 Q. (BY MR. FELDEWERT) And, Mr. Foppiano, if I look  
19 through this, the language in this particular slide, 22  
20 of Exhibit 8, about halfway down, it says: "So long as  
21 the packer set point remains within the Unitized  
22 Formation, as defined in the Unit Agreement, or as the  
23 same may be subsequently modified." Do you see that?

24 A. I see that.

25 Q. Is that the language that the company requests

1 the Commission adopt into the current rule, then, that  
2 governs your packer setting?

3 A. That is, yes.

4 Q. Will this provide the flexibility that you need  
5 to perform your operations in a safe manner?

6 A. Yes, it would.

7 Q. And will the inclusion of this language, where  
8 it says: So long as the packer remains within the  
9 Unitized Formation, in your opinion, will it provide a  
10 similar level of protection to what currently exists?

11 A. It will, yes.

12 Q. The company then also asks that Division remove  
13 the requirement concerning cement file [sic] logs as  
14 it -- as it exists under the order governing the  
15 operation and as it exists currently under Rule 15 of  
16 that order. So if I go back to OXY Exhibit Number 5 and  
17 I go to current Rule 15 on page 6 of OXY Exhibit Number  
18 5 --

19 A. Yes.

20 Q. -- what's the problem being created, or what's  
21 the issue here with this rule?

22 Let me ask you this first: Does this rule  
23 exist in the North Hobbs Unit?

24 A. Not to my knowledge, no.

25 Q. Secondly, what's the problem with this current

1 rule?

2 A. Well, the problem at the present time is that  
3 we believe the part related to injection wells is  
4 unnecessary given the information we have put forward on  
5 the area of review and about the injection wells that  
6 will be utilized.

7 And, also, the part related to the  
8 requirement on the producing wells is, quite frankly,  
9 odd, because it requires multiple CBLs on a producing  
10 well, and I, quite frankly, don't understand what the  
11 rationale would be with requiring multiple CBLs on the  
12 same well over time. But that's the requirement; that's  
13 the way it reads. And we're also asking for that to be  
14 removed, because, as I mentioned, the area of review --  
15 we've already analyzed the casing and cement for all the  
16 wells in the area, and we know where the one issue is.  
17 And so we don't need to continue running cement bond  
18 logs on these existing wells because they're constructed  
19 in such a way to confine the injectate.

20 And, in fact, the future wells that will be  
21 drilled will all be constructed in such a way that the  
22 cement should not be an issue. They're going to be  
23 circulated. So we just don't see the need for this  
24 requirement to be in place any longer.

25 Q. And as this rule currently is crafted, as you

1 pointed out, in your opinion, it appears to require  
2 cement bond logs on the same well each time you pull the  
3 tubing for a producing well?

4 A. That's the way I read it, yes.

5 Q. If I stay on this -- if I go to the prior page  
6 in Exhibit Number 5, the current Rule 8 allows for  
7 administrative approval of additional injection wells  
8 within the project area. Do you see that?

9 A. I do, yes.

10 Q. So what the company requests is that the  
11 Commission clarify that this same process would apply to  
12 additional injection wells that involve CO2 or produced  
13 gases; is that right?

14 A. Correct, within the project area being  
15 proposed.

16 Q. And the final relief that you seek in this  
17 application is, you seek, at least at this time,  
18 qualifying the project for the recovered oil tax relief,  
19 assuming and hoping you won't have to use it. But while  
20 you're here, you want to qualify the project for that  
21 recovery oil tax rate, and there are certain procedures  
22 that have to be followed, correct?

23 A. Correct.

24 Q. And you have a witness who is going to address  
25 the requirements necessary to qualify for that rate?

1 A. That's correct.

2 Q. Let me ask you this, Mr. Foppiano: In your  
3 expert opinion -- let me step back.

4 You're completely familiar with this  
5 project; is that correct?

6 A. I am, yes.

7 Q. With all aspects of it, how you're going to  
8 locate your facilities, the type of materials that are  
9 going to be utilized, how it's going to operate; you're  
10 familiar with all that?

11 A. Yes.

12 Q. Based on your opinion, will the approval of  
13 this application prevent waste?

14 A. Yes.

15 Q. Will the approval of this application protect  
16 correlative rights?

17 A. Yes, it will.

18 Q. And will the approval of this application and  
19 the relief requested result in a reasonable level of  
20 safety to the public health and the environment?

21 A. I believe it will, yes.

22 Q. If I turn to what's been marked as OXY Exhibit  
23 Number 7, would you please identify that for us?

24 A. Yes. It's a resolution from the City of Hobbs  
25 regarding our project, and it was passed on the 15th of

1 April of this year.

2 Q. Now, did the company have various meetings with  
3 the Hobbs' city officials about your South Hobbs Unit  
4 project?

5 A. Yes, we did. We have, in the past and will  
6 continue to do so, developed a very good working  
7 relationship with the local community in Hobbs, and we  
8 approached this project from that same -- same  
9 direction, to maintain that good relationship. And so  
10 we educated them. We brought them in, gave them many  
11 tours of our project to the local community and  
12 officials, so they could see what was being discussed,  
13 because there will be -- they will see some impact, some  
14 construction, pipelines being laid in the city. So we  
15 wanted them to be aware of what was going on. And  
16 they've been very supportive of this project all along.  
17 They were obviously very interested in the North Hobbs  
18 project, and they've had the experience of that  
19 operating, and so they -- they passed this resolution  
20 just to evidence the support that they have for this  
21 project. And, in fact, they've been involved and are  
22 knowledgeable about what we're proposing to do.

23 MR. FELDEWERT: If I may approach? I have  
24 one additional exhibit that we just received yesterday  
25 that I'd like to put into the record, if I may.

1 COMMISSIONER BAILEY: Okay.

2 Q. (BY MR. FELDEWERT) Mr. Foppiano, I've handed  
3 you what's been marked as OXY Exhibit Number 17 because  
4 of the exhibit sequences that we're working with here.  
5 Would you identify this document for us?

6 A. Yes. It's a resolution that was passed by --  
7 very recently by the Economic Development Corporation of  
8 Lea County, and it was passed on May 6th, just this  
9 week.

10 (OXY Exhibit Number 17 marked.)

11 Q. And it reflects that the Lea County Economic  
12 Development Corporation is also in support of this  
13 effort to convert your South Hobbs Unit waterflood into  
14 a tertiary recovery project?

15 A. Yes, it is. And our South Hobbs project  
16 extends outside the city limits in the Lea County area,  
17 so they wanted to go on record with their support of our  
18 project.

19 Q. Are the slides that comprise OXY Exhibit 3  
20 compiled by you or under your direction and supervision?

21 A. Yes, they were compiled by me.

22 MR. FELDEWERT: I would move admission into  
23 evidence of OXY Exhibit 3.

24 MS. GERHOLT: No objection.

25 MR. ALVIDREZ: No objection.

1 COMMISSIONER BAILEY: Exhibit 3 is  
2 admitted.

3 (OXY Exhibit Number 3 was offered and  
4 admitted into evidence.)

5 MR. FELDEWERT: And then OXY Exhibits 4, 5  
6 and 6 are orders from the Oil Conservation Division. I  
7 would move admission of OXY Exhibits 4, 5 and 6.

8 MS. GERHOLT: No objection.

9 MR. ALVIDREZ: None.

10 COMMISSIONER BAILEY: They are admitted.  
11 (OXY Exhibit Numbers 4, 5 and 6 were  
12 offered and admitted into evidence.)

13 MR. FELDEWERT: OXY Exhibit 7 is the  
14 resolution from the City of Hobbs. It's attested to in  
15 the bottom, left-hand corner. It's a public document,  
16 so I would move the admission of OXY Exhibit 7 as well.

17 MS. GERHOLT: No objection.

18 MR. ALVIDREZ: No objection.

19 COMMISSIONER BAILEY: It is admitted.  
20 (OXY Exhibit Number 7 was offered and  
21 admitted into evidence.)

22 MR. FELDEWERT: And finally, I move the  
23 admission of OXY Exhibit Number 17, which is the  
24 resolution adopted by the Economic Development  
25 Corporation of Lea County.

1 MS. GERHOLT: No objection.

2 MR. ALVIDREZ: No objection.

3 COMMISSIONER BAILEY: It is admitted.

4 (OXY Exhibit Number 17 was offered and  
5 admitted into evidence.)

6 MR. FELDEWERT: Madam Chair, that concludes  
7 my examination of this witness.

8 COMMISSIONER BAILEY: Then why don't we  
9 take a 15-minute break?

10 (Break taken, 10:48 a.m. to 11:05 a.m.)

11 COMMISSIONER BAILEY: We'll go back on the  
12 record.

13 You were finished with your witness?

14 MR. FELDEWERT: Yes, Madam Chair.

15 COMMISSIONER BAILEY: Time for  
16 cross-examination, Ms. Gerholt.

17 MS. GERHOLT: Thank you, Madam Chair.

18 CROSS-EXAMINATION

19 BY MS. GERHOLT:

20 Q. Good morning, Mr. Foppiano.

21 A. Good morning.

22 Q. It is my understanding from your testimony that  
23 it's the carbon dioxide which is assisting in the  
24 recovery of the oil and not the reinjection of produced  
25 gas; is that correct?

1           A.    Well, it is in combination with everything.  
2    The project involves, obviously, the injection of CO2,  
3    but also returning the produced gas back to the  
4    reservoir.  It's part of the entire project.  As far as  
5    assisting, the H2S component of the gas actually does  
6    have some positive benefit to the miscibility pressure.  
7    It lowers it slightly.  So there is some slight benefit  
8    to the inclusion -- to the reinjection of produced gas  
9    containing H2S.

10          Q.    So it does lower that miscibility pressure?

11          A.    Slightly, yes.

12          Q.    If I could direct your attention to slide five,  
13    I'm interested in how does the carbon dioxide dilute the  
14    concentration of the H2S?

15          A.    Okay.  The carbon dioxide goes into the  
16    injection well and into the oil reservoir pretty much in  
17    a liquid phase.  In other words, it goes in almost as a  
18    liquid.  And because of the temperature and pressure  
19    that it exists at, as it migrates to the producing well,  
20    the pressure drops and this gas, much like you open a  
21    bottle of coke, this liquid becomes a gas and starts to  
22    enter into a gaseous phase.  And when it does, it  
23    dilutes the native gas concentration that's in the  
24    reservoir, and by diluting the gas concentration in the  
25    reservoir, it dilutes the H2S component.

1 Q. Just because there is now an increase of gas,  
2 the concentration is less -- sorry. I'm trying to  
3 remember my basic chemistry here.

4 A. Yes. The gas that comes out of the well when  
5 the CO2 breaks through can be as much as 80-percent CO2.  
6 And so the 20 percent that's not CO2 would be native gas  
7 that contains H2S.

8 Q. Right.

9 A. So it may be easier to think of it that the  
10 native gas still has its full-percent concentration, but  
11 you've added a component to that which now dilutes it  
12 such that the total amount of it is -- if you measure  
13 the H2S concentration of the produced gas, which  
14 includes the CO2, your H2S concentration would be on the  
15 order of one percent instead of four percent.

16 Q. Those are my only questions for you.

17 COMMISSIONER BAILEY: Mr. Alvidrez?

18 MR. ALVIDREZ: Thank you, Madam Chair.

19 CROSS-EXAMINATION

20 BY MR. ALVIDREZ:

21 Q. Good morning.

22 A. Good morning.

23 Q. If I understand this, you've got a very  
24 intimate familiarity with this entire project; is that  
25 correct?

1 A. I'm familiar with it, yes.

2 Q. And you also have an extensive background in  
3 health and safety matters?

4 A. Yes.

5 Q. And I think you testified earlier that for  
6 these types of operations, OXY has made a policy  
7 decision that it doesn't allow these type of operations  
8 or doesn't pursue these operations within the city  
9 limits; is that correct?

10 A. Yes.

11 Q. And I take it that's because of health and  
12 safety concerns and the population that's in proximity  
13 to a facility like this?

14 A. It's just a policy that our management has felt  
15 like, at this time, they do not see the need to do that,  
16 to have these operations in such close proximity. And  
17 so we're able to prosecute them outside of the city  
18 limits, and that's what we're doing as a matter of  
19 policy.

20 Q. That's what I'm trying to get at. Why don't  
21 you pursue these -- why doesn't OXY pursue these within  
22 the city limits?

23 A. Well, operations inside of city limits,  
24 facilities, whatever, they're just in closer proximity  
25 to the public, and so we feel like we can prosecute

1 these projects without having some of these facilities  
2 in such close proximity. Understanding, there is still  
3 an oil field here. There has been production, as there  
4 is in many other places, within the city limits. So  
5 there are already facilities, wells, pipelines within  
6 the city. It's just that these particular types of  
7 facilities, the company, at this time, has decided that  
8 we don't need to do this inside of the city limits, so  
9 as a matter of policy, we don't.

10 Q. With regard to this project, can you tell us  
11 what type of safety mechanisms or policies are going to  
12 be in place to address potential exposure to H2S?

13 A. I'm sorry. I'm not sure I understand your  
14 question. Would these be regulations you're asking  
15 about or --

16 Q. No. I'm really talking about -- I'll break it  
17 down. That was kind of a compound question.

18 Are there going to be any policies and  
19 procedures that OXY is going to implement with regard to  
20 the health and safety pertaining to H2S?

21 A. OXY has internal policies relating to these  
22 kind of operations. They also involve H2S operations.

23 Q. Can you describe those for us a little bit?

24 A. They're very similar to the rule that is in  
25 New Mexico and Texas, Rule 36, for example. And we have

1     that policy primarily because we have operations in  
2     foreign countries and other places that don't have such  
3     a robust H2S regulation as what we have here in  
4     New Mexico or Texas. But we do have that internal  
5     policy, so we maintain a worldwide standard of care of  
6     our operations and consistency throughout in how we  
7     handle H2S. And they deal with all the same issues.

8                 First, it's important for us to know the  
9     H2S concentrations in our -- in our production, to  
10    measure them on a periodic basis and to determine  
11    applicability of local regulations to ensure we're  
12    complying with them.

13                But, also, we have additional requirements  
14    related to risk assessment that may be required for some  
15    of these operations and the implementation of additional  
16    risk mitigation measures. And some of what you'll hear  
17    in testimony from the other witnesses are these  
18    additional mitigation measures that the company imposes  
19    on itself as a matter of just the type of operator we  
20    are. We feel like it's prudent to do some of these  
21    things, and that's why we're doing them in Hobbs and  
22    elsewhere throughout the world.

23           Q.     And just so we're clear on the record, H2S is a  
24    poisonous gas; is that correct?

25           A.     In certain concentrations, yes.

1           Q.   And in the concentrations -- as I understand  
2   it, the anticipated concentrations of H2S gas in the gas  
3   stream is about one percent to maybe two-and-a-half  
4   percent on the high side? Did I understand your earlier  
5   testimony?

6           A.   Well, in the current production, it's four  
7   percent. In the CO2 flood, after CO2 breaks through,  
8   it's projected to drop very quickly to one percent.

9           Q.   That's the concentration I'm talking about.  
10                   What concentrations does H2S present to a  
11   health risk?

12          A.   I believe the immediately dangerous to life and  
13   health limit is 100 parts per million, and I believe  
14   that's the same limit that OSHA uses.

15          Q.   And expressed in percent, what would that be?

16          A.   One hundred parts per million would be .01  
17   percent. I'd have to --

18          Q.   So we are talking about concentrations, at  
19   least in the CO2 flood, at levels that would be  
20   dangerous?

21          A.   Yes.

22          Q.   Are you planning to put any alarms up, H2S  
23   alarms, anything like that, in the event there is a  
24   failure somewhere that would result in the escape of  
25   gas?

1           A.    Yes.

2           Q.    What steps are you taking with respect to  
3    neighboring landowners with regard to any type of early  
4    warning system or alarming their property, if any, with  
5    respect to this project?

6           A.    Well, the first step we've attempted to take is  
7    the location of the facilities in as remote an area as  
8    practical. In this case, we've made the decision to  
9    locate the surface facilities for produced gas injection  
10   outside of the city limits. So that's moving them into  
11   a more remote area.

12                   We've also been working with landowners to  
13   acquire land in the South Hobbs Unit to further control  
14   development encroachment into these facilities, because  
15   we've seen over time that that represents a challenge in  
16   some of these floods, is the community development. So  
17   we've spent a considerable sum of money purchasing  
18   surface land in the South Hobbs Unit.

19                   Also, as you've heard, we've had numerous  
20   meetings with numerous governmental officials, city  
21   officials to educate people about the hazards. We've  
22   developed emergency response plans in conjunction with  
23   local emergency responders, and we'll continue our  
24   efforts to educate the public about the hazards and what  
25   to do in the event of any indication that there might be

1 a problem.

2 But I think we need to remember that this  
3 oil field has been in Hobbs since 1929, so many of the  
4 landowners and residents are very familiar with oil  
5 field operations. In fact, many work in oil field  
6 operations.

7 Q. Are you familiar with the proximity of  
8 Mr. Coombes' property with respect to this area where  
9 you're conducting these activities?

10 A. Other than, I believe -- other than the fact I  
11 remember seeing that his property is inside the  
12 boundaries of the South Hobbs Unit. I can't recall  
13 exactly where his property is, but I believe it is  
14 within -- inside the South Hobbs Unit.

15 Q. Are there any plans to, you know, put alarms or  
16 an early warning system with respect to Mr. Coombes'  
17 property?

18 A. We have plans to install alarms and a variety  
19 of devices intended to alarm us if there is any kind of  
20 a problem throughout this whole system. I can't tell  
21 you if they'll be located on his property or not, but  
22 one of our witnesses is going to go into that  
23 extensively, about all the alarms and systems we're  
24 going to have in place to ensure the integrity of the  
25 equipment and to be able to provide a quick response in

1 the event there is a leak.

2 Q. Now, you were asked some questions about the  
3 affidavit that Mr. Ezeanyim has submitted in this case  
4 from the Division. I assume you've read the whole  
5 affidavit?

6 A. I have, yes.

7 Q. And he makes some recommendations on the part  
8 of the Division with respect to certain aspects, I  
9 guess, design and operational aspects. And I wasn't  
10 quite clear. Are those proposals that Mr. Ezeanyim has  
11 set forth in his affidavit acceptable to OXY?

12 A. I believe generally so, but I don't have a copy  
13 of the affidavit in front of me, and I can't read  
14 exactly which proposals you're referring to.

15 Let me rephrase my answer. We have no  
16 objection to the recommendations that Mr. Ezeanyim made.

17 MR. ALVIDREZ: Madam Hearing Examiner --  
18 Madam Chair and Commissioners, those are all the  
19 questions I've got.

20 I've also had a chance to talk with counsel  
21 for OXY and the Division. And Mr. Coombes is here in an  
22 intervenor status, and as I said, he doesn't oppose this  
23 project. We wanted to get a little bit more information  
24 and insight into what exactly was going to happen. I  
25 think the presentation this morning has been very

1 helpful in that regard.

2 And what we would ask is that we be allowed  
3 to be excused. We would waive our right to present any  
4 testimony in this matter or other evidence in this  
5 matter, but would reserve all other rights that we might  
6 have. And I've talked, as I said, with counsel, and I  
7 understand that that would be acceptable for them, if  
8 it's acceptable to the Commission.

9 COMMISSIONER BAILEY: Commissioners,  
10 Counsel, do you have words of wisdom?

11 MR. BRANCARD: You may participate at  
12 whatever level you would like.

13 COMMISSIONER BAILEY: Whatever level you  
14 would like to participate. That's fine. You may be  
15 excused.

16 MR. ALVIDREZ: Thank you very much for your  
17 time this morning.

18 Thank you-all.

19 (Mr. Alvidrez and Mr. Coombes exit the  
20 hearing.)

21 COMMISSIONER BAILEY: Commissioner Warnell,  
22 do you have any questions?

23 COMMISSIONER WARNELL: Yes, a couple of  
24 questions.

25

1 CROSS-EXAMINATION

2 BY COMMISSIONER WARNELL:

3 Q. Good morning. It was very informative. Thank  
4 you.

5 A. Thank you, sir.

6 Q. My first question would be that you mentioned  
7 something about the one unsuccessful CO2 project that  
8 had been shut down.

9 A. Yes.

10 Q. Could you elaborate a little bit on that?

11 A. Actually, I cannot. I was just advised that we  
12 did have one that was shut down because it wasn't  
13 successful. I believe we may have another witness who  
14 may have more information on that, Mr. Brockman.

15 Q. Mr. Brockman?

16 A. Yeah. He follows me.

17 Q. Thank you.

18 I think you had also testified or you  
19 mentioned the expense of the project?

20 A. Yes, sir.

21 Q. And how limiting that would be if there was a  
22 time constraint?

23 A. Yes, Commissioner Warnell. As I mentioned, we  
24 perform these economic analyses assuming a certain -- a  
25 certain amount of production over a certain period of

1 time. In this case, we're estimating at least 40 years.

2 So an order that limits the project in  
3 its -- you know, say the order limits the amount of  
4 injectate that goes in or the time it can be injected  
5 would cause us, from an engineering standpoint, to  
6 assign a higher risk to continuing the project beyond  
7 that point, because we just wouldn't have the certainty  
8 of knowing that the injection authority is still there.  
9 So we would assign some level of uncertainty to that,  
10 which then assigns an uncertainty to the amount of  
11 production associated with that. And the result of  
12 that, which is to reduce the rate of return that is  
13 expected from the project, and for projects like these  
14 that are close to the minimum -- the rates of return  
15 that we require, that can be very significant in whether  
16 we decide to go forward or not.

17 Q. When you're doing your economics, then, your  
18 ROI, what number are you looking at there? What is the  
19 target for return on investment?

20 A. That's a confidential number.

21 Q. It is?

22 A. Yes, sir.

23 MR. FELDEWERT: Commission, I've run into  
24 this before.

25 COMMISSIONER WARNELL: Well, that's good to

1 know.

2 THE WITNESS: We have competitors in the  
3 audience (laughter).

4 MR. FELDEWERT: Usually the recommendation  
5 [sic] to identify the rate of return is what is used in  
6 economic models.

7 COMMISSIONER WARNELL: I'll take that  
8 question back.

9 MR. FELDEWERT: If you really want to know,  
10 perhaps we can do it in some confidential format.

11 COMMISSIONER WARNELL: No, that's not  
12 necessary. Let me make one other stab, one other  
13 question.

14 Q. (BY COMMISSIONER WARNELL) You testified about  
15 no injection within -- inside the city limits?

16 A. No surface facilities associated with produced  
17 gas injection inside the city limits, yes, sir.

18 Q. What percentage of the South Hobbs Unit and, I  
19 guess, the North Hobbs Unit would you estimate inside  
20 the city limits?

21 A. I believe the subsequent witness is going to  
22 have some very good slides that show the outline of the  
23 city limits in relation to the project and actually the  
24 location of the facilities. And that might be a lot  
25 more helpful than me trying to answer that without those

1 slides.

2 Q. Very good. Thank you.

3 A. Thank you, sir.

4 COMMISSIONER BAILEY: Mr. Balch?

5 CROSS-EXAMINATION

6 BY COMMISSIONER BALCH:

7 Q. I might be able to help. What's your predicted  
8 incremental recovery?

9 A. I believe it's about 30 million barrels plus.

10 Q. And your capital investment for that?

11 A. The capital investment? The numbers, I  
12 believe, will show -- there's going to be some  
13 subsequent numbers that are actually going to put all  
14 that into the record, but it's about, I want to say, 300  
15 million.

16 Q. What's the MMP for the North and South Hobbs?  
17 I presume --

18 A. The MMP -- and the person who can really  
19 testify to that in more detail is the project manager  
20 testifying behind me. But the MMP depends on where in  
21 the reservoir we are and what fluids we're talking  
22 about, CO2 without any produced gas in it or produced  
23 gas. But I believe the range I've heard in meetings is  
24 around 1,600.

25 Q. And it was initially around 1,200, you said?

1           A.    The initial reservoir pressure was about 1,500  
2   psi, and the reservoir was produced during primary  
3   production to about 400 psi. We started waterflooding,  
4   built the pressure back up, and it is currently around  
5   1,200.

6           Q.    You mention, of course, that the Permian Basin  
7   has sour fields. You have 18 reinjection floods, I  
8   believe? 15?

9           A.    15.

10          Q.    Fifteen reinjection floods in the Permian  
11   Basin. What's the -- the highest initial concentration  
12   of H2S in those fields that you've dealt with?

13          A.    Without doing the research, I hesitate to  
14   answer accurately, but I believe the range is going to  
15   be very similar to what we're seeing here. This is San  
16   Andres, and we're working within the San Andres --  
17   throughout the Permian Basin. So we're talking about  
18   CO2 concentrations of five percent, six percent, seven  
19   percent. Nothing much more than that.

20          Q.    Currently you're producing this on a waterflood  
21   that's been there for 40 years, I guess?

22          A.    That's correct. Yes, since 19- -- mid-'70s,  
23   yes.

24          Q.    What's being done with the H2S right now?

25          A.    The gas is being produced, and I believe is

1 being sent to a processing plant.

2 Q. I'm sorry. I forgot to thank you for your  
3 testimony this morning and say good morning.

4 A. Oh, thank you.

5 Q. The next few questions are -- I tend to be a  
6 curious person, so if you can tell me about how much CO2  
7 is allotted to the Hobbs fields?

8 A. There is going to be a subsequent slide which  
9 will show the volume that CO2 was planning to be  
10 injected.

11 Q. Well, a rule of thumb, whatever number you have  
12 is fine.

13 A. I'm trying to -- I can't --

14 Q. Let me ask you an easier question.

15 A. Okay.

16 Q. About how many new patterns do you think are  
17 going to be put out a year?

18 A. I haven't counted them, but there is a slide  
19 that shows exactly the patterns we're planning to do. I  
20 apologize. I just -- I don't have that in front of me,  
21 and I can't count them.

22 Q. About how many total patterns are in North and  
23 South Hobbs? Do you think you'll run over the next 40  
24 years or so?

25 A. I didn't count the patterns. I apologize.

1 Q. There's [sic] how many wells right now in the  
2 field?

3 A. Can I refer to additional exhibits that haven't  
4 been introduced yet?

5 Q. I can ask later, as long as you know --

6 A. Because we have all the information that we're  
7 putting into the record. I don't have it in front of  
8 me. I hesitate to guess and be wrong and have one of my  
9 witnesses point that out to me.

10 Q. So when you're recycling CO2 -- I just want to  
11 clarify a little bit on the process. You have an invert  
12 five-spot pattern, and your injector in the middle. You  
13 start to put CO2 in, full of water --

14 A. Yes.

15 Q. -- and you may repeat that sequence a number of  
16 times throughout the life of the well. Once you have  
17 breakthrough, you're producing the majority of that CO2  
18 and then recycling it back in?

19 A. That's correct.

20 Q. How long is an injector in this pattern kept --  
21 typically kept running? Is it the entire life of the  
22 project? Is it some, a few years in the project, until  
23 the CO2 [sic] is completely swept?

24 A. Well, this project, as most CO2 projects are  
25 prosecuted, is done in phases. So the first phase

1 actually involves the injection of pipeline-quality CO2  
2 into certain patterns. And so that starts the process  
3 in those patterns. And then as we get produced gas  
4 back, then we'll take that and reinject it in additional  
5 patterns.

6 So we pretty much walk our way through the  
7 unit, and as the first patterns -- as the monitoring  
8 indicates that we no longer need to inject any more CO2  
9 into the reservoir because of, you know, just what we're  
10 seeing in that particular pattern in terms of production  
11 and reservoir pressuring and our modeling, then we can  
12 switch to water, and we'll keep it on water even though  
13 there's CO2 production in that pattern for many, many  
14 years. And then we just migrate these patterns all the  
15 way through the flood.

16 Q. All right. So across your 28 floods in the  
17 Permian Basin, what's the -- the life span of injection  
18 of the CO2 into an injector, kind of just an average?

19 A. Well, as I mentioned, we -- we -- these  
20 projects are still going on. So in many cases --

21 Q. Sure. There's a lot of this, and those  
22 patterns will eventually convert fully to water.

23 A. Yeah. We have -- we have, yeah, switched them  
24 back on to water, but I don't know. Until I look at the  
25 numbers, I hesitate to guess.

1 I'd also suggest it may be very reservoir  
2 specific, that in some reservoirs, those injectors may  
3 still be running a WAG cycle that was running 20, 30  
4 years ago, and others, it may be a much faster process.

5 Q. All of it incremental --

6 A. Yes, exactly. That's the whole -- that's the  
7 whole process here. As long as we see benefit to  
8 injecting CO2 into that pattern, then we'll continue to  
9 do it based on our modeling, and then we'll switch to  
10 water.

11 Another aspect of these floods is that we  
12 may utilize that injection well to actually start to  
13 inject in different parts of the San Andres reservoir.  
14 As you've seen here, this unit comprises the Grayburg  
15 and the San Andres Formations, and so there are  
16 potentially other areas of the San Andres that might  
17 lend themselves to CO2 flooding. So we might utilize  
18 the same pattern, but just move it to a different  
19 section of the reservoir that wasn't previously flowing.

20 Q. Can I ask you if OXY is looking at ROZs?

21 A. Yes (laughter).

22 Q. That's all.

23 COMMISSIONER BAILEY: Yes, you may ask, or  
24 yes, you may get an answer?

25 (Laughter.)

1 MR. FELDEWERT: It was a good answer.

2 THE WITNESS: I'm going to get in trouble  
3 with my management.

4 Q. (BY COMMISSIONER BALCH) So was that a yes, I  
5 can ask?

6 A. Yes, we are looking at that as a potentially --

7 CROSS-EXAMINATION

8 BY COMMISSIONER BAILEY:

9 Q. At the beginning of your testimony, you gave  
10 some conversion factor for percentage of parts per  
11 million of H2S. Could you repeat that for me, please?

12 A. Yes. One percent H2S is 10,000 parts per  
13 million.

14 Q. So even though the concentration of H2S is  
15 reduced to one percent, the parts per million is still  
16 at a level that would be harmful --

17 A. Correct. Yes, ma'am.

18 Q. -- to the public?

19 A. Yes, Commissioner Bailey.

20 Q. I understand that a contingency plan for both  
21 the North and the South Hobbs Units has been approved by  
22 the Division; is that correct?

23 A. That's correct, yes.

24 Q. So the concerns that Mr. Coombes had about  
25 alarms would have been covered in that contingency plan?

1           A.    Yes, Commissioner Bailey, in addition to some  
2   of the information you'll hear today, which are  
3   additional protective measures.

4                   I believe Mr. Coombes probably didn't have  
5   the opportunity to see the contingency plan, even though  
6   one was on file at the district office. But we have --  
7   we spent a considerable effort to bring that plan up to,  
8   basically, best-in-class emergency action plans in our  
9   entire operations worldwide by working with the local  
10  first responders and our own internal review process,  
11  our own internal experts on emergency response, and then  
12  through extensive discussions with the OCD here in Santa  
13  Fe. And so, quite frankly, what I believe we have is a  
14  model for other parts of our operations worldwide in  
15  terms of emergency response.

16          Q.    So with 10,000 parts per million, there's not  
17  been any disregard for public safety?

18          A.    Oh, absolutely not.

19          Q.    I was looking at an aerial image of the city of  
20  Hobbs, and it was difficult to tell, but it appeared as  
21  though the population density to the south of the city  
22  limits was probably just as concentrated as the  
23  population density within the city limits. Is that a  
24  true statement?

25          A.    I believe that's accurate. I think there is

1 some significant development to the outside of the city  
2 limits and to the south, yes.

3 Q. Okay. So just because you have the policy of  
4 not having injectors within the city limits doesn't mean  
5 that the population density -- the population is not as  
6 greatly impacted as though you did have these facilities  
7 within the city limits?

8 A. Well -- and I apologize. I could have put more  
9 detail about that policy, but it drives us to locate our  
10 facilities in as remote an area as possible.

11 And so what you'll hear in the testimony  
12 of, I believe, the next witness is, we did exactly that.  
13 We located these facilities initially outside the city  
14 limits, but even then, as far away as we could from  
15 population that might be impacted by any sort of  
16 release. And that's in addition to all the safety  
17 measures designed to keep the injectate, keep that  
18 produced gas within vessels, pipelines, wells, whatever.  
19 But an extensive amount of work was done, based on  
20 dispersion modeling and radius of exposures, to locate  
21 our facilities throughout the South Hobbs project.

22 And in addition, as I mentioned, we even  
23 purchased a significant amount of surface to locate  
24 these facilities on that purchased land for the  
25 reason -- to keep it remote and also to prevent

1 encroachment from development. So we -- it was a lot  
2 more than just locating it outside the city limits.

3 Q. But remote still doesn't mean very far away  
4 from a significant number of people, according to the  
5 area?

6 A. As far away as we could practically locate it.  
7 There is still public within the radius of exposure from  
8 a release -- an accidental release, yes, ma'am.

9 Q. You brought up Exhibit 8, page 22, the Order  
10 R-5897-A --

11 A. Yes, ma'am.

12 Q. -- in which the packer could be different from  
13 what the current rule requires for the location of a  
14 bridge plug within an injector. I was curious about  
15 this particular exhibit, so I looked up the order and  
16 saw that there were findings as to why the Division  
17 would have changed that. And I think, since you brought  
18 it up, then we really should see the findings that say  
19 that "about half of the injection wells in this unit" --  
20 and I'm quoting from R-5897-A, page 2, Finding 7F:  
21 "About half of the injection wells of this unit are  
22 conversions of older producing wells, some of which were  
23 drilled in the 1930s. The other injection wells were  
24 drilled in the 1980s specifically for the purpose of  
25 injection."

1                   And then in G, it says: "Due to corrosion  
2   and wear on the casing in these old wells, it is often  
3   necessary, when resetting the packer, to move uphole in  
4   order to secure a reliable packer" --

5           A.    Yes, ma'am.

6           Q.    I think that's the other half of the story, as  
7   Paul Harvey would say.

8                   And those are all the questions I have for  
9   you.

10           COMMISSIONER BAILEY:  Do you have any  
11   redirect?

12           MR. FELDEWERT:  I do not, Madam Chair.  And  
13   on your last point, we do have a witness who is going to  
14   talk about the reasons for seeking this particular  
15   change, and, if I'm thinking right, he's our next  
16   witness.

17           COMMISSIONER BAILEY:  Okay.

18                   Then you may be excused.

19           THE WITNESS:  Thank you, Commissioners.

20           MR. FELDEWERT:  We will call Jerad  
21   Brockman.

22                   And while he's going to the stand, we will  
23   be working off of OXY Exhibit 8 in the notebook.

24                   JERAD BROCKMAN,  
25           after having been first duly sworn under oath, was

1           questioned and testified as follows:

2                                 DIRECT EXAMINATION

3       BY MR. FELDEWERT:

4           Q.     Please state your name, by whom you are  
5       employed and in what capacity.

6           A.     My name is Jerad Brockman. I'm a production  
7       engineer. I work for OXY.

8           Q.     And have your employment responsibilities  
9       included both the North Hobbs Unit and the South Hobbs  
10      Unit?

11          A.     Yes. I've been a production engineer on the  
12      South Hobbs Unit since January of 2010, and a production  
13      engineer on the North Hobbs Unit, in addition to the  
14      South Hobbs Unit, since August of 2010.

15          Q.     As a result of your job responsibilities, have  
16      you been part of the current team to convert the South  
17      Hobbs Unit waterflood to a tertiary recovery project?

18          A.     Yes, I have.

19          Q.     What will be your responsibility at the South  
20      Hobbs Unit once this conversation is completed or as  
21      it's being done?

22          A.     I'm currently the project manager and plan to  
23      continue in that role.

24          Q.     What's your educational background? When did  
25      you get your degree, and what is it in?

1           A.    I have a bachelor's degree in chemical  
2    engineering from Louisiana State University in December  
3    of 2009.

4           Q.    And once you graduated in December of 2009, did  
5    you commence work for OXY at that point in time?

6           A.    Yes, I did.

7           Q.    As a production engineer?

8           A.    Yes.

9           Q.    Are you familiar with -- let me step back.  
10   Since your -- since the commencement of your employment  
11   with OXY as a production engineer, has that been in  
12   connection specifically with the South Hobbs Unit and  
13   the North Hobbs Unit?

14          A.    Yes, entirely so.

15          Q.    Are you familiar with -- and you've reviewed  
16   and you're familiar with OXY's application in this case?

17          A.    Yes, I am.

18               MR. FELDEWERT:  I would tender Mr. Brockman  
19   as an expert witness in oil and gas production, as an  
20   engineer.

21               MS. GERHOLT:  No objection.

22               COMMISSIONER BAILEY:  He is admitted.

23          Q.    (BY MR. FELDEWERT) Mr. Brockman, did you  
24   prepare a series of slides to assist in your  
25   presentation today?

1 A. Yes, I did.

2 Q. Have those slides been put together and  
3 comprise what has been marked as OXY Exhibit 8?

4 A. Yes, they do.

5 Q. And does that exhibit contain a total of 24  
6 pages?

7 A. Yes.

8 Q. What topics are you going to be talking about  
9 here today?

10 A. I'll go through the project, general overview,  
11 highlights of the project. That'll be most of my  
12 presentation. I'll also go through the GOR issue, what  
13 happens to GORs in CO2 floods. I'll talk about service  
14 injection pressures that we require and are asking for.  
15 I'll talk a little bit about the packer setting issues,  
16 and I'll talk a little bit about the downhole corrosion  
17 mitigation, which are kind of in connection with what  
18 the chief engineer testified to.

19 Q. Let's start with a general overview of the  
20 operations. Does slide one of OXY Exhibit 8 depict the  
21 boundaries with the current North Hobbs Unit and the  
22 current South Hobbs Unit project area?

23 A. Sure. So what this slide isis kind of in the  
24 right-hand corner of the Permian Basin. This dark black  
25 line is the state line between Texas and New Mexico.

1 This dot right here is the Hobbs field. This aerial is  
2 kind of blown up of that insert.

3 So the Hobbs reservoir is made up of two  
4 units that we've talked about, the North Hobbs Unit,  
5 which is here in black to the north, outlined in black,  
6 and then the South Hobbs Unit here outlined in red on  
7 the southern portion of the field. These unit maps  
8 are -- these unit outlines are overlaid on the street  
9 maps, and that's what all these yellow lines are. You  
10 can see that in parts of the North Hobbs Unit and in the  
11 South Hobbs Unit there is, you know, significant in-town  
12 development.

13 Q. Now, both of these units, do they operate in  
14 the same production zone?

15 A. Yes. Both these units are produced out of the  
16 Grayburg-San Andres formations.

17 Q. What is currently going on in the North Hobbs  
18 Unit?

19 A. If you'll click to the next slide, it will come  
20 up to be an outline of our total operations in Hobbs and  
21 what we're trying to do.

22 Q. Does this slide have some animation associated  
23 with it?

24 A. Yes, it does.

25 Q. So what are we starting with with respect to

1 the first animation?

2 A. Sure. So again, outlined in black is the North  
3 Hobbs Unit. I think they will be a little easier to see  
4 on your printouts, but the animations will come through.  
5 In green are the Hobbs city limits as they relate to  
6 both South Hobbs and North Hobbs. And, again, outlined  
7 in red is the South Hobbs Unit outline.

8 So if you'll click the slide.

9 Q. (Complies.)

10 A. One more time.

11 Q. (Complies.)

12 A. So currently in North Hobbs, we're undergoing  
13 both the CO2 flood and waterflood. All of our produced  
14 gas injection is to the northwest. It's outlined here  
15 in this red polygon.

16 If you click again.

17 Q. (Complies.)

18 A. We also have pure CO2 injection, and that  
19 extends closer to population centers and inside the city  
20 limits.

21 And if you'll click again.

22 Q. (Complies.)

23 A. Currently the rest of the field -- the rest of  
24 the North Hobbs Unit, all of South Hobbs is under  
25 waterflood. Now, our project here today that we're

1 talking about is expanding the South Hobbs Unit into the  
2 waterflood.

3 So if you'll click.

4 Q. (Complies.)

5 A. You see, when we go -- when we go to CO2  
6 flooding in South Hobbs, we're going to do the same  
7 concept that we did in North Hobbs. We're going to keep  
8 our produced gas injection outside the city limits.

9 So if you'll click.

10 Q. (Complies.)

11 A. That's shown here in red. When we go to a  
12 flood [sic], we produce gas injection outside the  
13 southern portion of the field.

14 Click again.

15 And these will be -- excuse me. Before we  
16 go on, these will be surface areas. Any surface  
17 location will have to be -- with produced gas injection  
18 will be located outside. And I'll talk a little more in  
19 detail, but we'll have some directional injectors that  
20 we target patterns underneath the city with produced  
21 gas, but their surface location will be pulled back away  
22 from everything.

23 So if you'll click again.

24 Q. (Complies.)

25 A. Any surface location injecting inside the city

1 limits will only inject pipeline CO2.

2 And then just for completeness sake, if  
3 you'll click again.

4 Q. (Complies.)

5 A. In the future, we plan to expand the CO2 flood  
6 throughout the rest of North Hobbs as well. But, again,  
7 today, we're just going to focus on the South Hobbs  
8 project.

9 Q. So your design, your projections, et cetera for  
10 the South Hobbs Unit is essentially what is going on  
11 with the North Hobbs Unit?

12 A. That's correct.

13 Q. Do we have some general highlights about the  
14 project --

15 A. Yes, we do.

16 Q. -- kind of a numbers overview?

17 A. Sure.

18 Q. If we go to -- start at slide number three.

19 A. Yeah. So I think Rick touched on this a little  
20 bit. This is a -- this is a big project. Capital  
21 investment is \$312 million. In addition to that  
22 \$312 million, we anticipate operating expenses of  
23 \$317 million in addition to the current waterflood  
24 operation expenses over the life of the flood. For all  
25 that money, we do expect to get 33.2 million barrels of

1 oil equivalent in additional recovery. To do this,  
2 we're going to be doing a lot of work, with 60  
3 workovers, 32 new drills, in a plan with a life of 40  
4 years.

5 Q. And then what are you showing in slide number  
6 four?

7 A. Slide number four kind of shows, you know, our  
8 current operation in South Hobbs today, and then where  
9 we will be at when we're fully up and running in regards  
10 to the flood in the future.

11 So currently, South Hobbs has an average  
12 reservoir pressure of about 1,200 psi. As we go in to  
13 the CO2 flood, we anticipate that reservoir pressure to  
14 rise to an average of 2,000 psi.

15 Currently, our producing well count is 69  
16 wells. As we go through this project, we're actually  
17 up-spacing. We're going from 40 acres to 80-acre  
18 spacing, so our producing well count and injection well  
19 count will both decrease. So currently, those are both  
20 at 69 wells apiece. We'll go down to 57 producing wells  
21 and 53 injection wells. In doing so, once we inject the  
22 CO2, again, we expect to get some oil for it. So our  
23 current production rate is about 1,100 barrels per day.  
24 We expect peak production to get up to 6,500 barrels of  
25 oil per day. And then our H2S concentrations, again, we

1 expect these to fall from four percent to around 1.1  
2 percent.

3 Q. Let me ask you about the reservoir pressure,  
4 that projected rate in the second column on slide four.  
5 Is that what you -- is that what will provide the  
6 miscibility pressure that was previously discussed? Is  
7 that what you anticipate?

8 A. It'll be above -- that will ensure that we're  
9 above miscibility pressure throughout the entire  
10 reservoir, that is correct.

11 Q. And is it true that -- that number that you  
12 showed, is that what you anticipate the average  
13 reservoir pressure over the life of this flood tertiary  
14 recovery project?

15 A. That's correct.

16 Q. So previously you had a 40-year cycle. This is  
17 what you anticipate, a fairly constant pressure rate  
18 over that period of time?

19 A. That's correct.

20 Q. Then does the next slide give some of the  
21 objectives that you had in mind when you were working on  
22 this project in locating the facilities?

23 A. Yes, it does.

24 Q. Okay.

25 A. So I'll run through these. When we designed

1 the South Hobbs Unit to be a project, we had three main  
2 objections -- or three main objectives. And the first  
3 one was, we were going to reinject all our produced gas  
4 and water for enhanced oil recovery. CO2 and produced  
5 gas is very expensive, and there is a lot of benefit  
6 from it, so we wanted to use it as many times as we  
7 possibly can.

8 Also -- I think it's been touched on  
9 before -- no produced gas injection inside the city  
10 limits. And then, also, we're going to reduce our  
11 operational exposure inside the city limits. Two ways  
12 we plan to do this. One, we're going to have  
13 directional injectors from remote multiwell pads outside  
14 the city limits targeting reservoir volumes underneath  
15 the city, and then also we're going to increase our well  
16 spacing from 40 to 80 acres.

17 Q. And starting with this last point, do you have  
18 some slides that will show the Commission how this is  
19 going to be accomplished?

20 A. I do.

21 Q. So turn, then, and start with slide number six.  
22 What does that depict?

23 A. Sure. So slide six right now is the current  
24 South Hobbs Unit active wells in our 40-acre waterflood.  
25 So, again, I'll walk through this slide. These blue

1 outlines for reference, each one of those boxes is a  
2 section. The South Hobbs Unit is outlined in red,  
3 towards the southern half, with North Hobbs above it.  
4 Each one of these smaller black squares, if you will,  
5 are our 40-acre waterflood patterns. They're injector  
6 centered patterns, so they have a blue injector in the  
7 middle, and then green producers are located to the  
8 outside.

9 Q. Now, you said that this was a 40-acre pattern.  
10 Is this similar to the five-spot pattern that was  
11 previously discussed?

12 A. Yes, it is.

13 Q. And now you are going to make some changes,  
14 correct?

15 A. That is correct.

16 Q. Does the next slide get us towards those  
17 changes?

18 A. Yeah. The next couple of slides I'll walk  
19 through those.

20 Q. Okay. Move to slide seven.

21 A. So this is the same map -- they're not the same  
22 map but a similar map. Again, South Hobbs is outlined  
23 in red, and then I've added the approximate city  
24 limits -- here is the city limits of Hobbs as they  
25 relate to the South Hobbs Unit, shown in this dark blue.

1 Again, you can't really see the colors, but green are  
2 active producers. Blue are the active water injectors,  
3 and then gray are any inactive wells, be it temporarily  
4 abandoned or permanently abandoned.

5 I mentioned that as we go from 40-acre to  
6 80-acre, our well count is going to go down, and so  
7 we're also going to be having a significant amount of  
8 drilling.

9 So if you'll click the slide, you'll see  
10 that we plan to temporarily abandon some of these wells.

11 Q. Now, the wells that you show on here were part  
12 of the overall waterflood that's been going on for the  
13 last 40 years; is that right?

14 A. That's correct.

15 Q. So with the second animation on slide seven,  
16 what are you going to be doing?

17 A. So as we go forward from 40-acre to 80-acre,  
18 we'll be temporarily abandoning a large amount of wells.

19 So if you'll click again, it will depict  
20 those wells. You'll see that the number of wells --  
21 you'll see that a lot of these wells are located inside  
22 the city limits. And so, again, it's one of our  
23 objectives to have less operational exposure inside the  
24 city. We plan to have less active wells, active flow  
25 lines in this area.

1 Q. So actually you'll be reducing both inside and  
2 outside the city the number of active wells to get to  
3 your 80-acre pattern?

4 A. That's correct.

5 Q. One of the questions that was asked by the  
6 Commissioners is: How many patterns in the CO2 project  
7 do you anticipate?

8 A. There will be 53 patterns in this project.

9 Q. And how many patterns were previously in the  
10 waterflood project; do you know?

11 A. 69. Let me rephrase that. There are 69 active  
12 patterns. I don't know what the peak pattern was when  
13 this thing was up and running. I don't know off the top  
14 of my head.

15 Q. Okay. But are those numbers -- actually, as I  
16 think about this, those numbers are reflected in slide  
17 four that we previously went through.

18 A. That's correct.

19 Q. The injection well count?

20 A. That's correct.

21 Q. That would dictate essentially how many  
22 patterns you have?

23 A. That's right.

24 Q. Anything else about this slide?

25 A. That's it.

1 Q. Let's move to what's been marked as slide eight  
2 in Exhibit 8. Is this the same starting point as the  
3 prior slide?

4 A. Yes, it is.

5 Q. And then what are we going to show on this  
6 particular slide?

7 A. Sure. This slide has quite a bit of animation,  
8 so we'll have to walk through it. But, basically, this  
9 will show, when it's all said and done, what our 80-acre  
10 pattern is going to -- what our 80-acre CO2 flood is  
11 going to look like both inside and outside the city.

12 So if you'll click.

13 Q. (Complies.)

14 A. Going forward, each one of these green dots  
15 will be a corner of one of the patterns. These will be  
16 all of our CO2 flood producers in the South Hobbs CO2  
17 project.

18 Go ahead and click again.

19 Q. (Complies.)

20 A. Inside the city limits, we'll have these  
21 vertical pipeline CO2 injectors. As we start this  
22 project, we'll start with these patterns first. We'll  
23 start injecting pipeline CO2 into them. As this gas is  
24 produced back, we're going to need to inject it.

25 So go ahead and click again.

1 Q. Now, wait a minute. You're talking now about  
2 the orange triangles?

3 A. That's correct.

4 Q. I'm clicking, and we're adding some black  
5 squares.

6 A. And click one more time.

7 Q. Okay.

8 A. So each one of these black squares located  
9 outside the city is a remote multiwell pad. And off of  
10 these pads, you'll see that there is anywhere from three  
11 to five arrows. And each one of these arrows is going  
12 to represent a directional produced gas injector. So  
13 what this allows us to do is, from this one pad located  
14 outside the city, we can target these four patterns just  
15 north of it with produced gas. This allows us to use  
16 this produced -- this CO2 that we buy, we can recycle it  
17 and use it, this produced gas, over and over again,  
18 because we have more patterns to use it.

19 And so, again, as -- as these new patterns  
20 start to produce this gas, we're going to need -- we'll  
21 also have some vertical produced gas injectors.

22 So click again.

23 Q. Let me stop you right here. This injection  
24 pattern shown on here using directional wells --  
25 directional drills, is that -- is that something you

1     need for the South Hobbs Unit? Are you doing that  
2     currently in the North Hobbs Unit?

3           A.    No. This is a -- this is a different -- this  
4     is the difference between the North Hobbs and South  
5     Hobbs projects. Currently, in North Hobbs, we do not  
6     utilize this directional drilling concept.

7           Q.    Now, how much -- how many arrows are on --  
8     there's a number of arrows shown by these black blocks.  
9     How many are there?

10          A.    There's 17.

11          Q.    How much additional cost is associated with  
12     adding the directional well component for each well?

13          A.    They're about a million dollars apiece.

14          Q.    So if my math is right, the investment in all  
15     of these directional wells is about 17 million?

16          A.    That's correct.

17          Q.    And this will then assist you in getting your  
18     five-well pattern within the city limits?

19          A.    That's correct.

20          Q.    If I click, what am on here?

21          A.    So this will be the completion of the project.  
22     These are produced gas injectors, these red triangles.  
23     And, again, these will be vertical wells located outside  
24     of the city.

25                         So if you click one more time, it'll be the

1 same there. Go ahead and click, and I'll talk to it.

2 Q. (Complies.)

3 A. So this is the same map as shown before, but  
4 I've added the pattern outlines to clean it up a little  
5 bit. So you can see that, when we're all said and done,  
6 we'll have, you know, 80-acre patterns with CO2  
7 injectors with produced gas injectors. The bottom-hole  
8 location is located in the middle of them.

9 Q. And this is depicted on slide nine?

10 A. That's correct.

11 Q. And this pattern that we've talked about,  
12 Mr. Brockman, is this going -- I think you mentioned,  
13 this is going to allow you to reuse the injectors that  
14 you put into the ground?

15 A. That's correct. All the -- all the produced  
16 gas will be recycled, recompressed, dehydrated and  
17 reinjected into these produced gas injectors shown on  
18 the map.

19 Q. And do you believe that this also will have a  
20 benefit in the confinement of the injectors?

21 A. Yes, it will.

22 Q. So it will assist in maintaining those  
23 injectates within that 80-acre pattern?

24 A. That's correct. We -- we -- we inject that CO2  
25 or produced gas, whichever one it is; we just basically

1 produce it back, so we can use it again. So we'll be  
2 confined within this --

3 Q. We've discussed the wells. Shall we now move  
4 to the surface facilities?

5 A. Sure.

6 Q. Is that depicted on what is marked as slide  
7 ten?

8 A. Correct.

9 Q. Why don't you walk us through this -- I guess  
10 what amounts to a flow diagram.

11 A. Sure. I'll start with the -- what this slide  
12 is, it's just a simplified diagram of all the surface  
13 facilities that we plan to install as part of this  
14 project. I'll start in the top, left corner with the  
15 producing wells and kind of wiggle my way through it  
16 until I get to the end of oil sales and then the  
17 reinjections and injection wells.

18 So, again, we'll have our producing well  
19 located -- which is represented by the green dot in the  
20 top left. It'll produce both oil, water and gas.  
21 That'll be transferred by a new pipeline to our  
22 production satellite. At this new production satellite  
23 we'll be installing, all the produced gas will be  
24 separated and sent to the reinjection compression  
25 facility, and all the oil and water will be sent to the

1 tank battery.

2 At the reinjection compression facility,  
3 all the produced gas will be dehydrated, recompressed  
4 back to injection pressures, and then shipped to the  
5 injection satellites, where it will be combined with  
6 either produced water or additional CO2 from pipelines,  
7 and then sent to each of the injection wells by a new  
8 injection line.

9 At the tank battery, you'll get your oil  
10 and water. Again, the water will be separated and sent  
11 to your injection satellites, and then the oil will be  
12 sent to sales.

13 Q. Now, are a lot of these facilities new  
14 facilities for the area?

15 A. Yes. The -- as part of this, all the  
16 satellites -- there will be four new satellites,  
17 production satellites; four new injection satellites;  
18 one new reinjection compression facility; and we're  
19 going to upgrade our existing central tank battery.

20 Q. And for the record and people like myself, when  
21 you talk about satellites, you're talking about a  
22 battery or location, correct?

23 A. That's right. It's basically just a gathering  
24 system for -- many wells feed into it, and then we can  
25 just -- it's a multiwell separation facility, I guess is

1 the way to put it.

2 Q. And you're going to have four new facilities  
3 like that for production and four new facilities,  
4 injection satellites, as you call them, for injection?

5 A. That's correct. They're actually two separate  
6 systems that would actually be located in the same  
7 surface location.

8 Q. If you turn in the notebook to what's been  
9 marked as Exhibit 10 -- so keep your finger here and  
10 flip over to Exhibit 10. Exhibit 10 has a cover picture  
11 on it, the first slide. When you're talking about  
12 satellites, each individual satellite, is that an  
13 accurate depiction of what you're talking about?

14 A. Yeah. So what's shown on this picture in  
15 Exhibit 10 is both an injection satellite and a  
16 production satellite. Where it says "Injection Header,"  
17 off to the left, that's the injection side, and then the  
18 production header and the associated separators that you  
19 see, that's the production satellite. So, again, we'll  
20 have four of these, and there will be a combination of  
21 both a new production satellite and injection satellite.

22 Q. So this picture here that we see, the first  
23 page of Exhibit 10, is actually a picture of an  
24 existing -- one of the existing satellites of the North  
25 Hobbs Unit?

1           A.    That's correct.

2           Q.    Now, the four that you are going to be  
3   developing for the South Hobbs Unit, where will they be  
4   located?

5           A.    They'll be located outside the city limits.

6           Q.    Now, in addition to these four satellites,  
7   you're going to have -- is it going to be one  
8   reinjection compression facility?

9           A.    That's correct.

10          Q.    Where is that going to be located?

11          A.    It'll be located on OXY M [sic] property  
12   outside the city limits.

13          Q.    And do you have a facility like this in the  
14   North Hobbs Unit?

15          A.    Yes, we do.

16          Q.    And in the absence of that facility, what would  
17   you have to do with the gas?

18          A.    Without the reinjection compression facility,  
19   the gas would not be fit for EOR. It would be too  
20   overpressured, so it would have to be vented, flared,  
21   disposed of in some fashion. It cannot be recycled and  
22   used again.

23          Q.    So that's the facility that is important to the  
24   recycling of the produced gas?

25          A.    That's correct.

1           Q.    Now that we have an understanding, let's go to  
2   the next slide of Exhibit 8, which is slide 11.  And  
3   let's talk about the timeline that's associated with all  
4   of this facility development effort.

5           A.    Sure.  So what's shown in this slide is  
6   basically a key milestone start date as far as this  
7   project.  And we intended it to kind of get a feel for  
8   how much work is about to go on and how long it's going  
9   to take to do all this work.

10                So currently, we started our detailed  
11   design engineering of all of our facilities in March of  
12   2013.  Beginning in July, we'll start all of our major  
13   procurement for the field and the RCF.  We plan to start  
14   construction on the RCF in January -- there on the field  
15   in January.  Excuse me.  We'll start construction on the  
16   RCF in June.  You know, it's a lot of stuff to build.  
17   We're planning to have the field, which would be the  
18   satellites and tank battery and the flow lines up and  
19   ready to go in May.  Once that's ready to go, we'll go  
20   ahead and start our well workovers and our drilling.

21                If we stay on schedule, we anticipate the  
22   first CO2 injection in September of 2015.  We'll inject  
23   that CO2 in our first wells.  It will take it some while  
24   to break through and permeate through the reservoir.  We  
25   expect to see our first gas response sometime between

1 January and February, so we'll have our RCF commissioned  
2 in January of 2016. And we expect to have enough gas  
3 broken through to start it up in February of 2016.

4 Q. So you can actually start your injection before  
5 you have your compression facility up and running --

6 A. That's correct. I mean, these wells are  
7 80-acre -- 80-acre spacing. It takes awhile for the CO2  
8 to be injected into the injector and make it all the way  
9 to that corner producer.

10 Q. To complete this subject, now move to slide 12  
11 of Exhibit Number 8. We've talked about the timeline.  
12 Let's talk about the capital expenditure. What does  
13 this show us, slide 12?

14 A. Sure. If you'll click.

15 Q. I'm sorry.

16 A. No problem.

17 So this slide is just a capital expenditure  
18 profile of the project over the next, you know, almost  
19 ten years. So what's shown on the left axis is  
20 thousands of dollars per month that we're planning on  
21 spending. Shown on the right is the total cumulative  
22 capital spent. On the X-axis is the -- is the date.  
23 Obviously, we're here in May of 2013. This black line  
24 is the cumulative spending. It starts at zero, and, of  
25 course, peaks at about almost \$320 million, with 312 as

1 we stated earlier. These individual bars represent the  
2 monthly spent. And so the red bars are going to be the  
3 RCF. The green bars are going to be the surface  
4 facilities, which will be the satellites, the tank  
5 batteries, the flow lines. And then the blue will be  
6 the well working and drilling.

7 Q. You said RCF. That's the recompression  
8 facility?

9 A. Reinjection compression facilities.

10 Q. Reinjection. Okay.

11 And then you have your anticipated start  
12 date of injection of September 2015?

13 A. That's correct.

14 Q. Does this help to demonstrate why the company  
15 is seeking approval now and then also requesting that  
16 there be an exception to the one-year commencement of  
17 injection that may apply under the Division rule?

18 A. That's correct. If you -- if you look where we  
19 are right now, May of 2013, and you look on this  
20 expenditure profile, we're -- we're about to really ramp  
21 up our spending. And, you know, it's -- it would be  
22 nice, before we started ramping up all of our spending,  
23 if we knew that we would be able to inject and not have  
24 to go through this effort again. And so we'd like to  
25 get our approval to inject now, before we go through

1 significant investment.

2 Q. In fact, I would suspect your company is not  
3 going to go through a significant investment without the  
4 authority, correct?

5 A. I would assume so.

6 Q. Finally on this particular topic, we can move  
7 to slide 13, and I believe this was actually attached to  
8 our application. Once these facilities are in place and  
9 injection commences, is this what you hope to anticipate  
10 will happen over time in terms of the production  
11 forecast?

12 A. Click.

13 Q. (Complies.)

14 A. Yeah. Sure. So what this plot is is a very  
15 simple production plot. It's on semi-log scale. Time  
16 on the X-axis, and then amount on the Y. Blue is water  
17 production. Green is oil production, and red is gas  
18 production. You see the field started production back  
19 in the late '20s, early '30s. You know, it went on with  
20 primary production until about the mid-'70s. You can  
21 see the start of waterflooding. We reversed its oil  
22 decline. Really, you know, ramped up, got a good  
23 waterflood response.

24 In addition to oil response, you saw a  
25 large increase in water production, which was to be

1 expected. As you're pumping all this extra water in,  
2 you expect to see it back.

3 Here we are today in 2013. You can see  
4 we're again on a, you know, pretty good decline from  
5 our, you know, peak of about 8,000 barrels per day.  
6 We're expecting to start injection of -- in 9 of 2015,  
7 we expect our oil response to increase, again, similar  
8 to what we saw when we started water injection.

9 Also similar to when you [sic] started  
10 water injection, now that we're going to be injecting  
11 all this gas, we're expecting to see a big increase in  
12 overall gas production as part of the field.

13 Q. Then one aspect we haven't touched on is, what  
14 happens to the CO2 injection over time. Let's turn to  
15 slide 14.

16 A. Sure.

17 COMMISSIONER BAILEY: Is this a good place  
18 to stop for lunch?

19 MR. FELDEWERT: I was going to stop right  
20 after this slide, Madam Chair.

21 COMMISSIONER BAILEY: Okay.

22 Q. (BY MR. FELDEWERT) What is going to happen in  
23 terms of your actual CO2 injection if you need the CO2  
24 over the life span of this project?

25 A. Sure. So what this plot shows is on the -- on

1 the Y-axis is the overall gas injection MCF per day. On  
2 the X-axis, it's time. There are two curves shown here.  
3 One is the CO2 injection, and that's shown in red. And  
4 the blue curve is the produced gas injection. See, you  
5 can see that we start out at a pretty good rate of 45  
6 million cubic feet per day of CO2 injection, and over  
7 time, as we get less and less oil for that CO2 to  
8 inject, our CO2 injection drops off to eventually  
9 nothing, around 2,035.

10 But as we inject the CO2, we get quite a  
11 bit of produced gas back. And since we're going to be  
12 reusing all this produced gas for EOR -- our produced  
13 gas injection clients [sic] are nothing at the start.  
14 And as we see more and more response, turn on more  
15 patterns, our produced gas injection will climb, peaking  
16 around 75 million cubic feet per day and then declining  
17 as we inject less and less, as each one of these  
18 patterns goes to chase water injection.

19 Q. So under this slide, do you anticipate  
20 injection commencement 2015, about 20 years, you will no  
21 longer need to acquire new CO2 for the project to  
22 continue?

23 A. That's correct.

24 Q. And is that part of the economics that comes  
25 into play in analyzing and determining whether this

1 project is economically viable for the company?

2 A. That's correct. I mean, essentially, you keep  
3 buying CO2 until the oil that you get out for it is  
4 less, which even the oil that's produced from additional  
5 CO2 is less than the cost of the CO2 injecting.

6 Q. But you will continue to get benefit by  
7 reinjection of the produced gas in oil recovery as you  
8 move forward?

9 A. That's correct.

10 MR. FELDEWERT: Madam Chair, I'm about  
11 ready to go into a new topic, so this is a good time to  
12 break.

13 COMMISSIONER BAILEY: Okay. Why don't we  
14 break for lunch. Come back at 1:15 -- 1:20 would be  
15 fine.

16 (Lunch recess, 12:06 p.m. to 1:20 p.m.)

17 Q. (BY MR. FELDEWERT) Mr. Brockman, before we took  
18 a break, we were talking about the amount of  
19 expenditures you're looking at for this project over a  
20 number of years and the timeline associated with it. I  
21 just want to talk, you know, on the other side, briefly,  
22 about the risks. There was a question about the CO2  
23 project that was shut down. Are you familiar with that  
24 project?

25 A. Yes. It was the South Wasson Clearfork Unit.

1 Q. Can you tell us a little bit about that?

2 A. Yeah. Basically, they couldn't get the  
3 injection through. They could put the -- they couldn't  
4 get enough CO2 into the ground to see the response of  
5 the producers due to reservoir quality and essentially  
6 didn't make any money, and so it was discontinued.

7 Q. So these are risky ventures?

8 A. That's correct.

9 Q. We just finished up with the fact that over a  
10 period of time, you hope to be able to discontinue the  
11 CO2 injection.

12 The other aspect I want to turn to now is  
13 the gas-oil ratio issue. And can you just explain,  
14 using slide 15 of Exhibit 8, what happens to the gas-oil  
15 ratio in this kind of project over a period of time?

16 A. Sure. So this plot is the well test -- average  
17 well test for individual wells in the North Hobbs Unit  
18 currently. On the left is the gas-oil ratio in standard  
19 cubic feet per barrel, and then on the X-axis, it's just  
20 the well numbers that are plotted. And these wells are  
21 plotted in order of increasing a gas-oil ratio, from the  
22 left to the right.

23 You can see that while some -- while some  
24 wells have very low gas-oil ratios, 2,000, certainly  
25 less than 10,000, eventually you get in this range where

1 we have several wells and good wells that have gas-oil  
2 ratios approaching at the 50-, 60-, 75,000 standard  
3 cubic feet per barrel.

4 Q. Now, this is actual data on the North Hobbs  
5 Unit?

6 A. That is correct.

7 Q. And if we go to slide 16, is this, again, the  
8 historical actual data from the North Hobbs Unit about  
9 the gas-oil ratio?

10 A. Yes, it is.

11 Q. What does this show?

12 A. Sure. This is a semi-log plot, the entire  
13 North Hobbs Unit gas-oil ratio historically through  
14 time. The mid-'80s, I believe it starts. So, again, on  
15 the Y-axis, on the left, I have standard cubic foot per  
16 barrel. It begins the semi-log scale, so each one of  
17 these -- this would be -- this would be 10,000, and this  
18 would be 100,000, this line right -- I'm sorry. This  
19 would be 1,000, and this would be 10,000. Excuse me.

20 And so basically you can see that as this  
21 is waterflooded throughout the '80s, this gas-oil ratio  
22 stayed pretty constant. And then as the CO2 flood  
23 started, in 2003, the gas-oil ratio increased. So where  
24 we are today, a field watt gas-oil ratio is  
25 approximately 13,000 standard cubic foot per barrel.

1 Q. Now, did you take this information and create a  
2 similar graph of what you project for the South Hobbs  
3 Unit?

4 A. Yes, I did.

5 Q. Let's turn to what's been marked as slide 17 of  
6 Exhibit 8.

7 A. This is a very similar plot to the one just  
8 shown. Again, it's a semi-log plot with the gas-oil  
9 ratio on the left and standard cubic foot per barrel,  
10 and then time on the X-axis. And you can see that  
11 throughout South Hobbs -- this is zoomed in a little  
12 more than the last one, but, essentially, the gas-oil  
13 ratio has been fairly constant in the mid-'80s. When we  
14 go to CO2 flood starting in September 2015, we expect  
15 that gas-oil ratio to increase, and it will continue to  
16 increase throughout the life of the flood.

17 Q. In your opinion, Mr. Brockman, is the gas-oil  
18 ratio limitation necessary to protect correlative rights  
19 in an EOR project?

20 A. No, it is not.

21 Q. In your opinion and based on your experience,  
22 will a -- could a GOR limitation negatively impact the  
23 efficiency and effectiveness of an EOR project?

24 A. Yes, it would.

25 Q. And thereby potentially lead to waste?

1 A. Yes.

2 Q. Let me then turn to the next topic, and that is  
3 surface injection pressures. Did OXY conduct some  
4 step-rate tests in 2008 in the South Hobbs Unit to  
5 determine the appropriate surface injection pressures  
6 for water?

7 A. Yes.

8 Q. And did this result in -- did those step-rate  
9 tests result in an increase in improved injection  
10 pressure for water in 2008?

11 A. Yes, they did.

12 Q. And that was the order that I think we've  
13 already looked at that's been marked as OXY Exhibit  
14 Number 6? I'm sorry. OXY Exhibit Number -- yeah, OXY  
15 Exhibit Number 6?

16 A. Yes, it is.

17 Q. If I look at the first page of that exhibit, it  
18 references step-rate tests. Is that what -- is that  
19 what you discussed here?

20 A. Yes.

21 Q. If I turn to slide 18 of OXY Exhibit Number 8,  
22 does this identify the wells in the South Hobbs Unit  
23 that were subject to that 2008 step-rate test?

24 A. Yes. They're depicted in the large red circles  
25 on this map.

1 Q. If I go to slide 19 of OXY Exhibit Number 8,  
2 does that provide the data that was obtained?

3 A. Yes, it does. This slide was actually one of  
4 the exhibits from OXY Exhibit Number 6 back in 2008, and  
5 this is a plot showing all the step-rate tests that were  
6 conducted and the average surface parting pressure of  
7 1,277 psi.

8 Q. Now, you said this was one of the exhibits that  
9 was submitted as part of the request for the approval  
10 that was obtained in 2009 [sic]?

11 A. Yes.

12 Q. When I looked at that order, it referenced --  
13 it referenced eight wells, and I see nine dots on here.  
14 Do you have any understanding as to what happened there?

15 A. Yeah. This outlier at 700 pounds was not  
16 included in the analysis.

17 Q. So what did this reflect in terms of the  
18 average parting pressure?

19 A. The average surface injection parting pressure?

20 Q. Yes.

21 A. 1,277 psi.

22 Q. And what was approved, then, was 1,100 psi?

23 A. As a surface injection on [sic] water, yes.

24 Q. So that was -- those wells were below the  
25 parting pressure?

1 A. Yes.

2 Q. Now, did you undertake an effort to use the  
3 same analysis -- or, essentially, to convert that  
4 approved 1,100 psi for water to what the equivalent  
5 would be for both CO2 and then produced gases?

6 A. Yes, I did.

7 Q. And if we turn to what's been marked as OXY --  
8 or slide 19 of OXY Exhibit 8, does that contain the  
9 analysis?

10 A. Yes, it does.

11 Q. Why don't you walk us through it, please?

12 A. Okay. I'll kind of walk through this table  
13 fairly slowly and try and convey what I'm trying to get  
14 to.

15 So in the left column is the various  
16 injectates that we plan to inject as part of the South  
17 Hobbs CO2 flood project, both water, CO2 and produced  
18 gas. The second column is the surface parting pressure  
19 with water that was demonstrated with the 2008 step-rate  
20 test; 1,277 psi for all three of them.

21 Now, because CO2 and produced gas have a  
22 lower density than water, to obtain the same bottom-hole  
23 pressure, we need a higher -- we need to adjust for the  
24 difference in the hydrostatic column. And so the second  
25 column -- or the third column -- excuse me -- attempts

1 to account for the differences in density. So the  
2 hydrostatic column of water is given a zero adjustment.  
3 The one with CO2 is given 390 pounds, and this accounts  
4 that that column of CO2 weighs 390 pounds less than a  
5 column of water. The same thing for produced gas. A  
6 column of produced gas will weigh 900 pounds less than a  
7 column of water.

8 This is -- basically, the CO2 -- the reason  
9 why the produced gas is higher than the CO2 is just the  
10 gas concentration. The methane and the ethane are  
11 lighter than CO2, and so it lightens it up just a little  
12 bit more. So we need a little bit higher pressure for  
13 produced gas.

14 And so if you add the first two columns  
15 together, the surface parting pressure and the  
16 hydrostatic adjustment -- hydrostatic pressure  
17 adjustment, we're getting what we call an adjusted  
18 surface parting pressure for each injectate. So, again,  
19 1,277 for water, 1,667 for CO2, and then 2,177 for  
20 produced gas.

21 However, to ensure that we -- we want to be  
22 below our parting pressure, so we could walk back,  
23 request surface pressure limits for each injectate  
24 asked -- that were asked for in the application, 1,100  
25 psi for water, 1,250 for CO2 and 1,750 for produced gas.

1 Q. Mr. Brockman, are these requested surface  
2 pressure limits necessary to attain the miscibility that  
3 is needed to make this project successful?

4 A. Yes.

5 Q. And in your opinion, will the adoption of these  
6 surface pressure limits pose an unreasonable risk to the  
7 public or the environment?

8 A. No, they will not.

9 Q. How does OXY intend to monitor and control  
10 these pressure limitations?

11 A. Sure. So on the --

12 Q. Next slide?

13 A. Yes, please.

14 Q. So slide 21.

15 A. Sure. So what this slide is is a schematic of  
16 our injection well location. And so here is your  
17 injection well. Here's your injection line right at the  
18 wellhead. It goes below grade right -- for about  
19 100-feet allocation, and then it pops back up above  
20 grade at the edge of location. At the edge of location,  
21 we're going to have a pressure and temperature  
22 transmitter that will record our injection pressures,  
23 rates and temperatures in realtime. It'll transmit that  
24 data back by a fiberoptic cable to choke our injection  
25 manifold that will control our rate and pressure to make

1     sure we stay below the parting pressures.

2           Q.     So this is realtime monitoring?

3           A.     Yes.

4           Q.     With controls in the event that parameters are  
5     not met?

6           A.     That's correct.

7           Q.     Is this the configuration that you're going to  
8     have on all of your injection wells at the South Hobbs  
9     Unit?

10          A.     Yes.

11          Q.     In addition to this, will the company itself be  
12     monitoring reservoir pressures as part of the overall  
13     EOR project in South Hobbs?

14          A.     Yes. Part of our reservoir management is for  
15     us to know our reservoir pressure at all times.

16          Q.     How are you -- how will OXY monitor the  
17     reservoir pressure?

18          A.     We'll keep track of our reservoir pressure in a  
19     number of different ways. The first and most basic way  
20     is the injection-withdrawal ratio, which is the amount  
21     of fluids you're injecting into each injector divided by  
22     the amount of fluids that are produced by each of your  
23     producers. We want that number to be approximately one,  
24     which would be that the reservoir -- they're no voidage  
25     in the reservoir, and our reservoir pressure is

1 constant.

2 Other ways that we'll monitor our reservoir  
3 pressure is, we'll do a periodic dip into our injectors  
4 once every year. And so we'll shut in injection, let  
5 the well stabilize for a day, and go on and actually  
6 measure the pressure.

7 Also, on our producing wells, we'll have --  
8 most of them are electric submersible pumps which will  
9 have downhole pressure gauges. And so whenever one of  
10 those pumps goes off and we start to build up a fluid  
11 column, we'll monitor that pressure, so we know what our  
12 pressure is throughout the entire reservoir.

13 Q. Let me ask you: In your opinion, should a  
14 regulatory body be as concerned about starting and  
15 ending reservoir pressures in an EOR project as perhaps  
16 they may be for disposal wells?

17 A. No.

18 Q. And why is that?

19 A. Well, we want to keep it constant. We don't  
20 want to pull out what we -- what we inject, and so we  
21 shouldn't have this large just buildup over time of  
22 pressure. We should just -- whatever we put in, we're  
23 trying to take out.

24 Q. And where do you try to keep your pressure at?

25 A. We try and keep it above the minimum

1 miscibility.

2 Q. Do you go way above the miscibility pressure,  
3 or how far do you go?

4 A. Not very far. We want to keep it, you know, a  
5 couple hundred pounds above miscibility pressure. And  
6 the reason why is, your reservoir pressure is rising a  
7 lot. You're injecting a lot more CO2 or produced gas  
8 than you're pulling out, so you're wasting a lot of  
9 money on unnecessary injectables.

10 Q. I now want to turn to the packer setting issue  
11 that Mr. Foppiano touched on earlier. And during that  
12 discussion, there was a reference to the order that has  
13 been entered, and it's been referenced on slide 22 of  
14 Exhibit 8. Have you actually reviewed that order?

15 A. Yes, I have.

16 Q. That order references the fact that there  
17 are -- well, let me step back first.

18 Is the language that we see towards the  
19 middle of this slide -- and I'll quote it: "So long as  
20 the packer set point remains within the Unitized  
21 Formation, as defined in the Unit Agreement, or as the  
22 same may be subsequently modified." Is that the  
23 language OXY seeks to have added to Rule 10 that is  
24 currently governing its South Hobbs project?

25 A. Yes.

1           Q.    In your opinion, do you need that flexibility  
2   to provide a good seal for the packers that you are  
3   dealing with out there in the South Hobbs Unit?

4           A.    Yes, we do.

5           Q.    Why is that?

6           A.    Similar to this order -- you know, a lot of our  
7   injection wells were drilled in the 1930s or the 1980s,  
8   more towards the '80s than the '30s. And, you know,  
9   each time that packer is set, the slips dig into your  
10  casing just a little bit, and it becomes very difficult  
11  to get a good packer seat and for the rubber to swell  
12  and seal on that casing each and every time. And so  
13  each time a packer is pulled, it's common practice to  
14  set it just a little bit higher up the hole.

15                   And so if you're constrained within 100  
16  foot or close as practically possible of your top  
17  perforation, eventually you're going to run out of room  
18  in these wellbores, because, you know, even that casing,  
19  you have just one seat set at a time. And so we'd like  
20  to go all the way up to the top of our unitized interval  
21  to give us just a little bit more flexibility.

22           Q.    But only as needed, correct?

23           A.    Yes, only as needed.

24           Q.    Now, the order that is referenced here in slide  
25  22 also discussed the geology that resulted in the

1 approval of this change. Do we have a similar geologic  
2 circumstance in the South Hobbs Unit?

3 A. Yes, we do.

4 MR. FELDEWERT: And I'll preface that by  
5 the fact that we are going to have a geologist follow  
6 his testimony.

7 Q. (BY MR. FELDEWERT) But have you actually looked  
8 at the geologic type logs for this area?

9 A. Yes, I have.

10 Q. And based on your education and background, are  
11 you able to read and interpret these type logs?

12 A. Yes.

13 Q. If I turn to what's been marked as OXY 23,  
14 would you explain to us what this exhibit is?

15 A. Sure. These are two type logs in the Hobbs  
16 field. One is from the North Hobbs Unit well. One is  
17 from the South Hobbs Unit injector. To the North Hobbs  
18 Unit well, on the left, is actually the marker that the  
19 top of the unit is defined by. And so I'll just walk  
20 through this type log on the right from top to bottom.

21 So this red line is the top of the unitized  
22 interval. Going down to this blue line below is the top  
23 of the San Andres. So in between the red and the blue  
24 is the Grayburg. Now, you know that the Grayburg is  
25 split into two different shades of color, one white and

1 one kind of a brownish color. The brownish color is  
2 historically productive, but the white is impermeable  
3 and has never been productive, and it's a seal for the  
4 reservoir.

5           Going farther down the type log, through  
6 the San Andres, that's predominantly where most of the  
7 production has come from and where our main flood target  
8 will be. And you can see that the type log porosity is  
9 on the right, and on the left is the gamma ray.

10       Q.    So do you see a similar seal in the reservoir  
11 that you're dealing with as was involved in the  
12 reservoir that led to the entry of Order R-5897-A that's  
13 reflected in slide 22?

14       A.    Yes.

15       Q.    And in your opinion, will the addition of the  
16 language that we have referenced out of this order  
17 provide -- continue to provide a reasonable level of  
18 protection to public health and the environment?

19       A.    Yes.

20       Q.    I wanted to address our last topic, Mr.  
21 Brockman, and that is corrosion mitigation. Now, first  
22 off, is it common to convert waterflood injection wells  
23 to produced gas injection wells when you are moving to  
24 an enhanced oil recovery project?

25       A.    Yes.

1 Q. Is that standard practice?

2 A. Yes.

3 Q. Does it almost always occur?

4 A. Yes.

5 Q. Will the same tubing and packers be used for  
6 the converted injection wells as you will use with any  
7 new-drilled injection wells?

8 A. Yes.

9 Q. Now, you've been involved with the North Hobbs  
10 Unit, correct?

11 A. Yes.

12 Q. Have you noticed any -- and the North Hobbs  
13 Unit has been operating as a CO2 injection area since  
14 2003?

15 A. Yes.

16 Q. And as here, did the company convert existing  
17 injection wells into -- existing waterflood injection  
18 wells into CO2 and produced gas injection wells?

19 A. Yes.

20 Q. And has there been any differences in the  
21 safety record between new injection wells and injection  
22 wells that were converted from waterflood injection to  
23 CO2 injection?

24 A. No.

25 Q. Now, going to what's been marked as slide 24,

1 would you please explain to the Division what material  
2 is going to be used both for your conversion of existing  
3 injection wells, as well as newly drilled injection  
4 wells?

5 A. Yes. On all of our injectors, be it new drills  
6 or conversions, all of them will be combined with NACE  
7 MR0175. All of our injection tubing will be fiberglass  
8 lined. Our packers will be nickel-plated carbon steel,  
9 and in the annulus between the tubing and casing, we  
10 will fill that with an inert packer fluid.

11 Q. Now, I want you to keep your finger on here.  
12 Okay? I want to go to what's been marked as OXY Exhibit  
13 11, and I want you to, if we could, just take a look at  
14 slide four. Okay? The first bullet point that you just  
15 referenced says it's going to be compliant with NACE  
16 MR0175. What is that? Is that a standard that is  
17 currently reflected in the rules that the Division has  
18 for governing equipment that may be exposed to hydrogen  
19 sulfite?

20 A. Yes.

21 Q. So you are going to meet that rule --

22 A. Yes.

23 Q. -- for all of your material downhole in your  
24 injection wells?

25 A. That's correct.

1 Q. In your opinion, will the steps that are  
2 reflected in what is slide 24 of OXY Exhibit Number 8  
3 provide a reasonable level of protection to the public  
4 health and the environment?

5 A. Yes.

6 Q. In your opinion, will the design and  
7 composition of the facilities in the South Hobbs Unit  
8 allow for the -- allow for the additional recovery of  
9 oil that may otherwise be wasted?

10 A. Yes.

11 Q. And in your opinion, will the design and  
12 composition of the facilities in the South Hobbs Unit  
13 provide a reasonable level of protection to the public  
14 health and the environment?

15 A. Yes.

16 Q. Were the slides that comprise OXY Exhibit  
17 Number 8 compiled by you or under your direction and  
18 supervision?

19 A. Yes.

20 MR. FELDEWERT: Madam Chair, at this point,  
21 I would move admission into evidence of OXY Exhibit  
22 Number 8.

23 COMMISSIONER BAILEY: Any objection?

24 MS. GERHOLT: No objection.

25 COMMISSIONER BAILEY: It is admitted.

1 (OXY Exhibit Number 8 was offered and  
2 admitted into evidence.)

3 MR. FELDEWERT: And that concludes my  
4 examination of this witness.

5 COMMISSIONER BAILEY: Do you have any  
6 cross-examination?

7 MS. GERHOLT: I do. One moment, please.

8 CROSS-EXAMINATION

9 BY MS. GERHOLT:

10 Q. Good afternoon, Mr. Brockman.

11 A. How's it going?

12 Q. Good. Thanks.

13 If I could draw your attention to slide  
14 four, the slide that has "current" reservoir pressure  
15 and "projected with CO2," in regards to the current  
16 reservoir pressure of 1,200 psi, where is that measured  
17 at? For instance, is that measured at the bottom hole  
18 of a producing well, or is it measured at the surface?

19 A. Yeah, it's measured at the bottom of our  
20 injector wells. As I described our process will be with  
21 the CO2 flood injectors, we'll take a periodic dip into  
22 them. We'll shut them in for injection, and then  
23 measure the bottom-hole pressure.

24 Q. And then in regards to the projected pressure  
25 of 2,000 with the CO2 flood, does that pressure present

1 any potential harm to the formation?

2 A. No.

3 Q. If I can now draw your attention to slide seven  
4 and specifically my question is about the temporarily  
5 abandoned wells. So these are wells that you're  
6 projecting to become temporarily abandoned, correct?

7 A. That's correct, as part of the project.

8 Q. And does OXY have any idea how long those wells  
9 would remain temporarily abandoned?

10 A. We're going to keep these wells for future  
11 development opportunities. As far as the time frame for  
12 those, I wouldn't know that off the top of my head, what  
13 that projected time frame would be.

14 Q. And would these temporarily abandoned wells  
15 have the -- and I'm probably not going to cite it quite  
16 correctly -- pressure monitoring devices on them?

17 A. Yes. These are the wells that Rick mentioned  
18 that we would equip with realtime pressure monitoring on  
19 the casing.

20 Q. Okay. And how, mechanically, would these wells  
21 be temporarily abandoned?

22 A. Sure. We would set a cast-iron bridge plug  
23 within 100 foot of the top perforation and cap it with  
24 35 foot of cement, as per the regulation.

25 Q. And do you know, on this realtime pressure

1 monitoring, would that data be collected and stored by  
2 OXY for a certain period of time?

3 A. Yes, it would.

4 Q. And would that information -- would it be  
5 possible for that information to be made available to  
6 the Division if the Division requested it?

7 A. Yes, it would.

8 Q. If I can now draw your attention to slide  
9 number nine and I believe on direct you were talking  
10 about the pattern, and that the pattern is designed to  
11 confine the injectates; is that correct?

12 A. That's correct.

13 Q. Does that confinement of the injectates assure  
14 that it will be confined into the permitted injection  
15 interval?

16 A. Yes.

17 Q. And now if I could direct your attention to  
18 slide 21, "Injection Pressure Control." So this will  
19 record in real time the pressures; is that correct?

20 A. That's correct.

21 Q. And that will assure OXY that they're staying  
22 at or below the permitted pressures?

23 A. Below the permitted pressures.

24 Q. Below the permitted pressures.

25 Slide 22. I think it's pretty clear I'm

1 not an engineer, so I'm trying to understand kind of the  
2 basics of this. My understanding is, typically when you  
3 set a packer within 100 feet from the uppermost perf and  
4 try to get it close to that uppermost perf, the  
5 regulatory body wants you to have it as close to that  
6 uppermost perf as possible; is that correct?

7 A. That's correct.

8 Q. And in this instance, OXY is requesting, like  
9 Conoco did, the ability to be beyond that 100 feet from  
10 the uppermost perf, correct?

11 A. Yes. We'd still like to be as close as  
12 possible at top perforation. It's because each time you  
13 move it up, you can't get back down below because of  
14 these setbacks that slipped and using that casing a  
15 little bit; you can't get your rubber seal. So we would  
16 still be as close to the perf as possible, but because  
17 these are older wellbores, we're running out of room in  
18 between that top perf and under -- so we just want the  
19 flexibility to be able to go higher and make it easier  
20 on operations.

21 Q. Okay. So that kind of helps.

22 Does that then mean that you might not  
23 immediately be 300 feet from the uppermost perf? You  
24 might work your way up to that, sort of, distance?

25 A. Correct. We'd like to work our way up there.

1 Q. Because when you set a packer, there is the  
2 potential that you won't be able to set below it again?

3 A. Right.

4 Q. If I can now direct your attention to slide 24.  
5 By implementing these downhole corrosion measures, would  
6 that potentially extend the life of an injection well?

7 A. Well, it would extend the life between -- if  
8 your -- if your -- if your packer isn't nickel-plated or  
9 if it's exposed to the high-pressure CO<sub>2</sub>, hydrogen  
10 sulfite and the produced gas, it will fail prematurely.  
11 You'll be pulling these wells over and over again. So  
12 not only will this, you know, be more protective to the  
13 public, having all the correct materials in place, but  
14 it will also extend the length of that material inside  
15 the wellbore, the service life, if you will.

16 Q. Because the fiberglass and the nickle are less  
17 reactive with H<sub>2</sub>S?

18 A. That's correct.

19 Q. And what sort of inert packer fluid does OXY  
20 intend on using?

21 A. I don't know the chemical makeup of it, of that  
22 fluid.

23 Q. And prior to insulation of the injection tubing  
24 will OXY be pressuring the casing from the surface to  
25 the packer setting depth to assure casing integrity?

1           A.    Once the packer is set -- I get confused on  
2    what the order is.  Sometimes they'll -- they'll drop a  
3    blanking plug and test the casing before they run the  
4    dual-line tubing.  Sometimes they'll run the tubing and  
5    then run another casing test.  But before any injection  
6    is started, we'll -- we'll test the back side, test the  
7    casing.

8           Q.    To make sure it has integrity?

9           A.    Yes.

10          Q.    And I did skip one slide, slide 18, in regards  
11   to the step-rate tests.

12          A.    Yes.

13          Q.    Those nine wells which were tested, do you know  
14   if OCD had any involvement in determining which wells to  
15   test or any approvals of the step rate?

16          A.    I do not know, if they were involved, which  
17   wells were selected.  I do not know that.

18          Q.    And then do you know if the -- so I've seen the  
19   order.  Presumably the results of those step rates were  
20   provided to the Division, and the Division reviewed  
21   those step rates.

22          A.    Yes.  In addition to the map of all the  
23   step-rate tests, the actual plots showing the parting  
24   pressure were included in the order -- or the  
25   application, whatever it was.

1 Q. I have no further questions. Thank you.

2 A. Thank you.

3 COMMISSIONER BAILEY: Commissioner Warnell?

4 CROSS-EXAMINATION

5 BY COMMISSIONER WARNELL:

6 Q. Good afternoon, Mr. Brockman.

7 In the South Wasson Clearfork Unit --

8 A. Yes.

9 Q. -- how long, do you know, did they try to  
10 inject in that before they --

11 A. I don't know how long they -- they gave it.

12 Q. Can you venture a guess?

13 A. I would not venture to guess.

14 Q. Okay. Thank you.

15 Dip-ins. I think they're slide 21. You  
16 had mentioned or testified that you would do dip-ins  
17 once a year for every injection?

18 A. As part of the reservoir surveillance, we try  
19 to get in once a year. That's our target, yes.

20 Q. And your line has a pressure bomb?

21 A. Yeah, on wireline.

22 Q. Wireline or slickline?

23 A. I believe it is on a wireline.

24 Q. Slide 23. One of the things that Ms. Gerholt  
25 referred to -- I didn't want to leave by itself because

1 it's one of my favorite subjects. In the depth trap --  
2 this is the well, the South Hobbs Unit, or either of the  
3 wells, I guess, those little scratches, are those  
4 perforations, or what are those in the depth trap? Do  
5 you see what I'm talking about?

6 A. These red ones at the bottom?

7 Q. No, the ones on the left- and right-hand side  
8 at the depth trap. That looks like casing collars or  
9 something. They're in real small print.

10 A. At the very bottom? I believe that's on the --  
11 I believe those are marking every ten feet.

12 Q. I don't think so. Do you have perforations on  
13 these logs?

14 A. Yes. They're shown in red on the outside of  
15 the green. So, for instance, on the co-op ten on the  
16 right, you see where the Lovington Sand is in yellow?  
17 There are two sets of perforations below that. One set  
18 of perforations in red in the middle of it --

19 Q. Oh, I see.

20 A. -- and then two perforations above that.

21 Q. So then in this particular example, the  
22 Grayburg is about 250 feet from top to bottom, more or  
23 less?

24 A. Yeah, more or less.

25 Q. And the same end -- what would you say the

1 interval from the top of the San Andres down to the  
2 bottom would be?

3 A. The bottom of the San Andres, I believe, in  
4 South Hobbs I believe around 52- or 5,300 feet. This  
5 track cuts off way above that. But the top of San  
6 Andres is usually around 4,000 feet.

7 Q. So it's a good 1,000-feet interval or  
8 something?

9 A. Yes.

10 Q. You were asked, I believe, about the inert  
11 packer fluid. Will there be anyone testifying today  
12 that will know what kind of inert material you're using?

13 A. I don't know if we have --

14 Q. In the annulus?

15 A. In the annulus?

16 Q. Yes. I'm sorry. In the annulus.

17 A. As to what the actual chemical is?

18 Q. Yeah.

19 A. I don't know if we do or not.

20 Q. As far as today or yesterday or in the past,  
21 what happens when you can't reset a packer within 100  
22 feet of that top perf?

23 A. Usually we have to go to the local OCD office,  
24 ask for an exception, and a lot of times that is sent to  
25 the Santa Fe OCD Office. And those are always granted.

1 We'll provide a type log, similar to this one, with some  
2 sort of description as to why we were unable to set it  
3 within 100 foot.

4 Q. And do you know of any incident where that's  
5 ever been denied?

6 A. No, I do not.

7 Q. That's all the questions I have. Thank you.

8 COMMISSIONER BAILEY: Commissioner Balch?

9 CROSS-EXAMINATION

10 BY COMMISSIONER BALCH:

11 Q. Good afternoon, Mr. Brockman. I keep asking  
12 about this packer fluid pattern.

13 A. Okay.

14 Q. Without knowing its exact constituents, do you  
15 know if it does include anything for corrosion  
16 inhibitors?

17 A. Oh, sure, it's got corrosion inhibitors. And I  
18 believe it's -- I hesitate to say that, but it does have  
19 corrosion inhibitors in it.

20 MR. FELDEWERT: If I may, Commissioners, I  
21 just got word that Mr. Scott Hodges is going to be  
22 testifying. Our next witness is a geologist, and then  
23 Mr. Hodges will be testifying. He can address the  
24 questions that both of you just raised.

25 Q. (BY COMMISSIONER BALCH) We have seen cases

1 where injectate has gotten in between and corroded  
2 through the pipe above the packers.

3 A. Okay.

4 Q. So those are -- so your produced water right  
5 now from your existing waterflood -- your produced gas  
6 from existing waterflood, you ship that off. What is  
7 the methane cut in that?

8 A. I don't know the exact cut.

9 Q. What is that approximate makeup? It's CO2 --  
10 you don't have CO2, but H2S; maybe a little CO2.

11 A. Yeah. A little CO2, a little H2S, and then a  
12 little methane, ethane, et cetera, but it's  
13 predominantly hydrocarbon gas.

14 Q. And you talked about trying to take off the  
15 liquids, right, the higher order?

16 A. We do not process the gas. All the produced  
17 gas goes through third-party processors.

18 Q. So with this project, you're going to instead  
19 take out the produced gas, maybe remove the heavy  
20 liquids from it and dehydrate it, compress it, put it  
21 back down into the reservoir?

22 A. That's correct.

23 Q. Unless they're a large difference in the weight  
24 of the CO2 and the produced gas, I'm thinking when  
25 you're talking about CO2 and H2S, you actually have a

1 component of methane, ethane --

2 A. It's the methane that lightens it up.

3 Q. On your slide two, just want to make sure I'm  
4 clear on what is being injected and where.

5 A. Okay.

6 MR. FELDEWERT: Is this the one with the  
7 animation?

8 THE WITNESS: Yes, it is.

9 COMMISSIONER BALCH: You can run the  
10 animation through.

11 MR. FELDEWERT: Tell me when to stop.

12 COMMISSIONER BALCH: All the way.

13 MR. FELDEWERT: (Complies.)

14 Q. (BY COMMISSIONER BALCH) So within the city  
15 limits of Hobbs, you're going to run some vertical  
16 injectors that will most always be pure CO2?

17 A. Or produced water.

18 Q. Or produced water.

19 A. Right.

20 Q. The areas in red, those are going to be  
21 vertical injectors that produce gas?

22 A. As well as the surface locations of the  
23 directional injectors that are targeting the reservoir  
24 under the --

25 Q. Next question on slide eight. Except for what

1 is going underneath with the directional wells?

2 A. Correct.

3 Q. When we were talking about slide eight, you  
4 mentioned that you might expect to see the first CO2  
5 from September to January or February, something like  
6 that?

7 A. That's correct.

8 Q. What do you anticipate for a full breakthrough?

9 A. For the full --

10 Q. How long do you think it's going to take to  
11 flow patterns where you're seeing 80 percent of the CO2  
12 come back out?

13 A. Eighty percent of the CO2 that we put in to  
14 come back out? That would probably be when the produced  
15 gas stream gets backed up. As far as the gas  
16 composition being 80 percent CO2, that would be very  
17 quickly, because the amount of gas that these individual  
18 wells make right now is very low, so it doesn't take a  
19 whole lot of CO2 breakthrough to dilute it to that  
20 80-percent mark.

21 Q. Okay. I guess that wasn't exactly my question.  
22 That wasn't the answer I was looking for.

23 From the beginning of injection, how long  
24 do you think you're going to be injecting with your  
25 primary pure CO2 source before you reach the point where

1 you're primarily injecting produced gas?

2 A. Oh, sure. If you go to -- slide 14 was  
3 intended to -- I'll kind of walk through that. And so  
4 I'll walk through this again, but, again, the red line  
5 would be the pure -- the pipeline CO2, and the blue line  
6 is the produced gas.

7 Q. This is fieldwide?

8 A. Right.

9 Q. For an individual pattern, the first pattern  
10 you put on?

11 A. So an individual pattern will be one or the  
12 other. It'll do produced gas or CO2.

13 Q. Not mixed?

14 A. Not mixed.

15 Q. So approximately how long do you think a  
16 pattern is going to be on pure CO2?

17 A. Sure. About 20 years.

18 Q. One pattern -- the initial pattern, initially  
19 it will be 20 years before it switches to produced gas?

20 A. The pure CO2 will not switch gears [sic]. The  
21 other 20 years will go to straight water injection.

22 Q. A vertical injector -- that's what you're  
23 talking about?

24 A. Right.

25 Q. I'm trying to get a handle on how long a

1 pattern s going to be active with --

2 A. Produced gas --

3 Q. CO2 and/or produced gas.

4 A. Right. So each pattern will probably go about  
5 20 years before we stop injecting either any produced  
6 gas or any CO2, and it goes to straight water injection.

7 Q. Thank you.

8 If you don't mind going to slide 23. Your  
9 main production is down there in the San Andres?

10 A. That's correct.

11 Q. Is that where all the primary and secondary  
12 productions come from, or are there other producing  
13 intervals that are active in some wells in this feed?

14 A. They've been some primary and secondary  
15 production on the Grayburg as well.

16 Q. On the Grayburg?

17 A. The lower half of the Grayburg that's shaded in  
18 brown.

19 Q. So your economics of 32-22 [sic] million  
20 additional barrels of oil, what is that taking into  
21 account?

22 A. Sure. That's taking into account portions of  
23 the San Andres where most of the production has come  
24 from. They're not a count for the Grayburg or all of  
25 the San Andres.

1 Q. Or potential ROZ or anything else?

2 A. Correct.

3 Q. There are things that could significantly  
4 extend the life of the project?

5 A. That's correct.

6 Q. Those are my questions. Thank you very much.

7 CROSS-EXAMINATION

8 BY COMMISSIONER BAILEY:

9 Q. Go to slide six. I notice all of the leaseline  
10 injectors up in the northeast quarter without producers.  
11 Is there an impact to the east from all of those CO2  
12 injectors?

13 A. So you're talking about these leaseline  
14 injectors in the northeast?

15 Q. Uh-huh.

16 A. Yes. There are North Hobbs producers there  
17 that aren't shown on this map. We would expect to see  
18 some benefit from -- the North Hobbs Unit would see some  
19 benefit from them, as would South Hobbs see some benefit  
20 from the North Hobbs injectors, which also are not shown  
21 on this map.

22 Q. On page 7, you show quite a few wells that will  
23 be temporarily abandoned?

24 A. That's correct.

25 Q. But this doesn't count the number of wells that

1 have already been temporarily abandoned in this area,  
2 does it?

3 A. It does not. They're shown on the small gray  
4 dots, but you can't really see them on here. Really,  
5 the slide is to focus on the wells that will be  
6 temporarily abandoned.

7 Q. So what is the number that are already TA'd,  
8 and what is the number of those you expect to TA, so I  
9 can have some idea of how long and how many --

10 A. Sure.

11 Q. -- wells will be in that category?

12 A. I do not know the current number of TA'd wells  
13 in the South Hobbs Unit, nor do I know how many of those  
14 we're going to return to production as far as this  
15 project. I do know that there are 82 wells in this  
16 project that we plan to temporary abandon.

17 Q. So you do have plans to reactivate some of the  
18 wells that have already been TA'd, at least one every 26  
19 years?

20 A. Yes. Wells that have been TA'd in the South  
21 Hobbs Unit, there are some wells we plan to reactivate,  
22 yes.

23 Q. What is the criteria for either plugging or  
24 reactivating the TA'd well?

25 A. A lot of it has to do with where is the well

1 located in configuration to our pattern scheme. For  
2 instance, when you go from 40-acre to 80-acre -- you've  
3 got 40-acre waterfloods and 80-acre CO2 floods. You've  
4 got two injectors now, and you're only going to need  
5 one. So one of those injectors we're going to TA for  
6 sure, depending on which one. And we'll look at  
7 wellbore condition, which ones have better cement  
8 circulated to the surface or higher cement tops, what we  
9 think our larger casing size is. So it's some  
10 combination of wellbore schematics and where they are in  
11 the field.

12 Q. Probably an equal number to the 18. So there  
13 would be like at least 150 TA'd wells both within the  
14 city limits and outside the city limits.

15 A. On this map, some of the inactive wells in gray  
16 are plugged and abandoned as well, so it's some  
17 combination of TAs and PAs.

18 Q. When do you make that decision to TA a well or  
19 leave it TA'd for such a long period of time?

20 A. I don't think we have a given set of guidelines  
21 as to when to plug and abandoned a well, as opposed to  
22 leaving it TA'd. Most likely when we see no future use  
23 for it.

24 Q. The arrows that are coming out of these  
25 directional produced gas injectors, are those laterals

1 off of a directional wellbore?

2 A. So each one of the arrows is an individual  
3 wellbore, and it won't be a lateral. It's more of a  
4 slant. And so these five slant wells -- so we'll go  
5 down for so far, and then we'll kick off directionally  
6 for our target bottom-hole location.

7 Q. Okay. But you have five arrows coming from one  
8 wellbore.

9 A. No. We have five arrows coming from one well  
10 pad. So on that pad, there will be five wellbores.

11 Q. Okay. That explains it. Thank you.

12 Page 10. Would you discuss the use of  
13 fresh water as part of your waterflood operation?

14 A. We do not have any fresh water.

15 Q. One-hundred percent produced water being used?

16 A. We have effluent water from the city and then  
17 produced water from the San Andres and Grayburg, but no  
18 freshwater wells.

19 Q. The gas for injection -- this is between you  
20 and the royalty owners, but I'm curious as to whether or  
21 not the royalty owners have voiced a problem with the  
22 rejection of the produced gas rather than save it [sic],  
23 as you're currently doing.

24 A. I wouldn't be able to answer that question. I  
25 haven't heard from royalty owners. We have another

1 witness who is going to do that.

2 Q. Who would that be?

3 A. Ms. Montgomery.

4 Q. Is OXY the owner or the operator of Bravo Dome  
5 these days?

6 A. We operate Bravo Dome.

7 Q. So when you're buying the CO2, you're actually  
8 buying from yourself?

9 A. I'm not exactly sure how the CO2 networks.  
10 Most of the CO2, as far as I'm concerned -- or aware,  
11 goes to the Denver City hub. And it's a mix of CO2 from  
12 the McElmo [sic] Dome, Bravo Dome and Sheep Mountain,  
13 and we get ours from the Denver City, on the top of the  
14 Trinity pipeline.

15 Q. No plans to take it directly from the pipeline  
16 [sic]?

17 A. Not at this time.

18 Q. Page 20. When you're talking about parting  
19 pressure with water, are you talking fresh water or  
20 produced water at that point, because there is that  
21 difference?

22 A. Sure. This is our produced water from the San  
23 Andres.

24 Q. So no fresh water that accounts for any of the  
25 calculations?

1 A. That's correct.

2 Q. And the last question, back to page 22, Order  
3 R-5897-A. Now, I understand you're asking for the  
4 ability to set the packer not only in older wells where  
5 the casing may already have been damaged in some way,  
6 but also for the newly drilled wells?

7 A. That's correct.

8 Q. So that would be like a blanket exception to  
9 our Rule 25 for MITs that require the packer to be set  
10 within 100 feet?

11 A. That's correct.

12 Q. Even for the new wells?

13 A. Yes, because with the new wells, you know, the  
14 same scenario will eventually happen. We'll set and  
15 reset that packer and move up the hole each time, and so  
16 eventually we're going to come to the same point we are  
17 now with the existing wells, that there just isn't a lot  
18 of room between 100 foot above the top perf and when the  
19 last time we set the packer. And so it's just with a  
20 little bit of foresight that we're trying to ask it for  
21 all the wells.

22 Q. Have you talked with the district -- the OCD  
23 district office about establishing notification  
24 parameters for the information you're gathering for the  
25 annulus pressure and tubing and casing differentials?

1           A.    Could you repeat the question? I'm not sure I  
2 understand.

3           Q.    There have been issues for casing leaks and  
4 tubing casing leaks. Would you be willing to work with  
5 the district, if you have not already, to establish  
6 immediate notification parameters for annulus pressure  
7 and tubing and casing differential?

8           A.    I'm not aware if we have spoken with the OCD on  
9 whether we let them know immediately if we see high  
10 casing pressure. I'm not aware if they have done that  
11 or not.

12                   MR. FELDEWERT: Madam Chair, Kelley  
13 Montgomery will be testifying. She can answer your  
14 question.

15                   COMMISSIONER BAILEY: Good. Will she also  
16 be the best person to talk to about cement use for  
17 drilling of these injectors wells, or is Mr. Brockman  
18 able to answer whether or not acid-gas-resistant cement  
19 will be used in completion of the new wells?

20           A.    It will be.

21           Q.    (BY COMMISSIONER BAILEY) Those are all the  
22 questions I have.

23                   CHAIRPERSON BAILEY: Do you have any  
24 redirect?

25                   MR. FELDEWERT: I think I just have --

1 REDIRECT EXAMINATION

2 BY MR. FELDEWERT:

3 Q. On slide seven, you talk about the temporarily  
4 abandoned wells. First off, the exception that you seek  
5 to the normal MIT procedures are only going to be for  
6 those wells that have pressure-sensor devices on them,  
7 correct?

8 A. Correct.

9 Q. And OXY's efforts in the South Hobbs Unit to  
10 install these pressure-sensor devices are going to apply  
11 not only to the temporarily abandoned wells that are  
12 going to result from the conversation process, but also  
13 other existing TA'd wells out there, correct?

14 A. Yes. Eventually, we endeavor to put them on  
15 all the wells.

16 Q. Okay. So I didn't want to leave the impression  
17 that you're only going to put them on these wells. On  
18 all TA'd wells?

19 A. Correct.

20 Q. Number two, how much does it cost to drill one  
21 of these wells down to the depth that we're talking  
22 about here?

23 A. A little less than a million dollars, and then  
24 another couple hundred thousand dollars to complete it,  
25 so probably \$1.1-, \$1.2 million.

1 Q. So a substantial investment?

2 A. That's correct.

3 Q. And is the goal in deciding whether you're  
4 going to temporarily abandon the well or permanently  
5 plug and abandon it, is it with the knowledge that these  
6 wells that you're replacing will cost over a million  
7 dollars?

8 A. Yes. That's part of the consideration.

9 Q. And so as a company, do you try to ascertain  
10 whether there is any potential lease for that well in  
11 your current or future operations before you actually  
12 plug and abandon it?

13 A. Yes.

14 Q. So as I understand it, what you're trying to do  
15 is avoid wasting existing surface facilities if they  
16 have potential for future use?

17 A. Yes.

18 Q. Now, if you have any problems with these TA'd  
19 wells, such that the integrity has been lost and they're  
20 beyond repair, then what will you do?

21 A. We'll plug them, plug and abandon them.

22 Q. On the packer issue, the exception that you  
23 seek is to give you the flexibility operationally as  
24 you're dealing with setting and resetting these packers,  
25 correct?

1 A. Correct.

2 Q. There is no incentive for you as a company to  
3 set that packer all the way up to the top of the -- top  
4 of the formation and start there, correct?

5 A. No, they're not, because then we'd be -- we'd  
6 be very constrained as to how much -- we can't go any  
7 higher, and so it would be the exact situation we're  
8 trying to avoid in going straight to the very top of the  
9 interval.

10 Q. The rule says "as close as practically  
11 possible," which can be rather vague in terms of  
12 implementation. Would you agree?

13 A. I agree.

14 Q. But as a company, you will be setting it as  
15 close as practically possible; is that right?

16 A. We will be.

17 Q. But sometimes -- as a result of the operations  
18 that have been conducted on the well, sometimes that  
19 cannot be done within 100 feet of the well or even  
20 within the distance that's required by Rule 25?

21 A. Correct.

22 Q. So you're just seeking an exception to have the  
23 flexibility that in those circumstances -- you will set  
24 it as close as practically possible, but it may be  
25 beyond those currently allowed by the rules?

1 A. Correct.

2 Q. I think that's all the questions I have.

3 COMMISSIONER BAILEY: You may be excused.

4 THE WITNESS: Thank you.

5 MR. FELDEWERT: Madam Chair, we will be  
6 calling our next witness, Randy Stilwell, who is a  
7 geologist.

8 RANDY STILWELL,  
9 after having been first duly sworn under oath, was  
10 questioned and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. FELDEWERT:

13 Q. Would you please state your name, by whom  
14 you're employed and in what capacity?

15 A. My name is Randy Stilwell. I work for OXY, and  
16 I'm employed as a senior -- my title is senior geologic  
17 advisor.

18 Q. How long have you been a senior geologic  
19 advisor?

20 A. I've been a senior geologic advisor for 5 years  
21 and a geologic advisor for 10 years prior to that. I've  
22 been in the petroleum industry for over 30 years.

23 Q. How many years of experience -- as a geologist  
24 for 30 years?

25 A. As a geologist.

1 Q. How many years' experience do you have as a  
2 geologist in the Permian Basin?

3 A. A little over 21 years working -- not  
4 continuously but cumulative, about 21 years.

5 Q. Now, are you familiar with OXY's application  
6 that has been filed in this case?

7 A. Yes, I am.

8 Q. And have you conducted a geologic study of the  
9 area that is the subject of that application?

10 A. Yes, I have.

11 Q. Now, have you, likewise, provided some slides  
12 to assist you in your presentation of your testimony  
13 today?

14 A. Yes, I have.

15 Q. If I turn to what's been marked as OXY Exhibit  
16 Number 9, does that contain the slides that you have  
17 prepared?

18 A. Yes, it does.

19 Q. And it has a total of nine pages?

20 A. Correct.

21 Q. If we turn to the first slide -- or the first  
22 page of OXY Exhibit Number 9, does this page accurately  
23 reflect a summary of your educational background and  
24 your work experience?

25 A. Yes, it does.

1 Q. Is shows your degree on here. When did you  
2 obtain your degree?

3 A. My bachelor's degree was obtained in 1977, and  
4 my master's degree in 1979.

5 Q. And then it goes on to explain, then, your  
6 33-year history as a petroleum geologist?

7 A. Yes, both as an exploration geologist and as a  
8 production geologist.

9 Q. If I turn to what's been marked as -- I'm  
10 sorry. Did you tell us when you got your master's  
11 degree?

12 A. Yes. It was '79.

13 Q. If I turn to what's been marked as slide number  
14 two, does this accurately reflect your professional  
15 affiliations and certifications?

16 A. Yes, it does.

17 Q. How long have you been a member of the  
18 societies reflected up here?

19 A. I've been a member of the AAPG for over 30  
20 years, a member of the Houston Geologic Society for over  
21 20 years, a member of the West Texas Geologic Society  
22 for over 15 years, and the Permian Basin SEPM for over  
23 five years.

24 Q. And in terms of your certification as a Texas  
25 Licensed Professional Geoscientist, how long have you

1 had that certification?

2 A. That was since 2003, when the program was  
3 initiated in Texas.

4 Q. So since the initiation of that program, you've  
5 been a certified professional geoscientist?

6 A. Yes, that's correct.

7 MR. FELDEWERT: At this point, Madam Chair,  
8 I would tender Mr. Stilwell as an expert witness in  
9 petroleum geology.

10 COMMISSIONER BAILEY: Any objection?

11 MS. GERHOLT: No.

12 COMMISSIONER BAILEY: He is accepted.

13 Q. (BY MR. FELDEWERT) Now, Mr. Stilwell, I want to  
14 turn to what is slide three on Exhibit Number 9. Would  
15 you please describe to us what this is and what it shows  
16 us?

17 A. This is a type log from the South Hobbs Unit.  
18 And when we say a type log, it represents an average --  
19 a depiction of the formations within the South Hobbs  
20 area. This particular type log goes all the way from  
21 the surface at the top, down to the Tubb Formation, and  
22 it includes the authorized injection interval, which is  
23 denoted on the left side of the type log.

24 This is a gamma ray porosity log, with the  
25 gamma ray being depicted on the right -- I'm sorry -- on

1 the left, and the porosity log depicted on the right.

2 Q. Is there animation associated with this?

3 A. Yes, there is.

4 Q. Should I go to the first --

5 A. Yes, you can go to that.

6 And one thing I wanted to point out is that  
7 the primary objective for the CO2 portion of the flood  
8 is the San Andres interval, which is typically found at  
9 a depth of approximately 4,000 feet, and the top of the  
10 San Andres is going to be the focal point for the  
11 structure map that I show on the next slide.

12 Q. Let's turn to what's been marked as slide four,  
13 and I believe they're some animation associated with  
14 this as well.

15 A. There is. Before we do that, though, I'd like  
16 to explain exactly what we're looking at here.

17 This is a structure map on top of the San  
18 Andres Formation that was compiled from over 800 data  
19 points in the entire Hobbs area. And what you're  
20 looking at here is basically a two-dimensional  
21 representation of the structure and the subsurface. And  
22 so the contour lines represent lines of equal depth.  
23 And so in this particular map, the contour interval is  
24 50 feet. So as you would go from one line to the inside  
25 of the map, each line you would be climbing 50 feet in

1 elevation.

2 This is why I like to use the concept of  
3 looking at this kind of a structure, which is known as  
4 an anacline. I like to called it a buried hill. A lot  
5 of people have an easier time understanding when you try  
6 to explain an anacline in that sense.

7 So what I've got is a couple of profiles  
8 that cut across this structure that give you a  
9 cross-sectional view of a schematic profile. The first  
10 one --

11 Q. Let me ask you this: What's the green line  
12 around that?

13 A. The green line is the historical producing  
14 oil-water contact. It goes completely around the field,  
15 and you can see that it is primarily contained within  
16 the -- at or near the unit boundaries. So this would be  
17 the depth -- a two-dimensional representation of the  
18 depth that these wells have been historically completed  
19 in. And the reason for that is, below this point, you  
20 would not have commercial production because you would  
21 have such a high water content that the well wouldn't be  
22 commercial.

23 Q. Shall I hit the first animation?

24 A. Yes.

25 So there is a line that showed up on the

1 map going from the northeast in North Hobbs, down to the  
2 southeast in South Hobbs.

3 One other thing I wanted to point out is  
4 that Hobbs field is made up of one structure. Even  
5 though it's been divided up into two units, it is one  
6 geologic structure, one trap. And so what you're going  
7 to see here is a profile going from the northwest to the  
8 southeast.

9 And if you'll hit that again.

10 Q. So we're dealing with the blue line?

11 A. Yes, the blue line that has shown up on there.

12 So what you're looking at in the lower,  
13 left corner here in this box is this profile in which  
14 I've drawn the structure on top of the San Andres Unit.  
15 And you can see, as I was speaking, you will climb as  
16 you go from one contour to another, and then as you go  
17 to South Hobbs, you climb back down the structure at the  
18 other end, which is down on the southeast end of the  
19 structure.

20 And if you'll hit it again.

21 Q. (Complies.)

22 A. I've got another profile drawn that cuts  
23 across, predominantly, the South Hobbs area, the red  
24 line, going from southwest to northeast.

25 And if you'll hit it again, you'll see the

1 accompanying profile that goes along with that. And you  
2 can see that, you know, there is approximately on the  
3 order of 3- to 400 feet of structure shown on these  
4 profiles.

5 And, also, I didn't point it out before,  
6 but on both profiles, the green line that's shown at the  
7 bottom of the hill is the producing -- historical  
8 producing oil and water contact that was shown on the  
9 two-dimensional structure map.

10 Q. Is that where the oil is?

11 A. Basically, the oil accumulation is within this  
12 hill, from the green line up to the top of the red line,  
13 and the one on the bottom left, from the green line to  
14 the top of the blue line.

15 Q. Have you observed any faults penetrating this  
16 hill?

17 A. No. No, I have not seen any faults that  
18 penetrate through the San Andres Formation that would  
19 have any effect on the trapping mechanism of the  
20 structure.

21 Q. And if that is where the oil is contained, is  
22 it likewise true, then, that any fluids that you would  
23 inject into this area are likewise to stay confined?

24 A. Yes. The whole concept of a structural trap is  
25 that it does contain fluids within the closing contours.

1 And one concept -- or one other piece of the trap, that  
2 I'll address in the next slide, is, in addition to  
3 having this three-dimensional structure for the oil to  
4 accumulate in, you need something to hold it in at the  
5 top. You need a top seal.

6 Q. Before we get to that, there was some testimony  
7 about the five-well pattern as assisting in containing  
8 the horizontal migration of the fluids.

9 A. Yes.

10 Q. In terms of what you're showing here, is there,  
11 then, a structural component to this area that will  
12 likewise confine the horizontal migration of any fluids?

13 A. Yes, there is. Fluids will tend to want to  
14 come up to the highest part of the structure, as well as  
15 any other fluids that are injected to it. So from a  
16 geologic perspective, you will not get fluids that want  
17 to go downdip. Fluids don't want to resist gravity and  
18 go downdip. So any fluids would want to stay within  
19 this trapping mechanism in this structure.

20 Q. And the trapping mechanism that you're talking  
21 about, does it more or less follow the boundaries of  
22 both the North Hobbs and the South Hobbs Unit project  
23 areas?

24 A. Yes, it does, in general. I would agree with  
25 that, yes.

1           Q.    And let's go to what you were talking about,  
2   the vertical separation.  Let's go to what's been marked  
3   as slide number five.  Would you identify this, and  
4   explain it to us, please?

5           A.    Yes.  This is a more detailed version of the  
6   same slide we were looking at.  Again, it has a gamma  
7   ray on the left side, a porosity log on the right side.  
8   And I focused in on the authorized injection interval,  
9   which is shown here on the right portion of the type  
10  log.  So we are looking from the top of the Grayburg,  
11  down to the just below the top of the Glorieta  
12  Formation.  That encompasses the already authorized  
13  injection interval for the South Hobbs Unit.

14                   And what I've also denoted on here with  
15  this green arrow on the right portion of the log and the  
16  green wording is the historical production that we've  
17  seen in the South Hobbs field, extends from the very  
18  lower part that Mr. Brockman referred to previously;  
19  that sometimes is known as the basal Grayburg, down to  
20  the producing oil-water contact.

21           Q.    What is the porosity of the area that you have  
22  shaded in green?

23           A.    What I've highlighted on here -- the scale of  
24  this porosity log goes from zero, on the right, to 30  
25  percent, on the left.  What I have shaded in green here

1 is 90-percent cutoff. Meaning that anything that is in  
2 green is 90 percent or greater. And that typically is  
3 the cutoff that we use to calculate pay to determine  
4 what zones to complete in the Hobbs area.

5 Q. So where does this show zero porosity?

6 A. Zero porosity -- immediately above the basal  
7 Grayburg and the upper part of the Grayburg, you enter  
8 into a zone of very tight rock, which is anhydrite and  
9 tight limestones, and that is for about 150 feet above  
10 the porous portion of the Grayburg.

11 Q. I mean, is that -- maybe I asked and answered  
12 my own question. Can that be penetrated? Is that going  
13 to -- will fluids migrate through there?

14 A. Fluids will not naturally migrate through that  
15 tight zone. This upper portion of the Grayburg is what  
16 is commonly known as the hydrocarbon seal. This  
17 prevents hydrocarbon fluids from migrating vertically  
18 out of the trap.

19 Q. What about gas?

20 A. Any fluids, gas, water.

21 Q. All right. Anything else about this slide?

22 A. I will highlight this detail area on cross  
23 section on the next slide, so you will be able to see  
24 the variation across the field.

25 One other thing I wanted to highlight is

1 that even though on my schematic profiles that I've  
2 shown, I show it as one pool of oil, if you might think  
3 of it. In reality, these are layers of rock of  
4 different reservoir quality. And so what you have is a  
5 stacked series of layers of rock that make up the higher  
6 accumulation in the Hobbs field in the San Andres.

7 Q. Does your next slide show that as well?

8 A. Yes. Yes, it does.

9 Q. So let's go to next slide six. Does this have  
10 some animation associated with it?

11 A. Yes. Yes, it does.

12 Q. I believe the way this is set up, slide six is  
13 the initial animation, and slide seven is the ending  
14 result after the animation is done.

15 A. Yes, that's correct.

16 On the initial slide here, I just wanted to  
17 show you that as opposed to the first profile that I  
18 showed you, which was just a cartoonish line that went  
19 through the structure, what I've done here -- and the  
20 reason it jumps around is, I've actually connected it to  
21 actual wellbores to make a point here across the  
22 structure, and it goes all the way from the northwest  
23 corner of North Hobbs, to the southeast corner of South  
24 Hobbs.

25 Q. Is that the green line?

1           A.    That is the green line that kind of squiggles  
2    through both of the units there.

3                    So if you'll hit that slide again, we'll  
4    minimize that.

5           Q.    (Complies.)

6           A.    This is the line of wells that you saw on that  
7    previous slide extending from North Hobbs, all the way  
8    down to South Hobbs, to the southeast on the right side  
9    of the cross section. As I denoted at the very top  
10   portion of the wells, you see both the North Hobbs Phase  
11   I CO2 flood area marked, as well as the proposed South  
12   Hobbs CO2 flood area.

13                   A couple of things that you can see on  
14   here, first of all, is, the blue area kind of starts in  
15   the middle of the cross section here. This is the top  
16   of the San Andres, which is also the zone that I made  
17   the structure map on that I showed initially.

18                   At the top of the San Andres, there is,  
19   very commonly, a tight impermeable dolomite. It usually  
20   is anywhere from 10 to 50 feet thick. It is not the  
21   seal for this accumulation. However, over the  
22   historical production of the field, we do believe that  
23   it has acted as a barrier for CO2 migrating. Where we  
24   already had started, at North Hobbs, you don't see  
25   migration into the basal Grayburg.

1                   However, the ultimate seal for this field,  
2   as I was talking about previously, is this Upper  
3   Grayburg Unit, which is seen in purple. It's anywhere  
4   from 150 to 200 feet thick of impermeable anhydrite and  
5   tight limestone. This forms the top seal for the field  
6   and, in conjunction with the anticlinal structure, forms  
7   the trap that makes up the Hobbs oil field.

8           Q.    So these zones correlate across the North Hobbs  
9   Unit into the South Hobbs Unit?

10          A.    They do. You probably can see, on the well  
11   logs themselves, a series of lines that connect from  
12   wellbore to wellbore. These are zones that we were able  
13   to pick off of the -- off of the well logs that are  
14   basically zones of equal lithology or characteristic  
15   based on their well log character. And you could  
16   correlate those across the entire field.

17                   If you remember the profile that I showed  
18   previously that showed the anticlinal structure on that  
19   schematic, when you look at it in real well -- a real  
20   well profile here, you can see that same anticlinal  
21   structure here.

22                   And what I've highlighted in green within  
23   the San Andres interval is basically the oil  
24   accumulation from the top of the San Andres, down to the  
25   producing oil-water contact.

1 Q. Anything else about this slide?

2 A. I guess the only other point that I would like  
3 to make is, the fact that you have a structure, the fact  
4 that you have a top seal and the fact that you have an  
5 oil field also is indicative that this is a -- that the  
6 seal on top of the San Andres is an impermeable barrier.  
7 Otherwise, you would have not still had this oil field  
8 in existence.

9 In the South Hobbs area, we've produced  
10 already over 90 million barrels of oil that would not  
11 have been in existence if either the structure didn't  
12 contain it or if the top seal was not able to hold the  
13 fluids in vertically.

14 Q. Did you, Mr. Stilwell, in addition to this,  
15 also conduct a study to determine the freshwater zones  
16 in the area?

17 A. I did.

18 Q. Turn to what's been marked as slide eight.  
19 Would you walk us through this slide, please?

20 A. Yes. So what I did was, in looking at the  
21 freshwater zones in the Hobbs area, as noted in the very  
22 upper portion of this -- upper right portion of the  
23 cross section, I utilized an online database of the New  
24 Mexico State Engineer, which has records of all the  
25 water wells that are drilled by county. You can go into

1 it and look.

2 I looked at over 500 freshwater wells that  
3 were drilled in the Hobbs area and specifically in the  
4 vicinity of South Hobbs. And, of course, the great  
5 majority of them only penetrate a few hundred -- less  
6 than 100 feet from the surface, until they found enough  
7 fresh water to complete.

8 However, what I've summarized on this map  
9 in the little white boxes on the sections are  
10 approximately 23 wells which I believe completely  
11 penetrated the freshwater section and entered into the  
12 Triassic Red Beds, which are typically assumed to be the  
13 base of the freshwater zones. And you enter into  
14 those -- those true red shales of the Triassic Red Beds.

15 So what I've summarized on here are the  
16 number of wells and the depth of the base of the  
17 freshwater zone. For example, Section 3 here -- and,  
18 again, each one of these boxes is one square mile of  
19 section. There was one well within that section where  
20 the base of the fresh water was encountered at 220 feet.  
21 There are other sections just adjoining the South Hobbs  
22 boundary and just outside of it that indicated that the  
23 base of the fresh water in the South Hobbs area is  
24 anywhere between 190 to 262 feet below the surface.

25 Q. And you mentioned the Triassic Red Beds. Those

1 are shales?

2 A. Those are very distinctive red shales, yes.

3 Q. And what you're saying is that the bottom of  
4 those, that would be the deepest location for fresh  
5 water?

6 A. Yes.

7 Q. And did you identify the deepest zone as being  
8 fresh water?

9 A. Yes. The deepest zone that I found on record  
10 was 260 feet below the surface.

11 Q. Using that information, did you import that  
12 into another type log?

13 A. Yes.

14 Q. Turn to what's been marked as slide nine. Does  
15 that contain --

16 A. This is actually the same type log that I had  
17 before, and what I've done is annotated it showing the  
18 freshwater zones at the very top of the log, the  
19 upper -- a couple hundred feet.

20 And then if you remember, the San Andres --  
21 the top of the San Andres is typically, on average,  
22 about 4,000 feet depth. And what I've noted are the  
23 impermeable layers that you would encounter between the  
24 freshwater zones and the proposed injection interval --  
25 the authorized injection interval.

1                   Down at the very bottom is this 150-foot  
2   impermeable anhydrite and limestone that I showed on the  
3   previous cross section, which looked very thick there  
4   when you compare it to the total thickness, because  
5   there are over [sic] lime zones which are even thicker,  
6   the Salado salt and shales, the Rustler anhydrite, and  
7   even the Triassic Red Beds themselves are impermeable  
8   shales.

9                   So they're quite a number -- they're over  
10  3,500 feet of section here of predominantly impermeable  
11  formations between our authorized injection interval and  
12  the freshwater zones in the South Hobbs area.

13           Q.    The impermeable anhydrite and limestone that  
14  you show on here at the top of the Grayburg, is that  
15  alone sufficient to, I think you testified, contain the  
16  injectates?

17           A.    I believe it is. The basis for that is that I  
18  believe that it's big enough to contain the hydrocarbon  
19  accumulation, and, therefore, it would be enough to  
20  contain the injectates that we're producing.

21           Q.    So, for example, then, based on your --  
22  injectates, for example, from migrating into the  
23  seven -- anyone was producing out of there?

24           A.    Yes, that's correct.

25           Q.    So what conclusions have you drawn as a result

1 of the study in addition to what you've spoken about?

2 A. Well, first of all, it is that the Hobbs field  
3 is made up of one geologic structure found in  
4 approximately 4,000 feet deep. The producing oil-water  
5 contact for the San Andres is contained primarily within  
6 the unit boundaries that have been shown on the map.  
7 Also, there is a very distinctive top seal that has  
8 maintained accumulation over time and that that top seal  
9 would be enough to hold in any injectate that we would  
10 be producing with this project. And, also, the last  
11 thing is that all of these zones above the San Andres  
12 are enough to protect the freshwater zones from any of  
13 the injectates that we are proposing.

14 Q. So you see no freshwater concerns here  
15 whatsoever?

16 A. No, I do not.

17 Q. Were the slides comprising OXY's Exhibit 9  
18 compiled by you or under your direction and supervision?

19 A. Yes, they were all compiled by me.

20 MR. FELDEWERT: At this time, Madam Chair,  
21 I'd move for admission into evidence of OXY Exhibit 9.

22 COMMISSIONER BAILEY: Any objection?

23 MS. GERHOLT: No.

24 COMMISSIONER BAILEY: It is admitted, then.

25 (OXY Exhibit Number 9 was offered and

1 admitted into evidence.)

2 MR. FELDEWERT: That concludes my  
3 examination.

4 COMMISSIONER BAILEY: Cross-examination?

5 MS. GERHOLT: I have no questions of this  
6 witness.

7 COMMISSIONER BAILEY: Commissioner Warnell?

8 CROSS-EXAMINATION

9 BY COMMISSIONER WARNELL:

10 Q. Mr. Stilwell, good afternoon.

11 A. Good afternoon.

12 Q. If we could go to slide five, please, the top  
13 of the San Andres there where you've got your nine  
14 percent porosity greater marked in green.

15 A. Yes.

16 Q. What's the permeability in that area?

17 A. In general, the nine percent cutoff in the  
18 San Andres is the equivalent of a .2 millidarcy cutoff.  
19 So anything that's in green is at least .2 millidarcies.  
20 Anything that is less than that, you know, would be  
21 extremely tight.

22 Q. How do you come up with permeability?

23 A. Permeability is derived from examining the  
24 number of cored wells we've taken in the field, of which  
25 there -- in the South and North Hobbs, all together,

1 there are approximately 16 wells that have cored some  
2 portion of the San Andres.

3 We analyze that data. We actually take  
4 mechanical porosity measurements of that rock that we've  
5 recovered. We also do measure permeability in a  
6 laboratory, and we come up with, basically, a cross plot  
7 of permeability and porosity that we can then apply to  
8 other wells in the field where we don't have the core  
9 data. So as long as we have a porosity log and the  
10 accompanying cross plots for the San Andres in this  
11 area, then we can assume that our permeabilities are  
12 also going to be reflective of that.

13 Q. Thank you. That's all the questions I have.

14 COMMISSIONER BAILEY: Commissioner Balch?

15 CROSS-EXAMINATION

16 BY COMMISSIONER BALCH:

17 Q. Good afternoon, Mr. Stilwell.

18 A. Good afternoon.

19 Q. Is there any potential production below the San  
20 Andres in the South or North Hobbs Units?

21 A. Below the San Andres? There is production  
22 below the San Andres interval currently.

23 Q. From the --

24 A. Not within the units, I assume. Outside of the  
25 unit.

1 Q. Outside of it.

2 Do you know if there is any plan by OXY to  
3 ever go after those?

4 A. There have been other operators that have  
5 produced wells below the San Andres interval. I believe  
6 we actually have one or two wells that produce from  
7 intervals below the San Andres.

8 Q. On slide four, this is generated from top  
9 picks?

10 A. Yes, that's right, from log picks of the top of  
11 the San Andres.

12 Q. By you?

13 A. Yes. Correct.

14 Q. And that same goes for all --

15 A. Everything that you see here is all generated  
16 from my correlations and from my three-dimensional  
17 modeling of the fields that I've done in the last --  
18 I've worked Hobbs the last ten years.

19 Q. Thank you.

20 COMMISSIONER BAILEY: I have no questions.  
21 Do you have redirect?

22 MR. FELDEWERT: I do not.

23 COMMISSIONER BAILEY: You may be excused.

24 THE WITNESS: Thank you.

25 COMMISSIONER BAILEY: Shall we take a

1 break?

2 (Break taken, 2:44 p.m. to 2:54 p.m.)

3 COMMISSIONER BAILEY: Mr. Feldewert, would  
4 you like to call your next witness?

5 MR. FELDEWERT: Yes. Call Mr. Hodges to  
6 the stand.

7 SCOTT HODGES,  
8 after having been first duly sworn under oath, was  
9 questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. FELDEWERT:

12 Q. Would you please state your full name and  
13 identify by whom you are employed and in what capacity?

14 A. My name is Scott Hodges. I'm employed by OXY,  
15 and I am a supervisor of surface operations in the North  
16 and South Hobbs Units.

17 Q. How long have you been responsible for those  
18 surface operations in the North Hobbs Unit and the South  
19 Hobbs Unit?

20 A. I transferred to Hobbs in March of 2011, so  
21 just a little bit over two years.

22 Q. And do you currently reside in Hobbs?

23 A. Yes, I do.

24 Q. Have you been part of the team here to convert  
25 the South Hobbs Unit Waterflood Project to a tertiary

1 recovery project?

2 A. Yes, I have been.

3 Q. And did you assist in the design of this  
4 particular project?

5 A. My part in the design is -- we have to operate  
6 and actually build it, and so our experience has been  
7 able to operate the North Hobbs. They use some of our  
8 experiences on things that went well and things that  
9 we'd like to change. So in that aspect, we have been  
10 part of the design process.

11 Q. So you have been -- I think you mentioned that  
12 you are actually going to run these operations once this  
13 system is put in place?

14 A. That is correct.

15 Q. Turning the keys of this \$600 million Ferrari  
16 over to you?

17 A. That's right, and expecting us not to wreck it  
18 (laughter).

19 Q. What part will you be addressing today?

20 A. I'll be addressing some of our SCADA System  
21 that we have in Hobbs.

22 Q. If I show you -- let me step back. Did you  
23 create slides to assist in your presentation here today?

24 A. Yes, I did.

25 Q. And are they contained under what has been

1 marked as OXY Exhibit 10?

2 A. That is correct.

3 Q. So let's turn to tab ten in the white notebook.

4 It consists of 13 pages; is that correct?

5 A. That is correct.

6 Q. And if we look at slide one, we saw this -- we  
7 went through this earlier. What does -- are you  
8 familiar with this picture?

9 A. Yes, I am.

10 Q. And is this some of the facilities that you  
11 currently operate?

12 A. Yes, it is.

13 Q. Why don't you tell us what we have out there?

14 A. Okay. This is one of our North Hobbs CO2  
15 satellites that we currently operate, and if I could  
16 direct your attention to the picture there on the  
17 screen. In the top, left-hand side, you've got an  
18 injection header, and that's comprised of this piping  
19 and equipment right here.

20 On the bottom part is a production header.  
21 And you can notice right here in the bottom, right-hand  
22 part of the screen, you've got a bunch of flow lines  
23 coming in from our production wells. This is all  
24 contained inside a security fence that is six foot,  
25 chain link with barbed wire around it. So we try to

1 secure it so we don't have anybody in there.

2 The building right here that I'm pointing  
3 to up by the injection header also contains a  
4 state-of-the-art automation system that we control, we  
5 monitor, we alarm, and we gather data here, historical  
6 data, for further analysis or for current analysis,  
7 whichever one pertains. Right here in this building is  
8 actually the heartbeat of this satellite.

9 Q. Now, a couple of things. One, when we talk  
10 about injection header and production header, I assume  
11 that you have -- injection satellites or production  
12 satellites, correct?

13 A. Right.

14 Q. Secondly, this is actually a picture from the  
15 North Hobbs Unit. Are the plans -- does OXY plan to  
16 build a similar facility for the South Hobbs Unit?

17 A. Yes, we do. This facility in North Hobbs has  
18 been in operation for ten years. We've had really good  
19 success with it. We've had no failures. It's been  
20 almost trouble free, and so we plan on taking this  
21 design and implementing it in South Hobbs, also.

22 Q. In fact, I think there are supposed to be four  
23 of these built?

24 A. Yes. There will be four identical to this.

25 Q. Now, you said this automation system is kind of

1 the heartbeat of the operation. Is that equipment all  
2 connected together through your SCADA System?

3 A. Yes, it is.

4 Q. So let's go to slide two.

5 First of all, what does SCADA stand for?

6 A. If you'll look at the top of the slide, it's an  
7 acronym for Supervisory Control and Data Acquisition.  
8 SCADA is a system that uses information technology to  
9 provide realtime monitoring and control of remote  
10 facilities.

11 Q. Now, you're going to be focusing on the  
12 operational aspect of the SCADA System; is that correct?

13 A. That's correct.

14 Q. Is there more to SCADA than what we're going to  
15 go through today?

16 A. Oh, yes. SCADA, if I could describe it, is  
17 kind of like a spreadsheet. You know, in Excel, we use  
18 a very small part of this huge monster, and that's kind  
19 of what SCADA is. We use a very small part -- or we'll  
20 talk about a very small part of what we use today, but I  
21 think it's relevant to the safety and the operation  
22 efficiency of the CO2 flood.

23 Q. Now, on the left-hand side of this exhibit,  
24 does this identify the aspects of the SCADA System that  
25 we're going to be talking about today?

1           A.    Yes, it does.  I'd like to talk about  
2   temperature and water content.  I'll talk about pressure  
3   monitoring, H2S monitoring and control and also gas  
4   analysis.

5           Q.    And then you've got a diagram here.  Is this  
6   depicting that SCADA kind of ties in with everything  
7   together?

8           A.    Yes, it does.  Through our SCADA System, we can  
9   take data, and we can control devices.  We can monitor  
10   real time, which will give us that control.  We can get  
11   human notification on it.  SCADA is a communication  
12   system that works throughout the field, and this gives  
13   us just a tremendous amount of data that we can actually  
14   manipulate or control, but it also does a lot of things  
15   without our intervention.

16          Q.    And part of which -- I see the shutdown valves.  
17   Are those automatic?

18          A.    Yes, they are.

19          Q.    And this is all controlled by SCADA?

20          A.    Yes, it is.

21          Q.    As well as the alarms, for example, could be  
22   triggered after certain parameters are met?

23          A.    That's correct.

24          Q.    You have this system in place at North Hobbs?

25          A.    Yes, we do.

1 Q. And you have this SCADA System -- you're going  
2 to have this same SCADA System in place at South Hobbs?

3 A. Yes, we will have the same system in Hobbs.

4 Q. Let's go to the first -- discuss the first  
5 bullet point on the left, "Temperature and Water  
6 Content," by moving to slide three. Why do you monitor  
7 temperature and water content?

8 A. The purpose of measuring and monitoring the  
9 temperature and water content is to hydrate the  
10 formation and primarily corrosion management within our  
11 system.

12 We have water and temperature sensors at  
13 our dehydration unit downstream -- our dehydration unit  
14 at our decompression -- reinjection and compression  
15 facility, and it lets us know the water saturation after  
16 it comes through hydration for dehydration. And when  
17 that gas leaves the RCF, it then travels to our  
18 injection headers, which is at the injection satellite.  
19 We, once again, measure the temperature there, and then  
20 we measure it again at the injection well.

21 Q. I'll tell you what, let's -- while we're  
22 talking about that, if we could just keep a finger on  
23 here, let's go to Exhibit -- in Exhibit 8, there is  
24 slide ten. So Exhibit 8, slide ten is a field flow  
25 diagram that we've seen before. Tab eight and then go

1 to slide ten.

2 So where does your SCADA System -- I know  
3 it's not on the slide, but using this flow diagram,  
4 where does it measure water and temperature content?

5 A. On your diagram there, we measure at the  
6 recompression facility, up in the top, right-hand corner  
7 of that flow diagram. Directly below it, on the  
8 injection satellites, we measure temperature there. And  
9 then at the very bottom, in the middle, you've got that  
10 pyramid there on the injection wells. We measure the  
11 temperature there.

12 Q. So you've got various redundant monitoring  
13 devices?

14 A. Yes, we do.

15 Q. Now, what happens if, for example, at any one  
16 of these sites, the temperature or water content exceeds  
17 your parameters?

18 A. Well, at the injection wells or injection  
19 satellites, it will alarm us. It would notify us if  
20 there is a temperature change, so we can go out and  
21 check and find out what the problem is.

22 At the reinjection compression facility, if  
23 we see a water saturation or a temperature change that's  
24 outside the parameters of that facility, it will alarm  
25 them first, and then it can also initiate a shutdown at

1     that rejection compression facility.

2           Q.     This would be an automatic shutdown?

3           A.     That's correct.

4           Q.     No human intervention; it triggers itself?

5           A.     That's right.

6           Q.     And that's how you have it set up in the North  
7     Hobbs Unit?

8           A.     Yes.

9           Q.     Will you have the same setup at the South Hobbs  
10    Unit?

11          A.     That's correct.

12          Q.     You have all these devices to measure  
13    temperature and water content, but have you observed  
14    major fluctuations in temperature, for example, at the  
15    North Hobbs Unit?

16          A.     No, we have not. In the time that we've been  
17    there -- that I've been there, in the last two years, we  
18    have not had an alarm on a temperature differential, and  
19    I know that we have not had a shutdown at the RCF  
20    because of the water saturation or temperature  
21    fluctuation.

22          Q.     Is there an operational component to monitoring  
23    this water content and temperature content in addition  
24    to corrosion management?

25          A.     Yes, there is. Trying to keep our injectates

1 in a certain phase, the temperature of that is crucial.  
2 So it really increases our operational efficiency in our  
3 injectate to know what the temperature is and make sure  
4 it doesn't drop below a certain temperature and change  
5 the phase of the injectate.

6 Q. And as you mentioned, this is also part of your  
7 corrosion management efforts. Does corrosion start with  
8 reducing or monitoring your water content?

9 A. Yes. You know, water in a pipeline with  
10 corrosive gases can accelerate corrosion.

11 Q. Now, if we flip back to Exhibit 10, let's get a  
12 picture on this. If I turn to slide four, for example,  
13 in OXY Exhibit 10, is this a type of monitoring that  
14 you've been talking about at your -- where is this  
15 located?

16 A. This device is a water saturation analyzer, and  
17 it is located at the reinjection compression facility.  
18 It takes a reading of the gas coming off the dehydration  
19 unit, and then brings that reading back to this device  
20 here. This device records that and keeps it in history.  
21 Also, this is the device that will talk to the SCADA  
22 System and alarm the operators who are -- also initiate  
23 a shutdown if it gets outside certain parameters.

24 Q. And this is always on?

25 A. This is always on, 24 hours a day.

1 Q. Always monitoring?

2 A. That's correct.

3 Q. Then let's talk about the next bullet point,  
4 and that is your pressure monitoring at these  
5 facilities. If we go to slide five, does this assist in  
6 identifying where you have your various pressure control  
7 monitors?

8 A. Yes, it does. We do everything off of  
9 pressure. So we monitor pressure in several different  
10 places, and we use pressure in several different ways.  
11 We use it in calculations for flow calculations. We use  
12 it to make sure that we don't overpressure. We use it  
13 to make sure that we don't have a low pressure  
14 situation, which would indicate a leak for us.

15 And so we have pressure sensors at the well  
16 site. We have a tubing pressure sensor and a casing  
17 pressure sensor on both injection and production wells.  
18 We have a pressure sensor on injection lines and  
19 production flow lines.

20 So the thing to note about these pressure  
21 sensors -- for instance, on the tubing, we've got it set  
22 up on parameters to where if it doesn't stay within  
23 certain parameters built into the logic of our SCADA  
24 System, it will indicate that we have a leak. And if it  
25 indicates we have a leak, it will automatically shut off

1 a value that will stop any injectate from going to the  
2 well.

3 Q. So it has an automatic shutoff valve that would  
4 minimize any release or stop a release?

5 A. That's correct. That's correct.

6 Q. And it's automated?

7 A. That's automated, yes, it is.

8 It'll also alarm us when we have a shutdown  
9 condition, and it is a callout alarm. So if it happens  
10 at 2:00 in the morning, it's going to shut it down.

11 It's going to call us, and we're going to react and go  
12 find out what the problem is.

13 The casing -- one of the things we've  
14 talked about here is casing, realtime casing pressure  
15 monitoring on the injection wells. We have them set up  
16 on the casing in injection wells to where we actually  
17 get an alarm at a certain pressure to let us know that  
18 we've got an increase in pressure.

19 And then another pressure that's well  
20 below, you know, any type of dangerous situation, we'll  
21 actually get a shutoff. We'll stop injecting, you know,  
22 gas or water at that point in time, and we will get a  
23 callout for that.

24 Q. Okay. If I go to slide six, do we have a  
25 picture of what you just talked about?

1 A. Yes.

2 Q. Why don't you walk us through what is depicted  
3 here on slide six?

4 A. Okay. This is part of the injection pattern.  
5 Each -- if you'll look on the picture there, I've got a  
6 line right here that's a stainless steel injection line  
7 going out to our well. And right here we have a  
8 multivariable transmitter that actually measures  
9 pressure, and then it takes a temperature from a  
10 temperature probe right here in that header to calculate  
11 a flow rate of injectate toward that well.

12 And then this choke right here is  
13 controlled by a programmable logic controller, which is  
14 in those sheds at the satellite.

15 So any condition that we deem is  
16 undesirable or suspect that we have a leak or something  
17 of that nature, it will shut this choke valve off, and  
18 that eliminates all flow from leaving that header going  
19 into that injection well.

20 Q. So keep your finger here. We'll go back to  
21 that first slide we were looking at in Exhibit 10. It's  
22 all the way back. This picture here on slide six is a  
23 picture of one of your injection headers that is shown  
24 in slide one, correct?

25 A. That is correct.

1 Q. And this is at the North Hobbs Unit. And,  
2 again, we're going to have this same feature at the  
3 South Hobbs Unit?

4 A. That is correct, we will.

5 Q. Anything else about this picture?

6 A. I don't think so.

7 Q. So if we move to, for example, an injection  
8 well in slide seven, does this also contain an example  
9 of the various redundant monitoring devices that you  
10 have?

11 A. Yes, it is. The picture here is two pictures  
12 put together. They're actually on the same location.  
13 Didn't get very good photography there on my part. But  
14 you can see -- the direction of the flow here on the  
15 left is actually the injectate coming from the RCF, and  
16 it goes through this isolation valve on the edge of  
17 location. And right downstream from that isolation  
18 valve, we have a separate pressure and a separate  
19 temperature transmitter. Those two transmitters  
20 communicate via fiberoptic cable back to the injection  
21 header. So it's as close to realtime pressure and  
22 temperature that you can actually get. I mean, it's  
23 within a -- less than a second that we get that data  
24 back to the injection header.

25 The flow continues, as Mr. Brockman showed

1 you on injection, underneath the ground and over to the  
2 wellhead and comes up and goes into the wellhead.

3 Right here on the casing, we have a  
4 transmitter that actually -- it reads realtime pressure  
5 from the casing annulus, and it will alarm and shut off  
6 the well if we get outside the parameters here. Outside  
7 the parameters here, it will alarm and shut off the  
8 well.

9 Q. This is your typical setup at the North Hobbs  
10 Unit?

11 A. Yes, sir. Everything we have in North Hobbs is  
12 set up exactly like this.

13 Q. And that's going to be true at the South Hobbs  
14 Unit?

15 A. Yes, that's correct.

16 Q. That's the injection well.

17 Now, WAG is the water and gas?

18 A. Yes, the water and gas, alternating.

19 Q. The alternating thing?

20 A. That's right.

21 Q. Then if I go to slide eight on Exhibit 10, does  
22 that also depict your transmitters in your production  
23 wells?

24 A. Yes. This is your production wellhead, and  
25 this is an electric submersible pump well, which is the

1 ESP, acronym. It's all contained in the bottom of the  
2 well, with a motor and a pump at the bottom of the well.  
3 But it actually comes up -- this line up here on the top  
4 is your tubing line. This is your casing line. And  
5 this is where they come together to go into the flow  
6 line.

7 Because you can see we have a casing  
8 transmitter, a pressure transmitter on the casing. We  
9 have a tubing pressure transmitter, and we have  
10 communication towers here that communicate back to a  
11 local PLC at one of our satellites. Everything on  
12 this -- at this location -- if this casing transmitter  
13 or tubing transmitter was to get outside the parameters  
14 that we have set up for safe, efficient operation, then  
15 this panel back here in the back is an ESP panel, and it  
16 will send a signal directly to it to shut the producing  
17 equipment off. So it will actually shut all the  
18 artificial lift equipment off. And when that happens,  
19 it will give us an alarm to let us know it shut that  
20 well down.

21 Q. I want to quickly go back to the injection --  
22 in addition to the automated device shown on here, does  
23 OXY also have, on its injection wells, check values to  
24 prevent any backflow if there is an incident?

25 A. Yes, it does. Depicted right here in this

1 picture is actually a flapper-type back pressure -- or a  
2 check valve. I'm sorry.

3 And if we had any leak in the system right  
4 here, to keep fluids from flowing or gas from flowing  
5 back from the well into the flow line, that check valve  
6 would automatically close based on pressure  
7 differential.

8 Q. Let's move to your third topic, and it is H2S.  
9 First off, what is your -- what is your primary device  
10 that you have out there for monitoring any potential  
11 release of H2S?

12 A. Since we know we have H2S in our gas and in our  
13 liquids in the San Andres, our primary indicator that we  
14 could potentially have a gas release or an H2S release  
15 is our pressure sensors, because they're going to pick  
16 it up. It's really quick in this system. So that's our  
17 primary device for alerting us that we might have a  
18 release.

19 Q. Connected to your automatic shutdown?

20 A. Yes. Everything with pressure is connected to  
21 the automatic shutdown.

22 Q. That should tell you if there is a problem  
23 before there is a release, correct?

24 A. Yes, it should.

25 Q. But in addition to that primary constant

1 monitoring system, are you also going to have some  
2 additional H2S monitoring devices at the South Hobbs  
3 Unit?

4 A. Yes, we do.

5 Here is an example of what we have in North  
6 Hobbs right now, and this is actually on some of our  
7 tank batteries and our satellites. This is an H2S  
8 monitor. The monitor is actually down there on the  
9 bottom, because H2S is heavier than air, so it will go  
10 to ground level.

11 But this device is set up with automation  
12 tied into our SCADA System, that if we sense ten parts  
13 per million of H2S, this monitor -- this blue beacon  
14 will go off. It will alert you that there is an H2S  
15 condition at that monitor. It will shut down whatever  
16 it needs to in that facility to stop flow, whether it's  
17 an ESD on our production headers --

18 Q. What's an ESD?

19 A. An emergency shutdown valve.

20 Q. Okay.

21 A. When it shuts off, it triggers a series against  
22 our SCADA to shut all the wells off coming into that  
23 facility. So we shut off all flow. And it will call  
24 out OXY personnel whenever we have an H2S condition.

25 Q. So this is all tied into SCADA?

1 A. Yes, it is.

2 Q. And it's almost like a domino effect, if I'm  
3 understanding. You get the trigger, and then there is a  
4 series of shutdowns that occur?

5 A. Yes, that's correct.

6 Q. Then will you also, then, be -- the last  
7 topic -- doing periodic gas analysis, which will also  
8 give you a read to the H2S component on the --

9 A. Right, it will.

10 Q. So go to slide ten. What does this depict?

11 A. The gas analysis here -- this is an automatic  
12 gas chromatograph, and it's located at the reinjection  
13 compression facility. And it takes a sample -- a  
14 representative sample throughout the day to determine  
15 the gas composition and includes an H2S concentration.  
16 Everything it measures during the day is recorded at  
17 midnight, and then it starts over again for the next 24  
18 hours. Along with the gas that comes into the RCF, they  
19 run a monthly Tutwiler analysis. It's a type of  
20 industry-accepted test for H2S and gas.

21 And also at the RCF -- it's not on a slide,  
22 but they actually pull a Draeger tube every day, also,  
23 and it's a same tube-type method. And it's an indicator  
24 that you have H2S. It's pretty close, but it's not as  
25 accurate as the Tutwiler or the chromatograph. At each

1 production satellite, once a year, we pull a  
2 representative sample of all the wells coming into that  
3 production satellite, and we run an annual Tutwiler on  
4 it, also.

5 Q. So you'll have daily test analysis and then  
6 also got monthly analysis using other test methods?

7 A. Yes, that's correct.

8 Q. Now, you mentioned how everything is tied  
9 together with SCADA, and I want to move now to slide 11.  
10 With everything being tied together, how is it then  
11 accessed and utilized?

12 A. Well, all this communication from all the  
13 satellites, the wells and everything that has any type  
14 of animation, which is just everything we have, all  
15 communicates back to a host system in our office, and it  
16 does this via a radio system.

17 And the host system is graphically  
18 represented by GraphworX. It's just a computer program  
19 called GraphworX. And through GraphworX, we can sit at  
20 our desk in the office. We can be in our pickup with a  
21 laptop. We can be sitting at home. Recently, I was out  
22 of town, and I can take my laptop, and I can login from  
23 wherever I'm at in the country. Mr. Brockman is our  
24 production engineer, and he looks at GraphworX in  
25 Houston all the time.

1                   But it allows us to see realtime conditions  
2   that are going on in our field all the time. It allows  
3   us to see trends of things that are happening. We can  
4   head a lot of things off. If I see a pressure start to  
5   climb somewhere, we can proactively attack that before  
6   it becomes a situation or a shutdown. So we use  
7   GraphworX. It's kind of our -- the heartbeat of our  
8   operation to keep things working.

9           Q.   And slide 12 is a picture of that GraphworX?

10          A.   Yes, it is. It has a lot of stuff on the  
11   screen, but on this picture, these boxes in the top part  
12   of the screen are all of our injection satellites that  
13   we have in North Hobbs. Of course, we can click on any  
14   one of those satellites, and it drills down to the wells  
15   on an individual basis. And we can see everything  
16   that's being monitored with every well, every injection  
17   header at that satellite as a whole.

18                   Right here we have -- in the middle of the  
19   screen on the left-hand side, we have a -- it's a little  
20   hard to read, but it says "West Injection Battery." We  
21   can also do that on our tank batteries that bring the  
22   oil and water in there, when we actually sell the oil.  
23   So we can see our tank levels. We can tell how much oil  
24   and water and everything has gone through there in a  
25   day's time. We can tell how much we've injected from

1 that facility. And we've also got, on the bottom left,  
2 our central tank battery, and then our bottom right is  
3 our north injection battery.

4 So everything in North Hobbs is contained  
5 on this screen, and our guys can look at this, and they  
6 can tell what everything is doing and how well we're  
7 operating. We even get up-to-date production so that we  
8 can combat, you know -- or go back -- not combat, but go  
9 out and switch wells in the test, find out which wells  
10 are not pumping as good as other ones. This screen of  
11 GraphworX just allows us to do whatever we need to do to  
12 efficiently, safely and effectively operate our whole  
13 field.

14 Q. Now, you said access by all personnel. Is that  
15 24-hour monitoring?

16 A. Yes, it is. We have a well analyst that looks  
17 at this -- looks at all of our wells and facilities, and  
18 he's got it set up in GraphworX to where, during his  
19 monitor -- he watches it 24 hours a day. They run  
20 shifts over there. And if anything alarms, I mean, he  
21 immediately gets an alarm. And he has the ability to  
22 change some things in here to mitigate certain effects  
23 that we might have.

24 We also have personnel that are physically  
25 in the field 24 hours a day. We call them night riders.

1 And, you know, they primarily do surveillance, but  
2 they're there in case we have any type of alarm that we  
3 need immediate personnel on locations.

4 Q. What about if you have a loss of power?

5 A. If we have a loss of power, depending on where  
6 that loss of power is, it initiates a shutdown  
7 throughout the system. So if we lose a capacitor bank  
8 somewhere or we lose -- what am I trying to say -- a  
9 reclosure and we lose power to one of our satellites, it  
10 initially -- I mean, immediately initiates a shutdown --  
11 an emergency shutdown on that satellite.

12 If we have an injection well that doesn't  
13 communicate back to the injection header, it  
14 automatically -- I mean, just immediately we initiate a  
15 shutdown of all injectate going to that well, until we  
16 can get communication back. And these aren't -- if it  
17 doesn't communicate within an hour, this is -- if it  
18 doesn't communicate within 30 seconds, then we initiate  
19 a shutdown, and then we get a callout. Usually it's a  
20 night rider that goes out to find out what the problem  
21 is, and it usually involves having to get an automation  
22 tech out to restore communication.

23 But we have decided that it's not to our  
24 benefit or anybody's benefit to try to run blind in  
25 Hobbs. So if we can't see it, we don't operate it. I

1 mean, we shut it down.

2 Q. Now, the last slide, 13, what does that depict?

3 A. This is one of our -- we use the acronym PLC.

4 I'm sure you-all have heard of PLC. It actually stands  
5 for Programmable Logic Controller. And these are at  
6 each one of our satellites. That's what's in that tan  
7 building that I was referring to on the first slide.

8 On the top screen -- we have a screen up  
9 there, and we refer to that as an LOI. It's a lease  
10 operator interface. So anything that our lease operator  
11 does on this touch screen is communicated back to the  
12 SCADA and will either trigger the automation to work  
13 or -- you know, whatever he sets in their parameters, he  
14 sets in there, that's the way the piece of equipment is  
15 going to work.

16 On the bottom, you have the same type  
17 screen for the production side. So we look at our  
18 injection on one screen. We look at our production on  
19 another screen. And this is all done through  
20 Allen-Bradley computers and logic, and it's a very  
21 reliable system. We very seldom have problems with it,  
22 and what problems we have are minor fixes.

23 Q. Have you been using this SCADA System at the  
24 North Hobbs Unit since injection commenced in 2003?

25 A. Yes. It has been in service since 2003, yes.

1 Q. And has it been successful?

2 A. Yes, it's been very successful. It's reacted  
3 at times we needed it to react. It's saved us from --  
4 it's kind of similar to the old plant mentality. You  
5 know, used to -- in plants, you'd have to have 50 or 60  
6 people working to keep everything operating. And the  
7 same way with the field. We've got so much involved  
8 here that it would take a lot more people to operate it.  
9 We can operate it more efficient, safer and more  
10 effectively with this automation unit than we could with  
11 human intervention.

12 Q. Mr. Hodges, were the slides comprising OXY  
13 Exhibit 10 compiled by you or under your direction or  
14 supervision?

15 A. Yes, they were.

16 MR. FELDEWERT: Madam Chair, I would move  
17 the admission of OXY Exhibit Number 10.

18 COMMISSIONER BAILEY: Any objection?

19 MS. GERHOLT: No objection.

20 COMMISSIONER BAILEY: Exhibit 10 is  
21 accepted.

22 (OXY Exhibit Number 10 was offered and  
23 admitted into evidence.)

24 MR. FELDEWERT: And that concludes my  
25 examination of this witness.

1 COMMISSIONER BAILEY: Do you have any  
2 cross?

3 MS. GERHOLT: I have a few questions.

4 CROSS-EXAMINATION

5 BY MS. GERHOLT:

6 Q. You mentioned that you have these night riders,  
7 the people in the field. Approximately how many night  
8 riders do you have?

9 A. We usually try to run two night riders.

10 Q. How long are their shifts?

11 A. They're 12-hour shifts.

12 Q. And how many people are reviewing the SCADA  
13 information or reviewing the GraphworX information?

14 A. Every morning I have three production techs and  
15 a production field specialist. So I've got four guys  
16 looking at the production side, and I've got two guys  
17 that come in every morning to review all of the  
18 injection stuff.

19 Q. And what are the length of their shifts?

20 A. They are -- it depends. Most of the time  
21 they're eight hours. If we've got a guy on call, then  
22 he covers that difference, you know, between the 12-hour  
23 night guy and the 8-hour. So it could be 12 hours; it  
24 could be 8.

25 Q. But it adds up to 24 hours of --

1 A. Yes, that's correct.

2 Q. You mentioned that the SCADA System gathers  
3 data, and it can record data; is that correct?

4 A. Yes, it does.

5 Q. How long is that recorded information  
6 maintained?

7 A. I pulled some data here awhile back, and I  
8 actually got about four years of data. That's all I  
9 asked for, so I don't know. It could go all the way  
10 back to 2003, but I couldn't verify that.

11 Q. And if the Division asked for any of that  
12 information, would OXY object to sharing it?

13 A. I don't know any reason why we would.

14 Q. And then I have a question that I hope you can  
15 answer for me. In regards to the injection wells, if I  
16 can draw your attention to slide seven.

17 A. Okay.

18 Q. And I want to talk about the WAG injection. I  
19 think I'm slightly confused. Are some of the injection  
20 wells produced water and carbon dioxide, and other  
21 injection wells are produced water and produced gas?

22 A. Yes.

23 Q. So you don't have an injection well that's  
24 produced water, CO2 and produced gas?

25 A. No. We do have wells in North Hobbs still that

1 are still under that waterflood, and they're strictly  
2 water. And I think Mr. Brockman showed that on his  
3 slide. In the produced gas area -- okay? In the  
4 produced gas area, what we do is, we WAG those wells,  
5 and we WAG them on cycles. You might have a three-day  
6 water cycle, and then we switch that over to three days  
7 of produced gas, and then back to three days of water.  
8 So that's the WAG in there.

9 Now, the wells that we've had on CO2 in  
10 water and produced water are the wells that are not in  
11 that produced gas phase. So anything that we produce in  
12 close proximity to town is purchased or pipeline CO2.

13 Q. Thank you for clarifying that for me.

14 I think those are all my questions.

15 A. Thank you.

16 CROSS-EXAMINATION

17 BY COMMISSIONER WARNELL:

18 Q. Mr. Hodges, you repeatedly testified that SCADA  
19 can shut down the valves automatically, seems like,  
20 temperature pressure, whatever. I'm more interested in  
21 how those valves are turned back on. I know they're  
22 shut down automatically by SCADA. Are there boots on  
23 the ground that you have to go out there and do that?

24 A. It's a great question, and I'm glad you asked  
25 that, because I didn't bring that up.

1           Anytime we have a shutdown situation, we do  
2 not turn them back on automatically. We send personnel  
3 to the site to see what the problem is, to make sure  
4 that everything is safe to put it back on, and then we  
5 will manually put that back into service, yes, sir.

6           Q.   When something is shut down, when is the public  
7 notified, or are they? What would create a notification  
8 to the public? What kind of shutdown would have to  
9 happen?

10          A.   Notification to the public would be if we had a  
11 situation where we had a gas release, and we enacted our  
12 H2S contingency plan; and that's when the public would  
13 be notified, with the activation of the contingency  
14 plan.

15          Q.   Your H2S sniffer out there, it goes off at, did  
16 you say, ten parts per million?

17          A.   Yes, sir.

18          Q.   At ten parts per million.

19                   Are there alarms that go off there, or that  
20 just goes back to your control center or your people?

21          A.   That blue beacon will come on, and it will  
22 alarm us by radio and by phone.

23          Q.   That's all I have. Thank you.

24

25

CROSS-EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY COMMISSIONER BALCH:

Q. Good afternoon.

A. Good afternoon.

Q. You mentioned that it -- with these columns [sic], the system shuts down?

A. Yes, sir.

Q. That's at the well head with deadman switches, or do you try and do that -- I mean, if you have no communication from the main facility, it has to be at the site, right, at the injection or the battery?

A. I'm not an automation expert, but I do know that we have a system at our Hobbs office, and it communicates through what they call a heartbeat with these radios. And if it misses a heartbeat for 30 seconds, then it initiates shutdown on a no comm. It says that the host system couldn't communicate with the end device, and when that happens, it initiates that shutdown.

Q. And then everything shutdowns at the satellites?

A. Yes.

Q. In the event of a power failure, same thing, right?

A. Yes, that's correct.

1 Q. It looked like everything was on the grid. Do  
2 you have backup generation?

3 A. Yes, we do.

4 Q. What about for the H2S sensors, in particular?

5 A. All the H2S sensors are backed up with a  
6 battery for a 24-volt system. And as you can see in  
7 that picture right there, they're all solar-paneled,  
8 solar panels that have -- you know, generate --

9 Q. Photoelectric for the battery?

10 A. Yes.

11 Q. Those are maintained on a regular schedule?

12 A. Yes, they are.

13 Q. Where does all this SCADA data go? I mean, it  
14 looks like it goes to the Hobbs main office.

15 A. Right.

16 Q. And also can be accessed remotely by permission  
17 to get into the system using your GraphworX or --

18 A. Correct.

19 Q. -- AlarmWorX protocols, right?

20 A. Yes, it is.

21 Q. At any one time -- I think I'm wondering if  
22 people are actively looking at the system, looking for  
23 alarms or are available to hear an alarm. How many  
24 people do you have on a shift?

25 A. I have ten employees that are there on a daily

1 basis.

2 Q. That's throughout the 24-hour period?

3 A. Throughout the 24-hour. After the eight-hour  
4 shift, I'm going to have, for a short time, three, and  
5 then two during the nighttime.

6 Q. So at night, you have double redundancy; people  
7 sitting there in the control room, looking at the data,  
8 and that's two people, not just one?

9 A. I've got one guy in the control room, one guy  
10 in the field.

11 Q. That's your night rider?

12 A. That's correct.

13 Q. Do they communicate?

14 A. Oh, yes, sir.

15 Q. Keep in touch with each other?

16 A. Yes.

17 Q. So if one knows, the other one knows pretty  
18 quick?

19 A. You bet. They do.

20 Q. Those are my questions.

21 A. Besides the guys in the field, I actually have  
22 one of my eight-hour guys on first call and then another  
23 guy on second call. So we have a lot of redundancy as  
24 far as personnel being available.

25 Q. Thanks.

1 A. You bet.

2 CROSS-EXAMINATION

3 BY COMMISSIONER BAILEY:

4 Q. You said check valves on injectors. Do you  
5 have downhole check valves?

6 A. No, ma'am, we do not.

7 Q. Is there a reason why not?

8 A. I would have to defer that question to the  
9 engineering -- worldwide engineering as far as their  
10 reasons for not having downhole check values.

11 Q. I'll save that question for another person.  
12 That's all I have.

13 COMMISSIONER BAILEY: Do you have any  
14 redirect?

15 MR. FELDEWERT: I do. I missed one topic  
16 that you were interested in. I forgot about it.

17 REDIRECT EXAMINATION

18 BY MR. FELDEWERT:

19 Q. Mr. Hodges, are you familiar with the fluids  
20 that are placed into the annulus as part of downhole  
21 corrosion mitigation efforts that were discussed briefly  
22 with Mr. Brockman?

23 A. Yes, I am.

24 Q. Can you address that, please?

25 A. I cannot give you exact parts per million, but

1 I know that -- I have worked with our chemical company  
2 before, and when they -- when we actually put packer  
3 fluid in a well, what they do is, they use fresh water.  
4 It's all water-based. They have a certain  
5 part-per-million corrosion inhibitor that they mix in  
6 there. They have a biocide that they put in there, and  
7 they put a small amount of oxygen scavenger. So that's  
8 kind of the mix, I guess, we've used in the oil field  
9 with the water-based fluid for protection of piping in  
10 those annulus, if that answers your question.

11 MR. FELDEWERT: No further questions.

12 COMMISSIONER BAILEY: You may be excused.

13 THE WITNESS: Thank you.

14 MR. FELDEWERT: Madam Chair, I do have a  
15 witness who can address your concerns about downhole  
16 check values. We can certainly put him back on now,  
17 since that seems to be timely.

18 COMMISSIONER BAILEY: That would be a good  
19 thing to do, yes.

20 MR. FELDEWERT: We will recall Jerad  
21 Brockman.

22 COMMISSIONER BAILEY: You're still under  
23 oath. You may be under oath until this --

24 THE WITNESS: That's great.

25 COMMISSIONER BALCH: Just don't get pulled

1 over on the way home.

2 JERAD BROCKMAN,

3 after having been previously sworn under oath, was  
4 recalled and was questioned and testified as  
5 follows:

6 DIRECT EXAMINATION

7 BY MR. FELDEWERT:

8 Q. Mr. Brockman, we have on the screen what is  
9 slide seven -- yes, slide seven of OXY's Exhibit 10.

10 A. Okay.

11 Q. And there was a discussion earlier about the  
12 check valve that exists on the right-hand side of this  
13 picture, towards the top of the wellbore.

14 A. Yes, I see it.

15 Q. Were you here for that testimony?

16 A. Yes, I was.

17 Q. There was a question raised about whether there  
18 should also be downhole check valves on these types of  
19 facilities. Have you looked at that? Have you  
20 considered that?

21 A. Yes, we have.

22 Q. And what's your opinion based on your expertise  
23 that you bring to the table?

24 A. We feel they are not necessary and, in fact,  
25 create greater operational issues than what they are

1 designed to prevent.

2 Your first line of defense at the downhole  
3 check valve -- sort of leak coming back up the wellbore.  
4 Well, this surface valve will prevent that same leak.  
5 So, one, we think we're covered there. Also, we think  
6 that the proper metallurgy is our first line of defense  
7 as well to prevent all this backflow from the reservoir  
8 up the wellbore.

9 Also, to operate a subsurface safety valve,  
10 you actually have to have a hydraulic -- hydraulically  
11 actuated -- hydraulically actuated valve, and so you  
12 have to have a hydraulic power fluid to actuate that  
13 valve. And so to get there, you have to actually drill  
14 holes and compromise your wellhead integrity. So we  
15 don't feel that's the right thing to do in an onshore  
16 operation.

17 Q. So do you believe, Mr. Brockman, that it  
18 actually poses an operational risk to try to install and  
19 utilize these downhole check valves?

20 A. Yes, it does.

21 Q. Are you aware of any such downhole check valves  
22 for any of the injection wells that OXY operates in the  
23 Permian Basin?

24 A. No, I'm not.

25 Q. In your opinion, if someone came to you and

1 said, Let's put a downhole check valve, would you be  
2 wanting to do that given the operational concerns you  
3 have expressed?

4 A. No, I would not.

5 MR. FELDEWERT: That's all the questions I  
6 have.

7 MS. GERHOLT: I have no questions.

8 COMMISSIONER BAILEY: Thank you very much.

9 THE WITNESS: No problem.

10 COMMISSIONER BAILEY: You may call your  
11 next witness.

12 MR. FELDEWERT: Madam Chair, call  
13 Mr. Chokkarapu.

14 KRISHNA CHOKKARAPU,  
15 after having been first duly sworn under oath, was  
16 questioned and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. FELDEWERT:

19 Q. Mr. Chokkarapu, could you please give us your  
20 full name, identify by whom you are employed and in what  
21 capacity?

22 A. My name is Krishna Chokkarapu. I'm employed by  
23 OXY Oil & Gas and working in Houston. I work for  
24 Permian Business Unit in the Facilities and Construction  
25 Department as a facilities engineer senior advisor.

1 Q. And how do you spell your last name, slowly?

2 A. Chokkarapu, just like the way it is written,  
3 Chokkarapu.

4 Q. How do you spell it?

5 A. C-H-O-K-K-A-R-A-P-U.

6 Q. And how long have you been a part of the  
7 Facilities and Construction Department with the Permian  
8 Basin?

9 A. I've been involved with the F&C, Facilities and  
10 Construction, from 2008. Presently that is five years.

11 Q. Did you participate in the design of the  
12 surface facilities for the injection of CO2 and produced  
13 gases in the South Hobbs Unit?

14 A. Yes, I did.

15 Q. Are you part of a larger group within OXY that  
16 is tasked with corrosion management when it comes to CO2  
17 flooding surface facilities?

18 A. Yes. The way OXY is structured, it has  
19 multidisciplinary subject-matter expert groups within  
20 OXY, like Mr. Rick Foppiano has described, working for  
21 the worldwide engineering, all the way to the U.S.  
22 business onshore units. And we all collaborate on a  
23 functional disciplinary level, where we pull in  
24 subject-matter experts for a particular project.

25 And as being responsible for the

1 implementation and execution of the South Hobbs  
2 facilities, I pull in subject-matter experts and get  
3 their opinion and make sure they are delivering safety  
4 and that other safety parameters are implemented. So  
5 that is how I keep the mechanical integrity team, which  
6 is spread from the U.S. business to the worldwide,  
7 incorporated into the design.

8 Q. So is your pool of subject-matter experts  
9 worldwide?

10 A. Yes.

11 Q. And do they bring their experiences worldwide  
12 to the table?

13 A. Yes. And that's how we -- when we communicate  
14 back and forth, we have periodic meetings, periodic  
15 information exchange between the business unit and the  
16 worldwide. So we share operational experiences,  
17 operational efficiencies learned in the system.

18 Q. Is this group tasked with maintaining the  
19 mechanical integrity of OXY's facilities, particularly  
20 dealing with CO2 flooding?

21 A. Yes. As being a part of the overall  
22 operational group, they are tasked to maintain and meet  
23 the objectives for the MI, mechanical integrated team.

24 Q. Have you prepared slides to assist in your  
25 testimony here today?

1           A.    Yes, sir.

2           Q.    And are those slides contained within what's  
3    been marked as OXY Exhibit Number 11?

4           A.    Yes.

5           Q.    Does that exhibit contain 14 pages?

6           A.    Yes.

7           Q.    Then let's turn to what's been marked as slide  
8    one of OXY Exhibit 14.  And does it contain an accurate  
9    summary of your educational background, your work  
10   experience and professional affiliations?

11          A.    It does.

12          Q.    With respect to professional affiliations, it  
13   indicates that you are a former member of the American  
14   Institute of Chemical Engineers.  What happened?

15          A.    Yes.  It's an oversight on my part to continue  
16   to pay the membership.

17          Q.    So you met all the qualifications; you just  
18   didn't pay your dues for this particular year?

19          A.    And this happened about two years ago, so --

20          Q.    Now, it also indicates that you have a  
21   Certification of Engineer in Training, an EIT.  Are  
22   there various components of that certification?

23          A.    Yes.  This particular certification is a first  
24   step in the many steps required for professional  
25   engineer license requirement in any state.  So I have

1 already taken the EIT certification completely.

2 Q. And you're in the second phase of it now?

3 A. Yes. I'm working towards the second phrase,  
4 where I'm gaining expertise in the respective areas of  
5 my P.E. license.

6 Q. What was the award you received from OXY in  
7 2008?

8 A. I have -- it was an award in my 15 years of oil  
9 and gas experience working in special -- majority of it  
10 is in CO2 floods. I have developed a technology using  
11 CO2 -- an innovative way of using CO2 to increase  
12 efficiency of -- in water operations. And it was a  
13 project involved in 2006 -- 2006-2007 frame, and that  
14 led me to achieve this award.

15 Q. Let's talk about your 15 years of experience in  
16 the industry. This indicates that roughly since 1998,  
17 you've worked as a process engineer, a plant engineer  
18 and a facilities engineer and a project manager,  
19 correct?

20 A. Yes.

21 Q. What type of projects?

22 A. Starting from 1998, I started out as a process  
23 engineer dealing with oil and gas operations and gas  
24 processing operations.

25 After three years of experience, then I

1 moved into West Texas, which is predominantly enhanced  
2 recovery operations. From that time until now, I've  
3 been involved in the CO2 enhanced recovery operations  
4 South Hobbs facilities.

5 Q. So the CO2 floods in the Permian Basin?

6 A. That's right.

7 Q. Do you have any -- do you have any  
8 international experience?

9 A. Yes. I'm considered a subject-matter expert in  
10 process design and facilities engineering, and I  
11 periodically get called in to participate in peer  
12 reviews, participate in root-cause analysis, participate  
13 in any troubleshooting of gas processing equipment. So  
14 that's how I get involved into international operations  
15 where OXY presently operates, like Bahrain, Qatar,  
16 predominantly.

17 Q. Are you familiar with the design, engineering  
18 and construction of the facilities that OXY has  
19 installed at the North Hobbs Unit?

20 A. Yes. And as a matter fact, when I was working  
21 in Denver City, which is West Texas, for the 7 years of  
22 my 12 years, I've been working as a plant engineer,  
23 supporting all the plants within the West Texas area.  
24 And that's how I was involved in the North Hobbs CO2  
25 flood operations.

1 Q. And are you familiar with the design,  
2 engineering and construction of the facilities that OXY  
3 intends to utilize at South Hobbs?

4 A. Yes, I am.

5 MR. FELDEWERT: I would tender  
6 Mr. Chokkarapu as an expert witness in the design and  
7 engineering of CO2, produced gas, surface facilities and  
8 enhanced recovery oil project.

9 MS. GERHOLT: No objection.

10 COMMISSIONER BAILEY: Then he's so  
11 accepted.

12 Q. (BY MR. FELDEWERT) Can you tell us a little bit  
13 about when they come to you and say, We're going to do  
14 this in South Hobbs? What do you do? How do you get  
15 involved?

16 A. One of my previous witnesses, Jerad Brockman,  
17 he is from the Development Management Team. That is  
18 where most of the projects that OXY develops start from.  
19 The concept and the basic fundamental framework of the  
20 project starts with the Development Management Team.  
21 They look at the amount of crude oil, the amount of CO2  
22 that needs to be used. They generate the life-cycle  
23 cause and give us a framework of CO2 flood projects.  
24 And from there, we take the -- that forms our basis of  
25 design for all our CO2 flood operations, and we get all

1 the multidisciplinary groups involved in the initial  
2 design.

3 And the entire facilities development  
4 process can be described as a cradle-to-grave concept,  
5 where we involve all the subject-matter experts at every  
6 phase of the project.

7 Q. And you say cradle to grave. You're involved  
8 in the design?

9 A. Yes.

10 Q. What about the fabrication and construction?

11 A. It is. And we make sure, during the design  
12 phase, we take into consideration the objectivity of the  
13 project, which is supplied by the Development Management  
14 Team. In coordination with the regulatory requirements,  
15 in coordination with the state and district practices,  
16 in coordination with the economics of the project, we  
17 come out with the framework of the CO2 surface  
18 facilities.

19 We incorporate these things and start to  
20 design the facilities. Once the design is done, we go  
21 through the fabrication process, where, again, the  
22 requirements, which are identified during the design  
23 phase, are again implemented back in the fabrication and  
24 construction phase of the project. And we use the same  
25 philosophy when it is handed over to Operations Group

1 and maintained for the rest of the project.

2 So when I describe the cradle-to-grave  
3 concept, we identify the requirements that need to be  
4 met, and we make sure the concept is maintained from the  
5 beginning to the end of the project.

6 Q. Pursuant to the standards -- the industry  
7 standards?

8 A. That's right, yes.

9 Q. And in all of that process, on each of those  
10 phases, do you draw upon OXY's worldwide expertise, draw  
11 on your support team?

12 A. That's right. And to give you an instance,  
13 during the design phase, as I mentioned, we call in the  
14 multidisciplinary people. We do a peer review on the  
15 project, where the project team is hot [sic] spaced as  
16 a -- as an information provider, but the artisans [sic]  
17 are from a worldwide review and critique the work.  
18 That's how we get multidisciplinary support from other  
19 departments.

20 Q. Let's turn now to what's been marked as slide  
21 two of OXY 11. You created a slide dealing with the  
22 design aspect, fabrication and construction and then the  
23 maintenance aspect. Is this pretty much the layout of  
24 what you just talked about?

25 A. Yes. And this kind of gives a framework for

1 the cradle-to-grave concept, where during the design  
2 phase, we look at what is the present -- what is the  
3 operating environment for the system, the CO2 surface  
4 facilities that are going to be operated.

5 In this phase, we gather all the  
6 information about what kind of crude oil, what kind of  
7 gases are involved, what kind of water, any other  
8 companies that are -- and we also look at the operating  
9 panel [sic], like pressure, temperature, pH and  
10 composition. And we take these into consideration in  
11 connection with the regulatory requirements and industry  
12 standards or guidelines. We formulate the design, and  
13 that's how we start using all of these standards into  
14 maintaining -- or selection of the materials to begin  
15 with, and then we use industry standards to fabricate.

16 Q. Let's talk a little bit about that. I'm going  
17 to skip a slide. Let's go to some of the standards you  
18 were talking about. Were you familiar with the  
19 New Mexico standard when you began your design of this  
20 project?

21 A. Yes.

22 Q. And did you pay particular attention to the  
23 NACE standard MR0175?

24 A. Yes.

25 Q. What is that?

1           A.    NACE standard MR0175 is the standard developed  
2    over a period of 30 years by various industry groups and  
3    corrosion engineers.  Primarily, NACE standards  
4    stipulates or provides guidelines and requirements to  
5    meet in the fabrication -- design, fabrication and  
6    operational equipment associated with hydrogen sulfite  
7    to mitigate any sulfite -- any cracking-type corrosion  
8    mechanisms are mitigated.  So in a nutshell, this is a  
9    standard developed to make sure corrosion mechanisms  
10   associated with H2S are mitigated.

11          Q.    So bringing it down more to my level, does this  
12   tell you what materials to use based on the operating  
13   conditions?

14          A.    Yes.  It allows us -- or it lays the framework  
15   of how do we select the materials based on the operating  
16   environment, based on the temperature pressure, based on  
17   how long this equipment is going to be used.  That gives  
18   us the guidelines to select the materials.

19          Q.    Does this NACE MR0175 also provide procedures  
20   for the installation, fabrication of these devices?

21          A.    Yes, it does.  And it really stipulates the  
22   process of fabricating the piping components, pressure  
23   components or any other components within the CO2  
24   surface facilities so that the requirements which are  
25   stipulated to mitigate the corrosion mechanism are well

1 maintained and mechanical integrity is maintained.

2 Q. Does NACE standard MR0175, then, also agree  
3 [sic] with the maintenance of these facilities?

4 A. Yes, it does. And it provides guidelines on  
5 periods of testing, periods of inspection and also any  
6 engineering controls that need to be put in place.

7 Q. In your expert opinion, Mr. Chokkarapu, are the  
8 NACE MR0175 standards required by this rule protective  
9 of public safety and the environment?

10 A. Yes, it does.

11 Q. In addition to the NACE MR0175 standards, does  
12 the company also then utilize additional standards  
13 recognized in the industry to assist in the design,  
14 fabrication and maintenance of these surface facilities?

15 A. Yes. And there is a list of industry standards  
16 OXY utilizes in addition to the NACE standard MR0175.

17 Q. If I go to slide five, will that provide us a  
18 list?

19 A. Yes.

20 Q. So you've listed here various standards OXY  
21 utilizes in addition to the standards recognized in the  
22 Division rules?

23 A. That's right. And what I have listed is, in  
24 addition to the NACE MR0175, we use the ASME Section  
25 VIII, Division 1 code.

1 Q. Let me stop you right there. What is ASME?

2 A. ASME stands for Association -- American Society  
3 for Mechanical Engineers.

4 Q. And the other acronym I see up there is API.

5 A. American Petroleum Institute.

6 Q. Okay.

7 A. And these are various industry -- various  
8 standards developed.

9 API is a set of guidelines developed by the  
10 American Petroleum Institute for various operating  
11 environments. In particular, API 650 provides  
12 guidelines in fabrication, operation of surface  
13 facilities involved with hydrogen sulfite.

14 ASME Section VIII, Division I provides  
15 guidelines in connection with NACE MR0175 in fabrication  
16 of pressure vessels which can withstand not only the  
17 corrosive effect of hydrogen sulfite fluids, but also  
18 maintain the safety and integrity of the pressure vessel  
19 and maintain the fluids within the vessel or the  
20 component when the operating environments deviate from  
21 its normal operating conditions.

22 Q. Are these standards based on years of industry  
23 experience?

24 A. Yes. All these standards are developed over  
25 30-plus years of industry experience.

1 Q. Now, what do they do on top of what NACE MR0175  
2 provides? I mean, what do they give you in addition to  
3 what that rule provides?

4 A. Yes. I mean, I can probably -- I can take a  
5 specific example like a pressure vessel or a pipe to try  
6 to explain the additional things.

7 Q. Let's go to slide seven -- or slide six.

8 A. What this slide shows is all the components  
9 within the CO2 surface facilities that are required to  
10 be fabricated and they put into operations for  
11 successful implementation of CO2 flood.

12 As I've identified here, pressure  
13 vessels -- in addition to the NACE MR0175, ASME Section  
14 VIII, Division 1 provides guidelines in calculating the  
15 thickness of the plate or thickness of the material that  
16 is required to maintain the fluids for the operating  
17 conditions it is designed for, for example, 100 pounds  
18 of pressure inside the vessel. So it stipulates the  
19 proper calculation methodology and the guidelines so  
20 that we come out with the proper thickness so that the  
21 fluids are contained and safety is established.

22 Q. Let me stop you there. For example, then, on  
23 that example, NACE MR0175 is saying, Here's the  
24 thickness you should use?

25 A. NACE MR0175 tells us what kind of materials

1 need to be used to minimize or mitigate stress of  
2 sulfite, stress corrosion cracking, hydrogen -- or  
3 sulfite -- stress corrosion cracking and some other  
4 cracking mechanisms.

5 So we take that in the initial phase, where  
6 we select the materials, and we use those materials  
7 which are based on the operating conditions, and use the  
8 ASME or API or ASME B31.3 to incorporate and integrate  
9 with regards to safety.

10 Q. So does it give you like a guideline to follow  
11 to make sure you the meet the requirements that are  
12 imposed by MR0175?

13 A. Yes.

14 Q. Is that a good way to think about it?

15 A. Yes.

16 Q. So it gives you an additional checklist?

17 A. Checklist, yes.

18 Q. And is that true, then, throughout these  
19 examples?

20 A. Exactly.

21 Q. With this knowledge, then, let's go back to  
22 slide three of this exhibit, and I believe there is some  
23 animation associated with this, is there not,  
24 Mr. Chokkarapu?

25 A. Yes, there is.

1           Q.    With this background, this worldwide group that  
2    you bring together and using these industry standards  
3    that you've just identified, explain how you then apply  
4    that to, for example, in this case, the facilities that  
5    are going to be -- which are going to be used at the  
6    South Hobbs Unit project.

7           A.    What we do before we get into the complete  
8    detail engineering of any of the CO2 facilities, we come  
9    up with simple flow diagrams like these for CO2  
10   facilities, and segregate or group the entire flow  
11   diagram into several groups based on operating  
12   conditions.

13                   For instance, in this diagram, we have  
14   grouped the entire flow schematic into four different  
15   groups. There is the operating pressure, temperature  
16   and the composition of the gas.

17                   Next slide.

18           Q.    (Complies.)

19           A.    There is the group number one type of  
20   components, which are basically -- I will be having more  
21   slides which shows more --

22           Q.    So you're going to identify the groups and then  
23   have a slide for each group?

24           A.    Yes.

25                   And group one is the group of all the

1 components for the production system. That is called  
2 group one. Group two is a group of components, which  
3 comprises a decompression facility and injection  
4 facilities. Group three is where all the water is  
5 processed and reconditioned for injection. And group  
6 four is what we call WAG injections, where we  
7 differentiate between the -- injection intervals.

8 Q. Let's move to the slide that will deal with  
9 group one. Okay? So then explain how you took the  
10 industry standards, the operating conditions and came to  
11 your conclusions with respect to group one, which is  
12 depicted on slide seven of OXY Exhibit 11?

13 A. As previously mentioned, we gather all the  
14 information in that particular flow diagram, all the  
15 operating conditions like pressure, 375 pounds of  
16 pressure, which are the producing wells --

17 To back up, this group of equipment and  
18 piping are associated with gathering all the fluids  
19 produced from production wells into what we call these  
20 production satellites. And what you see here depicts  
21 the pressure, temperature and water of that particular  
22 flow scope.

23 We take this data and use the NACE MR0175  
24 to identify the materials, what we can use and -- what  
25 we can use and also maintain -- which will allow us to

1 meet our safety requirements.

2 When we use the operating data, we came up  
3 with carbon steel, two types of materials that can be  
4 used here. One is -- we identified it as "A" and "B,"  
5 which is piping, basically. "A" is internally coated  
6 carbon steel, and the carbon steel is a NACE carbon  
7 steel. And the second, "B," is a poly-lined carbon  
8 steel. Again, the carbon steel is a NACE component  
9 [sic].

10 Q. And this is all driven by NACE MR0175, right?

11 A. Yes. That forms the basis of all the  
12 selections.

13 Q. Now, in terms of the material that you have  
14 chosen for circumstance "A" and "B" on slide seven, is  
15 there any difference in the level of protection provided  
16 by that material?

17 A. No. They both give the same level of  
18 protection.

19 Q. So then what caused a distinction in one case  
20 to choose option "A" and the other case to choose option  
21 B?

22 A. There are several factors which go into the  
23 selection of whether you use "A" or "B." For example,  
24 you look at the size of the pipe that is used. In this  
25 case, it's a six-inch pipe for "A." For "B," it is 18

1 inches or 12 inches. And there may not be piping  
2 components available in 12 inches which are already  
3 internally coated, so we use the alternative mechanism  
4 of laying the pipe, welding the pipe and pulling a  
5 poly-lined through it.

6 Availability also comes into play and also  
7 the ability to construct. The areas where these lines  
8 are laid out also comes into play when we select these  
9 type of materials.

10 Q. Then if we move, then, to the next grouping of  
11 facilities on slide number eight, again, this is what  
12 your group came up with when applying the NACE MR0175  
13 standards in terms of materials, correct?

14 A. That's right. This is the group two of  
15 components -- pressurized components in CO2 surface  
16 facilities which operate under 1,800 pounds of pressure.  
17 One thing to note here is, the components here are not  
18 subjected to saturation levels of water. In the  
19 decompression facility, we utilize dehydration  
20 technologies to remove the water to the level of seven  
21 pounds or less to minimize or mitigate corrosion and  
22 hydrate operation mechanisms. So that is one of the  
23 things that comes into play in the selection of these  
24 components.

25 And then since the water -- presence of

1 saturated water is not there, NACE -- by following the  
2 guidelines of NACE, it allows -- or it stipulates the  
3 use of carbon steel under -- by following the  
4 manufacturing processes and fabrication processes. So  
5 that allows us to use bare [sic] carbon steel in the --

6 Q. Now, in this particular circumstance, you had a  
7 material selection that you made by applying NACE  
8 MR0175. Would you, for example, then have requirements  
9 that are imposed by that same rule when it comes to the  
10 welding of this pipe together?

11 A. Yes. NACE MR0175 stipulates how the piping  
12 components are combined to the welding process. It  
13 stipulates what kind of welding procedure is required,  
14 what kind of welding materials have to be required. All  
15 these come into play so that we maintain the primary  
16 objective of keeping the material resistant to any  
17 corrosion mechanisms.

18 Q. Let's run in to slide nine. And, again, we  
19 probably don't have to spend a whole lot of time on  
20 here, but this will be what is dictated by NACE MR0175,  
21 given the operating conditions that are reflected on  
22 slide nine?

23 A. That's right.

24 And here, predominantly, all the water  
25 which is separated in the satellites is treated. All

1 the gas is -- dissolved gas is liberated, and basically  
2 you have a produced water, which is repressurized for  
3 injection services. And, again, since it is considered  
4 a sour water, since trace quantities of H<sub>2</sub>S carbon  
5 dioxide are present, we treat that as a NACE-required  
6 piping, and we use a poly-lined carbon steel pipe, which  
7 is, again, stipulated by NACE.

8 Q. If we go to slide ten, this deals with the  
9 injection?

10 A. This is the fourth group of component --  
11 pressure components. We call this the WAG injection  
12 systems. Here, again, we have remote-area injection  
13 wells and also city-area injection wells. Primarily the  
14 difference is that it is a produced gas injection or a  
15 pipeline CO<sub>2</sub> injection.

16 Q. Let me ask you a question about this. You have  
17 two different types here, C and D. Okay? Is there any  
18 difference in the level of protection between what is  
19 shown on here on C and D?

20 A. No. Both these two materials provide you the  
21 same level of corrosion resistance and safety design as  
22 required by NACE MR0175.

23 Q. And you recognize you're going to be working in  
24 a city area, correct?

25 A. That's correct.

1           Q.    So what about -- what is it about stainless  
2   steel that applied, at least with OXY, to this city  
3   area?

4           A.    There are a couple of reasons why we chose or  
5   we decided to use stainless steel in city-area  
6   injection. One is, stainless steel provides one  
7   additional layer of protection. Coupled with that, we  
8   have tremendous advantages in reducing the exposure  
9   during the construction process, as well as maintenance  
10   of this project.

11                   To give an example, in a city, while we are  
12   laying an injection line, if I use a poly-lined carbon  
13   steel, I have to dig a ditch which is about six feet  
14   long, six feet wide, probably 400 feet to 500 feet, keep  
15   it open until the entire carbon steel pipe is welded,  
16   pressure test it, ND test it. And then I have to pull a  
17   liner, again pressure test it, before I can fill this  
18   one. So that creates one more level of exposure to  
19   any --

20          Q.    I'm sorry. Go ahead. When you say -- in terms  
21   of exposure, that means I've got a larger -- I've got an  
22   open trench that's longer and open for a longer period  
23   of time?

24          A.    Yes.

25          Q.    Someone could fall in; accidents could happen?

1           A.    Exactly.  And that is what we're trying to  
2   mitigate.

3                    But if I use stainless steel, stainless  
4   steel pipes are available in 80 feet or random lengths.  
5   All we have to do is weld it up, do the ND testing, fill  
6   the ditch.  So that tremendously reduces [sic] our  
7   exposure to safety.

8           Q.    Now, by the same token, if some maintenance  
9   needs to be done on that type within the city limits,  
10   you can then minimize -- your trench length as well?

11          A.    That's right.

12                   If we have used carbon steel -- poly-lined  
13   carbon steel in the city and we encountered a leak and  
14   we had to make a repair, we need to dig at least 200  
15   feet of ditch to replace the whole pipe and pull the  
16   liner.  With the stainless steel, we can dig a 5-by --  
17   6-by-6 ditch and make the repair and put them together.

18                   So the use of the poly-lined is a little  
19   bit more laborious, and it raises exposure to safety  
20   hazards.  And that is a primary concern that we have  
21   taken into consideration to decide stainless steel in  
22   city areas.

23          Q.    Now, if I then go to what's been marked as  
24   slide 11, in addition to your material selection, as  
25   you've described in the previous exhibits, are there

1 other measures the company takes to mitigate corrosion?

2 A. Yes. As previously mentioned, NACE  
3 predominantly stipulates the requirements to meet or  
4 mitigate sulfite stress corrosion mechanisms. Whereas,  
5 all other engineering -- all other standards provide  
6 guidelines to minimize or mitigate general corrosion.  
7 And we put together corrosion-mitigation methods to  
8 prevent any corrosion from happening. One of that is  
9 the material selection, and then we use cathodic  
10 protection to mitigate the corrosion.

11 There are two types, sacrificial anodes or  
12 impressed current. Based on the type of the component  
13 in either field we service, whether it be in a pressure  
14 vessel or a contained vessel, we use sacrificial anodes.  
15 In simple terms, we can described sacrificial anode as a  
16 place where, if corrosion happens, it eats the anode  
17 first rather than eating the actual pressure component,  
18 which will compromise the safety.

19 Q. So it kind of attracts those --

20 A. Strengthens [sic], yes. As the fluids are  
21 moving through these components, stray currents are  
22 doubled up, which create corrosion, and those corrosion  
23 mechanisms act on as anode and eat that.

24 An impressed current is technology we use  
25 on pipelines where we apply a certain quantity of

1 current and monitor it on a periodic basis or on a  
2 continuous basis. As the use of the current increases,  
3 that demonstrates that there is a corrosion mechanism  
4 happening, and we react to it.

5 And the second type of engineering controls  
6 that we utilize is, first, to remove the water, which is  
7 the primary source of corrosion. We remove it by proper  
8 dehydration technologies. And then after the removal is  
9 done, we make sure enough corrosion monitoring devices  
10 are in place to alert us or even to give us the  
11 condition of the components which are handling these  
12 hazardous fluids.

13 Q. So that would be the monitors that we already  
14 talked about --

15 A. Yes.

16 Q. -- that have a connection to the automated  
17 shutdown system?

18 A. Yes. Like the water -- water measurement  
19 component, like Scott Hodges has mentioned, that is our  
20 engineering control which is linked to our shutdown  
21 valves, which cut off the CO2 or produced gas back to  
22 the fields, in convention with other parameters that we  
23 look at.

24 Q. Let me ask you about one aspect we haven't  
25 talked about previously, and it's the last one on here.

1 It's "monitor and mitigate corrosion using coupons," and  
2 then there is an arrow pointing to the picture. First  
3 off, where is this picture from?

4 A. This is an actual installation of corrosion  
5 called a corrosion coupon in the North Hobbs  
6 decompression facility. This is located on the fluid  
7 which is pressurized to 1,800 pounds after it is  
8 dehydrated and sent back to the satellites for  
9 reinjection. And the coupon which is shown in the blue  
10 component is inserted using a probe. Basically, you can  
11 imagine, the probe is always in the fluid. It is in  
12 contact with the fluid continuously.

13 We take out this coupon periodically, every  
14 30 days or based on how much corrosion is there or any  
15 evidence of corrosion, and we monitor and look for the  
16 weight loss, which gives us a measure of corrosion  
17 happening. So that provides a controlled mitigation  
18 method.

19 Q. Now, we then talked about material selection  
20 and how the industry standards are used, any other  
21 corrosion methods that you move into. Let's talk a  
22 little bit about -- getting back to the cradle-to-grave  
23 concept, let's talk about how these industry standards  
24 are then utilized in the fabrication and construction  
25 aspect of these facilities. So let's move to slide 12.

1           A.     During the fabrication and construction phase  
2     of the project, NACE MR0175 stipulates the type of  
3     materials and the type of composition of the materials  
4     that needs to be procured for fabrication of the  
5     pressure components. And we put in the QAQC procedures  
6     to make sure the materials that we procure are meeting  
7     the NACE standards, and then we also use other  
8     supplementary specifications which are part of the ASME  
9     or API or ANSI standards.

10          Q.     So they give you that additional checklist?

11          A.     Yes. We follow that additional checklist where  
12     we maintain the integrity of the component.

13          Q.     And I think we've already talked previously  
14     about the example -- the welding example.

15          A.     Yes.

16          Q.     So let's move, then, to -- continuing the  
17     cradle-to-grave concept, let's go to a topic that we  
18     haven't touched on, and that is the maintenance aspect.

19          A.     Yes.

20          Q.     So let's move to slide 13. How do these  
21     industry standards come into play, then, and how are  
22     they applied when you're dealing with it when the  
23     facilities are in and you're now maintaining them?

24          A.     Yes. Once the facility is designed,  
25     fabricated, constructed and installed, there is the

1 final phase where the facilities are going to be used  
2 for the life of the project. Based on the 30-plus years  
3 of industry experience, ASME, API, ANSI, NACE has  
4 provided guidelines to make sure that the equipment is  
5 meeting the fundamental -- fundamental objectives that  
6 it was previously designed for.

7 And we have a robust mechanical integrated  
8 program which takes into consideration all the  
9 guidelines provided by the industry standards, and we  
10 categorize them into two types of programs. One is  
11 regular interval-based testing and inspections. And the  
12 other one is risk-based inspection focused on damaged  
13 mechanisms.

14 Interval-based mechanism or inspection is  
15 like you inspect the component in a one-year, five-year  
16 or ten-year based on your experience.

17 Q. Let me stop you there. Is it also based on  
18 industry standards?

19 A. Yes. And industry standards, especially API,  
20 stipulates the periodic inspection of these components  
21 based on information and the composition of these  
22 components.

23 And risk-based inspections are a type of  
24 inspections based on previous failure mechanisms or  
25 any -- developed for operating in close proximity to the

1 public. So these two types of mechanisms are used.

2 Q. And, again, it's governed by --

3 A. Governed by the API.

4 Q. Industry standard?

5 A. Industry standard, yes.

6 Q. This maintenance and these standards, is it a  
7 proactive process?

8 A. It is a proactive process, and to quote an  
9 example, North Hobbs CO2 surface facilities were  
10 installed in 2003. In the 2011-2012 time frame, we took  
11 the entire CO2 operations down for five to seven days,  
12 where we have inspected every component of the CO2  
13 surface facilities, by the requirement by the industry  
14 standards.

15 Q. So nothing happened?

16 A. Nothing happened, no.

17 Q. But this is a proactive maintenance that is  
18 dictated by NACE MR0175 industry standards?

19 A. Yes.

20 Q. Then I think we're about ready to wrap up here.  
21 Turn to what's been marked as slide 14. There has also  
22 been -- I think it was referenced in the prior slide --  
23 a recordkeeping component, is there not, through this  
24 whole maintenance process, correct?

25 A. That's right.

1 Q. Why don't we -- this slide has animation.

2 A. It has some animation.

3 Q. Let's talk about that.

4 A. Since the maintenance can be 20 years or 30  
5 years, the knowledge that we have gathered during the  
6 initial phase of the project needs to be available to  
7 personnel who are operating 20 years down the road or 30  
8 years down the road. Actually, the API industry  
9 standards stipulate some of these requirements. We do  
10 that by construction document recordkeeping of all the  
11 construction documents, where we gather all the vessel  
12 data reports, hydro [sic] data reports, calculation  
13 reports, selection process of material and the welding  
14 procedures that are used in the fabrication process. We  
15 store them in an electronic database.

16 Next slide.

17 And after the South Hobbs facilities are  
18 fabricated and installed, we gather all the inspection  
19 documentation. The industry standard API and the MR0175  
20 stipulate as to inspect, pressure test the components  
21 before they're put into service so that they can be  
22 assured that the system is built to withstand the  
23 corrosion. And those type of reports go into the  
24 inspection documentation, which form the basis for  
25 subsequent inspection. And based on the operating

1 environment, previous history of failures, we subdivide  
2 the entire CO2 operations into various groups where we  
3 can plan on one year, five-year or ten-year or an  
4 RBI-based [sic] plan. All these are provided again on  
5 the guideline by API five-ten documentation.

6 Q. When you talk about this inspection plan, some  
7 of these inspections that result from all of this  
8 information, do they require a complete shutdown of the  
9 facility at times?

10 A. Yes, they do. And during that time, all the  
11 wells, injection wells, production wells, and the  
12 compression facilities are shut down, and the pressure  
13 components are opened for internal and external  
14 inspection.

15 Q. Is there also then a fourth aspect?

16 A. In order to manage and make sure there is a  
17 continuity of the documents, availability, we use  
18 database programs which comprise all this documentation  
19 and provides our inspection planning methodology and  
20 also provides snapshots of where we stand on integrity  
21 status.

22 Q. Now -- so this is real time?

23 A. This is all real time.

24 Q. Did you apply these same concepts that we just  
25 talked about today to the design, fabrication and

1 maintenance of the facilities at the North Hobbs Unit?

2 A. Yes, we do.

3 Q. And that has been operating as an injection  
4 site since 2003, correct?

5 A. Yes.

6 Q. Have you been successful at the North Hobbs  
7 Unit in avoiding corrosion issues?

8 A. Yes, it has been extremely successful.

9 Q. What was the result of a recent North Hobbs  
10 Unit mechanical integrity inspection?

11 A. We -- we have -- we have pressure tested all  
12 the production flow lines. We have guided -- we have  
13 tested all the injection lines, and we have externally  
14 tested all the pipelines. We have done pressure-vessel  
15 inspections internally and externally, and we have not  
16 found any failure mechanism associated with the  
17 corrosion fluids being handled.

18 Q. In your opinion, do OXY's plans for the design,  
19 fabrication and maintenance of the South Hobbs Unit  
20 surface facilities provide a reasonable level of  
21 protection to the public and the environment?

22 A. It does.

23 Q. Were the slides comprising OXY 11 compiled  
24 under your direction or supervision?

25 A. Yes.

1 MR. FELDEWERT: Madam Chair, I move  
2 admission into evidence of OXY Exhibit 11.

3 MS. GERHOLT: No objection.

4 COMMISSIONER BAILEY: Exhibit 11 is  
5 accepted.

6 MR. FELDEWERT: And that concludes my  
7 examination of this witness.

8 COMMISSIONER BAILEY: Do you have  
9 cross-examination?

10 MS. GERHOLT: No questions for this  
11 witness.

12 COMMISSIONER BAILEY: Mr. Warnell, do you  
13 have questions?

14 CROSS-EXAMINATION

15 BY COMMISSIONER WARNELL:

16 Q. Mr. Chokkarapu -- is that correct?

17 A. Yes, that's correct.

18 Q. I just wanted to see if I could say it  
19 (laughter).

20 A. You are one of the few who said it right  
21 (laughter).

22 Q. Oh, boy, I'm feeling better already.

23 I did have a question. On slide number  
24 five, one of the little blue coupons -- slide number 11.  
25 Excuse me. You said that that's pulled every 30 days?

1 A. That's right.

2 Q. A 30-day frequency, it's pulled?

3 A. Yes.

4 Q. And once you pull that and you look at the  
5 deterioration, is it re-used or --

6 A. No. A brand-new sample, which has been  
7 fabricated according to the NACE requirements, is used  
8 in place of the old one.

9 Q. Thank you.

10 COMMISSIONER BAILEY: Commissioner Balch?

11 CROSS-EXAMINATION

12 BY COMMISSIONER BALCH:

13 Q. Good afternoon --

14 A. Good afternoon.

15 Q. -- Mr. Chokkarapu. I probably missed it.

16 A. A little bit, but that's okay.

17 Q. These projects tend to be rather long-lived?

18 A. That's right.

19 Q. I imagine the person that drilled -- the person  
20 that owned the first well in the Hobbs Unit drilled it  
21 in 1935. If they were still alive, they'd be very  
22 shocked that 78 years later it's still doing something.

23 A. Yes.

24 Q. So when you design a facility for CO2  
25 injection -- I think there are already some that have

1     gone since the '60s.

2           A.    1970s, 1920s [sic], yes.

3           Q.    Okay.  So some have already been going for 35  
4     years.  You could always add in and beyond what you're  
5     originally specifying your design for.  You could be  
6     going after a reduced oil zone.  You could be going  
7     after other production intervals that would be in the  
8     same field.  It may just be more successful and  
9     long-lived than you expect?

10          A.    That's right.

11          Q.    So when you're designing one of these  
12     facilities, what do you do when you're considering  
13     design life?

14          A.    NACE MR0175, Section 8.2 stipulates that while  
15     we are selecting the materials, it stipulates that  
16     identify known operating conditions and unknown  
17     operating conditions and try to select the materials.  
18     That is our basis when we start.  And we make sure we  
19     try to anticipate as much as we can to incorporate in  
20     the first phase, first initial fabrication itself so  
21     that the equipment can be used.  And when we try to use  
22     the subject equipment for a different project or for a  
23     different phase of the project, we come back and we  
24     re-evaluate the condition of the equipment for the  
25     operating conditions.  By that time, we will be knowing

1 what the operating conditions are. So we will evaluate  
2 and make necessary adjustments. If we have to replace  
3 the equipment, we will replace the equipment.

4 Q. So for designing a project that you think is  
5 going to last 30 or 40 years, technologies change.

6 A. Yes.

7 Q. You also have 27 other CO2 floods which give  
8 you experience on what works, what doesn't work.

9 A. Yes.

10 Q. Is there ever -- or, is there a periodic review  
11 of overall operations to decide if you need a facility  
12 upgrade or anything like that, a big overhaul?

13 A. Yes. Not at a whole complete -- like a  
14 facility. But we -- we -- we look at the areas where --  
15 we first gather where the developments are made based on  
16 the industry publications or industry -- by following  
17 the industry standards. And we see where they apply and  
18 combine that with our own internal operating  
19 experiences, and try to evaluate and make a judgment  
20 whether we need to use those materials and what kind  
21 of advantages would that provide us in addition to what  
22 we already have. So that's how we make that judgment  
23 call.

24 Q. Okay. Thank you very much.

25 COMMISSIONER BAILEY: I have no questions.

1 Do you have redirect?

2 MR. FELDEWERT: I have no further  
3 questions.

4 COMMISSIONER BAILEY: You may be excused.

5 THE WITNESS: Thank you.

6 COMMISSIONER BAILEY: Shall we call it a  
7 day and begin tomorrow with Kelly Montgomery?

8 MR. FELDEWERT: Yes.

9 COMMISSIONER BAILEY: We will continue this  
10 hearing until tomorrow morning at 9:00 here in Porter  
11 Hall.

12 MR. FELDEWERT: Thank you.

13 (Evening recess, 4:32 p.m.)

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO  
3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, New Mexico Certified  
6 Court Reporter No. 20, and Registered Professional  
7 Reporter, do hereby certify that I reported the  
8 foregoing proceedings in stenographic shorthand and that  
9 the foregoing pages are a true and correct transcript of  
10 those proceedings that were reduced to printed form by  
11 me to the best of my ability.

12 I FURTHER CERTIFY that the Reporter's  
13 Record of the proceedings truly and accurately reflects  
14 the exhibits, if any, offered by the respective parties.

15 I FURTHER CERTIFY that I am neither  
16 employed by nor related to any of the parties or  
17 attorneys in this case and that I have no interest in  
18 the final disposition of this case.

19  
20 

21 MARY C. HANKINS, CCR, RPR  
22 Paul Baca Professional Court Reporters  
New Mexico CCR No. 20  
Date of CCR Expiration: 12/31/2013