

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION COMMISSION FOR  
THE PURPOSE OF CONSIDERING:

ORIGINAL

APPLICATION OF OCCIDENTAL PERMIAN LIMITED Case No. 14981  
PARTNERSHIP TO AMEND ORDERS R-4934 AND  
R-4934-E GOVERNING THE SOUTH HOBBS GRAYBURG-SAN  
ANDRES PRESSURE MAINTENANCE PROJECT TO ALLOW THE  
INJECTION OF CARBON DIOXIDE AND PRODUCED GASES, TO  
MODIFY THE SURFACE INJECTION PRESSURE, TO OBTAIN  
OTHER RELIEF, AND TO QUALIFY THIS EXPANSION FOR  
THE RECOVERED OIL TAX RATE PURSUANT TO THE NEW MEXICO  
ENHANCED OIL RECOVERY ACT, LEA COUNTY, NEW MEXICO

APPLICATION OF OCCIDENTAL PERMIAN LTD. Case No. 14976  
FOR APPROVAL TO ADD THE NORTH HOBBS G/SA  
UNIT WELL NO. 431 AS AN INJECTION WELL FOR WATER,  
CARBON DIOXIDE AND PRODUCED GAS IN ITS NORTH HOBBS  
GRAYBURG-SAN ANDRES TERTIARY RECOVERY PROJECT  
LOCATED WITHIN THE HOBBS GRAYBURG-SAN ANDRES POOL,  
LEA COUNTY, NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
COMMISSIONER HEARING

BEFORE: JAMI BAILEY, Chairman  
DR. ROBERT BALCH, Commissioner  
TERRY WARNELL, Commissioner

May 10, 2013  
Santa Fe, New Mexico

This matter came on for hearing before the New  
Mexico Oil Conservation Commission, JAMI BAILEY,  
Chairman, on Friday, May 10, 2013, at the New Mexico  
Energy, Minerals and Natural Resources Department, 1220  
South St. Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91  
Paul Baca Professional Court Reporters  
500 Fourth Street, N.W., Suite 105

RECEIVED 0000  
MAY 21 10 46 AM '13

A P P E A R A N C E S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FOR THE OIL CONSERVATION COMMISSION:

BILL BRANCARD  
Assistant General Counsel  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

HOLLAND & HART, LLP  
MICHAEL H. FELDEWERT, ESQ.  
ADAM RANKIN, ESQ.  
P.O. Box 2208  
Santa Fe, New Mexico 87504  
(505)988-4421

FOR THE OIL CONSERVATION DIVISION:

GABRIELLE A. GERHOLT  
Associate General Counsel  
Oil Conservation Division  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87504  
(505)476-3451

ALSO PRESENT:

Florene Davidson, Commission Clerk

WITNESSES:

PAGE

Kelley Montgomery:

Direct examination by Mr. Feldewert	5
Cross-examination by Ms. Gerholt	49
Examination by Commissioner Warnell	57
Examination by Commissioner Balch	58
Examination by Chairman Bailey	62
Redirect examination by Mr. Feldewert	64

Patrick Sparks:

Direct examination by Mr. Feldewert	68
Examination by Commissioner Balch	76

1 WITNESSES: (Continued) PAGE

2

Kelley Montgomery:

3

Direct examination by Mr. Rankin 93

4

Cross-examination by Ms. Gerholt 114

Examination by Commissioner Warnell 117

5

Examination by Commissioner Balch 119

Examination by Chairman Bailey 120

6

Redirect examination by Mr. Rankin 123

7

INDEX

PAGE

8

EXHIBITS CASE 14981

9

OXY EXHIBIT 12 WAS ADMITTED 48

10

OXY EXHIBITS 13 THROUGH 15 WERE ADMITTED 76

OXY EXHIBIT 16 WAS ADMITTED 78

11

OCD EXHIBIT A WAS ADMITTED 79

12

EXHIBITS CASE 14976

13

OXY EXHIBITS 1 THROUGH 5 WERE ADMITTED 113

14

OCD EXHIBIT A WAS ADMITTED 127

15

REPORTER'S CERTIFICATE 131

16

17

18

19

20

21

22

23

24

25

1                   CHAIRMAN BAILEY: We'll go back on the  
2 record this morning. It's Friday, May 10th. This is a  
3 continuation of Case 14981, which is the application of  
4 Occidental Permian Limited Partnership to amend Orders  
5 R-4934 and R-4934-E governing the South Hobbs  
6 Grayburg-San Andres Pressure Maintenance Project to allow  
7 the injection of carbon dioxide and produced gases, to  
8 modify the surface injection pressure, to obtain other  
9 relief, and to qualify this expansion for the recovered  
10 oil tax rate pursuant to the New Mexico Enhanced Oil  
11 Recovery Act.

12                   All three Commissioners are here, so there is  
13 a quorum of the Commission.

14                   When we left off yesterday evening, we were  
15 ready for Kelley Montgomery to stand as a witness. Is  
16 she -- would you like to call your witness?

17                   MR. FELDEWERT: Madam Chair, just one  
18 matter of housekeeping. Ms. Montgomery is going to be  
19 going through what has been marked as Oxy Exhibit Number  
20 12. In reviewing the information since this exhibit was  
21 filed with the Commission, we noticed that there was a  
22 typographical error on Slides 8, 9 and 10 of Oxy Exhibit  
23 12. We ask that they be substituted. And I provided the  
24 Commission with substitute slides, as well as the record.

25                   So with your permission, we would like to

1 substitute Slides 8, 9 and 10 in what is Oxy Exhibit  
2 Number 12.

3 CHAIRMAN BAILEY: Is there an objection?

4 MS. GERHOLT: No objection, Madam Chair.

5 CHAIRMAN BAILEY: Then we will accept  
6 substituted Slides 8, 9 and 10.

7 MR. FELDEWERT: Thank you.

8 We are prepared to call Ms. Montgomery to the  
9 stand.

10 CHAIRMAN BAILEY: Would you please stand  
11 to be sworn and to sit at the witness stand?

12 KELLEY MONTGOMERY

13 Having been first duly sworn, testified as follows:

14 DIRECT EXAMINATION

15 BY MR. FELDEWERT:

16 Q. Would you please state your full name for the  
17 record.

18 A. Kelley Montgomery.

19 Q. By whom are you employed?

20 A. By Oxy.

21 Q. And what are your current job  
22 responsibilities?

23 A. I'm a regulatory consultant.

24 Q. How long have you been with Oxy?

25 A. Twenty-two years as a consultant and as an

1 employee.

2 Q. Do your current employment responsibilities  
3 include the South Hobbs Unit?

4 A. Yes.

5 Q. Are you part of the team at Oxy that has been  
6 tasked with converting the South Hobbs Unit from a  
7 waterflood to a tertiary recovery project?

8 A. Yes.

9 Q. Did you prepare the C-108 application that has  
10 been marked in the record as Oxy Exhibit 1?

11 A. Yes, I did.

12 Q. Did you also prepare and supervise the area of  
13 review analysis that has been marked as Oxy Exhibit  
14 Number 2?

15 A. Yes, I did.

16 Q. Were you involved in meetings before the  
17 Division concerning your area of review analysis?

18 A. Yes. We had two meetings with the Division  
19 going over our area of review.

20 Q. What subjects will you be discussing with the  
21 Commission today?

22 A. We'll be discussing the C-108 in the area of  
23 review. I believe there's also talk about our TA'd wells  
24 and the cement bond logs.

25 Q. And I think at the beginning you and I will

1 quickly go through the data that's necessary for the tax  
2 incentive?

3 A. Yes.

4 Q. Did you prepare slides to assist you in  
5 presentation here today?

6 A. Yes.

7 Q. If you'll take out that white notebook and  
8 turn to what's Tab 12 --

9 A. Okay.

10 Q. -- what's been marked as Oxy Exhibit Number  
11 12. Are these the slides that you have prepared for your  
12 testimony?

13 A. Yes.

14 Q. Does it comprise 23 pages?

15 A. Yes, it does.

16 Q. Okay. Let's turn to the first slide. Does  
17 this accurately summarize your educational background and  
18 work history?

19 A. Yes, it does.

20 Q. How long have you been a Registered  
21 Professional Engineer?

22 A. Since 1997.

23 Q. And it indicates that in 22 years you served  
24 as an engineer in oil and gas matters related to  
25 production engineering?

1 A. Yes.

2 Q. As well as environmental engineering?

3 A. As well as environmental, yes.

4 Q. What experience do you have with CO2 floods?

5 A. All of my production engineering experience  
6 has been in CO2 floods. And the most recent production  
7 engineering stint was with a reinjection -- CO2  
8 reinjection flood. And then all of my environment  
9 experience has been in the Permian Basin, so that was  
10 also with CO2 recovery plants and with CO2 fields.

11 Q. As an environmental engineer, were you  
12 involved in health and safety compliance audits?

13 A. Yes. During my environmental engineering, we  
14 did audits, we did compliance, permitting and dealing  
15 with regulations and reading the regulations and helping  
16 our employees understand them and comply with them.

17 Q. Were you involved in planning for CO2 floods?

18 A. Yes.

19 MR. FELDEWERT: I would tender  
20 Ms. Montgomery as an expert witness in oil and gas  
21 production engineering and oil and gas environmental  
22 engineering.

23 CHAIRMAN BAILEY: Any objection?

24 MS. GERHOLT: No objection.

25 CHAIRMAN BAILEY: She is accepted.



1 Q. (By Mr. Feldewert) Are you aware that there  
2 is a Division order that governs the information that  
3 must be presented to qualify for the tax relief afforded  
4 by the Enhanced Oil Recovery Act?

5 A. Yes.

6 Q. Was that information provided in Oxy's  
7 application that has been filed with this Commission?

8 A. Yes, it was.

9 Q. Do we have some slides that will allow us to  
10 quickly go through that particular information?

11 A. Yes.

12 Q. Turn to Slide 2. Does this provide us with a  
13 legal description of the project area?

14 A. Yes, it does.

15 Q. It notes at the bottom that there was an error  
16 in the legal description that currently exists in  
17 R-4934-E. Are you aware of that?

18 A. I'm aware of that.

19 Q. On this Slide 2 of Oxy Exhibit 12, do you  
20 identify the area where the error occurred in the order  
21 by way of an asterisk?

22 A. Yes. There are two asterisks noted.

23 Q. Does this slide accurately reflect the legal  
24 description of the project area?

25 A. Yes, it does.

1 Q. If I go to what's been marked as Slide Number  
2 3, does this accurately set forth and summarize the  
3 amount of acreage that's involved in the project area?

4 A. Yes, it does.

5 Q. Does it accurately set forth the pool and  
6 formation that's involved?

7 A. Yes.

8 Q. Does it identify the orders that are currently  
9 governing this project?

10 A. Yes.

11 Q. As this reflects, this is a current waterflood  
12 operation?

13 A. That's correct.

14 Q. At the bottom of this slide, does it identify  
15 the proposed operation that is being heard by the  
16 Commission?

17 A. Yes.

18 Q. If we then go to what's marked as Slide Number  
19 4, does it accurately set forth what you anticipate to be  
20 the capital cost of additional facilities?

21 A. Yes.

22 Q. Does it identify the total project capital  
23 cost?

24 A. Yes.

25 Q. You also provided an estimate of the

1 additional production that you intend to recover?

2 A. That's correct.

3 Q. What's the anticipated start date for your  
4 injection?

5 A. September 2015.

6 Q. Does Slide 4 at the bottom accurately  
7 summarize the type of injected fluid and the anticipated  
8 volumes?

9 A. Yes, it does.

10 Q. If we move on to Slide Number 5, there's one  
11 point that we need to make with Slide Number 5. The  
12 actual list of the current injection and production wells  
13 is not contained in Section 3 of the application. It's  
14 actually provided as Exhibits B and C to the application;  
15 isn't that correct?

16 A. That's correct.

17 Q. Section C, which we incorrectly referenced  
18 here, actually deals with the proposed injection list?

19 A. That's right. That's the list of proposed  
20 injectors.

21 Q. So the list of the current injection and  
22 production wells have been provided to the Commission as  
23 Exhibits B and C to the application?

24 A. Yes, that's correct.

25 Q. Finally, if we go to what's been marked as

1 Slide Number 6 in Oxy Exhibit 12 -- we've seen this  
2 before -- is this the historical and forecasted  
3 production history that has been provided to the  
4 Division?

5 A. Yes, that's what it is.

6 Q. This was actually Exhibit D to Oxy's  
7 application; is that correct?

8 A. That's correct.

9 Q. Having fulfilled the requirements for the Tax  
10 Incentive Act, let's now turn to a discussion, if we  
11 could, of the proposed injector wells, okay?

12 A. Okay.

13 Q. First off, perhaps what we should do is, if we  
14 go to -- put this notebook aside and go to what's been  
15 marked as Oxy Exhibit 1, which should be the smaller  
16 white notebook, which is the C-108 application.

17 Ms. Montgomery, if we go to the second tab in  
18 that notebook, I believe it contains a list of the  
19 proposed injectors that you foresee currently for the  
20 South Hobbs Unit?

21 A. Yes. There's a list of 53 total injectors.

22 Q. Now, can you just explain to us briefly how  
23 this particular portion of the notebook that's marked as  
24 Oxy Exhibit 1 is organized?

25 A. Sure. What you're looking at on this first

1 page is -- in the left-hand column you have the well  
2 name. And as you move to the right through the columns,  
3 you'll have the API number of that well. The next few  
4 columns are the locations of the well. The next column  
5 is the proposed injectant.

6 So the two differences there, you've got the  
7 purchased CO2 and water, and then you also have your  
8 produced gas, CO2 and water. And this differentiates  
9 between the different injectors.

10 And then the final column talks about the  
11 current status of the well. The first 30 are currently  
12 active wells, and then the new drills are summarized just  
13 below that. So if you turn the page --

14 Q. We'll go to the second page under Tab 3?

15 A. Yes. What you have there, there's three  
16 11-by-17 sheets. On the first one, it's labeled,  
17 "Injection Well Information for Existing Wells," what you  
18 have on here on the left-hand side column is your well  
19 number. And this is all of the casing and cement data  
20 for each of the existing wells as they are today.

21 So it goes from conductor cases to surface  
22 casing, if they have intermediate casing, production  
23 casing, and if there's a liner.

24 Q. So this is the information on the 30 existing  
25 wells?

1           A.     That's correct.

2           Q.     And then what follows this spreadsheet?

3           A.     On the next page we continue with Injection  
4 Well Information for Existing Wells. And this talks  
5 about -- you have your well numbers on the left-hand  
6 side, and then the tubing to be used, a packer  
7 description, proposed setting depth, and the injection  
8 interval proposed.

9                     On the next page if we continue on, this  
10 discusses our new drills, and it's labeled, "Injection  
11 Well Information for Proposed New Drills," and all of the  
12 information for the new drills is on this one sheet.  
13 You've got your well name on the left-hand side column,  
14 and then your proposed casing, tubing, packer  
15 description, and the injection interval.

16          Q.     There are 23 of these?

17          A.     That's correct.

18          Q.     That's reflected on the third -- actually the  
19 fourth page under Tab 3 of this Exhibit 1?

20          A.     That's correct.

21          Q.     And that's broken down into your vertical new  
22 drills and then the directional new drills?

23          A.     That is correct.

24          Q.     And then what follows these spreadsheets?

25          There's a series of schematics. What do those relate to?

1           A.       These are the individual wellbore schematics  
2       for each proposed injector, so all of our current  
3       injectors. There will be 30 pages showing those. And  
4       then the last two sheets in that are the proposed  
5       schematics for the new drills.

6           So if you go to the last two sheets in that  
7       section, the first one says, "Example Wellbore Diagram of  
8       Proposed Vertical New Drills." It shows where we'll set  
9       the casing and circulate the cement. And on the next  
10      page, it's identical, and it's our Proposed Directional  
11      New Drills.

12          Q.       Now, being the detailed person that you are,  
13      you noticed recently that there is a particular --  
14      there's a typo at the bottom of the second-to-the-last  
15      page under Tab 2 of Exhibit Number 1; correct?

16          A.       Yes. This is the Example Wellbore Diagram of  
17      the Proposed Vertical New Drills. The total depth says,  
18      "4,572." It's actually 4,500, which is consistent with  
19      all the tabular data that was presented.

20          Q.       And really there's no -- as I understand it,  
21      there's no difference between the two schematics shown on  
22      the last two pages?

23          A.       They both have the same true vertical depth.

24          Q.       In terms of their configuration as shown on  
25      the schematic, is it basically the same?

1           A.     It's basically the same. The directional --  
2 all of our directional injectors will be at different  
3 lengths, so they're not depicted here. They're just  
4 depicted as their true vertical depth.

5           Q.     Now, we had this data. Did you undertake an  
6 effort to try to organize or summarize these wells in  
7 some format?

8           A.     Yes, I did.

9           Q.     If you'll turn to what's been marked Slide 7  
10 of Oxy Exhibit 12. This deals with 53 injection wells  
11 that we just briefly reviewed; correct?

12          A.     That's correct. What we present to the  
13 Division and talked to the Division about was each  
14 individual -- we went through each of the individual  
15 wellbore diagrams. But for purposes of this hearing, I  
16 tried to summarize that for presentation.

17                    So what we have here is 30 existing wells.  
18 All of these wells have surface, and some have  
19 intermediate casing, and that is cemented to surface.  
20 Twenty-six of those 30 existing wells are configured with  
21 surface and production casing. Of those, we have 23 that  
22 have the production casing that's cemented to surface.  
23 Three of those remaining wells have, at minimum, 600 feet  
24 of cement above the injection interval, above the top of  
25 Grayburg.



1 Q. One group or bucket of these 30 existing wells  
2 is the 26 wells that you just described? And we have two  
3 more groups?

4 A. Two more groups to summarize the 30 existing  
5 wells.

6 So the second group, there are three wells  
7 that I lumped into this group. Two of those have  
8 surface, intermediate casing, production casing and a  
9 full liner, and one of them has surface production casing  
10 and a full liner.

11 To note on those three, all of these have, at  
12 minimum, 720 feet of cement above the top of the Grayburg  
13 or above the injection interval.

14 Q. And the last group?

15 A. It just consists of one well. It's just  
16 configured a little bit differently. It's got surface,  
17 intermediate casing, production casing and also has a  
18 partial liner at the bottom. This well has at least  
19 1,470 feet of cement above the injection interval.

20 Q. Do you have a representative schematic of each  
21 one of these three groups?

22 A. I do, if you turn to the next slide.

23 Q. Slide 8?

24 A. Yes.

25 Q. This is for the group of 26 wells?

1           A.     That's correct.

2                     It's easier for me to look at these in the  
3 wellbore schematic. So I tried to go ahead and summarize  
4 it based on the wellbore schematic. This is summarizing  
5 those 26 wells that are existing injectors that were  
6 going to be part of the project.

7                     This group, as I said previously, has got  
8 surface and production casing. If you look at this  
9 wellbore schematic, the black line represents the surface  
10 casing. The surface casing on all 26 wells, the  
11 shallowest is set here about 302, and the deepest is set  
12 at 1,670. All of them have cement circulated to surface.

13                    So what that means is those 26 wells all have  
14 production -- excuse me -- surface casing set in this  
15 interval and have cement circulated to the surface.

16                    And then the production casing, that is in  
17 red, right here, it's set between 4,114 and 4,498. So  
18 all of the 26 wells have casing set in between these two  
19 intervals.

20                    And then as I said previously, 23 of those 26,  
21 the cement is circulated all the way to surface. And  
22 then of the three remaining, they have, at minimum, 600  
23 feet of cement above the injection interval. That's just  
24 a summary of 26 of the existing injectors.

25           Q.     Ms. Montgomery, in your opinion, do these

1 groups of injection wells have the proper casing and  
2 cement to prevent migration of the injected fluid out of  
3 the proposed injection interval?

4 A. Yes, they do.

5 Q. Let's turn to your second group, which would  
6 be on Slide 9.

7 A. This is -- bear with me. There's a lot of  
8 strings of casing on this set.

9 These are three wells that have surface casing  
10 that's shown in black. Two of them have intermediate  
11 casing shown in green. And then you move to the  
12 production casing in red. And then they also have a full  
13 liner in blue.

14 So this is similar to what we looked at  
15 before. The way I set this up is your surface casing on  
16 this group of three wells, the shallowest is at 144 and  
17 the deepest is at 250. That means you've got those three  
18 wells that your casing shoe is set in between here. The  
19 cement is circulated to surface.

20 Q. What's the significance of the hatched lines?

21 A. Like for example, on this -- right here, on  
22 the surface casing, it's all consistent right here. The  
23 gray, that shows there's continuous cement all the way to  
24 surface, and that's consistent also on the intermediate  
25 casing.

1           But if you look at the production casing, I've  
2 got the hatch marks. So what that means is on some of  
3 these wells, you're circulated all the way to surface.  
4 And the deepest that you would have the top of the cement  
5 is in this area right here. So your cement tops are in  
6 between this area. So there's always cement up to this  
7 point in all this group of wells.

8           Q.     Okay.

9           A.     Then we can walk through this. Intermediate  
10 casing was set between 1,653 and 2,768, again, cemented  
11 to surface. Production casing set between 4,038 and  
12 4,147. The top of the cement ranges, as I mentioned  
13 before, 2,975 all the way up to surface. So the  
14 shallowest top of cement would be at 2,975. That's  
15 greater than 720 feet of cement above your injection  
16 interval.

17           All of these have a full liner, as well, that  
18 is set somewhere between 4,159, to the deepest at 4,202.  
19 And the cement on their liner, the lowest cement is at  
20 994, and it ranges all the way to surface.

21           Q.     The intermediate casing that you've identified  
22 in green on Slide 9, does that apply to all three?

23           A.     It applies to two of the three. One does not  
24 have that intermediate casing. On that particular well,  
25 that's the one that has the surface casing that's the

1 deepest at 250. So that well will have surface,  
2 production and the liner.

3 Q. Is that the only difference between that well  
4 and the other two wells? In other words, does all the  
5 other information on this slide apply equally to that  
6 third well without the intermediate casing?

7 A. That's true.

8 Q. In your opinion, does this additional group of  
9 wells have sufficient casing and cement to prevent  
10 migration of the injected fluids out of the injection  
11 interval?

12 A. Yes, it does.

13 Q. Let's go to the last well.

14 A. This is the last well. This is the only well  
15 with this configuration.

16 Q. This is depicted on Slide 10?

17 A. This is Slide 10, yes.

18 So in this well, your configuration is, you  
19 have a surface casing, you have intermediate casing, you  
20 have production casing, and then you'll have a partial  
21 liner here across the injection interval.

22 So your surface casing is set at 198 and  
23 cemented to surface. Your intermediate casing shown in  
24 green is set at 1,630, and you also have cement to  
25 surface. Production casing is set at 4,057, and the top

1 of cement is at 2,222. That's like 1,470 feet above your  
2 injection interval. And then the liner here, there's  
3 cement all the way to the top of the liner, and it's set  
4 at 4,260.

5 Q. In your opinion, does this well have  
6 sufficient casing and cement to prevent migration of the  
7 injected fluids out of the proposed injection interval?

8 A. Yes, it does.

9 Q. That deals with the 30 existing injection  
10 wells?

11 A. That's correct.

12 Q. Now let's turn to the remaining 22 proposed  
13 new wells. Do you have schematics for them, as well?

14 A. I do.

15 Q. Let's go to Slide 11.

16 A. This is just a summary of those 23 proposed  
17 new drills. Of those, six of them we propose vertical  
18 wellbores, and 17 are the directional wellbores that we  
19 talked about yesterday.

20 The proposed surface casing on all of these is  
21 to be set at 1,550 and cemented to surface. And proposed  
22 production casing will be set at 4,500 and also cemented  
23 to surface.

24 Q. And then if we go to Slide 12?

25 A. This is just a picture representation of what

1 that slide just said. You've got -- on all of our  
2 proposed new drills, there will be two strings of casing.  
3 Your surface set at 1,550 and cemented to surface, and  
4 your production in red set at 4,500 and also cemented to  
5 surface.

6 Q. I got behind on the animation.

7 A. Or I got a little ahead.

8 Q. This same design is going to apply to both  
9 your proposed vertical new drills and your horizontals;  
10 correct?

11 A. Directional.

12 Q. Or directional. I'm sorry.

13 A. Yes, that's correct.

14 Q. In your opinion, will the configuration of  
15 these new drills have proper casing and cement to prevent  
16 migration of the injected fluids out of the proposed  
17 injection interval?

18 A. Yes, it will.

19 Q. Okay. Then let's go to the subject of your  
20 area of review analysis --

21 A. Okay.

22 Q. -- as depicted on Slide 13. That is contained  
23 in what's been marked as Oxy Exhibit Number 2; correct?

24 A. That's correct.

25 Q. Why don't you -- if we turn to that notebook,

1 would you first walk through it and just tell us how it  
2 is organized?

3 A. Okay. First you'll see a sleeve and there's  
4 an area of review map inside of that sleeve. If you turn  
5 the page, there's an 11-by-17 paper, and this is the  
6 flowchart or overview of how the entire AOR was  
7 organized. There are quite a few wells.

8 COMMISSIONER BALCH: One moment.

9 MR. FELDEWERT: This is the larger of the  
10 white notebooks.

11 COMMISSIONER WARNELL: What tab?

12 THE WITNESS: You have the map, and then  
13 you have an 11-by-17 paper.

14 This is a flowchart that just talks about how  
15 everything is organized.

16 MR. FELDEWERT: Let's go through it, and  
17 then we'll come back.

18 THE WITNESS: If you see on the bottom of  
19 this flowchart, there's different groups, Group 1, Group  
20 2, Group 3, and how I organized, and I'll discuss that in  
21 a moment.

22 But behind the 11-by-17 page, that corresponds  
23 in tabs to each one of those groups. And they're listed  
24 here, "Group 1, Group 2, Group 3 and Group 5," all the  
25 way to "Group 10."



1 Q. (By Mr. Feldewert) What is Group 10?

2 A. Group 10 is all of our P&A'd wells that were  
3 included in the area of review analysis, and includes  
4 wellbore schematics of each of the P&A'd wells. Those  
5 are organized by section.

6 Q. If I'm looking at the notebook at Oxy Exhibit  
7 Number 2, there's a tab that has Group 10, and then  
8 behind it are some additional tabs that identify the  
9 sections?

10 A. Yes, the section the well is located in.

11 Q. Those all correspond to the 121 wells that are  
12 the subject of Group 10?

13 A. That is correct.

14 Q. Now, with that general understanding, let's go  
15 back to the beginning. Let's pull out this bubble map.

16 Once we get that out, would you just walk us  
17 through how this was created? Get us oriented first, and  
18 then tell us how this, what we call a bubble map, was  
19 created.

20 A. What you're looking at is titled, "South Hobbs  
21 Grayburg and San Andres Unit Area of Review Map." So  
22 this is basically -- the South Hobbs Unit is outlined in  
23 this magenta dotted line. It's basically the center of  
24 your map. It encompasses the entire South Hobbs Unit.

25 You'll also see some green dots that are

1 scattered around the unit. Some of them are just a green  
2 dot and some of them are a green dot with dotted lines  
3 coming off of them. All of the green is our proposed 53  
4 injectors.

5 So the ones that are just a single dot are a  
6 vertical. And then like, for example, if you look up in  
7 Section 5 in the middle, you'll see a green dot, and  
8 there's five directional wells coming off of that. So  
9 you can see the surface location and you can also see the  
10 bottomhole location depicted for each of the directional  
11 wells.

12 Now, all of the wells in pink are part of the  
13 South Hobbs Unit. The wells to the northwest are in  
14 purple. Those depict the North Hobbs Unit wells. And  
15 then there are also a few scattered around in black, and  
16 those are other operators.

17 So you'll also notice that there's a big  
18 shaded area. What we've done is taken from each one of  
19 the wellbores surface location and/or bottom location,  
20 whichever was the most conservative, and do a half-mile  
21 radius around each one.

22 Q. Let me stop you there. For your existing  
23 vertical wells or your injection wells, you can do the  
24 half-mile radius out of its surface location?

25 A. Correct.

1 Q. Your directional wells are shown in green with  
2 the dashed lines going out?

3 A. Yes.

4 Q. Explain what you did there with respect to the  
5 bubble map for those directional wells.

6 A. We looked at both the surface location and the  
7 bottomhole location and drew a half-mile radius. And  
8 whichever one extended further, we used that to include  
9 our area of review.

10 Q. After you had those circles, what did you do  
11 then, line them all into this bubble map?

12 A. Everything you see shaded is included in our  
13 area of review, and those are all of the wells that were  
14 reviewed for the area of review.

15 Q. Down in the -- you have to help me. There was  
16 a letter that was sent in by an oil company by the name  
17 of Big Al Oil?

18 A. Yes.

19 Q. Great name. Where are Big Al Oil's wells  
20 located?

21 A. If you look in Section 9 -- and where that is  
22 is basically in the middle of the map, if you go up,  
23 there's Section 21, Section 16, and then you go up and  
24 you see Section 9 right in the middle. Outside the unit  
25 boundaries to the southwest, there are two wells in black

1 that are -- it says, "Bradley McInroe d/b/a Big Al Oil &  
2 Gas." There's two listed there, the Well Number 1 and  
3 Well Number 2.

4 Q. This bubble map indicates that Big Al Oil's  
5 wells are included within your area of review analysis;  
6 correct?

7 A. Yes, they were.

8 Q. Then having identified your large area of  
9 review and having undertaken your analysis, then you  
10 tried to, for purposes of presenting it, group the wells  
11 into various categories; correct?

12 A. That's correct.

13 Q. Unless there's anything more about this map,  
14 let's put this away and go into your grouping.

15 A. Okay.

16 Q. If I go to Oxy Exhibit Number 1 and I then go  
17 to the second -- the first page being the bubble map we  
18 just looked at. If I go to the second page, you have  
19 your 8 1/2-by-11 sheet entitled, "Occidental Permian  
20 South Hobbs Grayburg-San Andres Unit Area of Review  
21 Methodology"; correct?

22 A. That's correct.

23 Q. Would you walk us through the methodology that  
24 you utilized to examine and then group the numerous wells  
25 that you were required to look at?

1           A.     The first thing we did was we identified the  
2     53 injectors that will be included in the project and  
3     drew our half-mile radius so we knew all of the wells  
4     that would be included in this area of review. That  
5     totaled 397 wells. Of those, 276 were active or TA'd  
6     wells, and 121 wells with P&A'd.

7                     This process began over a year ago. And the  
8     first step was to -- we hired a consultant, Mr. David  
9     Catanach, to pull the data off the NMOCD well files, and  
10    that was our first task. And we also asked him his  
11    opinion as he collected the data on each of the  
12    wellbores.

13           Q.     Let me ask you something about your data  
14    sources. It was the OCD website?

15           A.     Yes.

16           Q.     At times, with some of these wells, was there  
17    some -- was it always clear what was going on with that  
18    particular well from the data on the OCD website?

19           A.     No. There were a few wells that Mr. Catanach  
20    was not able to find. There was a well file mix-up, or  
21    there were a few things that he had questions on. So  
22    with those few wells, we looked through the Oxy  
23    information, and we then sent that information to the --  
24    I guess in the form of a sundry, sent that into the NMOCD  
25    to update those files.

1 Q. So whatever additional data that you had  
2 within the company to help deal with the -- and clarify  
3 the circumstance of the well, you took that into account  
4 in your analysis, number one?

5 A. Yes.

6 Q. And you also filed it by way of a sundry  
7 notice with the Division? So now all of this data is in  
8 the OCD website?

9 A. That's correct.

10 Well, then I took the data, after we received  
11 it back from our consultant, and reviewed each well.  
12 There was a large number of wells. So for me, it was the  
13 easiest thing to group them by well construction so that  
14 it was easier to analyze the individual wellbores. So  
15 that's what I've done.

16 When you see these nine groups -- for example,  
17 you have like Group 1. Those are shallow wells. Those  
18 actually did not even penetrate our Grayburg-San Andres,  
19 but they were included just to make things complete.  
20 There are only two wells in that group.

21 So I did that for each one. So you can see  
22 the same thing. Group 2, there are some deeper wells  
23 with surface and production casing. You can go ahead and  
24 read through these.

25 But bottom line, what was done, if they had a

1 similar well construction, for example, they were cased  
2 with similar strings of casing and they were at similar  
3 depths, I grouped them into a group so they would be  
4 easier to analyze.

5           So if you go to Group 1, Tab 1, on each one of  
6 these tabs, what you'll find is wellbore schematic where  
7 I tried to summarize the data. And then if you turn the  
8 next page, you'll see the actual tabular data as was  
9 provided to us. This tabular data has got everything on  
10 it, and this was the individual information that was used  
11 to analyze each well.

12           Q.     Now, if we look at your -- let's focus right  
13 now on Groups 1 through 9. It looks like the largest  
14 group was Group 4?

15           A.     Yes. That contained 166 wells, so that was  
16 our largest bucket.

17           Q.     So let's -- I think we have a slide for that  
18 that's marked in Oxy Exhibit 12 as Slide 14.

19                    Why don't you -- just by way of example, let's  
20 just walk through Group 4.

21           A.     I wanted to walk through this group because it  
22 contained our largest number of wells, so I can show you  
23 how I tried to summarize the data.

24                    In this group it has two strings of casing.  
25 You have surface casing in black and production casing in

1 red. In this particular group, all the surface casing  
2 was set between 281 feet and 1,718 feet. So all the  
3 cement in this group behind the surface pipe was cemented  
4 to surface either by the initial cement or through  
5 subsequent remedial cementing. So all of your casing is  
6 set in between these two depths.

7 Now, all the production casing you can see in  
8 red. These are set between the depths of 3,983 and  
9 5,370. All 166 wells are in between these two casing  
10 shoe depths. The top of the cement ranges from 3,225 all  
11 the way up to the surface in these wells. At minimum,  
12 you have 470 feet of cement above the Grayburg-San Andres  
13 formation in this particular group.

14 Q. You did this type of analysis and grouping for  
15 each of the groups identified as 1 through 9 on the  
16 second page of Oxy Exhibit 2?

17 A. Yes, I did.

18 Q. How did you go about putting together this  
19 schematic for each group? What was your methodology?

20 A. You have to look at each individual wellbore  
21 to do this, so they're all in a spreadsheet. So the  
22 first pass was to go line by line and look at each one.  
23 And then I was able to import them into a spreadsheet and  
24 try to sort it so you can look at top of cement or any  
25 anomalies like that. But really, there was no -- we



1 still had to go through line by line in the tabular form  
2 for each one of the wells.

3 Q. All of this information that we see -- let me  
4 step back. With Group 10, rather than try to organize it  
5 by group, how did you approach the P&A'd wells in Group  
6 10?

7 A. The P&A'd wells, we identified initially. And  
8 we hired a consultant, Mr. Ben Stone, to construct the  
9 P&A diagrams and go through the NMOCD online database to  
10 pull the information.

11 Q. You have all that information, diagrams,  
12 individual wellbore diagrams, by section under Tab 10?

13 A. Yes.

14 Q. You mentioned that you had visited with the  
15 Division about your area of review information. I think  
16 you mentioned a couple of meetings?

17 A. Yes. We had two meetings. Mr. Ezeanyim was  
18 in both of those meetings.

19 Q. Did you review all of this information with  
20 Mr. Ezeanyim?

21 A. We did. We walked through this type of  
22 analysis. But we also got into individual wells, and we  
23 walked through many P&A'd wellbore diagrams with the  
24 Division.

25 Q. After all this analysis, how many -- I guess

1 we'll call them problem wells. How many did you find?

2 A. We found one potential problem well that we  
3 identified.

4 Q. Do we have a schematic on that?

5 A. Yes.

6 Q. Turn to what's marked as Slide 15.

7 Why don't you tell us what's going on with  
8 this particular well.

9 A. Okay. This one is a well that we identified.  
10 It's not operated by Oxy. It was a Chesapeake Operating  
11 Company, but they recently sold this well to Chevron. It  
12 was drilled in 2002, and it's located on the southwest  
13 corner of -- I think it's actually southeast. Anyway, on  
14 the south part of the South Hobbs Unit.

15 This well has two strings of casing. The  
16 surface casing looks fine. It was set at 1,723 and the  
17 cement was circulated to the surface. But if you look,  
18 this is a -- production casing was set at 7,787. It's a  
19 deep well producing from a different horizon. And the  
20 top of cement was calculated to be 4,454, which was not  
21 adequate to cover our injection interval.

22 Q. Did you have enough -- we labeled this as a  
23 problem well. But do you have enough information to know  
24 if it really is a problem yet?

25 A. No. We contacted both Chevron and Chesapeake

1 to see if they had any more information in their well  
2 files, and they indicated they did not. So I guess we  
3 would probably need to run a CBL to ascertain exactly  
4 where that cement top is. And then if it's not adequate,  
5 then it would have some type of remedial cement to get it  
6 to Division's standards.

7 Q. Is it the company's intention to do some  
8 analysis to ascertain whether there is a problem with  
9 this well?

10 A. Yes.

11 Q. And if there is, to undertake whatever  
12 remedial efforts are necessary to ensure that the  
13 injectants do not migrate out of the zone?

14 A. Yes.

15 Q. Does the company intend to inject within a  
16 half mile of this well before this analysis and  
17 remediation is undertaken?

18 A. No, we do not.

19 Q. So the company will not engage in any  
20 injection operations within a half mile of this well  
21 until it has been reviewed, analyzed and any problems  
22 dealt with; correct?

23 A. That's correct.

24 Q. Putting aside this well, this particular well  
25 on Slide 15, in your opinion, are all of the remaining

1 wells within the area of review sufficiently cased or  
2 cemented to prevent migration of the injected fluids out  
3 of the proposed injection interval?

4 A. Yes, they are.

5 Q. Now let's go to the next topic, and that is  
6 dealing with bringing these injection wells on line.

7 There's been testimony yesterday about the  
8 time frame that is associated with getting this project  
9 up and running and in commencing this tertiary recovery  
10 project. First off, as you know, or as I understand it,  
11 you don't anticipate the injection to commence for  
12 another two years?

13 A. That's correct.

14 Q. And then after that point in time, there's  
15 going to be additional injection wells that -- at least  
16 53 that are going to be brought on line gradually as  
17 you're able to get the facilities in and get the work  
18 completed?

19 A. That's correct.

20 Q. Given that timeline, is the company requesting  
21 that there be a period of time in which this area of  
22 review would essentially remain in place so that you  
23 don't have to repeat this extensive analysis two or three  
24 years from now?

25 A. We're requesting five years.

1 Q. If I go to Slide 17, as I understand it, you  
2 are requesting two things. That is there would be no  
3 update to the area of review for wells that commence  
4 injection within the next five years?

5 A. Yes.

6 Q. What about the wells that would commence  
7 injection greater than five years from now?

8 A. What we propose is to re-look at the wells,  
9 and any wells within the area of review that we already  
10 examined and we've already had the Division review, we  
11 would not update those AORs. But we would update  
12 anything that was new in that area of review, anything  
13 within that half mile.

14 Q. What's your rationale behind that request?

15 A. There are several reasons that we -- like you  
16 just mentioned, this project is going to be phased in  
17 over many years, and we won't even begin with injection  
18 for two more years. So there's -- we've already reviewed  
19 everything, every well in the South Hobbs Unit at that  
20 time, so it would be duplicative if we submitted area of  
21 review twice for these wells -- I'm sorry. I just got  
22 ahead of myself. We've already done the area that covers  
23 everything.

24 This is a concept that was adopted in the  
25 North Hobbs Unit, and we're doing it today. And it

1 really streamlines the process. For anything that's  
2 already been submitted and reviewed and accepted by the  
3 Division, we would only update things that have changed  
4 and conditions that have changed.

5 I also looked at this current area of review.  
6 And in the last 10 years, there were four wells drilled  
7 in this area. There's not a lot of activity. Two of  
8 them were by Oxy. The activity in this area is really  
9 going to be associated with the CO2 project, and Oxy is  
10 the one driving that, so we will know if there's any  
11 changes going on in the area of review.

12 Q. In your opinion, is there anything to be  
13 gained from redoing and resubmitting this entire analysis  
14 contained in these two notebooks for this area over the  
15 next five years?

16 A. No.

17 Q. In your opinion, will this request by Oxy pose  
18 an unreasonable risk for the public health or the  
19 environment?

20 A. No.

21 Q. I now want to turn to a discussion of the TA'd  
22 wells, in particular, the mechanical integrity test  
23 frequency that currently exists for the wells in the  
24 South Hobbs Unit. What is Oxy requesting?

25 A. What we're requesting is for our temporarily

1 abandoned wells to have an MIT frequency of five years on  
2 those wells that we installed pressure monitors and we  
3 have real time monitoring on those wellbores.

4 Q. So it's only for these wellbores that Oxy gets  
5 these real time monitors on that Mr. Hodges talked about?

6 A. That's correct.

7 Q. That would be connected to your SCADA system?

8 A. Correct.

9 Q. Until those real time monitors are on those  
10 wells, this exception that you're requesting would not  
11 apply?

12 A. That's correct. We would just be at the  
13 frequency that is prescribed by the Division or the  
14 District Office.

15 Q. Let's go to Slide Number 17 first. Under the  
16 current regulatory environment, there's two rules that  
17 provide MIT frequency. One is for temporary abandoned  
18 wells and one is for injectors; correct?

19 A. That's correct.

20 Q. The rules for the temporary abandoned wells  
21 essentially, at least, seem to contemplate in  
22 circumstances a five-year cycle; correct?

23 A. That's correct.

24 Q. Given that, if we go to what's been marked as  
25 Slide 18, what is the current frequency for your TA'd

1 wells in the South Hobbs Unit?

2 A. These were pulled down from the -- per the  
3 NMOCD District Office, the data. So what you see on the  
4 left-hand side shaded in purple are the wells that are on  
5 a five-year -- currently on a five-year MIT test  
6 frequency in the South Hobbs Unit. That's 24 of our  
7 wells.

8 In the blue shading, there are 16 wells, and  
9 those wells are on a one-year test frequency. And then  
10 we have a few that are on -- I think one well is on a  
11 two-year test frequency, and three wells are on a  
12 four-year test frequency.

13 Q. That's going on currently in the South Hobbs  
14 Unit?

15 A. Yes. I believe this was pulled in March, this  
16 data.

17 Q. Obviously, you have to have personnel devoted  
18 to this, and the Division has to have personnel devoted  
19 to this; correct?

20 A. That's correct.

21 Q. If you turn to Slide 19, this is what you  
22 are -- to maybe put it in written language, this is what  
23 you are essentially proposing; correct?

24 A. That's correct.

25 Q. This would be your alternative to the current



1 MIT schedules that are in place for the South Hobbs Unit  
2 by the District Office?

3 A. That's correct.

4 Q. You are going to do an MIT when the well is  
5 initially TA'd; correct?

6 A. Yes.

7 Q. For example, as Mr. Brockman pointed out,  
8 there are some additional TA'd wells that are going to  
9 occur as a result of your development plan?

10 A. Yes.

11 Q. Before those go into TA status, you're going  
12 to do an MIT per the Division standards?

13 A. That's the plan.

14 Q. And only for those wells where you installed a  
15 sensor device are you asking for this five-year  
16 frequency?

17 A. Yes, that's correct.

18 Q. If it's requested, you will share this data  
19 with the Division office?

20 A. Yes. And I also spoke with Mr. E.L. Gonzales  
21 about this, and we talked about having data available to  
22 the District Office on all these wells that we have  
23 pressure monitors on.

24 Q. Is he -- what was his reaction to this  
25 alternative that Oxy has proposed?

1           A.     He was in favor of it. We talked about how we  
2 could make it work and how it would work for both Oxy and  
3 the District Office. But he was in support of this.

4           Q.     Now, in addition to what you are proposing  
5 here, you will also do annual Bradenhead tests on your  
6 wells; correct?

7           A.     On the injectors and on the TA'd wells, that's  
8 correct.

9           Q.     What I'm going to do is skip -- let's go to  
10 Slide 21. Does Slide 21 identify your Bradenhead testing  
11 program?

12          A.     Yes, it does.

13          Q.     Why don't you walk us through this.

14          A.     The Bradenhead, as you know, is the annular  
15 space between the surface casing and the production  
16 casing. This test that they do is designed to indicate  
17 that there's casing integrity between the surface and the  
18 production casing. And all of our injectors and our TA'd  
19 wells do this annually, and the results are submitted to  
20 the District Office.

21          Q.     So you have this annual Bradenhead testing  
22 program reflected on Slide 21. And then in addition to  
23 that, for these TA'd wells, you will have sensor monitors  
24 like those depicted on Slide 22?

25          A.     Yes. You're looking at an injection well.

1 This is not a TA'd well. But the point of this slide was  
2 to show what the pressure sensor monitor would look like.  
3 It's the same one that we have on our injection wells  
4 currently.

5 Q. Does the request that -- in your opinion, does  
6 the request that Oxy seeks here as reflected on Slide 19,  
7 will that provide a reasonable level of protection to the  
8 public health and the environment?

9 A. Yes, it will.

10 Q. Do you believe that that is an equally safe  
11 alternative to the MIT frequencies that currently exist  
12 for your TA'd wells in the South Hobbs Unit?

13 A. I do. And it also -- because it is tied to a  
14 SCADA system and you have pressure monitoring, so you  
15 also will know, on a higher frequency, very quickly if  
16 you've got any pressure issues. Whereas with MIT  
17 frequency, you have to wait for the test to know.

18 Q. Now, on the slide I skipped, Slide 20 --  
19 before we talk about Slide 20, let's go back to that  
20 Slide Number 17.

21 You mentioned that the Division rules  
22 contemplate a five-year frequency for both temporary  
23 abandoned wells and also for injectors; correct?

24 A. Yes.

25 Q. At the bottom of Slide 17, the rules state

1 that at least once every five years thereafter, the  
2 operator shall test an injection well?

3 A. That's correct.

4 Q. If we go to what's marked as Slide 20, what is  
5 the purpose of the slide?

6 A. The purpose of this is to show that we do have  
7 an MIT program for the injection wells; that we also have  
8 pressure monitoring on our injection wells; and that we  
9 have data that would be available to the District to show  
10 any type of casing issue or tubing packer issue, because  
11 we've got the pressure monitors on our injection wells.

12 Q. In your opinion, given the -- and you do your  
13 annual Bradenhead test?

14 A. Yes.

15 Q. Both on your TA'd wells and on your injectors?

16 A. That's correct.

17 Q. Given that circumstance, in your opinion, is  
18 it necessary for the company and the Division to be  
19 involved in an MIT on these injection wells on a yearly  
20 basis?

21 A. No.

22 Q. Did you meet with the Division about a  
23 frequency that would be appropriate for your injection  
24 wells given the real time monitoring devices that you  
25 have available and given the fact that you conduct your

1 annual Bradenhead testing?

2 A. Yes, we discussed this.

3 Q. What was the result of those discussions?

4 A. When we talked to the Division, with  
5 Mr. Ezeanyim, he mentioned that he would recommend a  
6 two-year frequency for the MIT on the injectors. We did  
7 not object or disagree with that recommendation. The  
8 purpose of this is just to show that we will be equally  
9 protective on our injections and will have monitors on  
10 our injection wells.

11 Q. In your opinion, given the circumstances  
12 reflected on Slide Number 20, in your opinion, do you  
13 believe a reasonable level of safety is provided if the  
14 MIT program for injectors was every five years, as  
15 contemplated by the rule, or at least as -- within the  
16 contemplation of the rule?

17 A. Yes.

18 Q. And do you believe that that would provide a  
19 reasonable level of protection to public health and the  
20 environment?

21 A. Yes, I do.

22 Q. Let's turn to the last topic, and that is the  
23 Rule 15 that currently exists under Division Order  
24 4934-E. First off, do the requirements that are depicted  
25 here in Rule 15 exist for the well in the North Hobbs

1 Unit?

2 A. No, it does not.

3 Q. And in your opinion, is this rule, as it  
4 currently exists with the South Hobbs Unit, is it  
5 necessary to protect the public health and the  
6 environment?

7 A. I don't believe so.

8 Q. Why is that?

9 A. We've analyzed all of our wells in the South  
10 Hobbs Unit and we've looked at the cement, we've looked  
11 at the cement tops, and we've determined them, also with  
12 the Division, to be adequately cemented. So we feel like  
13 they're already protective. Any new injectors will have  
14 cement circulated to surface.

15 And this rule here, the way it's written, it  
16 contemplates running multiple CBLs anytime you pull a  
17 well, and I don't think you get anything different if you  
18 run multiple CBLs on the same well.

19 Q. Do you believe that this rule, if it remains  
20 in effect, will result in the running of CBLs for  
21 existing wells that are unnecessary?

22 A. I do.

23 Q. Is there anything to gain by running cement  
24 bond logs on a production well, for example, every time  
25 you pull the rod and the tubing?

1 A. No, I don't think there is.

2 Q. Are you asking the Commission to essentially  
3 strike this Rule 15?

4 A. Yes, that is what we are asking.

5 Q. In your opinion, will the striking of this  
6 Rule 15 pose any threat to the health and safety of the  
7 public?

8 A. No, it will not.

9 Q. If I turn to what's marked as Oxy Exhibit  
10 Number 4, this is the original order that was entered by  
11 the Commission in 1974; correct?

12 A. Correct.

13 Q. For the waterflood operation?

14 A. Yes.

15 Q. If I go over to Rule 13, which is on page 7,  
16 that's the same rule that we're talking about here on  
17 Slide 23?

18 A. Yes, that's correct.

19 Q. Then in 4934-E, because of changes in the  
20 numbering of the rule system, it became Rule 15?

21 A. That's correct.

22 Q. So essentially this rule was put in place back  
23 in 1974?

24 A. That's correct.

25 Q. At a time when we knew very little or didn't

1 know as much as we know now about the wells that exist  
2 within the South Hobbs Unit area?

3 A. Yes.

4 Q. Based on the knowledge that we know now about  
5 all of the wells in the South Hobbs Unit area, in your  
6 opinion, do you see any reason to retain this rule any  
7 longer?

8 A. No, I don't.

9 Q. In your opinion, will the granting of Oxy's  
10 application be in the best interest of conservation, the  
11 prevention of waste and the protection of correlative  
12 rights?

13 A. Yes.

14 Q. In your opinion, will the granting of the  
15 relief requested by Oxy pose an unreasonable risk to the  
16 public health or the environment?

17 A. No, it won't.

18 Q. Were the slides comprising Exhibit 12 compiled  
19 by you or under your direction and supervision?

20 A. Yes, they were.

21 MR. FELDEWERT: Madam Chair, at this time  
22 I would move the admission of Oxy Exhibit Number 12.

23 MS. GERHOLT: No objection.

24 CHAIRMAN BAILEY: Then it is admitted.

25 (Oxy Exhibit 12 was admitted.)



1 MR. FELDEWERT: That concludes my  
2 examination of this witness.

3 CHAIRMAN BAILEY: Do you have any  
4 questions for this witness?

5 MS. GERHOLT: I do, Madam Chair. Thank  
6 you.

7 CROSS-EXAMINATION

8 BY MS. GERHOLT:

9 Q. Good morning, Ms. Montgomery.

10 You were the individual who submitted the  
11 C-108 on behalf of Oxy?

12 A. That's correct.

13 Q. And according to the first page of the C-108,  
14 Oxy has applied for a secondary recovery and pressure  
15 maintenance; is that correct?

16 A. That's correct.

17 Q. Why did Oxy apply for both?

18 A. I guess in discussions with -- when we were  
19 filling out the application, what it is is a tertiary  
20 recovery project. And I guess there were some  
21 discussions between us and our legal counsel about which  
22 one was the appropriate box. We checked them both. But  
23 our intent is this is a tertiary recovery project.

24 Q. I noticed on this form -- this is a Division  
25 form; correct?

1 A. Yes.

2 Q. -- that there isn't a place for a tertiary  
3 recovery project; is that correct?

4 A. That's correct.

5 Q. If you will educate me a little bit this  
6 morning. My understanding about pressure maintenance is  
7 that it retards the reservoir pressures and the actual  
8 decline; is that correct?

9 A. I guess that's what it -- yes.

10 Q. Does pressure maintenance describe anything  
11 else in terms of enhanced recovery?

12 A. As we saw on the exhibit that showed the  
13 production, not only it retards the decline, you're going  
14 to have quite an increase in production based from the  
15 EOR project.

16 Q. That's the EOR project generally?

17 A. Yes.

18 Q. I'm interested in pressure maintenance. Does  
19 that pressure maintenance piece help to increase it?

20 A. I mean -- yes, it will.

21 Q. Is it your understanding that a secondary  
22 recovery project can include injection of natural gas or  
23 other substances into a pool?

24 A. Typically, when you refer to something as a  
25 secondary recovery, it's your waterflood phase, after

1 your primary. And then it's called tertiary, when you  
2 have your EOR project.

3 Q. And an EOR project can include injection of  
4 other substances?

5 A. That's correct.

6 Q. And it is into a pool?

7 A. That's correct.

8 Q. And the Grayburg-San Andres is a pool?

9 A. That's correct.

10 Q. Just some more housekeeping questions for you.  
11 Currently Oxy is operating the South Hobbs Unit. Is Oxy  
12 reporting the monthly volumes and types of injectants on  
13 the C-115; do you know?

14 A. I don't know, because I'm not in charge of  
15 filing that. I assume so, but I wouldn't know that.

16 Q. Would that be possible for you to find out and  
17 maybe relay back to your counsel?

18 A. Absolutely.

19 Q. The reason I'm asking is the Division does  
20 have a reporting requirement of a C-115. And if Oxy is  
21 not already doing it, would Oxy be willing to meet that  
22 reporting requirement?

23 A. I'm sure we would.

24 Q. Okay. If I can now draw your attention to  
25 Slide 15, the problem well?

1 A. Yes.

2 Q. Am I understanding from your testimony on  
3 direct that Oxy reached out to both Chesapeake and  
4 Chevron to ask for information from their well files if  
5 their well files were more complete than the Division's;  
6 is that correct?

7 A. Yes, we did.

8 Q. And based upon that, Oxy has determined that  
9 they need to run a cement bond log?

10 A. Correct.

11 Q. And the potential, depending upon what that  
12 log results, that additional cement may need to be used  
13 for this well?

14 A. Yes.

15 Q. My question is: Will either the cement bond  
16 log, or if additional cement is needed, will those be  
17 communicated to the Division?

18 A. Yes.

19 Q. Would that be in the form of a sundry, most  
20 likely?

21 A. Most likely a sundry. I guess I'm not sure  
22 how that works. We work with the District Office. But  
23 it would have to be done to show that it's protective.

24 Q. Slide 16, updating the AOR for future  
25 injection wells, a point of clarification. Oxy is

1 willing to update the half-mile area of review. Is that  
2 when a different injection well is proposed by Oxy, or  
3 just every five years to see if a new well by some other  
4 operator has been drilled?

5 A. What we would propose is that this area of  
6 review consist for five years because we've done an  
7 extensive review. It took over a year. And we have  
8 looked at every well. And there's very, very little  
9 activity, other than Oxy, in the South Hobbs Unit.

10 So during that first five years, we would not  
11 conduct another AOR. We would rely on this area of  
12 review.

13 After that five years, if a well is drilled,  
14 injectors -- even if it's in here, if it's after that  
15 five years, what we would do is look at that half mile  
16 again. If we've already submitted and have the area of  
17 review data, that wouldn't be -- we would just submit a  
18 statement saying that it's already been looked at in this  
19 case and reviewed and that the area of review is good.

20 If there's anything new in there, we would  
21 certainly look at that and provide any information for  
22 anything new in that area of review, is our proposal.

23 Q. Thank you for that clarification.

24 Now, if I can draw your attention to Slide 18,  
25 the currently TA'd wells?

1 A. Yes, ma'am.

2 Q. There's 44 wells that are currently TA'd; is  
3 that correct?

4 A. Per the information we pulled in March, that's  
5 correct.

6 Q. As you stated on direct, certain wells are on  
7 a one-year test frequency and other wells are on five  
8 years, and there's a variation between. Do you know why  
9 certain wells are on a one-year test frequency?

10 A. I don't. It's set by the District Office.  
11 I'm sure it has to do with how long a well is TA'd. But  
12 I really don't know. It's set by the District Office.

13 Q. The District Office was provided a list of the  
14 44 wells by Oxy. And in review of that list, there  
15 appears that the wells that are on a one-year test  
16 frequency have been TA'd for at least 20 years and one up  
17 to 26 years. Does that surprise you or --

18 A. I wasn't aware of that.

19 Q. So given that at least one of these wells has  
20 been temporarily abandoned for 26 years, does Oxy intend  
21 to place pressure monitoring equipment on these 44 wells?

22 A. That is the intent, yes.

23 Q. Does Oxy have a timeline for placing these  
24 pressure monitors?

25 A. I have not discussed the timeline on those

1 yet. I guess we're going to see if it was approved and  
2 how that works. And then I'm sure we will get a timeline  
3 and discuss that with the District Office.

4 Q. And would allowing for the District Office to  
5 have some input on that timeline be acceptable to Oxy?

6 A. Yes.

7 Q. I do have a question about the pressure  
8 monitoring data. On direct, you stated that Oxy would be  
9 willing to share that with the OCD for the Division's  
10 review; is that correct?

11 A. Yes.

12 Q. How long is that information maintained by  
13 Oxy?

14 A. I don't know the answer to that. I don't know  
15 how long it's in our SCADA system.

16 Q. Obviously, you don't necessarily need to  
17 maintain it for 40 years in the Division. But if there  
18 is some sort of set time for maintenance, whether it's  
19 five years or -- but to have it maintained for that  
20 period so the Division could ask for it, maybe you'd be  
21 able to provide your counsel with the time the SCADA  
22 keeps that information?

23 A. We could do that.

24 Q. Thank you. Then you also stated on direct  
25 that you met with Chief Engineer Richard Ezeanyim at

1 least twice in regards to this application?

2 A. That's correct.

3 Q. Have you had an opportunity to review his  
4 recommendations?

5 A. I have.

6 Q. Does Oxy object to any of those?

7 A. No, we do not.

8 Q. My final question is in regards to Slide 23,  
9 about the cement bond logs. My understanding is there  
10 are times where cement can't be circulated to surface.  
11 Is there -- I understand Oxy plans on circulating cement  
12 to surface on all of these wells. Is there any  
13 contingency plan in place if that fails to occur --

14 A. I don't --

15 Q. -- since the cement bond logs won't be run?

16 A. I don't know of a contingency plan if  
17 something is not circulated to surface. Certainly it's  
18 our intention to circulate to surface.

19 Q. Of course Oxy does report to the Division on  
20 C-103s that work has been done on a well; correct?

21 A. We do. And we also report when we run a  
22 cement bond log.

23 MS. GERHOLT: I have no further questions  
24 for this witness.

25 CHAIRMAN BAILEY: Mr. Warnell?



## EXAMINATION

1

2 BY COMMISSIONER WARNELL:

3 Q. Good morning, Ms. Montgomery. I'd like to  
4 continue along the same line that Ms. Gerholt was talking  
5 about with cement bond logs. We talked a lot about  
6 cement tops. Some of these wells we were looking at the  
7 cement tops, they were drilled back in the '30s, '40s,  
8 pretty old wells?

9 A. Um-hum.

10 Q. How did they determine cement top?

11 A. Well, if there was a temperature survey or  
12 CBL, that's how the cement top was determined.

13 But for purposes of this AOR, we used a  
14 formula and derated it by -- as a 70 percent fill to give  
15 it a conservative nature on calculating the cement top.

16 Q. So when you refer to cement tops being a  
17 certain depth, that's calculated cement top?

18 A. Some of them, yes, are calculated, if we did  
19 not have a temperature survey or CBL indicating the  
20 cement top.

21 Q. I assume that very few wells had temperature  
22 surveys or CBLs?

23 A. I wouldn't know the exact number. But I did  
24 review all of our AOR in just the South Hobbs Unit wells,  
25 and we had over 77 percent that either had some type of a

1 log or were circulated.

2 Q. What's the best method that Oxy uses today to  
3 determine cement top?

4 A. Well, on a new drill, we attempt, of course,  
5 to circulate, and then you could calculate it or do a  
6 cement bond log to determine the height of that cement.

7 Q. If your intentions were to circulate to the  
8 surface and, for some reason, you weren't able to  
9 circulate to the surface, you could run a cement bond log  
10 and determine that --

11 A. Yes.

12 Q. -- exact cement top?

13 A. And we do. I've seen that in cases, that we  
14 do.

15 COMMISSIONER WARNELL: Thank you. That's  
16 all I have.

17 CHAIRMAN BAILEY: Mr. Balch?

18 EXAMINATION

19 BY COMMISSIONER BALCH:

20 Q. I'm also curious about cement bond logs.

21 So on a new drill, is this something that's  
22 done as a standard part of the wire line?

23 A. A cement bond long?

24 Q. Yes.

25 A. If the cement is circulated, I don't believe a

1 cement bond log would be run, because you would see the  
2 cement on surface.

3 Q. So you have a calculation on how much cement  
4 it's going to take -- oh, I see. It comes out?

5 A. Right.

6 Q. So if Rule 15 is stricken from the existing  
7 rule, it sounds like, from Mr. Warnell's questions, that  
8 some of these wells will never have a cement bond log?

9 A. That could be the case.

10 Q. And I imagine, under normal circumstances, you  
11 don't really run repeat cement bond logs. But these are  
12 wells that, in some cases, have been running for almost  
13 80 years, and they run for another 40 or 60 years, and  
14 during part of that, have some corrosive, acidic  
15 components to the injectate. Do you think it would be  
16 appropriate at any point to check the status of cement in  
17 these injection wells?

18 A. I know that we -- there is a -- you can run a  
19 cement bond log if there's a reason to run it, like if  
20 you have some casing integrity issues.

21 But you also have a problem running a cement  
22 bond if you have a well that's cased and you have another  
23 pipe behind that, and you run a cement bond, you're  
24 really not going to see -- it's not going to give you the  
25 reading that you want to see because you've got too much

1 behind that. You're not going to get a true reading.

2 So there are also issues with running cement  
3 bonds on existing wells depending on how they are  
4 configured.

5 Q. I would be more concerned with your production  
6 casing, the stuff that you're trying to seal off the  
7 producing interval from everything above it. That would  
8 be a case where you probably have one casing and one  
9 cement?

10 A. On several of the wells.

11 Q. Right. So that portion of the well -- there's  
12 also the part that would be vulnerable to any sort of a  
13 leak of either CO2 or your produced gas injection or your  
14 water. It might be vulnerable to corrosion.

15 So if I got you correctly, you're saying if  
16 you saw a problem with a well, that's when you would  
17 check that, but you wouldn't do it as a matter of course  
18 at the beginning of injection?

19 A. That's correct.

20 Q. Do you think it might be appropriate for this  
21 sort of a long-term injection project to at least check  
22 the portion of the production casing above the injection  
23 interval?

24 A. On the injectors?

25 Q. Right, before you start injection.

1           A.     If a well is circulated, I see no reason to  
2 run a cement bond log. If the cement was lower, you  
3 could run a cement bond log to determine the top. But on  
4 a well that's already circulated, I don't really see an  
5 issue with that.

6           Q.     On a completion log, I guess -- I don't know  
7 what you call it. But when these wells were drilled,  
8 somebody would have noted if they had seen the cement  
9 circulated to the top?

10          A.     It's noted. And if a cement bond log was run,  
11 because several were run, multiple bond logs are not  
12 going to be beneficial, I don't believe.

13          Q.     Okay. I looked up the Big Al wells, the two  
14 in Section 9. One of them looked like the casing had  
15 been cut. Was that plugged back?

16          A.     Yes, with cement.

17          Q.     So that's producing from Seven Rivers, and  
18 it's now isolated from the reservoir?

19                    The other one was in Group 4. It didn't have  
20 that information, so I'm assuming it's producing from --  
21 or has not been plugged back?

22          A.     It's producing from the Seven Rivers, as well,  
23 and has cast iron bridge plugs isolating it from the San  
24 Andres.

25          Q.     Do you think that both of those wells are

1 going to be isolated from the injection program at the  
2 South Hobbs Unit?

3 A. I do.

4 COMMISSIONER BALCH: Thank you. Those are  
5 my questions.

6 CHAIRMAN BAILEY: I have a couple of  
7 questions.

8 EXAMINATION

9 BY CHAIRMAN BAILEY:

10 Q. The cement bond log not only shows top of  
11 cement, but it also shows channeling behind the pipe,  
12 doesn't it?

13 A. I believe that it does. I'm not overly  
14 familiar with all the different things in the cement bond  
15 log.

16 Q. Even though the comments have been concerning  
17 the top of the cement, the problem of channeling may also  
18 arise for injectors, wouldn't it?

19 A. I don't know the answer to that. If you don't  
20 have a good cement bond with your pipe. But -- I guess  
21 it could. I don't know.

22 Q. A couple of other questions. The areas of  
23 review where you did look at the cement bond logs, was  
24 there only one problem well for those existing injector  
25 wells? Or did your review indicate that there were other

1 issues that need to be addressed when this unit is  
2 approved?

3 A. No. There was just that one well that was at  
4 issue.

5 Q. The directional wells that will be drilled  
6 from the produced gas injectors, will they be perforated  
7 only under the city limit areas? Where would those perfs  
8 be?

9 A. The perfs will be down in the San Andres,  
10 which is, I think, like around 4,410-foot depth is the  
11 only place you would have perforations.

12 Q. And the angles of each of those directional  
13 wells will be varied according to what direction and the  
14 length of that wellbore?

15 A. That is correct.

16 Q. There was no discussion on the kind of cement  
17 that is anticipated for the new drills. I understand  
18 that there is an acid-resistant cement that is available.  
19 Is that contemplated to be used for completions of these  
20 new wells?

21 A. It will be used.

22 Q. There was one slide that showed water. I just  
23 want to reconfirm that no fresh water will be used in  
24 this unit?

25 A. That's correct.

1 Q. The slide that showed the incorrect legal  
2 description that was on the order, was that -- with the  
3 correction of the legal description, does that increase  
4 or decrease the acreage that was described in that order?

5 A. I believe it increases it. But our next  
6 witness will be able to talk to that.

7 CHAIRMAN BAILEY: Okay. I'll ask him  
8 about that.

9 That's all I have. Thank you very much.

10 Do you have any redirect?

11 MR. FELDEWERT: I just have a couple.

12 REDIRECT EXAMINATION

13 BY MR. FELDEWERT:

14 Q. On the area of review analysis issue, the  
15 updating of that area of review, any new well, as you put  
16 it, that was drilled by Oxy over the next five years, is  
17 going to comply with all the design requirements that  
18 have been approved for both its injectors and producers;  
19 correct?

20 A. That's correct.

21 Q. So to the extent that you're adding wells to  
22 the area of review, we know the design that's going to go  
23 into those and we know that they're going to be  
24 adequately designed to prevent migration of fluids from  
25 the injection interval -- outside of the injection



1 interval?

2 A. That's correct.

3 Q. With respect to the mechanical integrity  
4 request, to the extent that you have a well that's on a  
5 one-year frequency or a two-year frequency or something  
6 like that, under your proposal that frequency is not  
7 going to change until you get a pressure sensor device on  
8 that well and it's connected to the SCADA system?

9 A. That's correct.

10 Q. So any concerns about the existing wells that  
11 are on a more consistent frequency, you've got the  
12 incentive, if this is granted, to get the pressure  
13 sensors on those wells so you can avoid the frequencies  
14 that are less than five years?

15 A. That's correct.

16 Q. Commissioner Balch talked to you about the  
17 cement bond logs issue. There's actually two parts to  
18 this current rule; correct?

19 A. Yes.

20 Q. The first one says, "Prior to placing a well  
21 on injection, a cement bond log shall be run on said  
22 well"; do you see that?

23 A. Yes.

24 Q. Prior to placing a well on injection, the new  
25 drills, you're going to be circulating cement; correct?

1 A. That's correct.

2 Q. And if you don't get the correct circulation  
3 to the surface, what are you going to do as part of your  
4 design?

5 A. We typically run a cement bond log to see what  
6 the top of the cement is.

7 Q. If you're successful in getting cement run to  
8 the surface, there would be no reason to run a cement  
9 bond log?

10 A. That's correct.

11 Q. The second part of this rule that's been left  
12 over from the '70s, says, "Also, anytime the rods and/or  
13 tubing are pulled from any producing well in the  
14 project." Does that aspect of the rule make any sense to  
15 you?

16 A. No.

17 Q. Is that -- I mean essentially, the way it's  
18 written, it would result in running the same CBL on the  
19 same well?

20 A. That's correct, as written.

21 Q. In addition, any concerns about casing,  
22 perhaps channeling, as I understand it, won't those be  
23 picked up in your annual Bradenhead tests?

24 A. Yes. Because any fluids that would migrate to  
25 the surface or would cause pressure on the Bradenhead

1 will be caught in the Bradenhead testing.

2 Q. So you have a mechanism in place already to  
3 ensure, with your annual Bradenhead tests, that there are  
4 no issues?

5 A. That's correct.

6 MR. FELDEWERT: I think that's all the  
7 additional questions I have.

8 CHAIRMAN BAILEY: Then you may be excused.  
9 Why don't we take a 10-minute break.

10 (A recess was taken.)

11 CHAIRMAN BAILEY: If you'd like to call  
12 your next witness?

13 MR. FELDEWERT: I would.

14 I visited with Oxy about what they're  
15 requesting with respect to Rule 15 in light of the  
16 questions that you posed.

17 And what they would like to see is that we  
18 retain essentially the first clause, "Prior to placing  
19 any well on injection, a cement bond log shall be run on  
20 said well, unless cement has been circulated to the  
21 surface," and then strike the remaining aspect of that  
22 rule. I think in light of the questions, that makes  
23 sense to us, and we hope that it makes sense to you.

24 With that said, we can move on to our last  
25 witness.

1 CHAIRMAN BAILEY: Okay.

2 MR. FELDEWERT: We'll call Mr. Pat Sparks.

3 PATRICK SPARKS

4 Having been first duly sworn, testified as follows:

5 DIRECT EXAMINATION

6 BY MR. FELDEWERT:

7 Q. Mr. Sparks, could you please state your full  
8 name for the record and identify with whom you are  
9 employed and in what capacity.

10 A. Yes. I'm Patrick Sparks. I'm employed by Oxy  
11 as a landman.

12 Q. How long have you been with Oxy as a landman?

13 A. Forty-two years. Or as a landman, a little  
14 over 30 years, but with Oxy, 42.

15 Q. Prior to being a landman, what were your  
16 responsibilities?

17 A. I came through the accounting and finance  
18 group doing planning and budgeting.

19 Q. How long -- you said you've been a landman  
20 with Oxy for 30 years. How long has your  
21 responsibilities included the Permian Basin?

22 A. A little over 20 years.

23 Q. Have you had the opportunity to previously  
24 testify before the Oil Conservation Division?

25 A. Yes.

1 Q. And were your credentials accepted and made a  
2 matter of public record?

3 A. Yes, sir.

4 MR. FELDEWERT: Madam Chair, I would  
5 tender Mr. Sparks as an expert witness in petroleum land  
6 matters.

7 CHAIRMAN BAILEY: Any objection?

8 MS. GERHOLT: No objection.

9 CHAIRMAN BAILEY: He is accepted.

10 Q. (By Mr. Feldewert) Mr. Sparks, are you  
11 familiar with the land circumstances associated with the  
12 South Hobbs Unit?

13 A. Yes, sir.

14 Q. Are there any federal lands in the South Hobbs  
15 Unit project area?

16 A. No, sir.

17 Q. Are there any state lands?

18 A. Yes, sir.

19 Q. If we pull out -- turn to what's been marked  
20 as Oxy Exhibit Number 13. It's a rather large map. If  
21 we pull that out, can you describe what it depicts?

22 A. This is a relatively current -- the most  
23 current, that we've had access to, aerial photo of the  
24 Hobbs area, showing the city of Hobbs and the surrounding  
25 areas, with the South Hobbs project area being outlined

1 in blue, and our North Hobbs Unit being outlined in  
2 green.

3 Q. Let me ask you a question since we have this  
4 map out. There was a discussion earlier about the change  
5 that needed to be made to a description of the project  
6 area?

7 A. Yes, sir.

8 Q. Are you familiar with the changes that  
9 occurred -- let me back up. Are you familiar with how  
10 the area description needed to be changed to conform with  
11 the actual boundary of the South Hobbs Unit?

12 A. Yes, sir. During our review, we reviewed an  
13 area and found a discrepancy in the description of the  
14 previous area.

15 Q. Did that result in enlargement of the unit  
16 area or a subtraction?

17 A. This was a voluntary unit, and there was one  
18 operator that owned two 80-acre tracts that did not  
19 ratify the unit. So those two 80-acre tracts came out of  
20 the unit. Subsequently one of the 80-acre tracts was  
21 included in the North Hobbs Unit.

22 Q. So the acreage description that has been  
23 previously depicted as Slide 2 of Oxy Exhibit 11, does  
24 that now accurately reflect the project area for the  
25 South Hobbs Unit?

1           A.     Yes, sir.

2           Q.     This map that's been identified as Oxy Exhibit  
3 13, does it also give a picture of the areas that were  
4 subject to the notice requirements for this hearing?

5           A.     Yes, sir.

6           Q.     What essentially was your notice area?

7           A.     We started our notice research prior to having  
8 all the injection locations. So we took the approach of  
9 anything within a half mile of the unit boundary, we put  
10 on the notice list.

11          Q.     So as it turned out, with the bubble map, you  
12 were a little more expansive with your notice area than,  
13 perhaps, the rule requires?

14          A.     Correct.

15          Q.     Basically, you went a half mile outside the  
16 blue line that's shown on Oxy Exhibit 13?

17          A.     That's correct.

18          Q.     Did you lead a team to do the land research  
19 that was necessary to provide this notice?

20          A.     Yes, sir.

21          Q.     How many employees and how much time and  
22 effort went into identifying and acquiring the  
23 information you needed to send out the appropriate notice  
24 for this hearing?

25          A.     We worked a little over six months. I had two

1 full-time and one half-time people in the field at all  
2 times, plus our internal people.

3 Q. For how long?

4 A. A little over six months.

5 Q. Quite a project?

6 A. Town lots are tough.

7 Q. In your analysis if you had a tract that  
8 touched within a half mile of the unit boundary, was that  
9 tract included in your notice and data pool?

10 A. Yes. Anything within a half mile of the unit  
11 boundary was in the data pool.

12 Q. Did you undertake efforts to identify the  
13 operators and lessees of record for each of those tracts?

14 A. Yes.

15 Q. And in the event it was an undeveloped tract,  
16 did you undertake to determine all the mineral interests?

17 A. Yes.

18 Q. In addition, did you identify the surface  
19 owners for each of the proposed injection wells?

20 A. Yes, sir.

21 Q. Did you then also identify all of the working  
22 interest owners in the North Hobbs Unit?

23 A. Yes, sir.

24 Q. And all of the working interest owners in the  
25 South Hobbs Unit?



1           A.     Yes, sir.

2           Q.     If I then turn to what's been marked as Oxy  
3 Exhibit 14, is that an affidavit with the attached letter  
4 providing notice of the hearing to the parties for whom  
5 you were able to locate an address from your extensive  
6 record search?

7           A.     Yes, sir.

8           Q.     If I then look behind the letter in Exhibit  
9 14, there begins a series of pages that are grouped by  
10 various headings. Does that contain the list of all of  
11 the effected parties that you identified in your notice  
12 area?

13          A.     Yes, sir.

14          Q.     How many, roughly, different individuals or  
15 companies were involved?

16          A.     Roughly, 600.

17          Q.     And to the extent you had an address, was  
18 notice provided to these individuals by Certified Mail?

19          A.     Yes.

20          Q.     Did it include the New Mexico State Land  
21 Office?

22          A.     Yes, sir.

23          Q.     At the end, the last three pages of this  
24 exhibit, there is a list of parties for whom you were  
25 unable to find addresses; is that correct?

1           A.     That's correct.

2           Q.     What efforts did you undertake to locate an  
3 address for these individuals?

4           A.     We initially went through the county records  
5 and abstract county records looking for their last known  
6 addresses. We went through the tax records of Lea  
7 County. We did Internet searches. We searched our  
8 internal databases where we distribute revenues on the  
9 North and South Hobbs Unit, as well as other properties  
10 in Lea County, and looked for them in there.

11          Q.     Then with respect to this list of parties,  
12 were they then -- for which you did not have an address,  
13 were they then listed by name in the notice of the  
14 hearing of this matter?

15          A.     Yes, sir.

16          Q.     If I turn to Oxy Exhibit Number 15, does that  
17 contain an affidavit of publication in the Hobbs News Sun  
18 of this hearing that is preceded by a list of all of the  
19 individuals for whom you were unable to find an address?

20          A.     Yes, sir.

21          Q.     Now, with respect to -- there was a question  
22 about royalty owners in the South Hobbs Unit. First off,  
23 one of the royalty owners would be the State Land Office;  
24 correct?

25          A.     Correct.

1 Q. Did the State Land Office sign this voluntary  
2 unit?

3 A. Yes, sir.

4 Q. Does the unit agreement provide or contemplate  
5 and provide for this type of tertiary recovery operation?

6 A. Yes, sir.

7 Q. And in your opinion, is there a benefit to the  
8 royalty owners in moving from a waterflood project to a  
9 tertiary recovery project?

10 A. Yes, sir.

11 Q. If you were a royalty owner, would you want  
12 Oxy to move to a tertiary recovery project here?

13 A. Yes, sir.

14 Q. Why is that?

15 A. If our assumptions on the project are correct,  
16 my royalty checks would then go up significantly.

17 Q. Is there -- with respect to the gas that's  
18 being utilized for this particular project, is that being  
19 wasted?

20 A. No, sir.

21 Q. It's being reinjected back into the reservoir?

22 A. The gas will be reinjected back into the  
23 producing unitized interval.

24 Q. Thereby, subject to potential production in  
25 the future, if operators deem that to be appropriate?

1           A.     Correct.

2           Q.     Were Oxy Exhibits 13 through 15 compiled by  
3 you or under your direction and supervision?

4           A.     Yes, sir.

5                   MR. FELDEWERT:  Madam Chair, I move the  
6 admission of Oxy Exhibits 13 through 15.

7                   CHAIRMAN BAILEY:  Any objection?

8                   MS. GERHOLT:  No, Madam Chair.

9                   CHAIRMAN BAILEY:  They are admitted.

10                   (Oxy Exhibits 13 through 15 were admitted.)

11                   MR. FELDEWERT:  That concludes my  
12 examination of this witness.

13                   CHAIRMAN BAILEY:  Do you have any  
14 questions?

15                   MS. GERHOLT:  Not of this witness.

16                   CHAIRMAN BAILEY:  Commissioner Warnell?

17                   COMMISSIONER WARNELL:  I have no  
18 questions.

19                   CHAIRMAN BAILEY:  Commissioner Balch?

20                   COMMISSIONER BALCH:  I always have one  
21 question for every witness so they don't feel left out.

22                                   EXAMINATION

23           BY COMMISSIONER BALCH:

24           Q.     What percentage of the land mineral rights is  
25 State Land Office?

1           A.       It's right around 30 to 35 percent.

2                    COMMISSIONER BALCH: Thank you.

3                               EXAMINATION

4 BY CHAIRMAN BAILEY:

5           Q.       My only question is: When was this aerial  
6 photo taken?

7           A.       I'm not sure of the exact date of the photo.  
8 We prepared it -- it was probably last fall in the June,  
9 July, August time frame.

10          Q.       Okay. It's not 15, 20 years old or anything?

11          A.       No, ma'am. We got the new photos when we  
12 started our review.

13                   CHAIRMAN BAILEY: That's all I have.

14                   Any redirect?

15                   MR. FELDEWERT: No, Madam Chair.

16                   CHAIRMAN BAILEY: You may be excused.

17                   MR. FELDEWERT: Madam Chair, I have one  
18 additional matter. Mr. Sparks testified to the list of  
19 parties to whom Certified mailing was provided. As you  
20 can imagine, given the number of people involved, the  
21 return receipts were quite extensive, and to be honest  
22 with you, are still being received as of this week.

23                   But what I have marked as Oxy Exhibit 16 is a  
24 bound copy of the Certified receipts that the company has  
25 received to date. And I think it would be prudent for

1 the company to actually have this admitted into the  
2 record as Oxy Exhibit Number 16.

3 I did not provide copies I think obvious  
4 reasons for everybody, so that's why I did not previously  
5 submit them to the Commission. I didn't want to kill any  
6 more trees. But for the record, I would like to  
7 introduce what has been marked as Oxy 16 as the Certified  
8 receipts to date received by the company.

9 CHAIRMAN BAILEY: Any objection?

10 MS. GERHOLT: No, Madam Chair. Oxy had  
11 discussed this prior to the hearing. We knew it would be  
12 an exhibit.

13 CHAIRMAN BAILEY: Commissioner Warnell or  
14 Commissioner Balch, do you want your own personal copies?

15 COMMISSIONER BALCH: I have plenty of  
16 stuff.

17 CHAIRMAN BAILEY: That's what I thought.  
18 Let's admit that exhibit for the record.

19 (Oxy Exhibit 16 was admitted.)

20 MR. FELDEWERT: If I may approach, I'll  
21 give this to the court reporter?

22 With the submission of that final exhibit,  
23 which results in Oxy submitting a total of 17 exhibits to  
24 the Commission, that concludes our presentation in this  
25 case.

1 CHAIRMAN BAILEY: All right. Do you have  
2 any closing that you would like to make?

3 MS. GERHOLT: Yes, Madam Chair.

4 As you have heard, Oxy is proposing a tertiary  
5 project. And the Division does not object, because it  
6 will prevent waste and protect correlative rights.

7 The Division also believes, with the  
8 additional requirement as set forth in Richard Ezeanyim's  
9 affidavit of testimony that was provided to the  
10 Commission --

11 CHAIRMAN BAILEY: It has been admitted,  
12 hasn't it?

13 MS. GERHOLT: I can move to admit it now  
14 formally.

15 CHAIRMAN BAILEY: Yeah. Make sure --

16 MS. GERHOLT: Okay. I would move Exhibit  
17 A into the record.

18 MR. FELDEWERT: Oxy has no objection.

19 CHAIRMAN BAILEY: It is admitted.

20 (OCD Exhibit A was admitted.)

21 MS. GERHOLT: Thank you.

22 Per the additional requirements set in Richard  
23 Ezeanyim's written testimony, the Division believes human  
24 health and safety would be protected, as required by  
25 statute.

1           In addition, the Division would request that  
2 Oxy work with the District Office to determine the time  
3 periods of holding the data that it gathers from SCADA in  
4 order for OCD to review that, whether that's on a  
5 five-year time period, less or more. But we'll leave it  
6 to Oxy and the Hobbs District Office to decide upon that.

7           We would also request that Oxy report on  
8 C-115s, as they're required to do per Rule 26 and as they  
9 are currently doing for the South Hobbs Unit.

10           And finally, when action is taken on the  
11 problem well, for Oxy to report that on a C-103 filed  
12 with the District Office. Thank you, Madam Chair.

13           MR. FELDEWERT: I really don't have a  
14 closing. I had my opening statement.

15           But on the points that were just raised by the  
16 Division, Oxy has no problem with their requests. The  
17 only issue that arises, I believe, is with respect to the  
18 filing of a C-103 for the potentially problem well. We  
19 don't know if it's a problem well or not.

20           And the reason for that is because it's not a  
21 well that's operated by Oxy. We have to work with the  
22 current operator, Chevron. We would hope that there  
23 would not be any issue there, but I don't think Oxy is in  
24 a position to file the C-103. I guess my thought,  
25 perhaps, would be that hopefully the companies could



1 visit with the District Office and decide how the  
2 District Office would like to address whatever remedial  
3 issues are necessary as they move forward with that study  
4 and those efforts.

5 CHAIRMAN BAILEY: Okay.

6 MR. BRANCARD: I don't know whether  
7 Mr. Feldewert doesn't have a closing, but it may be  
8 useful if Oxy could simply list the relief they are  
9 requesting from the Commission at this point, before  
10 we --

11 COMMISSIONER BALCH: It's primarily in  
12 Exhibit 3, and then there are some other issues that were  
13 addressed by Richard Ezeanyim's testimony. I think  
14 between those two, we could cover most of them.

15 MR. FELDEWERT: I would also add that it's  
16 listed in the application. And as I said, I think the  
17 one modification has to deal with Slide 23 of Exhibit 12,  
18 where Oxy has proposed a modification -- give me one  
19 second here.

20 Our proposal would be that Rule 15 be modified  
21 as follows: The first clause be retained, and then after  
22 that, that there would be a clause inserted that would  
23 say, "unless cement has been circulated to the surface."  
24 That would be what we would propose, and I probably read  
25 it in an inartful form. And the remainder of that rule

1 be stricken as unnecessary, given the testimony that's  
2 been submitted here today and yesterday.

3 CHAIRMAN BAILEY: Then we should  
4 deliberate this case, and the results of those  
5 deliberations can be announced in open session. And then  
6 we will take up the remaining case, which could be  
7 impacted, possibly, by the decisions made during the  
8 deliberations made on this case. That's my  
9 understanding.

10 So do I hear a motion from the Commission to  
11 go into closed session for the sole and only purpose of  
12 deliberating Case Number 14981 in accordance with the  
13 Open Meetings Act and the statute governing closed  
14 sessions for commissions?

15 COMMISSIONER WARNELL: I make that motion.

16 COMMISSIONER BALCH: I will second.

17 CHAIRMAN BAILEY: All those in favor?

18 So we will go into deliberations now and come  
19 back out -- let's say we just come back into session at  
20 1:00. That should give us adequate time to deliberate  
21 and have lunch for everybody.

22 (Whereupon the Commission went into executive session.)

23 (A lunch recess was taken.)

24 CHAIRMAN BAILEY: Do I hear a motion for  
25 the Commission to come back into open session in

1 accordance with New Mexico Statute 10-15-1 and the OCD  
2 resolution on open meetings?

3 COMMISSIONER WARNELL: I make the motion.

4 COMMISSIONER BALCH: I second.

5 CHAIRMAN BAILEY: All those in favor?

6 The only thing discussed during our closed  
7 session was deliberations on Case 14981.

8 And Counsel, would you please explain what the  
9 Commission decided?

10 MR. BRANCARD: Well, if you'll refer to  
11 the application submitted by Occidental Permian Limited  
12 Partnership. And I will also be referring to the  
13 Prehearing Statement from the Oil Conservation Division.

14 In the application, Occidental made a series  
15 of requests, and I will go through each of these in order  
16 here. A, the Commission proposes to adopt the request to  
17 expand the injection authority and to permit this as an  
18 enhanced oil recovery project under its own authority,  
19 which involves a tertiary project with injection of  
20 carbon dioxide and reinjection of produced gases. The  
21 produced gases shall be limited to those produced gases  
22 that come from the field to which this order applies to.

23 This order applies to the legal description of  
24 the unit that was provided at this hearing, which is a  
25 different legal description than was provided in the

1 original Order R-4934.

2 Request B was to modify the surface injection  
3 pressure limits set forth in the prior order. The  
4 Commission adopts those pressure limits set forth in the  
5 OCD statement for CO2 injection, water injection and  
6 produced gas injection.

7 C was a request to increase limits on the  
8 gas/oil ratio provided by Commission Rule 19.15.20.13.  
9 The Commission adopts the position of the Division that  
10 this gas/oil ratio will not apply to this project.

11 D was a request to allow an exception to the  
12 one-year commencement of injection required by  
13 19.15.26.12(C). The Commission approves extending the  
14 commencement of injection period to three years.  
15 However, once injection has begun, the provision in that  
16 rule that provides that any one-year period of continuous  
17 noninjection will result in a termination of injection  
18 authority remains.

19 E, the request was to provide that for any  
20 injection well covered by this application that commences  
21 operations within five years after the date of the order,  
22 that the area of review will be limited to a statement  
23 from Oxy that there either have been no substantive  
24 changes to the area of review information in the  
25 application or a statement describing such substantive

1 changes. This is provided in more detail in the North  
2 Hobbs Unit Order R-6199. The Commission approves this  
3 request for five years.

4 F was a request that the frequency for  
5 mechanical integrity tests required for temporarily  
6 abandoned wells be five years for those wells that are  
7 equipped with real time pressure monitoring devices. The  
8 Commission approves this request, which would come into  
9 play after such real time pressure monitoring devices are  
10 installed on each well.

11 G, the request was to modify to set a new  
12 packer setting depth requirement to allow for the packer  
13 to be set anywhere above the uppermost injection  
14 perforations or casing shoe, provided the packer was set  
15 below the top of the Grayburg formation. Commission  
16 approves this request.

17 H, the request was to modify or eliminate the  
18 cement bond requirement provided in the prior order, The  
19 Commission approves a cement bond log requirement that  
20 reads the same as that found in Rule 15 under the prior  
21 order, except that the second clause of the first  
22 sentence is deleted, that is, beginning at the words,  
23 "Also at anytime," and extending to the end of that  
24 sentence is deleted.

25 I, Occidental requests approval of the

1 additional injection wells. The Commission approves  
2 those additional injection wells that are identified in  
3 the C-108 and the application.

4 J was a request that this project qualify for  
5 the authority for the recovered oil tax rate. The  
6 Commission finds that this project does qualify for that  
7 tax rate status, and the proper findings shall be placed  
8 in the order that would justify such finding by the  
9 Commission.

10 In addition, if you'll go to the OCD  
11 statement, page 6, the Commission proposes to adopt the  
12 additional requirements listed as 3, 4, 5, 6 and 7. In  
13 addition, the Commission proposes the following  
14 additional conditions: First, that Occidental work with  
15 the local OCD District Office on providing access for the  
16 Occidental records termed SCADA in this application, and  
17 on a schedule for the retention of those records.

18 Second, that in the annular fluid provided in  
19 wells, there will be biocides and corrosion inhibitors.

20 Third, the well identified in the OCD  
21 statement, the Aradora Well Number 3, the Commission  
22 proposes that no injection be allowed within a half mile  
23 of this well until and unless Occidental provides a  
24 cement bond log that shows adequate cement access or that  
25 remedial cement work is done to adequately confine the

1 injectant to the injection zone.

2 Fourth, that Occidental maintain and update  
3 its hydrogen sulfate contingency plan in accordance with  
4 the hydrogen sulfide rule of the Commission.

5 Have I captured everything?

6 CHAIRMAN BAILEY: Yes, you have.

7 Would you like to discuss the draft orders and  
8 how you would like for that to be presented and at what  
9 date?

10 MR. BRANCARD: I would request that  
11 applicants submit a draft order within 30 days, okay?

12 MR. FELDEWERT: Yes.

13 CHAIRMAN BAILEY: As a new order, or  
14 as --

15 MR. BRANCARD: The Commission is  
16 requesting that this be done as a new order --

17 MR. FELDEWERT: So not a continuation of  
18 the prior orders?

19 MR. BRANCARD: -- approving this as an  
20 enhance oil recovery project.

21 MR. FELDEWERT: May I ask a couple of  
22 questions about that? So that would include, as part --  
23 the existing order, of course, has Rules 1 through,  
24 whatever it is, 17. That would be part of any new order,  
25 as well, in addition to the modifications that have been

1 discussed here today? That's the question I have.

2 CHAIRMAN BAILEY: The pertinent paragraphs  
3 should be retained.

4 MR. BRANCARD: To the extent that a number  
5 of those rules have been superceded by more general rules  
6 of the Commission, it would seem to be unnecessary. The  
7 Commission now has a Rule 26 regarding injection, et  
8 cetera. A lot of what was in that rule predated --

9 MR. FELDEWERT: I did, yeah. Let me think  
10 about that, and I'll look at it.

11 MR. BRANCARD: Okay.

12 CHAIRMAN BAILEY: And the attorneys can  
13 discuss this outside of the Commission hearing as to the  
14 form of that order.

15 MR. FELDEWERT: That would be great.

16 Can we ask for a clarification on your  
17 decision, since I'm going to be putting together an  
18 order?

19 My question relates to -- I think it dealt to  
20 allow for administrative approval of additional injection  
21 wells, so it was our relief I.

22 The relief we requested was to allow for the  
23 administrative approval of additional injection wells  
24 into the Grayburg and San Andres formation underlying the  
25 South Hobbs Unit project area pursuant to Rule 8 of the



1 special rules.

2 MR. BRANCARD: I think what our  
3 conversation was was that the rules that you have -- the  
4 wells you have specifically identified in this  
5 application are approved and that the Rule 8 can continue  
6 over or words effective of Rule 8 can continue over into  
7 the new order.

8 MR. FELDEWERT: I think my assumption is  
9 that the -- I think as it's currently crafted, it may  
10 only say -- well, maybe it doesn't say "water," but I  
11 think we had an issue there. So what you're saying, Rule  
12 8 as presently encompassed within the governing order  
13 would carry over into the new order, if I'm understanding  
14 you.

15 MR. BRANCARD: Rephrase it. There's a  
16 reference to an outdated Commission rule in that rule,  
17 which you would change to specify the new Commission  
18 rule.

19 MR. FELDEWERT: Then with respect to the  
20 cement bond log issue and the modification of Rule 15, if  
21 I'm understanding you, the first clause is retained and  
22 the remaining aspect of that rule would be struck?

23 MR. BRANCARD: No. The remaining aspect  
24 of that first sentence.

25 MR. FELDEWERT: Okay.

1                   CHAIRMAN BAILEY: Is there anything  
2 further in this case?

3                   MR. FELDEWERT: Not from Oxy.

4                   CHAIRMAN BAILEY: Then I'll call Case  
5 149 --

6                   MR. BRANCARD: Do we need a motion?

7                   CHAIRMAN BAILEY: A motion to what?

8                   MR. BRANCARD: To adopt what I just  
9 provided. Or do we want to get the order and then we  
10 adopt?

11                   CHAIRMAN BAILEY: To get the order and  
12 then we adopt.

13                   So I'll call Case 14976, which is the  
14 application of Occidental Permian Limited for approval to  
15 add the North Hobbs Grayburg-San Andres Unit Well Number  
16 431 as an injection well for water, carbon dioxide and  
17 produced gas in its North Hobbs Grayburg-San Andres  
18 tertiary recovery project located within the Hobbs  
19 Grayburg-San Andres pool in Lea County, New Mexico.  
20 Appearances?

21                   MR. RANKIN: Good afternoon, Madam Chair.  
22 Adam Rankin on behalf of Occidental Permian Ltd. I have  
23 one witness.

24                   MS. GERHOLT: Good afternoon,  
25 Commissioners. Gabrielle Gerholt on behalf of the Oil


REPORTER'S CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO  
HEREBY CERTIFY that on May 10, 2013, proceedings in the  
above captioned case were taken before me and that I did  
report in stenographic shorthand the proceedings set  
forth herein, and the foregoing pages are a true and  
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by  
nor related to nor contracted with any of the parties or  
attorneys in this case and that I have no interest  
whatsoever in the final disposition of this case in any  
court.

WITNESS MY HAND this 23rd day of May, 2013.

  
Jacqueline R. Lujan, CCR #91  
Expires: 12/31/2013