

STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

CASE 15497

APPLICATION OF CONOCOPHILLIPS COMPANY
TO MAKE PERMANENT THE AUTHORITY GRANTED
UNDER ADMINISTRATIVE ORDER WFX-945 TO
INJECT WATER, CARBON DIOXIDE AND PRODUCED
GAS FOR ENHANCED OIL RECOVERY WITHIN
THE EAST VACUUM GRAYBURG-SAN ANDRES UNIT;
TO AMEND THE SPECIAL RULES ENACTED UNDER
ORDER NO. R-5897 GOVERNING ENHANCED OIL
RECOVERY OPERATIONS WITHIN THE UNIT; TO
ALLOW ADMINISTRATIVE APPROVAL OF ADDITIONAL
INJECTION WELLS WITH THE UNIT WITHOUT FURTHER
NOTICE AND HEARING; AND TO CLARIFY THE SURFACE
INJECTION PRESSURES AND INJECTION AUTHORITY
PREVIOUSLY AUTHORIZED BY THE DIVISION,
LEA COUNTY, NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING
MAY 26, 2016

SANTA FE, NEW MEXICO

BEFORE: MICHAEL McMILLAN, EXAMINER
DAVID BROOKS, EXAMINER
WILLIAM V. JONES, EXAMINER

This matter came on for hearing before the New
Mexico Oil Conservation Division, Michael McMillan,
William V. Jones, David Brooks, Examiners, on May 26,
2016, at the New Mexico Energy, Minerals, and Natural
Resources Department, Wendell Chino Building, 1220 South
St. Francis Drive, Porter Hall, Room 102, Santa Fe, New
Mexico.

REPORTED BY: Mary Therese Macfarlane, NM CCR No. 122
Paul Baca Court Reporters
500 Fourth Street NW, Suite 105
Albuquerque, New Mexico 87102

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE APPLICANT: Michael H. Feldewert, Esq.
Jordan Kessler, Esq.
Holland & Hart, LLP
P.O. Box 2208
Santa Fe, NM 87504-2208
(505) 983-6043

I N D E X

CASE NUMBER 15497 CALLED

APPLICANT'S CASE

WITNESSES:

SUSAN BROWN MAUNDER

EXAMINATION BY MR. FELDEWERT:	4
EXAMINATION BY EXAMINER JONES:	25
EXAMINATION BY EXAMINER BROOKS:	31

GREGORY FRITZ SALTS	
EXAMINATION BY MR. FELDEWERT:	33
EXAMINATION BY EXAMINER JONES:	57
EXAMINATION BY EXAMINER McMILLAN	70

1	E X H I B I T I N D E X		
2	EXHIBIT	1ST MENTION	ADMITTED
3	CONOCOPHILLIPS EXHIBIT 1	7	24
4	CONOCOPHILLIPS EXHIBIT 2	8	24
5	CONOCOPHILLIPS EXHIBIT 3	9	24
6	CONOCOPHILLIPS EXHIBIT 4	10	24
7	CONOCOPHILLIPS EXHIBIT 5	12	24
8	CONOCOPHILLIPS EXHIBIT 6	16	24
9	CONOCOPHILLIPS EXHIBIT 7	20	24
10	CONOCOPHILLIPS EXHIBIT 8	23	24
11	CONOCOPHILLIPS EXHIBIT 9	23	24
12	CONOCOPHILLIPS EXHIBIT 10	36	57
13	CONOCOPHILLIPS EXHIBIT 11	38	57
14	CONOCOPHILLIPS EXHIBIT 12	40	57
15	CONOCOPHILLIPS EXHIBIT 13	42	57
16	CONOCOPHILLIPS EXHIBIT 14	46	57
17	CONOCOPHILLIPS EXHIBIT 15	53	57
18	CONOCOPHILLIPS EXHIBIT 16	53	57
19	CONOCOPHILLIPS EXHIBIT 17	54	57
20			
21			
22			
23			
24			
25			

1 P R O C E E D I N G S

2 (Time noted: 8:50 a.m.)

3 EXAMINER McMILLAN: Okay. I'd like to call
4 back to order. I'd like to call Case No. 15497,
5 Application of ConocoPhillips Company to make permanent
6 the authority granted under Administrative Order WFX-945
7 to inject water, carbon dioxide and produced gas for
8 enhanced oil recovery within the East Vacuum Grayburg-San
9 Andres Unit; To amend the Special Rules enacted under
10 Order No. R-5897 governing enhanced oil recovery
11 operations within the unit; to allow administrative
12 approval of additional injection wells within the unit
13 Without further notice and hearing; and to clarify the
14 surface injection pressures and injection authority
15 previously authorized by the Division, Lea County, New
16 Mexico.

17 Call for appearances.

18 MR. FELDEWERT: If it please the examiner,
19 Michael Feldewert of the Santa Fe Office of Holland & Hart
20 appearing on behalf of the Applicant.

21 I have two witnesses:

22 EXAMINER McMILLAN: Any other appearances?

23 (Note: No response.)

24 If the witnesses would please stand up and
25 be sworn.

1 (WHEREUPON the presenting witnesses
2 were administered the oath.)

3 MR. FELDEWERT: Mr. Examiner, we will call
4 our first witness.

5 EXAMINER McMILLAN: Please proceed

6 SUSAN BROWN MAUNDER,
7 having been duly sworn, testified as follows:

8 EXAMINATION

9 BY MR. FELDEWERT:

10 Q. Would you please state your name, identify by
11 whom you are employed, and in what capacity.

12 A. My name is Susan Brown Maunder, M-a-u-n-d-e-r,
13 with ConocoPhillips Company. I'm a senior regulatory
14 coordinator.

15 Q. How long have you been a senior regulatory
16 coordinator for ConocoPhillips?

17 A. Four years.

18 Q. Ms. Maunder, how many years of experience do you
19 have in the oil and gas industry?

20 A. Twenty-two years experience in the oil industry.
21 Nine years with a subsidiary of Shell Oil Company in
22 Alaska, where I coordinated compliance and permitting for
23 their exploratory and production operations.

24 That also included waterflood.

25 Q. What did you do after you were with Shell Oil

1 Company?

2 A. I had ten years experience with my own
3 consulting firm. In that capacity I conducted some
4 compliance audits for the industry up there in Alaska, and
5 a large portion of my time was spent on the oil spill
6 contingency plan for the Prince William Sound tankers.

7 Q. And in your last four years with ConocoPhillips,
8 have your responsibilities included the Permian Basin?

9 A. Yes.

10 Q. In particular, Southeast New Mexico conventional
11 assets.

12 A. Yes. The conventional assets in Southeast New
13 Mexico, both federal and state units, new well permitting
14 and associated compliance activities.

15 Q. And as part of your job responsibilities do you
16 regularly work with the land department?

17 A. Yes, I work with the land department,
18 engineering, and then the operations folks, in addition to
19 the regulatory.

20 Q. Have your responsibilities included regulatory
21 support for the secondary and tertiary recovery operations
22 in what is known as the East Vacuum Grayburg-San Andres
23 Unit?

24 A. Yes. My duties include that, in addition to the
25 federal unit waterflood support.

1 Q. I'm just going to refer to that as the East
2 Vacuum Unit. Okay?

3 A. Right.

4 Q. In fact, Ms. Maunder, have you not previously
5 filed administrative applications for approval of
6 additional injection wells for the East Vacuum Unit.

7 A. Yes, I have.

8 Q. Have you -- what is your educational background?

9 A. I have a Bachelor's of Science in Environment
10 Assessment from the University of Washington in Seattle.

11 Q. And you have been through your work history.
12 Have you previously testified before the Division as an
13 expert in regulatory matters?

14 A. I have not.

15 Q. Are you familiar with the application filed in
16 this case?

17 A. I am.

18 MR. FELDEWERT: Mr. Examiner, I will now
19 tender Ms. Maunder as an expert witness in oil and gas
20 regulatory matters.

21 EXAMINER McMILLAN: So qualified.

22 Q. (BY MR. FELDEWERT) Ms. Maunder, to get us set up
23 would you please turn to what has been marked as
24 ConocoPhillips Exhibit 1 in your exhibit book, and would
25 you please first explain what unit is at issue here, and

1 then generally what is shown in this particular exhibit.

2 A. This exhibit shows the unit boundary on the
3 ConocoPhillips East Vacuum Grayburg-San Andres Unit. It's
4 noted as a blue vertical hatch.

5 Then to the west is the Chevron Central
6 Vacuum Unit.

7 To the southwest of that is the Chevron
8 Vacuum Grayburg-San Andres unit.

9 Q. And this is located in Lea County, New Mexico;
10 is that right?

11 A. Lea County, New Mexico.

12 Q. Is the description for what is depicted on here
13 as the East Vacuum Unit set forth in the application?

14 A. It is.

15 Q. Does this unit currently utilize both injection
16 wells for water, CO2 and produced gas?

17 A. Yes, it does.

18 Q. When did the waterflood operations begin?

19 A. The first approval was in 1979 and then
20 waterflood started shortly thereafter.

21 Q. What about the CO2 and produced gas? When did
22 that gas injection begin?

23 A. CO2 injection again in the mid '80s.

24 Q. If you turn to what has been marked as
25 ConocoPhillips Exhibit No. 2, is that just a write-up

1 containing a brief geologic description of the injection
2 zone underlying this unit?

3 A. Yes, it is.

4 Q. Has that been prepared and certified by a
5 geologist?

6 A. Yes, it has.

7 Q. Is that offered here today just in the event
8 that the examiner has some -- want some general background
9 about the geology underlying the unit?

10 A. Yes.

11 Q. But what is the real purpose of the hearing
12 today?

13 A. The real purpose of the hearing is to satisfy
14 some of the requirements of WFX-945 to come before the
15 Division for hearing, and we would also like to
16 standardize some of the prior approvals.

17 Q. Okay. If I turn to what had been marked as
18 ConocoPhillips Exhibit No. 3, is that the Administrative
19 Order issued in 2015 that has resulted in the hearing
20 today?

21 A. Yes.

22 Q. Okay. And this particular -- first off, did you
23 prepare the administrative applications that resulted in
24 this Order?

25 A. Yes. They were prepared under my direction.

1 Q. Okay. And in fact did it involve two C-108
2 filings?

3 A. Yes, there were two separate C-108 filings.

4 Q. How many wells were involved in these two
5 filings?

6 A. There was 11 wells in one of the filings and an
7 additional well in the second filing.

8 Q. And if I turn to the second page of this Exhibit
9 No. 3, this Administrative Order, does it approve the
10 injection of water and CO2 and produced gas into the 12
11 wells listed?

12 A. Yes, it does.

13 Q. And before coming back to this Order, if we go
14 to what's been marked as ConocoPhillips Exhibit No. 4,
15 does this contain -- it's a two-page exhibit. And does it
16 contain the areas of review that were examined by the
17 Division in 2015 prior to approving the injection for
18 these 12 wells?

19 A. Yes. It shows the half-mile radius around each
20 of the proposed injection wells.

21 Q. Did ConocoPhillips also bring an engineer today
22 to present any update necessary for this review?

23 A. Yes, they did.

24 Q. I want to go back to Exhibit No. 3, which is the
25 Order WFX-945. And I want to go to the first page, and I

1 have go down to the bottom, and there's some language down
2 there.

3 Is that why we are here today?

4 A. Yes.

5 Q. Okay. What does this bolded language require
6 the company to do?

7 A. It requires that we come back to the hearing --
8 come back to hearing within one year of beginning of
9 injection and explain our results for our pilot CO2
10 project.

11 Q. Is that the WAG operation?

12 A. It is. It's known as the WAG.

13 Q. What does that stand for?

14 A. Water and Alternating Gas.

15 Q. As I read through this at this bolded language,
16 it also provides that -- they ask the company to amend
17 the -- it says exiting but I think it meant existing
18 Division Orders to accommodate future expansion. Right?

19 A. Correct.

20 Q. Is that the second purpose of the hearing here
21 today?

22 A. Correct.

23 Q. With respect to the first purpose, will the
24 company bring in-- does the company have an engineer here
25 today to discuss the results of the WAG operations today?

1 A. Yes, we do.

2 Q. Okay. And now with respect to the second
3 portion of this requirement, did the company review the
4 governing Orders and the existing rules to determine what
5 amendments were necessary to accommodate future expanding
6 of the WAG operations?

7 A. Yes, we did.

8 Q. Ms. Maunder, are you aware that -- so, for
9 example, if you turn to what has been marked as
10 ConocoPhillips Exhibit No. 5, is this the initial Order
11 that -- under which injection operations commenced in this
12 area as a pressure maintenance project?

13 A. Yes.

14 Q. We are going to go through this Order here in a
15 minute to address some of the additional amendments that
16 we see, but before we do that I think the last time, one
17 of the last times the company was here, did they not
18 obtain an amendment to the packer setting requirements set
19 forth in this Order?

20 A. Yes, we have.

21 Q. So for example if I go to page 7 of this
22 particular Exhibit No. 5, Order-5897 --

23 A. Yes.

24 Q. -- and I go to Rule 11, there was a requirement
25 in there with respect to the packer setting?

1 A. Correct.

2 Q. And that setting has been amended by a
3 subsequent Division Order, correct?

4 A. Yes, it has.

5 MR. FELDEWERT: Mr. Examiner, that would be
6 R-5897A.

7 Q. We want to maintain that amendment?

8 A. Yes, we do.

9 Q. Now, with respect to the other aspects of this
10 Order, first off if I go to page, now page 6, which are
11 the special rules and regulations for what at that time
12 was a pressure maintenance project, there are certain
13 rules here -- and I'm going to list them briefly -- 2, 3,
14 4, 6, 7, 15 and 16, and they all relate to what they call
15 a Project Area Allowable.

16 Does the company request that the Division
17 abolish this Project Area Allowable set forth in these
18 rules?

19 A. Yes, we do.

20 Q. If I go to -- and I want to keep your finger on
21 Exhibit No. 5, but if I go to Exhibit No. 6, this is an
22 Order that was issued by the Commission in May of 2014?

23 A. Yes.

24 Q. And it was for OXY's North Hobbs Unit.

25 A. Correct.

1 Q. Okay. If we go over to page 10 of Exhibit
2 No. 6, and I go to page 10 of Exhibit No. 6, paragraph 6,
3 it says the following: No limiting gas/oil ratio or oil
4 allowable applies to this enhanced oil recovery project.
5 Okay?

6 Now, this was for OXY's North Hobbs Unit,
7 correct?

8 A. Yes, that's correct.

9 Q. Are you aware that is a tertiary recovery
10 project?

11 A. Yes.

12 Q. Does ConocoPhillips seek the same relief today
13 for its rig, East Vacuum Grayburg Unit?

14 A. Yes, we seek the same relief.

15 Q. So the elimination of what under the rules right
16 now is that Project Area Allowable.

17 A. Correct.

18 Q. From your perspective, does a -- now let me step
19 back.

20 This Project Area allowable was put in
21 place when this was a pressure maintenance project, right?

22 A. That's correct.

23 Q. Back in 1979.

24 A. Yeah, that's correct.

25 Q. And you have now moved through a secondary into

1 a tertiary recovery project?

2 A. That's correct.

3 Q. In your opinion, does an allowable serve any
4 regulatory purpose when you get to a tertiary recovery
5 project?

6 A. I don't believe it serves the regulatory
7 purpose.

8 Q. Okay. And that's why you seek the relief that
9 was similarly granted by the Commission for OXY's tertiary
10 recovery project?

11 A. That's correct.

12 Q. So that's the first one.

13 Second. If I am now at Exhibit No. 5 and I
14 go to Rule 9 on page 6 -- I'm sorry, Rule 8 on...

15 A. Page 7.

16 Q. Page 7. Thank you.

17 It provides within that a requirement that
18 wells be located no closer than 10 feet from the
19 quarter-quarter line. Do you see that?

20 A. Yes.

21 Q. Does the company seek to eliminate that 10-foot
22 distance requirement for wells within your East Vacuum
23 Unit?

24 A. Yes, we seek the relief on the 10-foot setback
25 for the quarter-quarters interior to the lease boundary or

1 the unit boundary.

2 Q. So just the interior, not the exterior.

3 A. Not the exterior.

4 Q. All right. And once again if I go to Exhibit
5 No. 6, which is that Order entered by the Commission for
6 OXY's tertiary operation, and I go back to page 10 again,
7 and I go to paragraph 5 of Exhibit 6 on page 10, it says,
8 "The well limitation for quarter-quarter sections set
9 forth in..." -- and it provides the Division rule --
10 "...does not apply to active tertiary recovery projects
11 and OXY is authorized to locate wells closer than 10 feet
12 to a quarter-quarter section line or subdivision inner
13 boundary within the North Hobbs Unit."

14 A. Correct. And ConocoPhillips Company seeks the
15 same relief?

16 Q. Okay. So you got me.

17 So first off we want to eliminate the
18 restriction on the 10-foot requirement, right? And then
19 we also seek authority to, as necessary, locate more than
20 four wells within a 40-acre tract.

21 A. Correct.

22 Q. So essentially the same relief that's granted
23 here is what you seek for your particular project.

24 A. Correct.

25 Q. And in fact will the ConocoPhillips engineer

1 here today confirm that this relief will allow the company
2 to more easily locate wells within the unit for optimal
3 recovery?

4 A. Yes, we have an engineer for that.

5 Q. Okay. Now let's go to the third topic. So
6 let's go back to Exhibit 5, which are those special rules
7 that were enacted for a pressure maintenance project.

8 And now I want to go to page 6 and look at
9 Rule 5.

10 Ms. Maunder, this particular rule requires
11 a submission of what they call -- a submission annually of
12 a Weighted Average Project Area Reservoir Pressure.

13 Do you see that?

14 A. Yes.

15 Q. Okay. Was the Company able to determine the
16 last time that this annual submission was provided?

17 A. We were able to find a submission of our annual
18 pressure for 1992.

19 Q. And it has not been provided since that time?

20 A. Not that we have been able to determine.

21 Q. In your opinion, now that you have moved from a
22 pressure maintenance project into a full-scale tertiary
23 recovery project, does this submission appear to serve any
24 regulatory purpose?

25 A. I don't believe it does.

1 Q. Are you asking that this Rule 5 requirement now
2 be abolished?

3 A. We are asking that.

4 Q. And will the Company's engineer further discuss
5 this particular rule?

6 A. Yes, the engineer can discuss this.

7 Q. Then another aspect of relief that is set forth
8 in the application is to allow administrative approval of
9 additional injection wells within the unit area without
10 further notice and hearing.

11 A. That's correct.

12 Q. Okay. And if I go back again to Exhibit No. 6,
13 OXY's Order, and I go to page 9, and I go to paragraph 3,
14 again that's -- in that paragraph the Commission issued
15 similar relief to OXY's North Hobbs Unit, right?

16 A. Correct.

17 Q. In other words, you could add additional wells
18 without further notice and hearing.

19 A. Correct.

20 Q. Will this relief from your unit decrease the
21 regulatory burden both for ConocoPhillips and the Division
22 in moving forward with the development of this unit?

23 A. Yes, it will.

24 Q. And in fact this is the type of relief that
25 would appear to be requested in WFX-945, right?

1 A. Yes.

2 Q. Where it asks for you to adjust the Order to
3 allow future expansion.

4 A. That's correct.

5 Q. Okay. All right.

6 Now I want to go to a fifth topic of
7 relief. Okay?

8 A. Yes.

9 Q. What did you find when you reviewed the various
10 Administrative Orders approving injection wells within the
11 unit since the tertiary recovery operations commenced in
12 the mid '80s?

13 A. There's been a consistent maximum surface
14 injection pressure for water of 1350 psi; however, there
15 was two different pressures that were acceptable as
16 maximum surface injection pressure for gas, CO2: 1850 and
17 1800.

18 Q. So in some Orders it said 1800 and some Orders
19 that say 1850.

20 A. Correct.

21 Q. What uniform surface injection pressure does
22 ConocoPhillips seek here?

23 A. We seek the 1850.

24 Q. Will the project engineer presented here today
25 address why the 1850 psi surface injection pressure is

1 appropriate for CO2 and produced gas?

2 A. Yes, the engineer will discuss that.

3 Q. Okay. Finally, the last topic of relief, okay,
4 has to do with a particular Administrative Order.
5 Correct?

6 A. Correct.

7 Q. If I turn to what has been marked as
8 ConocoPhillips Exhibit No. 7, this is Administrative Order
9 WFX-887 that was entered in 2011.

10 Did you review the administrative
11 application that was filed in 2011 prior to the issuance
12 of this Order?

13 A. Yes, I reviewed the application.

14 Q. And what did the Company seek under that filed
15 administrative application?

16 A. We did seek the 1800 psi for the two wells in
17 question. Uhm, in discussing the more recent applications
18 with engineering, the 1850 psi maximum level allowable
19 surface pressure is appropriate.

20 Q. As part of that application, did you ask for
21 approval of the injection of both water and CO2 into the
22 two wells that are at issue here?

23 A. That's correct.

24 Q. So if I look at the second page of this WFX-887,
25 it lists the two wells, correct?

1 A. Yes.

2 Q. They were approved under this particular Order?

3 A. Yes.

4 Q. And it provides, does it not, the surface
5 injection pressure of both water and CO2.

6 A. Yes.

7 Q. Okay. But if I go to the first page and I go to
8 the bottom under "It is therefor Ordered" it says the
9 Applicant ConocoPhillips is hereby authorized to inject
10 water into the unit.

11 A. Right.

12 Q. It doesn't specifically say CO2, right?

13 A. Correct.

14 Q. Do you think this was an oversight by the
15 Division?

16 A. Yes.

17 Q. Because you asked for both the water and CO2,
18 right?

19 A. We did, yeah.

20 Q. And got approved injection pressures for water
21 and CO2.

22 A. Correct.

23 Q. But for some reasons the word CO2 didn't appear
24 in that first sentence.

25 A. Correct.

1 Q. Is the Company here today just to confirm and
2 ask for whatever amendment is necessary to confirm that
3 they are authorized to inject both water and CO2 into
4 these two wells?

5 A. Correct.

6 Q. Okay. And then this would also then be subject
7 to your request that there be a uniform approved surface
8 injection pressure of 1850, correct?

9 A. Correct.

10 Q. All right. So we just went through a lot of
11 relief. Is all of this relief requested and noticed under
12 ConocoPhillips's application?

13 A. Yes.

14 Q. And turning now back to Exhibit No. 1, in
15 preparation for this case did you instruct your land
16 department therefore to provide notice or to identify the
17 operators and mineral owners within a half mile of the
18 unit boundary?

19 A. Yes, we did.

20 Q. Did you also instruct them to identify the
21 surface owners within a half mile of the unit boundary?

22 A. Yes, we did.

23 Q. And was the Company able to locate the addresses
24 of record for each of those affected parties?

25 A. Yes.

1 Q. If I turn to what has been marked as
2 ConocoPhillips No. 8, is this an affidavit prepared by my
3 office --

4 A. Yes.

5 Q. -- with the attached the list of affected
6 parties?

7 A. Yes.

8 Q. All of these parties have an address, correct?

9 A. Right.

10 Q. And this reflects that notice of this hearing
11 was sent to these individual parties with the cover letter
12 that is included with this exhibit?

13 A. Correct.

14 Q. Okay. And did that notice list include Chevron,
15 which operates the units to the west of the East Vacuum
16 Unit?

17 A. Yes.

18 Q. And then in addition to that did the Company
19 also provide notice by publication of this application in
20 the Hobbs News Sundown there in Lea County?

21 A. Yes.

22 Q. Is that reflected in ConocoPhillips' Exhibit
23 No. 9?

24 A. Yes.

25 Q. Were ConocoPhillips Exhibits 1 through 9

1 prepared by you or compiled under your direction or
2 supervision?

3 A. Yes.

4 MR. FELDEWERT: Mr. Examiner, I would move
5 the admission into evidence of ConocoPhillips Exhibits 1
6 through 9.

7 EXAMINER McMILLAN: Exhibits 1 through 9
8 may now be the accepted as part of the record.

9 MR. FELDEWERT: That concludes my
10 examination of this witness:

11 EXAMINER McMILLAN: I just want to be
12 clear. The first question I have is: The pressure for
13 water is 1400 psi?

14 A. 1350 psi.

15 Q. Okay. The next question I have is I'd like you
16 to clarify the vertical limits of the unitized interval.

17 A. We have an engineer that can discuss that matter
18 further.

19 EXAMINER McMILLAN: Go ahead, Will.

20 EXAMINER JONES: Well, I guess the main
21 question I have would be --

22 MR. FELDEWERT: May I interrupt you?

23 EXAMINER JONES: Yes. Go ahead.

24 MR. FELDEWERT: Mr. Examiner, in our
25 application, in the first paragraph it references Order

1 5871 and identifies the description of the unitized
2 interval. So it's in our application under paragraph 1.

3 EXAMINER McMILLAN: Okay. Go ahead.

4 EXAMINER JONES: Thanks for traveling all
5 the way up here for this.

6 EXAMINATION

7 BY EXAMINER JONES:

8 Q. The 10-foot relief from the quarter-quarter, why
9 do you need that? Are there some wells located closer
10 than 10 feet to the quarter-quarter?

11 A. It's largely surface infrastructure constraints
12 that we are now facing with the number of wells, various
13 operators, various horizons that are being developed.

14 So it's surface constraints.

15 Q. Okay. So you do need to locate wells closer
16 than 10 feet to a quarter-quarter section?

17 A. In some instances we have had to.

18 Q. Or is it a case of getting them surveyed, you
19 know, with the well location? You always have that,
20 right?

21 A. With our -- with our drilling pad layout?

22 Q. Yeah.

23 A. Sometimes it can be challenging to locate wells,
24 and the surface constraint in this unit is the more
25 prominent constraint.

1 Q. Okay. So sounds like we're gonna hear more
2 about that a little bit later.

3 But the -- one of the issues that we have
4 is we try to locate every well, you know. And so you'd
5 have a footage location, right, with a well.

6 A. Uh-huh.

7 Q. But the footage location will basically boil
8 down to -- will it not tell you what unit letter or
9 quarter-quarter section the well is located in?

10 A. Correct.

11 Q. So you don't have -- there's not going to be an
12 issue there about knowing whether it's in Unit A or B, for
13 instance? If it's right on the line between A and B we
14 need to know which one it's located in.

15 A. Right.

16 Q. Or are you saying that we want relief from that,
17 from reporting a quarter-quarter?

18 A. I don't believe that we will locate a well so
19 that it's straddling two different drilling units.

20 Q. Okay. So you want relief from the 10-foot. But
21 how much relief do you want? Like a one-foot relief or
22 a --

23 A. I'll have to discuss that with engineering.

24 MR. FELDEWERT: The only thing I can add,
25 Mr. Examiner, is we certainly are not asking to eliminate

1 the requirement to identify the unit particularly in which
2 the well is located.

3 EXAMINER JONES: Okay.

4 MR. FELDEWERT: But similar to what they
5 did in OXY. They said you can get closer to the 10-foot,
6 as necessary.

7 But we are not asking that, you know, it be
8 located on the line in any particular case such that you
9 will not be able to identify where it's located.

10 Q. Okay. Do you agree with that?

11 A. Correct.

12 Q. So it would be a definite -- now, these tracts
13 that these units are made up of, correct me if I am wrong,
14 this is a statutory unit. Is that correct? Or is it a
15 voluntary unit?

16 It has tracts that were put into the unit.

17 EXAMINER BROOKS: Right. But that could be
18 either way. I mean --

19 EXAMINER JONES: It could be either way.
20 It doesn't matter, they're still tracts.

21 EXAMINER BROOKS: Yeah. Typically almost
22 any unit defines. That's the way people structure unit
23 agreements is they define certain tracts and then come up
24 with a tract participation formula.

25 MR. FELDEWERT: Mr. Examiner, I think in

1 answer to your question, I'm looking at Exhibit No. 5, and
2 I'm looking -- so this is Order 5897, and I'm looking at
3 "Findings" on the first page under paragraph 2.

4 EXAMINER JONES: Statutory unit.

5 MR. FELDEWERT: Yeah.

6 Q. (BY EXAMINER JONES) So, in other words, the
7 issue -- there is not going to be in issue of wells
8 located right on the line between tracts, because each
9 tract is allocated based on participation parameters that
10 are agreed upon. So I guess the well will be in one tract
11 or another, it won't be straddling a tract, I guess.

12 A. It will not.

13 EXAMINER JONES: So we'll be fine there.

14 MR. FELDEWERT: Yes.

15 EXAMINER JONES: Okay. Okay.

16 Q. Then it seems like this was put on CO2 in the
17 mid '80s.

18 A. Correct.

19 Q. It wasn't back in the '70s, late '70s?

20 A. That's not my understanding.

21 Q. Okay. And it's still -- the -- you're not
22 asking for more wells at this time, right? Is that
23 correct? More wells for injection?

24 A. Not at this time.

25 Q. Do you have a digital list of all the wells

1 approved for injection and the permits they were approved
2 under, and the dates they were approved?

3 You're pretty thorough, I've seen your
4 work, so I figured I would ask you that question.

5 A. Uhm, we do have a master tabulation of data --

6 Q. Okay.

7 A. -- that was submitted in conjunction with the
8 945 application.

9 Q. Okay.

10 A. However, we are in the process of extending that
11 to the whole unit.

12 Q. Okay. For what now?

13 A. The whole unit.

14 Q. For the whole unit?

15 A. And the half-mile boundary.

16 Q. Yes. We do the same thing, we just -- I know
17 you're really thorough in your work, so I thought I'd ask
18 you to maybe -- sometimes we ask for lists from, through
19 your attorney. You know.

20 So if you do have something like that you
21 could sent it to us and we could maybe incorporate a
22 hearing Order that includes a summary of all of the wells
23 that are permitted, and then summarize everything in one
24 Order. That way you don't have to research so many of
25 them. You know?

1 A. That's our goal with this master tabulation of
2 data.

3 Q. Okay. Okay. Are you kind of asking for that
4 here, also, or are you just asking for the relief that you
5 went through?

6 A. We are asking for the relief that was specified
7 in satisfying the requirements of 945.

8 Q. Okay. The precedent and example was the
9 North Hobbs? Or South Hobbs, is that it?

10 A. The north.

11 Q. It would be north?

12 MR. FELDEWERT: But I can tell you if you
13 look at the Order of the South Hobbs Unit, it mirrors what
14 was approved in the North Hobbs.

15 EXAMINER JONES: Okay. Mr. Catanach was
16 involved in those from the word go, I'm sure.

17 MR. FELDEWERT: Well, I think with respect
18 to the commission hearings that was done at the time
19 when -- yeah, Jami Bailey was the chair.

20 EXAMINER JONES: Okay.

21 Q. Do you remember oversee the reporting of the
22 production from each well?

23 A. I do not.

24 Q. Somebody else, some other group does the C-115?

25 A. Correct. We have production accounting that

1 takes care of the C-115 --

2 Q. Okay.

3 A. -- reporting.

4 Q. Okay. In previous years we've taken one form
5 requirements for reporting and for injection disposal and
6 moved it to the C-115. So I guess the 126. I'm not -- I
7 could be wrong on that.

8 But anyway, on the right side of the 115s
9 there's a requirement to report pressures on the injection
10 wells. So can you check and make sure OXY's reporting --
11 I'm sorry, ConocoPhillips is reporting the pressures on
12 that for these East Vacuum?

13 A. That activity is underway.

14 EXAMINER JONES: Okay. Okay. I don't have
15 any more questions.

16 EXAMINER McMILLAN: No questions.

17 EXAMINER BROOKS: Well, I guess there was
18 some question about whether this is a statutory unit, and
19 I don't see anything that indicates that it is, although I
20 don't know. But in looking at the Order that was done, it
21 seems to me this is approved as a waterflood project. I
22 don't see any provisions nor have I seen any separate
23 Order that deals with the unitization issues. So I am
24 inclined to believe it probably was a voluntary unit but,
25 I don't know.

1 MR. FELDEWERT: The only thing I can go on
2 is to look at Exhibit 5, and I look at paragraph 2.

3 EXAMINER BROOKS: Paragraph 2? Which --

4 MR. FELDEWERT: On the first page of
5 Exhibit 5. It says Division Order 5871 back in 1978,
6 statutory unitization area approved.

7 EXAMINER BROOKS: Where is this? You said
8 paragraph 2.

9 MR. FELDEWERT: I am on Exhibit 5, which is
10 Order 5897.

11 EXAMINER BROOKS: Okay So it was a
12 statutory unitization. Yeah. I thought you were calling
13 my attention to Finding 3, and I didn't look.

14 MR. FELDEWERT: I'm sorry. I was looking
15 at the first page of Exhibit 5.

16 EXAMINER BROOKS: I see what you are
17 talking about now. So presumably it is a statutory unit,
18 unless its status has changed in some way.

19 Thank you. Just wanted to clarify for the
20 record.

21 MR. FELDEWERT: Call our next witness.

22 EXAMINER McMILLAN: Let's take a 10-minute
23 break.

24 MR. FELDEWERT: Sure.

25 (Note: In recess from 9:33 to 9:43 p.m.)

1 EXAMINER McMILLAN: Okay. Let's go back
2 on record in case No. 15497. Please proceed.

3 MR. FELDEWERT: Mr. Examiner, we would call
4 our next witness.

5 GREGORY FRITZ SALTZ,
6 having been previously sworn, testified as follows:

7 EXAMINATION

8 BY MR. FELDEWERT:

9 Q. Would you please state your name, by whom you're
10 employed, and in what capacity.

11 A. Yes. My name is Gregory Fritz Salts. I'm
12 employed by ConocoPhillips and I'm a reservoir engineer.
13 My primary responsibility is reservoir surveillance for
14 the East Vacuum Grayburg-San Andres Unit.

15 Q. How long have you been a reservoir engineer for
16 ConocoPhillips?

17 A. For just over two years.

18 Q. And throughout that entire time have your
19 responsibilities included this particular unit.

20 A. Yes.

21 Q. Okay. And have you previously testified have
22 before this Division?

23 A. I have not.

24 Q. Would you outline your educational background,
25 please?

1 A. Yes. I graduated in May of 2014 with a Bachelor
2 of Science in petroleum engineering from the University of
3 Oklahoma.

4 Q. And then did you start work with ConocoPhillips
5 after that?

6 A. Yes.

7 Q. Were you previously employed by ConocoPhillips
8 while you were in school?

9 A. Yes. I had an internship in the summer of 2013
10 with ConocoPhillips working on the East Vacuum
11 Grayburg-San Andres Unit.

12 Q. Are you a member of any professional
13 organizations or associations.

14 A. Yes. I'm a member of the Society of Petroleum
15 Engineers.

16 Q. How long?

17 A. For two years now.

18 Q. Okay. Are you familiar with -- you said you are
19 familiar with the East Vacuum Grayburg-San Andres Unit.

20 A. Yes.

21 Q. That's been your unit.

22 A. Yes.

23 Q. Are you familiar with the Application that's
24 been filed by the Company?

25 A. I am.

1 MR. FELDEWERT: I would tender Mr. Salts as
2 an expert in petroleum engineering?

3 CHAIRMAN McMILLAN: The only problem is I
4 have a lot of kinfolk who -- I have two kinfolk who got
5 petroleum engineering degrees from Oklahoma.

6 A. Oh-oh.

7 CHAIRMAN McMILLAN: I guess I'm forced to
8 accept him as an expert witness.

9 EXAMINER BROOKS: Well, I won't object even
10 though I'm from the University of Texas.

11 MR. FELDEWERT: Okay.

12 Q. I want now to -- Mr. Salts, if you would look at
13 the WFX-945, which is Exhibit No. 3, and asks that the
14 Company return and discuss the pilot project that has been
15 ongoing?

16 A. Yes.

17 Q. Okay. And this particular Order references
18 approval of 12 wells with respect to this particular
19 project. How many of the 12 wells are actually involved
20 in what is referenced here as a pilot project?

21 A. So 11 of the 12 wells are dedicated to the
22 TZ/ROZ, which is the zone we are targeting with the pilot.
23 The 12th well was grouped in by request from the Division
24 and it is a main pay only injector.

25 Q. If you look at the second page of Exhibit No. 3,

1 which well is the main pay injector?

2 A. The first well on the list, No. 400.

3 Q. And the remaining 11 wells are associated with
4 this pilot project?

5 A. Correct.

6 Q. Okay. Now, you mentioned the pilot project
7 being the TZ/ROZ.

8 A. Yes.

9 Q. Okay. If I turn to what's been marked as
10 ConocoPhillips Exhibit No. 10, does this assist in
11 identifying what you mean by the TZ/ROZ project?

12 A. Yes. TZ/ROZ stands for Transition Zone/Residual
13 Oil Zone, and if you look at the graph in the bottom left
14 of this exhibit it explains what we mean by TZ/ROZ. You
15 have a saturation profile that corresponds with the graph
16 to the left.

17 And our main pay has traditionally been
18 higher original oil saturation. This is a part of the
19 reservoir that we can target with water or primary
20 production, and the transition zone transitions from
21 waterflooding target to residual to water injection,
22 meaning the only way that we can recover oil in the
23 residual oil zone is through tertiary processes.

24 Since 1985 we have targeted the main pay
25 oil zone with CO2 injection, so we have further decreased

1 the oil saturation from residual to water injection to
2 something close to residual CO₂. So the unexploited
3 target here is the TZ/ROZ, which is what we are seeking
4 with this pilot project approval.

5 Q. What is the grey box?

6 A. I was going to get to that.

7 The cross section seen on the top
8 corresponds to the black line on that map on the bottom
9 right. And this is the portion of the reservoir that the
10 pilot project is in. So we're targeting everything below
11 the negative 700 subsea line which runs across the entire
12 cross section.

13 The pink faces is the poorer reservoir
14 quality rock, the blue is higher reservoir quality. And
15 our upper San Andres and lower San Andres is bisected by
16 impermeable sandstone layer known as the Lovington.

17 Notice how there's a higher concentration
18 of good quality reservoir in the lower San Andres, mainly
19 in the TZ/ROZ. This is one of the main reasons we want to
20 exploit this resource.

21 Q. All right. These guys are smarter than I am but
22 I was confused the first time around. The black line
23 actually is a demarcation between the main pay and the
24 TZ/ROZ zone?

25 A. Correct. So that's the traditional oil/water

1 contact.

2 Q. Does that grey box, does that simply identify, at
3 least on this cross section, the geographic area of the
4 pilot project?

5 A. Yes. Well, the pilot is in Section 33, which is
6 east of the line of section. The grey box denotes what
7 reservoir we expect to see in the pilot area.

8 Q. Okay. All right. Now, when did this pilot
9 project commence?

10 A. 2011.

11 Q. Okay. Then if I go to now what has been marked
12 as Conoco Phillips Exhibit No. 11 --

13 First off, while I've got my finger on 10,
14 there is a box here outlined in, what's that, orange?
15 Like in Exhibit 11.

16 A. Yes.

17 Q. Does that geographic area correspond with the
18 grey box on Exhibit No. 10, roughly?

19 A. Yes.

20 Q. Okay. All right. Now, with that said, why
21 don't you explain a little further what is shown here on
22 Exhibit No. 11.

23 A. So within the gold box there's several wells.
24 We have included both of the main pay injection and
25 production wells, as well as the pilot wells. So the

1 pilot injection wells are the large blue circles within
2 the box and the pilot TZ/ROZ-only production wells are the
3 3373-500, 3333-508, which is a brownish-green color.

4 In addition we wanted to test what a main
5 pay and TZ/ROZ commingled producing well would look like,
6 and in order to do this we deepened the 3333-008, which is
7 right in the center of the box, to test that commingled
8 concept.

9 Notice that the injectors and producers are
10 in a line drive orientation from the northeast to the
11 southwest. Preferential permeability direction in the
12 reservoir is from the northeast to the southwest, and over
13 time we have converted the injection wells as we see
14 breakthrough.

15 So also with this pilot we drilled these
16 wells in locations of 20-acre infills. In case the pilot
17 was unsuccessful we could bail out of the TZ/ROZ and
18 complete in the main pay.

19 Q. Now this particular exhibit just shows the wells
20 associated with the East Vacuum Grayburg.

21 A. Correct.

22 Q. Looking ahead to a request to locate more than
23 four wells and get closer than 10 feet, are there a lot of
24 other wells and other facilities within this geographic
25 area?

1 A. Yes. In this area of the county there are three
2 overlapping units, East Vacuum Grayburg-San Andres Unit,
3 Vacuum Glorieta East Unit, and Vacuum Poppa (phonetic)
4 Unit, all operated by ConocoPhillips. In addition there
5 is some nonoperated wells that penetrate the San Andres
6 inthis zone and we've identified over 1,000 wells,
7 penetrations through the San Andres.

8 Q. So there's a lot of facilities, a lot of wells
9 within this particular unit.

10 A. We have facilities, pipelines, electrical
11 infrastructure, and then of course the wells from all the
12 operations in the area.

13 Q. Okay. Now, getting back to the pilot project
14 that started in 2011, what did you learn from this initial
15 effort here in the TZ/ROZ?

16 A. Pilot production results were positive and we
17 deem this a commercial and technical success, and that's
18 why we are seeking approval for the next phase of the
19 pilot.

20 Q. Okay. If I turn to what has been marked as
21 ConocoPhillips Exhibit No. 12, does this assist in
22 identifying technically what you learned from this initial
23 effort that started in 2011?

24 A. Yes. So what's seen in this exhibit is a
25 production plot from the three production wells within the

1 pilot area. The production, the actual production is
2 marked by the green line. Our forecasted production prior
3 to the project is shown in the black dashed line and then
4 our well count is the red dashed line, so meaning what
5 wells were on during what month.

6 So the one thing I want to point out is
7 that the flush production or the large spike in production
8 that we did not anticipate with our forecast, we've
9 attributed that to flush production where we have injected
10 CO2 below the Lovington Sandstone but within the main pay
11 that has mobilized some of the oil in the transition zone.

12 After producing that flush the relatively
13 flat production you see is associated with mobilized oil
14 by the pilot.

15 Over time you will see a dropoff in the
16 fourth quarter of 2014. We started to have gas handling
17 issues. Our gas processing plant can only process so much
18 gas every day, so based on a GOR hierarchy, we will shut
19 in producing wells. And one of the wells within the pilot
20 area was too high of a GOR to make that cut-off.

21 Q. Do you currently have capacity issues?

22 A. Yes.

23 Q. And we will get to that in a minute, but you're
24 working to address those, correct?

25 A. Yes.

1 Q. Now, you mentioned that this has been a
2 commercial and technical success for the company. Roughly
3 how much oil has been produced from this initial pilot
4 project that we saw on Exhibit No. 12?

5 A. So to date with four to five years of production
6 we have produced just over 230,000 barrels of oil.

7 Q. And are you seeing what would indicate a
8 sustained oil production rate?

9 A. Yes. The decline rate is within the range of
10 what we would expect with this field.

11 Q. Now getting back to WFX-945, is this success, is
12 that what caused you to initially come before the Division
13 for approval to expand this pilot project?

14 A. Yes.

15 Q. If I then turn to what has been marked as
16 ConocoPhillips Exhibit No. 13, does this assist in
17 orienting the examiners both to the initial pilot project
18 and then the areas in which you seek to expand with the
19 wells approved under WFX-945?

20 A. Yes. The original pilot is in the pink box in
21 the center of that plot. The 11 injection wells and the
22 nine producing wells in the next phase of the pilot are
23 within the orange boxes. We decided to expand the pilot
24 to the west and south where we saw the most favorable
25 results in production. So we wanted to expand that way

1 knowing that we would have positive results.

2 We also wanted to test another portion of
3 the reservoir which is denoted by the orange box in
4 Section 27 to see what the extent of our TZ/ROZ target
5 could be within this unit.

6 Then the green seen behind all the orange,
7 if this pilot phase is successful, it opens up a lot of
8 doors to expand the TZ/ROZ full field.

9 Q. Again, this particular exhibit just depicts the
10 wells that are part of the East Vacuum Grayburg-San Andres
11 Unit?

12 A. Correct.

13 Q. What is the status now, today, of these
14 expansion efforts that are reflected with the orange boxes
15 and which encompass the wells involved in WFX-945?

16 A. So of the 11 injection wells permitted we have
17 drilled six to date. We decided to suspend drilling
18 operations due to the industry environment and also to
19 wait for completion of our gas compression facilities.

20 Q. So of the six that have been drilled, are they
21 injecting yet?

22 A. No. They are drilled but not completed.

23 Q. And has the company currently engaged in
24 construction to accommodate a gas plant expansion?

25 A. Yes, we are currently adding an additional

1 20,000,000 cubic feet a day of processing capacity to the
2 field. This project will be completed in October of 2016.

3 Q. With respect to the wells approved under
4 WFX-945, the eleven wells that are part of this project,
5 when does the company hope to complete those, drill and
6 complete those wells?

7 A. From the results of our 2017 budgeting we will
8 be drilling those wells in the summer of 2017.

9 Q. Are they actually on your rig schedule?

10 A. Yes, sir.

11 Q. And as a result, is the company here then today
12 pursuant to WFX-945 to make the authority that has been
13 granted permanent?

14 A. Yes.

15 Q. Will that allow the company to proceed with
16 regulatory certainty as economics improve?

17 A. Yes.

18 Q. Okay. And in your opinion will the permit
19 approval of injection authority granted under WFX-945
20 allow the company to recover additional oil that may
21 otherwise be left unrecovered in this TZ/ROZ?

22 A. Yes.

23 Q. All right. Now, keeping a finger on Exhibit
24 No. 13 and then turning back to those bubbles that we saw
25 in an earlier exhibit, which is Exhibit 4, am I correct

1 that the first page of Exhibit No. 4 corresponds to the
2 expansion area shown on Exhibit 13, the larger orange box.

3 A. Yes, this corresponds to the southwestern orange
4 box.

5 Q. Okay. And then does the second page of Exhibit
6 No. 4 correspond to the smaller orange box on Exhibit 13
7 up there in Section 27?

8 A. Yes.

9 Q. Okay. In preparation for this case here a year
10 later, did you review the records to determine whether
11 there had been any new wells drilled through the injection
12 zone or any additional plugged wells that had been drilled
13 through the injection zone that were not reviewed at the
14 time that the application was initially filed?

15 A. Yes.

16 Q. What did you find?

17 A. Since last year we have drilled an additional
18 nine wells within the areas of interest seen in these two
19 plots. All wells were drilled by ConocoPhillips. Three
20 of them were in the Vacuum Glorieta East Unit and the six
21 East Vacuum wells were all injection wells associated with
22 this pilot project.

23 Q. Okay. And with respect to those nine new wells,
24 if I -- separately, outside of this package, there is a
25 sheet that is labeled in the bottom-left-hand corner,

1 Wells in the Area of Review Drilled since WFX-945
2 Approval.

3 Has that been marked as Exhibit 14?

4 A. Yes.

5 Q. And does this provide a tabulation of
6 information on those nine drilled wells that you
7 referenced?

8 A. Yes. We documented each casing stream, their
9 casing set depths, their cement tops behind pipe, and of
10 course their legal descriptions.

11 Q. Okay. Now, did you find that -- did you
12 determine whether there had been any additional plugged
13 wells that had been drilled through the injection zone
14 within those areas of review?

15 A. We did not find any plugged wells since the last
16 application.

17 Q. In your opinion are the recently drilled wells
18 within the area of review sufficiently cased or cemented
19 to prevent migration of the injection fluid out of the
20 proposed injection interval?

21 A. From what I know, yes. However, with the six
22 new injection wells we have yet to run CBLs, which we are
23 doing within the next month. So we will verify casing and
24 cement integrity.

25 Q. Then I want to go to another topic. We touched

1 on this briefly, and that is the current restriction on
2 the number of wells that can be located in a 40-acre tract
3 and then the requirement that they remain at least 10 feet
4 from the quarter-quarter section line.

5 You have discussed the various
6 infrastructure that's out here. Do you anticipate that
7 your continued development of this unit will eventually,
8 if not now, require more than four wells per 40-acre
9 tract?

10 A. Yes.

11 Q. And I'm going to represent to you, Mr. Salts,
12 that there is a division rule, it's 19.15.15.9A that
13 currently under its text only authorizes more than four
14 wells per 40 acres under the text for quote/unquote
15 secondary recovery operations. Okay?

16 Is there any engineering reason to allow
17 more than four wells per 40-acre unit for secondary
18 recovery operations but not for tertiary recovery
19 operations?

20 A. No, sir.

21 Q. In your opinion, would the allowance of more
22 than four wells per 40-acre tract allow ConocoPhillips
23 tertiary recovery operations to proceed more efficiently?

24 A. Yes.

25 Q. Then with respect to this 10-foot setback on

1 quarter-quarter lines, have there actually been occasions
2 in your development of this unit and with your tertiary
3 recovery operations where the desired well location was
4 impacted by this 10-foot setback?

5 A. Yes.

6 Q. Okay. And will the elimination of that 10-foot
7 setback requirement provide the flexibility that the
8 company needs to efficiently and effectively locate wells
9 for optimum oil recovery?

10 A. Yes.

11 Q. All right. Then I want to go to Exhibit 5,
12 which is the current Order R-5897.

13 And we know there's been one amendment to
14 these rules, and we are seeking some additional
15 amendments.

16 A. Okay.

17 Q. So first off, if we go to page 6. And were you
18 here for the testimony of Ms. Maunders where we are
19 discussed the project area allowable that is set forth in
20 Rules 2, 3, 4, 6, 7, 15 and 16?

21 A. Yes.

22 Q. And you're aware that those were established
23 when this unit was first approved for initially a pressure
24 maintenance project.

25 A. Yes.

1 Q. You now moved beyond that, right?

2 A. Correct.

3 Q. You are in a tertiary recovery operation to try
4 to recover whatever oil remaining that you can get out of
5 there, right?

6 A. Right. We are on a very mature tertiary
7 process.

8 Q. In preparation for this hearing did you take the
9 time to actually calculate the allowable that would be
10 afforded under this formula in these rules?

11 A. Yes.

12 Q. What did you find?

13 A. I found that based on the allowable calculation
14 and the amount of the unit we have developed, current
15 production is less than 30 percent of the unit allowable.

16 Q. So it's currently not serving any purpose?

17 A. Correct.

18 Q. And do you anticipate that your production will
19 ever get to the allowable level?

20 A. With the aggressive full-field development of
21 TZ/ROZ and infills in the main pay it would be a stretch
22 to get to that allowable number again.

23 Q. I guess you wouldn't mind if you were able to
24 recover that additional oil?

25 A. I'd have no complaints.

1 Q. In your opinion, does a project area allowable
2 serve any purpose when you've got to the point where you
3 are engaged in tertiary recovery operations?

4 A. I don't believe it does.

5 Q. Okay. All right.

6 Then if I stay on this same page, page 6,
7 under Rule 5 there is a requirements in here to annually
8 submit a Weighted Average Project Area Reservoir Pressure.
9 Do you see that?

10 A. Yes.

11 Q. And as you read through it actually requires the
12 operator and then the Division's Hobbs office to select 10
13 representative wells in the Unit, and then from those 10
14 wells determine annually this Weighted Average Project
15 Area Reservoir Pressure.

16 A. Yes.

17 Q. Now, again when this was put in place this was a
18 pressure maintenance project, right?

19 A. Yes.

20 Q. And there has also been testimony that the last
21 time that this was done was back in 1992.

22 A. From what we could find in our internal records
23 the last submission was 1992.

24 Q. Now, knowing this was initially put in when it
25 was a pressure maintenance project, and knowing nobody has

1 done it since 1992, do you have an opinion as to the
2 possible purpose for which this requirement was put in
3 place in 1979 when this was a pressure maintenance
4 project?

5 A. Yes. In my opinion when they enacted this rule
6 in 1979 it was in order to track the progress of
7 ConocoPhillips in repressurizing the reservoir for
8 tertiary area operations. In order for CO2 to be
9 efficient, an efficient form of tertiary flooding you need
10 the reservoir pressure to be above a term known as **
11 minimum miscibility pressure, in which case our Unit
12 minimum miscibility pressure is about 1350 psi in the
13 reservoir. So with the Pressure Maintenance Order we
14 waterflooded until we were confident that our minimum
15 miscibility pressure was greater than that, and then at
16 that point in time we began CO2 injection.

17 Q. So does it appear to you that this was in fact a
18 tracking mechanism to determine when you would be ready to
19 do the CO2 flooding?

20 A. Correct.

21 Q. And then thereafter to determine that you
22 maintained sufficient pressure to get that -- what was
23 that term you used?

24 A. Minimum miscibility pressure.

25 Q. Today are you able to maintain the -- is there

1 any doubt about your ability to maintain the minimum
2 miscibility needed to effectively maintain this tertiary
3 recovery project?

4 A. I don't have any concerns. The previously
5 granted maximum surface injection pressures for both water
6 and CO2 allow us to manage the reservoir pressure
7 adequately without exceeding the parting pressure. In
8 addition we constantly monitor our surface injection,
9 pressures, and also we have some bottom hole pressure
10 gauges on downhole submersible pumps, and as we come
11 across pressure issues we remediate them and answer any
12 questions we have at that point.

13 Q. So in your opinion does this Rule 5 serve any
14 purpose given the project's status today?

15 A. No. We have every incentive to manage our
16 reservoir pressure.

17 Q. So the company therefore requests that this
18 particular rule, like the Project Area Allowable, be
19 abolished?

20 A. Yes.

21 Q. Now, you talked about surface injection
22 pressure, so I want to talk about that topic now.

23 Are you aware that the Division at some
24 point determined that surface injection pressure of 1350
25 psi for water posed no threat to the reservoir?

1 A. Yes.

2 Q. If I turn to what has been marked as
3 ConocoPhillips Exhibit No. 15, is this a letter from the
4 Division, signed by Joe Ramey back in 1983, authorizing
5 within the East Vacuum Grayburg-San Andres Unit a 1350
6 surface injection pressure for water?

7 A. Yes.

8 Q. Now, since the movement of this project to a
9 tertiary recovery project -- you were here for the
10 testimony where there has been some inconsistency with
11 respect to the approved surface injection pressure for CO2
12 and produced gas?

13 A. Yes.

14 Q. For example if I turn to what has been marked as
15 ConocoPhillips Exhibit No. 16, it contains three Orders,
16 Mr. Salts, PMX-176 which was entered in 1995, PMX-228
17 which was entered in 2005, and then PMX-246 which was
18 entered in 2006.

19 And each of these Orders approved a surface
20 injection pressure of 1850, right?

21 A. Yes.

22 Q. Okay. And some of these reference CO2 and
23 others reference produced gas. Is there any reason to
24 treat -- in terms of the surface injection pressure, is
25 there any reason to treat CO2 any differently from

1 produced gas?

2 A. No. Our injected stream is a blended process
3 produced gas and pure CO₂. Our processing system is set
4 up where all produced gas from the producing wells flows
5 through the East Vacuum Liquid Recovery Plant where we
6 extract natural gas liquids and compress the residue gas,
7 which contains over 90 percent CO₂, a little bit of H₂S
8 and nitrogen and a small amount of methane.

9 So that gas stream is compressed, and then
10 downstream of the discharge of the plant, we blend that
11 with our CO₂ which is purchased off the Trinity pipeline.

12 Q. So you no longer inject pure CO₂.

13 A. No. The stream that leaves that blend goes to
14 all injection wells.

15 Q. In your opinion, is the approved surface
16 injection pressure of 1850 psi for CO₂ and produced gas,
17 is that consistent with an approved surface injection
18 pressure of 1350 psi for water?

19 A. Yes.

20 Q. If I turn to what has been marked as
21 ConocoPhillips Exhibit 17 -- first off, is this your work?

22 A. Yes.

23 Q. And what do you -- what did you do here?

24 A. The goal of this was to determine what surface
25 injection pressure for CO₂ and produced gas would be

1 necessary to match the bottom hole injection pressure
2 equivalent to 1350 psi on water.

3 Q. All right.

4 A. So with that calculation, we determined that
5 1850 psi on CO2 and produced gas is necessary to equate to
6 that same bottom hole pressure on the water.

7 Q. Now, is it important that you have the same
8 bottom hole pressure for water and CO2 and produced gas?

9 A. Yes. Since we are in a WAG process we inject
10 both water and CO2 in our injection wells, so one month we
11 will inject water, at which point we will then switch the
12 injection well to CO2. And if the bottom hole pressures
13 are not equivalent or if the CO2 injection pressure is not
14 enough to sustain that bottom hole pressure, we won't be
15 able to inject any CO2 in the reservoir.

16 The same goes with water if we are
17 switching the other way.

18 Q. Now, is therefore the company request that the
19 Division clarify by Order that the approved the surface
20 injection pressure for CO2 and produced gas is 1850 for
21 this unit?

22 A. Yes.

23 Q. And in your opinion is a surface injection
24 pressure of 1850 psi for CO2 and produced gas necessary to
25 efficiently and effectively operate this tertiary recovery

1 project?

2 A. Yes.

3 Q. And in your opinion, will the approval of 1850
4 psi for CO2 and produced gas pose any threat to the
5 formation?

6 A. No. All step rate testing that I've seen has
7 shown a parting pressure greater than that injection
8 pressure.

9 Q. And those step rate tests were made in part for
10 when the Division determined the correct psi for water?

11 A. Correct.

12 Q. Mr. Salts, will the overall relief that's sought
13 under this Application allow for the recovery of
14 additional wells that may otherwise be --

15 A. Yes.

16 Q. And will the granting of this application be in
17 the best interests of conservation, prevention of waste
18 and protection of correlative rights?

19 A. Yes.

20 Q. In your opinion does the relief requested under
21 this application post an unreasonable risk to the public
22 health or the environment?

23 A. No.

24 Q. Were ConocoPhillips Exhibits 10 through 17
25 prepared by you or compiled under your direction or

1 supervision?

2 A. Yes.

3 MR. FELDEWERT: Mr. Examiner, I would move
4 the admission into evidence of ConocoPhillips Exhibits 10
5 through 17.

6 CHAIRMAN McMILLAN: Exhibits 10 through 17
7 may now be accepted as part of the record.

8 MR. FELDEWERT: That concludes my
9 examination of this witness.

10 EXAMINER McMILLAN: Go ahead, Will.

11 EXAMINER JONES: First of all, thank you
12 for coming. And I like the Sooners, too, so...

13 THE WITNESS: I got someone on my side.

14 EXAMINATION

15 BY EXAMINER JONES:

16 Q. I guess I'll kind of work backwards here.

17 So the surface injection pressure for CO2
18 of 1850 will get you to where you need to be for minimum
19 miscibility pressure? It's fine, you're above the minimum
20 miscibility?

21 A. Correct.

22 Q. What about -- and for water, did you determine
23 you don't even need 1350? Is that correct? You could go
24 less than that for water?

25 A. In my opinion no. So if we were to decrease

1 water injection pressure at this point and we didn't
2 decrease CO₂, when you WAG a well your near well bore
3 reservoir pressure is going to be that of what you just
4 injected. So if you're switching an injection well to a
5 product that cannot have the same injection pressure down
6 hole, then we won't be able to establish injectivity.

7 Q. You can't get enough water in the ground either;
8 is that correct?

9 A. Correct.

10 Q. Okay. So you're fine with a permit that says
11 1350 and 1850?

12 A. Correct.

13 Q. And for the -- just specifically for the 12
14 wells we are talking about here?

15 MR. FELDEWERT: No. No, as you will see
16 with some of the prior Administrative Orders, for whatever
17 reason some said 1800, some said 1850. So what we are
18 asking for here and what we have requested in the
19 applications is a unit-wide basis so we have consistency
20 across the unit.

21 EXAMINER JONES: Okay.

22 Q. The temporary tests that were run, they are run
23 on the whole main pay, though, right?

24 A. Correct.

25 Q. So they would be probably fracturing at a lower

1 pressure, you think, than the residual zone?

2 A. It's the same San Andres Formation. As you get
3 deeper your fluids in the reservoir are also at a higher
4 pressure so your rock has additional support. So your
5 parting pressure should be pretty linear.

6 Q. Yeah. You got geologists in the back. I can
7 tell they're grimacing right now. Because when you get
8 down in that residual zone you may have differences in the
9 amount of fracturing going on, too; is that correct?

10 A. I don't think I can answer that.

11 Q. Okay. Okay. Yeah, it's just -- do you have any
12 stress logs up and down the hole, like Dipole sonics or
13 FMIs on any new wells drilled?

14 A. So with these 11 injection wells, we plan on
15 running FMIs on a few of them to understand what type of
16 fractures we may have or may encounter.

17 Q. Okay.

18 A. So that is in our data collection plan.

19 Q. It's still pretty expensive to run FMIs.

20 A. I can't answer that question, either.

21 Q. It used to be expensive to run it and expensive
22 to process. The processing was about as much as running
23 it. So...

24 A. Yeah. It won't be in every well, it will be in
25 few where we think we may encounter seismic issues.

1 Q. That Lovington Sands, does that -- your model,
2 your cross section, I guess Mike will probably ask you
3 about that, but it doesn't cover the whole unit; is that
4 correct?

5 A. Can you repeat that?

6 Q. That Lovington Sands is a boundary, and -- well,
7 actually there's some main pay below those Lovington
8 Sands, correct?

9 A. Correct.

10 Q. Before you get to your transition zone.

11 Right. So, yeah, so as you -- the East Vacuum
12 is -- the depositional environment was along the shelf
13 margin of the northwest shelf, so as you're moving towards
14 the shelf margin and, you know, where the geology was
15 prograding over, the Lovington sandstone pinched out.

16 Q. Okay. So how much further down is the Glorieta
17 from --

18 A. The Glorieta is --

19 Q. From where you're injecting.

20 A. The Glorieta is almost 1,000 feet.

21 Q. Oh, okay.

22 A. So it's pretty far down. There's a large
23 section of San Andres below our TZ/ROZ target.

24 Q. Which is 100 percent water?

25 A. Yeah.

1 Q. Or high water?

2 A. Yeah. Not commercial.

3 Q. Okay. Not commercial.

4 No horizontal drilling out here?

5 You are aware of Apache's new units that
6 they formed to drill horizontally in the low productivity
7 San Andres to recover some -- you know, where you couldn't
8 recover it from vertical wells?

9 A. Yeah. I'm not aware of any of that.

10 Q. But you are not doing any horizontal drilling?

11 A. So in 2003, or 2002 to 2003 we drilled 17
12 horizontal wells, horizontal sidetracks.

13 Q. Okay.

14 A. And that was to try to capture oil out of not
15 the worst reservoir quality but actually our best
16 reservoir quality section.

17 Q. Oh, okay.

18 A. So the zones where we were able to get a lot of
19 CO2 and mobilize oil we wanted to try to capture that
20 resource that was trapped between the vertical well bores.

21 Q. Did you find areas that were original pressures
22 between -- or areas that were varied pressures where the
23 waterflooding hadn't contacted?

24 A. We had quite a variation of results in those
25 wells. So actually the ones that existed as good vertical

1 wells before we built the sidetracks would normally
2 perform poorly as horizontal wells, meaning we were able
3 to sweep oil better in those portions of the reservoir.

4 So the horizontal wells that performed
5 better contacted oil that wasn't being swept very well but
6 had been mobilized by CO₂.

7 Q. Okay. You said something about 20-acre well
8 spacing. Are you not on 10-acre well spacing out here?

9 A. Well, it depends on what orientation you're
10 looking at. So the way we are -- if you go to actually
11 Exhibit 13, you'll see that, uh -- when we talk about
12 spacing a CO₂ flood we are talking about the spacing
13 between the injectors and the procedures.

14 Q. Okay.

15 A. So that right now, if you look at two injectors
16 and two producers would be about 40 acres, but if we split
17 that line with another producer, another injector, that's
18 what we're referring to as a 20-acre infill.

19 Q. I was looking at well density.

20 So overall well density, do you have the
21 same number of injectors as you do producers?

22 A. No. We have an injector/producer ratio -- or
23 sorry, procedure-to-injector ratio of about 2:1.

24 Q. Oh, really.

25 A. Yeah.

1 Q. Okay. So you've got kind of a line drive from
2 the northwest to the southeast --

3 A. Yeah.

4 Q. -- oil injectors, but you've got actually more
5 procedures in between the lines than you do injectors.

6 A. Right. So we call that a semi line drive
7 orientation.

8 Also, in the northern part of the unit
9 where we don't inject the CO2, the poorer reservoir
10 quality, we are not on a line drive, we're on an inverted
11 five-spot pattern. So that also brings up your
12 injector/producer ratio.

13 Q. So within these pilot areas did you say
14 something about maybe changing the density in some of
15 those areas to -- is that for help with your model or is
16 that with an actual field test?

17 A. So let's see if I can answer that.

18 So we drilled those TZ/ROZ-only injectors
19 and procedures in those -- meaning if they weren't
20 successful we could use them as 20-acre infills in the
21 main pay.

22 Q. Okay.

23 A. But as far as in the TZ/ROZ, they are less
24 dense.

25 Q. Okay. Are you using any analogy between

1 Chevron's residual zone or the Wasson field, or do you
2 have your own waterfloods you're looking at for analogy
3 for residual?

4 A. Yeah. So the East Vacuum Grayburg-San Anders
5 Unit is the only CO2 flood within ConocoPhillips
6 portfolio. However we have nonoperated interests in the
7 Central Vacuum Unit and the Wasson Denver Unit.

8 Q. Okay.

9 A. So in addition to my role as reservoir
10 surveillance engineer for East Vacuum, I also manage those
11 nonoperated projects in the Denver Wasson.

12 So all future developments, technical
13 justification, we are vetting through how they determine
14 their development potential in those two units.

15 Q. So you talk to --

16 A. We are in contact with those engineers, and I
17 reads all the AFEs, and run economics on everything like
18 that.

19 Q. So do you maintain the model for the water for
20 this project?

21 A. No, I don't.

22 Q. You got modelers in Houston or somewhere that
23 keep track of it?

24 A. Well, we did.

25 Q. Oh, we did. Okay.

1 A. However, all modeling done for justifying this
2 TZ/ROZ project was done in the 2013 time frame, and that
3 was what we used to develop the AFE flow stream.

4 Q. Okay.

5 A. So after the fact as far as post projects
6 learnings and understanding, we'll do some more modeling
7 efforts.

8 Q. Okay. These wells that are on this WFX, at the
9 time it was written there was only one of them permitted
10 for drilling, so it had an API, the others didn't have
11 APIs. And you went through all that in your testimony, so
12 I can read it again.

13 But it says in there at 12 months of the
14 date of the first injection. Do we know the date of first
15 injection in any of those?

16 A. So, because the 3308-400, which is a main pay
17 injector, was included in that list, it was already
18 drilled and completed.

19 Q. Okay.

20 A. So that's what started the clock for one year
21 from injection.

22 Q. And you made the application within a year, so
23 you have met the obligation.

24 MR. FELDEWERT: Yes, sir. We were very
25 careful about that.

1 EXAMINER JONES: Yeah, yeah.

2 MR. FELDEWERT: Because that's the one
3 thing we checked. We checked the wording of the Order,
4 and they did want the application filed within a year. So
5 we met that and got the hearing here today to present the
6 results.

7 EXAMINER JONES: Okay. So I was just
8 trying to think if there is any other timing issues that's
9 going to put us up here on Saturday nights real late.

10 Maybe not.

11 MR. FELDEWERT: No. No. In other words --
12 no, there's not, because --

13 EXAMINER JONES: Well, we won't let it
14 languish.

15 Okay. Well, let me go down the list here,
16 make sure I've...

17 Q. At one point I thought Phillips totally had a
18 Ryan/Holmes situation out there --

19 (Note: Reporter inquiry.)

20 A way to process. Gas processing where
21 they totally split out everything like they do in the
22 Seminole-San Andres Unit. I don't know if the Denver Unit
23 does that anymore.

24 A. Yeah. So we do employ the Ryan/Holmes
25 technology, their EVLRP, however we don't have a deep

1 methanizer, so we extract all the heavies, but we
2 compress.

3 Q. Okay. Methane and ethane are still together.

4 A. Right. That actually helps our minimum
5 miscibility pressure.

6 Q. Oh, does it?

7 A. Keeps it low, because we are reinjecting some
8 hydrocarbons.

9 Q. Okay. And everything's a SCADA system out
10 there? You can see it from your -- are you living in
11 Hobbs or...

12 A. I wish. No, I'm in Houston. But we have a good
13 SCADA system that shows us all the meters and pressure
14 transmitters throughout the field, and we also use a
15 program called XSPOC, which links directly to the wells
16 that have pump off controllers and water injection
17 controllers.

18 So we are almost fully automated.

19 Q. Do you -- what's your injection withdrawal ratio
20 that you have out there? Is it 1:1, about, or...

21 A. Yeah. So as a unit we produce about 25,000
22 barrels a day from the unit, but we inject about 40 into
23 East Vacuum.

24 Q. Okay.

25 A. We are also tied into the Vacuum Glorieta's East

1 Unit injection system, so with their water they produce
2 goes through our central tank battery for repressurizing
3 so that they can inject.

4 Q. Okay. So do you look after the Glorieta, also?

5 A. I do not, no.

6 Q. What about the lease line wells between the
7 Central Vacuum and the East Vacuum? Is that every other
8 well is -- you know, one is yours and one is Chevron's?
9 Is that the way it works?

10 A. I'd have to look at the lease again, but I
11 believe we operate four and they operate two.

12 Q. And they're not going down as deep in the
13 transition zone, are they?

14 A. Those are all main pay. The lease line is
15 dedicated to main pay.

16 Q. So there's also some upside there, maybe.

17 A. Absolutely. That is one of best portions of the
18 reservoir.

19 Q. Just make sure we got everything covered here.
20 I think Mr. Feldewert usually covers everything, but...

21 Basically you want on order that summarizes
22 everything, and you need the 10-foot -- 10 foot.

23 Can you -- we already talked about that
24 enough, I guess, but do you have any comments on it?

25 A. So we don't anticipate ever straddling one of

1 the drilling units.

2 Q. Okay.

3 A. However, as close as we can get would be
4 optimal.

5 Q. Okay. So you want your wells to be reservoir
6 driven and not driven by land issues.

7 A. Right. And with CO2 floods, because CO2 is so
8 mobile in the reservoir, and location of wells and the
9 development of patterns makes a big difference in overall
10 recovery.

11 Q. Okay. Do you have anything -- these guys
12 probably need to ask questions, but do you have anything
13 else that you want to say about this?

14 A. No.

15 EXAMINER JONES: I'll turn it over to these
16 guys.

17 EXAMINER McMILLAN: Have they satisfied all
18 this?

19 EXAMINER BROOKS: I'll make it easy. I
20 have no questions.

21 EXAMINER McMILLAN: Okay. I just want to
22 make sure --

23 EXAMINER JONES: Contingency plans? Do you
24 have that?

25 COMMISSIONER McMILLAN: (Reading) The

1 installation of automatic shutoff equipment at the
2 wellhead to prevent the outflow of gas due to mechanical
3 failure at the well.

4 Do you have something like that?

5 THE WITNESS: Could you say that again?

6 EXAMINER McMILLAN: The installation of
7 automatic shutoff equipment at the wellhead to prevent the
8 outflow of gas due to mechanical failure.

9 Do you have something like that?

10 Q. (BY EXAMINER JONES) If your wellhead -- if
11 something happened -- if your wellhead, where you
12 control -- this arose from acid gas wells where we started
13 requiring 100-feet deep in the well a sort of a check
14 valve.

15 But what kind of well restriction equipment
16 do you have? Can you describe it?

17 A. On the injection site?

18 Q. Yeah.

19 A. So we have pressure-limiting devices at our
20 header system, so at the discharge of the plant and at the
21 discharge of our water injection turbines. And those are
22 set by Operations, and as they start to reach that maximum
23 allowable pressure, Operations will either WAG wells to
24 keep the pressure down or we'll start shutting in water
25 production, as necessary.

1 In addition, on each wellhead we have
2 chokes and pressure gauges and pressure transmitters on
3 the upstream of the choke at the well tubing, and also on
4 the casing. So operators are in the field throughout the
5 day, and the wells that we have outfitted with water
6 injection controllers they can watch from the office. The
7 SCADA system shows all of our emergency shutdown valves on
8 the CO2 injection system throughout the field.

9 Q. Okay.

10 A. So...

11 Q. And you don't put any fresh water in, or if you
12 do, you put oxygen -- take the oxygen out of it?

13 A. I know we have some fresh water that we'll use
14 for plant operations, but as far as injection it's all
15 produced water.

16 Q. Okay. Any scaling problems that you have to
17 deal with?

18 A. Always.

19 Q. Always?

20 A. Yeah. We're -- one of my main responsibilities
21 is trying to diagnose what's going on with our injection
22 wells, and attempting to remedy that. And that's vital to
23 managing our injection withdrawal ratio, keeping the
24 minimum miscibility. I mean keeping our pressure above
25 minimum miscibility.

1 Q. How do you separate the main pay from your
2 residual zone in wells that are going to be dually
3 completed? Do you have a packer system or...

4 A. No. So we're currently for the next phase of
5 the pilot still sticking to the TZ/ROZ only.

6 Q. Okay.

7 A. However, in that one well that we commingled in
8 the original pilot, we deepened open hole, which is
9 similar to how OXY does it in the Denver Unit Wasson
10 Field.

11 Q. Okay.

12 A. And known injection conformance issues, we would
13 not want to commingle injection between the main pay and
14 the TZ/ROZ, but we would want to commingle production at
15 some point if it's commercial.

16 Q. Okay. So that's kind of in the future.

17 A. Yeah.

18 EXAMINER JONES: Okay. Does that...

19 That may be everything we have. We are
20 going to get questions on the 10-foot deal, but I think we
21 can explain it to the Hobbs district.

22 MR. FELDEWERT: Well, I guess what I would
23 point out is that the Commission granted that relief at
24 both hearings, both for the North Hobbs and the South
25 Hobbs. Basically the testimony was the same. We are

1 going to keep it within the unit but just need that
2 flexibility because of the environment.

3 EXAMINER JONES: Okay.

4 EXAMINER McMILLAN: The only question I
5 have is about the heterogeneity of the reservoir, and you
6 described that with your description of the horizontal
7 wells.

8 EXAMINER JONES: We have a geologist here.

9 MR. FELDEWERT: Unless you have more
10 questions, let me kind of bring us back here, because I
11 don't want -- there's a couple of things I want to keep in
12 mind, and that is: If you look at our application there
13 is really two things going on. Okay? The fact that the
14 application has an A and a B.

15 There's two things going on. We had to
16 come back under that WFX-945 to meet the requirements of
17 that Order, which we believe we have done here today, to
18 make that injection authority permanent. So that was the
19 first aspect of this application. And so questions
20 dealing with that project and then those, you know, 11
21 additional pilot project wells in the 400, that is kind of
22 one package of relief.

23 The next package of relief deals with the
24 entire unit. Not just these wells but the entire unit.

25 And you will see that we've identified

1 certain governing rules that, at least we believe we show
2 don't serve any purpose here, in fact create a hindrance
3 to the development of this unit.

4 One of those rules, Rule 11, had already
5 been addressed by amendment to this Order, 5897, and you
6 will see it's even referenced on page 3 of Exhibit 3,
7 which is WFX-945, because it, at the top, cites that Order
8 R-5897A dealing with what the packer is supposed to be
9 set.

10 So that has been addressed.

11 But as we went through this, there were
12 other aspects of these rules as set forth in 5897 that we
13 ask be abolished and eliminated, and then there's certain
14 clarifications that we asked for with respect to prior
15 Orders.

16 My point is all that applies to the entire
17 unit, not just the pilot project.

18 So I wanted to make sure I made that clear.

19 EXAMINER McMILLAN: Okay. With that in
20 mind, Case No. 15497 shall be taken under advisement at
21 this time, and thank you very much.

22 MR. FELDEWERT: Thank you.

23 (Time noted: 10:04 p.m.)

24

25

1 STATE OF NEW MEXICO)
 2) SS
 3 COUNTY OF TAOS)
 4
 5
 6

7 REPORTER'S CERTIFICATE

8 I, MARY THERESE MACFARLANE, New Mexico Reporter
 CCR No. 122, DO HEREBY CERTIFY that on Thursday, May 26,
 9 2016, the proceedings in the above-captioned matter were
 taken before me, that I did report in stenographic
 10 shorthand the proceedings set forth herein, and the
 foregoing pages are a true and correct transcription to the
 11 best of my ability and control.

12 I FURTHER CERTIFY that I am neither employed by
 nor related to nor contracted with (unless excepted by the
 13 rules) any of the parties or attorneys in this case, and
 that I have no interest whatsoever in the final
 14 disposition of this case in any court.

15
 16
 17
 18
 19 _____
 MARY THERESE MACFARLANE, CCR
 NM Certified Court Reporter No. 122
 20 License Expires: 12/31/2016
 21
 22
 23
 24
 25