

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 IN THE MATTER OF THE HEARING CALLED
5 BY THE OIL CONSERVATION DIVISION FOR
6 THE PURPOSE OF CONSIDERING:

CASE 15437
(cont'd from
Feb 4, 2016)

7 APPLICATION OF CAZA PETROLEUM, INC.,
8 FOR A NONSTANDARD OIL SPACING AND
9 PRORATION UNIT AND COMPULSORY POOLING,
10 LEA COUNTY, NEW MEXICO.

11 REPORTER'S TRANSCRIPT OF PROCEEDINGS

12 EXAMINER HEARING

13 March 3, 2016

14 Santa Fe, New Mexico

15 BEFORE: SCOTT DAWSON, CHIEF EXAMINER
16 MICHAEL McMILLAN, EXAMINER
17 DAVID BROOKS, LEGAL EXAMINER

18 This matter came on for hearing before the
19 New Mexico Oil Conservation Division, SCOTT DAWSON,
20 Chief Examiner, MICHAEL McMILLAN, Examiner, and DAVID
21 BROOKS, Legal Examiner, on March 3, 2016, at the New
22 Mexico Energy, Minerals, and Natural Resources
23 Department, Wendell Chino Building, 1220 South St.
24 Francis Drive, Porter Hall, Room 102, Santa Fe, New
25 Mexico.

26 REPORTED BY: ELLEN H. ALLANIC
27 NEW MEXICO CCR 100
28 CALIFORNIA CSR 8670
29 PAUL BACA COURT REPORTERS
30 500 Fourth Street, NW
31 Suite 105
32 Albuquerque, New Mexico 87102

1 A P P E A R A N C E S

2 For the Applicant Caza Petroleum, Inc.:

3 James G. Bruce, Esq.
4 P.O. Box 1056
5 Santa Fe, New Mexico 87504
6 (505)982-2043
7 jamesbruc@aol.com

8 For Legacy Reserves, L.P.:

9 Gary W. Larson, Esq.
10 Hinkle Shanor LLP
11 P.O. Box 0268
12 Santa Fe, New Mexico 87504
13 (505)982-4554
14 glarson@hinklelawfirm.com

15 For COG Operating, LLC:

16 Ocean Munds-Dry, Esq.
17 Senior Attorney
18 Concho
19 1048 Paseo de Peralta
20 Santa Fe, New Mexico 87501
21 (505) 780-8000
22 omundsdry@concho.com
23
24
25

1	I N D E X			
2	CASE NUMBER 15437 CALLED			
3	CAZA PETROLEUM, INC.			
4	CASE-IN-CHIEF:			
5	WITNESS JOHN E. "Jay" BROWN			
6	By Mr. Bruce	Direct 9	Redirect	Further Cross
7	By Mr. Larson	Cross 16		
8	By Ms. Munds-Dry	18		
9				
10	By Examiner Dawson	Examination 18		
11	By Examiner McMillan	19		
12	By Mr. Brooks	20		
13	WITNESS RICHARD CARROLL			
14	By Mr. Bruce	Direct 23	Redirect	Further
15	By Mr. Larson	Cross 37		
16				
17				
18	WITNESS ANTHONY SAM			
19	By Mr. Bruce	Direct 42	Redirect 74	Further 78
20				
21	By Mr. Larson	Cross 62	Recross 76	
22				
23	By Examiner Dawson	Examination 68, 73		
24	By Examiner McMillan	69		
25				

1	CASE NUMBER 15437 CALLED			
2	LEGACY RESERVES, L.P.			
	CASE-IN-CHIEF:			
3				
	WITNESS CLAY ROBERTS			
4		Direct	Redirect	Further
5				
	By Mr. Larson	80		
6				
7		Cross		
	By Mr. Bruce	110		
8				
		Examination		
9	By Examiner Dawson	96, 98		
	By Examiner McMillan	95		
10	By Mr. Brooks	95		
11				
	WITNESS KEITH E. McKAMEY			
12		Direct	Redirect	Further
13				
	By Mr. Larson	100		
14				
15		Cross		
	By Mr. Bruce	110		
16				
		Examination		
17	By Examiner Dawson	114, 118		
	By Examiner McMillan	117		
18	By Mr. Brooks	115		
19	WITNESS CRAIG SPARKMAN			
20		Direct	Redirect	Further
21	By Mr. Larson	119	136	
22				
		Cross	Recross	
23	By Mr. Bruce	127	135	
24		Examination		
	By Examiner Dawson	129		
25	By Examiner McMillan	133		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C L O S I N G S T A T E M E N T S

Mr. Bruce

PAGE

136

Mr. Larson

138

Reporter's Certificate

PAGE

141

I N D E X O F E X H I B I T S
CAZA PETROLEUM, INC.
Offered and Admitted

	PAGE
Caza Petroleum, Inc., Exhibit 1	17
Caza Petroleum, Inc., Exhibit 2	17
Caza Petroleum, Inc., Exhibit 3	17
Caza Petroleum, Inc., Exhibit 4	17
Caza Petroleum, Inc., Exhibit 5	17
Caza Petroleum, Inc., Exhibit 6	17
Caza Petroleum, Inc., Exhibit 7	37
Caza Petroleum, Inc., Exhibit 8	37
Caza Petroleum, Inc., Exhibit 9	37
Caza Petroleum, Inc., Exhibit 10	37
Caza Petroleum, Inc., Exhibit 11	37
Caza Petroleum, Inc., Exhibit 12	37
Caza Petroleum, Inc., Exhibit 13	37
Caza Petroleum, Inc., Exhibit 14	37
Caza Petroleum, Inc., Exhibit 15	37
Caza Petroleum, Inc., Exhibit 16	61
Caza Petroleum, Inc., Exhibit 17	37
Caza Petroleum, Inc., Exhibit 18	61
Caza Petroleum, Inc., Exhibit 19	17

1	I N D E X O F E X H I B I T S	
2	Legacy Reserves, L.P.	
3	Offered and Admitted	
4		PAGE
5	Legacy Reserves, L.P., Exhibit 1	92
6	Legacy Reserves, L.P., Exhibit 2	92
7	Legacy Reserves, L.P., Exhibit 3	92
8	Legacy Reserves, L.P., Exhibit 4	92
9	Legacy Reserves, L.P., Exhibit 5	92
10	Legacy Reserves, L.P., Exhibit 6	92
11	Legacy Reserves, L.P., Exhibit 7	92
12	Legacy Reserves, L.P., Exhibit 8	110
13	Legacy Reserves, L.P., Exhibit 9	110
14	Legacy Reserves, L.P., Exhibit 10	110
15	Legacy Reserves, L.P., Exhibit 11	110
16	Legacy Reserves, L.P., Exhibit 12	110
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (Time noted 9:02 a.m.)

2 EXAMINER DAWSON: And now we will move on to
3 case 15437, Application of Caza Petroleum, Inc., for a
4 Nonstandard Oil Spacing and Proration Unit and
5 Compulsory Pooling, Lea County, New Mexico.

6 Call for appearances.

7 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa
8 Fe representing the applicant. I have four potential
9 witnesses.

10 EXAMINER DAWSON: Okay. The witnesses
11 please stand, identify yourselves, and be sworn in by
12 the court reporter.

13 MR. BROWN: Jay Brown.

14 MR. SAM: Anthony Sam.

15 MR. ALBRO: Richard Albro.

16 MR. CARROLL: Richard Carroll.

17 MS. MUNDS-DRY: Mr. Hearing Examiner, I
18 would also like to enter an appearance, please.

19 EXAMINER DAWSON: Okay.

20 MS. MUNDS-DRY: Ocean Munds-Dry for COG
21 Operating, LLC. I have no witnesses this morning.

22 EXAMINER DAWSON: Okay. Thank you.

23 MR. LARSON: Mr. Examiner, Gary Larson at
24 the Santa Fe office of Hinkle Shanor. I have three
25 witnesses.

1 EXAMINER DAWSON: Okay.

2 MR. LARSON: I'm appearing on behalf of
3 Legacy Reserves, LP.

4 EXAMINER DAWSON: Okay.

5 MR. LARSON: Should my witnesses be sworn in
6 as well?

7 EXAMINER DAWSON: Yes, please. Would your
8 witnesses please stand, identify yourself, and be sworn
9 in by the court reporter.

10 MR. McKAMEY: Keith McKamey. I'm the head
11 geologist with Legacy Reserves, LP.

12 MR. SPARKMAN: Craig Sparkman, operations
13 engineer.

14 MR. ROBERTS: Clay Roberts, landman.

15 (WHEREUPON, seven presenting witnesses
16 were administered the oath.)

17 EXAMINER DAWSON: Mr. Bruce, you may proceed
18 when you're ready.

19 JOHN E. BROWN
20 having been first duly sworn, was examined and testified
21 as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your name and city of
25 residence for the record.

1 A. John E. Brown, The Woodlands, Texas.

2 Q. Who do you work for and in what capacity?

3 A. Caza Petroleum. I'm the land manager.

4 Q. Have you previously testified before the
5 Division?

6 A. I have.

7 Q. And were your credentials as an expert petroleum
8 geologist accepted -- as a landman accepted as a matter
9 of record.

10 A. They were.

11 Q. And does your area of responsibility at Caza
12 include this area of southeast New Mexico?

13 A. It does.

14 Q. And are you familiar with the land matters
15 involved in this application?

16 A. I am.

17 MR. BRUCE: Mr. Examiner, I move the
18 admission of Mr. Brown as an expert petroleum landman.

19 EXAMINER DAWSON: Any objections?

20 MR. LARSON: No objection.

21 EXAMINER DAWSON: No objections?

22 MS. MUNDS-DRY: No objections.

23 EXAMINER DAWSON: Okay. He is so admitted.

24 Q. Mr. Brown, could you identify Exhibit 1 for the
25 Examiner and briefly describe what Caza seeks in this

1 case.

2 A. Exhibit 1 is a plat from Midland Maps showing the
3 location of section 19. Outlined in yellow is Caza
4 State Lease BV-1758, covering the east half and
5 southwest quarters of section 19.

6 It would show Legacy's Bureau of Land Management
7 lease covering the northwest quarter of section 19. It
8 shows Caza's existing Igloo 19 State 2H Well, which is
9 in the east half, east half of section 19.

10 Q. And this is at Township 20 South, Range 35 East?

11 A. Yes, it is.

12 Q. And you seek to force pool the west half, west
13 half of section 19?

14 A. That's correct.

15 Q. And what formation is proposed to be tested by
16 the proposed well?

17 A. The Bone Spring.

18 Q. Who do you seek to pool?

19 A. Legacy.

20 Q. And they own -- I think you said they own the
21 northwest quarter of section 19 --

22 A. That's correct.

23 Q. What are Exhibits 2 and 3?

24 A. Exhibit 2 is Caza's well proposal of
25 November 5, 2015, proposing the Igloo 7H Well as a

1 Second Bone Spring test in the west half, west half of
2 section 19.

3 Q. And could you describe in a little more detail
4 your contacts and discussions with Legacy including
5 Exhibit 3?

6 A. Caza had telephone conferences with Legacy at the
7 approximate time of the well proposal shortly after the
8 hearing was set and again last week. Exhibit 3 is an
9 e-mail to Legacy from Caza expressing desire to discuss
10 and reach a mutually beneficial solution in order to
11 avoid the hearing.

12 Q. At this point the parties have not reached any
13 agreement?

14 A. That's correct.

15 Q. In your opinion has Caza made a good faith
16 effort to obtain the voluntary joinder of Legacy in this
17 well?

18 A. Yes.

19 Q. If you'd refer back to Exhibit 2, the second
20 page of Exhibit 2, would you identify that for the
21 Examiner.

22 A. This is Caza's AFE showing drilling and
23 completion costs for the Igloo 7H Well.

24 Q. And what is the total cost of the well?

25 A. \$5,019,362.

1 Q. And is that cost in line with the cost of other
2 horizontal wells drilled to this depth in this area of
3 New Mexico?

4 A. Yes, it is.

5 Q. Do you request that Caza Operating be appointed
6 operator of the well?

7 A. Yes.

8 Q. And that is Caza Petroleum's operating entity?

9 A. Yes, it is.

10 Q. Do you have a recommendation for the amounts
11 which Caza should be paid for supervision and
12 administrative expenses?

13 A. \$7,500 drilling and '\$7,500' a month producing.

14 Q. And are these amounts equivalent to those
15 normally charged by Caza and other operators in this
16 area for wells of this depth?

17 A. Yes, they are.

18 Q. Do you request that the overhead rates -- are
19 these -- do you request that the overhead rates be
20 adjusted periodically and provided by the Copas
21 accounting procedure?

22 A. Yes.

23 Q. And do you request the maximum cost plus 200
24 percent risk charge in the event Legacy goes nonconsent
25 to the well?

1 A. Yes, we do.

2 Q. And is Exhibit 4 simply my affidavit of notice to
3 Legacy Reserves, LP?

4 A. Yes, it is along with proof of mailing.

5 Q. And what is Exhibit 5?

6 A. Exhibit 5 is a list of the offset operators,
7 working interest owners, and the description of their
8 lands that are offsetting the proposed unit.

9 Q. And was notice given to all those parties as
10 shown by Exhibit 6?

11 A. Yes, it was.

12 Q. And what is Exhibit 19?

13 A. Exhibit 19 is a series of letters from Yates
14 Petroleum Corporation and some of its internal entities
15 supporting Caza's position in this application.

16 There are letters from Yates Petroleum
17 Corporation, from Abo Petroleum Corporation, MYCO
18 Industries, and Sharbo Energy, LLC.

19 Q. Let's go back to Exhibit 1 just for a little
20 while, Mr. Brown. You mention that in looking at
21 section 19 in the east half, east half Caza has drilled
22 a Bone Spring well --

23 A. That's correct.

24 Q. -- stand-up well?

25 A. That's correct.

1 Q. What Bone Spring zone is that in?

2 A. It's in the Second. I'm sorry. It's the Third.

3 Q. In looking at the other wells in the east half,
4 is Caza looking at drilling stand-up Second and Third
5 Bone Spring wells in the east half?

6 A. Yes, it is.

7 Q. And does Caza have technical witnesses discussing
8 the reasons for the stand-up Bone Spring wells?

9 A. Yes, we do.

10 Q. If Caza's application is unapproved, do you
11 believe that Caza's correlative rights will be harmed by
12 such denial?

13 A. Yes, we do.

14 Q. What would happen to the southwest quarter of
15 section 19 if you cannot drill a one-mile lateral to the
16 north?

17 A. Well, we feel that half mile laterals are
18 uneconomic. So the southwest quarter would become
19 stranded.

20 Q. And down to the south, there are already existing
21 Bone Spring wells, correct?

22 A. That's correct.

23 Q. So you could not drill to the south?

24 A. That's correct.

25 Q. And will Caza's witnesses discuss why 80-acre

1 laterals are not feasible?

2 A. Yes, they will.

3 Q. Were Exhibits 1 through 6 and 19 either prepared
4 by you or under your direction or compiled from company
5 business records?

6 A. Yes, they were.

7 Q. And in your opinion is the granting of this
8 application in the interest of conservation and the
9 prevention of waste and the protection of correlative
10 rights?

11 A. Absolutely.

12 MR. BRUCE: Mr. Examiner, I move the
13 admission of Exhibits 1 through 6 and 19.

14 EXAMINER DAWSON: Any objections?

15 MR. LARSON: No objection.

16 EXAMINER DAWSON: Any objections?

17 MS. MUNDS-DRY: No objections.

18 MR. BRUCE: And I pass the witness to
19 Mr. Larson.

20 CROSS EXAMINATION

21 BY MR. LARSON:

22 Q. Good morning, Mr. Brown.

23 A. Good morning.

24 EXAMINER DAWSON: If you let me go ahead and
25 admit Exhibits 1, 2, 3, 4, 5, 6 and 19 to the record.

1 (Caza Petroleum, Inc.'s, Exhibits 1 through
2 6 and Exhibit 19 were offered and admitted.)

3 EXAMINER DAWSON: Go ahead, Mr. Larson. I'm
4 sorry.

5 Q. I believe you mentioned that the northwest
6 quarter of section 19 is part of the --

7 A. I didn't mention that but we understand it to be
8 so.

9 Q. And do you know whether that's a federal unit?

10 A. It's my understanding that it is.

11 Q. And have you or anybody at Caza communicated with
12 the BLM about operation of the well that you're
13 proposing?

14 A. We filed a well permit. Our engineer will be
15 testifying to that.

16 Q. So do you know whether the BLM will allow Caza to
17 operate the well because its within unit acreage?

18 A. I haven't been involved in those conversations.

19 Q. Understood.

20 Directing your attention to Caza Exhibit 1, has
21 Caza submitted to the OCD well permit applications in
22 southwest quarter of 19?

23 A. All the permits are done through our operations
24 department. And I would defer to the operations
25 department for the submittal of permits.

1 Q. Understood. Thank you, sir.

2 MR. LARSON: I pass the witness.

3 EXAMINER DAWSON: Ms. Munds-Dry, any
4 questions?

5 MS. MUNDS-DRY: If I could just follow up.

6 CROSS-EXAMINATION

7 BY MS. MUNDS-DRY:

8 Q. Do you have someone in operations here today who
9 could testify as to they could ease in the southwest
10 quarter?

11 A. Yes, we do.

12 MS. MUNDS-DRY: Thank you. That's all I
13 have.

14 EXAMINER DAWSON: Okay. Do you have any
15 questions, Mr. McMillan.

16 EXAMINER McMILLAN: Just go ahead.

17 EXAMINER DAWSON: Okay. Do you have any
18 questions?

19 MR. BROOKS: No questions.

20 EXAMINATION BY EXAMINER DAWSON

21 EXAMINER DAWSON: My question is the
22 operating costs for while you're drilling, \$7,500 --

23 THE WITNESS: Yes.

24 EXAMINER DAWSON: And the producing cost?

25 THE WITNESS: \$750.

1 EXAMINER DAWSON: I thought you said \$7,500.
2 But \$750, okay. I just wanted to clarify that. That's
3 all the questions I have. Thank you.

4 THE WITNESS: You're welcome.

5 EXAMINER McMILLAN: I have questions.

6 EXAMINATION BY EXAMINER McMILLAN

7 EXAMINER McMILLAN: The first thing you
8 said, you said the AFE was 5.3 million right?

9 THE WITNESS: (No verbal response.)

10 EXAMINER McMILLAN: But, then, when I look
11 at your AFE, I see that it's 5.019 --

12 THE WITNESS: I thought I said 5.019 --

13 EXAMINER DAWSON: I think you might have
14 said 5.019362.

15 EXAMINER McMILLAN: Okay. That's fine.

16 THE WITNESS: It's awfully small on this.

17 EXAMINER DAWSON: Okay.

18 EXAMINER McMILLAN: And the next question I
19 have is the existing C-102 essentially is to the west
20 half of the southwest quarter, and I don't see it in the
21 C-102.

22 THE WITNESS: Again, I'll defer that to the
23 operations.

24 EXAMINER McMILLAN: Are there any unlocated
25 interests?

1 THE WITNESS: No.

2 EXAMINER McMILLAN: Any depth severances
3 within the Bone Spring?

4 THE WITNESS: No.

5 EXAMINER McMILLAN: Anything to pool?

6 THE WITNESS: (No verbal response.)

7 EXAMINER McMILLAN: And what's the pool code
8 number?

9 THE WITNESS: I'll defer that to the
10 operations.

11 EXAMINER McMILLAN: And will the project
12 area be standard?

13 THE WITNESS: Yes.

14 EXAMINER McMILLAN: And the well status?

15 THE WITNESS: It's proposed at this time.

16 EXAMINER McMILLAN: I don't have any more
17 questions.

18 EXAMINER DAWSON: Okay.

19 MR. BROOKS: Scott, excuse me. I'd like to
20 ask -- this may not be the right witness to ask this
21 question.

22 EXAMINATION BY MR. BROOKS

23 MR. BROOKS: The Bone Spring most places is
24 at least three different identified sands. Is this --
25 are you targeting -- first of all, are these

1 multilateral horizontals that look like -- you have two
2 arrows coming forth from your point here on this map,
3 Exhibit 1. So I was wondering if you're drilling more
4 than one lateral on these --

5 THE WITNESS: No. These would be single
6 lateral wells.

7 MR. BROOKS: Okay. So is the Bone Spring --
8 does it exhibit its usual three distinct sands in this
9 area or is --

10 THE WITNESS: I'll defer that to the
11 geologic testimony.

12 MR. BROOKS: I thought it might be a better
13 question for the --

14 EXAMINER DAWSON: The geologist might be
15 better to answer those questions.

16 MR. BROOKS: Clearly. Okay.

17 MR. BRUCE: Mr. McMillan, the nearest
18 offsetting well that was producing is over immediately
19 to the west in section 24. And that was designated by
20 the Division as the South Lea Bone Spring Pool, Pool
21 Code 37580.

22 EXAMINER McMILLAN: Okay.

23 MR. BRUCE: Anyway, I don't know if that's
24 the right one, but it's the nearest one that I could
25 find.

1 EXAMINER McMILLAN: Thank you.

2 EXAMINER DAWSON: Do you have any near
3 term lease expirations in this acreage of the proposed
4 well?

5 THE WITNESS: Our lease expires December 1st
6 of this year.

7 EXAMINER DAWSON: Okay. And you have an
8 APD? Has the BLM approved your APD or has it been
9 filed?

10 THE WITNESS: No, I'll defer to engineering.

11 EXAMINER DAWSON: Okay. That's all the
12 questions I have. Thank you.

13 At this point, we are going to take a
14 ten-minute break. We'll be back at 9:25 a.m.

15 (Brief recess.)

16 EXAMINER DAWSON: We are going to go ahead
17 and open the record again. Regarding case Nos. 15438,
18 15439, and 15440, these are all Devon Energy Production
19 Company, LP, cases; to correct the record, we will
20 continue these cases to March 17th, 2016. I believe
21 there were some dates that were wrong before, so we're
22 going to continue those to March 17th.

23 And we will go back now on the record to
24 case No. 15437, and you may continue now, Mr. Bruce.

25 MR. BRUCE: One point of clarification,

1 Mr. Examiner. The lease that Caza operates -- a little
2 confusion. The lease's primary term ends December 1 of
3 this year, but the lease is HVP because of the Bone
4 Spring well in the east half, east half of section 19.

5 EXAMINER DAWSON: Okay. Thank you.

6 RICHARD CARROLL
7 having been first duly sworn, was examined and testified
8 as follows:

9 DIRECT EXAMINATION

10 BY MR. BRUCE:

11 Q. Can you please state your name and city of
12 residence for the record.

13 A. Richard Carroll, The Woodlands, Texas.

14 Q. Who do you work for and in what capacity?

15 A. I work for Caza Petroleum. I am a senior
16 geologist.

17 Q. Have you previously testified before the
18 Division?

19 A. I have not.

20 Q. Would you please summarize your educational and
21 employment background for the Examiner.

22 A. I have a bachelor of science degree from the
23 University of Texas at Austin with a minor in petroleum
24 engineering. I also have worked in the business since
25 1980 as a petroleum geologist.

1 And I am a certified petroleum geologist by the
2 American Association of Petroleum Geologists and a
3 certified professional geologist in the state of
4 Texas.

5 Q. And, just briefly, what companies have you worked
6 for, what parts of the country?

7 A. I've worked for Agip Petroleum Company, Italian
8 National Oil Company. I worked in multiple basins in
9 the U.S., from California to the Permian Basin to Alaska
10 and south Texas.

11 Then I went to Ultramar Oil and Gas, where I
12 worked primarily south Texas and southern Louisiana. I
13 also did some work for Ultramar Oil and Gas in the
14 Permian Basin after we shut down our Midland office.

15 After that, I went to work for TransTexas Gas
16 Corporation focusing primarily in south Texas. After
17 that, I went to work for Mobil Oil Corporation, again
18 focusing primarily on south Texas.

19 I then went to Exxon Mobile Corporation where I
20 worked on projects again primarily along the
21 Texas/Louisiana coastline.

22 Following that I was at Dominion Exploration and
23 Production, where I worked on projects from the Permian
24 Basin to south Texas and the upper Texas coast.

25 Following that, Sanchez Oil and Gas Corporation,

1 where I worked in multiple different basins from the
2 Uwento Basin to Kansas to Illinois Basin to the south
3 Texas Basin to the Permian Basin, the Delaware Basin.

4 And then I went to work for Caza Petroleum
5 about a year and a half ago, and I've been focusing
6 primarily on the Delaware Basin, southeast New Mexico
7 since then.

8 Q. And are you familiar with the geologic matters
9 involved in this application?

10 A. Yes, sir, I am.

11 MR. BRUCE: Mr. Examiner, I tender
12 Mr. Carroll as an expert petroleum geologist.

13 EXAMINER DAWSON: Any objections?

14 MS. MUNDS-DRY: No objection.

15 MR. LARSON: No objection.

16 EXAMINER DAWSON: He is so admitted.

17 Q. Mr. Carroll, could you identify Exhibit 7 for the
18 Examiner.

19 A. Yes, sir. Exhibit 7 is a base map or location
20 map showing our acreage and section 19; also, showing
21 the presently permitted wells or the wells that Caza has
22 put in for permits on in section 19.

23 It also shows all of the additional wells in the
24 section, including wells that have been -- that the
25 permits have expired on or been dropped. It also

1 locates the operator of those wells along with the final
2 five digits of the API number.

3 Q. A little bit later we may come back to this
4 exhibit. But specifically to the southwest of
5 section 19 and section 25 there are some Nearburg wells
6 that are lay-down wells. What is the status of those
7 permits?

8 A. The permit, the status of the permit on 40723 is
9 that those permits have expired. They've been dropped.
10 41090, that one I'm not sure about at this time. But I
11 know the one at 40723 was dropped.

12 Q. But Nearburg has drilled stand-up Bone Spring
13 wells in that --

14 A. Yes, sir. They've drilled two stand-up Bone
15 Spring wells in that section, and they have a third
16 permitted.

17 Q. Okay. Let's move on now to Exhibit 8. What is
18 that?

19 A. And, gentlemen, I know these are rather big maps,
20 but they are much easier to see things on when they get
21 this size.

22 Exhibit No. 8 is a structure map made on the top
23 of the Second Bone Spring Sand and TVD subC, so total
24 vertical depth subC.

25 Q. And in which direction does the structure dip?

1 A. Throughout most of the map, you've got a dip
2 basically from the northwest down to the southeast. You
3 can actually see just to the south of section 19 where
4 you develop a low spot in the Second Bone Spring Sand
5 structure.

6 I know we don't have an Exhibit here for it, but
7 that same low spot exists in the Third Bone Spring
8 structure and the First Bone Spring structure.

9 Off to the east of our acreage, the dip has
10 rolled a little bit, and it actually dips from the
11 northeast to the southwest.

12 Q. And what is Exhibit 9?

13 A. By the way, I would go ahead and mention, on both
14 of these maps, I've left the locations of the cross
15 sections we'll be showing you. I've marked on them both
16 with the A, B or A, A Prime and B, B Prime across the
17 exhibits. And you will see those again on the next map.

18 The next map, this is Exhibit 9, it is actually a
19 structure map and TVD subC of our target point or our
20 target horizons within the Second Bone Spring Sand.

21 Q. It looks like the structure is a little more
22 compressed there; it dips more steeply?

23 A. Yes, sir. And our target interval is towards the
24 base of the Second Bone Spring Sand, thereby allowing us
25 whenever we go ahead and stimulate the well to go ahead

1 and get more frac height up, because it's actually --
2 the Second Bone Springs' lime lies directly below it,
3 where we won't be actually fracking anything into that
4 lime very much. So it gives us much more height on the
5 frac.

6 Q. You're proposing north, south wells; is it easier
7 to stay in zone better with north, south horizontal
8 wells due to this structure?

9 A. Yes, sir. And, in fact, if you notice on the far
10 east side of section 19, there is a Caza producing well
11 there. That was our Igloo 19.

12 We drilled that well from the north to the south.
13 Because of the rather steepening dip as you reach the
14 south of that lease block, it became very difficult to
15 go ahead and keep the well in zone. And it was a Third
16 Bone Springs well, by the way; we drilled it towards the
17 base of the Third Bone Springs.

18 The bit has a tendency to want to walk up
19 section. And with this dip being so steep coming back
20 down to the south, we had a great deal of trouble
21 keeping it in zone.

22 We did manage to keep it in zone, and it's been a
23 very good well for us.

24 In addition, I would point out that if you look
25 back over to the west side of section 19, you'll notice

1 that the structure there is much more gentle.

2 So it's the hole basically developing in section
3 30 immediately to the south of us that kind of causes
4 that structural anomaly that makes that -- that gives
5 the dip -- that gives such a high rate of dip in that --
6 in the southern part of 19.

7 Q. And is it Caza's intention to drill a Second Bone
8 Spring and Third Bone Spring well in each 160 acre
9 non-standard well unit across section 19?

10 A. Yes, sir. In fact, the wells you'll see here,
11 they're going to be labeled 42356, would be a Second
12 Bone Springs well; and then you'll have 42357, will be a
13 Third Bone Springs well; 42358, a Second Bone Springs
14 well; 42359, a Third Bone Springs well; 42360, a Second
15 Bone Springs well; 42380, that would be a Third Bone
16 Springs well; and then 42361, a Second Bone Spring
17 test.

18 Q. Let's move on to the cross sections --
19 (Ambient noise.)

20 A. Again, I would go ahead and bring your attention
21 to the A, A Prime, going north, south; and the B, B
22 Prime, going east, west, because those will relate to
23 the cross sections we'll be showing there --

24 Q. Two sets of cross sections, you need one for the
25 structural cross section and one for the Second Bone

1 Spring --

2 A. Yes, sir.

3 Q. Let's start with 10 and 11. Why don't you
4 just --

5 A. Section 10, it is my A, A Prime cross section.
6 That would be a north, south oriented cross section
7 going from the top of the Russ Land hydride all the way
8 down through the Wolfcamp section.

9 It doesn't go all the way through the Wolfcamp
10 section because we're primarily going ahead and focusing
11 on the Second Bone Springs.

12 You can also see there a dashed red line. That
13 marks our target interval within the Second Bone
14 Springs.

15 Then if you go to Exhibit No. 11, in
16 Exhibit No. 11, I simply show it so that you could look
17 more closely at the section of interest, zoomed in to
18 that Second Bone Spring section -- I'm sorry. Section
19 11 is my B, B Prime, which is the east, west oriented
20 structural section, again, focusing on the same
21 formations that I mentioned before in section A to A
22 Prime.

23 It just gives an overall viewpoint of the entire
24 sequence -- throughout that section there will be
25 drilling.

1 Q. And then do Exhibits 12 and 13 allow the Examiner
2 to zoom in in more of the target zone?

3 A. Yes, sir. Those two exhibits were specifically
4 framed so you're basically looking at from the top of
5 the Bone Spring section to what we've got labeled on
6 here as the Bone Spring, Glorieta; down through the
7 Third Bone Spring.

8 And on a few of the wells you actually see the
9 tops of the Wolfcamp via the structure. This way you
10 can actually see the logs a little bit better.

11 I would also mention that the logs here on each
12 of these wells are a resistivity, gamma ray, resistivity
13 log on the left; and a density neutron log on the right.
14 So you'll be able to actually look and see porosities
15 within those sections and resistivities through the
16 section, and using the gamma rays, et cetera, be able to
17 identify the carbonate sections more.

18 Q. On these maps, the Second Bone Spring target is
19 just slightly below the middle of the entire Second Bone
20 Spring; is that correct?

21 A. Yes, sir.

22 Q. Okay.

23 A. And you can see the Second -- the top of the
24 Second Bone Spring is in purple. The base of the Second
25 Bone Spring sand or what I refer to as the Second Bone

1 Spring lime is in blue.

2 And that would be the same in both A to A Prime
3 cross section, Exhibit No. 12, and B to B Prime, Exhibit
4 No. 13.

5 Q. And based on these cross sections, is the Second
6 Bone Spring target continuous across the area of the --

7 A. Yes, sir, it is. The Second Bone Spring target
8 is a very continuous section across the area that these
9 cross sections cover.

10 Q. Okay. Let's move to your Exhibit 14. What is
11 that?

12 A. Exhibit 14 is an isopach of the Second Bone
13 Spring. And the definition of that interval is from the
14 purple line I showed you on the cross sections before
15 the top of Second Bone Spring sand to the blue line at
16 the base or what I call the Second Bone Spring lime.

17 Q. And is the thickness of the Second Bone Spring
18 fairly even along the path of the wellbore?

19 A. It does thin a little bit as you go to the north.
20 In fact, on the map, you will notice that there is a
21 thin just in sections 13 and in 24, where the actual --
22 that Second Bone Spring section actually goes down to
23 about 445 feet.

24 You can see, as you move back out to the west,
25 that section does increase to over 550 feet.

1 But, all in all, it remains fairly stable.

2 Q. Would you expect each quarter, quarter section in
3 the proposed well unit to be productive in the Bone
4 Spring Formation?

5 A. Yes, sir, I would.

6 Q. And is there any faulting or any other geological
7 issues out here which would prevent the drilling of a
8 horizontal well?

9 A. No, sir, there are not to my knowledge.

10 Q. And would you expect horizontal drilling to be
11 the most efficient method of developing this acreage?

12 A. Yes, sir, very much so.

13 Q. And will the next witness discuss recovery of
14 reserves?

15 A. Yes, sir.

16 Q. And, briefly, a couple of final exhibits. What
17 is Exhibit 15?

18 A. Exhibit 15 is a geologic prognosis. Whenever I
19 go through -- to go ahead and plan the wellbore for the
20 Igloo State 7H, which is on the far -- it would be the
21 far west half of the west half of section 19. It goes
22 through my position of where the landing point will be,
23 surface location, bottom hole location, anticipated
24 objectives, depths, the amount of, more or less,
25 up/down we're going to have to deal with when we're

1 drilling it. I'm not exactly sure how you'd want me to
2 put that.

3 But this one, in this particular case, will be at
4 about a 77-foot toe-up direction, so it will hit at the
5 heel or the landing point. And then we'll actually
6 gain about 77 feet of structure as we drill to the
7 north.

8 It then goes on, and it goes to my estimated tops
9 for the formations at zero feet vertical section and
10 their TVD subC.

11 And then other well plans such as where we'd be
12 setting casing, typical mud programs, what kind of
13 logging programs, any potential zones that might also be
14 productive and any potential sections that might be of
15 hazard while drilling.

16 Q. And then Exhibit 17, is that simply the
17 horizontal drilling plan for the well?

18 A. Yes, sir. This is the horizontal drilling plan
19 for the Igloo 19 State Federal 7H based on the data that
20 I provided, the Mojo Standard Plan from our geologic
21 prognosis.

22 Q. And will the producing interval of the wellbore
23 be at standard or orthodox locations?

24 A. Yes, sir.

25 Q. Go back to Exhibit 7, the area plat. Now looking

1 at the map, outside of section 19 or partly outside of
2 section 19 to the west and northwest, those are legacy
3 wells, are they not?

4 A. Yes, sir.

5 Q. And all of their planned wells are stand-up
6 wells?

7 A. Yes, sir.

8 Q. Whether Second or Third Bone Spring?

9 A. Yes, sir, that is correct.

10 Q. Now looking in -- Mr. Larson may ask you
11 something about the 80-acre laterals that were permitted
12 down in the southwest quarter of section 19. Will the
13 next witness address those --

14 A. Yes, sir, he will be addressing those.

15 Q. Caza does not want to drill 80-acre laterals?

16 A. No, sir, we do not.

17 Q. Is it Caza's belief that those wells would be
18 uneconomic?

19 A. At these particular oil prices, yes, sir, that is
20 my understanding.

21 Q. But looking over into section 14, you've got to
22 the west, northwest, you've got a Mewbourne 80-acre
23 lateral. What is the status of that?

24 A. That 80-acre Mewbourne lateral in section 14,
25 that permit has expired or been dropped.

1 Q. Has been dropped by Mewbourne?

2 A. Yes, sir.

3 Q. So they're not drilling that well?

4 A. No, sir.

5 Q. Looking at it, it looks like they were foreclosed
6 from drilling because of the Legacy well to the north.

7 A. Yes, sir, that may very well be the truth. There
8 are two Legacy wells that are permitted there. And one
9 of them, according to what information we have, has been
10 drilled.

11 Q. Okay. And then Legacy, if you look up north to
12 section 18, Legacy has planned a mile and a half
13 lateral, which would be the west half, west half of
14 section 18 and the west half, northwest quarter of
15 section 19?

16 A. Yes, sir.

17 Q. If that well was drilled and you could not drill
18 a mile lateral, would you drill the southwest quarter
19 for the Second and Third Bone Springs?

20 A. No, sir. As I think we've stated before, in our
21 opinion, it would be uneconomic to drill it at this
22 time.

23 Q. Okay. Were Exhibits 7 through 15 prepared by you
24 or under your supervision?

25 A. Yes, sir, they were.

1 Q. And was the drilling prognosis, Exhibit 17,
2 compiled from company business records?

3 A. Yes, sir, it was.

4 Q. And in your opinion is the granting of Caza's
5 application in the interests of conservation and the
6 prevention of waste?

7 A. Yes, sir, it is.

8 MR. BRUCE: Mr. Examiner, I would move the
9 admission of Caza Exhibits 7 through 15 and Exhibit 17.

10 EXAMINER DAWSON: Any objections?

11 MS. MUNDS-DRY: No objection.

12 MR. LARSON: No objection.

13 EXAMINER DAWSON: Caza Exhibits 7 through 15
14 and Exhibit 17 are so admitted.

15 (Caza Petroleum, Inc.'s, Exhibits 7 through
16 15 and Exhibit 17 were offered and admitted.)

17 MR. BRUCE: I pass the witness.

18 EXAMINER DAWSON: Mr. Larson.

19 CROSS EXAMINATION

20 BY MR. LARSON:

21 Q. Good morning, Mr. Carroll.

22 A. Good morning.

23 Q. Referring to your Exhibit No. 7 --

24 A. Yes, sir.

25 Q. -- you have four Cimarex test wells indicated

1 there?

2 A. Yes, sir.

3 Q. Have you looked at the production records for
4 those wells?

5 A. Yes, sir, we have.

6 Q. And what was your conclusion based on looking at
7 the data?

8 A. That they were not as good wells as the stand-up
9 north, south wells that were drilled in the same area.
10 And our next witness will be actually addressing exactly
11 that point.

12 Q. Okay. You say drilled in the area; which
13 particular north, south wells are you referring to?

14 A. The wells immediately on this part of the map.
15 Right around -- the wells to the south, I believe the
16 COG and the Nearburg wells.

17 But Mr. Sam will have the display showing exactly
18 which wells we're referring to and the production
19 statistics on each of those.

20 Q. So I should ask him questions about the economics
21 of those Cimarex wells?

22 A. I believe he's probably much more -- much better
23 to end up asking those questions of.

24 Q. I understand you. Moving up into the
25 yellow-highlighted area.

1 A. Yes, sir.

2 Q. Is there any reason why Caza couldn't drill an
3 east, west mile lateral on the First Bone Spring?

4 A. An east, west first mile lateral in the First
5 Bone Spring?

6 Q. The south half of 19 in the First Bone Spring.

7 A. No, sir. There's no reason we couldn't to my
8 knowledge.

9 Q. And I'd ask you the same question about the Third
10 Bone Spring.

11 A. The Third Bone Spring we would not be able to
12 drill a mile lateral going -- oriented east, west in the
13 south half of section 19 because of interference with
14 the Caza well that's already there that's producing from
15 the Third Bone Spring.

16 So we would have to cut that well considerably
17 short so that we wouldn't have interference between
18 those two wells.

19 But, again, the drilling and production data is
20 probably best handled by our engineer.

21 Q. Okay. And if I understood Mr. Bruce's question
22 correctly, you answered in the affirmative that your
23 proposed north, south well in the west half, west half
24 would be productive in each quarter, quarter?

25 A. Yes, sir.

1 Q. Do you have any opinion as to whether there would
2 be differing production levels in each quarter, quarter
3 as you go north to south?

4 A. No, sir. And I'm not sure -- again, this would
5 be a question that would probably be best answered by an
6 engineer. But I'm not sure that we'd have -- I'll leave
7 it at that, that I think it would be a question best
8 answered by an engineer.

9 Q. Thank you.

10 MR. LARSON: I pass the witness.

11 MS. MUNDS-DRY: I don't have any questions.
12 Thank you.

13 EXAMINER DAWSON: Questions, Mr. Bruce?

14 MR. BROOKS: The notice in this case says
15 that it will be dedicated to the Igloo 19 State Well No.
16 7H. And that is to be in which Bone Springs location?

17 THE WITNESS: The 7H is to be a Second Bone
18 Spring completion.

19 MR. BROOKS: But you then contemplate that
20 you will subsequently propose a Third Bone Spring well
21 in the same project area?

22 THE WITNESS: Yes, sir. In fact, that Third
23 Bone Spring well, if you look to the map, would be -- I
24 believe that would be -- the Third Bone Spring well
25 would be the one on that map located as 42380.

1 MR. BROOKS: So you've already gotten a
2 permit for that well?

3 THE WITNESS: Again, I will have to go ahead
4 and defer to the engineer on whether we already have a
5 permit or not.

6 I know that I have already turned in
7 geologic prognosis and we were working on them and have
8 directional surveys prepared and that work was being put
9 in for permits for those wells.

10 MR. BROOKS: And, of course, you would need
11 both state and federal permits for these wells and you
12 may well have a state permit and not yet have a federal
13 permit.

14 THE WITNESS: Yes, sir. To that, I'm not
15 sure I could answer for sure on that either.

16 MR. BROOKS: Okay. So -- but right now the
17 only well we can pool this for now is the one that's in
18 the notice?

19 MR. BRUCE: That's correct, Mr. Examiner.

20 MR. BROOKS: Okay. Thank you.

21 EXAMINER DAWSON: I have no questions.
22 Thank you.

23 THE WITNESS: Thank you.

24 ANTHONY SAM
25 having been first duly sworn, was examined and testified

1 as follows:

2 DIRECT EXAMINATION

3 BY MR. BRUCE:

4 Q. Would you please state your name for the
5 record.

6 A. Yes. Anthony Sam.

7 Q. And where do you reside, Mr. Sam?

8 A. Midland, Texas.

9 Q. Who do you work for?

10 A. Caza Petroleum.

11 Q. And what's your job with them?

12 A. V.P. of operations.

13 Q. Have you previously testified before the
14 Division?

15 A. Yes, sir, I have.

16 Q. And were your credentials as an expert petroleum
17 engineer accepted as a matter of record?

18 A. Yes, sir, they were.

19 Q. And are you familiar with the engineering related
20 to this application?

21 A. Yes, sir, I am.

22 MR. BRUCE: Mr. Examiner, I tender Mr. Sam
23 as an expert petroleum engineer.

24 EXAMINER DAWSON: Any objections?

25 MS. MUNDS-DRY: I have a point of

1 clarification. I understand you said you were V.P. of
2 operations; is that correct?

3 THE WITNESS: That's correct.

4 MS. MUNDS-DRY: What kind of engineer are
5 you, sir?

6 THE WITNESS: Petroleum.

7 MS. MUNDS-DRY: Petroleum?

8 THE WITNESS: Yes.

9 MS. MUNDS-DRY: Reservoir or -- do you have
10 a particular area?

11 THE WITNESS: I have done a little bit of
12 both. I have been in Midland since 1982, originally as
13 a production engineer for Chevron. And then on with
14 Chevron as a drilling engineer.

15 And I did some reservoir work for other
16 companies since 1982.

17 MS. MUNDS-DRY: Thank you for that
18 clarification. No objection.

19 MR. LARSON: No objection.

20 EXAMINER DAWSON: He's so admitted.

21 Q. (By Mr. Bruce) Can you identify Exhibit 16 for
22 the Examiner and briefly discuss its contents.

23 A. Yes. Exhibit 16, the first page shows a plat
24 with Second Bone Spring laterals that have been
25 permitted and/or drilled within the roughly

1 9-square-mile area that we're looking at.

2 You can see Caza Petroleum's acreage position
3 within 19 highlighted in yellow, very similar to the
4 plats that you've seen previously from the geologic and
5 land presentations.

6 Just for reference in looking back, we have the
7 API numbers. You'll see the last four digits -- excuse
8 me -- five digits of the API numbers on each location.

9 The second page addresses the production issue
10 that's been brought up a couple of times here as far
11 as -- here is the Second Bone Spring monthly production
12 plotted out. It looks a little busy, and I apologize
13 for that. But we're looking at monthly production
14 versus producing months.

15 And you can see the API numbers for the east,
16 west wells on the right-hand side, seven east, west
17 wells; API numbers for the seven north, south wells that
18 are being shown.

19 The overall type curve or adjusted average of
20 those wells are highlighted. The red solid line
21 represents north, south, averaging; and the dark blue
22 and the dark blue line represents the east, west.

23 And you can see just plainly from the type-curve
24 analysis and a conglomeration of east, west and north,
25 south wells that the north, south wells have a better

1 type-curve performance within the Second Bone Spring
2 than the east, west wells.

3 And this is raw data taken from the OCD side and
4 used back for normalization on a type-curve analysis.

5 The third page is just another presentation of
6 this showing you the cumulative production over that
7 period of time beyond just with the monthly production.

8 The red line represents the cumulative production
9 for the north, south wells, which is much better,
10 higher, greater than the cumulative production over the
11 same time period for the east, west wells.

12 And that next exhibit is just a wider-spaced area
13 showing you that we have additional acreage to the south
14 in Township 21 South, 34 East, that we have drilled a
15 Second and Third Bone Spring well on the east half of
16 section 27 of that. We call that lease our Grammar
17 Ridge Lease. And that's just for representation.

18 Q. What is Exhibit 18, just briefly?

19 A. Exhibit 18 is a summary of engineering geological
20 information that we've gathered. It is not all the
21 information that we've used when we move forward in
22 drilling or completing a Bone Spring horizontal well.
23 But it's a process, and I wanted to go through and show
24 you what we've looked at.

25 In 2012, we started building a database from the

1 OCD data site, the files, the logs that were available
2 there on a horizontal basis. There were around 600 to
3 that point.

4 We've built a database now of over 1,800 wells,
5 been drilled. The first three pages of this exhibit
6 just plainly show you that what we're focusing on: We
7 can capture cumulative production, of course, 30-, 60-,
8 90-, 180-day.

9 We look at the volumes of fracs, not only the
10 volume of fluid but the number of pounds, how they were
11 fracked, whether they were perf and plug, sliding
12 sleeves, ball drop. If that information is available,
13 we'll put that into this database.

14 And we have also gone back and looked at the
15 database to determine the number of stages that were
16 pumped, whichever way they were pumped. And that became
17 very important over the life of, if you will, the
18 horizontal play within southeast New Mexico.

19 We did all this before we ever drilled a well; we
20 started doing this, looking at the science and the known
21 technology. So we began drilling wells in 2013.

22 Caza has drilled, completed, or is in the process
23 of completing, and operated 16 horizontal wells within
24 southeast New Mexico. We participated with other
25 nonoperated entities with another 16 wells over that

1 same period of time, from October 2013 forward to this
2 point.

3 The fourth page is some of the geological
4 information that we use. Once we have the database in
5 place, we pull the logs into a program that our
6 exploration manager maintains. And he takes that -- the
7 information assuming some water saturations, uses
8 Archie's equation.

9 To calculate the overall oil saturation, we look
10 at resistivity. The page that's shown as page 7, you
11 can see there that we've got a particular Corazon State
12 Unit 4 Well, that we have logs laid out showing
13 porosity, resistivity. The PE curve is on there.

14 What we do is we go through this using an
15 algorithm and place the rock within the Bone Springs in
16 clusters, cluster 1 through however many. We've got 14
17 in this particular instance. And those clusters vary on
18 the quality of rock that we're looking at.

19 What we tried to do is we calculate a total pour
20 volume for that section of the Bone Spring. And, then,
21 using Archie's equation, we get back to what we feel
22 like is a hydrocarbon pour volume that's present within
23 the Second or Third Bone Spring.

24 So when you do that, you can look at a well,
25 versus an offset well, and calculate if the hydrocarbon

1 pour volume is greater or equal or less. And you're
2 looking at the overall EUR, anticipated EUR from
3 type-curve analysis then if there's a reason for that.
4 Otherwise, there could be induced reasons from
5 completion. And that's one thing that we've also done.
6 On the next two pages, you can see we're looking at
7 picket plot where the average porosity versus
8 resistivity is shown for various water saturation
9 points.
10 These are, in particular, Third Bone Spring wells,
11 north, south wells, that we put into this display.
12 And the next page, page 9, you look at this; we've
13 gotten the frac information. We know the volume of
14 water pumped per pound of sand placement within the
15 reservoir from the data that we gathered at the OCD
16 site.
17 And what this is displaying is that we believe through
18 frac inhibition, the zone has imbibed water from water
19 that's been placed into the reservoir that's -- our
20 cut-off is around .85. Anything .85 or greater, you're
21 going to have a lower initial oil cut in that reservoir
22 in our opinion. And we think we have enough data to
23 back that up in what we're doing with our analysis.
24 So -- and the next page just displays that on one of the
25 cross sections that's directly behind it. It shows that

1 the permeability to water can change through inhibition
2 if you have introduced frac water into the situation,
3 overintroduced.

4 So what we've done is most of our recent fracs, most
5 recent fracs and previous fracs, the four fracs
6 previously, we're trying to target that gallons of water
7 per pound of proppant to .5 to .6. That's our internal
8 numbers that we choose to use.

9 So on a normal five-million-pound frac over a 40-stage
10 interval that we're looking at, we may have 50,000
11 barrels.

12 Some of the similar -- there are some similar fracs in
13 the immediate area that people are using three, four,
14 even five times that volume in the initial frac setup
15 with possibly more proppant. But, actually, the ratio
16 is what's the most important thing to us.

17 The next page just shows -- it backs up what we are
18 talking about. If you look at the log on the right,
19 they pumped 1.8 million gallons and 2.6 million pounds.
20 That ratio is .71 in comparison to the well to the left,
21 where very similar hydrocarbon pour volumes were pumped,
22 more water. They had a ratio of 1.14.

23 And overall, the initial cut, you can see those two
24 wells are direct offset wells on the next page that are
25 adjacent, Column Well A, Well B.

1 And you have in the one case, in the case to the right,
2 you have a 65 percent initial oil cut. The well to the
3 left, you have 52 percent initial oil cut.

4 I think -- we see this time and time again in what we're
5 looking at, in the Bone Springs -- I'll reiterate, it's
6 only in the Bone Springs interval -- the Wolfcamp shale
7 is a completely different situation. I like to refer to
8 the Bone Spring sand is a conductivity formation that we
9 need to create conductivity through fracturing and the
10 Wolfcamp shale is a contact formation, meaning we have
11 to contact. And so you do use large water volumes,
12 slick water volumes with low concentrations of sands in
13 those situations.

14 The lateral direction, I think Mr. Carroll has gone over
15 these.

16 These next three pages are just examples of some of the
17 science that we've used in trying to determine lateral
18 direction with our -- in looking at drilling-induced
19 fractures, the dipole, the bore hole breakout and the
20 imaging tool that we've used, we've used these over
21 several wells that we've gone through.

22 In fact, we try -- in the first well that we drill in an
23 immediate area, we try to drill a pilot hole, if
24 possible.

25 And we take that pilot hole and we'll do sidewall core

1 analysis, which we'll take those cores and do embedment
2 testing with different proppants to try and determine if
3 it's 30/50, 20/40, 40/70; ceramic, nonceramic that we
4 need to be putting in the hole for best performance
5 analysis.

6 The next two pages are monthly production figures. This
7 first one is a summary of Third Bone Spring wells that
8 are in southeast New Mexico. They are not in the
9 immediate area. But it's a summary of Third Bone Spring
10 wells that are north, south.

11 We have 47 wells that are north, south. 27 wells that
12 are east, west. And you can see the performance of
13 those wells under a type curve.

14 It just indicates again that north, south is better for
15 performance than east, west in the Third Bone and the
16 Second Bone. And we looked at that from the previous
17 exhibit, the next page from Exhibit --

18 MR. BROOKS: Excuse me, sir.

19 THE WITNESS: Yes, sir.

20 MR. BROOKS: As you go through these pages
21 could you say on page number such and such because I
22 have a tendency to lose my place --

23 THE WITNESS: I apologize.

24 A. Okay. On page --

25 EXAMINER DAWSON: There's no pages

1 numbers --

2 THE WITNESS: What happened was --

3 MR. BROOKS: You ran out of page numbers.

4 THE WITNESS: No, sir. This was -- as I
5 said, this isn't everything that we look at when we were
6 trying to establish drilling, but this was part of a
7 larger presentation that we took out for this particular
8 hearing.

9 A. And I wanted to address this issue, in particular
10 the volume of water per pound of proppant, because we
11 believe that Legacy is pumping potentially too much
12 water in their fracs.

13 The frac analysis or the frac design potential
14 that they're talking about on the one-and-a-half-mile
15 well from the north to the south is at or near one in
16 the ratio that we just discussed.

17 And from an engineering standpoint, we feel like
18 that's incorrect.

19 MR. BRUCE: Mr. Examiner, Mr. Brooks, it
20 does go up to page 16 and then there are three
21 unnumbered pages which we could mark as 17, 18 and 19.
22 And then the remaining pages, they'd pick up page 22.

23 MR. BROOKS: So 16 --

24 MR. BRUCE: 17 and 18 and 19. Like you
25 said, there were a couple of pages taken out.

1 THE WITNESS: And, once again, I apologize
2 for that.

3 A. So we're looking at what's page number 22. And
4 this data here is just another presentation on what
5 we've done in the past beyond -- we've done through-bit
6 analysis, meaning run the bit in the lateral, after the
7 lateral's drilled, to use to pick our perfs in a
8 plug-and-perf setup situation.

9 We've done just a normal geometric cluster design
10 for perf and plug over the lateral section. And then
11 we've moved on to what we feel like is the better
12 technology, at least from what we're looking at right
13 now for completion of laterals within the Bone Spring
14 interval.

15 And page 23, it just displays post-frac modeling
16 analysis for different stages when you're seeing
17 through-bit logging versus just cluster mechanical
18 geometric logging, geometric cluster analysis.

19 And this is displaying frac length in color. You
20 can see the different colors which indicate
21 conductivity, frac length, frac width within the
22 display.

23 And what we're wanting to show here is that we've
24 moved -- it is shown as NCS here, but there's different
25 companies offering the same opportunity; a sliding

1 sleeve, coiled-tubing, assisted frac is what we believe
2 is currently the best completion technique for 1 mile,
3 1.5 mile wells, can actually do the sliding sleeve,
4 coiled-tubing, assisted-type fracs.

5 And down on the left-hand side of page 24, you
6 can see roughly a graph of Third Bone Spring results
7 from wells that were engineered with geometric spacing
8 using -- and one that was done with the through-bit
9 logging spacing and then one that was done with the NCS
10 sliding sleeve system.

11 And what's important about this is that we're
12 doing a cluster every 100 feet within the lateral when
13 you do the coiled-tubing, assisted. You're
14 concentrating on one cluster or one sleeve that's
15 opened -- every 100 feet, we place proppant into that
16 opening.

17 So we'll have anywhere from 40 to 42 stages in
18 most of our one-mile laterals that we're looking at.

19 And you can see the post-frac model analysis
20 comparison to the engineered and the geometric frac on
21 the left versus the NCS-type coiled-tubing, assisted
22 frac on the right. We're getting much better pipe, much
23 better conductivity and frac width across the lateral
24 itself.

25 And these last two pages, page 26 and page 27 --

1 26 shows what we were displaying here -- excuse me -- on
2 the frac modeling, it talks about the different frac
3 length, the propped length, the frac height and width
4 for an engineered or geologic -- an engineered frac with
5 the through bit -- or NCS sliding sleeve, coiled-tubing
6 assisted is on the right, where the numbers are just
7 that much better presented.

8 The last page is the data that we have for the
9 areas that we're discussing. The Igloo 19 2 Well is our
10 well that's located on the east half, east half of 19.
11 It's a Third Bone Springs well.

12 This data is directly out of the OCD site. You
13 can see the production. It's a one-mile lateral,
14 one-mile Third Bone well that in the first 39 days, this
15 well was fracture treated with the coiled-tube and
16 assisted frac, 39 stages in place, using ceramics, which
17 is another important thing within the completion of the
18 Third Bone in this area. With the ratio of liquid that
19 we talked about being very small, it's close to 50,000
20 barrels total volume.

21 And we produced near 33,000 barrels in the first
22 39 days of this well within the Third Bone. The Third
23 Bone record that I have from Legacy's operated 32H well
24 that's available on site to the public for API
25 3002542342 indicates just right at 30,000 barrels

1 produced in sixty-one days.

2 So there's a noted difference in the early life
3 period of each producing well. And it is in our opinion
4 from internal discussions that Legacy potentially is
5 placing too much water in place during their initial
6 completion on the frac.

7 Q. And, again, Caza's well is a one-mile lateral as
8 opposed to Legacy's mile-and-a-half lateral?

9 A. That's correct.

10 Q. Going back to page 16 and the prior couple of
11 pages, you believe this shows that insofar as maximizing
12 the fractures that you're going to hit with the well,
13 it's better to drill north, south than east, west?

14 A. Absolutely. I think the API numbers that are
15 displayed, which we've discussed in Exhibit 16, within
16 the 10-square-mile approximate area clearly show that
17 north, south is more productive, higher cumulative rates
18 over the first 36 months in east, west.

19 Q. Let's -- going back to the Exhibit 16, the second
20 page of the exhibit, the prior witnesses have gotten
21 questions regarding 80-acre laterals.

22 And in the southwest quarter of 19, there were a
23 couple of 80-acre laterals permitted, correct?

24 A. Yes, sir. We have permitted four wells in the
25 southwest quarter, primarily two Second Bone wells and

1 two Third Bone wells with the state. Those permits have
2 been submitted and approved for 80-acre laterals.

3 Q. And why was that done?

4 A. We did that primarily -- we initially farmed out
5 the acreage from Yates. Yates had an 80-acre permit in
6 place on the west half, west half, which they called the
7 Igloo Ice Chest BRR 1H.

8 And we were proceeding with our permitting. We
9 wanted to permit our wells across the entire section 19,
10 assuming that Legacy would participate with us and drill
11 a well from north, south, a one-mile lateral.

12 Q. Was Yates ever able to reach an agreement with
13 Legacy on a one-mile lateral --

14 A. Not to our knowledge. From the internal
15 discussions we had, they were not able to come to an
16 agreement with Legacy on a one-mile lateral.

17 Q. And the yellow on the map, the state lease, that
18 was initially issued to Yates, correct?

19 A. The first well -- yes. The lease, yes. Yes,
20 sir, it was.

21 Q. And so Caza acquired its interest from Yates or
22 the Yates entities?

23 A. Correct.

24 Q. But Caza's intent was always to drill one-mile
25 laterals in this section?

1 A. That is true, yes.

2 Q. Now, if you look at -- if Caza cannot drill
3 one-mile laterals in the west half of section 19,
4 ignoring the economics at this point, your well would
5 have to stop 330 feet from the center line, the east,
6 west center line of section 19?

7 A. That's correct.

8 Q. And, likewise, the Legacy well would have to stop
9 330 feet north of the east, west line?

10 A. That's correct.

11 Q. So 660 feet of reservoir would not be tested --

12 A. Would not be properly stimulated in our opinion.
13 660 feet represents six stages using the coiled-tubing,
14 assisted sliding sleeve analysis that we just discussed.
15 Six stages out of forty is a significant portion of the
16 lateral that the state and the federal lands would not
17 have properly stimulated in our opinion without drilling
18 a one-mile lateral.

19 Q. And, actually, you are looking at more than
20 that because you're multiplying that by at least four
21 wells?

22 A. Oh, yes. Most likely eight to twelve. Because
23 the First Bone is potentially productive in this area,
24 and the Second and Third most definitively are and the
25 Wolfcamp in itself.

1 So, ultimately, there could be several wells
2 within those intervals drilled north, south across this
3 acreage.

4 Q. Would that cause waste?

5 A. Oh, absolutely.

6 Q. And would it impair Caza's correlative rights?

7 A. Yes, sir, it would.

8 Q. One final question. In looking at that same
9 page, Legacy is suggesting you drill east, west laterals
10 in the south half of section 19. Again, the data,
11 especially on Exhibits 16 and 18, show that drilling
12 stand-ups is much better economically and for preventing
13 waste and recovery of reserves?

14 A. Absolutely. In our opinion, there's no doubt
15 that north, south geologically and from an EUR recovery
16 standpoint, initial rates, monthly cumulative rates that
17 we've displayed is much better than an east, west well.

18 The wells in section 30 are no doubt good Second
19 Bone Spring wells. The surface location of those wells
20 is on the east half, east half.

21 I don't know for certain, but if you look at the
22 geological maps that Mr. Carroll submitted to you
23 previously, you can see that there's a low, which would
24 make it very difficult to drill through that low, which
25 we had some difficulty drilling through that low on our

1 Igloo well.

2 But I think, from an engineering standpoint, the
3 reason that they're drilling east, west is because of
4 that low that runs across that section on the east half.

5 Q. And, certainly, if you wanted to drill at this
6 point east, west Third Bone Spring wells in the south
7 half of section 19, you could only have 120-acre
8 laterals because of the existing well?

9 A. That's correct. And regardless if we went east,
10 west or -- with the Second or Third Bone, the Legacy
11 acreage would still be involved in the calculation. We
12 would have to drill 80 acres one way or the other.

13 Q. And you certainly could not drill -- I mean if
14 you had to drill east, west in the south half, you're
15 stranding acreage up in the northeast quarter of section
16 19?

17 A. Correct.

18 Q. So either way you look at it, there could be 160
19 acres that's stranded with no hope of drilling a well --
20 an economic well?

21 A. That's correct. With an east, west well setup,
22 that's correct.

23 Q. And, certainly, if Legacy drilled mile-and-a-half
24 laterals heading into the northwest quarter of section
25 19, again you'd be foreclosed from drilling proper

1 wells?

2 A. That's correct.

3 Q. Were Exhibits 16 and 18 either prepared by you or
4 compiled under your direction and supervision?

5 A. Yes, they were.

6 Q. And, in your opinion, is the granting of Caza's
7 application in the interests of conservation and the
8 prevention of waste?

9 A. Yes.

10 MR. BRUCE: Mr. Examiner, I move the
11 admission of Exhibits 16 and 18.

12 EXAMINER DAWSON: Any objections?

13 MR. LARSON: No objections.

14 MS. MUNDS-DRY: No objection.

15 MR. BROOKS: Point of information, my copy
16 of what I assume to be Exhibit 16 has no exhibit
17 sticker --

18 MR. BRUCE: It's marked on the back.

19 MR. BROOKS: Okay. Thank you.

20 EXAMINER DAWSON: Exhibits 16 and 18 will be
21 admitted into the record.

22 (Caza Petroleum, Inc.'s, Exhibit 16 and
23 Exhibit 18 were offered and admitted.)

24 MR. BRUCE: I pass the witness.

25 EXAMINER DAWSON: Okay. Any questions?

1 MS. MUNDS-DRY: No questions.

2 MR. LARSON: I have some.

3 EXAMINER DAWSON: Okay.

4 CROSS EXAMINATION

5 BY MR. LARSON:

6 Q. Mr. Sam, I have some questions on some permitting
7 issues. Are you the person to --

8 A. I am.

9 Q. A follow-up on Mr. Brooks's question, have you
10 filed an API application for the well that's the subject
11 of your pooling application?

12 A. Yes, we have. It was delivered to the BLM prior
13 to 2:00 on Tuesday of this week.

14 Q. And have you had any communications with the BLM
15 about who would be the operator?

16 A. Not directly, we have not. We have filed --
17 since we had the surface location on the southwest,
18 southwest within our acreage position, we have filed as
19 operator.

20 Q. And in Mr. Bruce's scenario about doing mile
21 laterals in the west half, west half of 18 and the west
22 half, west half of 19 -- do you recall that question? --

23 A. Uh-huh.

24 Q. -- you have a Legacy in 18 and a Caza in 19. Do
25 you know if the BLM would require separate matters for

1 each of those wells?

2 A. We have a state fed com that we operate that we
3 call West Copperline in Lea County. And to answer your
4 question, I'm not certain. But we do have a federal
5 quarter section and a state quarter section that both
6 the fed and the state have allowed us to do well testing
7 through allocation to a single tank battery and report
8 that as production.

9 Q. And if the BLM did require separate batteries,
10 wouldn't that increase the cost of your Igloo well in
11 19?

12 A. Well, we've decided and determined since we've
13 been discussing this particular hearing that we're going
14 to do separate tank batteries anyway, because it needs
15 to be done, it could be done.

16 But it will increase the cost, but that's not --
17 you know, right now the economics would make sense at
18 5.01 million that we're talking about in the AFE.

19 Q. And I apologize, I don't remember which exhibit
20 has production curves for east, west and north, south
21 wells.

22 A. It's actually in both exhibits -- it's on page 3
23 of Exhibit 16 -- that's the Second Bone monthly
24 production, volumes versus monthly -- for those API
25 numbers that were shown on the first page of that

1 exhibit, for those wells within the immediate area of
2 the Igloo lease.

3 Q. You directed me where I needed to be. If you
4 look at the fourth page of Exhibit 16, the curve for
5 east, west wells, would you call those economically
6 viable wells?

7 A. Yes.

8 Q. And this is a question I asked Mr. Carroll. Have
9 you looked at the production data for the Cimarex wells
10 in section 24?

11 A. Absolutely.

12 Q. And what's your conclusions regarding that data?

13 A. Our conclusion is that those wells are viable
14 economic wells. But, in our opinion, as displayed
15 within the type-curve analysis, the previous page, we
16 can obtain a higher rate of return on our capital
17 because of production, greater production, over a north,
18 south-oriented well than an east, west well.

19 Q. I don't know if you have -- I think this was
20 Exhibit 7 -- Exhibit 7 in front of you.

21 If we look at the well in the east half, east
22 half of 19, that's a Caza north, south well; is that
23 correct?

24 A. Those are -- yes, the east half, east half,
25 that's the Caza Igloo 19 2H Well.

1 Q. Okay. And that's a producing well currently?

2 A. That is a producing well. That's the well I
3 referred to in Exhibit 18.

4 Q. Okay. And is that the Second Bone Spring or
5 Third?

6 A. No, sir. That's a Third Bone Spring well.

7 Q. Now a follow-up with a question I had for
8 Mr. Carroll; I asked him about possibly doing an east,
9 west First Bone Spring in the south half of 19. Do you
10 think that's a viable proposition?

11 A. No. I don't think economically for full
12 development within the section itself that any east,
13 west wells are viable within section 19 -- in my opinion
14 from an engineering standpoint and talking about overall
15 cumulative recovery of petroleum products.

16 Q. And I don't remember Mr. Bruce's exact question,
17 but he was talking about stranded acreage in the east
18 half, east half of 19.

19 MR. LARSON: Did I understand that
20 correctly?

21 MR. BRUCE: Northeast quarter.

22 Q. Northeast quarter. In what scenario would that
23 be stranded acreage?

24 A. The same scenario that we're discussing here. If
25 we went east, west, then those would be 80-acre

1 locations in the northeast quarter of section 19.

2 We would be sitting here discussing whether we
3 could pool with the northwest quarter to get one-mile
4 laterals that are, in our opinion, the most proficient
5 in recovery of hydrocarbons.

6 Q. But you are still producing from the northwest
7 quarter; is that correct?

8 A. We are producing a Third Bone --

9 Q. Sorry. Mr. Bruce gave me a look and he's
10 correct. I meant the northeast quarter.

11 A. Yes, we are.

12 Q. You said the Igloo well is currently producing
13 its third; did I hear that correctly?

14 A. Yes.

15 Q. And if you were to drill, for instance, a First
16 Bone Spring east to west, could you not still do more
17 north, south Third Bone Springs in the east half of
18 19.

19 A. We have no intention of drilling east, west wells
20 whether it's in the First, Second, or Third Bone
21 primarily because we've determined that it's not as
22 economical due to the performance of the wells that
23 we're seeing in the immediate area.

24 Q. And is there any geological, mechanical reason
25 you couldn't drill east, west wells?

1 A. There are no geological or mechanical reasons to
2 drill -- to not drill east, west wells. Strictly
3 economic and well performance.

4 Q. I'm going to give you another potential
5 alternative scenario here. I believe you testified
6 these Cimarex wells in 30 are Second Bone Spring?

7 A. Yes, sir.

8 Q. Would it be possible to drill a mile-and-a-half
9 First Bone Spring north, south from the southwest
10 quarter of 19 through section 30, assuming that Cimarex
11 would agree or you could pool that acreage?

12 A. Repeat the question please.

13 Q. Sure. It's kind of a compound question. We've
14 got -- do you know if Cimarex controls all this acreage
15 in 30?

16 A. I do not know that.

17 Q. Let's just assume for a moment that they do.
18 Would it be possible to drill a mile-and-a-half lateral
19 from the southwest quarter of 19 through the west half,
20 west half of 30 in the First Bone Spring?

21 A. Would it be possible?

22 Q. Yes.

23 A. It would require having a pooling agreement.

24 Q. Absolutely.

25 A. Yes.

1 Q. Let's assume that Cimarex has either agreed or
2 you have a pooling order.

3 A. Right. Yes, it would be possible.

4 Q. And how about the Third Bone Spring, the same
5 scenario?

6 A. The same scenario.

7 Q. That it would be possible?

8 A. Possible.

9 MR. LARSON: I'll pass the witness,
10 Mr. Examiner. Thank you.

11 EXAMINER DAWSON: Any questions?

12 MS. MUNDS-DRY: No questions, Mr. Examiner.

13 EXAMINER DAWSON: Mr. Brooks?

14 MR. BROOKS: No questions.

15 EXAMINATION BY EXAMINER DAWSON

16 EXAMINER DAWSON: Mr. Sam, I notice that
17 well over in the east half, east half of section 19, API
18 No. 40604. It looks like there's two laterals. And,
19 apparently, I guess, I would suppose that first one, you
20 know, it looks like it cut like 80 acres. Did you run
21 into trouble with that --

22 THE WITNESS: We had some difficulty with
23 the curve; got to the curve point on that particular
24 well, had to pick up approximately 500 feet in vertical
25 depth to build a new curve.

1 EXAMINER DAWSON: Oh, okay. So you just
2 went ahead and flooded that well and spudded it?

3 THE WITNESS: Yes. It never reached target
4 depth. It was -- while we were building the curve to
5 get to our horizontal depth -- which is a Third Bone
6 target within the Bone Springs -- we had some mechanical
7 issues with the curve itself. Cement plug came back.
8 Built a new curve. And that's the existing long
9 lateral.

10 EXAMINER DAWSON: Have you drilled any
11 mile-and-a-half laterals?

12 THE WITNESS: No, sir, we have not.

13 EXAMINER DAWSON: Okay.

14 No further questions.

15 EXAMINATION BY EXAMINER McMILLAN

16 EXAMINER McMILLAN: And my question is is
17 Exhibit 16, page A-4, Cumulative Oil Production vs.
18 Month.

19 THE WITNESS: Yes.

20 EXAMINER McMILLAN: Comparing north, south,
21 east, west, are these normalized curves --

22 THE WITNESS: Yes. They're normalized
23 curves for the 7 API numbers that are displayed for east
24 half, west, north, south.

25 EXAMINER McMILLAN: Describe how they were

1 normalized.

2 THE WITNESS: Because wells are normalized,
3 the production is normalized picking a common start date
4 or time date of zero essentially and normalizing the
5 production for every well back to a common start date
6 and averaging that production over that period for
7 the -- by the number of wells that are within the
8 production gathered.

9 EXAMINER DAWSON: Did you assume lateral
10 length? Was that a factor in normalization?

11 THE WITNESS: The normalization of all wells
12 shown within this area are 1 mile. They are all 1 mile.
13 So lateral length was common.

14 EXAMINER McMILLAN: Okay. And the wells in
15 section 31, they are --

16 EXAMINER DAWSON: They're COG wells.

17 EXAMINER McMILLAN: Those are Second Bone
18 Springs?

19 THE WITNESS: Sir, I believe that may be a
20 combination of Second Bone Spring and Third. I'm not
21 certain. I know there are some Second. I haven't
22 focused on that particular section myself.

23 EXAMINER McMILLAN: What are the reserves
24 for the Second Bone Springs in section 31 versus the
25 reserves of the Second Bone Springs in section 30?

1 THE WITNESS: Well, the reserve base, the
2 EURs for the wells in section 30 are probably in excess
3 of 550,000 BOEs. The ones in 31 without having my hand
4 on it -- I mean we have the information. I just don't
5 have those in front of me. I apologize.

6 I mean the EURs are going to be very
7 similar. It's not they're going to be dissimilar. They
8 should be better. They may be actually within the
9 database that we're looking at, those particular curves.

10 I don't have the EURs. I have the monthly
11 production here showing performance-wise, the cumulative
12 production versus the month for the returns.

13 And I don't have the exact EUR per well here
14 on these maps.

15 EXAMINER McMILLAN: I'm trying to understand
16 why you did -- you looked at the Third Bone Springs for
17 your log calculations when the Second Bone Springs was
18 your primary objective.

19 THE WITNESS: Well, the Third Bone Springs,
20 we drilled the east half, east half well. It was
21 absolutely one of the first Third Bone Springs wells
22 drilled within this 9, 10-square-mile area. So we did a
23 lot of work on that.

24 And we think the development obviously is
25 going to continue across 19. In fact, I think

1 geologically, the rock gets better as you move from the
2 east to the west.

3 So we took the risk upon ourselves in the
4 company to prove up the Third Bone on our acreage block
5 and have gathered a lot of information because of that.
6 But we also felt that when we permitted the well on the
7 west half, west half -- and in the discussion we're
8 talking about pooling -- that in order -- that Legacy
9 would be in agreement to pool and share expenses to
10 prove up the Second Bone within their block with the
11 well that we're proposing on a one-mile lateral.

12 EXAMINER McMILLAN: So your log
13 characterizes more perms in the Third Bone Springs and
14 not the Second, it's in the primary objective, is that
15 the same thickness?

16 THE WITNESS: Yes. We have -- I'd have to
17 refer back to the geologist. But we have maps and
18 estimated thickness within the Second Bone. These
19 calculations, as I told you when I began my testimony,
20 these are just some of the calculations that we've used
21 moving forward.

22 EXAMINER McMILLAN: But these are the
23 exhibits that are part of the record?

24 THE WITNESS: Yes, sir. Yes, sir, they are
25 part of the record. The Second Bone, in my opinion,

1 should be very similar to the Third Bone in the
2 completion technique that we've described.

3 And the well should perform better in the
4 north, south than in the east, west, overall, on an
5 average basis, with the display that we've submitted.

6 EXAMINER McMILLAN: Okay.

7 MR. BROOKS: I don't have any other
8 questions.

9 EXAMINER DAWSON: I have one other question.

10 EXAMINATION BY EXAMINER DAWSON

11 EXAMINER DAWSON: In your assessment on your
12 laterals east, west versus north, south, they were all
13 one-mile laterals, did you do any calculations on
14 mile-and-a-half laterals east, west or north, south, how
15 they performed compared to the one-mile laterals?

16 THE WITNESS: We gathered some information
17 under Exhibit 18 on page -- we kind of went through it.
18 I guess it's page 21. It's the page in front of 22.
19 You can see our calculated EURs per 1,000 foot of
20 affected vertical section. We've got a Third Bone and
21 Second Bone display.

22 So what we're looking at is roughly on a --
23 at a normal one-mile lateral, you can see the cluster
24 within the Third Bone display, that we're going to get
25 somewhere in the range of 100,000 BOEs per 1,000 foot of

1 section.

2 And when you're looking at a
3 one-and-a-half-mile lateral, which would be out towards
4 the 7,000 section, below there you can see we're going
5 to get somewhere in the range of 150,000 to maybe
6 125,000 per 1,000 foot of lateral length in the Third
7 Bone.

8 And then we've got the same display for the
9 Second Bone -- where we have data for mile and a half,
10 which is limited compared to what we have on one-mile
11 basis.

12 EXAMINER DAWSON: Okay.

13 MR. BRUCE: Could I ask a follow-up question
14 just to clarify?

15 EXAMINER DAWSON: Yes.

16 REDIRECT EXAMINATION

17 BY MR. BRUCE:

18 Q. Looking at the third page of Exhibit 16 --

19 A. Yes.

20 Q. -- the north, south versus east, west comparison,
21 when you're doing comparisons, all the comparisons are
22 for the Second Bone Spring, what we're here for today,
23 right?

24 A. That's correct. The comparisons are for the
25 Second. We displayed within 18 some Third Bone

1 performance within southeastern New Mexico.

2 But within the immediate area, it's a Second Bone
3 performance, which is month to month -- it's not showing
4 EUR on those calculations, though.

5 Q. And if you look at this third page on the north,
6 south wells and then look at section 31, the north,
7 south wells --

8 A. Uh-huh.

9 Q. -- the one that has -- I guess it's the API
10 No. 40103 is in section 31, and that's a stand-up Second
11 Bone Spring well.

12 A. Yes, sir.

13 Q. And that's apparently the best well on this plat,
14 is it not?

15 A. It is. The APIs are displayed, and you can see
16 that, yes. The north, south well, 40103 is definitely
17 the best performing well on this particular display.

18 Q. And, again, these are all the comparison of
19 strictly Second Bone Spring?

20 A. That's correct on this display.

21 MR. BRUCE: That's all I have, Mr. Examiner.

22 EXAMINER DAWSON: Any questions?

23 MR. LARSON: Mr. Examiner, I have one
24 follow-up question.

25 EXAMINER DAWSON: Go ahead.

1 RECROSS EXAMINATION

2 BY MR. LARSON:

3 Q. The question Mr. Carroll deferred to you, I asked
4 Mr. Carroll if he had an opinion regarding the
5 contribution of each 40-acre spacing unit within your
6 proposed project area, and he said that you would be the
7 person to answer that question.

8 A. An opinion as to?

9 Q. Mr. Carroll testified that he thought the pay
10 was -- the well would be productive throughout the
11 160-acre project area. And then I followed up and asked
12 him, would there be a differential in the pay in each 40
13 acres within the 160-acres, and he deferred that to you.
14 So I'll ask you the question.

15 A. In my opinion, I don't think the full 160 acres
16 would be properly drained with an 80-acre lateral due to
17 the reason that we discussed, being 330 off the center
18 line to the north, the well that's being proposed by
19 Legacy from north, south being 330 off, there's going to
20 be stranded reservoir in First, Second, Third, Wolfcamp
21 that would not be properly stimulated and produced
22 within this particular area.

23 Q. I appreciate your answer. Maybe I should ask it
24 a different way.

25 We're going to have four standard 40-acre spacing

1 units within your 160-acre project area for your Igloo
2 well; is that correct?

3 A. We filed and have those wells approved by the
4 state, but our intention is to have four one-mile
5 laterals on the west half, west half.

6 Q. And for purposes of your application today, which
7 is a mile lateral Second Bone Spring well, do you have
8 an opinion as to the level of pay that each 40-acre
9 standard spacing unit within that project area will
10 contribute to the well?

11 A. To the level of pay?

12 Q. Yes.

13 A. Can you define that for me, please?

14 Q. I'll phrase it another way. How do you see the
15 production playing out from each of the 40-acre spacing
16 units within the 160-acre project area?

17 A. You're asking in my opinion the performance for
18 each 40-acre location within a one-mile lateral?

19 Q. Basically, yes.

20 A. I --

21 Q. And just in a rough comparison. In other words,
22 are you going to get better production from the
23 northwest quarter, northwest quarter than you are from
24 the southwest quarter, southwest quarter?

25 A. I can't answer that for you in particular. I

1 mean it's -- in my opinion, it's not just a mathematical
2 decision that you're looking at. It depends on rock
3 quality, completion technique, proppant placement, water
4 pumped within the reservoir.

5 And my display within Exhibit 18, in my opinion,
6 clearly shows that wells need to be completed with .5 to
7 .6 or .7 gallons per pound of proppant; and the
8 completion technique which someone might use, that
9 Legacy has used offsetting this in the past would create
10 a well that may not perform quite as well on an EUR
11 basis or a month-over-month basis to a well that's
12 completed as we discussed.

13 Q. Thank you, sir. That's all I have.

14 A. Thank you.

15 MR. BRUCE: Can I follow up with that?

16 EXAMINER DAWSON: Sure you may.

17 FURTHER CROSS-EXAMINATION

18 BY MR. BRUCE:

19 Q. I'm showing you the isopach map Mr. Carroll
20 prepared. And Mr. Carroll testified that each quarter,
21 quarter section would be productive of hydrocarbons.

22 Would you agree with that statement?

23 A. My guess.

24 Q. But when you're looking -- I'm not sure but I
25 think that what Mr. Larson was getting to was whether

1 each quarter, quarter section would produce the exact
2 same amount. But looking at the isopach, the thicker
3 pay is on Caza's acreage, is it not?

4 A. That's correct.

5 Q. So there's thinner pay on Legacy's acreage?

6 A. Uh-huh.

7 Q. But they won't suffer because if Caza's acreage
8 is better, they would still get their proportion at a 50
9 percent share then?

10 A. That's correct.

11 Q. Thank you.

12 EXAMINER DAWSON: Any more questions?

13 MS. MUNDS-DRY: Nothing for me.

14 EXAMINER DAWSON: Thank you, very much.

15 MR. BRUCE: May I have a few minutes to fold
16 up the maps?

17 EXAMINER DAWSON: We'll take a ten-minute
18 break till 11:00 a.m.

19 (Brief recess.)

20 EXAMINER DAWSON: Okay. At this point we'll
21 continue case 15437, Caza. Mr. Bruce.

22 MR. BRUCE: I'm finished with my
23 presentation.

24 EXAMINER DAWSON: Okay. Mr. Larson.

25 MR. LARSON: I call Mr. Roberts.

1 LEGACY RESERVES, L.P.

2 CASE-IN-CHIEF

3 CLAY ROBERTS

4 having been first duly sworn, was examined and testified
5 as follows:

6 DIRECT EXAMINATION

7 BY MR. LARSON:

8 Q. Good morning, Mr. Roberts.

9 A. Good morning.

10 Q. Would you please state your full name for the
11 record.

12 A. My name is Clay Roberts.

13 Q. And where do you reside?

14 A. Midland, Texas.

15 Q. And by whom are you employed and in what
16 capacity?

17 A. Legacy Reserves, L.P., as a landman.

18 Q. And what is the focus of your responsibilities as
19 a landman for Legacy Reserves?

20 A. My job is to work through all land issues dealing
21 with Legacy's assets in the Permian Basin, but, more
22 specifically, my focus is on southeastern New Mexico.

23 Q. And does that include the Lea Unit that Legacy
24 operates?

25 A. Yes, sir.

1 Q. And are you familiar with the land matters that
2 pertain to Caza's application in this case?

3 A. Yes, sir.

4 Q. Have you previously testified at a Division
5 hearing?

6 A. I have not.

7 Q. And given that, would you please summarize your
8 educational background and your professional experience
9 in the oil and gas business.

10 A. Yes, sir. I received a bachelor's degree in
11 secondary education from Lubbock Christian University in
12 2010. I received a master's degree in organizational
13 leadership from Lubbock Christian in 2012.

14 In June of 2012, I began my career at Legacy
15 Reserves as a landman.

16 Q. Did you play point guard for Lubbock Christian?

17 A. I did, yes, sir.

18 MR. LARSON: Mr. Examiner, I move that
19 Mr. Roberts be qualified as an expert in oil and gas
20 land matters.

21 EXAMINER DAWSON: Any objections?

22 MR. BRUCE: No objection.

23 Q. Mr. Roberts, would you identify a document marked
24 as Legacy Exhibit No. 1.

25 EXAMINER DAWSON: Time out for a minute.

1 MR. LARSON: Certainly.

2 EXAMINER DAWSON: What affiliation do you
3 have?

4 THE WITNESS: With Legacy Reserves.

5 EXAMINER DAWSON: Are you a member of any
6 societies or --

7 THE WITNESS: Oh, yes, sir. I'm a member of
8 the AAPL and the Permian Basin Landman Association.

9 EXAMINER DAWSON: All right. He is so
10 accepted. Mr. Larson, go ahead.

11 Q. Mr. Roberts, would you identify a document marked
12 as Legacy Exhibit No. 1.

13 A. Yes, sir. That is a map of the Lea Unit, titled
14 the Lea Unit Acreage Contribution Map.

15 Q. And is the Lea Unit Acreage noted by the
16 red-dashed line?

17 A. Yes, sir. The red-dotted line is the outline of
18 the Lea Unit.

19 Q. And is the Lea Unit a federal unit?

20 A. Yes, sir.

21 Q. And who is the operator of the Lea Unit?

22 A. Legacy Reserves operates the unit.

23 Q. What is the blue-shaded area designated in
24 section 19?

25 A. The blue-shaded area is going to be state

1 acreage. I'd like to clear up that it has been
2 perpetuated throughout the previous testimony that the
3 northwest quarter of section 19 was federal lease. But
4 it is, in fact, a state lease, namely, state of New
5 Mexico lease OG5588.

6 Q. And does Legacy own 100 percent of the interest
7 in the northwest quarter?

8 A. Yes. We have 100 percent leasehold in the
9 northwest quarter.

10 Q. Would you next identify the document marked as
11 Exhibit No. 2.

12 A. Yes, sir. Exhibit No. 2 is just a Word document
13 showing lien and acreage contribution and ownership
14 within the Lea Unit.

15 Q. And what are those ownerships?

16 A. Legacy Reserves has a 91 percent working
17 interest. Finley Resources has roughly a 5 percent
18 working interest. HOG Limited Partnership has a 1.95
19 percent working interest. And COG has a 1.68 percent
20 working interest in the unit.

21 Q. And how much of the Lea Unit is BLM surface?

22 A. It's going to be roughly 94 percent of the unit,
23 which is going to come out 2,399.68 acres.

24 Q. And is the remainder state of New Mexico acreage?

25 A. Yes, sir. The remaining 160 acres of the unit is

1 state acreage.

2 Q. Would you next identify the document marked as
3 Exhibit 3?

4 A. Yes, sir. That is an aerial photo of the Lea
5 Unit.

6 Q. And would this be properly described as a GIS
7 map?

8 A. Yes, sir, it would be.

9 Q. What is a GIS map intended to depict?

10 A. It's intended to depict an aerial topo map of the
11 area, of what our plans are for developing the UA Unit
12 in the Bone Springs Formation.

13 Q. Could you next identify a document marked as
14 Exhibit 4?

15 A. Yes, sir. This is a Lea Unit complete
16 development plan. What Legacy is recently undertaking
17 is a plan to develop the entire Bone Spring Formation
18 unit-wide. That means that we would put a lateral in
19 the First sand, Second sand, and Third sand.

20 In this map, the First sand wells would be
21 denoted by the orange lines. The Second sand wells
22 would be the green lines, and the Third would be the red
23 lines.

24 Q. And within this development plan, is Legacy
25 focusing on drilling and completion of north, south

1 mile-and-a-half laterals?

2 A. Yes, sir.

3 Q. And would those laterals be in each bench of the
4 Bone Spring?

5 A. Yes, sir.

6 Q. And will Mr. McKamey and Mr. Sparkman explain the
7 reasons for drilling the mile-and-a-half laterals?

8 A. Yes, sir.

9 Q. How many north, south mile-and-a-half Bone Spring
10 horizontal wells in section 18 and the northwest quarter
11 of section 19 are included in your -- Legacy's
12 development plan for the Lea Unit?

13 A. As the map depicts, we have three -- excuse me --
14 six Bone Spring wells targeted in the west half of 18
15 and including the northwest quarter of 19.

16 Q. And is the map you're referring to Exhibit 4?

17 A. Yes, sir.

18 Q. And does Legacy have approved APDs for any of
19 those wells?

20 A. Yes, sir, we do. We have an approved Third Bone
21 Spring well in the west half, west half of 18 and it
22 also includes the west half of the northwest quarter of
23 19. That would be the Lea Unit 59H.

24 Q. And when did Legacy receive the BLM's approval of
25 the APD for the Lea Unit of the 9H?

1 A. Legacy received that permit on January 19th,
2 2016.

3 Q. And have all the interest owners in the Lea Unit
4 approved Lea Unit 59H?

5 A. Yes, sir.

6 Q. And where exactly will the 59H be located?

7 A. As previously stated, it will address the west
8 half, west half of 18 and the west half of the northwest
9 quarter of section 19.

10 Q. And which bench of the Bone Spring?

11 A. The Third Bone or Third sands.

12 Q. And so would I be correct to say that the lateral
13 of the 59H would extend into the north half of Caza's
14 proposed project area?

15 A. Yes, sir, it will.

16 Q. Would you next identify the document marked as
17 Exhibit 5?

18 A. Yes, sir. Exhibit 5 is again a Bone Spring
19 horizontal development map. This map shows -- it's
20 color-coded by stick. The black sticks within the Lea
21 Unit are wells that Legacy plans to drill. The red
22 sticks indicate which wells Legacy has already developed
23 in the Bone Spring Formation within the Lea Unit. Green
24 would be the approved APDs that we've received -- wells
25 that we have an approved APD on. And, lastly, with the

1 blue arrow, is wells that we are currently pending
2 approval of APDs at the BLM.

3 Q. Would you next identify the document marked as
4 Exhibit 6?

5 A. Yes, sir. This just breaks down further the
6 previous map by breaking it out into which wells Legacy
7 currently has permitted within the unit.

8 Q. So what we're seeing on 6 is included in the
9 stick graph on Exhibit 5?

10 A. Yes, sir.

11 Q. And does Legacy have approved BLM APDs for all
12 the wells shown on Exhibit 6?

13 A. Yes, sir, we do.

14 Q. Would you next identify the document marked as
15 Exhibit No. 7.

16 A. Yes, sir. Again, we have another map of the Lea
17 Unit, but this time with sticks indicating which wells
18 we have submitted APD applications to the BLM.

19 Q. And since you prepared this map, has the BLM
20 approved any additional APDs that Legacy has submitted?

21 A. Yes, sir. I prepared this map on February 16th
22 as dated below the legend. And since then, Legacy has
23 received approved permits for the two wells that cover
24 the east half of section 13 and then down into the east
25 half of the northeast quarter of section 24. And those

1 would be the Lea Unit 37H and Lea Unit 40H.

2 Q. And does Legacy have any pending APDs -- when I
3 used the word "pending," I mean you submitted those to
4 BLM -- that would also include acreage within Caza's
5 proposed project area?

6 A. No more additional wells in the proposed area,
7 but in the offset directly to the east would be the Lea
8 Unit 62H which is an application to drill a Third Bone
9 well in the east half of the west half of 18 and also
10 the east half of the northwest of 19, so they would be
11 parallel wells -- it would run parallel to Caza's
12 project area.

13 Q. And are Legacy's development plans for the west
14 half, west half of section 18 and the northwest quarter
15 of section 19 consistent with Legacy's overall plans for
16 the Lea Unit?

17 A. Yes, sir, they are.

18 Q. And do you believe that Caza's proposed well
19 would unreasonably interfere with Legacy's development
20 plan?

21 A. Yes, sir.

22 Q. And how would Legacy's completion of its 59-inch
23 well affect the interests of the state of New Mexico?

24 A. Once Legacy drills and completes the Lea Unit
25 59H, the state acreage would be included in the Bone

1 Springs participating area of the Lea Unit.

2 Once it is approved by the BLM and the State
3 Land Office, they would begin to receive their
4 proportionate share of royalties on Bone Spring
5 production unit-wide.

6 Q. Have you communicated with the BLM regarding the
7 circumstances presented by Caza's application?

8 A. Yes, sir. When we received the application, we
9 did reach out to Ed Fernandez in the BLM Carlsbad field
10 office.

11 Q. And what did Mr. Fernandez tell you about Caza's
12 application in terms of operation of the well?

13 A. Ed told us that --

14 MR. BRUCE: I would object. This is
15 hearsay.

16 MR. BROOKS: That would appear to be correct
17 unless there's some purpose for offering it other than
18 the truth of the matter stated. And I am going to
19 assume that he's going to say something for this
20 purpose -- that he's going to say something other
21 than -- let me collect my thoughts before I continue
22 speaking.

23 I am assuming that he's going to relate
24 something that this gentleman said that would indicate
25 whether or not the BLM will grant the application for

1 the Caza well.

2 Now for purposes of ruling on the objection,
3 is that the nature of the communication you're going to
4 relate?

5 THE WITNESS: I believe so, yes, sir.

6 MR. BROOKS: Then it would seem to me that
7 that would not be relevant unless what the BLM
8 representative said was true; and, therefore, it's being
9 offered for the truth of the matter stated. Do you
10 disagree with that?

11 MR. LARSON: I disagree with the focus of
12 the question. The focus of the question is does the BLM
13 have a view of who will be the operator of Caza's well?

14 MR. BROOKS: Again, that is still being
15 offered for the truth of the matter stated, I believe.

16 So I will recommend the Examiner sustain the
17 objection.

18 EXAMINER DAWSON: The objection is sustained
19 at this point --

20 MR. BROOKS: Well, I think so, yes, unless
21 you have reason to -- you know the rules of evidence are
22 not binding on the OCD. As such, they're merely
23 admonitory and the Examiner has the discretion, if he
24 believes it's in the best interest of resolution of the
25 case and in accordance with the Oil and Gas Act, to

1 overrule -- to refuse the recommendation of the legal
2 officer. But that's not what's usually done. And
3 that's all I can say.

4 EXAMINER DAWSON: Okay. The objection is
5 sustained.

6 Q. (By Mr. Larson:) Mr. Roberts, what is your
7 understanding of BLM policy regarding the operation of
8 wells that include both off-unit acreage and unit
9 acreage?

10 A. We have been informed several times that any
11 acreage combined -- excuse me -- any unit acreage
12 combined with non-unit acreage, the BLM would require
13 that the unit operator operate the well.

14 Q. In your opinion, will the granting of Caza's
15 application impair the correlative rights of Legacy and
16 the other interest owners in the Lea Unit?

17 A. Yes, sir.

18 Q. Were the documents marked as Legacy Exhibit Nos.
19 1 through 7 prepared by you or under your direction and
20 supervision?

21 A. Yes, sir.

22 MR. BROOKS: Mr. Examiner, I move the
23 admission of Exhibit Nos. 1 through 7.

24 MR. BRUCE: I have no objection.

25 MS. MUNDS-DRY: No objection.

1 EXAMINER DAWSON: Legacy Reserves' Exhibits
2 1 through 7 will be so admitted.

3 (Legacy Reserves, L.P. Exhibits 1 through 7
4 were offered and admitted.)

5 EXAMINER DAWSON: Mr. Bruce.

6 CROSS EXAMINATION

7 BY MR. BRUCE:

8 Q. Mr. Roberts, do you know when the Lea Unit was
9 approved?

10 A. As a unit?

11 Q. Yes.

12 A. Yes, in 1959.

13 Q. So that was when vertical wells were drilled?

14 A. Yes, sir.

15 Q. And you said -- you more or less implied that at
16 this point there is no participating area in the Bone
17 Spring Formation covering the northwest quarter of
18 section 19?

19 A. Correct. Because there's not been any wells
20 drilled.

21 Q. And because there's a high majority of federal
22 land in the unit, the BLM is the primary governor of
23 unit operations?

24 A. Yes, sir.

25 Q. Not the State Land Office?

1 A. Yes, sir.

2 Q. Now you talked about the state acreage, that if a
3 PA is formed, the state will join in -- the state lands
4 will join in receiving at least some royalties from the
5 Bone Spring production unit-wide?

6 A. Correct.

7 Q. Now if Caza's application were approved, it would
8 get its proportionate share of royalties from that well
9 from the Lea Unit plus it would get the 50 percent of
10 the royalties under Caza's lease, correct?

11 A. Yes, sir.

12 Q. So it's kind of hard to compare who'd get --
13 who'd be better off under that scenario, wouldn't you
14 agree?

15 A. Under the granting of Caza's application?

16 Q. Correct.

17 A. Well, I believe that the state acreage in the
18 southwest quarter could still be fully developed.

19 Q. But that's not what I'm asking. What I'm saying
20 is the west half -- all of section 19 actually is state
21 acreage, correct?

22 A. Yes, sir.

23 Q. And if Caza gets to drill its wells, however
24 many Bone Spring wells there are, because the
25 southwest quarter isn't unitized, ought to be those

1 wells, the state of New Mexico would get 50 percent
2 of the royalties off the top from each of Caza's
3 wells?

4 A. Yes, sir.

5 Q. And then the other 50 percent of the royalty
6 would be allocated to the unit?

7 A. Yes, sir.

8 Q. So the state is receiving production either way?

9 A. Yes, sir.

10 Q. And then --

11 A. May I add something to that?

12 Q. Go right ahead.

13 A. That I just -- that I don't believe that that
14 would be in the best interests of our partners and
15 that's not what a prudent operator of the Lea Unit would
16 do.

17 Q. Why not? They're still getting production.

18 A. Well, you're adding the additional cost of
19 drilling a mile-long lateral in the west half of 18 and
20 then an additional mile-long lateral in 19.

21 Q. And were you here listening to Caza's engineering
22 witness?

23 A. Yes, I heard him.

24 Q. And you heard him say that Caza's one-mile
25 results were better than Legacy's one-and-a-half-mile

1 results?

2 A. I cannot -- that's beyond my expertise.

3 Q. Just a couple of follow-up questions. How will
4 granting Caza's application compare to Legacy's
5 correlative rights? They'll still be allocated their
6 proportionate share of production, won't they?

7 A. Right. Yes, sir.

8 Q. Thank you.

9 MR. BRUCE: That's all I have.

10 EXAMINER DAWSON: Go ahead.

11 EXAMINATION BY MR. BROOKS

12 MR. BROOKS: So you've already got a permit
13 to drill a mile-and-a-half lateral in the west half,
14 west half of 18 and the west half, west half of -- of
15 the north half of 19?

16 THE WITNESS: Yes, sir.

17 MR. BROOKS: And that would be a unit well,
18 of course?

19 THE WITNESS: It would be, yes, sir.

20 MR. BROOKS: That was my understanding. I
21 guess that's all I can really clarify now at this
22 point.

23 EXAMINATION BY EXAMINER McMILLAN

24 EXAMINER McMILLAN: What is the significance
25 about having to PA the Bone Springs?

1 THE WITNESS: What is the significance of
2 it?

3 EXAMINER McMILLAN: Yes.

4 THE WITNESS: So the Lea Unit is an
5 exploratory unit. You have to prove production in the
6 unit for the participating area to expand. So as new
7 wells come on outside of the participating area, the
8 participating area is then expanded to incorporate
9 acreage.

10 EXAMINATION BY EXAMINER DAWSON

11 EXAMINER DAWSON: So there is already an
12 existing participating area within the Lea Unit for Bone
13 Spring production?

14 THE WITNESS: So the participating area
15 covers the entire Bone Spring Formation, all three
16 intervals.

17 EXAMINER DAWSON: Okay. You said your APD
18 was approved on 1/19/2016?

19 THE WITNESS: Yes, sir.

20 EXAMINER DAWSON: When did you submit that
21 APD?

22 THE WITNESS: I believe the permit was
23 submitted in September of 2015.

24 EXAMINER DAWSON: Okay.

25 THE WITNESS: Along with the rest of the

1 pending APDs. Our engineer does all of the APD
2 submission, so he could speak to that better than I did
3 -- better than I can.

4 EXAMINER DAWSON: And your C-102 well
5 dedication plat and also the C-101, they are for the
6 mile-and-a-half-long lateral?

7 THE WITNESS: Yes, sir.

8 EXAMINER DAWSON: Okay. That's all the
9 questions I have. Thank you.

10 MR. BROOKS: Nothing further.

11 EXAMINER DAWSON: No further questions.

12 MR. LARSON: I have one follow-up.

13 EXAMINER DAWSON: Sorry. Go ahead,
14 Mr. Larson.

15 REDIRECT EXAMINATION

16 BY MR. LARSON:

17 Q. Mr. Bruce asked you a question about the
18 correlative rights issue.

19 A. Yes, sir.

20 Q. Do you feel that the -- or do you believe that
21 the granting of Caza's application would impair the
22 rights of the Lea Unit interest owners to maximize their
23 interests in the unit?

24 A. Yes, sir.

25 Q. Thank you.

1 MR. LARSON: Nothing further.

2 EXAMINER DAWSON: I have one further
3 question.

4 THE WITNESS: Yes, sir.

5 EXAMINATION BY EXAMINER DAWSON

6 EXAMINER DAWSON: You said there is a Bone
7 Spring participating area already existing within the
8 unit?

9 THE WITNESS: Yes, sir.

10 EXAMINER DAWSON: Do you have an idea of how
11 many wells are within that --

12 THE WITNESS: Yes, sir.

13 EXAMINER DAWSON: -- of the acreage involved
14 in that participating unit?

15 THE WITNESS: May I go pick up another
16 folder at my chair?

17 EXAMINER DAWSON: Sure.

18 THE WITNESS: Okay. We recently had our
19 fifth revision of the Bone Springs participation area
20 approved. In the current Bone Spring participating
21 area, there are 1,760 acres.

22 EXAMINER McMILLAN: This includes -- does it
23 include a portion -- does the PA include a portion of
24 the northwest quarter of 19?

25 THE WITNESS: No, sir. Because there's no

1 Bone Springs production in it.

2 EXAMINER DAWSON: So that's roughly 1,760
3 acres of the -- of about 2,499.68 acres; is that a
4 pretty fair --

5 THE WITNESS: The exact acreage within the
6 unit boundaries is 2,559.68 acres.

7 EXAMINER DAWSON: So that's more than half
8 of the unit?

9 THE WITNESS: Yes, sir.

10 EXAMINER DAWSON: Does it include the fifth
11 revision of the Bone Spring participating area?

12 THE WITNESS: Excuse me?

13 EXAMINER DAWSON: Over half of the unit --
14 or half of the Lea Unit has Bone Spring participating
15 area involved --

16 THE WITNESS: Yes, sir.

17 EXAMINER DAWSON: -- approved --

18 THE WITNESS: Yes, sir.

19 EXAMINER DAWSON: -- with the fifth
20 revision?

21 THE WITNESS: Yes, sir.

22 EXAMINER DAWSON: Okay. Those are the only
23 questions I have.

24 Mr. Larson, how long do you think the next
25 witness will take?

1 MR. LARSON: If we're talking about a lunch
2 break, I don't know that we'd finish him before noon.

3 MR. BROOKS: Let's take our lunch break
4 from now until 1:15, and that way I won't -- since I'm
5 leaving a little early, I'll get back a little sooner,
6 and I won't be running the risk of keeping you waiting.

7 EXAMINER DAWSON: At this point, we're going
8 to be on lunch break from now and we will reconvene at
9 1:15 p.m.

10 (Lunch recess from 11:30 a.m. to 1:15 p.m.)

11 EXAMINER DAWSON: We are back on the record
12 and we will continue with case No. 15437.

13 And, Mr. Bruce, you can continue. Oh, I'm
14 sorry. It is Mr. Larson's, that's your witness. Go
15 ahead, Mr. Larson.

16 MR. LARSON: I am presenting my next
17 witness, Mr. McKamey.

18 EXAMINER DAWSON: Okay.

19 KEITH E. MCKAMEY
20 having been first duly sworn, was examined and testified
21 as follows:

22 DIRECT EXAMINATION

23 BY MR. LARSON:

24 Q. Good afternoon, sir. Could you state your full
25 name for the record.

1 A. Keith McKamey.

2 Q. And where do you reside?

3 A. I live in Midland. And I work for Legacy
4 Reserves, LP.

5 Q. And what is your role at Legacy Reserves, LP?

6 A. I am a geology manager. My responsibility is to
7 generate economic locations for oil and gas.

8 Q. What personal experience do you have in the
9 Permian Basin in southeastern New Mexico?

10 A. About 35 years.

11 Q. Have you previously testified at a Division
12 hearing?

13 A. I have.

14 Q. And at those hearings were you qualified as an
15 expert in petroleum geology?

16 A. I was.

17 Q. And are you familiar with the matters addressed
18 in Caza's application?

19 A. I am.

20 Q. And are you also familiar with Legacy's
21 development plan for the Lea Unit?

22 A. I am familiar with the development plan.

23 MR. LARSON: Mr. Examiner, I tender
24 Mr. McKamey as an expert in petroleum geology.

25 MR. BRUCE: No objection.

1 MS. MUNDS-DRY: No objection.

2 EXAMINER DAWSON: He is so admitted. You
3 may continue, Mr. Larson.

4 Q. Mr. McKamey, I direct your attention to Legacy
5 Reserves Exhibit 8 and ask you to identify it.

6 A. Exhibit No. 8 is a type log of a well right in
7 the middle of our unit. It is the number 31H. And the
8 purpose of a type log is to show you the intervals that
9 were mapped and the maps to follow.

10 So the bracketed intervals are the isopach
11 intervals that I've mapped. I mapped the First Bone
12 Springs landing interval, because that's where everyone
13 lands in the First Bone Springs; from bracket to
14 bracket, that would be the Bone Springs to the First
15 Bone Springs porosity middle.

16 And the Second Bone Springs, it would be the
17 Second Bone Springs Pay No. 3 that I have there to the
18 base of the Second Bone Springs Pay No. 3, that
19 bracketed interval there.

20 And the Third Bone Springs interval, in which
21 everyone lands their horizontals, is from the Third Bone
22 Springs shale top to the Third Bone Springs shale base.
23 And, again, the bracketed intervals are the intervals
24 that everybody lands in.

25 Q. And did you prepare this type log?

1 A. I did, yes.

2 Q. And how is it germane to your testimony today?

3 A. It just shows that the isopach intervals, the
4 isopach in the top, and the base of those intervals.

5 Q. And I next ask you to identify Legacy Exhibit
6 No. 9.

7 A. Exhibit No. 9 is an activity base. The purpose
8 of this map is to show you every lateral within a mile
9 or two of the acreage in question, what zone that
10 they've landed in, and the TVD of that landing, as well
11 as the 30-day IP.

12 It's to kind of give you a comprehensive feel of
13 every well located next to us. Just as an example, all
14 the wells that we drilled in the Lea Unit are all Third
15 Bone Springs wells. As an example, down in 30, all the
16 wells drilled east, west there are Second Bone Spring
17 wells. And you'll notice the 30-day IP rate. And
18 that's the max 30-day IP.

19 The only other Second Bone Springs laterals on
20 the map other than 30 are the two verticals in the east
21 half, east half of 23 and the east half, east half of
22 26. Those are the only two north, south Second Bone
23 Springs wells on the map.

24 Q. And did you also prepare this exhibit?

25 A. I did.

1 Q. And did you intend it to be collective of data
2 from all three benches of the Bone Spring?

3 A. Exactly. As well as vertical information. So
4 all of these symbols, you'll see in a legend up in the
5 upper left-hand corner, indicates the vertical
6 production within the unit.

7 Q. I next direct your attention to the exhibit
8 marked as Exhibit 10. And if you would identify it for
9 the record.

10 A. Exhibit No. 10 is a Third Bone Springs net
11 isopach map. The Third Bone Springs is the primary zone
12 that everyone's drilling in the area. That's over
13 80 percent of the wells in this mapped area are Third
14 Bone Springs north, south wells.

15 And the text beside each lateral only pertains to
16 the Third Bone Springs. So if you see the text with the
17 TDV interval of the landing as well as the 30-day IP,
18 you will notice that it is also identified as a Third
19 Bone Springs well.

20 I want to call your attention to a couple of
21 points. A net fee isopach well is normally used to
22 identify a conventional zone. Gross isopach zones are
23 usually used to identify unconventional zones or zones
24 that have uniform porosity throughout the entire
25 section. And this is more of a conventional zone that

1 has varied porosity within the section.

2 The other thing I want to call your attention to
3 is the way that I have interpreted the data. First of
4 all, the values, the data points for each well is in
5 blue where I don't have a blue density log, a blue value
6 for a density log. You will see a pink value, and that
7 is a sonic log.

8 The other thing I want to call your attention to
9 is the control points nearest Caza acreage. The well in
10 the northeast of 25 is a zero well in the Third Bone
11 Springs. The well in the southeast of 24 is an
12 11-foot-porosity well in the Third Bone Springs.

13 So those are the two closest control points in
14 the Third Bone Springs. And it shows that the pay in
15 the southwest of 19 is greatly diminished compared to
16 the pay in the unit as well as the number 59H which we
17 have an approved APD permit for.

18 Q. And staying with your net isopach of the Third
19 Bone Spring, what is your interpretation of the pay
20 interval in the Third Bone Spring in the west half,
21 west half of section 19 -- I am sorry -- sections 18
22 and 19?

23 A. There's significantly more pay in the Third Bone
24 Springs lateral interval in the west half, west half
25 of 18 and the west half, northwest of 19 compared to the

1 southwest of 19. I think that is very near zero net fee
2 pay isopach.

3 Q. I next direct your attention to the exhibit
4 marked as Legacy 11. And would you identify it for the
5 record.

6 A. Exhibit No. 11 is the same style map for the
7 Second Bone Spring sand. Again, it is a net fee pay
8 isopach. Just like the first one, it's cut off. It was
9 based on ten percent porosity.

10 The control points in blue are density curves,
11 which is the preferred curve because it's got secondary
12 porosity. The control points in red or pink are the
13 sonic curves. And those are primary porosity. They are
14 generally a little more pessimistic.

15 But I posted both of them, so where we don't have
16 density data, we have sonic data to go by.

17 Again the thing I want to point out about the
18 Second Bone Springs map, net fee pay isopach map, is the
19 two nearest wells to Caza's acreage is very near zero.
20 The well in the southeast of 24 only has 9 feet of pay.
21 The well in the northeast of 25 has 16 feet of pay.

22 So our interpretation is that the southwest of 19
23 is very near zero.

24 Q. And Mr. McKamey, just so the record is clear,
25 when you say "Caza's well," are you proposing to their

1 proposed well in the west half, west half of 19?

2 A. Excuse me. That's correct.

3 Q. And have you also prepared a net isopach map for
4 the First Bone Spring?

5 A. Yes, sir, I have.

6 Q. And is that Exhibit 12?

7 A. Exhibit No. 12, yes. Sorry. It is going to
8 sound like a broken record, but it's a net fee pay
9 isopach of the First Bone Springs. Again, the porosity
10 cut-off is 10 percent. As you can see, the porosity in
11 the southwest of 19 is mapped to be very near zero or
12 much thinner than the porosity in 18 -- the west half of
13 18 and the northwest of 19.

14 I show up to 50 feet of pay with offset logs in
15 section 13 there and much less than that potentially in
16 the southwest of 19.

17 And I also call your attention to a couple of
18 points that I haven't talked about before. And that's
19 Caza's well in the northeast of 19. That's a
20 16-foot-of-pay well, compared to the wells offsetting
21 our 18 location are in the 50 range.

22 COG just drilled a well in the west half, east
23 half of 18. That well has been logged. It only has
24 21 feet of pay. It is being completed. But it has not
25 been completed up to this point.

1 Q. In your opinion, do the pay intervals in each of
2 the Bone Spring benches increase as you move north from
3 the southwest quarter of 18 up into section 19?

4 A. In every sand, First, Second, and Third Bone
5 Springs lateral interval -- which is what we are all
6 drilling out here -- the pay increases to the north and
7 the west.

8 As a matter of fact, I heard testimony earlier
9 that Caza believes the same thing. And it's just better
10 rock quality up there. And it's reflected in the net
11 fee pay isopach map.

12 Q. And given that Caza proposes to drill a Second
13 Bone Spring horizontal well in the west half, west half
14 of section 19, do you believe that the pay would be
15 similar to the Caza producing lateral of the proposed
16 well?

17 A. Definitely not. I think that there is potential
18 for up to 50 feet of pay in any well in 18, and greater
19 than 25 feet of pay in any well in the northwest of 19,
20 but near-zero pay in the southwest of 19.

21 Q. And in your opinion, would there be an equitable
22 allocation of revenues from Caza's proposed mile lateral
23 in the west half, west half of 19?

24 A. No. It would be an unequitable allocation
25 because you are combining very little pay, if no pay,

1 with as much as 50 feet or greater pay in Legacy's
2 acreage.

3 Q. And during the break, did you have an opportunity
4 to review Mr. Carroll's Second Bone Spring gross isopach
5 map that is marked as Caza Exhibit 14?

6 A. I did.

7 Q. And do you think that his gross isopach map
8 contradicts your opinions about the reservoir boundaries
9 in the location of the better rock?

10 A. It does. Gross isopach maps do not reflect
11 reservoir potential or reservoir boundaries. It just
12 shows you that the zone is present.

13 And a net fee pay isopach is the only mapping
14 mechanism other than seismic that will give you a
15 reservoir-defining boundary.

16 Q. And, in your opinion, would the granting of
17 Caza's application impair the correlative rights of
18 Legacy and the other Lea Unit interest owners?

19 A. Yes, it would.

20 Q. And did you prepare the documents marked as
21 Exhibits 10, 11, and 12?

22 A. I did.

23 MR. LARSON: Mr. Examiner, I move the
24 admission of Legacy Exhibits 8 through 12.

25 MR. BRUCE: No objection, Mr. Examiner.

1 MS. MUNDS-DRY: No objection.

2 EXAMINER DAWSON: Caza's Exhibits 8 through
3 12 are so admitted.

4 (Legacy Reserves, L.P., Exhibits 8 through
5 12 were offered and admitted.)

6 MR. LARSON: And I pass the witness.

7 EXAMINER DAWSON: Mr. Bruce.

8 MR. BRUCE: Just a second, Mr. Examiner.

9 THE WITNESS: It's not "Caza's" exhibits;
10 it's Legacy's.

11 CROSS-EXAMINATION

12 BY MR. BRUCE:

13 Q. Mr. McKamey, looking at your Exhibit 10, the
14 Third Bone Spring net isopach, you really -- ignoring
15 the section 30 Cimarex wells -- you really have no well
16 control out there other than Caza's well in the east
17 half, east half of section 19, correct?

18 A. I also have the COG well.

19 Q. Okay.

20 A. The Caza well didn't log the Third Bone Springs
21 interval, so you don't have a data point for Caza's
22 well.

23 Q. But how do you account for the result that you
24 gave it basically zero net porosity and it is a great
25 well?

1 A. Because -- in the Third Bone Springs --

2 Q. In the Third --

3 A. -- because I don't have data points for the Third
4 Bone Springs. I think that there definitely is porosity
5 in the north half of that lateral. Because I show it to
6 have over -- over -- certainly something over the zero.
7 So there is certainly porosity in the north half of that
8 lateral. I think the south half of that lateral may be
9 very near zero.

10 Q. You said you looked at Caza's porosity isopach.

11 A. Excuse me. It's a gross isopach.

12 Q. Yes, I understand.

13 Other than the COG well and the Caza well, there
14 is no well control from section 18 and 19 westward for
15 about five or six miles?

16 A. No, sir. It's directly offsetting in
17 section 13.

18 Q. So you are speculating that there is a
19 zero-porosity line there?

20 A. Excuse me. You said westward.

21 Q. Eastward, eastward.

22 A. Okay, eastward.

23 There is no control east of Caza's well, you are
24 correct. There is no control except down in 30, and the
25 northeast corner of 30 is 12. So it is bounded --

1 Caza's acreage is bounded on three sides by control, an
2 11-foot well in the southeast of 24, a zero-foot well in
3 the northeast of 25, and a 12-foot well in the northeast
4 of 30.

5 So three sides of that show that it is very near
6 zero.

7 Q. But, again, I ask you how did Caza get such a
8 good well with no porosity --

9 A. They did have porosity. And it's not as good a
10 well as our wells. And I think that is where we address
11 the unequal allocations, because we think there's more
12 pay.

13 Q. So, basically, by your math, the Caza well is
14 really only producing from the northeast quarter to the
15 northeast quarter of section 19.

16 A. That's my interpretation, correct.

17 Q. And, yet, it's a great well?

18 A. It's a well. It's certainly not as good a well
19 as Legacy's well.

20 Q. And the same could be said for your First and
21 Second Bone Spring maps: It's pure speculation because
22 you don't have any control for six miles -- say five
23 miles at least from the western boundary of section 18
24 or 19 eastward. So anything you draw on here, you won't
25 know until you drill the wells?

1 A. Well, I disagree with that, because I have three
2 data points on all sides of Caza's acreage that shows
3 very near zero.

4 I do show in the Second Bone Springs that there
5 is some porosity in section 18 and laps over into the
6 northeast of 19 in the Second Bone Springs. So I think
7 that they do have some porosity in the northern part of
8 their acreage in the northeast corner.

9 Q. Until you drill you won't know?

10 A. You will never know until you drill a well,
11 that's correct.

12 Q. Because you're 11,000 feet down and it's kind of
13 hard to put a periscope down there?

14 A. Yes. And like I said, it's my interpretation
15 that it will be very near zero.

16 Q. Thank you.

17 MR. BRUCE: That's all I have.

18 THE WITNESS: One thing I would like to
19 interject is that the exhibits that were admitted, they
20 were Legacy Exhibits 8 through 12, and not Caza's
21 exhibits. I just want to make sure.

22 MR. LARSON: I meant to say Legacy Exhibits
23 8 through 12.

24 EXAMINER DAWSON: Do you have any questions?

25 MS. MUNDS-DRY: No, Mr. Examiner.

1 EXAMINER DAWSON: Mr. Larson, are you done?

2 MR. LARSON: I defer to the Examiners.

3 MR. McMILLAN: Go ahead.

4 EXAMINATION BY EXAMINER DAWSON

5 EXAMINER DAWSON: Mr. McKamey, can you
6 verify where is the Concho well that you are talking
7 about?

8 THE WITNESS: It's the west half, east half
9 of 18.

10 EXAMINER DAWSON: Okay.

11 THE WITNESS: And that well is shown to be a
12 location, but it, in fact, has been drilled and
13 represents -- I do have data points because I obtained
14 the log several weeks ago from Concho.

15 EXAMINER DAWSON: But you don't have any
16 data points for any of your isopach maps for that well?

17 THE WITNESS: Yes, sir, I do. In the Third
18 Bone Springs, I have 1, 1 feet of pay. In the Second
19 Bone Springs, 31; and the Third Bone Springs, 21.

20 EXAMINER DAWSON: Okay.

21 THE WITNESS: I'm sorry. The First Bone
22 Springs, 21.

23 EXAMINER DAWSON: Okay. And then the well
24 north of there in the west half of the east half of
25 section 18, you only had a sonic log on that one,

1 right?

2 THE WITNESS: No, sir. I had a density log.
3 The density is in blue. And I'll refer you to the
4 Exhibit 10 that has 1 foot of density pay and it also
5 had 1 foot of sonic pay.

6 In the Second Bone Springs map on
7 Exhibit 11, it had 31 feet of density pay, 20 feet of
8 sonic pay.

9 And then in the First Bone Springs, 21 feet
10 of density pay, 7 feet of sonic pay.

11 EXAMINER DAWSON: Okay. I was unsure on
12 those values because they are kind of near another well
13 to the south.

14 THE WITNESS: Yes, I understand.

15 EXAMINER DAWSON: That's all the questions I
16 have. Thank you.

17 Do you have any questions, David?

18 EXAMINATION BY MR. BROOKS

19 MR. BROOKS: I am just curious, if you know,
20 you show pretty good porosity -- I mean pretty good pay
21 in the -- well, good pay in the First Bone Springs,
22 highly variable in the others in the south half of 24.
23 I wondered if you knew why there's been no horizontals
24 drilled in the south half of 24.

25 THE WITNESS: That's a very good question.

1 There should be in my opinion. I think there is First
2 Bone Spring pay there. It hasn't historically been
3 very heavily developed, because the Third Bone Spring
4 is the primary target. It is the one with the most
5 EURs.

6 The Second Bone Springs has been developed
7 next to the Third. The First Bone Springs, there's only
8 a few wells nearby that have been drilled to the First.

9 And the ones that I'll call your attention
10 to are in 23. And they are not as good IP, 30-day IPs
11 as the Third or the Second sand wells are.

12 MR. BROOKS: Okay.

13 THE WITNESS: We intend to fully develop our
14 unit in all three sands.

15 MR. BROOKS: Do you own an interest in the
16 acreage in the south half of 24?

17 THE WITNESS: No, sir.

18 MR. BROOKS: I mean your company, not you
19 personally?

20 THE WITNESS: No, sir, I'm pretty sure we
21 don't.

22 MR. BROOKS: Not that that's relevant.
23 Thank you.

24 THE WITNESS: You bet.

25 MR. BROOKS: Scott, I'm through.

1 EXAMINATION BY EXAMINER McMILLAN

2 EXAMINER McMILLAN: So just for
3 clarification purposes, how are you getting the zero
4 values in the west half of the southwest quarter of
5 19?

6 THE WITNESS: For the Third sands?

7 EXAMINER McMILLAN: For the Second.

8 THE WITNESS: Okay. It's a contour
9 interval. The Second sand isopach shows a
10 very-near-zero data point in the southeast of 24, only 9
11 feet of pay. So that's the most near-zero well.

12 The northeast of 25 has 16 feet of pay. The
13 well in the northeast of 30 in the Second Bone Spring
14 sand has 29 feet of pay. So by contour interval, I
15 expect it to be 9 feet or less in the southwest quarter
16 of 19.

17 While we are on that subject, Mr. McMillan,
18 I would like to reiterate that the Second Bone Springs
19 30-day IPs that were all drilled in section 30 are
20 better east, west than the only two Second Bone Springs
21 north, south wells within the mapped area.

22 And the east half, east half of 23, that
23 30-day IP was 297. And if you look in 30, every one of
24 those are 800 or better. The other well in the east
25 half, east half of 26 was 214 barrels, 30-day IP,

1 compared to the wells closest to Caza's acreage of over
2 800 barrels in an east, west direction. And I think
3 Mr. Sparkman's testimony for EUR later will verify that
4 as well.

5 EXAMINATION BY EXAMINER DAWSON

6 EXAMINER DAWSON: Mr. McKamey, you show a
7 fault on the east side of the unit there.

8 THE WITNESS: Yes, sir.

9 EXAMINER DAWSON: That's through the Bone
10 Spring.

11 THE WITNESS: Yes. If you'll notice, none
12 of the isopach intervals are offset. That is a public
13 data fault, a deep-seated fault through the Devonian.
14 It probably offsets Wolfcamp and probably steep drape
15 over the Third sand.

16 When you map the Third Bone Spring
17 structure, you see evidence of that, because Caza's
18 acreage in 19 is much lower than the Lea Unit. But I'm
19 not sure it's offset. It probably is steep dip.

20 I've just illustrated it because it is in
21 the public data, and we see it in seismic.

22 EXAMINER DAWSON: And then on your Exhibit
23 No. 11.

24 THE WITNESS: Yes, sir.

25 EXAMINER DAWSON: In the southwest quarter

1 of 19, do you have an expired permit?

2 THE WITNESS: That was a permit, I believe,
3 that Yates filed. That has expired.

4 EXAMINER DAWSON: Okay. Is that for that 7H
5 well?

6 THE WITNESS: I'm sorry. I don't know the
7 name of the well. I just remember something about an
8 expired permit by Yates.

9 EXAMINER DAWSON: Okay. I have no further
10 questions.

11 MR. LARSON: I have nothing further.

12 EXAMINER DAWSON: You may be excused. Thank
13 you, Mr. McKamey.

14 THE WITNESS: Thank you.

15 EXAMINER DAWSON: Mr. Larson, you may
16 proceed.

17 MR. LARSON: I call my next witness, Mr.
18 Sparkman.

19 CRAIG SPARKMAN
20 having been first duly sworn, was examined and testified
21 as follows:

22 DIRECT EXAMINATION

23 BY MR. LARSON:

24 Q. Good afternoon, Mr. Sparkman. Would you state
25 your full name for the record.

1 A. Yes, sir. Craig Sparkman.

2 Q. And where do you reside?

3 A. Midland, Texas.

4 Q. And by whom are you employed and in what
5 capacity?

6 A. I am employed by Legacy Reserves, LP, as an
7 operations engineer.

8 Q. And what is the focus of your responsibilities as
9 an engineer at Legacy?

10 A. I work our southeast New Mexico assets in Lea,
11 Eddy, and Chavez counties.

12 Q. And that includes Legacy's Lea Unit?

13 A. Yes, sir.

14 Q. Have you previously testified at a Division
15 hearing?

16 A. No, sir, I have not.

17 Q. Given that, would you summarize for the
18 Examiners your educational background and professional
19 experience?

20 A. Sure. I received a bachelor of science degree in
21 petroleum engineering from the University of Texas Tech.
22 And I have six and a half years of experience as a
23 petroleum engineer, two and a half with a small
24 operator, Breck Operating out of Breckenridge, Texas.
25 And then the previous four years with Legacy Reserves.

1 Q. Are you familiar with the matters addressed in
2 Caza's application?

3 A. Yes, I am.

4 Q. And are you also familiar with Legacy's
5 development plan for the Lea Unit?

6 A. Yes, sir.

7 MR. LARSON: Mr. Examiner, I tender
8 Mr. Sparkman as an expert petroleum engineer.

9 EXAMINER DAWSON: Any objections?

10 MR. BRUCE: No objection.

11 MS. MUNDS-DRY: No objection.

12 EXAMINER DAWSON: He is so admitted.

13 Q. Mr. Sparkman, do you have Legacy Exhibit 4 in
14 front of you there?

15 A. Yes, sir.

16 Q. And maybe I should ask the Examiners the same
17 question.

18 EXAMINER DAWSON: I have it.

19 MR. LARSON: It is titled Lea Unit Complete
20 Development Map, Legacy No. 4.

21 EXAMINER DAWSON: They both have it. We all
22 have it.

23 MR. LARSON: Good.

24 Q. Has Legacy drilled both mile and mile-and-a-half
25 laterals in the Lea Unit?

1 A. Yes, sir, we have.

2 Q. And the mile laterals are primarily in section
3 12?

4 A. Yes, sir.

5 Q. And why were those drilled as mile laterals?

6 A. Basically, just because of the unit boundary.
7 Legacy was told by the BLM, when we initially started
8 development out here, that our development had to be
9 contained inside the unit boundary.

10 Q. And I believe you heard Mr. Roberts' testimony
11 that Legacy has focused its current development plan on
12 mile-and-a-half laterals in the Bone Spring.

13 Is there a cost factor in play with regard to the
14 current development plan focusing on mile-and-a-half
15 laterals?

16 A. Yes, sir, there is. We believe that the
17 economics on mile-and-a-half laterals are better than
18 the mile laterals. Our rate of return and PV-10 values
19 are substantially higher on a mile-and-a-half lateral
20 versus a mile lateral.

21 And it also greatly reduces our gross capital
22 investment to develop the unit via mile-and-a-half
23 laterals where we can because it reduces the overall
24 well count.

25 Q. And do you see improved ROI with a

1 mile-and-a-half well?

2 A. Yes, sir, I do.

3 Q. And if Caza's application were granted and we
4 have a mile lateral in the west half, west half of 19,
5 would there be increased cost for that well because of a
6 battery?

7 A. Yes, sir. That is my understanding. There would
8 be -- the BLM would require, due to allocation purposes,
9 for a separate battery to be placed anywhere you combine
10 unit acreage with non-unit acreage.

11 Additionally, it's going to increase our gross
12 capital development cost forcing us to drill another
13 mile lateral in 18. So if you are just looking at the
14 west half of the west half of 19 and 18, we currently
15 have three wells for the First, Second, and Third sand
16 proposed.

17 We estimate that our mile-and-a-half lateral cost
18 at around 5.5 million. And if we were to have to drill
19 mile laterals in 18 and 19, that would double the well
20 count from three to six. And we estimate a mile lateral
21 to cost about 4.5 million.

22 So three mile-and-a-halves at 5.5 million is
23 16.5 million gross. Six mile laterals at 4.5 million is
24 27 million gross. That's an increase of 10.5 million
25 gross just for that project area.

1 Q. Just so we are clear, would you be drilling mile
2 laterals in 19 or are we talking about 18?

3 A. If Caza's application were granted and their mile
4 lateral in 19 was granted, then we would drill a mile in
5 18. Otherwise we would drill the mile-and-a-half across
6 18 and the northwest of 19.

7 Q. And if I understand you correctly, drilling
8 one-mile laterals in 18 would significantly increase
9 your cost?

10 A. Yes, sir.

11 Q. And is your comparison of the capital cost in ROI
12 based on Legacy's experience in drilling Bone Spring
13 mile-and-a-half laterals in the Lea Unit?

14 A. Yes, sir. To date, we've drilled two
15 mile-and-a-half laterals and five mile laterals at Lea
16 Unit.

17 Q. And referring again to Legacy Exhibit No. 4, what
18 is Legacy's development plan for the northwest quarter
19 of section 19?

20 A. We plan to drill six mile-and-a-half laterals in
21 the northwest quarter of 19; two Third sand
22 mile-and-a-half laterals; two Second sand
23 mile-and-a-half laterals; and two First sand
24 mile-and-a-half laterals.

25 Q. Now I direct your attention to Legacy Exhibit 3,

1 which is titled Lea Unit Aerial Photo.

2 Are there any well pads identified on Exhibit
3 No. 3?

4 A. Yes, sir. The white pads or the white rectangles
5 are existing well pads for vertical wells and a couple
6 of horizontal wells inside the unit.

7 The green rectangles to the north and the south
8 of the unit boundary are proposed multi-well pads. And
9 you can see they are numbered 1 through 12. Most of the
10 even numbers are to the north and the odd numbers are on
11 the south.

12 Q. I draw your attention specifically to the green
13 dots with the numbers 11 and 12. And what are those
14 pads intended for?

15 A. Those pads are intended for our mile-and-a-half
16 laterals that I just spoke about, the two Third sand
17 wells, the two Second, and the two First.

18 Q. That is in the west half of 18 and the northwest
19 quarter of 19?

20 A. Yes, sir.

21 Q. Has the BLM approved either of those multi-well
22 pads in section 19?

23 A. Yes, sir. We performed on sites with the BLM, an
24 organization called CEHMM, the U.S. Fish and Wildlife
25 service, as well as the landowners.

1 Q. And do the BLM approvals allow you to drill
2 additional wells to the three Bone Spring wells of each
3 pad?

4 A. Yes, sir. These multi-well pads were proposed to
5 the BLM to eventually be five low pads. We've
6 identified at least two landing intervals in the
7 Wolfcamp that we feel are very prospective.

8 And so these pads were designed to hold as many
9 as five surface locations and possibly more.

10 Q. And how would Legacy be impacted if it's unable
11 to use these two-well pads in section 19?

12 A. If Caza's application was granted, these well
13 pads would basically become obsolete, and we would not
14 be able to utilize them.

15 Q. And where would your alternative well pads be?

16 A. Most likely, they would have to be placed inside
17 the unit which would force us -- we would end up
18 stranding about 700 feet of pay inside our unit, because
19 it takes us about 700 feet to build our curve section.

20 So being off lease allows us to maximize the
21 reserves that we are recovering for Legacy in the unit.

22 Q. Could you estimate the time frame of the process
23 to renegotiate multi-well pads which I assume would go
24 to section 18?

25 A. In the past, it has taken us as long as six

1 months.

2 Q. And in your opinion, would the granting of Caza's
3 application negatively impact Legacy's development plan
4 for the northwest quarter of section 19?

5 A. Yes, sir. I feel it would greatly increase our
6 capital investment cost to develop our acreage and that
7 it would significantly increase the time it took us to
8 get to that point.

9 Q. And in your opinion, would the granting of
10 Caza's application adversely impact Legacy's correlative
11 rights?

12 A. Yes, sir.

13 MR. LARSON: I'll pass the witness.

14 EXAMINER DAWSON: Mr. Bruce.

15 CROSS-EXAMINATION

16 BY MR. BRUCE:

17 Q. I have just a few questions.

18 Your wells that you propose in sections 18 and
19 19, are they going from the north to the south or the
20 south to the north?

21 A. From the south to the north.

22 Q. So it looks like those well pads are non-unit
23 acreage?

24 A. Yes, sir, that is correct.

25 Q. They're on Caza's lease?

1 A. Yes, sir.

2 Q. I just wanted to clarify. You made a statement
3 that you would get more reserves by having a
4 mile-and-a-half well unit. But wouldn't you produce
5 even more reserves by having all of sections 18 and 19
6 developed, all of the west half of section 19 and
7 section 18?

8 A. I don't know that I stated that it would get more
9 reserves. I think our economics are better.

10 Q. Well, if you get more reserves, doesn't that help
11 make the economics better?

12 A. Not necessarily if you have to increase your
13 capital investment.

14 Q. And, also, with respect to -- you talked about
15 acreage or footage that wouldn't be fracked. I
16 mean couldn't Legacy and Caza agree to unorthodox
17 locations for the terminus of their wellbores so that
18 there would be very little stranded acreage?

19 A. That's not the part -- I'm not worried about the
20 terminus of the wellbore. I'm worried about where
21 the -- about the surface location.

22 Q. Right now you are going to have to stop your --
23 oh, I see what you are saying. Okay.

24 But, still, you could arrange the wells in
25 sections 18 and 19 to have unorthodox locations and

1 there would be very little untapped acreage, footages,
2 in those wells, correct?

3 A. That may be true. We have not pursued anything
4 in section 7 to the north of us. I just know that that
5 is a very tedious and long process. The quickest option
6 would be to stay on the unit as far as...

7 Q. But your well pads in section 19 aren't on the
8 unit?

9 A. Correct. But they're already approved.

10 MR. BRUCE: I think that's all I have,
11 Mr. Examiner.

12 EXAMINER McMILLAN: Go ahead.

13 EXAMINATION BY EXAMINER DAWSON

14 EXAMINER DAWSON: The well pads in the
15 section in the south, the west quarter of section 19,
16 those have been approved by the land office?

17 THE WITNESS: No, sir. They have been
18 approved by the BLM, the surface owner, CEHMM, the U.S.
19 Fish and Wildlife Services.

20 EXAMINER DAWSON: I thought the lease in 19
21 was a state lease?

22 THE WITNESS: It is.

23 EXAMINER DAWSON: So the BLM is approving
24 pads on a state lease?

25 THE WITNESS: Yes, sir, because the well

1 accesses --

2 EXAMINER DAWSON: Accesses the unit --

3 THE WITNESS: -- the unit and federal
4 minerals.

5 EXAMINER DAWSON: Okay. Did you have any
6 communication with Caza on the placement of those well
7 pads?

8 THE WITNESS: No, sir. We were not required
9 to notify the offset operator.

10 EXAMINER DAWSON: Okay. Did you state that
11 you have -- within the unit, you have two
12 mile-and-a-half laterals drilled already?

13 THE WITNESS: Yes, sir.

14 EXAMINER DAWSON: And when you started first
15 drilling that unit, you drilled mile laterals; is that
16 how you started?

17 THE WITNESS: Yes, sir.

18 EXAMINER DAWSON: So the most recent wells
19 that you drilled were the mile-and-a-half laterals, the
20 last ones or --

21 THE WITNESS: We drilled five wells at the
22 end of last year; three of those were mile laterals and
23 two were mile-and-a-half. The last well that we did
24 drill was a mile-and-a-half.

25 EXAMINER DAWSON: And how did those produce

1 compared to the mile laterals?

2 THE WITNESS: It's still very early. We've
3 only got about four months of production on our most
4 recent well or the well that we started drilling last
5 fall.

6 The mile-and-a-halves did not initially show
7 higher rates than the mile wells. But that may be
8 somewhat due to our completion process.

9 We did a perf and plug, but the plug that we
10 used was a ball drop plug. And we used a dissolving
11 ball in hopes that we would not have to clean out the
12 lateral with coil tubing.

13 And on the latest mile-and-a-half well, we
14 recently went in about a month ago and cleaned it out
15 with coil and the rates have come back exceptionally
16 well. So it appears that it is not one-and-a-half-times
17 better than the mile lateral but it is better.

18 EXAMINER DAWSON: What about the costs to
19 drill? Do you have an idea of the costs for a mile
20 lateral versus a mile-and-a-half lateral?

21 THE WITNESS: Yes, sir. We are estimating
22 the mile at 4.5 and the 'mile' at 5.5. So the cost is
23 not 1.5 times either.

24 EXAMINER DAWSON: Do you know who owns the
25 lease to the northeast of the unit section 7?

1 THE WITNESS: I want to say that's Concho,
2 but I do not know.

3 EXAMINER DAWSON: Okay.

4 MR. LARSON: Could we ask Mr. Roberts, the
5 landman?

6 MR. ROBERTS: Cimarex.

7 EXAMINER DAWSON: Cimarex on 7?

8 MR. ROBERTS: Yes.

9 EXAMINER DAWSON: Can you identify where
10 your two mile-and-a-half laterals are on Exhibit 3?

11 THE WITNESS: Sure. But I might suggest we
12 look at -- let's look at Exhibit 5.

13 EXAMINER DAWSON: Okay.

14 THE WITNESS: Yes.

15 EXAMINER DAWSON: Yes, that's a little bit
16 easier to see.

17 THE WITNESS: So our drilled wells are
18 outlined in red. If you look at the middle of 24 in
19 section 13, there is the Lea Unit in 32H in red.

20 EXAMINER DAWSON: Okay.

21 THE WITNESS: That was the first
22 mile-and-a-half lateral we drilled last year. And then
23 the last lateral we drilled is over here in section 11
24 and 14 on the very west side of the unit, the Lea Unit
25 No. 54H.

1 EXAMINER DAWSON: Okay. Those are all the
2 questions I have. Thank you.

3 MR. BROOKS: No questions.

4 EXAMINER DAWSON: Any questions?

5 EXAMINATION BY EXAMINER McMILLAN

6 EXAMINER McMILLAN: So how much more
7 reserves are you getting out of mile-and-a-half versus
8 the mile?

9 THE WITNESS: Internally, we have the mile
10 lateral at 676,000 BOE. And we have the mile-and-a-half
11 lateral at 1.036 million BOE.

12 MR. BROOKS: What was the answer on a mile
13 lateral just a moment ago?

14 THE WITNESS: The reserves?

15 MR. BROOKS: Yes.

16 THE WITNESS: 676,000 BOE.

17 MR. BROOKS: And 1.0-something on a
18 mile-and-a-half?

19 THE WITNESS: Yes, sir.

20 MR. BROOKS: What was that figure?

21 THE WITNESS: 1.036.

22 MR. BROOKS: Thank you.

23 EXAMINER DAWSON: So that's almost twice as
24 much -- is that right? -- not quite --

25 THE WITNESS: Not quite.

1 MR. BROOKS: It's a good way short of twice
2 as much but it is substantially more than one and a half
3 times.

4 THE WITNESS: I think it's right at one and
5 a half times.

6 MR. BROOKS: Let's see. Do you have a
7 calculator?

8 (Pause.)

9 MR. BROOKS: It's really close to one
10 and a half. My statement that it was substantially
11 more is clearly wrong looking only at the first
12 figure.

13 EXAMINER DAWSON: 1.53.

14 MR. BROOKS: It is very close to one and a
15 half.

16 EXAMINER DAWSON: Do you have any more
17 questions?

18 EXAMINER McMILLAN: No.

19 EXAMINER DAWSON: Any more questions?

20 MR. BROOKS: No more questions.

21 EXAMINER DAWSON: That's all the questions.
22 Thank you very much.

23 MR. BRUCE: May I ask a follow-up question
24 regarding one-and-half-mile laterals?

25 EXAMINER DAWSON: Yes.

1 RECROSS EXAMINATION

2 BY MR. BRUCE:

3 Q. Mr. Sparkman, you said you used a plug-and-perf
4 fracking technique, correct --

5 A. Yes, sir.

6 Q. -- on those Lea Unit wells?

7 A. Yes, sir.

8 Q. Did you use that on the Lea Unit 32H?

9 A. Yes, sir.

10 Q. That's a mile-and-a-half lateral?

11 A. Yes, sir.

12 Q. What volume and type of frac fluid did you use?

13 A. I couldn't quote you the volume offhand. But it
14 was a slick-water frac.

15 Q. Did you have -- if you don't have the data, fine,
16 but do you have an idea of what concentration in pounds
17 per gallon of proppant was pumped?

18 A. Our highest concentration?

19 Q. What concentration? Like five gallons, five
20 pounds per gallon or seven pounds per gallon?

21 A. I think it was two pounds per gallon, was our
22 highest. Maybe two-and-a-half.

23 Q. And if what type of proppant? Sand or ceramic?

24 A. No ceramic. We did pump a resin-coated sand.

25 Q. Thank you.

1 MR. BRUCE: Thank you, Mr. Examiner.

2 EXAMINER DAWSON: Thank you.

3 MR. LARSON: I just have one follow-up
4 question.

5 EXAMINER DAWSON: Okay.

6 REDIRECT EXAMINATION

7 BY MR. LARSON:

8 Q. The Examiner asked you a question about the mile
9 laterals in section 12. I am looking at Exhibit No. 4.
10 And I believe your testimony was that you did those as
11 mile laterals because you were under the assumption
12 that you couldn't leave the unit boundary to the north
13 there?

14 A. Yes, sir.

15 MR. LARSON: Thank you. That's all I got.

16 EXAMINER DAWSON: No more questions. Thank
17 you very much. Do you have any closing statements?

18 MR. BRUCE: Give me 60 seconds, and I will
19 tell you in a nutshell.

20 MR. LARSON: Okay. If he's going to do one,
21 I'm not waiving mine.

22 EXAMINER DAWSON: Go ahead, Mr. Bruce.

23 CLOSING STATEMENT BY MR. BRUCE

24 MR. BRUCE: Two main issues, No. 1, Legacy
25 is looking at full development of the unit. I

1 understand that. But what Caza is looking at is full
2 development of the reservoir.

3 And no matter -- if Legacy gets its way, no
4 matter what happens, they're going to have 160 acres of
5 stranded acreage that isn't going to get developed, pure
6 and simple. And that's what's bad. Caza's correlative
7 rights will definitely be affected.

8 Insofar as whether it's gross or net
9 porosity isopachs, if you look at Mr. Carroll's isopach,
10 it covers a much broader area than Mr. McKamey's; it
11 goes to the east; it shows how there's definite, very
12 thick gross sands to the east of the well.

13 And, again, how did Caza get such a good
14 well with virtually zero net porosity. The only other
15 thing and fact of the matter is there is good porosity
16 there. And you are not going to know until you drill.

17 My final point would be, simply based on the
18 data that Mr. Sparkman just said, if you get a
19 50 percent more production from a mile-and-a-half
20 lateral than a mile lateral, why not have two and get
21 100 percent more production -- if you have two one-mile
22 laterals, the Caza wells in 19 and the Legacy wells in
23 section 18.

24 The numbers he gave, if you took 676,000,
25 you are looking at -- what is it? -- 1.35 million as

1 opposed to the 1.035 they are going to get allegedly
2 under a mile-and-a-half lateral. And when you multiply
3 that with the number of wells, you are producing a lot
4 more reserves. And that takes away the fear of having
5 increased well costs.

6 Thank you.

7 CLOSING STATEMENT BY MR. LARSON

8 MR. LARSON: Mr. Examiner, I believe we've
9 established that Caza's application should be denied. I
10 strongly disagree with Mr. Bruce's statement about
11 stranded acreage.

12 I think we established through Caza's
13 witnesses that there are alternatives to the mile
14 lateral they would like to do in the west half, west
15 half of 19. If the application is granted, it will
16 prevent Caza's timely development of its unit acreage.
17 It already has an approved APD.

18 EXAMINER McMILLAN: You mean Legacy's?

19 MR. LARSON: I'm sorry. Yes, Legacy. I
20 keep getting the two confused.

21 Legacy already has an approved APD. It has
22 multi-well pads approved. And, lastly, it is likely,
23 even if the application is granted, the BLM will require
24 Legacy -- and I do mean Legacy -- to operate the well.
25 And therefore we ask that the application be denied.

1 MR. BRUCE: Mr. Examiner, I would say that
2 Caza has even proposed to Legacy that they operate. So
3 that's not an issue.

4 MR. BROOKS: Can either of you tell me, is
5 BLM approval of an APD required for a well
6 that penetrates the federal unit but does not penetrate
7 federal acreage?

8 MR. BRUCE: It is my understanding that it
9 does, because it's a federally --

10 MR. BROOKS: It seemed like probably it
11 would to me but --

12 MR. BRUCE: I have seen other situations
13 where they didn't over by the Big Eddy Unit. But the
14 personnel at the BLM keep changing.

15 MR. LARSON: I agree with Mr. Bruce, I think
16 so, but I can't say definitively. But I think they
17 would have to get a federal APD.

18 MR. BROOKS: Well, I made the statement
19 earlier today that the BLM is not shy about regulatory
20 outreach.

21 MR. BRUCE: Did you say "outreach" or
22 "outrage"?

23 MR. BROOKS: Nothing further.

24 EXAMINER DAWSON: No more statements?

25 (No response.)

1 EXAMINER DAWSON: That concludes this
2 hearing. Case 15437 will be taken under advisement.
3 Thank you.

4

5

6 (Time noted 2:15 p.m.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO)
 2) ss.
 3 COUNTY OF BERNALILLO)
 4
 5
 6

7 REPORTER'S CERTIFICATE

8
 9 I, ELLEN H. ALLANIC, New Mexico Reporter CCR
 10 No. 100, DO HEREBY CERTIFY that on Thursday, March 3,
 11 2016, the proceedings in the above-captioned matter were
 12 taken before me, that I did report in stenographic
 13 shorthand the proceedings set forth herein, and the
 14 foregoing pages are a true and correct transcription to
 15 the best of my ability and control.

16
 17 I FURTHER CERTIFY that I am neither employed by
 18 nor related to nor contracted with (unless excepted by
 19 the rules) any of the parties or attorneys in this case,
 20 and that I have no interest whatsoever in the final
 21 disposition of this case in any court.

22
 23
 24
 25

 ELLEN H. ALLANIC, CSR
 NM Certified Court Reporter No. 100
 License Expires: 12/31/16