

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION

4 IN THE MATTER OF THE HEARING CALLED
5 BY THE OIL CONSERVATION COMMISSION FOR
6 THE PURPOSE OF CONSIDERING:

7 APPLICATION OF THE NEW MEXICO OIL CONSERVATION DIVISION THROUGH THE
8 SUPERVISOR OF DISTRICT II FOR AN EMERGENCY ORDER SUSPENDING CERTAIN
9 APPROVED APPLICATIONS FOR PERMITS TO DRILL, AND FOR ADOPTION OF A
10 SPECIAL RULE FOR DRILLING IN CERTAIN AREAS FOR THE PROTECTION
11 OF FRESH WATER, CHAVES AND EDDY COUNTIES, NEW MEXICO. CASE NO. 15487

12 REPORTER'S TRANSCRIPT OF PROCEEDINGS
13 COMMISSIONER HEARING

14 December 5, 2016
15 Volume 1 of 3
16 Santa Fe, New Mexico

17 BEFORE: DAVID R. CATANACH, CHAIRPERSON
18 PATRICK PADILLA, COMMISSIONER
19 DR. ROBERT S. BALCH, COMMISSIONER
20 CHERYL BADA, ESQ.

21 This matter came on for hearing before the
22 New Mexico Oil Conservation Commission on Monday,
23 December 5, 2016, at the New Mexico Energy, Minerals and
24 Natural Resources Department, Wendell Chino Building,
25 1220 South St. Francis Drive, Porter Hall, Room 102,
Santa Fe, New Mexico.

26 REPORTED BY: Mary C. Hankins, CCR, RPR
27 New Mexico CCR #20
28 Paul Baca Professional Court Reporters
29 500 4th Street, Northwest, Suite 105
30 Albuquerque, New Mexico 87102
31 (505) 843-9241

1 APPEARANCES

2 FOR APPLICANT NEW MEXICO OIL CONSERVATION DIVISION:

3 DAVID K. BROOKS, ESQ.
4 STATE OF NEW MEXICO OIL CONSERVATION DIVISION
5 ENERGY, MINERALS & NATURAL RESOURCES DEPARTMENT
6 OFFICE OF GENERAL COUNSEL
7 1220 South St. Francis Drive
8 Santa Fe, New Mexico 87505
9 (505) 476-3463
10 Davidk.Brooks@state.nm.us

11 FOR PECOS VALLEY ARTESIAN CONSERVANCY DISTRICT:

12 A.J. OLSEN, ESQ.
13 and
14 OLIVIA R. MITCHELL, ESQ.
15 HENNINGHAUSEN & OLSEN, L.L.P.
16 604 North Richardson Avenue
17 Post Office Box 1415
18 Roswell, New Mexico 88202-1415
19 ajolsen@h2olawyers.com
20 omitchell@h2olawyers.com

21 FOR RESPONDENTS COG OPERATING, LLC; OXY USA, INC.; AND
22 FASKEN OIL & RANCH:

23 MICHAEL H. FELDEWERT, ESQ.
24 HOLLAND & HART
25 110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505) 988-4421
mfeldewert@hollandhart.com

FOR RESPONDENTS EOG Y RESOURCES AND LIME ROCK RESOURCES
II-A:

21 GARY W. LARSON, ESQ.
22 HINKLE SHANOR, LLP
23 218 Montezuma Avenue
24 Santa Fe, New Mexico 87501
25 (505) 982-4554
glarson@hinklelawfirm.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES (Cont'd)

FOR RESPONDENTS MACK ENERGY CORPORATION AND DEVON ENERGY
PRODUCTION COMPANY, L.P.:

JAMES G. BRUCE, ESQ.
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol.com

FOR RESPONDENT INDEPENDENT PETROLEUM ASSOCIATION OF NEW
MEXICO (IPANM):

KARIN V. FOSTER, ESQ.
SOUTHWEST GOVERNMENT AFFAIRS, LLC
5808 Mariola Place, Northeast
Albuquerque, New Mexico 87111
(505) 238-8385
karin@SWgovernmentaffairs.com

1	INDEX	
2		PAGE
3	Case Number 15487 Called	5
4	Opening Statement by Mr. Olsen	7
5	Opening Statement by Mr. Feldewert	9
6	Opening Statement by Mr. Larson	20
7		
8	NMOCD's Case-in-Chief:	
9	Witnesses:	
10	Phillip Goetze:	
11	Direct Examination by Mr. Brooks	24
	Cross-Examination by Mr. Olsen	44
12	Cross-Examination by Mr. Feldewert	54
	Cross-Examination by Mr. Larson	62
13	Cross-Examination by Commissioner Balch	65
	Cross-Examination by Commissioner Padilla	67
14	Cross-Examination by Chairman Catanach	70
	Redirect Examination by Mr. Brooks	74
15		
16	Paul Kautz (appearing via teleconferencing from Hobbs, New Mexico):	
17	Direct Examination by Mr. Brooks	79
18	Cross-Examination by Mr. Olsen	96
	Cross-Examination by Mr. Feldewert	99
19		
20	Recess	109
21	Certificate of Court Reporter	110
22	EXHIBITS OFFERED AND ADMITTED	
23	NMOCD Exhibit Number 1 (With Figures 1 - 7)	44
24	NMOCD Exhibit Number 3	96
25		

1 (1:02 p.m.)

2 CHAIRMAN CATANACH: So at this time I will
3 call Case Number 15487, which is the application of
4 New Mexico Oil Conservation Division through the
5 supervisor of the District II for an emergency order
6 suspending certain approved applications for permits to
7 drill and for adoption of a special rule for drilling in
8 certain areas for the protection of freshwater, Chaves
9 and Eddy Counties, New Mexico.

10 At this time I will call for appearances in
11 this case.

12 MR. BROOKS: Mr. Chair, Honorable
13 Commissioners, David Brooks of the Energy, Minerals and
14 Natural Resources Department, assistant general counsel,
15 appearing for the Oil Conservation Division and for the
16 district supervisor of District II who is sitting here
17 operating the teleconference.

18 CHAIRMAN CATANACH: Thank you, Mr. Brooks.

19 MR. OLSEN: A. J. Olsen, general counsel
20 for the Pecos Valley Artesian Servicing District,
21 referred to as PVACD, and with me is co-counsel, Olivia
22 Mitchell.

23 MR. FELDEWERT: Mr. Chairman, Members of
24 the Commission, Michael Feldewert, with the Santa Fe
25 office of Holland & Hart, appearing on behalf of COG

1 Operating, LLC, OXY USA, Inc., and Fasken Oil & Ranch.

2 MR. LARSON: Mr. Chairman, Commissioners,
3 Gary Larson, of the Santa Fe office of Hinkle Shanor
4 firm, appearing for EOG Y Resources and Lime Rock
5 Resources 2-A.

6 MR. BRUCE: Mr. Chairman, Jim Bruce of
7 Santa Fe representing Mack Energy Corporation and Devon
8 Energy Production Company, L.P.

9 MS. FOSTER: Mr. Chairman, Members of the
10 Commission, Karin Foster, Southwest Government Affairs,
11 representing the Independent Petroleum Association of
12 New Mexico.

13 CHAIRMAN CATANACH: Okay. Additional
14 appearances?

15 Okay. Before we get started, I do have an
16 announcement with regards to today's schedule. I have,
17 unfortunately, a meeting at the Governor's office at
18 4:30. So we will be shutting down the hearing about ten
19 after 4:00 today. So we'll try to make up ground
20 tomorrow if we need to. And also maybe with regards to
21 tomorrow, we could probably start at 8:00, if that's
22 agreeable to everybody, and then if we need to go late
23 tomorrow evening, we can do that.

24 Is there any need to do opening statements
25 at this time? Does anybody care to do that?

1 MR. FELDEWERT: I'd like to. I don't know
2 about Mr. Brooks.

3 MR. BROOKS: I'll waive opening statement.
4 I think the Commissioners are already familiar with the
5 background of this case.

6 CHAIRMAN CATANACH: Okay.

7 MR. OLSEN: I would like to, also.

8 CHAIRMAN CATANACH: You waive it?

9 MR. OLSEN: No. I'd like to make a brief
10 statement.

11 CHAIRMAN CATANACH: Okay. Go ahead.

12 OPENING STATEMENT

13 MR. OLSEN: Thank you.

14 Mr. Director, Members of the Commission, I
15 appear on behalf of the PVACD, and I would like to take
16 just a moment to introduce the PVACD and what it is. It
17 is a quasi-governmental agency authorized in 1932 and
18 was charged with protecting and conserving the waters --
19 groundwater of the Roswell Artesian Basin and, more
20 specifically, the boundaries of the PVACD. We are not
21 member-based conservancy district or district, if you
22 may, much like Elephant Butte Irrigation District or
23 Carlsbad. We are a -- we serve a constituency. We are
24 funded by ad valorem taxes authorized by statute for a
25 tax base.

1 We represent a constituency of over 100,000
2 individuals, properties owners ranging from 20 miles
3 north -- approximately 20 miles north of Roswell down to
4 Brantley Lake. From the east side or from the river,
5 for the most part, is our eastern boundary, to the west.
6 Our constituents are folks from agricultural to refining
7 at Navajo to the cities of Roswell, Artesia, Dexter,
8 Hagerman, Lake Arthur, plus industry from agricultural
9 to manufacturing, as I say, to refining.

10 Our concern and our charge has been since
11 1932 as to conserve and protect the waters of the Basin.
12 And we've done an excellent job of that over these many
13 years, and we come before you today on one more issue,
14 and that is to make sure that the -- not only the
15 quantity of the water that we've struggled to protect
16 these many years but also the quality of the water.

17 And thus the District is here today in
18 support of the position of the Division in the
19 promulgation of the new proposed rule because years of
20 experience have taught us that there are -- indeed that
21 the hydrology -- the geohydrology of the RAD is a unique
22 part of the state of New Mexico, unlike anyplace else,
23 two distinct aquifers, a shallow aquifer or the
24 alluvium, if you may, and then the Artesia, which is a
25 karst system. And the Roswell Artesian Basin is the

1 most -- if not the most, one of the most studied
2 groundwater aquifers in the U.S. It has sustained the
3 life blood of the valley since the 1800s.

4 And why we're here today is to ensure that
5 those two aquifers are protected, taken care of from the
6 original -- or from the rules or the regulations
7 promulgated by -- in 2008 defining that the -- that the
8 aquifers be separated and protected. We're here today
9 to make that just more definitive for the -- to make
10 sure that the shallow and the artesian are protected and
11 taken care of.

12 Thank you.

13 CHAIRMAN CATANACH: Thank you, Mr. Olsen.
14 Mr. Feldewert?

15 OPENING STATEMENT

16 MR. FELDEWERT: Mr. Chairman, Members of
17 the Commission, I'm going to refer to a few exhibits as
18 we go through. So I don't know what order your exhibits
19 are in. I'm assuming that you-all have copies of the
20 exhibits that we submitted, as well as others, because I
21 think at the outset of this hearing, it's important to
22 know how this whole application started.

23 And if you look at the pleadings, you'll
24 initially see that there was a request for an emergency
25 order to allow time to review certain APDs and determine

1 if the productive string was deep enough to cover the
2 aquifers. And so I saw -- Mr. Goetze had it out
3 earlier. Your OCD Figure 3, I think, is the best place
4 to go for purposes of what we're looking at here.
5 Figure 3 is the one that shows the artesian aquifer
6 area, the shallow aquifer area. So it would be OCD's
7 Exhibit 1, and within that is their Figure 3. So it
8 could look something like this one (indicating). So in
9 my book, it's OCD Number 1, and within that, there is a
10 number.

11 Now, the reason I refer to this is because
12 the origin of this whole application is -- if you look
13 at this Figure 3, there is an area in yellow to the
14 bottom. It's labeled as "Area of Recent Oil and Gas
15 Development with Suspended APDs." They were suspended
16 because those initial APDs that have been filed are not
17 in compliance with existing Division orders which
18 require at least one protected string through the lowest
19 aquifer.

20 We've given you a copy of Respondent's
21 Exhibit Number 1. So that would be our Exhibit Number
22 1. If you would like to, you can keep your finger here
23 and turn to our Exhibit Number 1, which is a copy of the
24 Division's existing rules. And I go to them because
25 those APDs did not comply with the Division's existing

1 rules. That's what led to this whole application. When
2 we look at those existing rules, there is -- I have them
3 highlighted for you in our book under Exhibit 1,
4 Respondent's Exhibit Number 1, 19.15.16.10, down there
5 at the bottom, "Casing and Tubing Requirements."

6 When you look through that, it requires at
7 least one protective string through the aquifers. It
8 provides that two protective strings can be required as
9 necessary, "as necessary." So there is flexibility
10 there for the district office and the Division. They
11 don't require two strings in all -- two protective
12 strings in all circumstances. And what you'll find is
13 that when you know you're at an area with drilling
14 hazards or you have problems drilling or you're going
15 through a salt section, under this rule, they require
16 you to put two protective strings for obvious reasons.
17 But under this rule, as it applies now, okay, you have
18 to have at least one protective string through the
19 aquifers.

20 The second part of this rule, Subpart B,
21 existing rules, requires that the cement on that
22 protective string be circulated to the surface. So I
23 have to have cement to the top of the hole under the
24 existing rules.

25 Then -- you can read them at your leisure,

1 but Subpart C, Subpart D, Subpart G, very specific, they
2 talk about the type of cement you've got to use, how
3 it's supposed to be set, what you're supposed to do.

4 So we have these existing rules that have
5 been protective over time -- protective over time. And
6 if we now go back to Figure Number 3 that we kept our
7 finger on, the problem was, what led to this whole
8 thing, is that somehow APDs were approved, mistakenly,
9 without a protective string that's required by the rules
10 now through the deepest aquifer. That is being cured by
11 the emergency order that's been signed. That's being
12 addressed by the emergency order in the existing
13 Division rules.

14 So as you go through this hearing, there
15 are three questions I think you need to ask yourself.
16 The first question: What evidence is being presented
17 that demonstrates a need now for special rules knowing
18 what we've already got? We have rules that have been in
19 place for decades. We have drilling that has occurred
20 in this area for -- this designated area for decades.
21 And if you want a flavor of it, you can look at Lime
22 Rock's Exhibit Number 1. It's the same as the
23 Division's map. If you look at that and all the black
24 dots in Lime Rock's Exhibit Number 1 for all the wells
25 that have been drilled in this area, hundreds, if not

1 thousands. And most of those wells have been drilled
2 with a protective string through the aquifers cemented
3 to surface just like the current rules require.

4 So if I go back to Exhibit Number -- this
5 Figure Number 3 that the Division has put forth, yes,
6 they have an area down there where they didn't comply
7 with the existing rules. But history tells us that the
8 existing rules have protected the aquifer and that all
9 we need to do here to deal with that issue in yellow is
10 apply the existing rules to the existing APDs. That can
11 be cured. We don't need special rules to do that.

12 The second question -- so the first
13 question is: Why do we need rules? What's going on?

14 The second question: If the evidence
15 demonstrates we need special rules, what geographic area
16 needs to be covered? You just heard from Pecos Valley
17 District's attorney, Mr. Olsen. He says we've got a
18 unique hydrology out there. I look at the Division's
19 map here, Figure Number 3. The unique area, if that's
20 what you want to call it, is where the shallow aquifer
21 is hatched here. That's where we have the two overlying
22 aquifers, one over the other. The rest of this area, I
23 submit to you, is not much different than the rest of
24 the state where we have aquifers and we've had rules in
25 place for years to protect those aquifers.

1 So if we need special rules, if for some
2 reason they bring forth evidence showing special rules,
3 then what area do we really have to cover? What is so
4 unique about this area? That's the next question you've
5 got to address.

6 Third and final question: If you need
7 special rules, what should they be? And this is where
8 our filed modifications come into play.

9 And if I may approach? If I may approach,
10 Mr. Chair?

11 CHAIRMAN CATANACH: Certainly.

12 MR. FELDEWERT: Here's what I've done for
13 you. I've taken the filed modifications, increased the
14 font so you can read it much easier. Okay?

15 COMMISSIONER BALCH: I believe you're
16 calling us old.

17 (Laughter.)

18 MR. FELDEWERT: Well, no. I need one as
19 well. I'm going to have one for myself. I've got one
20 for Mr. Brooks, one for Mr. Olsen. It's just easier to
21 read from.

22 So what are we doing with our filed
23 modifications? Now, we've given you a red-line version
24 off of their proposed rules. That's Attachment A.
25 We've given you a clean version, which is Attachment B,

1 same as we filed with our pleadings quite some time ago.
2 These are jointly filed by operators with experience --
3 actual drilling experience in this area. So you're
4 talking about COG Operating. You're talking about OXY
5 USA. You're talking about Fasken Oil & Ranch, Devon
6 Energy, Mack Energy Corporation, EOG Y Resources,
7 formerly Yates Petroleum, Lime Rock Resources, IPA
8 New Mexico, NMOGA. All filed these modifications
9 jointly.

10 And what have we done? We've taken --
11 first off, if you go -- I'd work off the red line. It's
12 easier. Assuming you think you need special rules,
13 assuming there is evidence to support that, then here's
14 what we have suggested with our modifications.

15 C(2) -- Proposed Rule C(2). What we've
16 done there is modify it to require at least one
17 protective string through the deepest aquifer or the
18 first oil show cemented to surface, following the
19 existing rules, what they call a two-string design.
20 You've got your protective string, and then you've got
21 your production string. That is a standard design
22 that's been used for decades in this area without any
23 incident of contamination, fluid migration or any other
24 groundwater issues. It's been used for decades. And we
25 have witnesses that are going to testify to that fact,

1 not only that it's been used but that this is protective
2 of groundwater in this area, and it should obvious from
3 decades of drilling that we've had without incident.

4 But that's what we've done with C(2).

5 C(3). We have removed the requirement.

6 Under their proposed rules, it's a requirement that you
7 have two protective strings. I don't know why, but
8 that's what they've submitted. So we remove that C(3).
9 And in conjunction with that, we have modified what was
10 their Rule D. And what Rule D does is it follows the
11 existing rules and allows a district supervisor to
12 require, when he or she deems appropriate a second
13 protective string, when it's necessary, just like the
14 existing rules. When necessary, they have that
15 discretion. So it's not mandatory like they're
16 proposing. He has the decision to do that.

17 Next thing we've done, C(4), we've taken
18 that out. That's a different subject. Now, here's what
19 C(4) does. It requires you currently to stop your
20 drilling process, wait for the cement to dry on the
21 protection string, take a cement bond log once that
22 cement is properly cured, submit it to the district
23 office and then sit around and wait for them to approve
24 it before you can continue. All the while, you're just
25 sitting there waiting. You're waiting for the cement to

1 cure. You're waiting for the district office to have
2 the time and the personnel to take a look at it and
3 approve it before you continue.

4 Now, we have an exhibit that addresses the
5 costs that are associated with that, and it is
6 substantial, because you've got to let that cement dry,
7 and then you've got to wait around and hopefully they've
8 got time to approve it, whether it's on a weekend or a
9 holiday or whatever, before you can continue under their
10 proposal.

11 We've got witnesses that are further going
12 to testify that the submission of a cement bond log
13 makes no sense when you have cement circulated to
14 surface. Remember, we are all saying you have to have a
15 protective string through the aquifer cemented to
16 surface. So why do you have to submit a cement bond
17 log? Our witnesses are going to address that.

18 C(5). That's a minor change. The operator
19 shall cement -- the production casing has to be to a
20 depth of 500 feet across. And the one thing we change
21 is the previous case-in-chief, because we're going to
22 show you don't need an intermediate string. In all
23 circumstances, you don't need a second protective string
24 to fairly --

25 C(6) or -- there was a C(6). This deals

1 with the production string. And what we've done here is
2 say that you don't need to submit a cement bond log if
3 your production casing string is cemented to surface.
4 Again, no reason to do it if it's circulated to surface.
5 Alternatively, if it's not cemented to surface, 500-foot
6 overlap is appropriate to show the -- for the purpose of
7 that cement or, what we think is a more effective tool,
8 a temperature survey. That's all the changes to C(6).

9 The next topic is -- well, let me step
10 back. You'll also see the red line with their proposed
11 Rule E. Simply because -- there is no need to have that
12 any longer because we've already said you have to have
13 at least one productive string through the lowest
14 aquifer cemented to surface. So there is no need for E.

15 So that means the last point is what was
16 their Rule F, the annular space. That's the second page
17 of our --

18 Everybody agrees the annular space should
19 be 2 inches. Okay? The witnesses will confirm here
20 that you want to measure, though, that 2 inches from the
21 casing -- outer diameter of the casing from the hole,
22 not from the couplings to the hole. Because when you do
23 it in the couplings to the hole, then you're dealing
24 with the circumstance where the current -- doesn't fit,
25 current tools don't work as well, and, more importantly,

1 you don't get the turbulence that you need for effective
2 drilling and the cleaning of the pipe so that you can
3 properly adhere the cement.

4 So it looks like a minor change, but it's a
5 necessary change. We're taking the couplings to the
6 casing.

7 Now, that's what we've done with the
8 modifications if you think that there is evidence
9 presented showing a need for special rules. But that's
10 the first question: What is being presented -- or
11 what's going to be presented to show that demonstrates
12 the need for special rules? I haven't seen anything in
13 their exhibits, especially given what your current rules
14 already require. The issue that -- the problem down
15 here (indicating), the area in yellow, can be addressed
16 with the existing rules. We don't need special rules.
17 So why are we here?

18 Second question: What area should be
19 covered if you think there are special rules that are
20 needed?

21 And third: If you need special rules, what
22 does the evidence show you those rules should be?

23 Now, in closing, I don't know what the
24 Division -- exactly what the Division is presenting on
25 those points. I certainly don't know what Pecos Valley

1 is presenting on those issues. But I think you need to
2 keep another point in mind, and that is special rules
3 cannot be based on politics. Special rules cannot be
4 based on unsubstantiated fears or concerns. They must
5 be based on evidence presented in a hearing like this
6 one that is fully vetted publicly. And I think you're
7 going to find at the end of this hearing that there is
8 no evidence supporting or showing the need for special
9 rules and that the only problem that exists out here in
10 this area in yellow can be addressed by the emergency
11 order with the existing Division rules.

12 Thank you.

13 CHAIRMAN CATANACH: Thank you,
14 Mr. Feldewert.

15 Mr. Larson, do you have anything?

16 OPENING STATEMENT

17 MR. LARSON: Mr. Chairman, Commissioners,
18 both of my clients, EOG Y Resources, which has
19 historically been known as Yates Petroleum, which has
20 operated in this area going on 100 years, and Lime Rock
21 Resources II-A understand and appreciate the Division's
22 and the Conservancy District's concern about protecting
23 usable groundwater. But EOG and Lime Rock are
24 constrained to question the need for a one-size-fits-all
25 special rule with casing requirements they both deem to

1 be unnecessary. And those casing requirements are
2 unnecessary for several reasons.

3 First, as Mr. Feldewert has noted, neither
4 the Division nor the Conservancy District as to this
5 point has presented any information that tends to
6 establish the groundwater in either the shallow alluvial
7 aquifer or the deeper artesian aquifer has been impacted
8 by oil and gas operations. More than 9,000 oil and gas
9 wells have been drilled in the designated area, and as
10 far as I'm aware, none of them has contaminated
11 groundwater in either of the aquifers.

12 Secondly, as Mr. Feldewert has pointed out,
13 the Division already has the regulatory authority and
14 discretion, under 19.15.16.10A, to impose casing
15 requirements such as an intermediate casing string on a
16 case-by-case basis.

17 And third, a uniform requirement of the
18 intermediate casing string will result in hundreds of
19 thousands of dollars of the increased drilling costs for
20 each well drilled, as well as significantly increase
21 safety risks.

22 And while increased costs aren't easily
23 juxtaposed to the need to protect groundwater to be used
24 for drinking and other domestic uses, EOG and Lime Rock
25 understand they are averse to incurring those costs due

1 to a rule that would be duplicative, would be ill-suited
2 to an area with highly diverse geology and, most
3 importantly, are unnecessary. And for these reasons,
4 EOG and Lime Rock request the Commission to deny the
5 Division's application.

6 CHAIRMAN CATANACH: Thank you, Mr. Larson.
7 Mr. Bruce?

8 MR. BRUCE: I would just agree with what
9 Mr. Feldewert and Mr. Larson said.

10 CHAIRMAN CATANACH: Thank you, Mr. Bruce.
11 Ms. Foster, anything?

12 MS. FOSTER: Thank you, Mr. Chairman. I
13 also would agree with the statements already made. I
14 don't feel the need to make an opening statement at this
15 time.

16 CHAIRMAN CATANACH: Okay. Thank you.
17 Why don't we get all the witnesses to stand
18 and be sworn at this time, or potential witnesses?

19 (Mr. Goetze, Mr. Kautz, Mr. Atkins,
20 Mr. Peery, Mr. Bird, Mr. Krogman,
21 Mr. Mullen, Mr. Maxey sworn.)

22 CHAIRMAN CATANACH: Before we get started,
23 by way of background, we do have some existing orders
24 that are out there. We issued E -- Order Number E-42 on
25 April 8th of 2016. That order basically suspended the

1 APDs in the area in question. It gave the authority to
2 the district supervisor to make exceptions to the well
3 construction requirements that had already been
4 reviewed. So that stayed in effect.

5 We then issued R-14164. That was issued
6 May 13th, 2016. And that order basically held up the
7 emergency order until a full hearing is held, Order
8 Number R-14164-A. We held a hearing on that -- I'm
9 sorry. We didn't hold a hearing. We -- by that
10 hearing, we scheduled a hearing for this case to be on
11 June 23rd for a scheduling conference, Order Number
12 R-14164-B, we deferred -- this case was originally going
13 to be heard before the Division. We then, by this
14 order, referred it to the Commission, and we were
15 supposed to hear it on August 8th, 2016. And finally,
16 Order Number R-14164-C continued the case until today's
17 date. So that's a summary of what is out there
18 currently.

19 So at this time, I'll turn it over to
20 Mr. Brooks.

21 MR. BROOKS: Thank you, Mr. Chairman. We
22 would begin our case now and call Phillip Goetze.

23 PHILLIP R. GOETZ,
24 after having been previously sworn under oath, was
25 questioned and testified as follows:

1 DIRECT EXAMINATION

2 BY MR. BROOKS:

3 Q. Would you state your name for the record,
4 Mr. Goetze?

5 A. My name is Phillip R. Goetze.

6 Q. Again, for the record, when the Chair asked
7 that all of the witnesses be sworn, did you -- did you
8 so swear?

9 A. I so swore.

10 Q. Very good. Thank you.

11 And by whom are you employed, Mr. Goetze?

12 A. I'm employed by the Oil Conservation Division
13 in the --

14 Q. In which office?

15 A. In the Santa Fe Office, in the Engineering
16 Bureau.

17 Q. And in what capacity?

18 A. As a petroleum geologist and geologist.

19 Q. Now, Mr. Goetze, would you go through your
20 qualifications, education and experience briefly?

21 A. I graduated from New Mexico's School of Mines,
22 New Mexico Institute of Mining and Technology, class of
23 1977, with a bachelor of science and geology.

24 Since then, I've been employed in various
25 capacities as a hydrogeologist; a project geologist; a

1 project manager, which include time with the United
2 States Geologic Survey, Bureau of Land Management,
3 various consulting firms, including Charles B.
4 Reynolds & Associates; doing geophysics, ASCG
5 Incorporated, New Mexico; Tetra Tech; and of recent,
6 Glorieta Geoscience, particularly in this area of
7 southeast New Mexico; and at present, since February of
8 2013, with the Division.

9 I'm a registered professional geologist in
10 the states of Arizona, Alaska, Texas, and a certified
11 environmental manager in the state of Arizona. That's
12 about it.

13 Q. And do you have experience in hydrogeology, as
14 well as geology?

15 A. I do have that experience related to my past
16 employment.

17 Q. Okay. Now, is there an exhibit that
18 represents -- that summarizes your education
19 qualification?

20 A. Yes. There is Exhibit Number 3.

21 Q. OCD Exhibit Number 3. Very good. Thank you.

22 Now, Mr. Goetze, you have prepared some
23 pretty pictures for us. I'm told that's what geologists
24 do best. So I would begin by calling your attention to
25 OCD Exhibit Number 1 and ask you to tell us what that

1 is.

2 A. Exhibit Number 1 presents the location of the
3 discussion of this Commission hearing. We're looking at
4 both a figure presented by the USGS and by the
5 New Mexico Bureau -- Mineral Resources -- Geology and
6 Mineral Resources showing the location of both the
7 Roswell Basin Aquifer System, which is the artesian, and
8 the shallow alluvial aquifer. The exhibit -- the second
9 figure provides, also, a general relationship showing it
10 within the Artesian Basin relative to Roswell, the
11 Carlsbad and the Pecos River.

12 Q. Is the purpose of this exhibit, primarily at
13 least, to simply put the area we're talking about in
14 context in terms of the state of New Mexico and the
15 cities and counties that are affected here?

16 A. That is correct.

17 Q. Okay. From what source does this Exhibit 1
18 come?

19 A. As stated, one is from a Hydrologic Atlas
20 prepared by the USGS. The other is from the Bureau's
21 "Water Resources of the Lower Pecos Region, New Mexico;
22 Decision-Makers Field Conference 2003."

23 Q. So both of these are from published sources?

24 A. That is correct.

25 Q. Okay. Now, I call your attention to Figure

1 Number 2 and ask you to identify it.

2 A. Figure Number 2 is a figure pulled from a
3 reference which will be very common, a report that was
4 done in 1983 by G. E. Welder of the geologic framework
5 of the Roswell Groundwater Basin, Chaves and Eddy
6 Counties, New Mexico. It is referred to as Technical
7 Report 42, authored by the State Engineer. It was also
8 done in cooperation with the United States Geological
9 Survey.

10 Q. Go ahead.

11 A. The figure outlines important features with
12 regards to the surface drainage, the legal boundary of
13 the Roswell Underground-water [sic] Basin as determined
14 by the State Engineer, and approximate limits for both
15 the artesian aquifer and shallow aquifer as presented by
16 Welder. And then on top of that is an overlay of the
17 area, what is being called the designated area, which
18 was outlined for consideration in this case.

19 Q. Now, it was -- this yellow area that's outlined
20 in red -- that's highlighted in yellow and outlined in
21 red, was that prepared by the Oil Conservation Division?

22 A. Correct.

23 Q. Okay. So that did not appear on the published
24 version of this exhibit?

25 A. Yes, it did.

1 Q. It did not --

2 A. Oh, yeah.

3 Q. It did not appear?

4 Okay. Just to make the record clear -- I
5 mixed up the question. So tell me, did this or did this
6 not yellow area outlined in red appear on the published
7 exhibit?

8 A. On the first version?

9 Q. In the published version.

10 A. No, it did not.

11 Q. Good.

12 Okay. Now, on this Exhibit Number 3, what
13 form of designation shows the location of the shallow
14 aquifer?

15 A. It is the -- essentially, we're taking Figure
16 Number 2 and enlarging it, and we have a cross-hatcher
17 over the shallow aquifer, with the artesian aquifer
18 showing a -- just a cross fill-in.

19 Q. So where there are Xs and where the crosshatch
20 makes Xs, is that where the shallow aquifer and the
21 artesian aquifer are both present?

22 A. Correct.

23 Q. And where are the crosshatches? Just from the
24 lower left to the upper right, is that where the
25 artesian aquifer is present, but the shallow aquifer is

1 not?

2 A. Correct.

3 Q. And is there a small amount of area over to the
4 right-hand side where the shallow aquifer is present and
5 the artesian aquifer is not?

6 A. That is correct, also.

7 Q. Okay. Now, in response -- responding to what
8 Mr. Feldewert said in his opening statement, do you
9 agree that there is no reason to require two water
10 protection strings in the areas where there is only one
11 aquifer?

12 A. Where there is only one aquifer, that would be
13 agreeable.

14 Q. Now, are the shallow aquifer and the artesian
15 aquifer separated by impermeable layers at this -- at
16 this geologic location?

17 A. Which geologic location?

18 Q. Where they're shown as both present on this
19 map.

20 A. At this point -- and it would include looking
21 at other figures and cross section, which are
22 provided -- there is a separation. We are looking at
23 the shallow aquifer, a confining bed and a deeper
24 artesian aquifer.

25 Q. Okay. Let's go on, then, to the other figures.

1 Figure Number 4, tell us what that is.

2 A. Figure Number 4 was a general stratigraphic
3 section showing the general layout of the aquifer, the
4 confining bed and the shallow aquifer.

5 Q. Okay. Now, would you -- I'm just going to let
6 you explain that because that's all geologist stuff. So
7 would you proceed and tell in your own words what this
8 is and what you conclude from it?

9 A. Basically what we're showing here is that you
10 have the San Andres Limestone which provides the
11 artesian aquifer as it is exposed at the Sacramentos and
12 to the west, and this becomes a source area for
13 recharge. As we progress towards the east, the artesian
14 aquifer is overlain by both the confining beds and, as
15 you get into the Pecos River Valley, a high degree of
16 alluvium that eventually forms the shallow alluvial
17 aquifer.

18 With this, the figure also shows that the
19 confining layers are representative of the Tansill, the
20 Yates Seven Rivers, Queen and Grayburg Formation.

21 Q. Okay. And the confining -- the word "confining
22 beds" is shown immediately below the designation shallow
23 alluvial aquifer on the left-hand figure?

24 A. That is correct. But it still may have other
25 exposures of the Artesian Group to the east of the Pecos

1 River.

2 Q. As you get closer to the Pecos River, are
3 there -- does the separation between the aquifers widen?

4 A. They are more defined to the -- in the area of
5 the Pecos River, and along the south portion of the
6 Basin, they are well-defined.

7 Q. Now, you have an arrow running on here from the
8 San Andres Limestone to the San Andres Formation, and
9 you have the San Andres Formation and the artesian
10 aquifer separated on this exhibit, correct?

11 A. Correct.

12 Q. Is the artesian aquifer considered to be a part
13 of the San Andres actually?

14 A. Yes. It is held within.

15 Q. Now, is it -- how is it distinguished from the
16 lower part of the San Andres, which is not productive
17 freshwater?

18 A. That is through the drilling, the designations
19 of various oil and gas operation historicals. The San
20 Andres has shown both to be an aquifer, as well as an
21 oil producer, especially in the deeper zone. It is
22 known as the Slaughter zone, which has been bought in
23 from Texas and usage.

24 Q. Okay. Now, that so-called Slaughter zone is
25 shown more specifically on Figure Number 6 -- no -- 7,

1 right?

2 A. Correct.

3 Q. Okay. And that's down -- significantly below
4 the San Andres freshwater?

5 A. It is deeper than the aquifer.

6 Q. Okay. Now, going back to Figure Number 4, this
7 is a question -- well, let me just ask it. Is this
8 figure here, is this to scale in terms of the distance
9 between the surface and the San Andres Limestone on the
10 one hand and the distance -- well primarily -- let me
11 rephrase.

12 Is this to scale as -- in terms of the
13 distance from the surface to the artesian aquifer, on
14 the one hand, and the distance from the artesian aquifer
15 down to the Yeso on the other, or is there some
16 distortion?

17 A. There is some distortion. This is purely a
18 schematic showing the --

19 Q. Okay. Is it actually -- how deep is the Yeso
20 Formation in this area?

21 A. We may be looking at -- depending upon where
22 you are, it can be anywhere from 1,000 to over 2,000
23 feet deep, but, again, relative to where you are in the
24 Basin. To the west is going to be shallow.

25 Q. Okay. Yeah.

1 A. And then towards the east, we have a downdip.

2 Q. And that is, of course, all the formations in
3 that area run, according to this, right?

4 A. Correct.

5 Q. Generally, they run from the -- from the
6 Sacramento Mountains towards the river, they get deeper?

7 A. That's correct.

8 Q. Now, you said 1- to 2,000 feet. You're talking
9 about the aquifer?

10 A. No. The aquifer -- in general discussion, the
11 aquifer will be anywhere from -- we look at 800 to over
12 1,400 feet, in some cases a little shallower as it comes
13 up to the mountains. So it's going to be a specific
14 location.

15 Q. Okay. Very good.

16 Now, I went past Exhibit -- Figure Number 3
17 because I wanted to get to the cross section that showed
18 the location of the aquifer. What does Figure Number 3
19 indicate?

20 A. Figure Number 3 is a composite of oil and gas
21 pools or activity as projected on both the designated
22 area, as well as the artesian and shallow aquifer as
23 determined by the State Engineer.

24 Q. Okay. Now, could you -- there is a bunch of
25 annotated stuff added onto this exhibit. Could you tell

1 us where that is from?

2 A. This figure itself is based off of Welder's
3 report. The trend plays are based upon Ron Broadhead
4 and his 2004 paper on "Major Oil Reservoirs in the
5 New Mexico part of the Permian Basin...Open-File Report
6 479." And the pools are based upon the information
7 offered by district.

8 Q. Okay. Where is the primary focus of oil and
9 gas drilling at this time?

10 A. The primary interest is along the southern
11 portion or southeast portion where both the shallow
12 aquifer and the artesian aquifer are present. And this
13 is what is commonly referred to as the San
14 Andres-Grayburg Mixed Artesian Vacuum Trend, at least by
15 the Bureau, and this has been of interest. We also have
16 some deeper Wolfcamp that has been looked into, but that
17 is farther to the east.

18 Q. In what formation are most of these oil wells
19 drilled to?

20 A. They are going down to the Bone Spring and
21 Wolfcamp. They're Permian.

22 Q. Yeah. And when I said where most of the oil
23 and gas drilling is going, I didn't mean to suggest --

24 Okay. Now let's go on to Figure Number 5,
25 and tell us what Figure Number 5 is.

1 A. Figure Number 5 is a cross section, again, from
2 Welder's report. This is along the northern part of the
3 Basin. If we refer back to Figure 2, you'll see that it
4 is in the northern part. It represents a portion where
5 there is significant recharge, and your separation of
6 the shallow and the deeper artesian aquifer is probably
7 the minimal.

8 Q. And if you go to the right -- well, on Figure
9 Number 5, the dark blue or the darker blue, is that the
10 valley-fill or shallow aquifer?

11 A. That is correct.

12 Q. And the lighter blue, is that the artesian
13 aquifer?

14 A. That is correct.

15 Q. Okay. And then go on to Figure Number 6 --
16 well, first of all, Figure Number 5, what is the source
17 of that?

18 A. Again, this is from Welder, 1982.

19 Q. Okay. Figure Number 6, tell us what that
20 shows.

21 A. This is more in the region where the APDs have
22 been suspended. Here we're showing the definite
23 separation of the shallow aquifer from the artesian
24 aquifer. It is almost on the same scale as B to B
25 prime. Again, you're going to see that we have a

1 definite confined layer -- a confined aquifer with a
2 confining layer above, with the shallow alluvial aquifer
3 above it.

4 Q. Okay. And what is the source of this exhibit?

5 A. This is from Welder, 1982, also.

6 Q. Okay. Then that takes us to Exhibit Number
7 6 -- Figure Number 6 -- no. That's what I was talking
8 about, right, Figure Number -- were we on the same page?

9 A. We were on Figure 6.

10 Q. We were on Figure 6. That's what I thought.

11 Okay. Let's go on and look at Figure
12 Number 7.

13 A. Figure Number 7 was a presentation done on
14 behalf of the UIC Program. Again, most of this is
15 fairly old data, but it does demonstrate that we do have
16 occurrences of oil and gas shallow within the San
17 Andres, as well as the artesian aquifer above, which
18 is -- provides the concern of today.

19 Q. Okay. And what is the source of Figure Number
20 7?

21 A. That was a report sent to the EPA in 1979 when
22 we got the demonstration for the prototype for the UIC
23 for our primacy.

24 Q. That prepared by the OCD, not by you or me?

25 A. That's correct.

1 Q. That's in 1978.

2 Okay. Now, Mr. Goetze, all these figures
3 are from published sources. Are these -- in your
4 opinion, are these the type of sources that is
5 reasonable for a person in your profession to rely upon
6 in making -- in forming opinions?

7 A. Yes, sir.

8 Q. Okay. And now I'm going to go to the rule that
9 we have proposed -- the adoption of which we have
10 proposed, and I'm going to ask you to tell us what the
11 reasons are for its specific provisions.

12 First of all, we look at -- if you get the
13 rule before you --

14 CHAIRMAN CATANACH: Where are we at,
15 Mr. Brooks?

16 MR. BROOKS: Well, actually I'm referring
17 to the fifth amended application for rulemaking and
18 Exhibit A thereto.

19 Q. (BY MR. BROOKS) Now, where there is a bold C, a
20 little below the middle of the first page, it says, "The
21 well will penetrate --

22 CHAIRMAN CATANACH: Hang on a second.
23 We're not on the same page.

24 COMMISSIONER BALCH: We're lost.

25 CHAIRMAN CATANACH: After your figures --

1 where is the exhibit after your figures?

2 COMMISSIONER PADILLA: Which OCD exhibit
3 number is it?

4 MR. BROOKS: We do not have that on an OCD
5 exhibit. I don't believe we have it. It's been filed
6 with the Commission and is before you as an attachment
7 to the application.

8 CHAIRMAN CATANACH: Is there someplace we
9 have that and can reference it?

10 MR. BROOKS: I assumed you had the
11 application before you, but if it's not in your
12 notebook, we can go on to something else and I can
13 furnish it to you at a later time.

14 THE WITNESS: May I intervene? I don't
15 believe it's in your exhibit packages.

16 CHAIRMAN CATANACH: It is not?

17 THE WITNESS: Not as an OCD exhibit.

18 MR. BROOKS: That's what I was saying. I
19 believe it's an attachment to the application.

20 Okay. We will proceed to something else,
21 and we will go back to that when we can furnish this as
22 a tendered exhibit.

23 Q. (BY MR. BROOKS) Very well. Mr. Goetze, do you
24 believe that there is a reason for requiring wells
25 drilled in or close to the artesian aquifer -- the

1 location of the artesian aquifer to be -- no. Okay.

2 Let me go back to what I was saying because I forgot to
3 ask you this.

4 Would you give us your own description of
5 how this artesian aquifer forms and how it flows and why
6 it's different from other types of aquifers?

7 A. Well, I'm sure you're going to hear a lot about
8 it today.

9 Q. I'm sure.

10 A. In general, we're looking at a three system --
11 three elements to this. Of course, you have the shallow
12 alluvial fill, a confining layer and then the deeper
13 artesian aquifer. Recharge from it, as we've stated
14 before, comes from the Sacramentos, as well as modified
15 structures known as buckles, the Y-O Buckle, Six-Mile.
16 These are features in the northeast -- or northwest side
17 of the Basin area.

18 The alluvial is variable. It has been used
19 for many years and provides limited use at this point.
20 The confining layer is such an aquitard that it retains
21 most of the water in the artesian. It is confining to
22 the southeast more dynamically. It is bounded to the
23 east and west by what has been described as no-flow
24 boundaries. This has been from the observations of many
25 folks that have studied the area. It does not tend to

1 go very far past the Pecos River to the east.

2 And then the artesian aquifer itself in the
3 San Andres is very variable in the sense it is mostly
4 carbonates, but there is karst play, as well as
5 developed permeability, which provides a good source of
6 drinking water, which is what it's used for, as well as
7 industrial and agricultural purposes.

8 Q. Now, is the principal source of refill --
9 recharge for the artesian aquifer from precipitation
10 occurring up in the Sacramento Mountains or the eastern
11 slope thereof?

12 A. That is correct.

13 Q. And what is the principal source of recharge
14 for the valley-fill or shallow aquifer?

15 A. It would be the surface runoff, including the
16 Pecos Valley -- Pecos River. Excuse me.

17 Q. So it would be recharged in part by flow from
18 the Pecos River?

19 A. That's correct.

20 Q. And would it also be in part by precipitation
21 occurring in the Pecos Valley or close to the Pecos
22 Valley?

23 A. That's correct.

24 Q. So then are the sources for these two aquifers
25 basically different?

1 A. They are different in most cases.

2 Q. Now, is there some evidence that the shallow
3 aquifer is -- has more -- a high salinity than the --

4 A. There are published records, as well as
5 documentation that the shallow alluvial does have a
6 lower water quality associated with it.

7 Q. And for this reason, is there some concern
8 about intermingling the waters from the two aquifers?

9 A. This has been presented as a possible conduit,
10 yes.

11 Q. Yeah.

12 The rule that we're proposing would require
13 a separate surface casing to seal off each of the two
14 aquifers from each other, as well as from fluids in the
15 well coming from lower depths. Is that a reasonable
16 solution to keeping the waters from the two aquifers
17 separated?

18 A. It is reasonable.

19 Q. And in your opinion, to the extent that there
20 is a concern about contamination of the shallow
21 aquifer -- existing contamination of the shallow aquifer
22 causing contamination of the deeper aquifer, is that the
23 best geologic response that you know of in terms of
24 protecting those aquifers from oil and gas -- from the
25 influence by oil and gas production activity -- drilling

1 and production activity?

2 A. It is the most conservative application.

3 Q. Thank you.

4 Now, let's talk about cement bonding
5 because there was a question raised about it. Are
6 you -- are you prepared to testify to that because we
7 didn't talk about it previously?

8 A. No. You did not tell me this (laughter.)

9 Q. Are you -- are you --

10 A. I was going to let my petroleum geologist take
11 care of that.

12 Q. Yes, sir.

13 Is that -- is cement bonding -- what is a
14 reasonable test for determining if you -- well, first of
15 all, tell us what a cement bond is.

16 A. A cement bond log is a type of log where you
17 can measure conclusively the qualities of the cement and
18 placement, as well as success. It has a variety of
19 forms. The newer ones are quite sophisticated.

20 Q. Does this sort of have to do with how much of
21 the space that the cement is pumped into that actually
22 fills up?

23 A. Not only that, but the quality of the
24 attachment -- between the formation, as well as the
25 casing.

1 Q. And if there is not a cement -- if there is not
2 adequate cement bonding, what may happen?

3 A. You may end up with a micro-annulus or
4 channeling. So it presents the opportunity of not
5 having a complete separation in the seal.

6 Q. Okay. So in your judgment, then, is it a
7 reasonable solution to concern about fluid movement to
8 require that a cement bond log be submitted and approved
9 to demonstrate that you've got a good cement job?

10 A. It offers the best answer for the current
11 technology.

12 Q. Thank you.

13 Now, do you have any opinions on this
14 annular space issue that's been discussed?

15 A. Not at this point, no.

16 Q. Thank you.

17 MR. BROOKS: Mr. Chairman, I will tender in
18 evidence at this point exhibits -- the Figures 1, 2 and
19 3, 4, 5, 6 and 7, which are a portion of OCD Exhibit
20 A -- I'm sorry -- OCD Exhibit -- it's not A.

21 What is this exhibit number that includes
22 these figures --

23 THE WITNESS: I believe --

24 MR. BROOKS: -- Mr. Goetze?

25 THE WITNESS: It is Exhibit 1, Figures 1,

1 2, 3, 4, 5, 6 and 7.

2 MR. BROOKS: That's right. We're using the
3 exhibits.

4 Okay. I will tender at this time Exhibit 1
5 in its entirety, which consists of a cover page and
6 Figures 1 through 7, inclusive.

7 CHAIRMAN CATANACH: Is there any objection?

8 MR. FELDEWERT: No objection.

9 MR. OLSEN: No objection.

10 MR. LARSON: (Indicating.)

11 CHAIRMAN CATANACH: Exhibit 1, which
12 includes Figures 1 through 7, is admitted.

13 (NMOCD Exhibit Number 1 is offered and
14 admitted into evidence.)

15 MR. BROOKS: I will pass the witness.

16 CHAIRMAN CATANACH: Go ahead, Mr. Olsen.

17 MR. OLSEN: May it please the Director.

18 CROSS-EXAMINATION

19 BY MR. OLSEN:

20 Q. I'd like to go back, sir, if I may, and talk
21 about the area in concern and as it applies to -- as it
22 is governed today by certain regulations. And I'll make
23 reference to existing regulations in place. Are you
24 familiar with the regulations in place today by the
25 Division on the drilling of wells and the separation of

1 strata?

2 A. I am aware of it, yes.

3 Q. And I want to address Section 19.15.16.9 of the
4 sealing off of strata, which is from the regulations in
5 place.

6 CHAIRMAN CATANACH: Mr. Olsen, where are
7 you reading that from?

8 MR. OLSEN: It's not an exhibit to -- it's
9 the existing regulations in place for the Division.
10 These are as of 12/1 of '08.

11 CHAIRMAN CATANACH: Is that not included --
12 that's not included in your exhibit, Mr. Feldewert, is
13 it?

14 MR. OLSEN: Yes. They are part of
15 Mr. Feldewert's exhibits.

16 CHAIRMAN CATANACH: Okay. I'm looking for
17 something we can reference while you're looking at that.

18 MR. FELDEWERT: It should be our Exhibit
19 Number 1, so it would be Respondent's Exhibit 1.

20 CHAIRMAN CATANACH: Is that the one you
21 were reading from earlier?

22 MR. FELDEWERT: Yes, sir. Well, wait.

23 MR. OLSEN: I think that's your Number 1,
24 isn't it, Michael?

25 MR. FELDEWERT: Yes, sir.

1 Q. (BY MR. OLSEN) If I may, with permission, read
2 19.15.16.9, Section A, "During the drilling of an oil
3 well, injection well or other service well, the operator
4 shall seal and separate the oil, gas and water strata
5 above the producing or injection horizon to prevent the
6 contents from passing into other strata." Are you
7 familiar with that section?

8 A. Yes, I am.

9 Q. Section B of that -- Subsection B of that same
10 section, "The operator shall ensure that fresh waters
11 and waters of present or probable value for domestic or
12 stock purposes are confined to their respective strata
13 and are adequately protected by division-approved
14 methods. The operator shall take special precautions by
15 methods satisfactory to the division in drilling and
16 abandoning wells to guard against loss of artesian water
17 from the strata in which it occurs, and the
18 contamination of artesian water by objectionable water,
19 oil or gas." Are you familiar with that section, sir?

20 A. Correct. I am.

21 Q. And last but not least, Subsection C, "The
22 operator shall ensure that water is shut off and is
23 excluded from the various oil- and gas-bearing strata
24 that are penetrated. The operator shall ordinarily make
25 water shut-offs by cementing casing." Are you familiar

1 with that section?

2 A. Yes, sir.

3 Q. Now, with that said, I'd like to visit with
4 you, if I may, about the geology, hydrogeology of the
5 Roswell Artesian Basin. And I'd like to go to your
6 exhibit -- I'd like to address Figure 3 -- Figures 2 and
7 3. Let me start with Figure 2. I think you testified
8 that Figure 2 was taken from the Welder report, 1982?

9 A. That's correct.

10 Q. Is the Welder report recognized as -- as a
11 document that is relied upon by hydrologists, geologists
12 in the review of the Roswell Artesian Basin?

13 A. It is a very important document.

14 Q. And is it the type of document that you, as a
15 geologist, would rely upon in attempting to identify
16 water-producing areas?

17 A. Yes.

18 Q. Or I should say water-producing strata.

19 A. It is used in contingency with looking at APDs.

20 Q. Now -- excuse me -- again, reviewing Figure 2
21 of the OCD exhibits -- and I'd like you to look at what
22 is B, B prime, which is the northern part of the Roswell
23 Artesian Basin. That is your Figure 2.

24 Now, is there a combination of both
25 artesian and shallow in the area north of the line B, B

1 prime?

2 A. There is -- at that point communication has
3 been identified. It is a recharge area.

4 Q. And explain communication for us, if you would,
5 please.

6 A. That potential for both going deep and shallow
7 surface runoff, as well as going into the source rock is
8 available.

9 Q. Okay. Now, in the area north of B, B prime,
10 what would you estimate to be the depths of the surface
11 to bottom of the shallow?

12 A. That would be in cross section. Again,
13 depending upon location -- it would only be
14 conjecture -- a few 100 feet, maybe.

15 Q. Is the shallow and the artesian aquifers in the
16 area north of the line B, B prime separated by a
17 confining layer --

18 A. That, I cannot --

19 Q. -- or impermeable layer, I should say?

20 A. It starts to develop, but I am not familiar
21 with on the ground in that area.

22 Q. Are you familiar with the term the "red bed"?

23 A. Yes. I'm familiar with the red bed.

24 Q. Is the red bed as a separator, as an -- as an
25 impermeable layer found in the area defined of B, B

1 prime north? Do you know?

2 A. No, I would not know.

3 Q. Okay. What is the depth of the artesian
4 aquifer, an area north of the line B, B prime?

5 A. That, I would not know.

6 Q. Okay. Let's go to the area that would be
7 identified -- again, I'm referring to Figure 2, the area
8 between B, B prime and D, D prime.

9 A. Uh-huh. Okay.

10 Q. That area appears to contain both artesian --
11 an artesian aquifer and then also a shallow aquifer,
12 correct?

13 A. Correct.

14 Q. Do you know whether the depths of the artesian
15 in the -- I'm sorry -- of the groundwater in the
16 between -- identified as B, B prime and D, D prime? And
17 by the way, that's D, as in David.

18 A. The depth to the artesian?

19 Q. No. Depth to the bottom of the shallow. Let's
20 start there.

21 A. That would be anywhere from -- they put in
22 wells from 70 to 120 feet in that area.

23 Q. And then is the shallow -- is there an
24 impermeable layer between the shallow and the artesian
25 in that area?

1 A. Yes, there is.

2 Q. What is that impermeable layer often kind of
3 referred to?

4 A. Depending on whose geology you do, but some
5 people say the Artesian Group. I tend to go with "the
6 formations." And we do have references to another
7 nomenclature brought in from Texas.

8 Q. Now, the depth of the artesian is -- ranges
9 from the top of the artesian to the bottom. And the
10 area between B and B prime and D and D prime, do you
11 know what that is?

12 A. Yes. It can vary. I was looking at -- at this
13 location, I do not because of -- I would not have that
14 information.

15 Q. I'd like to go now to the area of the lower
16 part of Figure 2, the area which would be D, D prime to
17 the bottom of the figure. And does that area also
18 contain shallow and artesian?

19 A. In that area where it's crosshatched?

20 Q. Yes.

21 A. (Indicating.)

22 Q. Again, do you know if the artesian -- I'm
23 sorry -- if the shallow is -- if there is an impermeable
24 layer between the artesian -- the shallow and the
25 artesian?

1 A. Yes, there is.

2 Q. Okay. Do you know -- this is just a question.
3 Do you know if the New Mexico State Engineer has
4 regulations in place regarding the drilling of water
5 wells to ensure that the artesian is separated from the
6 shallow?

7 A. I am aware of them, yes.

8 Q. And do you know why -- just as -- I note that
9 you had worked for Jay Lazarus, and Jay does a lot work
10 down in that country. And I was just wondering if you
11 were familiar with why the engineer had those in place.

12 A. It would be to confine the artesian and keep
13 the separation.

14 Q. And why is that?

15 A. Based upon experience, I would believe it would
16 be to keep the two water sources distinct and separate,
17 not only for quality issues but for the quantity issues,
18 also.

19 Q. Are you familiar or do you know what the
20 shallow waters -- what their use are for within the RAB?

21 A. The shallow, from the work I did in the area,
22 was primarily domestic.

23 Q. Do you know if the shallow is -- and when we
24 say domestic, household use?

25 A. Correct.

1 Q. Do you know if the shallow within the RAB is
2 also used for irrigation purposes?

3 A. It is in some places.

4 Q. Do you know if it's also used for municipal and
5 industrial purposes?

6 A. I would not be aware of that.

7 Q. Now, the artesian -- I think you indicated that
8 the artesian was also being used for consumptive
9 purposes?

10 A. Correct.

11 Q. Now, does that include municipal and
12 industrial?

13 A. Yes.

14 Q. Irrigation?

15 A. Yes.

16 Q. Domestic?

17 A. Yes.

18 Q. I'd like to visit about -- for just a moment,
19 if I may, about a contamination issue. If the
20 shallow -- if the impermeable bed, the red bed, if you
21 may, were to be perforated into the artesian, what's the
22 effect of that?

23 A. If they were going to have communication, it
24 would exist at that time.

25 Q. So we would have a commingling and a

1 contamination issue, correct?

2 A. Not necessarily. You would have the
3 opportunity for it.

4 Q. Are you familiar with the terminology
5 "transmissivity of an aquifer"?

6 A. Yes.

7 Q. Would you explain for us what that term means?

8 A. A relationship of porosity over a surface area
9 and its ability to move and communicate. So we would
10 have an understanding of the ability for both migration
11 as well as production.

12 Q. Are you familiar with the velocity of the
13 artesian aquifer within the RAB, how fast the water
14 moves?

15 A. I'm not aware at this point.

16 MR. OLSEN: May I have just one moment?

17 CHAIRMAN CATANACH: (Indicating.)

18 (Pause in proceedings.)

19 MR. OLSEN: Thank you, sir. I appreciate
20 it.

21 We'll pass the witness.

22 CHAIRMAN CATANACH: Thank you, Mr. Olsen.

23 Mr. Feldewert, do you have questions?
24
25

1 CROSS-EXAMINATION

2 BY MR. FELDEWERT:

3 Q. Mr. Goetze, the question to you about the state
4 water regulations, now, I've read through those
5 regulations, and I thought you -- did you mean to
6 testify that the state water regulations require two
7 protective casings through the aquifers when they're
8 draining from the artesian aquifer? Did you mean to say
9 that?

10 A. Which? The New Mexico Administrative Code on
11 rulemaking?

12 Q. Yeah.

13 A. The opportunity is there for its use.

14 Q. Okay. But they don't require two protective
15 casings? They don't require them to be separately
16 cased?

17 A. Not necessarily.

18 Q. There is no requirement in the state water
19 regulations that's being proposed here by the Oil
20 Conservation Division?

21 A. Not that I'm aware of.

22 Q. All right. Now, you said that your concern
23 here relates to the shallow aquifer of less quality
24 somehow migrating to the deeper aquifer of higher
25 quality?

1 A. This was something that was raised in
2 discussion, yes.

3 Q. Raised in discussion by whom?

4 A. By going back to the start of this process.

5 Q. All right. So if I'm understanding, that can
6 only occur when you have both aquifers overlying one
7 over the other, correct?

8 A. Correct.

9 Q. We don't have that concern outside of the
10 shallow aquifer area identified on your Figure 2?

11 A. That's correct.

12 Q. All right. Now, you testified -- I think you
13 said that -- and you were very careful about your
14 testimony, that you thought the two protective strings
15 advocated by the Division was the most conservative
16 approach to that concern; is that correct?

17 A. That is correct.

18 Q. Do you have any evidence of any fluid migration
19 caused by oil and gas drilling between the shallow
20 aquifer and the deeper artesian aquifer?

21 A. I have no reports or evidence of such.

22 Q. Zero, zip, nada?

23 A. Correct.

24 Q. And do you know how many wells, Mr. Goetze,
25 have been drilled out in the area of the shallow aquifer

1 where it overlies the deeper aquifer?

2 A. We looked at over 1,000 wells in that area.
3 Some of them do not go that deep, but there is a
4 significant number.

5 Q. Decades of drilling?

6 A. Correct.

7 Q. No incidents whatsoever?

8 A. No reports.

9 Q. You also mentioned that the artesian aquifer is
10 recharged by the Sacramento Mountains?

11 A. Runoff.

12 Q. Runoff?

13 A. The recharge is at the base of the Sacramentos.
14 Plus, the buckles do contribute.

15 Q. Am I correct that there are other areas in the
16 state that have similar aquifers that are recharged by
17 mountain runoff?

18 A. Yes, but not on this scale.

19 Q. You means in terms of volume?

20 A. In terms of area. It's the only artesian we
21 have that is of this scale.

22 Q. But you have other areas in the state with
23 aquifers that are recharged by runoff from mountains?

24 A. That's correct.

25 Q. All right. So the uniqueness here, I guess if

1 you want to call it that, is the fact that we have a
2 shallow aquifer overlying a deeper aquifer?

3 A. And an artesian aquifer.

4 Q. All right. You mentioned that there are -- I'm
5 looking at your Figures 4 and 5. You mentioned that in
6 certain areas, there are confining barriers; is that
7 right?

8 A. There is a confining layer vertically, and then
9 horizontally, there are restrictions.

10 Q. Okay. Let's talk about confining vertically.
11 How confining is it?

12 A. To the south, it seems very confining, since it
13 is able to have its own pressure head. It's a confined
14 aquifer -- artesian aquifer. Historically, it has had
15 its own pressure.

16 Q. And then to the north?

17 A. It tends to drop off. And where you have both
18 shallow and the deeper coming together, it's the same
19 potentially at the surface.

20 Q. So if I take your -- your Figure 3 and I look
21 at the shallow aquifer area, you're saying part of that
22 area is going to have a various -- you're going to have
23 a confining barrier, and others are going to have less
24 confining barriers?

25 A. Yeah. I would say that.

1 Q. Which means that there could be communication,
2 potentially, already between the two aquifers?

3 A. There is.

4 Q. There is?

5 A. Uh-huh. You have recharge of a -- if you go to
6 Figure 1, you have your Border Buckle, and then six
7 miles off, the Y-O Buckle are -- that provide recharge.

8 Q. So if I'm looking at Figure 6 -- 5 -- sorry --
9 5, what do those squiggly lines mean between the --

10 A. Squiggly little lines?

11 Q. You see those squiggly little lines for the
12 Pecos River in that barrier?

13 A. To where the shallow and the artesian come
14 together?

15 Q. Yeah.

16 A. It would be a minimal confining layer at that
17 point.

18 Q. Minimal. That's what those squiggly lines
19 mean?

20 A. Well, that squiggly line is interpretation.

21 Q. So it could be beyond that?

22 A. It would have to be, based upon what was
23 observed by Mr. Welder when he compiled his information.

24 Q. Let me make sure I understand it. If I see
25 squiggly lines there below the Pecos River, before Rio

1 Honcho, in that gray area, that means there is
2 potentially communication between those two aquifers
3 there?

4 A. There may be at certain points a confining
5 layer.

6 Q. And that's all a matter of interpretation how
7 far that communication exists?

8 A. I believe that would be best handled by a true
9 hydrologist.

10 Q. How did you -- you mentioned -- I'm looking at
11 your Figure Number 3 or Figure Number 2. We can just
12 flip back and forth. I'm sorry. I think it's Figure 2.
13 You testified that the red outline and the yellow was
14 something that was added by the Division to the map, if
15 I look at Figure 2?

16 A. This was prevented in this exhibit following
17 the legal description that was provided.

18 Q. And how was this area in red determined?

19 A. The area was best determined taking where we
20 had production and simplifying the outline of legal
21 townships and using that as a guidance as opposed to
22 subdividing into smaller legal descriptions.

23 Q. Let me be more specific. I think you said that
24 that was an outline that the Division came up with for
25 consideration; is that correct?

1 A. That's correct, a designated area.

2 Q. Who determined this outline and this area for
3 consideration as the designated area?

4 A. It was a consideration made by both Legal and
5 Technical.

6 Q. Within the Division?

7 A. Correct.

8 Q. Okay. All right. And it was purely designed
9 around the area where there was either aquifer present?

10 A. That's correct.

11 Q. Did the Division intend for that to be the
12 defining line of where these proposed special rules
13 would apply?

14 A. At this point the discussion was to have an
15 area designated such that we covered most of the
16 possibilities, the maximum, as well as provide an
17 adequate boundary for notification.

18 Q. Okay. So it was the most expansive area that
19 could be, in your opinion?

20 A. That's correct.

21 Q. And it's up to the Commission to determine
22 whether it should be this entire area or some other area
23 or whether we have special rules at all, correct?

24 A. Correct.

25 Q. And define this red line -- and I know you

1 don't have the rules in front of you, but I do have the
2 modifications.

3 MR. FELDEWERT: If I may approach?

4 CHAIRMAN CATANACH: Certainly.

5 THE WITNESS: Thank you.

6 Q. (BY MR. FELDEWERT) There was one thing I saw
7 when I was looking at your proposal that we addressed, I
8 think, in our proposed motions, and that dealt with
9 paragraph -- Rule C. And you'll see -- I'm talking
10 about the opening paragraph, the paragraph -- I don't
11 need to read it. But you'll see there is still a
12 reference to "within one mile of the area so mapped,"
13 which I term to be the designated area. Was that left
14 over from when these were considered to be pool rules
15 rather than rules for this particular area?

16 A. I would not know.

17 Q. In other words, you don't anticipate that
18 you're proposing rules not only that would encompass
19 this large area within the red line, but within one mile
20 outside that? Is that what's being proposed?

21 A. I would not know that.

22 Q. Okay. And would you agree with me that the
23 only problem, looking at Figure 3, that exists today,
24 from the Division's standpoint, is that the area --
25 within the area in yellow, for some reason, there were

1 APDs that were approved that did not have a protective
2 string that went through the deepest aquifer?

3 A. It was my understanding that that was brought
4 to attention upon review.

5 Q. And the Division is in the process of ensuring,
6 using existing rules, that they have a protective string
7 through the deeper aquifer?

8 A. I believe that we have issued emergency
9 responses concerning this, but at this point, that would
10 be best answered by District.

11 Q. Okay.

12 MR. FELDEWERT: I don't have any other
13 questions. Thank you.

14 CHAIRMAN CATANACH: Thank you,
15 Mr. Feldewert.

16 Let's see. Mr. Larson?

17 CROSS-EXAMINATION

18 BY MR. LARSON:

19 Q. Good afternoon, Mr. Goetze.

20 A. Mr. Larson.

21 Q. Has the OCD received any reports of hydrocarbon
22 contamination of the shallow alluvial aquifer caused by
23 oil and gas operations?

24 A. Not related to oil and gas operations. That's
25 correct.

1 Q. And has the Division received any reports of
2 hydrocarbon contamination of the deeper artesian aquifer
3 caused by oil and gas operations?

4 A. Not related to oil and gas, only naturally
5 occurring.

6 Q. And I direct your attention to Figure 4,
7 specifically what's referred to as the confining beds,
8 and I believe you said that was referred to a different
9 way by different people?

10 A. Yes.

11 Q. And both Mr. Brooks and Mr. Olsen asked you
12 questions involving the word "impermeable" to address
13 the confining beds. Are they, in fact, impermeable?

14 A. There is a certain amount of leakage, but
15 depending upon where you are in the Basin, it's --
16 impermeability does increase and decrease with respect
17 to location.

18 Q. And is there any recharge of the alluvial
19 aquifer from the artesian aquifer through the confining
20 bed?

21 A. There is, in the Welder report, reference to a
22 no-flow boundary, some communication or possible
23 communication with the --

24 Q. So there is commingling that's naturally
25 occurring between the two aquifers?

1 A. Yes, sir.

2 Q. In the area designated on Figure 2, and that's
3 the area -- the crosshatched area that includes both
4 aquifers, would a single surface string drilled to below
5 the bottom of the deeper aquifer, cemented to surface,
6 provide sufficient protection to prevent commingling?

7 A. I'll leave that to the district geologist to
8 have a discussion.

9 Q. That's fine.

10 MR. LARSON: That's all I have,
11 Mr. Chairman.

12 CHAIRMAN CATANACH: Thank you, Mr. Larson.
13 Mr. Bruce?

14 MR. BRUCE: No questions.

15 CHAIRMAN CATANACH: Ms. Foster?

16 MS. FOSTER: No questions.

17 MR. BROOKS: Mr. Chairman, I don't care
18 which way we do it, but I'd like an opportunity to
19 redirect either before or after the Commissioners asks
20 their questions.

21 CHAIRMAN CATANACH: I'll say after.

22 MR. BROOKS: That's entirely satisfactory.
23 In fact, that's the way I prefer it.

24

25

1 CROSS-EXAMINATION

2 BY COMMISSIONER BALCH:

3 Q. So you're referencing a 1982 hydrogeologic
4 study?

5 A. As well as its update with the 2003 effort.

6 Q. 2003 effort and 2004 play maps. Are these the
7 best and most recent data sets available?

8 A. This is what's publicly available.

9 Q. This is the best available?

10 A. That's the best you can come up with the price
11 tag available.

12 Q. With a price tag of zero?

13 A. But some of it -- the discussion with
14 Mr. Broadhead and the people at the Bureau.

15 Q. So that was my consideration. I'm wondering if
16 you think that these maps are representative of the
17 current placement of the aquifers.

18 A. That would be something open for discussion.
19 I'm sure there has been more specific information
20 available, but the compilation of those and the
21 availability of them tends to be either -- the area
22 unavailable or in the process of an open file or some
23 sort of preliminary document.

24 Q. Is it -- is it common to run a cement bond log
25 when you bring cement to surface?

1 A. Not necessarily. We have accepted the show of
2 cemented surface as being adequate.

3 Q. When a cement bond log is run under these
4 circumstances, does it ever come back negative?

5 A. Depending upon what the operator does, yes, we
6 have had them come back negative.

7 Q. Come back negative. Is that a common
8 occurrence or a noncommon occurrence?

9 A. It is more of an uncommon occurrence.

10 Q. So if you were to pause your drilling for the
11 purpose of waiting for the cement to cure, run the bond
12 log, get the bond log reviewed, how often would that
13 result in going back and redoing your cement job?

14 A. I would not know, but it would probably be a
15 lower probability.

16 Q. And if you do that, really what you're doing is
17 you're going back in and you're perfing and squeezing
18 anyway?

19 A. That's correct.

20 Q. So that delay probably is not necessary in that
21 case, since you remediate the problem either way?

22 A. That would be possible, yes. Correct.

23 Q. That's all I have. Thank you.

24 A. You're welcome.

25

1 CROSS-EXAMINATION

2 BY COMMISSIONER PADILLA:

3 Q. Just a couple. Mr. Goetze, you were talking a
4 little bit about the water quality differential between
5 these two aquifers. Can you elaborate a little more on
6 that, what we're talking about here?

7 A. Well, in certain parts of this area, there are
8 many agricultural operations, and these have had a
9 direct impact on the shallow aquifer, high values of
10 nitrate, TDS, chlorides. These things are known and
11 well documented down there and have had -- as of this
12 date, I know of numerous abatement plans that have been
13 submitted to NMED for either monitoring or corrective
14 action.

15 Q. 100,000, 200,00 TDS?

16 A. No. I've seen it as much as 15,000.

17 Q. Okay.

18 A. Chloride.

19 Q. Okay. And that's from surface operations
20 affecting recharge, et cetera?

21 A. Well, it's surface sources.

22 Q. Right.

23 You talked a little bit about the potential
24 for commingling between the buckles and then the
25 confining beds. How much commingling are we talking

1 about?

2 A. Well, to the north, a potential for the
3 confining layer -- in the Basin to the north, the
4 confining layer is less prevalent and has less dominance
5 than when you get farther south. In the south portion
6 of the Basin, it is much thicker and more prevalent.

7 Q. And through the buckles?

8 A. The buckles are a feature -- a flex feature
9 with faults and fractures which tend to be a source for
10 recharge.

11 Q. So that really hasn't had any noticeable
12 effect, I guess, just in the short time that humans have
13 been watching this kind of thing?

14 A. Well, it was something that was just -- it's a
15 mapping feature that's found as a source.

16 Q. As to the yellow area outlined on -- I think
17 it's Figure 3, the area of recent oil and gas
18 development, suspended APDs, there's been some
19 discussion that those were APDs that probably shouldn't
20 have been approved in the first place. Is that -- I'm
21 just curious from the OCD standpoint. Is that a
22 clerical error, or is that a procedural change, or what
23 happened there?

24 A. It tends to be more of a personnel issue. We
25 have vacancies. We have lost our artesian geologist,

1 and the next witness has been covering probably the most
2 active portion of the state of New Mexico as a solo act.
3 So there is a certain amount of personnel issues. And,
4 again, familiarity with the area; we did have someone
5 there, but they were not quite aware of it, of what the
6 relationships were.

7 Q. But just to be absolutely clear, those APDs did
8 not meet current requirements?

9 A. The ones that were suspended did not meet what
10 was best practice.

11 Q. Okay. The last question: The bond log review
12 that Dr. Balch just touched on, what kind of internal
13 turnaround does that require for OCD?

14 A. Most instantaneous. We would have to have some
15 sort of obligation to meet the operator's schedule.

16 Q. Same day, next day, something like that?

17 A. We could be doing it within -- with email. We
18 could do it with reception of the email. It's all a
19 game of having someone available to do it.

20 Q. Given that you just talked about personnel
21 issues, we're talking about a lot of capital
22 expenditures sitting on -- do you think that's feasible
23 to turn those around?

24 A. Well, I would say there is a lot of donated
25 time that goes on.

1 Q. Okay. Thanks.

2 A. You're welcome.

3 CROSS-EXAMINATION

4 BY CHAIRMAN CATANACH:

5 Q. Mr. Goetze, if the Commission establishes a
6 rule for a two-string scenario through the -- through
7 the shallow and deeper aquifer or two separate strings,
8 wouldn't that only encompass the area of where the
9 shallow aquifer and the artesian aquifer are present?

10 A. That would be my belief.

11 Q. So outside of that area, would we need to
12 institute any special rule in that area other than
13 what's on the books already?

14 A. It would save you encumbrance if we just did it
15 that way.

16 Q. Now, let me ask you about the boundary of the
17 shallow aquifer. How precise is that boundary as
18 mapped? Do you know what's that based off of?

19 A. That would be based off of numerous field
20 observations.

21 Q. Would you be comfortable -- or could you define
22 that area in terms of section, township and range?

23 A. It could be investigated to be fine-tuned,
24 especially if we were to go and find more recent
25 information.

1 Q. So we could define that more clearly in terms
2 of that measuring system.

3 Is the Artesia Group productive in this
4 area?

5 A. It has had occurrences. The Grayburg has had
6 occurrences. We have had -- most of that activity is to
7 the east of the Pecos, where you have the Twin Lakes and
8 that type of occurrence.

9 Q. What about the San Andres?

10 A. The San Andres does have production --
11 overproduction in this area.

12 Q. So would that be -- would the artesian aquifer
13 be above the San Andres production?

14 A. That's correct.

15 Q. Okay.

16 A. If you go to Figure 7, the Slaughter zone,
17 which is pretty much the Lower San Andres, the
18 occurrences there are well documented. And, of course,
19 showing on the east or southeastern side of this cross
20 section, you have the Grayburg pools. But at that
21 point, your artesian seems to be somewhat limited as far
22 as aquifer.

23 Q. So in the area where the San Andres is
24 productive, is there something separating between --
25 separation between the oil productive portion of the

1 San Andres and the artesian there?

2 A. There does not seem to be communication.

3 Q. So there is something there preventing --

4 A. Well, the reservoir characteristics are such
5 that you've contained your oil.

6 Q. The area that you confine as the active area,
7 you said that was mostly deeper formations?

8 A. That were being petitioned for drilling, yes.

9 Q. Wolfcamp? Bone Spring?

10 A. Right. Deeper.

11 Q. Is the San Andres being targeted in that area?
12 And these are mostly horizontal wells, right?

13 A. Yes. And matter of fact, I think there were
14 only a few vertical, but these are all horizontals.

15 Q. What is the difference in the water quality
16 between the shallow and the deeper? Do you have
17 knowledge about that?

18 A. From the work I did, there is a significant
19 water quality difference.

20 Q. Could you elaborate on that?

21 A. In the wells that I sampled, I had TDS's of 200
22 to 500 for the aquifer -- for the artesian aquifer.
23 Surface could range anywhere from 10,000 down to below
24 1,000 TDS, and chlorides.

25 Q. What would be the cause of that?

1 A. Again, it would be surface -- surface use and
2 discharge.

3 Q. Are you aware of any -- of lost-circulation
4 issues between the artesian aquifer and the shallow
5 aquifer that would prevent -- that would interfere with
6 cementing across those zones?

7 A. There is -- locally, there are features that do
8 introduce an issue of karst, but that would be best
9 handled by a discussion with the district geologist.

10 Q. Is your proposed rule dealing with the annular
11 spacing between the casing and the -- for cemented
12 purposes, the -- the annular space, the size of the
13 casing or the size of the 2-inch --

14 A. Well, the 2-inch, I think that is something the
15 Commission has to take a look at. The 2-inch needs to
16 be better defined. And at this point, we have looked at
17 the 2-inch being a maximum based upon casing to casing.

18 Q. So is the Division suggesting any rule change
19 with regards to that?

20 A. Not that I'm aware of.

21 Q. Okay. So you believe the existing rules deal
22 adequately with that issue?

23 A. I will again defer to the district geologist,
24 let you have a discussion with him.

25 CHAIRMAN CATANACH: I have no further

1 questions.

2 Mr. Brooks?

3 REDIRECT EXAMINATION

4 BY MR. BROOKS:

5 Q. Okay. Redirect briefly, Mr. Goetze. I want to
6 talk to you about the designated area, which is the area
7 shown on Figure 2, outlined in red and emphasized in
8 yellow. The limits of the aquifers were determined by
9 what?

10 A. These are as described by the State Engineer,
11 and most of it's used for its planning documents, as
12 well as what I understand to be when they define the
13 aquifer, this is what they use as a guideline.

14 Q. These are -- are these published maps -- is the
15 base that was used for Exhibit 2, before the red-lined
16 area was added, is that based -- a published map put out
17 by -- compiled by the State Engineer?

18 A. That is a report offered by the State Engineer,
19 yes.

20 Q. Now, do you know any specific and readily
21 accessible, more accurate source by which that can be
22 redefined and updated?

23 A. At this point I have no summary published
24 report that's better than this.

25 Q. Okay. You, at my request, magnified or --

1 magnified this exhibit several times; did you not?

2 A. Correct.

3 Q. Was it possible, even with repeated
4 magnification, to delineate with any confidence of
5 accuracy which sections within given townships would be
6 included within the aquifer -- would overlies the aquifer
7 as mapped on this map and which would not?

8 A. We could not successfully do that.

9 Q. Obviously, it could be done in some instances.
10 The eastern tier of sections along -- in Township 26 --
11 in Townships 18, 19 and 20 -- 18 -- 16 through 20 in
12 Range 26 -- 16 through 20 South, in Range 26 East
13 obviously were not included.

14 A. That's correct.

15 Q. But in order to come up with mapping by
16 sections, would it not be necessary to make -- to simply
17 make guesses as to where those lines run in response to
18 section lines in some instances or many instances?

19 A. It would have been a projected view.

20 Q. Yeah.

21 Okay. Now, is it not likewise -- is it
22 likewise true that there are situations on this map
23 where you cannot tell where the line of the map to
24 aquifer comes within one mile of the outer boundary of a
25 township?

1 A. The accuracy is questionable in some locations,
2 but we did the best as far as providing a buffer.

3 Q. So if we included one mile around the
4 designated area, the designated townships, that would be
5 conservative in the sense that it would be protecting
6 the aquifer as its boundaries are illustrated even if --
7 with a one-mile clearance --

8 A. That's correct.

9 Q. -- wherever, because we were able to identify
10 where it crossed according to the State Engineer's
11 mapping, the township lines?

12 A. That's correct.

13 Q. Okay. Now, you said the delay to -- you
14 testified in response to cross-examination that because
15 bonding deficiency in cement that went to the surface
16 was rare, that the delay might not be necessary, is that
17 correct, delay involved in approving; is that correct?

18 A. May not be necessary.

19 Q. Now, in the interest of providing the highest
20 degree of protection, would it be a rational response --
21 a reasonable response?

22 A. To provide a cement bond log?

23 Q. Yes.

24 A. I think it would be a reasonable conservative
25 effort.

1 Q. Very good.

2 Now, you were asked about oil and gas
3 activity involving the Artesian Formation. Is that a
4 current concern?

5 A. It is not a high target in this area, I
6 believe, at this point.

7 Q. Would the same thing be true of the San Andres?

8 A. That, I could not tell you.

9 Q. Okay. Mr. Kautz would probably be more
10 familiar than you would --

11 A. Yes.

12 Q. -- since he approves APDs on a daily basis?

13 A. I would defer to him.

14 Q. Okay. Very good.

15 MR. BROOKS: Mr. Chairman, I omitted one
16 formality that is customary in OCD proceedings as
17 tendering the witness for advance approval of his
18 qualifications. However, I would note that the only
19 purpose of that is to establish the right of counsel to
20 ask the witness questions about his opinions. And this
21 witness was asked questions about his opinions both on
22 direct and on cross, and no counsel interposed an
23 objection to his qualifications. Therefore, at this
24 time I would like to tender Mr. Goetze as an expert in
25 the field of geology and hydrogeology.

1 CHAIRMAN CATANACH: Mr. Goetze is so
2 qualified.

3 MR. BROOKS: Pass the witness.

4 CHAIRMAN CATANACH: Are there any
5 additional questions of this witness?

6 Okay. You may be excused.

7 THE WITNESS: Thank you.

8 CHAIRMAN CATANACH: Let's take a ten-minute
9 break.

10 (Recess 2:54 p.m. to 3:15 p.m.)

11 CHAIRMAN CATANACH: Call the hearing back
12 to order, and at this time, I'd turn it over to
13 Mr. Brooks.

14 MR. BROOKS: Very good. Mr. Chairman and
15 Honorable Commissioners, I have initiated attempts to
16 get the proposed rule before you for inclusion with your
17 notebooks. I do not know if you have them now or not.

18 COMMISSIONER BALCH: (Indicating.)

19 MR. BROOKS: You do?

20 COMMISSIONER BALCH: It appears so.

21 MR. BROOKS: Okay. The proposed rule that
22 we are asking you to adopt is Exhibit A to the Fifth
23 Amended Application for Rulemaking. And if you have
24 that before you, that will make the testimony go more
25 smoothly.

1 CHAIRMAN CATANACH: We do. Thank you,
2 Mr. Brooks.

3 MR. BROOKS: Thank you.

4 CHAIRMAN CATANACH: At this time you're
5 going to call your next witness?

6 MR. BROOKS: Call Paul Kautz.

7 PAUL KAUTZ,
8 after having been previously sworn under oath, was
9 questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BROOKS:

12 Q. Mr. Kautz, can you hear me?

13 A. Yes, I can.

14 Q. Very good.

15 Would you state your name for the record,
16 please?

17 A. Paul Kautz. Last name spelled, K-A-U-T-Z.

18 Q. Thank you.

19 Now, at the beginning of this proceeding,
20 the court reporter asked all those who expected to
21 testify to stand and be sworn. Were you one of those
22 that were sworn?

23 A. Yes, I was.

24 Q. And did you state that you took the oath --
25 that you subscribed to the oath as stated?

1 A. I did.

2 Q. Thank you.

3 Mr. Kautz, by whom are you employed?

4 A. I'm employed by the Energy, Minerals and
5 Natural Resources Department, Oil Conservation Division,
6 in Hobbs, New Mexico, as the district geologist in the
7 Hobbs District.

8 Q. The Hobbs District -- does the Hobbs District
9 include the area that is the subject of this proceeding?

10 A. No, it does not. I am also acting district
11 geologist with the Artesia District.

12 Q. Have you served in that capacity, as acting
13 district geologist, for the Artesia District several
14 times?

15 A. I've lost count how many times.

16 (Laughter.)

17 Q. Okay. At the time that you gave your testimony
18 in the previous hearing that occurred on May 10th, 2016,
19 you said that there was a district geologist who had
20 been hired in the Artesia District Office. Did that
21 person subsequently terminate their employment there?

22 A. Yes, she did.

23 Q. And is that position now again vacant?

24 A. Yes, it is.

25 Q. Okay. Well, there has been a question come up.

1 And I'm taking this out of order, but because it has to
2 do with the staffing in the Artesia office, is there a
3 person in the Artesia office who is capable of reading
4 bond logs?

5 A. Yes, there is. There is the compliance officer
6 who is a former employee of Schlumberger, Gilbert
7 Cordero. And hopefully -- we're in the process -- we've
8 had interviews, and hopefully we'll have a new geologist
9 who will also have the ability to read the bond logs,
10 also.

11 Q. Okay. Are there several people in the Hobbs
12 District Office who are capable of reading cement bond
13 logs?

14 A. Yes, there is. We have myself; the district
15 supervisor, Maxey Brown; and we have one compliance
16 officer who is a former employee of Halliburton who is
17 capable of reading bond logs.

18 Q. Okay. Now, would those people be available --
19 You went dark for a moment.

20 Would those people be available from the
21 Hobbs District Office to assist if there were
22 unavailability of the one person who reads them in
23 Artesia?

24 A. Yes. They would be available. We have email.
25 We've had cement bond logs in the past by email.

1 Q. Okay. Then I will go back to what I had
2 prepared as the order which follows this rule that we
3 have proposed. The first provision that we have
4 proposed in regard to this rule is entitled "Wells that
5 penetrate the shallow aquifer." Now, that would include
6 mostly wells that also penetrate the deep aquifer,
7 correct?

8 A. Yes, that is correct.

9 Q. Now, there is a small area along the east side,
10 according to Figure 2 which was admitted in evidence,
11 along the east side of the aquifer where the shallow
12 aquifer protrudes farther east than the deep aquifer?

13 A. Yes.

14 Q. Looking at the map, can you tell exactly how
15 far that is?

16 A. I'd say maybe one to two miles at the most.

17 Q. So does that indicate to you that, for the most
18 part, if the wells overlies the shallow aquifer, they'll
19 also overlies the deep aquifer?

20 A. Yes.

21 Q. Very good. Now, the first provision under C
22 has to do with the conductor pipe. What is conductor
23 pipe?

24 A. Conductor pipe is something to prevent cavings
25 on drilling your surface casing.

1 Q. And how deep does it usually -- do you usually
2 set a conductor pipe?

3 A. Most of them I've seen are around 40 feet, but
4 I have seen some as deep as 200 feet.

5 Q. Now, the rule says that it will be adequately
6 cemented in place to -- the proposed rule says that the
7 conductor pipe will be adequately cemented in place to
8 prevent drainage of fluids from the surface or other
9 shallow formations into the shallow aquifer. That gives
10 a reason by itself, but is that -- is that a proposal
11 that you consider appropriate?

12 A. Yes, I do. And that was one of the things that
13 was -- when we first had meetings with the Pecos
14 Artesian Conservancy District, that they were concerned
15 about whether the conductor pipe was being cemented or
16 not.

17 Q. And can you explain your reasons for thinking
18 that that is an appropriate regulation?

19 A. We've had situations in our district where when
20 there were slow-drilling wells, there was potential for
21 water collars to -- if they knew that there was an open
22 hole, that they can usually get rid of water that way.
23 And so we had to institute a procedure where slow drills
24 required the conductor pipe to -- requirements that
25 included locking -- locking caps. But on a drilling

1 rig, that won't be necessary since there is someone
2 there 24 hours a day.

3 Q. Okay. If you have a conductor pipe, is that
4 protecting the integrity of the hole when you start the
5 drilling process?

6 A. Yes, it does.

7 Q. And if you leave that conductor pipe in place,
8 what advantage does -- or cemented in place, what
9 advantage does that have?

10 A. It has no advantage at all.

11 Q. No advantage for the drilling purposes?

12 A. No.

13 Q. So why should we require it?

14 A. Well, just to make sure that it's cemented in
15 place, prevent any fluids from -- from the surface
16 entering the ground.

17 Q. The fluids from the surface would not enter the
18 ground through the hole when it's being drilled, would
19 it?

20 A. Rain, et cetera.

21 Q. They would enter the hole through the area
22 outside the drill pipe?

23 A. That's correct.

24 Q. And that's the reason for having the --

25 A. Conductor pipe.

1 Q. -- having the conductor pipe there?

2 The second requirement is that the surface
3 casing string be set at least 50 feet below the base of
4 the shallow aquifer, and that is a specific requirement
5 for this area that -- where both aquifers exist,
6 correct, that we're proposing?

7 A. Yes.

8 Q. Now, if the shallow aquifer were the only
9 aquifer, would that be the same as the statewide
10 requirement?

11 A. It would.

12 Q. 50 feet below the -- below the aquifer depth,
13 is that the usual statewide requirement?

14 A. It also has to be made in a competent bed.

15 Q. Okay. And that is also provided in the
16 proposed rule, right, and such that the surface casing
17 is landed in the first competent formation?

18 A. That is correct.

19 Q. So if you didn't have a deeper formation, this
20 rule would be equivalent to the statewide rule?

21 A. Yes.

22 Q. Okay. But the purpose of making a specific
23 provision -- for setting a casing below the base of the
24 surface casing, is the purpose of that to separately
25 protect the upper shallow aquifer and the deeper

1 artesian aquifer?

2 A. Yes, it is.

3 Q. Now, then you go on in paragraph three of C.
4 The proposed rule requires an intermediate casing string
5 in the San Andres. Now, what would be the purpose of
6 the intermediate casing string in the San Andres?

7 A. It would be set below the artesian aquifer and
8 above any occurrences of fault in the San Andres.

9 Q. Okay. The wording is "approximately 1,200 feet
10 below the surface and not more than 50 feet above the
11 first show of hydrocarbons encountered in the San Andres
12 Formation." Is the 1,200 feet a prescriptive provision,
13 or is it merely an estimate of where that appropriate
14 level would be?

15 A. It's just an estimate. In one of the areas
16 where operators are drilling, the first occurrence of
17 oil is occurring just slightly below that depth.

18 Q. Okay. How would you determine where 50 feet
19 below the -- 50 feet above the first show of
20 hydrocarbons would be? Where would you determine
21 that -- how would you determine that depth?

22 A. From mud logs -- a sufficient quantity of mud
23 logs available to review.

24 Q. And that would be the mud log -- would that be
25 the mud log from the drilling of the well itself?

1 A. It could be from the drilling of the well
2 itself or an adjacent well.

3 Q. Okay. And once you've determined that feet --
4 once you've determined that location, that is 50 feet
5 above the first show of hydrocarbons, you want to have
6 that surface casing -- intermediate casing string set
7 above that depth, correct?

8 A. That's correct.

9 Q. And what's the reason for that?

10 A. Prevent the hydrocarbons from entering the
11 aquifer.

12 Q. So the hydrocarbons would be retarded by the
13 cement holding the casing in place of the intermediate
14 casing string?

15 A. (No response.)

16 (The court reporter inquired if there was
17 an answer from the witness.)

18 Q. (BY MR. BROOKS) I will repeat the question then
19 or rephrase the question.

20 In the absence of the intermediate string,
21 would there be a hazard of hydrocarbons moving up
22 outside the casing into the aquifer?

23 A. There would be a potential for that.

24 Q. Okay. And if the intermediate casing string is
25 set immediately above the -- or close to the top of the

1 hydrocarbon level, that would prevent that, correct?

2 A. Yes, it would.

3 Q. Okay. Mr. Kautz [sic] suggested that this
4 two-casing string was a relatively conservative
5 preventive measure for limiting the possibility that
6 fluids could move between the two aquifers or into
7 either of the aquifers from a greater depth. Do you
8 agree with that judgment?

9 A. Yes, I do.

10 Q. Do you want to add anything in terms of
11 reasoning for it?

12 A. I think it's pretty straightforward. You'd
13 be -- your first protection string would protect the
14 upper aquifer, and then the second one would protect the
15 lower aquifer. And that's basically it.

16 Q. Okay. Now, the next requirement of the rule is
17 that before they proceed with drilling, after setting a
18 casing string, they obtain a bond log and submit it to
19 the OCD for approval. In your opinion, is that an
20 appropriate requirement?

21 A. Yes, it is. And in my district, we include
22 that as a condition of approval, that they run either a
23 cement bond log or a temperature survey if they do not
24 circulate cement on any of the strings of casing.

25 Q. Okay. Now, about the cement bond log and the

1 temperature survey -- and we haven't focused on this in
2 our previous discussions, but do you prefer one or the
3 other?

4 A. In our early discussions with the Pecos Valley
5 Artesian Conservancy District, there were concerns about
6 the quality of bonding, and that was one of our
7 suggestions, to require the quality of the cement jobs.

8 Q. Well, yes. To require a cement bond log,
9 right?

10 A. Yes.

11 Q. Now, do you consider a temperature survey to be
12 an adequate substitute for a cement bond log?

13 A. No. The temperature survey just indicates
14 where your top of cement is at, where the cement bond
15 log would indicate the quality of the bonding that's
16 occurred.

17 Q. Now, what is the concern about continued
18 drilling prior to review of the cement bond log?

19 A. Well, if you start drilling before it's -- it's
20 reviewed, you're just -- you have to come up with some
21 plan of action to what's not an adequate bond, your
22 cement casing.

23 Q. Is that more difficult to do if we started
24 drilling further down?

25 A. It's not difficult to do as long as you run the

1 cement bond log. But usually, you know, you're going to
2 be there two days before you drill out anyway. You've
3 got eight hours waiting on your cement, and then all the
4 other things you have to do, with testing your blow-out.
5 It's usually two days before you drill out.

6 Q. And is your office or the Artesia office, the
7 assistance of your office, capable of responding with
8 cement bond log approvals within that time frame?

9 A. I don't know about the Artesia office, but the
10 Hobbs office, I've taken calls on the weekend many a
11 time.

12 Q. Now, back to the same thing that I did not do
13 with Mr. Goetze, but I will do this with you now. Do
14 you have OCD Exhibit 3 before you?

15 A. Just a second.

16 Yes, I do.

17 Q. OCD Exhibit 3 is your resume and Mr. Goetze',
18 and it's all included in one exhibit. But are the first
19 two pages, the first page and the back side of the first
20 page, is that your professional resume?

21 A. I don't have -- have that part with me.

22 Q. What do you have with you? It's OCD Exhibit 3.

23 A. Oh, I thought you were referring to Figure 3.

24 Q. No. I'm not referring to Figure 3.

25 You do not have it?

1 A. No, I don't.

2 Q. Okay. Well, would you summarize your
3 background and qualifications and experience, absence of
4 not having that exhibit before you?

5 A. I received my BS degree in geology from
6 University of New Mexico in 1974. Upon graduation, the
7 Navy -- well, the Navy paid my way through school, and
8 upon graduation, I received a commission in the United
9 States Navy. In 1978, I resigned my commission and went
10 back to grad school at UNM.

11 In '80, '81, I was a grad student there. I
12 presented a paper at a conference on the geology and
13 bottom holes of northern New Mexico. I've published two
14 articles on the geology of the Espinaso Formation,
15 Oligocene Age, in north-central New Mexico. And I went
16 to work for the Oil Conservation Division in 1981 as
17 district geologist. And I've had worked here since that
18 time with two gaps in employment, one in 2006 where I
19 retired. About four months later, I came back to work
20 part time because they couldn't find anybody to replace
21 me. And then they asked me to come back full time, and
22 I came back in 2008 full time as district geologist.

23 MR. OLSEN: Excuse me, Counsel.

24 Mr. Director, counselors, I would stipulate
25 to the qualifications of the witness and his resume as

1 being an expert in his field.

2 MR. BROOKS: Well, I didn't tender him both
3 as an expert, and I think he's testified sufficiently.
4 But anyone who is concerned about it may expand on it
5 with the witness. I intend to tender him as a witness,
6 both as an expert in geology and as an expert in
7 regulation of oil and gas drilling.

8 CHAIRMAN CATANACH: Are there any
9 objections?

10 MR. FELDEWERT: No.

11 MR. LARSON: No objection.

12 CHAIRMAN CATANACH: Mr. Kautz is so
13 qualified.

14 MR. BROOKS: Thank you.

15 Q. (BY MR. BROOKS) I want you to address this
16 question of the 2-inch annulus. You have testified that
17 the 2-inch annulus is a necessary requirement. Well,
18 you so testified in your testimony in May. Do you still
19 believe that that is something we should require?

20 A. Yes, I do. With a 2-inch annulus, you have
21 sufficient turbulence to sweep the mud out ahead of
22 your -- of your cement and also to ensure that the --
23 that the cement properly bonds to the rock and the
24 casing.

25 Q. So would it be a minimum requirement or a

1 maximum requirement or both?

2 A. I think it should be at least a 2-inch
3 requirement, no less than 2 inches.

4 Q. Okay. Thank you.

5 A. When you start going beyond 2 inches, you start
6 running into problems.

7 Q. Yes, sir.

8 Okay. Would you explain what is meant by a
9 2-inch annulus, because these measurements are a little
10 bit -- they're subject to some ambiguities here. Could
11 you tell us what you mean by that?

12 A. What I mean by it is 2 inches greater than the
13 maximum diameter of your casing at your coupling point.

14 Q. Which would be the outer diameter of the
15 coupling?

16 A. Yes, sir.

17 Q. So 2 inches would be what? The difference
18 between what and what?

19 A. Well, usually on eight-and-five-eighths casings
20 and higher -- larger, something about 1 inch greater
21 than that, so it would be about 3 inches greater than
22 the casing.

23 Q. Now, the difference that you're looking at for
24 2 inches, is that the difference between the outside
25 diameter of the coupling and the inside diameter of the

1 hole -- I mean --

2 A. The distance between --

3 Q. -- the outside of diameter of the hole,
4 whatever the hole diameter is?

5 A. Whatever the hole size is minus your coupling
6 diameters.

7 Q. Should not be -- should be at least 2 inches,
8 right?

9 A. Yes.

10 Q. Now, Mr. Feldewert, in his opening statement,
11 indicated that his witnesses would testify that the
12 2-inch diameter should be greater than -- 2 inches
13 greater than the outside diameter of the casing rather
14 than the outside diameter of the coupling. Do you
15 disagree with that?

16 A. I have no opinion on that at this point.

17 Q. Okay. Thank you.

18 Now, what is the basic reason why you think
19 there should be two protective strings of casing?

20 A. To protect the water quality in both aquifers,
21 prevent any cross-flow between them while drilling.

22 Q. Now, Mr. Goetze testified that he was not
23 personally aware of any instances of contamination. Are
24 you aware of any?

25 A. No, sir.

1 Q. Is it sometimes difficult to determine where
2 contamination comes from?

3 A. Yes. And in particular with this aquifer, like
4 the San Andres here, where you have both the occurrence
5 of hydrocarbons and freshwater, you really don't know
6 where -- you can't tell whether it's hydrocarbon influx
7 or some other source.

8 Q. Does the OCD investigate to determine if
9 there's ever been contamination, or does it simply
10 respond to complaints?

11 A. We looked at 900 wells. We never finished the
12 survey, lack of manpower, but we reviewed over 600 wells
13 and haven't found any sources of -- any possibilities of
14 freshwater contamination.

15 Q. But -- well, let me put it this way:
16 Nevertheless, it's your -- is it your considered opinion
17 that maintaining the separation between these aquifers
18 is a prudent prophylactic measure?

19 A. Yes, sir.

20 Q. Okay.

21 MR. BROOKS: Mr. Chairman, I would like
22 to -- well, I don't believe -- there are no further
23 exhibits. I would like to tender Exhibit 3, since there
24 were no objections to Mr. -- I did not tender Exhibit 3
25 when Mr. Goetze finished testifying because it's both

1 Mr. Goetze' resume and Kautz' resume. Kautz has
2 testified to the highlights of his resume, although he
3 did not identify the exhibit. So at this point, I would
4 like to tender OCD Exhibit 3, which is the resumes of
5 the two witnesses, if there is no objection.

6 CHAIRMAN CATANACH: Any objections?

7 MR. FELDEWERT: No.

8 CHAIRMAN CATANACH: Exhibit 3 will be
9 admitted.

10 (OCD Exhibit Number 3 is offered and
11 admitted into evidence.)

12 MR. BROOKS: Very good. I will pass the
13 witness.

14 CHAIRMAN CATANACH: Mr. Olsen?

15 MR. OLSEN: Mr. Director and Commissioners.

16 CROSS-EXAMINATION

17 BY MR. OLSEN:

18 Q. Good afternoon, sir.

19 A. Good afternoon.

20 Q. Mr. Kautz, is it safe to say that the rule
21 as -- the proposed rule as it is before the Commission
22 today is not the result of a claim of contamination or
23 damage to the aquifers, but the purpose is to preserve
24 the aquifers from contamination?

25 A. That is correct.

1 Q. Is it also fair to say that this proposed rule
2 is not reactive, but it's proactive then?

3 A. Yes, sir. I would say it's proactive.

4 Q. Let me ask you, in your review of the RAB, have
5 you found numerous instances where two strings of casing
6 were set where there was shallow and artesian aquifers
7 identified?

8 A. Yes, sir.

9 Q. And is it safe to say that that practice of
10 setting two strings goes back to the '70s?

11 A. I couldn't answer that question.

12 Q. When you were looking for contaminants in the
13 aquifers, what type of contaminants were you looking
14 for?

15 A. Basically hydrocarbon.

16 Q. Did you identify any water wells that did have
17 hydrocarbons in them or just you were unable to identify
18 where there were contaminants as a result of the failure
19 to case a well?

20 A. There were two reported water wells with
21 possible hydrocarbons contamination in them, but it
22 would be impossible to tell whether it's natural
23 occurring or from a contaminated source.

24 Q. Was there a -- what type of methodology did you
25 adopt in doing your sampling for your review?

1 A. I can't answer that because I wasn't part of
2 the -- part of that.

3 Q. Mr. Kautz, you testified under oath on May 10th
4 of 2016. Do you recall that testimony?

5 A. Yes, sir.

6 Q. Have you had a chance to review the testimony
7 that you offered in May of 2016?

8 A. No, I haven't.

9 Q. Has your opinion which you tendered to the
10 Hearing Examiner in May of 2016 changed from your
11 testimony or any opinions that you have today?

12 MR. FELDEWERT: Object to the form of the
13 question. Very vague question. He gave a number of
14 opinions during that testimony.

15 CHAIRMAN CATANACH: Can you clarify,
16 Mr. Olsen?

17 MR. OLSEN: Without going into it,
18 throughout his testimony -- and I appreciate counsel's
19 objection. I guess my response, Mr. Director, would be
20 just to the witness' recollection as to the opinions
21 that he tendered, if he has any recollection if any
22 changes.

23 CHAIRMAN CATANACH: I'll go ahead and allow
24 it.

25 THE WITNESS: I believe I did make one -- I

1 have made one change, and that's from a one-string to a
2 two-string water protection system.

3 Q. (BY MR. OLSEN) And would you explain that
4 further for us, please?

5 A. I believe it's important to keep -- make sure
6 those two aquifers are isolated from each other in order
7 to protect it.

8 MR. OLSEN: May I have just one moment,
9 sir?

10 CHAIRMAN CATANACH: Okay.

11 Q. (BY MR. OLSEN) Mr. Kautz, thank you so much for
12 your time. I appreciate it.

13 MR. OLSEN: We pass the witness, sir.

14 CHAIRMAN CATANACH: Mr. Feldewert?

15 MR. FELDEWERT: What time did you want to
16 quit today?

17 CHAIRMAN CATANACH: Ten after 4:00.

18 MR. FELDEWERT: Because I'm going beyond
19 that.

20 CHAIRMAN CATANACH: Well, we can start.

21 MR. FELDEWERT: Okay.

22 CROSS-EXAMINATION

23 BY MR. FELDEWERT:

24 Q. Mr. Kautz, do you have your proposed rule in
25 front of you?

1 A. Yes, I do.

2 Q. I want you to focus on proposed Rule C.

3 A. Okay.

4 Q. Now, you have in here that you would -- under
5 this proposed rule, you have a second protective string
6 at a depth of approximately 1,200 feet below the surface
7 and not more than 50 feet above the first show of
8 hydrocarbons encountered. Do you see that?

9 A. Yes, sir.

10 Q. Okay. What happens if there are hydrocarbons
11 encountered above 1,200 feet?

12 A. Then they would be required to set that
13 intermediate casing at least 50-foot above any
14 hydrocarbons.

15 Q. So is the overarching idea here that the string
16 would be set not more than 50 feet above the first show
17 of hydrocarbons?

18 A. That's correct.

19 Q. No matter where that show is?

20 A. No matter where that show is.

21 Q. And why is that?

22 A. To isolate the two aquifers and protect them.

23 Q. Okay. Rules D and E, in the last clause, each
24 require the cement on the production casing string to be
25 cemented to the surface. Were you aware of that?

1 A. No.

2 Q. Wouldn't you agree that what you have in C(5),
3 that it is sufficient to have the cement on the
4 production casing string set at a depth not less than
5 500 feet above the next previous casing shoe, whatever
6 that is? Wouldn't that be sufficient?

7 A. That would be sufficient.

8 Q. Okay. And isn't that fairly customary, sir?

9 A. For our -- our rule says 200, but I'm going
10 with what the BLM requires.

11 Q. Okay. So you would accept even 200 feet above?

12 A. I prefer not to accept 200 feet because the way
13 cement likes to fall back.

14 Q. Okay. But you don't see any reason to
15 circulate the cement on your production casing string
16 all the way to the surface where we already have -- when
17 we already have a protective string, correct?

18 A. There's no need for it, but most operators will
19 go -- they'll go to surface. They'll go ahead and
20 circulate it anyway.

21 Q. Okay. Now, I want to focus on Rule C(4). And
22 if I'm understanding your Rule C(4), as written, you're
23 suggesting that they should require a cement bond log
24 for each protective string and that there should be no
25 further drilling until that district office approves

1 that cement bond log. Is that your suggestion?

2 A. Yes, sir.

3 Q. So that, in essence, would require stoppage in
4 the drilling after each setting of the casing --
5 productive casing, correct?

6 A. Yes, sir.

7 Q. And you would require that even if it was
8 cemented to the surface?

9 A. On the production string, if it was cemented to
10 the surface, I would not require it.

11 Q. Okay. And same thing on the protective string.
12 There is no need to have the cement bond log if it's
13 circulated to surface; isn't that correct?

14 A. Only if you want to assure the quality of the
15 cement bond.

16 Q. Can't you test the cement at the surface if
17 it's circulated to surface?

18 A. There is potential for channels and
19 micro-annuluses.

20 Q. Okay. But all that -- if that were to occur,
21 that's not going to be cured by a cement bond log, is
22 it?

23 A. No.

24 Q. Okay. And isn't it true, Mr. Kautz, that you
25 have to let that cement cure for a period of time before

1 you can have an accurate reading on the cement bond log?

2 A. I'm not sure of the time required to cure.

3 Q. So you don't know?

4 A. I don't know.

5 Q. So you don't know whether you would give false
6 readings if you didn't let that cement cure before you
7 took the cement bond log?

8 A. I don't know.

9 Q. Okay. Three or four years ago, Mr. Kautz, you
10 were with the Division's district office, correct?

11 A. Yes, sir.

12 Q. Okay. Did you have more personnel or less
13 personnel than what you have now?

14 A. I would say about the same as a few years ago.

15 Q. If we were -- three or four years ago, when the
16 Permian Basin was very active, how long would it have
17 taken your office to provide the approval that you --
18 that you suggest is necessary under the proposed rules?

19 A. As soon as I got the email, I would review the
20 log, and I would have a response.

21 Q. Okay. And you don't have anything else to do?

22 A. I have APDs from both districts to look at,
23 but, you know, you have to have second priorities.

24 Q. Right. Right. So you've got to set
25 priorities, and the priorities are set based upon the

1 number of personnel you have and the amount of time you
2 have, correct?

3 A. They're set on what I have to do.

4 Q. Okay. And can you sit here today and say that
5 if you were as busy as you were three or four years ago,
6 that you could turn these cement bond logs around
7 quickly in every single circumstance?

8 A. Three or four years ago, I was working over 100
9 hours a week.

10 Q. And you still want to do that?

11 A. That's what I was working at the time.

12 Q. So my question is, Mr. Kautz, knowing the
13 realities of the district office and knowing the
14 workload of the district office and knowing the
15 personnel that you have in the district office and
16 knowing your budget constraints, can you sit here and
17 guarantee that your office would be able to turn around and
18 approve cement bond logs instantaneously?

19 A. For the Roswell Artesian Aquifer, yes, I can.

20 Q. Okay. Are you aware, Mr. Kautz, of any cement
21 bond log requirements for water wells?

22 A. No, sir.

23 Q. They don't require them, do they?

24 A. There is no requirement that I know of, but I
25 believe they should be run, also.

1 Q. They don't even require them if they've got a
2 water well that goes through the shallow aquifer into
3 the deep aquifer -- into the artesian aquifer, correct?

4 A. Could you repeat that question?

5 Q. The water wells rules -- the State Engineer's
6 rules for water wells don't even require a cement bond
7 log if you're going through the artesian aquifer --
8 going through the shallow aquifer down to the
9 better-quality artesian aquifer?

10 A. That's correct.

11 Q. All right. So you're aware now of the issue
12 with respect to the annular space?

13 A. Yes, sir.

14 Q. All right. You would agree -- I think you
15 testified you'd agree that 2 inches is the right spacing
16 based on the tools that are involved today and the
17 casing that is utilized today and the equipment that's
18 out there, correct?

19 A. Yes.

20 Q. Okay. And you are not a drilling engineer? Is
21 that true, sir?

22 A. No, I am not.

23 Q. And I think you said that you had no opinion as
24 to whether that 2 inches should be measured from the
25 couplings or should be measured from the outer diameter

1 of the casing?

2 A. I was -- I wasn't -- I believed you were asking
3 about the coupling, but I wasn't sure what you were
4 asking me.

5 Q. Okay. But you would defer to those with
6 drilling expertise as to what -- where that 2-inch
7 should be measured in order to utilize the existing
8 equipment, the existing tools and obtain the necessary
9 turbulence to ensure cement bonding. Would you not,
10 Mr. Kautz?

11 A. Yes. I would defer to the experts.

12 Q. Okay. And at least you can testify that
13 increasing the annular space does not mean better cement
14 bonding?

15 A. That's correct.

16 Q. And you would agree that you need good
17 turbulence in your annular space in order to properly
18 clean the casing and to provide the best environment for
19 effective cement bonding. You agree with that, correct?

20 A. Yes, I do.

21 Q. And you've similarly testified, then, that
22 the -- well, let me strike that.

23 Now, you have suggested that we suddenly
24 need two protective strings through these freshwater
25 zones?

1 A. Yes.

2 Q. Isn't it true that if you put two protective
3 strings through these freshwater zones, that that well
4 is no longer capable of someday being used as a water
5 well?

6 A. Could you repeat that question?

7 Q. If you have two cemented protective strings
8 through these aquifers, isn't it true, Mr. Kautz, that
9 that would prevent anyone from subsequently using that
10 wellbore as a water well?

11 A. No, sir.

12 Q. You think it's --

13 A. We have routinely plugged and abandoned wells.
14 When we plug and abandon them, we'll perforate through
15 two strings of casing in order to get to the cement
16 outside.

17 Q. Are you saying that you have utilized -- that
18 you have utilized wells with two protective casings as
19 water wells?

20 A. No, sir. I said we were able to perforate
21 through two strings in order to get -- properly plug the
22 well.

23 Q. Okay. I'm talking about use as a water well.

24 A. No.

25 Q. No?

1 A. You should be able to -- you should be able to
2 perforate with two strings.

3 Q. But you've never done it. You don't know
4 anybody that has?

5 A. No.

6 Q. Okay. Now, let's get back to the origin of
7 this whole case here, and I'm looking at your Figure
8 Number 3, Mr. Kautz. I'm looking at that yellow area
9 down there where there was an area of oil and gas
10 activity where the APDs were suspended. Okay?

11 A. My map -- my Figure 3 does not have that area
12 in yellow.

13 Q. So I'm talking about OCD Exhibit Number 1,
14 Figure 3.

15 A. That's correct.

16 Q. Okay. So you don't have --

17 A. Mine's in black and white.

18 Q. Oh, that's not helpful.

19 I'm going to represent to you that we're
20 looking at a yellow outline down towards the bottom.
21 Okay? But you're familiar, Mr. Kautz, with the area
22 where the APDs were mistakenly approved, correct?

23 A. Yes.

24 Q. Okay. And that there is an emergency order in
25 place to address that issue?

1 A. That's correct.

2 Q. And I believe you testified at the last hearing
3 that the only problem that you found with respect to
4 those APDs was that they were not deep enough to cover
5 both aquifers?

6 A. Yes, sir.

7 Q. In other words, the only problem you found was
8 that the protective string that they had in design
9 wasn't deep enough to cover both aquifers?

10 A. That's correct.

11 CHAIRMAN CATANACH: Mr. Feldewert, I think
12 we have to shut it down. I know you're kind of in the
13 middle.

14 MR. FELDEWERT: Okay.

15 CHAIRMAN CATANACH: So do we want to start
16 at 8:00? Is there any objection to that?

17 MR. OLSEN: That would be great for us.
18 One of our witnesses has to leave. We have to get his
19 testimony on tomorrow because he has to leave for out of
20 state on Wednesday; Mr. Peery.

21 CHAIRMAN CATANACH: Okay. So we'll
22 reconvene at 8:00 tomorrow morning.

23 MR. FELDEWERT: Thank you.

24 (Recess 4:09 p.m.)

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2017
Paul Baca Professional Court Reporters

24

25