

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION

4 IN THE MATTER OF THE HEARING CALLED
5 BY THE OIL CONSERVATION COMMISSION FOR
6 THE PURPOSE OF CONSIDERING:

7 APPLICATION OF THE NEW MEXICO OIL CONSERVATION DIVISION THROUGH THE
8 SUPERVISOR OF DISTRICT II FOR AN EMERGENCY ORDER SUSPENDING CERTAIN
9 APPROVED APPLICATIONS FOR PERMITS TO DRILL, AND FOR ADOPTION OF A
10 SPECIAL RULE FOR DRILLING IN CERTAIN AREAS FOR THE PROTECTION
11 OF FRESH WATER, CHAVES AND EDDY COUNTIES, NEW MEXICO. CASE NO. 15487

12 REPORTER'S TRANSCRIPT OF PROCEEDINGS
13 COMMISSIONER HEARING

14 December 7, 2016
15 Volume 3 of 3
16 Santa Fe, New Mexico

17 BEFORE: DAVID R. CATANACH, CHAIRPERSON
18 PATRICK PADILLA, COMMISSIONER
19 DR. ROBERT S. BALCH, COMMISSIONER
20 CHERYL BADA, ESQ.

21 This matter came on for hearing before the
22 New Mexico Oil Conservation Commission on Tuesday,
23 December 7, 2016, at the New Mexico Energy, Minerals and
24 Natural Resources Department, Wendell Chino Building,
25 1220 South St. Francis Drive, Porter Hall, Room 102,
Santa Fe, New Mexico.

26 REPORTED BY: Mary C. Hankins, CCR, RPR
27 New Mexico CCR #20
28 Paul Baca Professional Court Reporters
29 500 4th Street, Northwest, Suite 105
30 Albuquerque, New Mexico 87102
31 (505) 843-9241

1 APPEARANCES

2 FOR APPLICANT NEW MEXICO OIL CONSERVATION DIVISION:

3 DAVID K. BROOKS, ESQ.
4 STATE OF NEW MEXICO OIL CONSERVATION DIVISION
5 ENERGY, MINERALS & NATURAL RESOURCES DEPARTMENT
6 OFFICE OF GENERAL COUNSEL
7 1220 South St. Francis Drive
8 Santa Fe, New Mexico 87505
9 (505) 476-3463
10 Davidk.Brooks@state.nm.us

11 FOR PECOS VALLEY ARTESIAN CONSERVANCY DISTRICT:

12 A.J. OLSEN, ESQ.
13 and
14 OLIVIA R. MITCHELL, ESQ.
15 HENNINGHAUSEN & OLSEN, L.L.P.
16 604 North Richardson Avenue
17 Post Office Box 1415
18 Roswell, New Mexico 88202-1415
19 ajolsen@h2olawyers.com
20 omitchell@h2olawyers.com

21 FOR RESPONDENTS COG OPERATING, LLC; OXY USA, INC.; AND
22 FASKEN OIL & RANCH:

23 MICHAEL H. FELDEWERT, ESQ.
24 HOLLAND & HART
25 110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505) 988-4421
mfeldewert@hollandhart.com

FOR RESPONDENTS EOG Y RESOURCES AND LIME ROCK RESOURCES
II-A:

21 GARY W. LARSON, ESQ.
22 HINKLE SHANOR, LLP
23 218 Montezuma Avenue
24 Santa Fe, New Mexico 87501
25 (505) 982-4554
glarson@hinklelawfirm.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES (Cont'd)

FOR RESPONDENTS MACK ENERGY CORPORATION AND DEVON ENERGY
PRODUCTION COMPANY, L.P.:

JAMES G. BRUCE, ESQ.
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol.com

FOR RESPONDENT INDEPENDENT PETROLEUM ASSOCIATION OF NEW
MEXICO (IPANM):

KARIN V. FOSTER, ESQ.
SOUTHWEST GOVERNMENT AFFAIRS, LLC
5808 Mariola Place, Northeast
Albuquerque, New Mexico 87111
(505) 238-8385
karin@SWgovernmentaffairs.com

1	INDEX	
2		PAGE
3	Case Number 15487 Resumed	6
4	Mack Energy Corporation's Case-in-Chief:	
5	Witnesses:	
6	Jim Krogman:	
7	Direct Examination by Mr. Bruce	6
	Cross-Examination by Mr. Brooks	13
8	Cross-Examination by Mr. Olsen	18
	Cross-Examination by Chairman Catanach	22
9	Cross-Examination by Commissioner Padilla	28
	Cross-Examination by Commissioner Balch	31
10	Recross Examination by Commissioner Padilla	36
	Recross Examination by Chairman Catanach	36
11	Recross Examination by Mr. Brooks	38
12	EOG Y Resources' Case-in-Chief:	
13	Witnesses:	
14	Jeremiah Mullen:	
15	Direct Examination by Mr. Larson	43
	Cross-Examination by Mr. Brooks	56
16	Cross-Examination by Mr. Olsen	70
	Cross-Examination by Commissioner Padilla	76
17	Cross-Examination by Commissioner Balch	79
	Cross-Examination by Chairman Catanach	81
18	Redirect Examination by Mr. Larson	85
19	John C. Maxey:	
20	Direct Examination by Mr. Larson	87,135,185
	Cross-Examination by Mr. Brooks	132,133,136,186
21	Cross-Examination by Mr. Olsen	163,188
	Cross-Examination by Commissioner Balch	166,180
22	Cross-Examination by Commissioner Padilla	170
	Cross-Examination by Chairman Catanach	177,181,189
23		
24		
25		

1	INDEX (Cont'd)	
2		PAGE
3	Public Comment:	
4	By Ms. Collins	192
5	Closing Argument by Mr. Brooks	193
6	Closing Argument by Mr. Olsen	194
7	Closing Argument By Mr. Feldewert	197
8	Closing Argument by Mr. Larson	201
9	Closing Argument by Mr. Bruce	202
10	Closing Argument by Mr. Foster	203
11	Recess	212
12	Certificate of Court Reporter	213
13		
14		
15	EXHIBITS OFFERED AND ADMITTED	
16	Mack Energy Corp. Exhibit Numbers 1 and 2	13
17	EOG Y Resources Exhibit Numbers 1, 2 and 3	56
18	Lime Rock Resources II-A, L.P. Exhibit Numbers 1 through 8	131
19		
20	Lime Rock Resources II-A, L.P. Exhibit Numbers 9 and 10	136
21		
22		
23		
24		
25		

1 (8:10 a.m.)

2 CHAIRMAN CATANACH: Good morning. Call the
3 hearing to order this morning, and I believe where we
4 left off was we were on our next witness with Mr. Bruce.
5 Is that correct.

6 MR. BRUCE: Yes, sir, Mr. Examiner. I have
7 a witness from Mack Energy. We just have two exhibits,
8 and they were attached to the Mack Energy prehearing
9 statement.

10 CHAIRMAN CATANACH: Let's see if we can
11 find those, Mr. Bruce.

12 JIM KROGMAN,
13 after having been duly sworn under oath, was
14 questioned and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. BRUCE:

17 Q. Please state your name and city of residence.

18 A. Jim Krogman, Artesia, New Mexico.

19 Q. Who do you work for and in what capacity?

20 A. I work for Mack Energy Corporation, and I'm the
21 drilling supervisor.

22 Q. Would you please tell the Commission a little
23 bit about your background in the oil and gas business?

24 A. I started in oil and gas in 1978, roughnecked
25 and drilled, and then I worked as a drilling foreman and

1 a completion foreman and then a drilling superintendent.
2 And then I changed companies, and they call it a
3 drilling supervisor, and I've been with Mack Energy for
4 nine years.

5 Q. And who did you work with before that?

6 A. Yates Petroleum.

7 Q. For how long?

8 A. I think it was two months shy of 26 years.

9 Q. And in your duties at Mack and also when you
10 worked for Yates, did you design wells?

11 A. Yes, sir.

12 Q. And did you oversee the drilling of wells?

13 A. Yes, sir.

14 Q. And so you've done that for well over 30 years
15 at this point?

16 A. 35 years as supervisor and then -- but I've
17 worked in the oil field over 38 years.

18 MR. BRUCE: Mr. Examiner -- I always make
19 that mistake. Mr. Chairman, I'd tender Mr. Krogman as
20 an expert in oil and gas drilling and operations.

21 CHAIRMAN CATANACH: Any objection?

22 MR. OLSEN: No objection.

23 MR. BROOKS: No objection.

24 CHAIRMAN CATANACH: Mr. Krogman is so
25 qualified.

1 Q. (BY MR. BRUCE) Mr. Krogman, can you identify
2 Exhibit 1 for the Examiner and talk about how Mack is
3 drilling its wells in this area?

4 A. We've permitted -- I think we have six permits
5 in this area, and I picked this one to draw my wellbore
6 schematic in this area. Drill a 12-1/4-inch hole down
7 to 1,200 feet, and we run 8-5/8 casing to that depth.
8 We choose to go with a 12-1/4 hole in this area. There
9 are some boulders, gravel and sand underneath -- in
10 between, and it makes it difficult to run your 8-5/8
11 casing, so we like to go with a little bigger bit,
12 12-1/4 bit, and get our casing set on the bottom. And
13 then we do our cement job.

14 We keep our -- we normally circulate cement
15 probably 90 percent of the time, and then the rest, if
16 we don't circulate cement, we run a temperature survey,
17 tag the cement with 1-inch pipe and do a 1-inch top-out
18 with cement.

19 Q. You use 12-1/4 inches. Other operators use 11
20 inches. And it's just a matter of preference, correct?

21 A. Yes, it is. You look at the area. If you have
22 a nice continuous formation, an 11-inch bit will work
23 perfect. I'm just saying in this particular area, my
24 experience, we've had some issues making it difficult to
25 get our 8-5/8 casing to TD, which is 1,200 feet. So in

1 this particular area, we choose to go with 12-1/4.

2 Q. When you say "this particular area," is that
3 where Mack owns its acreage?

4 A. Yes.

5 Q. Now, that is a two-string design. Is this a
6 well design that historically has been used in this
7 area?

8 A. Yes, it has.

9 Q. And do you have any outstanding APDs under
10 which you, Mack, have any APDs outstanding under which
11 you plan on drilling wells?

12 A. Yes, we do.

13 Q. And they are this approved two-string design?

14 A. Yes.

15 Q. When you file an APD with the Oil Conservation
16 Division, do you -- do you generally talk with the
17 personnel in the district office to see if they have any
18 issue with your well design?

19 A. In this particular area, no. I do my offset --
20 offset well research, look at it, what different
21 operators have done. Then we come up with our drilling
22 plan at that time.

23 Q. Okay. But in many areas, if it's a new area,
24 you talk with the OCD?

25 A. Yes. If we have a new area, new idea, I'll

1 discuss it with the OCD and get their opinion before I
2 try to permit a well.

3 Q. With this two-string, has Mack had any problems
4 or seen any damage to the aquifer?

5 A. No, sir, not to my knowledge.

6 Q. Do you think a three-string design is necessary
7 in this area?

8 A. No, sir, I don't.

9 Q. One thing there's been discussion of is cement
10 bond logs. Do you think they're necessary?

11 A. No, sir, I don't.

12 Q. Can it lead to confusion? Can two people read
13 them differently?

14 A. Yeah. This shallow -- being with a temperature
15 at 1,200 foot, you have to get your cement tested, and
16 you can get compressive on your cement. You pump your
17 cement and circulate cement, and you can read a cement
18 bond log 72 hours later, and it would probably be
19 confusing. If it's had 50 percent bond, there's -- you
20 don't know if you can even fix that. You can perforate
21 your new casing and try to pump into it. And if you
22 can't pump into it, you know, you have cement there, but
23 it was only showing a 50 percent bond. There's no way
24 to fix that. And then you damage the integrity of your
25 casing because you've perforated and left -- put holes

1 in it.

2 Q. So, again, you don't think CBLs are necessary?

3 A. No, sir.

4 Q. Would you look at your Exhibit 2 and describe
5 what's in that exhibit?

6 A. This exhibit is a drawing of a three-string.
7 We've set -- I designed it for a 17-1/2-inch hole,
8 13-3/8 casing down to 450 feet and then a 12-1/4 hole
9 with 8-5/8 down to 1,200 feet and then our 7-7/8 down
10 to -- with 5-1/2-inch casing down to TD.

11 Q. Down at the bottom, you've put some costs.
12 You've got one -- I don't have it in front of me right
13 now, but the column on the left, that gives certain
14 costs of about 70,000-plus. Could you discuss those
15 briefly?

16 A. Yes. We have -- to do the extra wait-on-cement
17 time and drill that extra section, the hole to run the
18 13-3/8, our day work, it would take us two days. So
19 that cost is about 23,000. Cement -- to cement the
20 13-3/8 is another, roughly, 13,000. Then we have --
21 since we're adding two days on to the well, we have two
22 more days of supervision, two more days of surface
23 rental, more freshwater being hauled, more cuttings to
24 haul off since we're drilling closed loop, and then we
25 have a BOP test two times instead of just once.

1 Q. And you have some comments also in the
2 right-hand column. And in looking at those, those
3 sounded pretty much like what Mr. Bird from COG
4 discussed yesterday, correct?

5 A. Yes, sir.

6 Q. And even though you didn't put a cost by those,
7 those can add a substantial amount to the well costs?

8 A. That can be added costs. The numbers I put
9 down is everything with -- according to plan, which
10 Mother Nature is known to throw us a curve ball, so my
11 cost I put down at 72,000 was a minimum cost.

12 Q. It could well be a couple hundred thousand
13 dollars?

14 A. Yes, sir, it could be.

15 Q. The wells that you're talking about, are they
16 Yeso wells like COG talked about?

17 A. Yes. They're vertical Yeso wells.

18 Q. Okay. And what is a typical cost for a Yeso
19 well drilled and completed?

20 A. Drilled and completed, it's 1.1 to 1.2 million
21 on a vertical well.

22 Q. So if you're looking at even just a couple
23 hundred thousand dollars extra, that's quite a
24 percentage increase to the well cost?

25 A. Yes, sir.

1 Q. And does that adversely affect well economics?

2 A. Yes, it does.

3 Q. Mr. Krogman, were Exhibits 1 and 2 prepared by
4 you?

5 A. Yes, sir.

6 Q. And in your opinion, does this rule need --
7 proposed rule need to be adopted?

8 A. I'm sorry?

9 Q. Does this proposed rule need to be adopted?

10 A. No, sir.

11 MR. BRUCE: Mr. Chairman, I move the
12 admission of Mack Exhibits 1 and 2.

13 MR. OLSEN: No objection.

14 CHAIRMAN CATANACH: Exhibits 1 and 2 will
15 be admitted.

16 (Mack Energy Corp. Exhibit Numbers 1 and 2
17 are offered and admitted into evidence.)

18 MR. BRUCE: I pass the witness.

19 CHAIRMAN CATANACH: Mr. Brooks?

20 CROSS-EXAMINATION

21 BY MR. BROOKS:

22 Q. Is it Mr. Krogman?

23 A. Yes.

24 Q. Good morning.

25 A. Good morning.

1 Q. I want to address the cement bond log issue
2 very briefly. Are you telling us that running a cement
3 bond log 72 hours after setting the casing is not
4 reliable? Is that the testimony that should be
5 understood?

6 A. I don't know if it would be unreliable. It may
7 be confusing. What I'm saying is what is a good bond
8 log? 50 percent? 70 percent? In my judgment, 70
9 percent would not be good if it -- 50 percent is not
10 good. If somebody says 70 percent's good or not good
11 and we can't fix it, you know, we perforate the casing
12 and try to pump into it, cannot pump into it, we did
13 more damage to our -- than what was necessary after we
14 waited 72 hours.

15 Q. Well, why can you not get a good reading from a
16 cement bond log?

17 A. This is so shallow. It's a temperature -- your
18 temperature at that depth is probably, I'm going to say,
19 87 to 89 degrees. Your cement, you're testing it at
20 surface before you pump the job. You do your
21 compressive strengths. You get an 8-hour, 12-hour,
22 24-hour up to 72 hours, and you have the compressive
23 strength of the cement. When you pump your cement and
24 let it set for 72 hours, time and temperature shows what
25 the bond log will read, and when you look at the bond

1 log, you may not see 100 percent logged.

2 Q. Is there any alternative way of knowing whether
3 you've got cement filling up the annular space fully?

4 A. When the cement is circulated?

5 Q. Yeah.

6 A. Yes, sir.

7 Q. The fact that you -- what I'm having trouble
8 understanding is why does the fact that you circulate
9 the cement and it comes out at the surface, how does
10 that establish that there are not gaps or vacancies in
11 the cement downhole?

12 A. When you're pumping your cement down your
13 casing, through your shoe and back up to surface in the
14 annular space, if you get circulate cement to surface --
15 you know, if you do have a thief zone that's taking some
16 fluid or cement, it'll -- it'll fall back, and then you
17 do a 1-inch top-out. In this area, most of the time, it
18 doesn't fall back but 20 to 30 feet. So since you're
19 pumping down and coming shoe up, there should not be a
20 void.

21 Q. What is the difference between this type of
22 setting the cement and the type of cement where you
23 would expect the cement to run a cement bond log? Why
24 would you want to do so in other instances and not in
25 this?

1 A. At Mack Energy, we run cement bond logs
2 probably on 50 percent of our wells on the production
3 casing. We do -- make sure our cement company has
4 proper cement tested. We get the paperwork, and then
5 we'll do a job -- say the first job in one area, we'll
6 do a cement bond log, make sure everything looks good
7 for our production casing, and then the next two wells
8 in that same area, we may not run the cement bond log
9 because, you know, it costs money. If it worked the
10 first time, it should work the second time, you know.
11 Why would you want to --

12 Q. Right. If you're talking about the same cement
13 job, I certainly understand that. If you test it once,
14 unless your test procedure has established
15 unreliability, there would be no reason to test it
16 again --

17 A. Right.

18 Q. -- unless you had some indication of a problem.
19 But the temperature -- the temperature
20 survey does not tell you anything about the integrity of
21 the cement, correct?

22 A. Correct. It just gives you the top of cement.

23 Q. Tells you where the top is.

24 Now, you testified that you hadn't had any
25 issues with fluids escaping into the freshwater; is that

1 correct? That's a correct summary of your testimony?

2 A. (No response.)

3 Q. That you have not had any -- any issues with
4 well fluids escaping into freshwater formations when you
5 use this design; is that correct?

6 A. Not to my knowledge.

7 Q. Now, how would you know that when you don't
8 have monitor wells, unless some water well owner
9 complained?

10 A. I've never had anybody complain.

11 Q. But, otherwise, you wouldn't -- there is
12 nothing you do that would tell you that you've got some
13 escape into a freshwater formation? I suppose if you
14 lost circulation, you would know. But if it was a small
15 amount, would you know at all whether fluid was escaping
16 into a freshwater formation?

17 A. If we have lost circulation, you can assume
18 it's going somewhere; you don't know where.

19 Q. Yeah. But if you didn't lose circulation, you
20 wouldn't know, right? You wouldn't know -- you might
21 have some small amount of -- you might have a plume
22 escaping into the freshwater formation. You wouldn't
23 know about it.

24 A. An amount too small to measure.

25 Q. Okay. I think that's all I have. Thank you.

1 CHAIRMAN CATANACH: Mr. Olsen?

2 MR. OLSEN: Good morning, and thank you.

3 CHAIRMAN CATANACH: Good morning.

4 CROSS-EXAMINATION

5 BY MR. OLSEN:

6 Q. Good morning, sir.

7 A. Good morning.

8 Q. How long were you with Yates?

9 A. 25 years and ten months.

10 Q. Forever and ever, right?

11 A. A long time (laughter).

12 Q. And your last position with Yates?

13 A. Drilling superintendent.

14 Q. As a drilling superintendent with Yates, were
15 you responsible for well design, or did they have
16 someone doing well design that you provided the
17 information?

18 A. We have an engineering team that permit -- gave
19 information. I had an assistant superintendent that
20 would write a prognosis. Then we would have a
21 discussion about it, see what is the depth, weight, and
22 start the project.

23 Q. Is that the way you do that at Mack?

24 A. No, sir. I do the research. I do the well
25 planning, do the casing design and cement testing, and I

1 have an operation -- operations manager who is the
2 completion engineer, also, which we have communication
3 with him and decide which way is the best for this
4 company.

5 Q. You're the engineer in charge without an
6 engineering degree?

7 A. Yes, sir.

8 Q. I was looking at your Exhibits 1 and 2, and
9 something struck me as interesting with your well design
10 on Exhibit 1. And you show going down to 1,200 for a
11 single string, correct?

12 A. Yes.

13 Q. Now, I was looking at the location of that
14 well, and that's in Section 14, 20 South, 25 East,
15 correct?

16 A. Yes.

17 Q. Now, most of Mack's locations are east of the
18 river, correct?

19 A. Yes.

20 Q. Now, east of the river, do you know if there is
21 a shallow aquifer and an artesian aquifer, or is it --
22 or do you know?

23 A. I know there are two aquifers. I assume there
24 are two aquifers in this area because it's all around
25 that area.

1 Q. Have you studied the hydrology of the area,
2 sir?

3 A. I've looked -- I've talked with the OCD, in
4 fact, in -- probably in 1984 and discussed the
5 freshwater zone that's on the surface and then the
6 second artesian aquifer.

7 Q. Well, I guess the reason I'm asking this is in
8 earlier testimony where -- you weren't here for the
9 testimony yesterday by Mr. Atkins and Mr. Peery, were
10 you?

11 A. No.

12 Q. And their testimony was that the shallow
13 aquifer and the groundwater aquifer lied primarily on
14 the west side of the Pecos River, right at the Pecos
15 River. How far east of the river is this location
16 you're talking about, Section 14, 20-25? That's quite a
17 ways east of the river, isn't it?

18 A. Oh, yes, sir. I'd have to guess. On mileage,
19 I would say eight to ten miles.

20 Q. And out east there, there's only -- that's
21 only -- you just go straight down because there is not
22 an administered shallow or artesian groundwater basin
23 out there, is there?

24 A. I assume there are or two aquifers there.
25 We've always set one string of surface casing down --

1 Q. But you're -- I guess my question is you don't
2 know whether or not that -- the boundary of the shallow
3 and artesian, as established by State Engineer, where it
4 begins and where it ends, then. Is that a fair
5 statement?

6 A. Yes.

7 Q. And as I say, most of Mack's locations and
8 things are out east of the river?

9 A. West of the river.

10 Q. I meant -- you're drilling east of the river?

11 A. Well, we drill east of the river, but these
12 locations are west of the river.

13 Q. 20-25 -- 14, 20-25 is west of the river?

14 A. Yes, unless I'm -- unless --

15 Q. I think that's east of the river, isn't it?

16 A. No. These wells are down -- these wells are
17 west of the river.

18 Q. All right. How far west of Artesia are they?

19 A. They are probably -- I know it's south and
20 west -- you know, a straight line south. It's probably
21 15 miles south of Artesia and a couple of miles to the
22 west.

23 Q. And the next point I want to make is you don't
24 know if they're within the shallow aquifer or not, do
25 you?

1 A. No, sir.

2 CHAIRMAN CATANACH: Mr. Olsen, according to
3 one of these exhibits, that would be in the shallow --

4 MR. OLSEN: It is in the shallow?

5 CHAIRMAN CATANACH: -- and both aquifers.

6 MR. OLSEN: I misunderstood. I thought
7 they were east of the river.

8 Q. (BY MR. OLSEN) My question: Out east of the
9 river, do you use the same well design?

10 A. Yes, sir.

11 MR. OLSEN: Pass the witness.

12 CHAIRMAN CATANACH: Questions from
13 Mr. Feldewert? Mr. Larson?

14 MR. FELDEWERT: No, sir.

15 MR. LARSON: I have no questions.

16 MS. FOSTER: No questions.

17 CHAIRMAN CATANACH: I have a couple of
18 questions.

19 CROSS-EXAMINATION

20 BY CHAIRMAN CATANACH:

21 Q. So these wells you're drilling from,
22 Mr. Krogman, you're assuming both aquifers are present
23 at those locations?

24 A. Yes.

25 Q. How do you know where to set the surface

1 casing? Is it 1,200 -- is that a set depth that you
2 guys use?

3 A. On permitting, we -- we permit the wells six
4 months ahead of time. So we have a database. We look
5 at everything. We'll permit 1,200 feet. We'll turn all
6 the information in. Once we get closer to drilling the
7 well, we review the information again, and then, you
8 know, if it can be -- if it needs to be set deeper or
9 shallower, we'll send in a sundry notice.

10 Q. How would you determine if it needed to be set
11 deeper or shallower? What do you use as a guideline for
12 that?

13 A. I'll go out and look at different operators,
14 what they've done in the past, if they've set different
15 hole size, different depth casing and do some more
16 research on why they did that. When our initial
17 permit -- when we permitted was for a different depth.

18 Q. So are you confident that all these
19 casing-setting depths cover that deep artesian aquifer?

20 A. To my knowledge, they have been. You know, if
21 it's 900 feet or 1,100 feet, you know, 1,200 feet, I
22 know we're in good shape. We're above the oil zone.
23 You want to get -- from your last drilling break you
24 have, you want a good 100 foot of good, hard formation
25 before you get into a -- risk getting into something

1 different. So a standard rule is drill 100 foot past
2 your last drilling break or wherever your casing works
3 out so you can have a good connection and do your cement
4 job.

5 Q. Do you guys ever use mud logs to determine any
6 depth to set or any -- I mean, it's been suggested by
7 the Division that we use mud logs to determine
8 hydrocarbon shows and then we set casing above that.

9 A. Mack Energy, they run mud logs -- mud logs on
10 certain wells. The Geology Department picks which
11 wells. The last probably ten wells we've drilled, we
12 have not had a mudlogger on them this go-around. We
13 were doing some infill drilling and they thought they
14 had a good handle on what the formation tops were.

15 Q. Do you guys use a -- just freshwater in your
16 mud program?

17 A. We drill with freshwater on our surface casing,
18 and after we set surface casing, we'll -- the type of
19 logs we run for our production string, we have to have
20 30,000 chlorides for our induction [sic] log to read
21 correctly. So we will do a cut brine system after we
22 set our surface casing at 1,200 foot.

23 Q. After you set it and cement it?

24 A. Yes, sir.

25 Q. Do you know what the pressure is by chance in

1 the Artesian Formation?

2 A. I don't know what the pressure is. I've never
3 seen it flow. So freshwater weighs 8.3 pound per
4 gallon, at 1,000 feet -- I've never seen it flow before,
5 so I don't know what type of pressure it has.

6 Q. So your testimony is that your freshwater mud
7 is sufficient hydrostatic head to prevent any flow from
8 the artesian aquifer?

9 A. Yes, sir.

10 Q. Do you believe that there is any communication
11 during drilling operations between the deep and the
12 shallow aquifers in this area?

13 A. The communication -- you know, it's freshwater
14 and you're drilling with freshwater, the hydrostatic
15 pressure is holding it right there if you have a full
16 column of fluid. So when you run casing and cement,
17 it's sealed off with -- heat stoned [phonetic] and
18 sealed off with your casing and your cement. So it's
19 isolated.

20 Q. Have you had issues with lost circulation in
21 the artesian zone?

22 A. Yes, sir. Well, the artesian zone is the
23 deeper water. In some areas, we have. In this
24 particular area, the last well I drilled out there, I
25 lost circulation. I set 40 foot of conductor, and I

1 lost circulation at 45 feet. So I drilled down to 80
2 feet with my 12-1/4 bit, and I got a cement truck out
3 there and pumped cement back from 80 foot up to my
4 conductor pipe and redrilled the hole and kept returns
5 the whole way down. So on this particular well, where
6 it has the conductor at the very top, I put down -- we
7 learned our lesson. We need to set 80 foot of conductor
8 in this area.

9 Q. Do you guys -- when you're conducting cement
10 operations, do you monitor the cement returns, and do
11 you look at the density or anything like that?

12 A. Yes, sir, we do.

13 Q. So you're making sure the quality of that
14 cement is adequate on your returns?

15 A. Yes. We test our cement. We get our cement
16 out there. The company we use has computerized trucks.
17 They set the density where it needs to be. We catch a
18 wet sample and a dry sample of surface. We mix our
19 cement up. We catch our wet sample then. We pump our
20 cement downhole. We store that cement where I can go
21 back -- if I want to do a quality-control check on the
22 additives I've used, I can grab that dry cement and take
23 it to a different cement company and tell them -- ask
24 them to tell me what's in it to make sure I'm getting
25 what I'm paying for. And I can also send that wet

1 cement to a different lab and do compressive strengths
2 on it to match what was done in the other company's lab
3 for quality control.

4 Q. Mr. Krogman, there was some discussion
5 yesterday of Concho's method of drilling and hole size,
6 in particular. I wanted to ask you, using a larger
7 size, 12-1/4 inch --

8 A. Yes, sir.

9 Q. -- do you feel like you're still getting an
10 adequate turbulent flow with the larger hole size?

11 A. Yes, sir. I take two pumps out there to get my
12 turbulent flow.

13 Q. So you do use two pumps?

14 A. Yes, sir. If you can't get casing down to the
15 right spot, you either have to plug the well and start
16 over with the cost of location and rig moved. In this
17 particular area, the boulder issue, it's cheaper for me
18 to drill a 12-1/4, make sure I can get my 8-5/8 casing
19 down and pay for a second pump to be out there to get
20 turbulent flow.

21 Q. So the other -- my last question would be what
22 is the time frame when you stop drilling, when you
23 determine you're going to set the casing at a certain
24 point? How long a duration is that between then and
25 your actual cement operations, because you've got to run

1 the casing, you've got to --

2 A. Yeah. You've got to trip out of the hole --
3 trip out and run our casing and do our cement job.
4 Probably six hours to eight hours, we're finished.

5 Q. And during that time, your hole is still full,
6 correct?

7 A. Full of fluid, yes, sir.

8 Q. So you shouldn't have any cross-flow in that
9 interim period?

10 A. Correct.

11 Q. I have nothing further.

12 COMMISSIONER PADILLA: I just have a
13 couple, Mr. Krogman.

14 CROSS-EXAMINATION

15 BY COMMISSIONER PADILLA:

16 Q. Just following on what Chairman Catanach just
17 asked, what's your -- we heard from Mr. Bird yesterday
18 going down to 1,200, setting casing and cementing is
19 about a 12-hour turnaround for Concho. What would you
20 say that entire time frame is for Mack?

21 A. With our 12-1/4 hole, it takes a little bit
22 longer. We should be able to drill it in 14 to 16
23 hours, to drill the hole. Then we add another eight
24 hours on for prepping the hole -- sweep, with our tools
25 and our run casing and get cement in. And then we wait

1 on cement eight hours, and then we start our -- test and
2 BLT process and hopefully be ready to drill in 18 hours
3 WOC time.

4 Q. So from spud to cementing is about 24 hours --
5 22 to 24 hours based on --

6 A. You should be finished with your spud to
7 cementing within 24 hours.

8 Q. Okay. Within 50 percent of cases, Mack is
9 running CBLs on that production string. What -- what
10 determines those 50 percent of cases that Mack does
11 that?

12 A. If we change a cement slurry, try to get a --
13 you know, times are -- times are tough, so you may
14 have -- you know, we test cement all the time, and if we
15 get a cement additive -- change our additive, we'll run
16 a bond log on this area. If it's a new area where we're
17 drilling, we will run a cement bond log on that. If we
18 change our cement slurry, we'll run a cement bond log.

19 My operations manager is quality control.
20 He may want to run a bond log on the next well. He
21 doesn't tell me until we get to the completion phase.
22 So that's the way I make sure I get all -- I don't know
23 which one he's going to do, so I do my quality control
24 on every one to make sure I have the best product
25 possible. If he says, Run it here, I'm ready for him.

1 Q. Have any of those CBLs indicated problems as
2 you test a new cement and try and maximize your
3 efficiencies?

4 A. Not to my knowledge.

5 Q. You haven't had to do any squeezes?

6 A. No, sir.

7 Q. My last question, I just wanted to talk a
8 little bit about your -- it sounds to me like you're
9 replacing mud-logging with well control, essentially, to
10 figure out where those -- where to set that casing, if I
11 put it crudely?

12 A. I use offset information. I can go -- I go to
13 the OCD Web site and look at where -- you know, you can
14 punch in the section, township and range and a list of
15 wells comes up, and I can look at different operators
16 and see what they've set casing at. If I have a
17 question, I know a lot of operators or people who work
18 for operators. I'll make a phone call.

19 You know, I can also look at bit records
20 from the different bit companies, and I may see
21 something. The date may be a typo error. It took them
22 three days to run -- drill a section and run casing, but
23 the date's different. I'll call them and ask them
24 what -- if there were problems on the well. If they say
25 yeah, they had a fishing job, I may then call the

1 operator or -- it tells you which rig was on it. You
2 can call up a tool pusher and ask them what happened,
3 you know.

4 Everybody's trying -- we're competitive,
5 but we work together, trying to make sure we can drill
6 an inexpensive well.

7 Q. So how sure are you in all these cases that
8 surface casing is covering the artesian, based on your
9 data sources -- your mixed data sources, I guess I
10 should say?

11 A. Oh, I'm positive it's covering. I mean, I
12 can't see one -- I haven't had any issues with -- to my
13 knowledge, there is no -- hasn't been an issue. I look
14 at different sources, so --

15 Q. Okay. That's all I have. Thank you.

16 A. Thank you.

17 CROSS-EXAMINATION

18 BY COMMISSIONER BALCH:

19 Q. Good morning, Mr. Krogman.

20 A. Good morning.

21 Q. Have you ever -- actually, let me ask this
22 question first. Are you familiar with this exhibit?
23 Have you seen one of these maps that shows --

24 A. Yes.

25 Q. -- the extent of the -- of the two different

1 aquifers?

2 And you have 30-plus years of experience of
3 drilling in this area, right?

4 A. Right.

5 Q. About how many -- how many wells inside that
6 aquifer area have you been involved in?

7 A. Oh, too many to count (laughter). I mean --

8 Q. Order of magnitude would be all right.

9 A. Shoot.

10 Q. Tens? Twenties? Hundreds? Thousands?

11 A. Thousand.

12 Q. Thousand?

13 A. Yes, sir.

14 Q. Have you ever been compelled by operational
15 need to put in a third casing string in any of those
16 wells?

17 A. I have set three strings. Really, you know, by
18 the Pecos River, when I was with Yates Petroleum, the
19 soil -- surface soil is really sandy, and we've set a
20 shallow surface casing. There was a well offsetting
21 that they set -- set conductor and the conductor cement
22 job didn't -- I don't know what happened. But we got
23 flow outside the conductor and cement, and the rig
24 started tipping over.

25 And our next -- the next project was to

1 drill down and set our surface casing, and we -- it was
2 a deeper well. It was down to the Morrow. So we set a
3 surface casing, got nipples up on it. We set a deep
4 intermediate and got it for well-control issue.

5 Q. But nothing to do with the shallow aquifer? It
6 had to do with an incompetent alluvium?

7 A. Yeah, the incompetent surface -- surface
8 location.

9 Q. I was a little bit concerned when you testified
10 that there is some subjectivity when interpreting these
11 bond logs; two people could look at it and come up with
12 two different interpretations.

13 A. Yes, sir.

14 Q. One that it's good enough, and one that it's
15 not good enough.

16 A. Yes, sir. I've seen it in our office looking
17 at -- you know, one engineer will look at one and say,
18 Yeah, it looks good to me, and another one will say, No,
19 it's --

20 Q. So what's your personal criteria for when you
21 would be happy with a bond log?

22 A. We run bond logs on production casing only, so
23 I'm pretty -- with my quality control and everything, 90
24 percent above is good for me. If it's less than that, I
25 consider it a failure. But you can't repair -- you

1 can't repair it. Like I said, if you poke holes in your
2 casing and try to pump into the cement, you can't do it.

3 Q. So at what level, in a bad bond log result, can
4 you actually do some remediation? How dramatic does it
5 have to be?

6 A. It's done by well-to-well case and also the
7 area. I've seen bond logs that ran 50 percent that you
8 can't pump into it. I've seen bond logs that ran 60
9 percent bond, and you were able to pump into it. It's
10 just --

11 Q. Highly variable?

12 A. Yeah. There is so much -- are you getting your
13 bond to your formation? Are you getting a bond from
14 your cement to your pipe, cement to formation? You
15 know, there are so many variations. Like I said, we
16 like 90 percent or better at Mack Energy.

17 Q. So adding a delay to wait for bond logs to your
18 operations adds additional time beyond the --

19 A. Oh, yes.

20 Q. -- beyond a materials cost that you have listed
21 here in your well diagram in Exhibit 2. How does that
22 impact your drilling program?

23 A. I don't think we would drill them. They
24 wouldn't be economical to drill.

25 Q. If you add another six days or so of rig time

1 on it?

2 A. Yeah. We wouldn't drill it.

3 Q. When -- in that -- in that aquifer area, when
4 do you think a bond log would be appropriate?

5 A. On your production casing, it should be the
6 operator's call on it. If you circulate cement, sealing
7 off the aquifers, there is no need to run a bond log.

8 Q. So you might wait six days total for your
9 results on two cement bond logs --

10 A. Yes.

11 Q. -- for the proposed rule, and then someone
12 might tell you you need to fix the well, and you might
13 not be able to fix it?

14 A. That's correct.

15 Q. You might go in and do a squeeze job and still
16 end up with the same result on the next bond log?

17 A. Right.

18 Q. And then your only option is to step out and
19 redrill it?

20 A. Yes.

21 Q. Thank you.

22 COMMISSIONER PADILLA: I had one follow-up
23 question, if I might, off of what Dr. Balch was just
24 saying.

25

1 RECROSS EXAMINATION

2 BY COMMISSIONER PADILLA:

3 Q. Have you ever seen a CBL fail in a case where
4 cement was circulating to surface, or not pass?

5 A. I don't understand the question.

6 Q. Have you ever seen a cement bond log come in
7 as -- you know, indicating a substandard job in a case
8 where cement was circulated to surface?

9 COMMISSIONER BALCH: Circulate to surface.
10 Run a bond log. Ever seen failure in the bond log?

11 THE WITNESS: You always yield -- I don't
12 understand. The tool failure or the cement failure?

13 COMMISSIONER BALCH: 50 percent.

14 Q. (BY COMMISSIONER PADILLA) Yeah. 50 or 60,
15 whatever Mack would consider substandard.

16 A. When we've run our cement bond logs on
17 production wells, we've never seen them that low before,
18 to my knowledge.

19 Q. Okay. Thank you.

20 CHAIRMAN CATANACH: Just one or two.

21 RECROSS EXAMINATION

22 BY CHAIRMAN CATANACH:

23 Q. Mr. Krogman, you've been out there awhile. Is
24 it your belief that most operators drill these wells in
25 the same manner, the same procedures?

1 A. Yes.

2 Q. Freshwater mud, that kind of thing,
3 centralizers, do you think it's pretty standard out
4 there?

5 A. Oh, yes, sir.

6 Q. I have heard an interesting thing. I heard a
7 while back -- and I don't know when this might have
8 been, but you've been out there for a while -- that at a
9 certain time, the State Engineer actually would witness
10 cement operations on these wells. Do you ever recall
11 that?

12 A. Not a State Engineer. We've had the OCD
13 representative, field hands, come out and the BLM, but
14 I've never had a State Engineer come out.

15 Q. It was a while back, but that's what I've heard
16 was the standard procedure back some time ago. But you
17 don't recall that?

18 A. No, sir, I don't. No.

19 Q. Okay. That's all I have.

20 CHAIRMAN CATANACH: Anything further?

21 MR. BRUCE: No, sir.

22 MR. BROOKS: I'd like to ask one question,
23 follow up on Commissioner Balch's examination, Your
24 Honor.

25 CHAIRMAN CATANACH: Go ahead.

1 RECROSS EXAMINATION

2 BY MR. BROOKS:

3 Q. Is there any tool other than a cement bond log
4 by which you can monitor the quality of a cement job at
5 a shallow depth?

6 A. I don't know the answer to that. I know in
7 production casing, there is a -- it's a casing cement
8 evaluation tool. It's a multi-armed caliper tool that
9 the arms comes out and it draws colors, but I'm not an
10 expert at that. I don't know if that'll work on the
11 surface. I know we've run some on production casing
12 when I was with Yates. It's a multi-arm caliper tool,
13 but I don't know what all it does.

14 Q. Then one other question. We talked about --
15 let's see. What was it? My mind's gone blank here.
16 Oh. The time delay that would result if you had to run
17 a cement bond log on a -- on the surface casing. This
18 is a subject about which we've heard some testimony from
19 Mr. Bird and some testimony from you, but I'm not sure I
20 have the times, because there are several stages here.

21 First of all, when you're cementing your
22 surface casing, you're going to have a time delay while
23 your cement sets up, right?

24 A. Yes, sir.

25 Q. And that's not -- that doesn't have anything to

1 do with whether you run a cement bond log or not, right?

2 A. The time --

3 Q. The time -- well, you're going to cement in
4 your surface casing. There's going to be some time.
5 You're going to have to let that cement set up before
6 you proceed with operations, right?

7 A. Correct.

8 Q. And about how long is that?

9 A. We start our operations with -- eight hours,
10 we'll do our cutoff -- and get our tools ready to drill
11 the next section of hole. And we are required to wait
12 18 hours on cement to set up before we can proceed.

13 Q. Okay. Now, what is the additional delay that
14 would be involved in running a cement bond log? I
15 realize -- do you have to wait a longer period of time
16 after the cementing job to run a proper cement bond log
17 than what you have to wait to continue drilling?

18 A. Yes, sir. You have to -- the cement needs to
19 have time to cure, so you have to wait 72 hours or more
20 before you can run the cement bond log.

21 Q. So 72 from -- 18 from 72 is 54. And you're
22 talking a little over two days -- two 24-hour days that
23 you're going to have to delay before you can even run
24 the cement bond log?

25 A. You have to wait 72 hours. Run your cement

1 bond log, and then you can start your other process.

2 Q. Okay. How long does it take to run the cement
3 bond log?

4 A. I've never run one at 1,200 foot, so I'm going
5 to guess maybe two hours rig up to rig down.

6 Q. So that's not a big issue there. But the big
7 issue is you've got to wait for the cement to cure,
8 right?

9 A. Correct.

10 Q. And then the other big issue that's been raised
11 is that you have to have the OCD approval before you
12 proceed drilling. Apparently we don't know how long
13 that would take, but Mr. Kautz testified a day or day or
14 two from our side. But that's -- so it could be as much
15 three or four days involved, right?

16 A. I assume so.

17 Q. That's what I was trying to quantify. And
18 your -- your statement that you wouldn't drill if you
19 had to do that. What kind of delay is that based on, a
20 cost addition?

21 A. Oh, you're adding 300- to \$400,000 onto your
22 well cost. So you're almost doubling your drilling cost
23 on it, and it wouldn't be economical to drill the well.

24 Q. Now, would the answer be the same if the
25 Commission were to simply require you to run and file a

1 cement bond log and not to require you to delay further
2 drilling operations until -- pending approval?

3 A. We would still have to wait the 72 hours to run
4 the bond log, and it would still cost us three more
5 days.

6 Q. Thank you.

7 COMMISSIONER BALCH: I think what he was
8 trying to ask is if you let your cement set eight hours
9 and then you continue drilling and then sometime, 72
10 hours or more later, you run the bond log when it's
11 convenient, how much additional time would that cost
12 you?

13 Is that correct?

14 MR. BROOKS: Yeah. I'm trying to give the
15 Commission the tools to determine how they might be able
16 to mold this requirement and to have some security on
17 the cement job with a minimum interference with the
18 drilling process.

19 COMMISSIONER BALCH: Right.

20 So set your cement, continue drilling.
21 Sometime later on when your tools are pulled up, you
22 drop down, do the CBL and submit it. Then you go back
23 to drilling.

24 COMMISSIONER PADILLA: It's a gamble,
25 though, because CBL -- it's a problem when you've

1 drilled a bunch of holes, and you have to come back and
2 fix it.

3 THE WITNESS: You want -- the way I
4 understand on the CBL, you need to have your pipe and
5 everything static. So if you're in there drilling in
6 your casing and stuff, you're --

7 COMMISSIONER BALCH: Install pipe [sic] on
8 the well before you run?

9 THE WITNESS: Yeah. Your fluid, change in
10 temperatures on the inside versus what was set, it's not
11 static so -- like I said, I've never run a cement bond
12 log on the surface at that shallow. Every bond log I've
13 run has been on production. We move the rig off.
14 Everything is static, and we set there and let the
15 cement cure up before, and then we'll run the cement
16 bond log.

17 Q. (BY MR. BROOKS) Thank you.

18 CHAIRMAN CATANACH: Anything further?

19 This witness may be excused.

20 Let's take a ten-minute break.

21 (Recess 9:03 a.m. to 9:30 a.m.)

22 CHAIRMAN CATANACH: Okay. I think let's go
23 ahead call the hearing back to order. I believe we're
24 on Mr. -- go ahead.

25 MR. LARSON: Mr. Chairman, my first witness

1 is Jeremiah Mullen of EOG Y Resources. We have three
2 EOG exhibits attached to the prehearing statements. I
3 have extra copies if the Commissioners or parties need
4 copies.

5 JEREMIAH MULLEN,
6 after having been previously sworn under oath, was
7 questioned and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. LARSON:

10 Q. Morning, Mr. Mullen.

11 A. Morning.

12 Q. Would you state your full name for the record?

13 A. Jeremiah Glen Mullen.

14 Q. And where do you reside?

15 A. In Artesia, New Mexico.

16 Q. By whom are you employed and in what capacity?

17 A. EOG Y Resources, and I'm a drilling engineer.

18 Q. And until a couple of months ago, EOG Y
19 Resources was known as Yates Petroleum; is that correct?

20 A. Yes, sir.

21 Q. And what has been the focus of your
22 responsibilities as a drilling engineer previously for
23 Yates and now for EOG?

24 A. New well design and also received operations in
25 drilling a well.

1 Q. And do you have experience designing and
2 drilling oil and gas wells in the Division's designated
3 area in its proposed rule?

4 A. Yes, sir.

5 Q. And are you familiar with the casing and other
6 requirements in the Division's proposed rule?

7 A. Yes, sir.

8 Q. And would you summarize for the Commissioners
9 your educational background and professional experience
10 in the oil and gas industry?

11 A. Okay. I've got a BS in electronics engineering
12 technology from Eastern New Mexico University. I
13 graduated in 2002, and went directly into the oil and
14 gas industry with Yates Petroleum. I did well planning
15 for the Permian Basin, including West Texas. And in
16 southeastern New Mexico, I did well planning, and
17 approximately nine years in that was casing design, mud
18 program, everything that's required by the state or Feds
19 to drill the well, get an APD. I spent a year on the
20 drilling rig as a company man and just oversaw the
21 operations in the field and became a drilling engineer
22 and have continued designing the wells and also
23 overseeing the drilling of the wells from the office.

24 Q. And were you sworn in at the beginning of the
25 hearing?

1 A. Yes, sir.

2 MR. LARSON: Mr. Chairman, I tender
3 Mr. Mullen as an expert in drilling engineering.

4 CHAIRMAN CATANACH: Any objection?

5 MR. OLSEN: No objection.

6 CHAIRMAN CATANACH: Mr. Mullen is so
7 qualified.

8 Q. (BY MR. LARSON) Mr. Mullen, did you listen to
9 Mr. Bird's testimony yesterday regarding the proposed
10 requirement of an intermediate casing string?

11 A. Yes, sir.

12 Q. Did you hear anything from Mr. Bird that you
13 disagreed with?

14 A. No, sir.

15 Q. And do you get your water at home in Artesia
16 from the city water utility?

17 A. Yes, sir.

18 Q. And to the best of your knowledge, is
19 groundwater the source of that water?

20 A. Yes, sir.

21 Q. And when you design an oil and gas well, do you
22 take into consideration the protection of the
23 groundwater?

24 A. Yes, sir.

25 Q. I'll ask you to identify the document marked as

1 EOG Y Resources Exhibit Number 1.

2 A. This is -- Exhibit 1 is a list of wells that --
3 well, formerly Yates -- EOG Y operates in the designated
4 area.

5 Q. And did you prepare this document?

6 A. Yes, sir.

7 Q. And did you, along with other EOG and Yates
8 employees, look at the well files for each and every one
9 of the wells identified on Exhibit 1?

10 A. Yes, sir.

11 Q. And did the other employees conduct their well
12 file research under your direction and supervision?

13 A. Yes, sir.

14 Q. What is the total number of wells that Yates
15 operated in the designated area?

16 A. 771 wells.

17 Q. And based on the research of the well files,
18 were any of those 771 wells designed with an
19 intermediate casing string to protect groundwater?

20 A. No, sir, not the -- well, I have to clarify
21 that. What became an intermediate casing string, the
22 only reason it became intermediate was because of
23 shallow-hole problems. So we set surface casing. So
24 then what was then called the intermediate casing, we
25 did set below the artesian aquifer. We -- we didn't --

1 we didn't run a surface for the sole purpose of casing
2 off an aquifer and then run an intermediate to case off
3 an aquifer.

4 Q. But the intermediate strings were to address
5 downhole problems?

6 A. Well, the intermediates -- well, that's what's
7 kind of tricky. It's called the surface string, you
8 know, for instance, if you set it down below the
9 aquifer. But if you have hole problems uphole, you set
10 a surface string shallow to case off your hole problems.
11 Well, now this one that was your surface string becomes
12 your intermediate string. So it was -- we set -- I
13 guess I would have to say in that case, we did set an
14 intermediate to case off the deep aquifer.

15 Q. And do the Yates well files reveal any
16 instances of any communication with either the shallow
17 aquifer or the deeper aquifer?

18 A. Did not see that in the well file, no, sir.

19 Q. Do the well files reveal any evidence of
20 hydrocarbon contamination of either aquifer?

21 A. No, sir.

22 Q. I'll next ask you to identify the document
23 marked as EOG Exhibit Number 2.

24 A. This is a summary, if you will, of data from
25 Exhibit 1.

1 Q. And did you prepare this document?

2 A. Yes, sir.

3 Q. And would it be correct to characterize it as a
4 summation of your well file research and the data set
5 out in Exhibit 1?

6 A. Yes, sir.

7 Q. And after you prepared this exhibit, did you
8 make some modifications to the data that appears on this
9 exhibit?

10 A. I did.

11 Q. And what was that modification?

12 A. Well, it's more of a clarification. Here we
13 have the number of wells operated in a designated area.
14 That included even the area that just had the deep
15 aquifer. So it encompasses the whole thing. Well, on
16 the next line where it says, "Wells with one casing
17 string to protect both aquifers," well, that's -- that's
18 not accurate. It's wells with one casing string through
19 the artesian aquifer, because both aquifers don't exist
20 all over the place. So I have to correct myself on
21 that. It wasn't to protect both aquifers. It was a
22 single casing string through the artesian aquifer.

23 Q. And so you ran a different set of numbers based
24 on wells within the area that both aquifers appeared?

25 A. Yes, sir, I did. I ran -- and it's -- it's the

1 same format. Total number of operated wells within both
2 aquifer area operated by EOG Resources is 441 wells, of
3 which 198 of them ran one casing string to protect both
4 aquifers, and the wells that did have two casing
5 strings, excluding the production casing, we had 243
6 wells. And wells with two casing strings run solely to
7 case off the aquifers separately was zero.

8 Q. So that zero number remains the same even under
9 your subsequent analysis?

10 A. Yes, sir.

11 Q. And do your percentages in the textural part
12 change as well?

13 A. It does. The wells that we ran a single casing
14 string, 198. It calculates to about 45 percent.

15 Q. And in your opinion, is the single surface
16 casing cemented to the surface protective of
17 groundwater?

18 A. Yes, sir.

19 Q. And you found no indication in your well file
20 review that any of the wells within the area where both
21 aquifers appear have communicated with or have
22 contaminated either of the aquifers?

23 A. No, sir.

24 Q. With regard to the casing requirements in the
25 Division's proposed rule, have you computed the

1 additional drilling costs that EOG would incur if the
2 Commission were to adopt the rule?

3 A. Yes, sir, I did. I come up with approximately
4 \$314,000.

5 Q. And are you referring to what's been marked as
6 EOG Exhibit 3?

7 A. Yes, sir.

8 Q. And would you identify that for the record,
9 please?

10 A. EOG Exhibit 3 shows just the added costs that
11 we would incur if we had to run the extra casing string
12 and also run the cement bond log after -- after the
13 surface and intermediate.

14 Q. Did you prepare the document marked as Exhibit
15 3?

16 A. Yes, sir.

17 Q. And could you briefly describe your breakdown
18 of the estimated costs for adding an intermediate casing
19 string?

20 A. What I did -- really what you're doing is
21 you're adding a shallow casing string. You still have
22 your -- your one at approximately 1,200 feet. What
23 you're doing is you're adding a shallow surface string.
24 I've got the -- what I did is I just went through and
25 put what I thought would be the added costs, your bit,

1 your casing, your cement, float equipment for your
2 casing, wellhead, BOP test, casing inspection, et
3 cetera, et cetera going down the list, including your
4 bond log and your W -- or your weight on cement for a
5 bond log.

6 Q. And what is your second set of numbers there?

7 A. Well, the second set of numbers would be
8 just -- I didn't include any of the other costs because
9 we would just be running that string as a surface
10 casing, so that would already be existing. So I just
11 added the bond log cost and the weight on the cement
12 bond log.

13 Q. And those costs total \$314,286 per well?

14 A. Yes, sir.

15 Q. And I notice you have a line item of amount of
16 time to wait for the district office to review and
17 approve a bond log, and you've got question marks there.

18 A. Right. And as has been discussed, that's the
19 big question, is how quick can we get a bond log
20 reviewed and approval and returned back to us.

21 Q. So that's really an unknown at this point?

22 A. That is an unknown.

23 Q. And what would the per-day costs be for the
24 waiting period relating to a bond log?

25 A. Rig and rentals, approximately \$40,000 a day.

1 Q. And do you have a document marked as
2 Respondent's Exhibit 2 in front of you?

3 A. Yes, sir.

4 Q. And Respondent's Exhibit 2 is entitled
5 "Historical 2-String Design Well Diagrams"; is that
6 correct?

7 A. Yes.

8 Q. And how does this diagram compare with the Yeso
9 horizontal wells that Yates and now COG operate in the
10 designated area?

11 A. It's similar to -- we have the single string
12 through the artesian aquifer, and then we drill out
13 and -- and run a lateral -- run a pipe into the Yeso
14 Formation.

15 Q. And on some or all of those wells, did Yates
16 and its predecessors cement the production casing of the
17 surface?

18 A. We usually have cement come to surface. If you
19 design for 500 feet, but on the -- on the lateral, on
20 the production casing, what we'll do is on what we call
21 the unlogged portion of the hole, which would be the
22 lateral section (indicating), we pump 35 percent excess
23 over true hole volume. And then on the curve and the
24 vertical part that's an open hole, we log that. And so
25 we'll pump 15 percent over logged volume, and then

1 casing to casing, we pump 10 percent. If your hole is
2 pre-gauge, I mean 1,200 foot of pipe, bring to 500 foot,
3 I mean, it's going to circulate.

4 Q. In your opinion, does a well with surface and
5 overlapping production casing cemented to at least 500
6 feet above the base of the surface casing adequately
7 protect groundwater?

8 A. Yes.

9 Q. And on average, based upon your well review,
10 what was the depth for the surface string for the wells
11 in the designated area?

12 A. It depends on where you're at in the -- in the
13 shelf. A little further north, we had shallower surface
14 casing. As we got down in -- where we've been active --
15 well, not within the last year, but where we were active
16 in the Yeso area, 1,000 to 1,200 feet on average.

17 Q. And since EOG purchased Yates, has the focus of
18 the former Yates employees, now EOG employees, in
19 Artesia changed?

20 A. Definitely. EOG -- EOG Resources has a Midland
21 office, and so they -- they have -- historically,
22 they've operated in what we call the Delaware Basin, and
23 Yates Petroleum also operated in the Delaware Basin. So
24 when the merger happened and we became EOG Y Resources,
25 EOG Midland, the division -- the Midland division is

1 focusing on the Delaware Basin in New Mexico. The
2 Artesian office, we've got the shelf. And so that's our
3 bread and butter, if you will. We've got to make the
4 Yeso Formation work for us. There is other stuff east
5 of town, but our big play is the Yeso play south of
6 Artesia, and that's what's going to -- that's what's
7 going to make us or break us as a division.

8 Q. In light of the additional drilling costs that
9 you included in your Exhibit 2, how does that impact
10 EOG's Yates -- I'm sorry -- EOG's Yeso drilling program
11 going forward?

12 A. It makes them uneconomical.

13 Q. And do you believe that a requirement of an
14 intermediate casing string would provide any additional
15 protection to groundwater?

16 A. No, sir.

17 Q. I would next address your attention to
18 Respondent's Exhibit Number 3. Do you have that in
19 front of you?

20 A. Yes.

21 Q. And do you agree with the third bullet point
22 addressing the proposed 2-inch, quote, "Clearance
23 between the hole diameter and the couplings of the
24 casing string"?

25 A. Yes.

1 Q. And do you also agree with Mr. Bird's testimony
2 regarding that issue?

3 A. Yes.

4 Q. And in your opinion, would the three-string
5 design proposed by the Division present increased safety
6 risks?

7 A. Yes, sir.

8 Q. And what would those risks be?

9 A. With any -- with any added procedure in the oil
10 field, I mean, you have -- you have -- just in the
11 drilling operations of set -- say having to set an extra
12 string and run a bond log, and you have added trucking.
13 You have to run your pipe, cement your pipe, just all
14 these procedures, and these added procedures do have
15 risk associated with them.

16 When we choose to set a shallow surface
17 casing, we have to calculate the risk. Is the risk
18 greater to set that pipe and you have to bring all these
19 people in, or is the risk greater to get stuck and then
20 have to bring people in anyway and then still have to
21 run pipe just to case off, you know, in the shallow-hole
22 problems. And in the cases where we've set shallow
23 casing, we feel that the risk is greater not to do so.

24 Q. In your opinion, have the drilling practices of
25 EOG's predecessors in the designated area been

1 protective of both the shallow and the artesian
2 aquifers?

3 A. Yes, sir.

4 Q. In your opinion, would the requirement of an
5 intermediate casing string provide an additional
6 protection of the upper and lower aquifers?

7 A. No, sir.

8 Q. And in your opinion, is the proposed rule
9 necessary to protect the aquifers?

10 A. No, sir.

11 MR. LARSON: Mr. Chairman, I move the
12 admission of EOG Exhibits 1, 2 and 3.

13 CHAIRMAN CATANACH: Any objection?

14 MR. OLSEN: No objection.

15 CHAIRMAN CATANACH: Exhibits 1, 2 and 3
16 will be admitted.

17 (EOG Y Resources Exhibit Numbers 1, 2 and 3
18 are offered and admitted into evidence.)

19 MR. LARSON: I'll pass the witness.

20 CHAIRMAN CATANACH: Mr. Brooks?

21 CROSS-EXAMINATION

22 BY MR. BROOKS:

23 Q. I'm sorry. I've forgotten your name.

24 A. Jeremiah Mullen.

25 Q. Mullens?

1 A. Mullen.

2 Q. Good morning, Mr. Mullen.

3 A. Morning.

4 Q. Paging through this exhibit, I found quite a
5 number of -- not a large percentage at all, but quite a
6 number of individual cases where you have -- okay.
7 Well, let me back up. In the first instance, there
8 are, as your summary reflects, a lot of cases in which
9 Yates has run an intermediate casing string in the wells
10 in this area, correct?

11 A. Yes, sir.

12 Q. And the vast majority of those that are listed
13 on your Exhibit 1 do not indicate on the exhibit
14 anything about what the reason was for doing that, on
15 the summary.

16 A. On the summary? No.

17 Q. On Exhibit 1. There are a few instances where
18 it does.

19 A. Yes. And the reason for that, when we were
20 working on this exhibit, it was in Excel. And what I
21 did is I went through and while we were looking for how
22 many wells were set with two strings, how many set one
23 string, and if you can insert a comment, and when you
24 hover over it, it pulls up why.

25 And so when I went through and did was --

1 on all mine, I had a comment inserted on the Excel
2 spreadsheet. My boss who actually helped, he put his
3 comments in the -- right here in the scale. But each
4 and every one of them, if there were two strings set --
5 and if I can point to an example of an APD I have. Can
6 I do that?

7 Q. Okay. The pages are not numbered, but if you
8 can tell me which page to page to.

9 A. Well, I'm talking -- well, a large amount of
10 these wells, when they were permitted, stated that
11 approximately whatever depth we thought we would need to
12 set surface, "surface casing will be set in cement
13 circulated to shut off gravel and cavings."

14 Q. To shut off?

15 A. Gravel and cavings.

16 Q. Oh, okay.

17 A. So with all these wells we ran a shallow
18 surface and then ran an intermediate, then we did that
19 because we anticipated hole problems or the potential of
20 hole problems, and we put that in the permit.

21 The ones that we -- that we had some
22 permits that did not have that but were designed like
23 that because we have offset wells, as Mr. Krogman had
24 pointed out -- you have offset wells that you study, and
25 if you see a potential problem, then you -- then you

1 would design it to take care of that.

2 And so on these wells, none of them were
3 designed for the sole purpose of casing off that shallow
4 aquifer separate from the -- it was -- all the ones that
5 have two strings, it was either for a problem that has
6 occurred while drilling or a problem we anticipated.

7 Q. Now, did you prepare these from -- you said you
8 prepared these from well files. Now, were those the
9 OCD's online well files, or were those Yates' internal
10 well files?

11 A. Well, we have OCD online well files that we
12 looked at. Well, you don't have the well files for all
13 these wells just readily available --

14 Q. Okay.

15 A. -- but the OCD well files.

16 Q. Yeah. I was interested in that because there's
17 been some testimony that the reasons for setting casing
18 at particular levels were not ascertainable from the
19 well files. But whatever information you have provided,
20 reasoning is from the OCD well files?

21 A. And which in particular were not?

22 Q. It wasn't a particularized testimony, so I
23 can't give you that information.

24 A. Okay. You can -- you can -- when you look in
25 the well file, you have to know what you're looking for

1 to know where a pipe was set or when something was done,
2 particularly the older -- the older well files. And --
3 and -- and like I said, if we did have a well file
4 in-house, then we would use that -- we would use that
5 just to check and make sure that we had the right data.

6 Q. Now -- so although most of these wells that
7 have intermediate casing pursuant to your -- what is
8 reflected on Exhibit 1, the copy I'm looking at anyway,
9 most of them have no notations to read. Now, is it your
10 testimony, then, that you have examined the files for
11 each of those wells, and each of them discloses that the
12 reason was for protection of hole integrity and not for
13 protection of groundwater? Is that what you're telling
14 us?

15 A. The surface -- if there were two strings set,
16 then there was -- it either had it noted that it was set
17 for casing -- cavings or -- what was stated -- gravel
18 and cavings, or there was some loss of circulation or a
19 hole problem, and then they set the two strings, or --
20 or you had an offset that you would design it -- where
21 you had a problem on offset and you designed it that
22 way.

23 Q. Did you then investigate what the problem on
24 the offset was, where they said there was a problem with
25 the offset?

1 A. No, I did not.

2 Q. Okay. There are many instances -- not a huge
3 number, but there are quite a few instances on this
4 schedule, Exhibit 1, where it says surface casing --
5 where there is a notation in the cell for the depth of
6 surface casing and it says, "Surface casing set for."
7 And I tend to assume that was probably an operator
8 error.

9 A. No. Again, this was done in Excel. And that
10 was a question that I brought up. Do I need to have --
11 do I need to have all the -- because it's in Excel and
12 it doesn't print your comments unless you had it show
13 them --

14 Q. Yeah.

15 A. -- and it decided not to show them. But this
16 is -- if you click on the cell -- it was done in
17 Excel -- it's "surface casing set for hole problems."

18 Q. Okay. Well, I'm looking specifically -- yeah.
19 I'm looking specifically at the third-from-the-last page
20 of Exhibit Number 1 where it's talking about Prickly
21 Pear --

22 A. Yes, sir.

23 Q. -- Prickly Pear AIE Federal Number 1 and the
24 Federal FC -- I found one at the Charlotte McKay Federal
25 #3 -- are the two that I specifically looked at. And on

1 my copy, it says -- also way up at the top, Boddington
2 BKF Federal Com #1. In the left-hand column, it says
3 "surface casing set for." That's all it says.

4 A. Yes, sir.

5 Q. Now, I have enough experience with Excel to
6 know that sometimes, for reasons I don't fully
7 understand, it shortens -- the system shortens the
8 column height, and when you print it out, then that
9 simply -- it simply does not print out whatever's left
10 in the column below --

11 A. Correct.

12 Q. -- below where they shorten it out. So I'm
13 tending to assume that is the reason.

14 But is it your testimony, then, that each
15 of those instances -- if you had the full Excel file in
16 front of you in electronic form, you would be able to
17 ascertain that it is noted that it was set for
18 surface protec- -- for hole integrity protection? Is
19 that what you're testifying to?

20 A. Yes.

21 Q. Now, then I go over to the next-to-the-last
22 page of the exhibit, and we have quite a number of wells
23 down here that say -- well, beginning with the Mescal SE
24 Federal #1/Upper Penn, about two-thirds of the way down
25 this exhibit, the left-hand column says casing was set

1 at "359 - water protection," case setting -- casing set
2 at 2,300 [sic], water protection, slash, well.

3 A. Right. That's well integrity -- wellbore
4 integrity.

5 Q. Okay. Well, "wellbore integrity" does not
6 appear on that copy.

7 A. Correct.

8 Q. And that is true for a number of wells down in
9 that -- on that page, which would tend to indicate to
10 me, just looking at my copy, that the shallow casing was
11 set for water protection. But you're telling me that's
12 not what it says?

13 A. That's not -- it was not set for the sole
14 purpose of water protection. Wellbore integrity --

15 Q. Was it set partly for the protection of water,
16 since that appears with a slash after it?

17 A. Well, if you set it, then it would -- you know,
18 it would act as that if it was set deep enough.

19 Q. Yeah. And these were wells that were drilled
20 in the 1970s and 1980s, so it wouldn't have anything to
21 do with the recent controversy.

22 A. Well, some of them were in 2007 and --

23 Q. I think it will tell us specifically.

24 A. Oh, okay. Yeah, 1976 or 2000- -- no, wait.
25 Sorry. '81, '07, '84, '98.

1 Q. Okay. So you're assuring us that you've
2 examined every one of these and that there is no
3 instance in which water protection was anything more
4 than one of the reasons why the surface casing was set?

5 A. Well, the reason it was set is if you have hole
6 problems. It wasn't set for water protection. If there
7 had not been hole problems, they would have drilled on
8 down and set it below the artesian aquifer like we did
9 on -- I'm sorry.

10 Q. I'm sorry. Go ahead.

11 A. Like we did on some of the wells there in that
12 area.

13 Q. And how long have you been involved in drilling
14 wells in this area personally?

15 A. Well, since 2002, in the -- in the well
16 planning.

17 Q. So you would have no personal knowledge
18 regarding wells drilled in the 1970s and 1980s --

19 A. Only what -- 1970s, only what I've learned from
20 the files. From 1982 on, my boss, for about 20-some-odd
21 years, he drilled wells in the area, and he's the one
22 that did this -- did a lot of this -- well, I say a lot.
23 He did a third of this research.

24 Q. Okay. There's been testimony from several --
25 from two witnesses now that they have drilled a lot of

1 wells through these two aquifers and they have never
2 encountered a flow of fluid out of the aquifers into the
3 hole -- out of either aquifer into the hole. Does your
4 experience accord with that?

5 A. Yes, it does.

6 Q. Is that something you would know about if it
7 occurred?

8 A. We would. We'd see -- as you drill the well,
9 they do a time log, and if your pits [sic] are taking on
10 fluid, then you know there is an inflow from somewhere.

11 Q. Okay.

12 A. And then they would indicate that on -- if
13 there's more fluid coming in than displacing the hole.

14 Q. Okay. There's also been testimony that you
15 have not encountered any leakage or that -- the
16 operators who have testified have not encountered any
17 leakage of fluids through the surface casing that would
18 have presented the pollution problem from freshwater.
19 And I asked the last witness this question. I'm going
20 to ask you this question also. How would you know if
21 that had occurred or whether it hadn't occurred unless
22 you had a complaint from someone?

23 A. If there was -- if you have surface casing set
24 and cemented to surface --

25 Q. Whether there is leakage which would presumably

1 be because of a defect in the cement or a leakage in the
2 casing, would be the things that would come to my mind,
3 anyway, that might have caused it. But how would you
4 know if that had occurred?

5 A. Well, you would just know if somebody
6 reported. I mean, there's been -- there's been -- you
7 know, a few of your witnesses said there's been no
8 indication of contamination, so I have to go by their
9 testimony, because I don't know of any. That's all I
10 can say. I don't know of any.

11 Q. Isn't that basically what these operators are
12 testifying to; they haven't been alerted to any?

13 A. Yes, sir.

14 Q. And you don't really have a procedure for
15 testing to determine if anything's actually occurred?
16 That's not part of the operation that you do, right?

17 A. No, sir, other than circulating cement to
18 surface and, like I said, making sure you set your pipe
19 through the artesian aquifer.

20 Q. And except for the fact that the cement does,
21 in fact, circulate to surface, if you don't take a
22 cement bond log, you don't have any further way of
23 knowing that you don't have vacancies in that cement
24 somewhere?

25 A. Well, you just -- I mean, once you circulate --

1 as Mr. Krogman testified, when you circulate it -- I
2 mean, what we'll do to ensure a good bond is we'll --
3 the State recommended -- or the State regulates that you
4 set centralizers at one, three and five. That's first
5 joint, third joint and fifth joint. Thereafter, well,
6 EOG-wide, we do every third joint to surface just to
7 ensure the centralized casing and get the bond, and we
8 do want the turbulent flow, also.

9 Q. There's been a lot of questions about turbulent
10 flow, and I'm not going to ask anything more about that.

11 But I'm talking about how you verify the
12 quality that you've actually gotten from -- you rely on
13 the fact that you tested the cement before it was put in
14 the well --

15 A. Yes, sir.

16 Q. -- and that it has successfully circulated to
17 the surface?

18 A. Yes, sir.

19 Q. And that's really all you have to let you know
20 that the cement -- that you've got a good cement job, is
21 you don't do a cement bond log, correct?

22 A. That, and the fact you have no instances of
23 contamination reported.

24 Q. Okay. Now, let me look again at Exhibit Number
25 3 where you compute costs. Now, the 183,618 that you've

1 reported for the cost of the added casing string, we can
2 speculate that that may be a couple of dollars off since
3 it comes out to 180?

4 A. It could be higher.

5 Q. But that cost is the cost for the added casing
6 string?

7 A. Well -- yes, sir, and the bond log -- waiting
8 on bond log.

9 Q. Okay. Yeah. The added casing string,
10 including the added bond log --

11 A. Yes, sir.

12 Q. -- because under the proposed rule, you've got
13 to run two bond logs for each of the casing strings?

14 A. Yes, sir.

15 Q. And the second computation is the cost of the
16 second bond log, right?

17 A. Yes, sir.

18 Q. So if the Commission were to decide to require
19 a bond log and were to decide not to require two casing
20 strings, at least not in all cases, then the cost figure
21 that you've given us would be the 130,000, plus approval
22 time, rather than 314,000, right?

23 A. You're saying if there is no -- if no
24 surface -- or --

25 Q. If the Commission were to decide not to require

1 two -- two water protection strings.

2 A. Right. Okay. So one water protection string
3 with a bond log.

4 Q. With a bond log.

5 A. So you're -- well, that's -- well, \$130,000
6 minimum.

7 Q. Okay. And if the Commission were also to not
8 adopt the rule requiring you to wait to continue
9 operations until the bond log had been approved, then
10 you could delete the question marks there, and you would
11 have the 130,000. I realize it's not a precisely
12 accurate assessment --

13 A. Right.

14 Q. -- because estimates never are. But your
15 testimony would be that you're looking at 130,000 in
16 additional costs based on that scenario. But if the
17 Commission were not to adopt the two casing strings, not
18 adopt the waiting requirement for OCD approval, but to
19 continue the cement bond log.

20 A. If you did not have to wait the 72 hours, you
21 would --

22 Q. Well, you'd have to wait the 72 hours before
23 you could do the bond log.

24 A. Oh, right. Yeah. You're correct.

25 Q. But you wouldn't have to wait any longer for

1 Division approval.

2 A. Oh, correct. Correct.

3 Q. You could go on with operations while the
4 Division was doing its thing, if the Commission decided
5 not to adopt the waiting period.

6 A. For the review and the approval?

7 Q. Yes.

8 A. That is correct.

9 Q. Thank you. That's all I have.

10 CHAIRMAN CATANACH: Mr. Olsen.

11 MR. OLSEN: Thank you, sir.

12 CROSS-EXAMINATION

13 BY MR. OLSEN:

14 Q. Mr. Mullen, are you -- you're not a
15 hydrologist, are you?

16 A. No, sir.

17 Q. Or a geohydrologist?

18 A. No, sir.

19 Q. Have you studied the hydrology or geohydrology
20 of the area of the 700-plus wells that you've identified
21 in your Exhibit 1?

22 A. No, sir.

23 Q. I'd like to go to Exhibit 1, if I may. And I
24 just want clarification purposes. It appears that your
25 exhibit is put together by township and range beginning

1 at 8 South and then going -- and ending on the last page
2 at 23 South, 23 east, correct?

3 A. Yes, sir.

4 Q. So you've put this together from north to
5 south?

6 A. Yes, sir.

7 Q. I also went through and tried to identify some
8 dates, and it looks like -- I found on the third page
9 from the first -- on the third page from the beginning,
10 and it looks like 1964, the Marathon well, Marathon AGI
11 State, which was set in 17 South, was drilled at 109 --
12 casing set at 109 and 600 feet. Did you personally look
13 at that well log?

14 A. I can't say I personally did. I can say that
15 myself or one of the other two people that looked --
16 this one in particular, I can't say.

17 Q. Let's go down a couple or three lines to the
18 State DF #1 Wolfcamp. That's a 1963 well.

19 A. Yes, sir.

20 Q. That appears to have two strings set, one at
21 124 feet and then one at 1794.

22 A. Yes, sir.

23 Q. And that's in 17 South, correct?

24 A. Yes, sir.

25 Q. Do you know how many wells are identified in

1 your Exhibit 1?

2 A. 771.

3 Q. Your Exhibit 2 identifies 771 wells --

4 A. Yes, sir.

5 Q. -- and that is a total of the wells identified
6 in Exhibit 1; is that correct?

7 A. Yes, sir.

8 Q. Then I want to go to your Exhibit 2 for just a
9 moment. Your Exhibit 2 identifies 410 wells with two
10 casing strings, excluding production casing. Do you see
11 that?

12 A. Yes, sir.

13 Q. That 410 number, is that derived from the wells
14 identified in Exhibit 1 where there are two strings?

15 A. Yes, sir.

16 Q. And so the number that you have in Exhibit 2,
17 48 -- I'm sorry -- of the 771 wells, 48.9 percent of
18 them utilized one string of casing to case off both
19 aquifers. Is that an accurate number?

20 A. Yes, sir.

21 Q. So then -- is it fair to say, then, using your
22 numbers, about half of the 771 wells identified in
23 Exhibit 1, nearly 50/50 have had two strings, half have
24 had one string?

25 A. Yes, sir.

1 Q. Now -- and that ranges -- that's a -- I found a
2 1963 well. I didn't find any older than that.

3 A. There is a 1957, I believe.

4 Q. A what?

5 A. 1957.

6 Q. Can you tell us what page that's on?

7 A. Let me see.

8 Q. I'm sorry. There's 1961. I'm sorry.

9 A. Okay. That would be the very first well on
10 the -- one, two, three, four, five, six, seven, eight --
11 on the 11th page.

12 Q. That's the Hawkings GY?

13 A. The Wright JA #1. It's 18 South, 26 --

14 Q. Uh-huh. Okay.

15 And then it appears that the latest well
16 identified in your exhibit is what year? Can you tell
17 us?

18 A. It should be 2014.

19 Q. And can you tell me where that well is located?

20 A. It would be in the Yeso. Well, let me find the
21 exact location. Be 18-26. It's either the -- I
22 apologize. In Section 19 -- I'm sorry. 19 South, 25
23 East, 2014, we have a well called the Roy Number 9.

24 Q. I see in 19-25 a Savannah State that's a 2014
25 well.

1 A. I believe the last well was a number nine in
2 2014.

3 Q. Let's go to Section -- the page that has
4 Section -- Township 19 South, 25 East. And that has a
5 2014 well, the Savannah State Com well. Do you see
6 that --

7 A. What section?

8 Q. -- drilled in 2014?

9 In Section 32, 19 South, 25 East.

10 A. Okay.

11 Q. Why is that well -- it shows -- it shows the
12 surface casing set to 843. Why is there an "NA"?

13 A. Well, there's no intermediate string run for
14 water protection. As far as I know, there was no
15 intermediate string.

16 Q. Okay. Let's go right to the well right below
17 it. It was drilled in 1972, same township, same range,
18 only Section 4. That has surface string of 400 pound,
19 406 feet, and then down to the bottom of 1129, correct?

20 A. Yes, sir.

21 Q. Do you know whether or not that information was
22 used when the Savannah well was designed?

23 A. No. When we did these Yeso wells, we had a
24 geologist that would let us know where she -- where she
25 picked -- would pick the -- where we would be out of the

1 artesian aquifer and into that San Andres before you hit
2 a water show, and that's the only thing I can see that
3 we would pick that.

4 Q. I see.

5 Go to the page -- Mr. Brooks was asking you
6 some questions and the second-to-the-last page of
7 Exhibit 1 for just a moment. And I would direct your
8 attention to the 2001 well, the Luke Bav Federal well.
9 Do you see that? It's Section 3, 21 South, 22 East.

10 A. Yes, sir.

11 Q. Now, it says "357 feet - surface set for
12 water." Then at "1402 - water protection well." Can
13 you explain for us the difference in these two
14 notations, "surface set for water" and then "water
15 protection well"? What is that?

16 A. I would have to see -- this one -- the water
17 protection well, I'd say would be well integrity. Maybe
18 they had some losses going through there, and so they
19 said water protection, well integrity.

20 "Surface casing set for" -- I'd have to
21 pull my -- and I apologize. I would have to pull the
22 Excel file to see what the end of it was. I can't say.
23 I can't say that.

24 All I can say is I know for sure that my
25 boss had done that part of it, and he said -- as he

1 searched the well files and what he saw, he didn't see
2 they were set -- any pipe was set solely just for water
3 protection.

4 Q. Okay.

5 MR. OLSEN: May I have just a moment?

6 CHAIRMAN CATANACH: (Indicating.)

7 Q. (BY MR. OLSEN) Mr. Mullen, thank you.

8 MR. OLSEN: We pass the witness.

9 CHAIRMAN CATANACH: Thank you, Mr. Olsen.
10 Do you have any questions?

11 MR. FELDEWERT: (Indicating.)

12 CROSS-EXAMINATION

13 BY COMMISSIONER PADILLA:

14 Q. I just have one for you, Mr. Mullen.

15 Can you talk a little bit more about the
16 excess cement and why Yates, slash -- or now EOG does
17 that?

18 A. Well, Yates did it. I can't say that they're
19 going to implement that with EOG Y.

20 Q. Have you drilled wells with EOG?

21 A. No, we haven't. We haven't drilled a well
22 since we drilled -- well, in this area, since we drilled
23 these Yeso wells in '14. Economics weren't there, so we
24 stopped the program.

25 For Yates, what we want to do is ensure

1 that we get at least the tieback that's required, and so
2 we -- we do the excess just in case we have out-of-gauge
3 hole. As we drill more and more, the 35 percent
4 excess -- I guess I should redo that. That's what we
5 did in the beginning. As we saw that we had better
6 gauge hole, we reduced it to 30 and, you know, see what
7 we've got. If we're still circulating, you know, we
8 might reduce -- the lowest I saw was like 25 percent
9 excess in the unlogged portion.

10 In the logged portion, we always kept it 15
11 percent excess, and in the casing on casing, we always
12 kept it 10 percent excess. But that's just to ensure
13 that if you do have some out-of-gauge hole, you're not
14 going to end up with cement below your casing shoe
15 because then -- well, then, you have to remediate.

16 Q. So did you ever have any wells that went way
17 above that as far as having to increase that excess?

18 A. Having to increase the excess?

19 Q. Any problem wells where they -- you know, your
20 percent ratio went through the roof?

21 A. No, sir. We were able to reduce our percentage
22 ratio just as we drilled the wells and saw that we
23 were -- I mean, if you drill it and you get -- and you
24 get, you know, 200 -- 200 barrel -- or sacks of cement
25 back, well, then you want to reduce your excess so you

1 get a little less. You know, you try and balance it
2 out, but you don't want to be under.

3 Q. Across the board, that's the standard. But you
4 didn't have -- maybe it's a better question to ask in
5 relation to lost circulation. You guys didn't have any
6 big flows go out and have to compensate?

7 A. Oh, you're talking about the surface casing.

8 Q. Anything.

9 A. Okay. On the surface casing, we pump excess,
10 because you're going to have -- you're going to have
11 some washout, you know, just drilling that -- drilling
12 that hole. You know, it's bigger than your smaller
13 hole. But you'll have a little washout. So we do pump
14 excess. And if you have lost circulation, you still --
15 you want to pump -- I believe we pump 40 percent excess
16 and we circulate it out. If you have losses, you might
17 still pump that 40, but you don't increase it because
18 you have losses because, you know, your hydrostatic
19 head's too high. So if you increase your excess, you're
20 just going to increase what you're pumping in the
21 formation. So we'll keep our same excess, but we'll --
22 we'll top it out, you know. If it doesn't happen to
23 circulate, we'll top it out with 1 inch.

24 Q. So that hydrostatic was enough to compensate
25 for cross-flow, you think?

1 A. Oh, yes, sir.

2 Q. Okay. Thank you.

3 CROSS-EXAMINATION

4 BY COMMISSIONER BALCH:

5 Q. What was -- what were AFEs coming -- I'm sorry.
6 Good morning, Mr. Mullen.

7 A. Morning.

8 Q. What were the AFEs coming in for the most
9 recent Yeso wells?

10 A. For our most recent -- and now that we're
11 EOG Y, we've started looking at -- as I said, this is
12 going to be our bread and butter. And our drilling AFE,
13 we're looking at, for a Yeso well, like 1 million,
14 1.1 million.

15 Q. That's pretty similar to other operators?

16 A. I believe so. COG may be -- may be a little
17 less than us because they've got that -- they've been
18 operating, and if you're operating quite a bit, you can
19 get some deals.

20 Q. You indicated in a lot of your -- your
21 two-string completions that the intermediate -- the
22 intermediate casing cement came to surface. You've had
23 a number of those. Kind of --

24 A. On the well -- well, I was talking about on the
25 production casing --

1 Q. Yeah.

2 A. -- where it -- you know, it came to surface.

3 Q. So in that case, you would have your
4 intermediate string, cement at the surface, and your
5 production casing, cement at the surface?

6 A. Yes. Yes. If we had -- if we had a -- a
7 shallow surface and then -- and then a water protection,
8 yeah, you would have your intermediate -- well, you'd
9 have your surface, your intermediate and your production
10 to surface. If you just -- if we -- in those Yesos,
11 most were -- most were one string. We didn't have a
12 whole lot of losses on those. So it was our surface
13 casing that was set down deep, so it would then be
14 called our surface.

15 Q. Okay.

16 A. And we would have cement behind surface and
17 cement behind our production.

18 Q. Which would give you two layers of steel and
19 two layers of cement between the water and the wellbore?

20 A. Yes, sir.

21 Q. Now, if that were to be an operational
22 constraint, without a cement bond log, the only
23 additional expense would be bags of cement, and make
24 sure you always went to surface on that -- on that
25 production string?

1 A. Yes, sir.

2 Q. What would be the approximate incremental cost
3 of something like that? I know it's going to vary by
4 bags of cement and depth and all that.

5 A. Yeah. It will -- it'll vary. I'm really not
6 sure.

7 Q. But a few thousand dollars, not hundreds of
8 thousands?

9 A. Oh, yes, sir. Yes, sir.

10 Q. Thank you.

11 CROSS-EXAMINATION

12 BY CHAIRMAN CATANACH:

13 Q. Mr. Mullen, what kind of hole problems are you
14 talking about?

15 A. You have cave-ins. You know, it's -- when
16 you're drilling through -- and we're similar to -- to
17 Mack Energy in that we drill a little larger hole size.
18 But, see, we set 9-5/8 casing rather than 8-5/8, so our
19 hole size is 14-3/4. The reason we do that, as Mr. Bird
20 said, you plan your well from the bottom up. Our
21 production engineers, when we're going to pump these
22 wells, they want to be able to put big pumps down there.
23 So our design is to -- is to drill an 8-3/4-inch hole to
24 about 70 degrees in our curve, and then we reduce hole
25 size to 7-1/2 -- I mean -- sorry -- 8-1/2. We run

1 7-inch and then we switch it down to 5-1/2, and that way
2 they can put -- they can put whatever size pumps they
3 want in the 7-inch casing so -- instead of being limited
4 to 5-1/2.

5 So what that does is that makes us drill an
6 8-3/4-inch hole, which requires a 9-5/8 casing, which
7 then we have -- we use 14-3/4-inch diagonal for the same
8 reason that Mack does, is because -- from what you're
9 asking, you have formation that can -- that can come in
10 on you. You can get stuck, you know. So that would be
11 the main reason that we would set it, or if you did have
12 lost returns and you thought it could present problems
13 from cave-ins and stuff like that.

14 Q. Do your hole problems -- are they -- are
15 they -- do they occur in any certain area?

16 A. It's usually the shallow. It varies, 200 -- we
17 had one; it was at 200 feet. We've had some that are
18 300. I mean, it varies.

19 Q. So it varies vertically and horizontally? I
20 mean, they can be anywhere in this area? I mean, it's
21 not concentrated to a certain area within the
22 horizontal?

23 A. Not that I'm aware of.

24 Q. So it's kind of a random thing?

25 A. Yes, sir. And we do have -- we do have areas

1 where you don't see it and then some areas, you do. But
2 I wouldn't be able to say this is exactly where.

3 Q. And the wells that you guys are drilling today
4 or recently, you're still running -- when you do
5 encounter hole problems, you're still running two
6 protection strings?

7 A. No, sir. We're running one water-protection
8 string, but if we do encounter problems and we feel that
9 the risk is greater than -- so we'll run -- we'll run a
10 surface string to case off hole problems.

11 Q. You're still practicing that?

12 A. Yes, if -- if the hole problems -- we think
13 that it's greater than -- than going ahead and drilling
14 down, if we feel the risk is greater doing that, then
15 we'll set the surface.

16 Q. So I just have -- I was looking through the
17 wells, and I just had a question on a particular one, on
18 page 2, and I was just curious. But it's about a little
19 more than halfway down. It's the Phillips KH Fed
20 Com #2. That particular well has the upper string set
21 at 420 feet, which I assume would cover the hole issues
22 and probably the upper aquifer. Did you find it?

23 A. I did. I did. I would assume so.

24 Q. The next casing string is set at 2965, and I'm
25 a little concerned that that appears to -- if that

1 artesian aquifer is present in that area, that casing
2 would have been drilled through that and into possibly
3 some other zones.

4 A. Yes, sir. And I'm not -- I'm not aware of the
5 depth of the -- of the first oil show below the -- the
6 artesian aquifer. I'm not -- I'm not aware of -- I
7 don't know where the map is. Where is 1427? It's north
8 of Artesia.

9 Q. 1427 appears to be right -- let's see. It
10 looks to be on the eastern edge of the designated area.

11 A. Okay. Within the --

12 COMMISSIONER PADILLA: It's outside.

13 COMMISSIONER BALCH: Looks like it's
14 outside.

15 THE WITNESS: Oh, you know what it may be?
16 Because when we -- when we pulled this list, we pulled
17 it off of the OC- -- I forget who supplied that. It
18 encompassed all these townships, and some of those
19 townships are outside of the actual -- so --

20 Q. (BY CHAIRMAN CATANACH) So that may not be an
21 issue?

22 A. Yes, sir.

23 Q. Okay. I don't have any other questions.

24 MR. LARSON: I have a couple of follow-up
25 questions, Mr. Chairman.

1 REDIRECT EXAMINATION

2 BY MR. LARSON:

3 Q. Mr. Brooks and Mr. Olsen asked you about some
4 notations in the first two columns on Exhibit 1.

5 A. Yes, sir.

6 Q. And those -- you describe them as comments that
7 would show on Excel but have been truncated --

8 A. Yes, sir.

9 Q. -- in order to create an exhibit that was
10 usable?

11 A. Yes, sir.

12 Q. Is that correct?

13 A. Yes, sir.

14 Q. And the well file review that was conducted by
15 EOG employees, there were people involved there that had
16 institutional memory about these wells, weren't there?

17 A. Oh, definitely. My immediate boss, like I
18 said, has been drilling since '82, and he drilled quite
19 a few. Now, the older wells, he didn't, of course. And
20 he did it for 20-some-odd years, and he remembers
21 everything. I mean, he does -- I'll ask about something
22 and he says, Oh, yeah, that was the well that the
23 geologist came out that day and we went over -- you
24 know, he just remembers everything, well names, what
25 happened, everything, much better than I can.

1 Q. And one last question. If you look at Exhibit
2 2, do you see the paragraph of text there and the second
3 sentence says, "Of these 771 wells, there are 337 [sic]
4 of them that utilize one string of casing to case off
5 both aquifers."

6 A. 377?

7 Q. Yes.

8 A. Yes.

9 Q. And you realized after you created this exhibit
10 that some of these wells were in the area where there is
11 only one aquifer?

12 A. Correct. And that's where the clarification
13 came in on the -- on the numbers, to just include where
14 there are two aquifers.

15 Q. Okay.

16 MR. LARSON: That's all I have,
17 Mr. Chairman.

18 CHAIRMAN CATANACH: Anything further of
19 this witness?

20 MR. OLSEN: Nothing further.

21 CHAIRMAN CATANACH: You may be excused.

22 THE WITNESS: Thank you.

23 CHAIRMAN CATANACH: Another witness?

24 MR. LARSON: Yes. Would this be a good
25 time to take a break?

1 (Recess 10:45 a.m. to 11:00 a.m.)

2 CHAIRMAN CATANACH: Turn it back over to
3 you.

4 MR. LARSON: Mr. Chairman, I'll start with
5 Mr. Maxey. I've passed out to the Commission and all
6 counsel a full set of Lime Rock exhibits. They're the
7 same exhibits that were attached to our prehearing
8 statement. We've just enlarged three of them to make
9 them more readable. They contain the same information.

10 CHAIRMAN CATANACH: Thank you.

11 JOHN C. MAXEY,
12 after having been previously sworn under oath, was
13 questioned and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. LARSON:

16 Q. Please state your full name for the record.

17 A. John Maxey.

18 Q. And where do you reside?

19 A. Roswell, New Mexico.

20 Q. And do you have your own consulting business?

21 A. I do.

22 Q. And what type of business is it?

23 A. I'm a consulting petroleum engineer.

24 Q. Do you have a working relationship with Lime
25 Rock Resources II-A, L.P.?

1 A. Yes, I do.

2 Q. And did Lime Rock retain you to testify on its
3 behalf?

4 A. Yes, they have.

5 Q. And was that with regard to some Division
6 requirements regarding some Lime Rock APDs?

7 A. Yes. I've come into this project a little
8 late. Lime Rock, as this situation developed with the
9 hearing in April or May, Lime Rock had several
10 two-string design APDs that were denied, and they worked
11 with the OCD to -- on three different wells for a
12 three-string design in the acreage that they're
13 operating in, and they've recently just finished a
14 vertical well in September. And they called me and said
15 they had had -- that there's been an issue with
16 groundwater. They felt like there was going to be a
17 contamination issue brought up at the hearing, so I
18 prepared a lot of work. I knew I needed to understand
19 the aquifer and how it worked, plus their operations.

20 Getting here Monday morning, it sounds like
21 there is not necessarily a contamination issue, but
22 dealing with the new rule, I'm going to go through -- I
23 will be as brief as I can because you've heard a lot of
24 testimony about the aquifer. My work is based on Welder
25 and others, and we'll talk about that. But I just -- I

1 will skip -- I agree with 80 percent with what's been
2 testified on how this aquifer works. There are some
3 points I disagree with, and I'll bring those up.

4 Q. And we will try to hold you to being brief.

5 When you say contamination, was it
6 communicated to you by Lime Rock that the stated purpose
7 for the new rule was to prevent contamination?

8 A. That's the impression I got in my initial
9 discussions with Lime Rock.

10 Q. And do you have experience designing, drilling
11 and completing oil and gas wells in the designated area?

12 A. Yes, I do.

13 Q. And have you previously been qualified as an
14 expert petroleum engineer by the Commission?

15 A. Yes.

16 Q. And would you summarize for the Commissioners
17 your educational background and professional experience
18 in the oil and gas business?

19 A. Yes. I have a bachelor of science degree from
20 Oklahoma State University in petroleum engineering
21 technology. My first -- I accepted employment with
22 Chevron. When I got out of school, I went to Midland.
23 I've worked for Chevron and Mesa Petroleum, Bran Oil
24 Company, Read & Stevens. Now, subsequently, I've been
25 in business since March of 2011 as a consulting

1 engineer.

2 Initially, my work with Chevron -- what
3 attracted me to that offer was the training program they
4 had for the new drilling and producing -- or production
5 engineers. I asked if I could be put into the drilling
6 department because they put you out for six weeks with a
7 mentor, and then they cut you loose as a well site
8 supervisor, and essentially gave us a lot of autonomy to
9 design cement, hydraulics, mud programs on location. I
10 did that for a couple of years, West Texas, southeast
11 New Mexico.

12 I had an opportunity -- well, I also worked
13 in SACROC. I've had a lot of experience with drilling,
14 completions and workover type work in the field with
15 Chevron. In the SACROC Unit, I sometimes had -- we
16 rotated our shift times. I sometimes had two drilling
17 rigs and up to three pulling units running at a time
18 that I was running around and doing different things on
19 in that unit. That unit's just west of Snyder, so it
20 was very convenient to work there.

21 I then had an opportunity to do air
22 drilling with Mesa Petroleum in Roswell, so I accepted a
23 position doing that. I wanted that experience. And
24 I've drilled quite a few wells on the Pecos slope. The
25 majority of them have been with air.

1 And while in Roswell, I met Kay Havenor,
2 Dr. Havenor who's got his Ph.D. in geoscience. I mean,
3 this is back in the '80s. We had some discussions with
4 the aquifer and some of the drilling we were doing on
5 the Pecos slope and how both the aquifers work.

6 I was then transferred to the corporate
7 office. I worked as a division production engineer for
8 Mesa. I was responsible for Oklahoma, Texas, north to
9 the Canadian border. I've done AFEs, well design. I
10 was responsible for production optimization, project --
11 presenting projects to management, economic
12 justification, outside-operated drilling deals I had to
13 evaluate, reserve assignment, division cash-flow
14 projections.

15 From there, I had an opportunity to advance
16 to operations manager for Bran Oil Company. I was in
17 charge of all drilling and producing operations in
18 southeast New Mexico and West Texas. Bran is the
19 predecessor to what's now Matador Resources. And while
20 I was employed with Bran, a position opened up at
21 Read & Stevens, an operating -- operations
22 manager/petroleum engineering position, and I accepted
23 that and went back to Roswell. And I've been there ever
24 since. I had about 22 years with Read & Stevens,
25 culminating as president of the company, and then in

1 March of 2011, I started my own practice.

2 Q. And are you a registered professional engineer?

3 A. Yes, I am.

4 MR. LARSON: Mr. Chairman, I tender
5 Mr. Maxey as an expert in petroleum engineering.

6 CHAIRMAN CATANACH: Any objection?

7 MR. OLSEN: No objection.

8 CHAIRMAN CATANACH: Mr. Maxey is so
9 qualified.

10 MR. LARSON: Thank you.

11 Q. (BY MR. LARSON) Mr. Maxey, did you listen to
12 the testimony given by Mr. Bird yesterday afternoon?

13 A. Yes, I did.

14 Q. Is there anything you heard that you disagree
15 with?

16 A. No.

17 Q. How many wells is Lime Rock currently operating
18 in the designated area?

19 A. Almost 200. 197 wells. Their acreage is 18
20 South, 26 East 18 South, 27 East.

21 Q. Is that within the area where both aquifers
22 appear?

23 A. The far eastern portion of their acreage would
24 be outside the boundary of the -- it's outside the
25 boundary of the shallow, and it's just outside the

1 boundary of the deep, as drawn by the Welder map.

2 Q. And does Lime Rock have a long-range drilling
3 program for its acreage within the designated area?

4 A. Yes, they do.

5 Q. What is the nature of that long-range program?

6 A. They have about 8,000 acres that they're
7 operating there. My acreage on that map is -- the
8 boundary of their acreage, there's minor changes of
9 ownership inside that boundary. They have approximately
10 8,000 acres. They have 381 locations that they want to
11 drill. They'd like to drill about 25 locations per
12 year. That's about a 15-year life. Currently, with
13 what's happened -- transpired in that area with the last
14 three wells and having to run the three strings, they've
15 shut their program down.

16 Q. And does their program involve vertical Yeso
17 wells?

18 A. Vertical Yeso wells. They're in an area of the
19 Yeso -- Glorieta-Yeso that they prefer to complete
20 vertical.

21 Q. And would you identify the document marked as
22 Lime Rock Exhibit Number 1?

23 A. Exhibit Number 1 is basically a township and
24 range grid. I needed to get an idea of the scope and
25 magnitude of what we were dealing with. When I

1 initially talked to them, they were very concerned about
2 the potential contamination issue that may be brought up
3 here. I have to say they're very committed to
4 protecting the resource out here, and that's why they
5 brought me in to study this.

6 This is the map that's basically from
7 Welder's Report 42 that he did in 1983. I've taken a
8 township and range grid and overlain his boundaries on
9 the shallow and the deep. And I think this was
10 testified to by the other witnesses.

11 Q. And that's the same Welder report that the OCD
12 witnesses --

13 A. Yes.

14 Q. And did you prepare this map that's marked as
15 Exhibit 1?

16 A. Yes.

17 Q. What is the total number of oil and gas wells
18 in the designated area identified on your map?

19 A. I use a commercial database called Laser to
20 pull my well spots, and using that commercial database
21 inside the boundaries of OCD -- the OCD new rule, there
22 are over 9,000 oil and gas penetrations. And doing a
23 little work on oil wells -- or excuse me -- water wells,
24 there's thousands of water wells. So there's going to
25 be the order of magnitude of tens of thousands of wells

1 in this outline.

2 Q. And does your Exhibit 1 identify Lime Rock's
3 acreage?

4 A. Yes, it does.

5 Q. Is that the yellow area?

6 A. It's the yellow area, 18 South, 26 East, the
7 far northwest part of 18-27.

8 Q. And that identified acreage is the acreage that
9 Lime Rock has plans to develop over the next 20 years?

10 A. Yes.

11 Q. And after you were retained by Lime Rock, did
12 you have occasion to review any hydrogeologic studies
13 that focus on the Roswell Basin?

14 A. Yes. I primarily reviewed the Welder report.
15 I wanted to get -- the Welder report is '83. A lot of
16 the work that he did -- you know, you look at the plates
17 in his report, they're '75 vintage, mid-'70s vintage.
18 So I also went to Land and Newton. That's a paper that
19 was published in 2007, which they basically updated the
20 Welder report. Land and Newton are two researchers at
21 the New Mexico Bureau of Geology. That paper and that
22 work was partially funded by the Artesian Conservancy
23 District. So it was an update that they had requested.
24 I also looked at the Daniel B. Stephens
25 associate report done in '95. They performed a

1 numerical simulation on the two aquifer system.

2 And then, of course, Kay Havenor's work. I
3 know Dr. Havenor and have had conversations with him,
4 but I referenced his 1968 circular that is available at
5 the Bureau of Mines. The Bureau of Geology used to be
6 the Bureau of Mines when he did that.

7 Q. And that's connected to the New Mexico Tech?

8 A. Yes. I consider it connected to New Mexico
9 Tech in Socorro. Yeah.

10 MR. LARSON: Maybe Dr. Balch can clarify
11 that, if I'm wrong.

12 COMMISSIONER BALCH: New Mexico State
13 Survey, research committee in New Mexico like a
14 petroleum research.

15 Q. (BY MR. LARSON) And what do those hydrological
16 studies tell you about the hydrology in the portion of
17 the designated area in which there is both a shallower
18 and a deeper artesian aquifer?

19 A. Well, there's been testimony already. I guess
20 I could suffice it to say that if you just want to --
21 all the testimony's been very general in nature. And,
22 unfortunately, it's very difficult to generalize when
23 you're talking with all the various witnesses and
24 they're operating in various areas of this aquifer. I'm
25 going to get specific to Lime Rock's acreage.

1 But, in general, the one thing I notice,
2 when you move north to south -- you could pick a range
3 and move north to south -- everything's pretty
4 consistent, fluid quality, the thicknesses of the
5 aquifers. I mean, there is some variance. But you're
6 moving updip from east to west, and that's the direction
7 that you see the big change.

8 When you come from the west side to the
9 east side, you're moving from the recharge zone into the
10 artesian where it becomes confined. You're moving into
11 the shallow and the artesian, and then you move to the
12 east side where you lose a lot of water quality and have
13 oil and gas in the artesian.

14 Q. And the information you reviewed, does it
15 indicate that in some areas there are oil shows in the
16 confining unit?

17 A. Yes, oil shows in confining unit -- actual
18 production in the confining unit.

19 Q. And given that, do you think it's advisable to
20 adopt a one-size-fits-all rule with a uniform casing
21 requirement?

22 A. No, sir.

23 Q. Would you identify the document marked as Lime
24 Rock Exhibit 2?

25 A. Okay. I need to point one thing out on

1 Exhibit 1 --

2 Q. Sure.

3 A. -- because it ties into Exhibit 2. So I need
4 to go through this just very briefly.

5 If you want to reference the Havenor
6 report, both Welder and Land and Newton reference the
7 Havenor report in their reports. His report was done
8 back in the '60s, Circular 93. He noted -- and I'm
9 going to locate you on the map. Can you find Roswell on
10 my map, please? And if you'll look just above Roswell,
11 you'll see Township 10 South, 24 East. Okay? Move one
12 township to the east, 10 South 25. Directly above the
13 1, you see a cluster of wells, quite a few of them in
14 there. In particular, there are six wells in the Bitter
15 Lakes West, and they produce from the San Andres, the
16 artesian portion of the aquifer. This is just a few
17 miles to the northeast of Roswell.

18 Dr. Havenor also did an RGS paper, Roswell
19 Geological Symposium paper. I have those symposium
20 books in my office. He talked about -- this is
21 producing from the Slaughter zone. And there was some
22 testimony earlier from the OCD about the Slaughter zone
23 that it's a pretty continuous zone. And Dr. Havenor, in
24 his paper, he spoke about the Slaughter zone, this
25 particular field. It's made 24,000 barrels of oil from

1 six wells. And I'm going to quote two sentences from
2 his report. He's talking about the Slaughter interval
3 in this field, Section 17, 10 South, 25 East. And he
4 said, "It should be re-emphasized" -- he's talking about
5 the Slaughter zone. "It should be re-emphasized here
6 where fresh, potable water is produced in the Slaughter
7 zone beneath Roswell, that only a few miles to the
8 northeast hydrocarbons are produced from the Slaughter
9 with oil field waters containing" approximately --
10 "about 39,000 parts per million chloride. Also less the
11 significance be lost, the Slaughter zone is a continuous
12 porosity horizon throughout the northwest shelf into
13 West Texas."

14 So here's where I'm going to disagree with
15 the previous witnesses. The artesian aquifer produces
16 oil and gas in the areas mapped and within the OCD's
17 boundary. You'll see later that it produces from the
18 confining unit. There is a problem with that in trying
19 to put it together and made [sic] it to the law as now
20 written, the proposed rule from the OCD. The Slaughter
21 interval is continuous all the way out into -- very far
22 east of the Pecos River. And you can read the paper.
23 But it's hydrologically connected nearly to the -- to
24 the Texas border, to this interval right here
25 (indicating). So I don't agree that -- that this

1 reservoir stops at the river or it stops at these
2 boundaries, these aquifers. Now, the shallow I would
3 agree more so that it stops at the river but not the
4 deep. That's the point I need to make.

5 And we have artesian head -- artesian
6 aquifer charge that comes from the west. We have oil
7 and gas and brine encroachment that comes to the east.
8 In the far eastern part of this, it creates a problem
9 trying to handle this with a one-size-fits-all. Okay?

10 Q. Just for the record, what is the full citation
11 that --

12 A. What's the what?

13 Q. The full citation.

14 A. Oh, what it came from?

15 Q. Yes.

16 A. Well, he authored an RGS paper. That was
17 November of '66. I'm not sure which one I pulled that
18 out of. Those are done by years. Those are in binders.
19 And then his report was out of -- where did I put that?
20 It's the Circular 93, I believe is what it was that I
21 stated earlier. Yeah, the 1968 Circular 93 for the
22 Bureau of Mines. Is that what you're talking about?

23 Q. Yes, the one you were quoting from.

24 A. Yes. That's the one I was quoting from.

25 Q. And then sticking with Exhibit 1 for a moment,

1 is the significance of your testimony about the wells in
2 the aquifer in the Bitter Lakes area that it's directly
3 due north of Lime Rock's acreage?

4 A. The significance is that it's on the far
5 eastern side of the aquifers. If you'll note on that
6 map, it's two miles inside the shallow and deep aquifer
7 boundaries as mapped by Welder, so it's two miles to the
8 west. So it's in an area where supposedly we're
9 supposed to run three strings of pipe under the new
10 rule, but it creates a problem when the artesian
11 aquifer's what's producing. And so Lime Rock's acreage
12 is located on the far eastern side. However, it's
13 pretty far south. That's where we get into it. That's
14 why I was trying to explain. North-south, there is not
15 a lot of difference. East-west is where the big
16 difference is in water quality and fluid content of
17 these aquifers.

18 Q. Does that close the loop on what you wanted to
19 talk about on Exhibit 1?

20 A. Yeah. We'll go to Exhibit 2.

21 Q. Okay. And would you identify Exhibit 2?

22 A. Exhibit 2 is a figure out of the Open File
23 Report 503, dated 2007. This was Land and Newton, the
24 one I referred to that you can find at the Bureau of
25 Geology.

1 Q. And is this a true and correct copy of the map
2 derived from Open File Report 503?

3 A. This is a true and correct copy, with the
4 exception at the top where it says "approximately 40
5 miles." There was no scale on this map. So it said
6 "Pecos slope," I believe, up there. I just overwrote
7 that and gave you some scale from that Border Buckle out
8 to the east of Comanche Hill. This slide covers
9 approximately 40 miles from west to east.

10 Q. Just for the record, Mr. Maxey, the exhibit
11 that we had with our prehearing statement shows the
12 40-mile access that you added to it. The one that I
13 passed out this morning does say "Pecos slope."

14 A. Okay.

15 Q. Unfortunately, when we copied these, we went
16 back to the earlier version.

17 A. Okay. So from the left-hand side to the
18 right-hand side of that slice is approximately 40 miles.

19 Q. And what does the exhibit tell us about the
20 portion of the designated area where both aquifers are
21 present?

22 A. Well, this -- this -- again, this is -- you've
23 already heard this testimony. But this illustrates, I
24 think, a little better. There is recharge to the west
25 into the San Andres. It becomes artesian under the

1 Seven Rivers aquitard that's depicted in orange here.
2 You'll notice the alluvial aquifer is yellow. It's
3 actually in communication and lies directly on the San
4 Andres out to the west. I happen to live in that area
5 of town. I have a well in that part of this area.

6 The thing to note, number one, is there
7 was -- there was testimony that there's leakage as a
8 confining -- a leaky confining unit, which I agree with.
9 And as the -- you know, change in pressure is what
10 drives fluid migration in these aquifers. And there was
11 testimony about fluid moving from the shallow to the
12 deep aquifer, from the deep to the shallow. In this
13 paper, they discuss it. They built on Welders. That's
14 what these blue arrows depict, is how fluid flows in the
15 aquifers and the confining unit. And there was a
16 reference in the Welder paper and in the Land paper to
17 some work done by Handtusch [phonetic], back in '56, and
18 he estimated when the confining unit -- when water moves
19 from the lower aquifer up into the shallow aquifer, as
20 has been discussed, the confining unit boundary now
21 becomes a discharge boundary, okay, because you have
22 water moving across it. He estimated that in January of
23 '54, '55 and '56, that the discharge across that
24 boundary was 12,400 acre-feet for that month.

25 So we have some testimony about could we

1 have water mixing when we're drilling. And I wanted to
2 set this up and show you gentlemen that there is a
3 tremendous amount of potential for natural occurrence of
4 water movement. And my whole point with this is it's
5 difficult to understand how you cannot -- how you
6 couldn't look at this and consider the possibility that
7 this can all be protected with one string. It
8 functions -- there are two aquifers. One is artesian.
9 One is a groundwater-type aquifer, that because of a lot
10 of pumping in the deep aquifer, the gradients have come
11 much closer together than they used to be prior to the
12 development in the late 1800s, the initial development.
13 So that's what this slide is to illustrate, to give a
14 broad view of the geology. It's a little better detail
15 than what's been presented. And it gives you an idea,
16 with the blue arrows, as to how fluid moves in the
17 aquifer, and that these authors actually depict fluid
18 moving from the brine areas to the east. They moved
19 west -- are moving -- they can migrate west, and they
20 also move upwards through some fractured and
21 dissolutioned intervals on the far side.

22 Q. And one take-away from your exhibits would be
23 what's identified as the Seven Rivers aquitard is not an
24 impermeable layer?

25 A. It's not an impermeable layer. It's a leaky

1 confining unit. As a matter of fact, in the paper --

2 MR. OLSEN: Mr. Director -- excuse me --
3 to the extent the witness is going to be tendering
4 testimony regarding hydrology, geohydrology, we tender
5 an objection that he's not been qualified as a
6 hydrologist or a geohydrologist. I believe he's been
7 qualified as an expert in the field of petroleum
8 engineering only, so any -- we'd -- we would object to
9 any opinions tendered by him as it relates to those two
10 fields, hydrology and geohydrology.

11 CHAIRMAN CATANACH: Do you want to respond?

12 MR. LARSON: I don't know that he's offered
13 an opinion. I think he's giving his interpretation of
14 the publicly available document.

15 MR. OLSEN: That's the basis of it. He's
16 tendering testimony as to his opinion or interpretation
17 of a field that he's not qualified to, and so our
18 objection will stand.

19 MR. BROOKS: Mr. Chairman, I won't want to
20 express any opinion on the witness' qualifications, but
21 I do agree. In interpreting publicly -- publicly
22 available data, when you're dealing with material of a
23 highly technical nature, it does involve expressing an
24 opinion which only a person qualified in the relevant
25 discipline would be able to do.

1 CHAIRMAN CATANACH: So what are you
2 recommending, that you want to strike his testimony, or
3 what is your --

4 MR. OLSEN: Well, if the witness is
5 prepared to testify that he has an opinion as a
6 petroleum engineer if one string, two string will work,
7 as in previous testimony, fine. But if it's going to be
8 dealing in the realm of hydrology or geohydrology and
9 rendering an opinion from that, we don't believe he's
10 qualified.

11 CHAIRMAN CATANACH: Some of these
12 conclusions that you're testifying to, are they
13 indicated in the report?

14 THE WITNESS: Yes.

15 CHAIRMAN CATANACH: So you can testify as
16 to the conclusions in the report, offering an opinion?

17 THE WITNESS: Yes. If I have -- if I'm
18 coming across as offering my own opinion, that's my
19 mistake. I'm testifying as to what I'm reading in this
20 report.

21 You see, we have been -- Lime Rock has been
22 required to set two strings of casing, neither of which
23 protected the aquifer. They were set above the aquifer.
24 And it's because the aquifer is productive of oil and
25 gas, and it's because the confining unit is productive

1 of oil and gas. You have to get a foundation of what's
2 going on here and an understanding of why. All I've
3 been hearing is we have to protect the aquifer. And
4 where Lime Rock is -- has drilled their wells, I've got
5 exhibits and I'll show you that the Grayburg Formation
6 down there, the confining unit, has produced almost
7 500,000 barrels of oil in one small field.

8 MR. OLSEN: But, Mr. Director, with all due
9 respect to the witness, the reports have not been made a
10 part of the record. It's not an exhibit. The author --
11 the reports are certainly available for purview, but the
12 contents thereof and the interpretation or the
13 presentation of the contents thereof are made by those
14 folks that are from that particular field or of that
15 science. Our position is that the witness cannot go
16 there because he is not qualified. He is a petroleum
17 engineer, so if he wants to talk about the development
18 of oil and gas from a particular zone, how that's done,
19 that's fine. I don't have an objection to that. But
20 when it goes to the interpretation of water flows and
21 migration, that -- that particular science, we tender
22 the objection.

23 THE WITNESS: Mr. Commissioner --

24 MR. LARSON: Hold on.

25 Mr. Chairman, as an expert petroleum

1 engineer who designs wells, obviously part of the
2 information he analyzes is the formations that the well
3 is going to go through. So I think at least at that
4 level, a petroleum engineer, he is able to interpret
5 data.

6 MR. OLSEN: I don't disagree with
7 Mr. Larson, counsel. Only as to -- if it deals with the
8 hydrology and geohydrology of the area, I don't believe
9 the witness is qualified. Certainly if it deals with
10 the geology and the development of an oil and gas well
11 in those bearing zones and things, I'd be the last one
12 to argue with that, but not when it comes to the
13 hydrology and geohydrology of the Roswell Artesian
14 Basin.

15 CHAIRMAN CATANACH: Mr. Larson, would you
16 be willing to enter copies of these reports into the
17 record?

18 MR. LARSON: Certainly.

19 CHAIRMAN CATANACH: Well, I guess if we can
20 enter the report into the record as evidence, he can
21 testify as to the report.

22 COMMISSIONER BALCH: In that case, you
23 would be referring to the passages in the reports in
24 lieu of giving what might be a personal opinion?

25 THE WITNESS: Say that again.

1 COMMISSIONER BALCH: You could read
2 interpretations by the qualified hydrologists' reports,
3 and that would be the --

4 THE WITNESS: Okay. Rather than quote the
5 report?

6 COMMISSIONER BALCH: You can quote them.
7 Say what page number, what line number, and then read it
8 out, and then it's not your opinion. It's their
9 opinion.

10 THE WITNESS: Well, that's what I did. I
11 read the quote. And I think I had the page number, if I
12 need to enter that.

13 Q. (BY MR. LARSON) Do you have the page number,
14 for the record?

15 A. I believe I do. Let me look.

16 CHAIRMAN CATANACH: Yeah. And that's
17 another thing I'd like to bring up. Being a petroleum
18 engineer, we have studied, you know, fluid-flow reports.
19 We're not hydrologists, but that's part of the
20 engineering curriculum, that type of fluid flow.

21 MR. OLSEN: No, I don't disagree with that.
22 My objection goes to interpretation of the hydrology,
23 geohydrology in the Basin, and the witness is tendering
24 an opinion. That's the same as the objection that came
25 yesterday that the hydrologist or geohydrologist were

1 not engineers -- petroleum engineers. The inverse of
2 that objection here is that this witness is not a
3 hydrologist or a geohydrologist and cannot render
4 opinions on that particular science, on that issue.
5 That's the basis of our -- of our --

6 COMMISSIONER BALCH: I think we generally
7 allowed that testimony to continue.

8 MR. OLSEN: Sir?

9 COMMISSIONER BALCH: I think we generally
10 allowed that testimony to continue under those
11 circumstances.

12 COMMISSIONER PADILLA: Yesterday?

13 CHAIRMAN CATANACH: Let's just say we try
14 to stick to the report and try to stick to the
15 opinions -- I mean the conclusions that came from that
16 report.

17 THE WITNESS: These are the conclusions
18 from the report. When I -- when I spoke about the
19 discharge across the boundary, 12,400 acre-feet, in
20 January, that came from the report. That's -- that's
21 what came out of the report. And that was referenced in
22 both Welder and Land and Newton. And I might add that
23 counsel cross-examined the last witness and said, Have
24 you looked at the Welder report to know where the depths
25 of these aquifer are? That's exactly what I've done.

1 CHAIRMAN CATANACH: Okay. Let's continue
2 then and try and stay on track.

3 COMMISSIONER BALCH: Would you please cite
4 where you read your conclusions, if you can?

5 THE WITNESS: I don't have the page, but
6 that's Havenor 1968 -- excuse me. I'm on the wrong --
7 it's Havenor 1969. It was the Circular -- Circular 93,
8 1968.

9 Q. (BY MR. LARSON) You're referring to
10 Dr. Havenor's report in 2007?

11 A. Yes.

12 COMMISSIONER BALCH: When you're reading a
13 conclusion by a hydrologist from one of these reports,
14 it would be nice to know the report name, citation, page
15 number.

16 THE WITNESS: Okay. I see what you're
17 saying now. Yeah. Havenor's quote --

18 COMMISSIONER BALCH: Yes.

19 THE WITNESS: -- was the quote I read from
20 the Circular.

21 COMMISSIONER BALCH: And it's clear that
22 it's not your opinion; it's Havenor's opinion?

23 THE WITNESS: Yes, that's correct.

24 Q. (BY MR. LARSON) Okay. Moving on to Lime Rock's
25 acreage identified in Exhibit 1, are there hydrocarbons

1 that appear in the confining unit under that acreage?

2 A. Yes. And I've identified the confining unit
3 from the Welder report.

4 Q. And given the presence of producible
5 hydrocarbons in the confining unit, does it make sense
6 to have an intermediate casing string from a well that
7 produces those hydrocarbons?

8 A. In the context of what's been proposed as the
9 OCD rule, no.

10 Q. And why not?

11 A. The OCD rule states that we need to drill into
12 the San Andres on the intermediate to the first oil
13 show. The first oil show occurs well above the San
14 Andres, and it occurs at the base of the confining unit.
15 So we basically have set the initial surface string
16 approximately 425 to 450 foot. That's in the confining
17 unit. It cased off the shallow aquifer. And per the
18 Welder report, an average depth on this acreage, that I
19 can show you where we are on the cross section, is 150
20 foot the base of the shallow.

21 And the second string, when the oil show
22 was hit at the base of the confining unit, when we set
23 the second string, it had to be set within 50 foot of
24 that show, which put it in the confining unit also. We
25 could have had one string that would have handled that

1 situation.

2 Q. Would you next identify the document marked as
3 Lime Rock Exhibit 3?

4 A. This is a map that I pulled at the State
5 Engineer's Web site. I just wanted to get an idea of
6 water well spots. I've overlain the section, township
7 and range grid on the topo map that has the well spots
8 that came from the State Engineer's Office.

9 Q. Have you prepared this exhibit using
10 information from the OSE Web site?

11 A. Yes. Yes.

12 Q. And Lime Rock's acreage is also shown on this
13 exhibit?

14 A. Yes. It's shown in yellow, 18 South, 26 East
15 and 18-27.

16 Q. And what points did you want to make in
17 preparing Exhibit 3?

18 A. The first one is a moot point. I thought there
19 was going to be some contamination issue discussed, but
20 that's already been determined that there is none.

21 Secondly, I wanted to get just a
22 qualitative look at the wells in the area. And if
23 you'll notice, the wells are towards the west side of
24 Lime Rock's acreage, and the number of wells diminishes
25 as you move east. So I went out to the State Engineer's

1 Office. I went through the logbooks in 18-26 on Lime
2 Rock's acreage. I did not do an exhaustive search, but
3 what I found was freshwater flows out of the artesian
4 down to approximately 670 feet, roughly. And below
5 that, I found oil shows. And in one in particular well
6 in the west half-northwest quarter of 15, I found brine
7 water flow at 830 feet.

8 Q. And what was the oil show you saw in one of the
9 water wells? What was the depth of that oil show?

10 A. It was below those freshwater flows that were
11 probably artesian, because they flowed to surface,
12 according to the well logs. And the approximate depths
13 of the oil shows have been 750 and deeper.

14 And these are -- these are old logs. I
15 don't know where the State Engineer quit keeping more
16 current logs on oil wells, but these are all primarily
17 cable tool wells. Some of the dates were 1925, 1926,
18 1927. And as you know with cable tool, you're going
19 to -- it's a good method of sampling, and it's a good
20 method of seeing flowing zones.

21 Q. And that was the Roswell Office of the State
22 Engineer?

23 A. Yes. I was in the State Engineer's Office out
24 on West 2nd in Roswell.

25 Q. Would you next identify the document marked as

1 Lime Rock Exhibit 4?

2 A. This is a map from -- again, I pulled three RGS
3 Symposium papers that were done over or in the vicinity
4 of the Lime Rock acreage. This is -- the map is
5 actually from one of the papers that handled two of the
6 pools, and I've actually put the boundaries on a
7 third -- on this map because it was in the same area.

8 Q. And are there some RGS Symposium documents
9 attached to it?

10 A. Yes. Yeah. My mistake. The attachments to
11 that map are the actual symposium papers, one done --
12 let's see. We've got the Dayton San Andres field, the
13 Dayton Grayburg field and the Atoka San Andres field.
14 There is one field that there is not an RGS paper on,
15 but I wanted to make a note of the production. And it's
16 in a small box. In the upper, right-hand side, you see
17 the Atoka Grayburg field. I pulled that data on those
18 producing wells. Those wells in that small field in the
19 east half of Section 14 produce 395,000 barrels of oil
20 and 1.9 million barrels of water from a depth from 550
21 to 990 feet. That actually -- 14H -- the well in 14H
22 actually flowed 134 barrels of oil a day from that
23 depth.

24 Q. Did you prepare Exhibit 4?

25 A. I prepared Exhibit 4.

1 Q. And is there anything more than you'd like
2 to -- anything more you'd like to inform the
3 Commissioners about regarding your data on Exhibit 4?

4 A. Yeah. Let me just run through it real quick.

5 You'll see the blue box in the upper,
6 left-hand side. That's the outline of the Atoka San
7 Andres field. And briefly, in that paper that was done
8 at RGS Symposium, I wanted to note in there that the
9 depth of the producing formation was 500 to 650 feet
10 below the top of the San Andres. However, if you'll
11 note midway down the page, other shows encountered
12 were -- shows were found in the lower Queen Grayburg
13 section. The chloride content of the water produced out
14 of the San Andres at the depth of 500 to 650 feet below
15 the top is 130,000 parts per million chlorides.

16 Moving to the bottom of the page, you'll
17 see the outline of the RGS Dayton San Andres study and
18 the cumulative production. The Dayton San Andres
19 produces in the upper 600 feet of the San Andres.
20 However, you'll find that there were also shows
21 encountered in the Lower Queen Grayburg section. That's
22 midpage.

23 And then if you move over to the outline of
24 the RGS Dayton Grayburg study, a quarter million barrels
25 of oil. The Dayton Grayburg, first oil occurrence is

1 found 150 foot -- in the 150-foot interval above the San
2 Andres, with most production coming from the Grayburg
3 sands. I also underline that oil apparently comes from
4 fractured porosity. So we've got a fracture formation,
5 which my point there is we could have some vertical
6 permeability related to oil movement.

7 Other shows in this formation -- or other
8 shows encountered in this field were found in the San
9 Andres unit.

10 So these are just RGS symposiums that show
11 that back in the late '50s, early '60s, when these were
12 developed, there were actually fields producing. And
13 I'll identify where they are on the cross section I have
14 later, but they're in the confining unit -- base of the
15 confining unit and into the top of the artesian.

16 Q. Would you next identify the document marked as
17 Exhibit 5?

18 A. Exhibit 5 is a cross section I prepared. This
19 cross section's primarily -- I prepared this cross
20 section along with consultation with the Lime Rock
21 geologist that's taking care of this area. Actually,
22 he's the manager for Lime Rock's geologist.

23 Q. And are the wells identified in Exhibit 5 Lime
24 Rock wells?

25 A. These are Lime Rock wells. Two of them will

1 say -- you can't read it. But two of them are Devon
2 headers, but they acquired those in an acquisition at
3 some point. So they're all Lime Rock operator wells.

4 Q. And do the mud logs support a conclusion that
5 there are hydrocarbons in the confining unit and the
6 deeper artesian aquifer, as shown on your Exhibit 2?

7 A. Yes.

8 Q. And are the three identified wells still
9 producing?

10 A. Yes.

11 Q. And what is the shallowest mud log shown on
12 your Exhibit 5?

13 A. The shallowest mud log show -- and this was not
14 an exhaustive show of mud logs, but the offset -- excuse
15 me. The Fanning 13J #1 is not in this cross section,
16 but it is the shallowest occurrence immediately adjacent
17 to this cross section at -- and I've drawn it on there
18 in a box in the upper, right-hand side, approximately --
19 and I know the depths are hard to read, but every 500
20 feet, I blew up the depth interval -- the center scale
21 on the depth so you can read it. That shows
22 approximately 800 feet. It occurred at 760 feet in the
23 offset well, in the Fanning J. Because of about 50 foot
24 of structural movement, I put it at a stratigraphic
25 equivalent of about 820 feet on this log.

1 Also to note on this is a map in the lower,
2 right-hand corner of this exhibit. It shows you where
3 on the Lime Rock acreage this cross section is run.
4 Also, I added additional mud log data at the green dots.
5 Each one of those has a shallow -- well, all these wells
6 have shallow mud log shows. But I've taken the depth of
7 the shallowest show in those green wells, and I've just
8 basically found the top and bottom of those shows and
9 averaged them. The shallowest was at 740 foot. I think
10 I stated 760. It's 740 foot in the 13J. The deepest
11 show is at 1,320 feet in 11G. The average of those
12 shows is 1,176. I actually have the shows marked. The
13 first oil show on each of the logs that are on the cross
14 section, I've actually marked it so you can see it.

15 Q. And for the future Lime Rock wells drilled in
16 the vicinity of the acreage on Exhibit 5, would there be
17 any viable reason for the Division to require both a
18 surface casing and an intermediate casing with both
19 strings cemented to the surface?

20 A. For water protection?

21 Q. Uh-huh.

22 A. No.

23 Q. Would you identify the document marked as
24 Exhibit 6?

25 A. This is a mud log on the Fanning 13J #1, the

1 well we just spoke about that had a show at 700 -- first
2 mud log came in at 740 feet.

3 Q. That's the well identified on Exhibit 5?

4 A. It's the -- yeah. It's boxed in on the upper,
5 right-hand side, where it says "offset Fanning 13J #1,
6 first mud log show."

7 Q. And is Exhibit 6 a true and correct copy of the
8 mud logs of the Fanning 13J #1?

9 A. Yes.

10 Q. And what does the mud log tell you about the
11 Lime Rock Fanning 13J #1?

12 A. Lime Rock set surface at approximately 450
13 feet, set the first -- the freshwater protection string.
14 And they drilled out through an anhydrite section, as
15 logged on the mud log, through -- 700 down to 730 feet
16 was pretty much anhydrite. There was a little bit of
17 sandstone and carbonate logged in there, but not much.
18 Pretty much an anhydrite interval.

19 The first permeable interval was a sand
20 that was topped at 735 feet. It was a Queen sand. It's
21 in the Queen section. And there is a show of oil in
22 that sand, 20 percent yellow fluorescence, presence of
23 streaming yellow cut, presence of residual ring and a
24 trace of dark brown oil stain. You go deeper into that.
25 As you develop the sand, approximately 750 -- excuse me

1 765 to 780 feet, the fluorescence increased to 30
2 percent, continued with a slight steaming yellow cut,
3 residual ring, trace of dark brown oil stain.

4 As you move down the hole -- they've noted
5 the top of the Grayburg at 850 feet, and you start to
6 run into a carbonate interval. And you've got carbonate
7 developing approximately 850 feet. And at 870 feet, you
8 have an oil show in the carbonate, 20 percent yellow
9 fluorescence, presence of fast-streaming cut,
10 fast-streaming yellow cut, presence of residual ring,
11 trace of bleeding gas, bubbles and a trace of dark brown
12 oil stain. This show continues down to 950 feet.

13 You continue to see the logged lithology.
14 The next show occurs at 1,040 feet, and the top of the
15 San Andres is approximately 1,100 feet. So these are
16 all above the San Andres.

17 Q. So the Division's proposed rule would require
18 Lime Rock to run an intermediate string through
19 producible hydrocarbons; is that correct?

20 A. Yes. It would require Lime Rock to run an
21 intermediate -- an intermediate aquifer protection
22 string through oil and gas shows and through intervals
23 that have produced hundreds of thousands of barrels of
24 oil.

25 Q. Did you hear Mr. Kautz' testimony yesterday

1 about the depth of the intermediate string?

2 A. Yes.

3 Q. And where did he say that that depth would be
4 to find the producible hydrocarbons?

5 A. Can you rephrase that?

6 Q. Sure. What was his testimony with regard to
7 the depth to set intermediate string when you have a
8 show of producible hydrocarbons?

9 A. It would be to the first show.

10 Q. And would that show be above the deeper
11 artesian aquifer?

12 A. Yes.

13 Q. So you'd have an intermediate string if you
14 didn't go through the deeper artesian aquifer?

15 A. That's correct.

16 Lime Rock set their freshwater -- their
17 first freshwater production string in the confining
18 unit. You can see on the mud log that they logged
19 anhydrite immediately out from under the shoe, and they
20 logged anhydrite basically down to the show. So then
21 they were required to case that off, and they basically
22 set two strings of casing in an anhydrite section.

23 Q. And are you talking about the Terry 14C #2
24 well, or are you talking about the Fanning well?

25 A. I'm talking about the Fanning well. Well, I'm

1 talking about the Terry, also. That's where the
2 drilling report comes from.

3 Q. I just wanted to make sure the record was clear
4 on that.

5 A. Yeah.

6 Q. Would you identify the document marked as Lime
7 Rock Exhibit 7?

8 A. Exhibit Number 7 is two days of drilling report
9 for the Terry 14C #2. This well is located in Section
10 14, Unit C. You can locate that unit on the map on the
11 previous exhibit if you'd like.

12 Q. And did you prepare Exhibit 7?

13 A. Yes, I did, from Lime Rock's drilling reports.

14 Q. When was the Terry 14C #2 drilled?

15 A. These drilling reports are from August 28th and
16 29th of this year.

17 Q. And is this one of the wells that -- for which
18 Lime Rock had submitted an APD that was denied?

19 A. Yes. They submitted a two-string -- let me
20 clarify that. They submitted a one-string aquifer
21 protection string and a producing string APD that was
22 denied. And then they resubmitted -- in discussions
23 with the OCD and presenting -- I think Mr. Kautz
24 testified to having seen evidence of oil shows in the
25 confining unit. Well, that was probably the -- well,

1 Lime Rock had submitted evidence of oil shows in the
2 confining unit to the OCD.

3 Based on that testi- -- based on those
4 conversations, Lime Rock agreed and the OCD agreed that
5 surface protection string would be set at 425 to 450
6 feet. The second aquifer protection string would be set
7 at 900 feet, which I don't understand why because that
8 was above the top of the San Andres -- this cursory
9 geologic look would have told that you -- or to the
10 first oil show. And on this particular well, the Terry
11 14C, the first oil show is noted on the drilling report,
12 had shows in the sample at 681 feet, stopped drilling.

13 Q. And it would just be speculation on your part
14 to say Mr. Kautz' testimony is based on this well?

15 A. Yes.

16 Q. And what other information have you gleaned
17 from the drilling report information on Exhibit 7?

18 A. Okay. When they drilled their surface hole to
19 400 -- in approximately 450 foot, they used about 28
20 hours -- and think of it this way. They TD'd the well.
21 And from that point, I started the clock until they were
22 back at that point after they drilled out the shoe of
23 the casing. So I considered how much time they had from
24 the time they were on bottom, TD'd the surface hole to
25 where they were back to drilling the intermediate. That

1 was about 28.25 -- it wasn't about. It was 28.25 hours.

2 Okay? So it takes nearly 30 hours for that to happen.

3 They drilled 256 foot. They had eight
4 hours of drilling. That's from the time you come to
5 work at 8:00 in the morning until you leave at 5:00.
6 That's how long they got to drill. They saw their first
7 show. They had to once again go through 30 hours of --
8 pay for 30 hours of time for all the drilling rig, the
9 rentals and everything else, pay for all the crews, call
10 everybody back out, buy the casing, set another string
11 of casing. And we were above the artesian aquifer, so I
12 really don't understand why that was done. Anyway, they
13 set casing, cemented to surface, drilled out and
14 continued on.

15 Q. Would you identify Lime Rock's final exhibit,
16 which is marked as Number 8?

17 A. As I testified from my review of the geology,
18 the oil shows, one string of casing is sufficient down
19 to the first oil to take care of the shallow water.

20 Looking at the OCD's rule -- proposed rule,
21 I knew there would be some effects to economics --
22 impact to economics for Lime Rock considering how that
23 rule is worded. And that rule requiring cement bond
24 logs, downtime, quite frankly was very difficult to
25 estimate. Some of the estimates I heard from testimony

1 on Monday and Tuesday were really kind of scary.

2 Anyway, I prepared -- I work with Lime
3 Rock. Their AFEs on these vertical wells -- now, these
4 are directional wells, too, because there is a lot of
5 congestion in the area. So they have to build a
6 location in one spot and shift the bottom hole a little
7 bit to get to their intended target. But we're talking
8 vertical wells roughly 4,600 feet, under a two-string
9 scenario, \$925,000 to just over a million dollars,
10 depending how it goes with the directional.

11 I worked with them on their existing costs.
12 I tried to determine -- the waiting time, that's a real
13 tough deal. You've got -- well, it's already been
14 brought up in testimony as far as cement cure time,
15 trying to get somebody to look at a bond log. But I've
16 come up with an additional cost of \$150,100, on average,
17 for those AFEs if, in fact, they need to run two
18 strings. That's about 16 percent of the cost of the --
19 increase in cost.

20 Q. Okay. And would you -- just for the record,
21 did you prepare Exhibit Number 8?

22 A. I did prepare Exhibit Number 8.

23 Q. And in addition to the estimated increase of
24 cost per well, did you also run the numbers on the
25 impact the proposed new rule would have on Lime Rock's

1 15-year development?

2 A. Yes. I prepared a type curve on their existing
3 production. I went back to them -- and I wanted to just
4 have an independent shot at it. I went back with them,
5 and I was very close to what they had for the reserves
6 they're booking for a well. So I used the type curve,
7 used their lease operating expenses that they provided,
8 these investment costs -- these additional investment
9 costs, and tried to determine what kind of economic
10 impact we're going to have here under the new rule as
11 written.

12 Q. And what would the impact be on the number of
13 wells that Lime Rock might drill under its current CapEx
14 for the current 15-year program?

15 A. Well, they would like to -- they have a program
16 that they would like to drill 25 wells a year on, let's
17 say, 1,000 acres. The increased cost due to the
18 proposed OCD rule is almost \$3.8 million to their yearly
19 program. They have 381 locations they've identified for
20 development. And so when you start looking at the total
21 cost on those locations, we're talking about \$57.2
22 million over the life of this.

23 When you start thinking about -- you know,
24 we've talked about CapEx. When you budget, you have to
25 budget a certain amount of money to a project. If your

1 costs now go up, you have the same amount of money so
2 you do less. What this does to their project, they lose
3 four wells a year because of the increase in cost.
4 That's a decrease of 61 wells over the life of their
5 project. Their project had a 15.2 year life. Based on
6 what they would like to drill every year, that's been
7 decreased by 2.4 years.

8 Q. And what impact would it have on Lime Rock's
9 cash flow?

10 A. I used -- I need to qualify one thing on the
11 exhibit. These numbers are 100 percent. Lime Rock
12 operates this acreage and has virtually 90 -- over 90
13 percent of the interest -- working interest in this.
14 Rather than try to go from -- work with their land
15 department and figure exactly where that ownership
16 interest fits, I just ran 100 percent numbers. So I
17 want to clarify that. So these are 100 percent numbers,
18 very close to what they own.

19 The decrease in undiscounted cash flow due
20 to the annual well reduction is nearly \$15 million.
21 That's what they'd lose on the four wells. The decrease
22 in cash flow over the lifetime is \$227 million.

23 Q. And it would also have an impact on State of
24 New Mexico revenues?

25 A. Yes, it would. The State of New Mexico

1 loses -- and I just used an estimate of 8 percent in
2 production taxes, and half of -- the majority of this
3 land is federal acreage. They would lose half the
4 royalties on the federal acreage. I confirmed that with
5 the State Land Office, a phone call. And so my estimate
6 of the decrease in New Mexico tax and royalty revenue
7 based on the annual reduction is \$4.6 million. And
8 estimated decrease over the life of this project for the
9 State of New Mexico is approximately \$71 million.

10 Q. And you mentioned earlier that you live on the
11 northwest side of Roswell?

12 A. Yes, I do. I live -- I've lived in Roswell --
13 I've lived there twice, but basically you can almost
14 count since 1981. I live now -- we've lived, for 17
15 years, out on the northwest part. We're in an area
16 where there's probably just a little bit of shallow
17 aquifer, no confining unit, and the artesian is below
18 us, and my water comes out of the artesian. And I
19 irrigate. I have domestic, and I have irrigation water
20 and water rights that are stacked.

21 Q. And would it be fair to say you have a personal
22 interest in the aquifer you draw water from not being
23 contaminated?

24 A. I'm very vested in freshwater in New Mexico.
25 As a matter of fact, in my own personal well, I have a

1 meter to check my levels. I watch the level fluctuate.
2 I know there is testimony that the level fluctuates 150
3 foot. Well, it depends on where you are. I've been
4 checking the level in my well now for almost two years,
5 and it fluctuates. It has fluctuated over that time
6 period maybe about 7 feet. And I check hardness in my
7 well. The testimony of 1,000 parts per million in the
8 western part of the aquifer by Conservancy District,
9 mine's 1,117 on my last check. So yes, I'm very vested
10 in this.

11 Q. And do you believe the Division's proposed
12 requirements are necessary to protect your personal
13 groundwater source?

14 A. No.

15 Q. And do you believe that an intermediate casing
16 string proposed by the Division is necessary to protect
17 usable groundwater throughout the Roswell Artesian
18 Basin?

19 A. No.

20 Q. So in your opinion, would the proposed
21 intermediate casing requirement result in the impairment
22 of Lime Rock's correlative rights and cause waste?

23 A. Yes.

24 MR. LARSON: Mr. Chairman, I move the
25 admission of Lime Rock Exhibits 1 through 8.

1 MR. OLSEN: No objection.

2 CHAIRMAN CATANACH: Exhibits 1 through 8
3 will be admitted.

4 (Lime Rock Resources Exhibit Numbers 1
5 through 8 are offered and admitted into
6 evidence.)

7 MR. LARSON: I'll pass the witness.

8 CHAIRMAN CATANACH: Mr. Brooks, questions?

9 MR. BROOKS: I would anticipate it will
10 take me a while to question this witness. He said a lot
11 of things. But I wait for the Commission's pleasure.
12 If you want me to proceed, I certainly will do so.

13 COMMISSIONER BALCH: I think Mr. Brooks can
14 question him for a while.

15 COMMISSIONER PADILLA: Half hour, 45?

16 MR. BROOKS: It wouldn't be more than an
17 hour certainly, though probably be less.

18 Okay. You wish me to proceed? I will do
19 so.

20 CROSS-EXAMINATION

21 BY MR. BROOKS:

22 Q. Mr. Maxey --

23 MR. FELDEWERT: Hold on, David.

24 MR. LARSON: Whoa.

25 CHAIRMAN CATANACH: All right. Let's go

1 ahead and break for lunch at this point.

2 MR. BROOKS: Very good.

3 CHAIRMAN CATANACH: Depending how long it
4 goes this afternoon, we may not be able to deliberate
5 this afternoon. Just a warning.

6 MR. BROOKS: Yes, sir.

7 CHAIRMAN CATANACH: Because Mr. Balch has
8 to leave at a certain time.

9 MR. BROOKS: I was aware of that.

10 In fact, there was a request that Mr. Maxey
11 furnish the full copies of these reports, and that would
12 have to be -- probably would not be --

13 Mr. Maxey, it would have to be done after
14 the hearing, or do you have them here where they can be
15 made available?

16 THE WITNESS: Of what? The -- what did you
17 say?

18 MR. BROOKS: Of the reports.

19 THE WITNESS: I've got those on PDF, but I
20 don't have a printer.

21 MR. BROOKS: Okay. That was my guess, that
22 they might have to be furnished and have to be
23 facilitated, if the Commissioners deliberate for the
24 day. So I make that point to the Commissioners. Do you
25 wish me to go ahead, or are we going to take a lunch?

1 CHAIRMAN CATANACH: We're going to take a
2 lunch break and proceed at 1:15.

3 MR. BROOKS: Thank you.

4 (Recess 12:00 p.m. to 1:20 p.m.)

5 CHAIRMAN CATANACH: Call the hearing back
6 to order at this time, and I believe we were turning it
7 over to Mr. Brooks.

8 MR. BROOKS: Thank you, Mr. Chairman,
9 Honorable Commissioners.

10 CROSS-EXAMINATION

11 BY MR. BROOKS:

12 Q. Mr. Maxey, good afternoon.

13 A. Good afternoon.

14 Q. I'm going to have to somewhat apologize to you
15 because I'm going to be going over again a lot of stuff
16 you talked about. But you talk fast and I think slow,
17 so I wasn't able to pick up on your points always to
18 know what you were actually saying.

19 A. Okay.

20 Q. I have no agenda to waste time. We've been
21 admonished by the New Testament: "Use not vain
22 repetitions, as the heathens do." And far be it for me
23 to do anything the heathens do, so I shall proceed.

24 There is one point that I am very clear
25 on and I want to -- or I think I'm very clear on and I

1 want to clarify.

2 If I understood your testimony correctly,
3 you, I believe, are under the impression that if a show
4 of oil -- or a hydrocarbon show were encountered in the
5 aquitard, which lies between the valley-fill aquifer and
6 the artesian aquifer, that you would be required to set
7 an intermediate string at that level. Was that the
8 premise of your testimony?

9 A. It wasn't that I thought what they required.
10 That's what the OCD required on the wells they drilled,
11 on the three that they drilled.

12 Q. And that was -- those were drilled in the
13 interim, between the time of the emergency order and the
14 date of this hearing?

15 A. Yes. Well, not all three. Yes, that's
16 correct. Yeah. That's correct. Yeah. Those were --
17 that was the agreement they had after those APDs were
18 denied.

19 Q. Okay. Very good.

20 I have a tendency to hide things from
21 myself here, but if I can find my application -- it's
22 got to be here somewhere.

23 Do you have available to you a copy of
24 Exhibit A to the Fifth Amended Application for
25 Rulemaking, Mr. Maxey?

1 A. No, not up here.

2 MR. BROOKS: Can you provide him with a
3 copy?

4 Oh. Well, we're going to have to take an
5 interruption because I agreed with Mr. Larson that he
6 could present these reports. So I would pause for him
7 to do that.

8 MR. LARSON: Thank you, Mr. Brooks.

9 Mr. Chairman, during the lunch break, we
10 made copies of the two reports that Mr. Maxey referred
11 to in direct testimony. I'd like to get them presented
12 and entered into the record.

13 REDIRECT EXAMINATION

14 BY MR. LARSON:

15 Q. Mr. Maxey, would you identify the document
16 that's been marked as Lime Rock Exhibit 9?

17 A. It's Circular 93, a paper by Kay Havenor titled
18 "Structure, Stratigraphic and Hydrogeology of the
19 Northern Roswell Artesian Basin, Chaves County, New
20 Mexico."

21 Q. And is Exhibit 9 a true and correct copy of
22 Dr. Havenor's report?

23 A. Yes.

24 Q. Would you identify the exhibit marked as
25 Exhibit 10?

1 A. Yes. This is Final Technical Report, Open-File
2 Report 503, done August 2007, "Seasonal and Long-term
3 Variations in Hydraulic Head in a Karstic Aquifer:
4 Roswell Artesian Basin, New Mexico," by Lewis Land and
5 Brad T. Newton.

6 Q. And is Exhibit 10 a true and correct copy of
7 Open-File Report 503?

8 A. Yes.

9 MR. LARSON: Mr. Chairman, I move the
10 admission of Lime Rock Exhibits 9 and 10.

11 CHAIRMAN CATANACH: Any objection?

12 MR. OLSEN: No objection.

13 CHAIRMAN CATANACH: Lime Rock Exhibits 9
14 and 10 will be admitted.

15 (Lime Rock Resources Exhibit Numbers 9 and
16 10 are offered and admitted into evidence.)

17 MR. LARSON: Thank you.

18 That takes care of it, Mr. Brooks.

19 MR. BROOKS: Okay. Since I only have one
20 copy, may I approach and let him look at my copy?

21 MR. FELDEWERT: David, I've got an extra
22 copy.

23 MR. BROOKS: Oh. Can you provide it to the
24 witness?

25 MR. FELDEWERT: I can.

1 MR. BROOKS: Thank you, Mr. Feldewert.

2 CONTINUED CROSS-EXAMINATION

3 BY MR. BROOKS:

4 Q. Okay. I would call your attention, then,
5 Mr. Maxey, to paragraph C, subparagraph 2 of the --
6 well, first of all, this is Case Number 15487, Exhibit
7 A, Fifth Amended Application for Rulemaking. And it
8 starts out that this is an amendment to 19.15.39 NMAC,
9 adding new Section 11, effective whatever date. So this
10 is the -- I represent to you this is the rule that we,
11 the Division, are proposing for the Commission to adopt.

12 Now, I call your attention to paragraph
13 C(2), and I would ask you to read that paragraph.

14 A. "The operator shall set surface casing string
15 at least 50 feet below the base of the shallow aquifer,
16 such that the surface casing is landed in the first
17 competent formation, and circulate cement to surface."

18 Q. Okay. Thank you.

19 Now, there is nothing in that provision
20 that would require you to set an immediate string above
21 the artesian aquifer, right? That's only about what
22 where you have to set it in reference to the valley-fill
23 aquifer?

24 A. Yes.

25 Q. Okay. Then please read section -- paragraph

1 three.

2 A. "The operator shall set" -- "the operator shall
3 set an intermediate casing string in the San Andres
4 Formation at a depth of approximately 1,200 feet below
5 the surface and not more than 50 feet above the first
6 show of hydrocarbons encountered in the San Andres
7 Formation on the mud log."

8 Q. Okay. So it says in the San Andres -- they
9 shall set the string in the San Andres Formation above
10 the first show of hydrocarbons in the San Andres
11 Formation.

12 A. Correct.

13 Q. So that provision also does not require any
14 setting of the intermediate casing above the San Andres
15 Formation, right?

16 A. That's right, the way this is written.

17 Q. Okay. Now, I will -- and paragraph C is
18 entitled "Wells that penetrate the shallow aquifer."

19 Now we go to paragraph E, and that's
20 entitled "Wells that penetrate only the artesian
21 aquifer." And this time I'll read it, and I'll let you
22 follow me, and tell me if I'm reading it correctly.

23 "For wells that will not penetrate the
24 shallow aquifer, but will penetrate the artesian aquifer
25 of the Roswell ground water basin, or will penetrate the

1 San Andres Formation within the area of the artesian
2 aquifer, as mapped by the office of the state engineer,
3 or within one mile thereof, the operator shall include
4 in the casing program all of the provisions required by
5 Subsection C...except that the surface casing string...
6 shall not be required, the intermediate casing string
7 required by Paragraph (3)...may serve as the surface
8 casing string, and...shall be circulated to surface."
9 Did I read that correctly with some omissions?

10 A. Well, I'm not sure if you're wanting me just to
11 see if you read it correctly, or do you want my opinion
12 on it, or what --

13 Q. Just if I read it correctly. I omitted some --

14 A. I mean, it was pretty close to verbatim. I
15 don't think it was exactly verbatim.

16 Q. Okay. Well, I have to claim credit for that
17 language, and I do so with some embarrassment because I
18 should have said -- it doesn't really make sense to say
19 the surface string shall not be required but the
20 intermediate string shall be, because what's an
21 intermediate between? It actually becomes the surface
22 string. And I'll concede that.

23 But my point is is there anything in there
24 that would require you in any event to set an
25 intermediate casing string above the San Andres

1 Formation?

2 A. Can I read it again?

3 Q. Please do.

4 A. (Reading.)

5 Are you talking about a Lime Rock -- I'm
6 here to testify on behalf of Lime Rock and their
7 acreage. What I have testified to is not an area where
8 we've penetrated only the artesian aquifer.

9 Q. Okay. Then it's irrelevant, so I will pass it.

10 A. All right.

11 Q. My point -- the point I am making is that I
12 believe that to the extent your testimony was premised
13 on there being a requirement to set a second string of
14 casing above an oil show in the aquitard, that that does
15 not represent the rule that the Division is now asking
16 the Commission to adopt?

17 A. I'll clarify.

18 Q. Okay. Please do.

19 A. Lime Rock's two-string APD -- and let me just
20 say when I speak of the number of strings, let's talk
21 about the entire well so we don't get confused on
22 whether I'm talking about surface, intermediate or --

23 Q. In the context of this proceeding, that's
24 helpful.

25 A. Okay. So we're talking about total well casing

1 program.

2 Q. Right.

3 A. So they submitted a two-string program in the
4 area I've been talking about. It was denied.

5 Q. Okay.

6 A. They went back to the OCD. The OCD approved --
7 I don't know. I was not present. Remember, I'm not
8 involved yet.

9 Q. Right.

10 A. They had discussions with the OCD. The OCD
11 approved a three-string design for surface to -- it's
12 either 425 or 450 -- intermediate to 900, and then
13 production casing to TD. In the APD, it says 900 feet
14 before the first oil show. Okay? So what I showed you
15 in the cross section, even the way the APD was approved,
16 it was not -- it was not according to the proposed rule.

17 Q. Okay. So what you were asked to do in that
18 case, under the approved APD, was to set an immediate
19 string that actually duplicated the surface string, from
20 a hydrologic standpoint, and they're both in the
21 aquitard; is that correct?

22 A. Yeah. Let me -- let me -- just to get this
23 point straight, if I use this Exhibit 5 --

24 Q. Exhibit 5. Let me get Exhibit 5.

25 CHAIRMAN CATANACH: Whose Exhibit 5 is

1 that?

2 THE WITNESS: Lime Rock's Exhibit 5.

3 Q. (BY MR. BROOKS) Okay. I've got it.

4 A. Now, the well that I used for the drilling
5 report, Lime Rock Exhibit 7, that was the Terry 14C #2,
6 which is in Unit C of Section 14. So that's Section 14,
7 Unit C on the map that's on the exhibit.

8 Q. Yeah.

9 A. Okay. That was where -- I've got two different
10 wells here, but it happened on this Terry 14C. That's
11 what I testified to. We had a mud log show at -- oil
12 show and samples at 681 feet. So 14C -- I'm on strike
13 with the well in Section 11. I'm very close to the well
14 in 15, so I'll use the well on 15. 600 -- what did I
15 say? 681 feet -- 681 feet on well A on the cross
16 section is -- that is actually above the confining unit
17 per the tops in the Welder report.

18 Q. So that's above the -- that would be up in
19 the -- would that be in the valley-fill?

20 A. No. It's below the valley-fill. It's at the
21 base of the Queen section, which is the base of the
22 confining unit.

23 Q. Okay.

24 A. Welder identifies the top of the artesian. He
25 also states that is -- implies that that is also the

1 base of the confining unit, and he states the same
2 thing; the base of the shallow aquifer is the top of the
3 confining unit. So he distinctly separates the shallow,
4 the confining unit and the deep.

5 Q. Okay.

6 A. And the APD, as approved by the Division after
7 discussions with Lime Rock, said, Set your intermediate
8 900 of the first oil show. Well, 900 feet -- you can
9 see that the top of the San Andres is about 950.

10 Q. Right.

11 A. So as approved by the OCD, the intermediate was
12 approximately 50 feet above the top of the San Andres,
13 but since we hit the first oil show at 681 feet, I
14 believe it was, that actually backs you up to the base
15 of the confining --

16 Q. But you would admit that second string would
17 not be required by the provisions of this proposed rule?

18 A. No, because we're drilling an area -- we're
19 drilling in an area where we are penetrating the shallow
20 and the deep aquifer per your boundary and per the
21 Welder report map that you're utilizing for your rule.

22 Q. But where in the rule -- proposed rule would it
23 ever require setting an intermediate casing string above
24 the San Andres -- above the San Andres?

25 A. Well, it wouldn't, not in your proposed rule.

1 Q. That's what I was asking. I asked if you
2 agreed with me and you answered no. And I understand
3 that's a bit of a double negative.

4 A. Well, now, hang on. Hang on. We've been on
5 two different portions of the rule. So which one are
6 you talking about? The last one we were in, you
7 stated -- we were on paragraph E, and that is "Wells
8 that penetrate only the artesian aquifer." That is not
9 the situation with Lime Rock. So let's not get
10 confused.

11 Q. So let's deal with paragraph C. Okay. In my
12 opinion, the provisions are (2) and (3), but if I've
13 overlooked anything, bring it to my attention.

14 A. No. I think that's fair.

15 Q. And (2) requires you to provide the surface
16 casing below the valley-fill?

17 A. Yes.

18 Q. Which would probably be -- you said in the
19 report, you had the valley-fill and the confining layer
20 and then the --

21 A. Artesian.

22 Q. -- artesian. So that would be within the
23 confining layer -- confining layer.

24 A. According to Welder's numbers.

25 Q. And his maps that he's got in the report.

1 And so that's where your surface casing
2 would be, under paragraph C(2)?

3 A. Well, it would be under -- it would be, as it
4 states, I think, at least 50 feet below the base of the
5 shallow. You've got to know where the base of the
6 shallow is.

7 Q. Right.

8 A. You can use the Welder map and -- it's a map of
9 the -- he's got a map of the shallow -- of the base of
10 the shallow --

11 Q. Right.

12 A. -- and he's got a map of the top of the
13 artesian.

14 Q. Yeah.

15 A. Okay? So from those two maps, you can find
16 your confinable.

17 So you have to drill at least -- it says --
18 excuse me. I'm on the wrong paragraph. "Casing string
19 at least 50 foot below the base of the shallow into the
20 first competent formation." So you've got to hit --
21 you've got to know where your base is. You get through
22 the base at least 50 feet, and then you start looking
23 for a competent formation. But according to your rules,
24 you don't want to get into the artesian --

25 Q. Right.

1 A. -- before you stop.

2 Q. Right.

3 A. So according to your rules, you can pretty --
4 now, let's get out of the Lime Rock area, if you want me
5 to go there with you.

6 Let's say there are no oil shows anywhere.

7 Q. Right.

8 A. We're talking -- let's get into the center of
9 the aquifer. And that's the point I'm trying to make in
10 my first exhibits where I was referencing both these
11 reports.

12 Q. Yeah.

13 A. Everything's full of freshwater. So per your
14 rules, I could drill anywhere to 50 feet below the
15 shallow aquifer, all the way down to the top of the
16 artesian and set my surface. That's the -- that's what
17 you can do under your rules.

18 Q. Well, that's not my understanding of it. You
19 said -- I thought C requires you to drill -- I thought
20 you said C requires you to drill -- set casing in the
21 first competent formation below the base of the --

22 A. If you have a competent formation, you have to
23 stop, but if you don't have one --

24 Q. That's true. If you don't have a competent
25 formation between the two, you do not have to set that

1 casing.

2 A. It depends on the operator, but anhydrite may
3 not be -- depends on the operator. But in their view,
4 may not be a competent formation.

5 Q. Well, there might be some instances, then, in
6 which you might not be required to set that upper casing
7 under that rule.

8 A. No, not under this part of the rule. You have
9 to set a shallow string of casing, under C(2). You have
10 to under your rule -- under your proposed rule.

11 Q. Yes, do you have to.

12 A. Yeah.

13 Q. And it has to be above the artesian aquifer.

14 A. Correct.

15 Q. But you do not have to set a second string of
16 casing --

17 A. Yes, you do.

18 Q. -- above the artesian aquifer. You only have
19 to set the second string of casing in the San Andres,
20 correct?

21 A. You're correct in your interpretation of your
22 rule.

23 Q. Yes, sir.

24 A. But you're not correct as to how the agreement
25 was arrived at between Lime Rock and the OCD after the

1 emergency meeting for their three-string program and
2 what the OCD told them to do.

3 Q. Okay. What I wanted to clarify was the rule
4 because it's my understanding that's what we're here to
5 talk about today. And to the extent that the rule --

6 A. It is -- and let me -- may I make a
7 counterpoint?

8 Q. Go ahead.

9 A. I'm sorry to interrupt you.

10 I guess one of the things I want to
11 articulate and why I'm showing this is because you have
12 a proposed rule right here.

13 Q. Right.

14 A. Yet the OCD, that's not how they design -- or
15 approved that APD, and that's not how it subsequently
16 worked out with that APD for actually two of them at
17 least that I've got exhibits.

18 Q. Okay.

19 A. So here's the problem that Lime Rock has. And
20 you've put them in a quandary because you forced them of
21 this law [sic]. By your action -- by the OCD's action,
22 you said, Yes. You've got oil shows all through here.
23 You need to set this shallow intermediate. It does not
24 protect the artesian aquifer because the artesian
25 aquifer is productive or has shows of oil and gas. So

1 you're telling a competent, prudent operator, You know
2 what? Despite the fact that you've produced over a half
3 million barrels out of the Grayburg section at the base
4 of the confining unit and in the artesian aquifer,
5 you've got to drill all that up, and we've got to
6 protect freshwater -- that freshwater aquifer.

7 My assumption -- see, I don't know what
8 you're protecting. I'm still lost at what you're
9 protecting. But you're stating that they have to drill
10 through oil and gas and most probably block brine water
11 that's high TDS, and then set a protective string, which
12 we've been talking about, an artesian aquifer. That's
13 the problem. And as a pursuant, competent operator,
14 they cannot do that, and they will go somewhere else
15 until this is resolved.

16 Q. I'm not sure I understand you. Are you talking
17 about what the rule requires, or are you talking about
18 what the OCD has required in certain particular
19 instances?

20 A. Both. I'm talking about the reason there was
21 an agreement arrived at for Lime Rock to do what they
22 did -- unfortunately, if they had done what your rule
23 said, they would have been branded environment
24 criminals.

25 Q. Well, assuming that is true, the rule is clear

1 that you have to set one -- the proposed rule is clear,
2 is it not, that you have to set one string of casing
3 between the base of the valley-fill and the artesian?

4 A. Yes, sir. Your proposed rule states that for
5 the surface string in the two-aquifer area. That's
6 correct. I agree.

7 Q. And that would only be for the protection of
8 the valley-fill?

9 A. Per the OCD's definition, yes. That's not my
10 opinion.

11 Q. Well --

12 A. I believe you can protect both with one string.
13 So I don't want to -- I don't want to agree with you
14 that we need two strings to do this. That's why I'm
15 hedging that answer. But I agree with you --

16 Q. Let me ask you this hypothetically, since
17 you're appearing as an expert. If you set a protective
18 string below the lower aquifer --

19 A. Okay. Wait a minute.

20 Q. -- set a protective string --

21 A. I agree with you --

22 Q. If you do what the industry advocates --

23 A. One string?

24 Q. You do a two-string plan, where you set one
25 protective string, and that is cemented in place below

1 the artesian aquifer --

2 A. Okay.

3 Q. -- and you have a competent cement job and a
4 nondefective casing --

5 A. Yes.

6 Q. -- you're going protect both aquifers -- I
7 think we will agree on that; will we not?

8 A. Okay.

9 Q. -- from pollution, although any that may occur
10 during the drilling process, correct? Because once you
11 go through that top aquifer, there is at least a
12 theoretical possibility of the communication between the
13 two aquifers through the wellbore --

14 A. Not in the --

15 Q. -- while you're drilling from the upper aquifer
16 down to the point where you set the casing?

17 A. Okay. So you kind of -- you kind of went two
18 places. First we had a competent cement job and a
19 competent casing string to protect both aquifers.

20 Q. Yeah.

21 A. Then you started talking about drilling between
22 two aquifers, which would imply we don't have a casing
23 string set now. So --

24 Q. You wouldn't at that time. What I'm saying --

25 A. Let's back up.

1 Q. Okay. You drill into the shallow aquifer.

2 A. Yes, sir.

3 Q. You drill through it.

4 A. Yes.

5 Q. And during your drilling operations, you're
6 going to be circulating mud. You keep on drilling.
7 You're drilling under the two-string plan. You keep on
8 drilling until you get to the artesian aquifer.

9 A. Base of the aquifer.

10 Q. And then you've got to get to the base of the
11 artesian aquifer or the highest oil show. And I'm going
12 to get to that in a minute because I think you have a
13 problem with what's going on in the San Andres; do you
14 not?

15 A. Above the San Andres.

16 Q. Well, that's -- we're talking about above the
17 San Andres now. I'm going to ask you about the San
18 Andres later. We'll get into that.

19 Into the San Andres, you have to the point
20 where you're going to set your surface casing in your
21 two-string plan. Now, during the time when you -- when
22 you penetrate the valley-fill till you get to your point
23 where you set your surface casing, get your surface
24 casing set and get it cemented, there is at least a
25 theoretical possibility of communication in the hole,

1 into and out of the valley-fill, and once you get into
2 the artesian aquifer, into and out of the artesian as
3 well, right?

4 And I say theoretical because I know
5 both -- both of the industry witnesses have testified
6 that that won't happen. And I'm not asking you to
7 second-guess their credibility on this, but tell me,
8 theoretically, that could happen in some instances while
9 you're in the drilling process?

10 A. Okay. So you're talking about with the
11 artesian open during drilling operations?

12 Q. Yes.

13 A. And it's a shallow open during that drilling
14 operation, right?

15 Q. Right.

16 A. Okay. So now I think I understand your
17 question. You're asking me if I drill the artesian and
18 I continue down and I drill -- excuse me -- I've drilled
19 the shallow. I continue down and drill the artesian. I
20 have both aquifers open in one hole, and I'm drilling.

21 Q. There is a theoretical possibility of
22 communication; is there not?

23 A. What kind of communication? Are you talking
24 about one flowing to the other?

25 Q. Yes.

1 A. Okay. Here's the problem I have with what
2 you'd like to hear me say, I think. You have a
3 hydrostatic -- you have a hole full of fluid, and you're
4 circulating. Okay? You're starting off with 8.4
5 pound-per-gallon fluid. You've got cuttings coming up
6 the back side, so you've probably increased that mud
7 weight by two-tenths or three-tenths. If you've
8 developed viscosity, you've picked up more solids than
9 what you're going to carry with freshwater, if you felt
10 the native mud. So you're going to actually have a
11 little more mud weight. So that kind of hydrostatic
12 pressure, I'm going to have to say -- with circulation,
13 I'm going to have to say no.

14 Q. And that is basically what your -- what the
15 other witnesses have said. It's very similar to what
16 they've said. And our witness, Mr. Kautz, testified
17 that there was a possibility of that communication, and
18 the Commission will have to make that decision.

19 A. Well, can I further clarify?

20 Q. You may.

21 A. Okay. If you've got a hole full of fluid --
22 and let's just, for argument sake, say it's 8.8 pound
23 per gallon. You do the numbers. And that's probably a
24 .45 psi per foot. You have to ask yourself, Does a
25 water table aquifer or does the artesian right now under

1 Lime Rock's acreage, after being pumped for multiple --
2 tens of years, does it have a gradient of higher than
3 .45 psi per foot? No, sir, it doesn't.

4 So just keep this in mind. Fluid flows
5 from an area of high pressure to low pressure.

6 Q. I'm aware of that, sir.

7 A. Very simple. We've got less pressure in the
8 aquifer many times than we do hydrostatic in the
9 borehole. We don't lose returns because we do a -- and
10 don't break down the formation. Fluid does not go.

11 Q. You're saying that in practice, it's not going
12 to happen, that there is not going to be, during
13 drilling and operations, any leakage between the
14 aquifers. Well, that point has been made by other
15 witnesses, and I would like to not spend any more time
16 on it.

17 But my point is -- my question is: Both
18 aquifers are open to the -- to the borehole?

19 A. To the wellbore.

20 Q. There is a possibility under certain
21 circumstances that such movement could occur?

22 A. Now, under certain circumstances, if there is
23 lost returns, you have to ask yourself where is the --
24 when you lose returns, it doesn't mean fluid goes all
25 the way into the zone; you completely lose your

1 hydrostatic. That's false.

2 You have fluid level fall to a certain
3 point where it's balanced wherever your lost circulation
4 zone is. You still have hydrostatic, but the question
5 is how much. So depending how much hydrostatic you
6 have, there could be some leakage from one zone to
7 another. Now, yesterday that was characterized as
8 contamination. And I take great exception to someone
9 characterizing -- the mixing of waters is how that
10 should be presented. The mixing of 1,000 TDS with maybe
11 2,000 TDS water. In my book, that's not contamination.
12 I'll drink water -- I'll drink a gallon of both of those
13 sources, and we'll see if it's contaminated. And I'm
14 just making that point because I had to listen to that
15 testimony -- to that yesterday, and to your point, there
16 is a possibility of leakage.

17 Q. Okay. Thank you. That's what I was asking.

18 Now, let me go ahead then. After you have
19 drilled through the artesian and set your pipe, then
20 the -- then there is probably little or no possibility
21 of leakage if you have a good cement job and if you have
22 nondefective casing, correct?

23 A. That's correct.

24 Q. But if you have a defective cement job or if
25 you have a leak in the casing, there could be

1 communication?

2 A. Well, you're really stretching it with me with
3 defective casing because you're talking about the shoe
4 of a cement job being defective. All that cement goes
5 around the shoe, and every sack that you've mixed goes
6 around the shoe. I'm not sure how you have defective
7 casing. If you want to say that's probable, I'm going
8 to say no. Is it possible? Everything in this world is
9 possible.

10 Q. Yeah.

11 A. And secondly, defective casing, I'm struggling
12 with that one, too.

13 Q. Well, that's probably less of an issue
14 because -- for certain reasons. But suppose you had a
15 micro-annulus in your cement. That could create --

16 A. I'm glad you brought that up. Micro-annuluses
17 don't transmit fluid.

18 Q. They do not?

19 A. I've never found in my entire career, I've
20 never met anybody in my career, no peer I've ever worked
21 with has said they had a problem with communication with
22 micro-annulus. This whole bond log thing has really
23 been under my skin.

24 Micro-annulus is something that keeps us
25 from having an acoustic coupling from the cement to the

1 case- -- excuse me -- from the casing. On the back
2 side, you'll have a micro-annulus. And that's just --
3 it's micro. It's very, very small. If you were to be
4 able to put fluid through there, it would be at
5 extremely high pressures. All the micro-annulus does is
6 it messes up your acoustic coupling between your casing
7 to your cement. Your cement bond log is an acoustic
8 device. If you lay one on the ground and turn it on,
9 you'll hear tick, tick, tick, tick, tick. And it's at a
10 higher frequency than that, but it ticks. And that
11 acoustic signal is transmitted through the casing. If
12 there is a micro-annulus there -- it goes into the
13 micro-annulus -- you don't have a good coupling to your
14 cement, so at that point, you don't have a good return
15 on that signal.

16 So what you do, you pressure up 1,000,
17 1,500 pounds on casing. It removes the micro-annulus,
18 and you get a good cement bond log. That's what
19 micro-annulus is. So no, there is not communication
20 through micro-annulus.

21 Q. Is there not a possibility of communication if
22 the cement is defective?

23 A. If there is a channel --

24 Q. A channel?

25 A. -- there is a possibility.

1 Q. Well, I may have misused the term
2 "micro-annulus."

3 A. It's been misused. And I'm not blaming you.
4 I'm just saying it's been misused.

5 Q. If there is a channel -- there could be a
6 channel in the cement that would allow communication?

7 A. It's possible to have a channel in cement
8 and that -- may I -- just so I can finish.

9 Q. Yes.

10 A. Usually a channel in the cement is because
11 there hasn't been adequate drilling of the -- you
12 haven't had good hydraulics while you're drilling the
13 hole, and maybe you've had some poor mud properties, and
14 maybe you haven't conditioned the hole properly at the
15 bottom prior to running your casing.

16 Q. How would you know that that existed?

17 A. When you get to bottom, you're going to pump
18 the sweep. You're going to watch those sweeps. As they
19 come over the shaker [sic], you've got a lot of
20 cuttings. You need to pump another sweep. Okay? You
21 can pump these freshwater sweeps. Get some bentonite
22 gel. It's the same thing that's in the ground as far as
23 formation. It's not harmful to your -- core to your
24 aquifers. You mix higher viscosity, bentonite gel
25 sweeps. Sweep the hole. When the hole is clean, you

1 can -- and you're rotating and reciprocating pipe while
2 you're doing this at intervals. You can watch your
3 torque and your drag. If your torque is cleaning up, if
4 your drag is cleaning up, you know you're cleaning the
5 hole. And you get to a point where everything is
6 consistent, you're done. You've got a clean hole.

7 Q. Okay. But how about if I go to another
8 subject?

9 Other than your point about the instance in
10 which Lime Rock -- well, first of all, I need to set the
11 stage, because everything you said was pertinent to the
12 area in which Lime Rock was drilling.

13 A. Yes.

14 Q. And I never got clear on the map. So if you
15 will let me get my area map --

16 A. Exhibit 1.

17 Q. -- in front of me, and that is -- the area map
18 I'm working from -- well, actually I think there is a
19 better exhibit in here, if I can find it. Yeah. It's
20 your own Exhibit 1. It has the -- has the townships and
21 ranges.

22 A. Yup.

23 Q. It's better labeled than any of the other
24 exhibits by any party I have seen. So can you tell me
25 which townships you're concerned with?

1 A. It's marked in yellow towards the lower,
2 right-hand side. 18 South, 26 East would be the
3 northeast quadrant.

4 Q. Okay.

5 A. And the far -- basically I'd call it the west
6 half of the northwest of 18-27.

7 Q. Okay. So that is the yellow dot in 18-26,
8 18-27, and maybe a little bit up into 18 -- into 17-26?

9 A. No, sir. It's -- specifically, it's the
10 northeast quadrant of 18-26, and it's the west half-west
11 half of 18-27. The acreage does not go up into 17.

12 Q. Okay.

13 A. And I'm being specific with this because all of
14 the testimony from the OCD and the Conservancy District
15 was in a broad, general sense over the entire aquifer,
16 and this was totally missed to what I brought up today.

17 Q. Okay. So part of your area of interest is
18 within the area that is under both aquifers. Part of it
19 is an area where the valley-fill exists, but the
20 artesian does not, right?

21 A. You're correct on the boundaries, but,
22 unfortunately, the entire area would be under your rules
23 per your one-mile upper.

24 Q. Okay. Okay.

25 A. So we would be required for two strings outside

1 the boundaries of the aquifer.

2 Q. Very good.

3 Now, other than the point you made that we
4 discussed at length about the requirement that was
5 imposed on Lime Rock at one point to put in a second
6 string above the artesian aquifer, other than that, what
7 other points did you make in your testimony that I may
8 have missed?

9 A. Well -- okay. I don't know. That's hard to --
10 you're asking me to backtrack on my entire testimony, so
11 that's pretty difficult from memory.

12 Q. Well, I got the point about the intermediate
13 casing string, and I got the point about the costs of
14 delay, which every witness from the industry side has
15 presented.

16 A. Right.

17 Q. I think you said some other things that I
18 wasn't sure what you were saying, and I sure wish I
19 knew.

20 A. Well, I wished I knew, too, what to tell you
21 (laughter).

22 Q. Well, I do not want to plow ground has already
23 been plowed, so I will stop at this point. And thank
24 you very much, sir.

25 CHAIRMAN CATANACH: Mr. Olsen?

1 CROSS-EXAMINATION

2 BY MR. OLSEN:

3 Q. Good afternoon, sir.

4 A. Good afternoon.

5 Q. Your Exhibit 1 --

6 A. Yes, sir.

7 Q. -- the legend says "well" and then "(oil, gas,
8 DH)." DH is a dry hole, correct?

9 A. Right.

10 Q. Of the 9,000 wells that you identified, how
11 many of them were dry holes?

12 A. I don't know.

13 Q. The identification of a dry hole would not be
14 of value for you to know that in your --

15 A. No, sir. I was curious at the number of
16 penetrations in this area within the boundary of the
17 OCD. So, basically, we have over 9,000 wells. I think
18 in my earlier testimony, you saw the water wells. There
19 are probably of thousands of water wells out here up the
20 valley. So basically what I was trying to -- and if you
21 recall my testimony about why I'm involved here, I had
22 to get an idea and scope of what I was dealing with.

23 Q. I appreciate that, but I want to break this --
24 deal with your Exhibit 1 for just a moment.

25 A. All right.

1 Q. The destination of dry hole, did that denote
2 the depth of the hole when you were looking at this?

3 A. No. Well, it was in my database, but I did
4 not. I didn't look it up and put it on the map.

5 Q. I want to address your comment about thousands
6 of penetrations from water wells. Do you know how many
7 wells there are in the boundaries of the PVACD that are
8 metered?

9 A. No, sir.

10 Q. Well, I want to -- because that's of
11 importance. Do you know if there are 2,000 or 4,000,
12 more than 2,000?

13 A. No, sir, I don't. But what I do know is there
14 are probably more domestic wells that aren't metered
15 than there are metered irrigation.

16 Q. Well, that leads to the next question. Of the
17 domestic wells in the RAB, do you know what the average
18 depth is?

19 A. Of the domestic wells?

20 Q. Yes.

21 A. No, sir.

22 Q. So your statement of tens of thousands of
23 penetrations, what value is that to your testimony if
24 you don't know the depth of the domestic wells or how
25 many irrigation wells? What's the value of that?

1 A. Well, as I testified originally, I thought we
2 were coming here because there was an issue, and I
3 really wanted to be part of the solution. I thought
4 there was a problem with contamination. I've come here,
5 and I found out there isn't. So one of my points -- I'm
6 just telling you why. One of the points that I looked
7 at in particular is that there are 9,000 wells within
8 this area that have penetrated one or both aquifers,
9 with the exception of those that are just outside on the
10 east side. I used the OCD boundary. And that's over
11 100 years of history or approximately 100 years of
12 drilling history. And now I've come here, and there was
13 no testimony -- Lime Rock's concern -- because they're
14 in an area -- I can't remember the exhibit.

15 Q. No, no, I understand. I appreciate that. And
16 we could carry on this discussion --

17 A. We could. I could go all day.

18 Q. -- over a couple of scotches, and that would be
19 more fun, I'm sure. I certainly would enjoy the scotch.

20 COMMISSIONER BALCH: We can't do that until
21 at least until 3:45.

22 CHAIRMAN CATANACH: Let's do that.

23 (Laughter.)

24 Q. (BY MR. OLSEN) You came here prepared to
25 testify about the issues in the two townships, correct?

1 A. Pardon?

2 Q. In two townships.

3 A. Yes.

4 MR. OLSEN: Pass the witness.

5 CROSS-EXAMINATION

6 BY COMMISSIONER BALCH:

7 Q. So I think -- Mr. Maxey, good afternoon, by the
8 way.

9 A. Good afternoon.

10 Q. One of your main points is that one size
11 doesn't fit all and maybe the rule has been too narrowly
12 described?

13 A. Yes. The rule will not work in the Lime Rock
14 area. I mean, it just will not work.

15 Q. Maybe you'll agree with me that allowing best
16 practices is usually the most sound way to do business?

17 A. The rule that was provided that the industry
18 has discussed was based on consensus and best practices.

19 Q. So for your acreage, what would an ideal
20 completion look like?

21 A. An ideal completion would be a deeper surface
22 string closer to the first oil show, and then everything
23 above --

24 Q. And then a production string?

25 A. And then a production string. And the

1 production string -- they're so close -- with the
2 surface string at 600 feet or so, just for argument
3 sake, by the time you are going to have a tieback 500
4 feet into that string, you're going to circulate
5 surface. So you're going to have -- once you set your
6 deeper surface string and then you cement up the
7 production string through the surface, you've got two
8 strings. You could actually centralize the production
9 string inside the surface string. And you've got one
10 cement string with one consistent cement sheet around it
11 inside the surface casing.

12 Q. And you circulate both of those to surface --

13 A. And if you circulate both those to surface,
14 you've got a tremendous amount of protection.

15 Q. A few extra bags of cement. How would that
16 impact economics?

17 A. I'm sorry?

18 Q. How would that impact economics if you had to
19 add another 500 feet of cement?

20 A. It would be peanuts.

21 Q. Compared to?

22 A. Well, that's what I'm telling you, is what
23 impacts economics is when you don't get cement to where
24 it's supposed to be. So cement is consistently
25 circulated on surface. I just looked back at the

1 drilling report on the two wells we've talked about.
2 The surface string is at 450. I think they cemented
3 over 100 -- circulated over 100 sacks of cement. Now,
4 that's a lot of cement. You'd like to cut that down,
5 but what's the alternative if you don't get to surface?
6 You're shut down. Your temperature survey, your WOC --
7 you're waiting on a temperature survey to get out. Then
8 you bring the crew back out. You rinse some 1 inch.
9 You bring it out. You've got a 1 inch. So really
10 additional cement -- that's why I say it's peanuts.

11 Q. You've got a good reason to do it right the
12 first time?

13 A. You've got a good -- the industry is well
14 motivated to do this right the first time.

15 Q. I think I would agree with you if you have two
16 layers of steel and two layers of cement, then you would
17 have a good amount of protection.

18 A. You'd have -- the outside string, you have a
19 cement sheet. That's a good amount of protection. If
20 there are any holidays [sic] in that cement sheet, you
21 potentially could have -- not in the freshwater
22 intervals. In the freshwater intervals, if you have any
23 corrosion, it's probably going to be galvanic, like a --
24 just like a battery cell. And then once it penetrates
25 that string, it's not going to penetrate a consistent

1 cement sheet that's around your production casing.

2 Q. Let me test your knowledge of kind of the
3 overall area. I know you're focused on Lime Rock for
4 your testimony today.

5 A. Right.

6 Q. But, in general, most of these wells are going
7 to have a single surface string through the base of the
8 aquifer -- the artesian aquifer, existing wells?

9 A. Well, that kind of asks me to generalize, and
10 I'm showing you an area where you wouldn't set it to the
11 base of the aquifer. You've got oil and gas shows.
12 You've got a field that produced a half million from the
13 Grayburg in the confining unit. So it's hard to answer
14 that question.

15 What needs to be done -- the Conservancy
16 District cross-examined one of our witnesses, may have
17 been COG, and asked him if he used the Welder maps to
18 determine the depths of the aquifer. That's where I
19 went. That's the first place I went. And that's what
20 the industry normally does. I normally go to the State
21 Engineer site, and I look for where the wells are and
22 where the water's coming from. That's how I determine
23 how to protect freshwater.

24 Q. So you look for the depth of the water wells?

25 A. I look for the water wells. If there are

1 inconsistencies in the depth, then I have to look
2 further. In truth, I didn't know the Welder maps
3 existed. I knew of the Welder report. I didn't know
4 those maps that identified tops and bottoms had been
5 mapped the way they are. That's an excellent resource.
6 In this particular area, where you have the dual
7 aquifer, the Welder maps are the perfect resource to
8 determine where these tops and bottoms are in the
9 aquifers in the confining unit.

10 Q. Thank you.

11 CROSS-EXAMINATION

12 BY COMMISSIONER PADILLA:

13 Q. Good afternoon, Mr. Maxey.

14 A. Good afternoon.

15 Q. Just a couple of questions for you.

16 Your economic calculations -- I don't know
17 which exhibit that was.

18 A. It was the last one, 8.

19 Q. Number 8?

20 A. Yeah.

21 Q. So you took into account state acreage at 100
22 percent royalty. And the Fed acreage at 48 percent,
23 that comes back to the state?

24 A. I did, yeah. I just had learned of the 48
25 percent. That's kind of a newer development, isn't it?

1 It used to be 50 percent.

2 Q. Right.

3 A. Yeah.

4 I can't remember if I did the 48 or the
5 added the 2 percent with the 50, to tell you the truth.
6 But I knew that was just --

7 Q. Ballpark?

8 A. It was the -- minimum, it was 48 percent.

9 Q. What's the -- I guess I could find it if I
10 calculated it. What is the state royalty rate you used?

11 A. Well, these were federal, and I don't know --
12 well, what I assume --

13 Q. There are no state leases in here?

14 A. I don't know if there are no state leases, but
15 as Lime Rock has represented to me, the vast majority of
16 this is federal. They're dealing with -- primarily
17 dealing with BLM. But when this particular issue came
18 up, they're dealing with OCD.

19 Q. It's federal and I don't care.

20 (Laughter.)

21 COMMISSIONER BALCH: But you're still a
22 taxpayer.

23 COMMISSIONER PADILLA: Yeah, I guess.

24 Q. (BY COMMISSIONER PADILLA) I'm intrigued by --
25 you said that Lime Rock would be labeled as

1 environmental criminals if they had followed through
2 what the OCD was suggesting. Is that because they
3 essentially would be throwing money at an ineffective
4 solution? Can you expand what you mean by that?

5 A. No. I'm pretty sensitive to the criticism the
6 industry gets on -- on multistage fracking. And here in
7 this particular instance, the OCD is promulgating a
8 rule. And based on the way this rule is written right
9 now, it would force Lime Rock Resources to protect the
10 shallow aquifer and then drill out through oil and gas
11 shows, potential brine waterflows, because I've seen
12 that on the logs. As I stated, I've been out to the
13 State Engineer's Office and reviewed logbooks. They're
14 about this thick (indicating) for each township -- or
15 two townships. And you drill through those oil and gas
16 shows, and some of those intervals actually produced.
17 They were the oil and gas fields under the OCD rules. I
18 mean, that's the field names that I gave you in the RGS.
19 So you would have drilled all of these and then drilled
20 into the San Andres -- and keep in mind, the artesian
21 starts approximately in the Lime Rock area about 150
22 feet above the top of the San Andres. So the whole goal
23 with setting into the San Andres was to protect the
24 artesian aquifer.

25 Now, the base of the artesian that

1 Mr. Brooks and I were talking about, I don't know where
2 that is for sure. I know that the base is usually
3 defined in those reports as very impermeable rock.

4 There could be some -- a geologist might interpret the
5 lithology of it. But I don't know exactly where it is.

6 Once you set that intermediate through --
7 into the top of the San Andres, basically you're --
8 you're supposedly protecting the top of the San Andres
9 and those carbonate aquifer rocks approximately 150 feet
10 above with that string. Well, there are oil shows and
11 oil production out of those rocks. So what you've done
12 is you've cased off oil and gas shows, and if there was
13 any potential water -- freshwater you drilled through
14 between the base of the surface casing, then what we've
15 done is completely contrary to what OCD's has always
16 done. It's drill and case the freshwater, and then you
17 go worry about your oil and gas.

18 And what that one string does in this
19 particular area, it potentially cases off -- you drill
20 through potential freshwater and then your oil and gas
21 shows and case it all off. And if there is ever a
22 concern for bad cement, that would be your concern. Now
23 instead of a little bit of mixing of waters that are
24 different TDS, you've got contamination potential of oil
25 and gas, hydrocarbon potential of freshwater.

1 So really you need to be looking at the
2 first show. Everybody needs to understand what this
3 aquifer, you know, both the system -- I like to call it
4 the system. But when you get out of the first oil show,
5 you've got to be real careful, because if you're in the
6 eastern part, you've had oil and brine water migrating
7 from the east side, as reported by these papers. And so
8 a prudent operator is not going to drill freshwater and
9 then continue to drill into oil and gas --

10 Q. Okay. Okay. Last question was --

11 A. -- knowingly.

12 Q. There was some discussion about the competent
13 formation and -- let's see. C(2), landing in the first
14 competent formation.

15 A. Right.

16 Q. And there was some talk about whether or not --
17 what you do in the case of a non -- the unconsolidated
18 formation or something like that. Have you seen
19 instances where you can't -- the competent formation in
20 a spot, as outlined by the rule, which would be 52 below
21 the base of the shallow aquifer, at least 50 feet. So
22 you'd have 50 feet under the shallow and keep going --

23 A. Right, to your first competent.

24 Q. -- to the first competent?

25 A. Yeah.

1 Q. What are the odds of not finding a competent
2 formation, in your experience?

3 A. Well, if you look at Lime Rock Exhibit 6,
4 surface casing is set at 450, approximately. I've
5 marked it on the first page. There is a box there.

6 Q. Is that the log? Yeah.

7 A. Exhibit 6 is the mud log. First page, surface
8 casing landing depth is marked with an arrow.

9 Q. Okay.

10 A. Okay. We drill out -- look at the center
11 column. That's how the mudlogger logs lithology. And
12 those checkmark-looking things, that's how they log
13 anhydrite. It's a softer evaporite.

14 Q. Which you said might or might not classify.

15 A. You know, it depends on who is drilling the
16 well. I don't like it because I've -- I've fished for
17 shoes that I've backed off a casing that I've drilled
18 from. And that's the problem. When you get into an
19 incompetent formation, you can wash out at the shoe.

20 Matter of fact, your rule -- you know, when
21 you drill a well and back up 50 foot to run casing, you
22 know, it could be problematic, but I'm willing to
23 concede the point to get this thing done. That can be
24 problematic because you now drill out of a shoe that
25 doesn't have a firm formation below it. I don't know

1 what the cement will be like right there at that shoe.
2 And once I drill them out, I go immediately into a big
3 hole. I've got a smaller bit. And then I hit bottom
4 again, and I start drilling. As I get deeper, I'm
5 transporting cuttings out of a hole at a certain
6 velocity. Enter that big hole. It slows down stuff
7 that falls out, and casing. It can create a problem
8 with cuttings. There is a potential problem with
9 cuttings, but it's a short interval. I think a maximum
10 of 50 feet. So I'm willing to say that's okay. It
11 could be problematic, but I'm willing to say it's okay
12 for the industry anyway.

13 But this anhydrite is an issue. If you
14 look at this log and you have some kind of a carbonate
15 there that is not -- the thickness of that log to
16 carbonate will not be accurate. You will continue to
17 get cuttings kind of falling out of there. So there is
18 something there that could have been considered
19 competent, but as you go down the hole, I'm struggling
20 to find something competent until you get to the oil
21 show at 750 feet.

22 And that's why I think you're much better
23 off, particularly in this -- where we are, to drill
24 until you see the first oil show. That satisfies --
25 that should be helpful to the OCD, and then back up a

1 little bit and case that off and cement --

2 Q. Thank you.

3 A. -- because we have oil and gas shows, you know,
4 consistently below that.

5 CROSS-EXAMINATION

6 BY CHAIRMAN CATANACH:

7 Q. So let me ask you just to follow up on that.
8 If you drill to the top of the first oil show, you're
9 drilling through that anhydrite section?

10 A. Yes.

11 Q. So is there any possibility of contamination of
12 the shallow aquifer through that drilling mud? I mean,
13 you're picking up salt in the anhydrite section, aren't
14 you?

15 A. Well, you know, it's a good point. Lime Rock
16 has not noticed an increase in chlorides through this
17 section, but you're very close to where salts start
18 coming in. And that's why this eastern battery is
19 really important. It's not -- you know, when you look
20 at the boundaries, you tend to see that straight
21 north-south line. You go, Okay; well, the salt doesn't
22 end there if it doesn't want to. It could come -- it
23 could finger in there. There's a possibility that there
24 could be salt in there.

25 Q. So at the location of the Lime Rock acreage,

1 where do you see the artesian aquifer? Is it in the San
2 Andres?

3 A. Well, the San Andres is part of it. Would you
4 want me to give you the tops out of the Welder?

5 Q. I guess what I'm trying to find out is you want
6 to set the casing -- the surface casing at the first oil
7 show, which would be in the confining layer, right? It
8 would be in the Queen interval?

9 A. Wait a minute. Let me look at the log again,
10 make sure of my depth.

11 Let's use the exhibit that has the example.
12 The first oil show is 730 feet. This is -- we need to
13 use the well on right-hand side, A-1, because the mud
14 log is from the northwest offset to that log on the
15 right-hand side of the cross section, the mud log. Do
16 you see what I'm saying? Look at the map, A prime, that
17 well. Okay. The green dot to the northwest -- to the
18 immediate northwest of the A prime well, there is a
19 green dot under the black line. You got it?

20 Q. Uh-huh.

21 A. That's this mud log. Okay? So that's why I'm
22 looking at this electric log on the right. So that
23 first show -- and I've got it marked in a box, "offset
24 Fanning 13J #1, first mud log show." It was at 760
25 feet -- or excuse me -- 740 feet. I marked it at about

1 812 because on the east side, you get some pretty steep
2 San Andres dip, and it starts to flatten as you get over
3 to the western part of the acreage and keep moving to
4 the west. So I had to move it down a little bit to the
5 stratigraphic equivalent. So that's really just -- the
6 top of the artesian, on that third log, based on
7 Welder's top, is 719 feet. And I've got this oil show
8 at 8 -- excuse me. It's 812 feet at the top of the
9 aquifer, and I've got the oil show right about 812. So
10 this oil show came in right at the top of the aquifer.

11 So yes, the surface casing, if we set it
12 deeper, because we have no oil shows, would be to the
13 basal part of the confining. Now, you could set it
14 shallower because they have not seen an increase in
15 chlorides, but some of these have drilled with brine in
16 the deeper section.

17 Q. It's not your testimony that the artesian
18 aquifer in this area is already contaminated by oil and
19 gas?

20 A. Well, the Welder tops of the artesian aquifer
21 on the well on the right is 812 feet. The well on the
22 center is 719 feet, and the well on the left is 705
23 feet. So I've got oil shows in the base of the
24 confining unit and in the aquifer, and in some places, I
25 don't.

1 Q. So you believe in that area that you've got oil
2 in the aquifer -- in the artesian aquifer?

3 A. Yes.

4 RECROSS EXAMINATION

5 BY COMMISSIONER BALCH:

6 Q. 500 million barrels of production so far?

7 A. That would be great. No. It was 500,000. I'm
8 sorry.

9 Q. 500,000.

10 A. Yeah. It's 500,000.

11 Q. So that's more than what you would expect from
12 a leak?

13 A. Yes. Well, I use that as an approximation.
14 It's not that much. It's -- where is that exhibit? It
15 is the Atoka Grayburg, 950 to 990, 395,000 barrels of
16 oil, and 1.9 million barrels of water. Those wells
17 flow. You don't generally have oil and gas with -- now,
18 I don't know the GOR, but I'm going to guess it's pretty
19 low. It's not solution gas drive. I believe these oil
20 wells were flowing under artesian pressure in the brine
21 water leg of the aquifer. Sorry to make this
22 complicated, but it's a complex system.

23 Q. Is the Lime Rock area unique to this --

24 A. In my opinion, from what I've read of these
25 papers and studied this whole thing, the entire eastern

1 portion is unique. You know, I heard a lot of testimony
2 yesterday that didn't talk about the -- the chlorides
3 were really no problem. The lower aquifer was always
4 presented as high quality -- higher quality than the
5 shallow. And nobody said anything about shutting the
6 Basin down in a portion of it in the 1950s because of
7 chlorides encroachment in the aquifer -- in the artesian
8 aquifer.

9 The State Engineer shut a portion of the
10 shallow -- of the deep aquifer down because of chlorides
11 encroachment east of Roswell. And that has remediated
12 itself somewhat, and that area is open. But you have to
13 watch on the eastern side. If you irrigate too hard,
14 you'll pull in higher and higher chlorides out of the
15 deep aquifer, and then the shallow aquifer, which is
16 higher quality on the eastern side, becomes higher
17 chloride because a water recharge comes from the surface
18 as you irrigate. And that's not my opinion. That's in
19 those reports. I mean, it's all through the reports.

20 RECROSS EXAMINATION

21 BY CHAIRMAN CATANACH:

22 Q. And that occurs along the eastern boundary of
23 the designated area that we've defined from north to
24 south?

25 A. Yes, sir.

1 Q. That whole area?

2 A. Yes, sir. Some of the worst part is in the
3 northern part of the Basin, but you see it -- I mean,
4 I'm showing you the evidence for it.

5 Q. And that is coming from the San Andres -- the
6 oil- and gas-bearing producing portion of the San Andres
7 is where that encroachment is coming from?

8 A. Well, it's -- now, I didn't look -- I didn't
9 study it in terms of this, of what I presented today.
10 In general terms, along the east side, that's what I've
11 seen in the reports, and what I'm seeing supports my own
12 research on oil and gas bases. Here in the Lime Rock
13 acreage, it corroborates what those reports say happens
14 in the eastern side. Now, there is not much discussion
15 about oil and gas in those reports, but it is mentioned.
16 It's talked about, that there is -- I mean, I talk to
17 water wells -- drillers who have told me that they see a
18 sheen of oil on some of the wells they drill in the
19 center part of the Basin in the deeper aquifer.

20 So I'm not a hydrologist. I can't give you
21 an opinion on water movement, but I believe there is
22 oil -- oil's going to migrate updip, and there is
23 evidence of oil in the artesian aquifer in the eastern
24 part. And I reference the Kay Havenor report. It's
25 producing out of the Slaughter zone. And he's done his

1 hydrological study. It's been referenced in the Welder
2 report, and the Land report. And, I mean, he was pretty
3 blunt. The Slaughter zone is where Roswell gets its
4 drinking water, and it's produced -- I can't remember
5 whether it's 820-some-thousand out of six wells to the
6 northeast, with 39,000 parts per million.

7 Q. Those are the wells you refer to as Township 10
8 South, 25 East, I believe?

9 A. Yes, sir. They're actually in 17. All of them
10 are in 17. So I think it's six wells.

11 Q. And those are producing from the Slaughter
12 portion of the San Andres?

13 A. Yes, according to Havenor.

14 And the exhibits by Mr. Goetze that were
15 presented, the Slaughter's on that cross section.

16 Q. So with regard to the rules we're proposing,
17 are you saying that the Lime Rock area should be treated
18 separately from the rest of the designated area?

19 A. Well, the way the --

20 THE WITNESS: Counselor, what's the rule
21 called that's been submitted from the industry? What do
22 you call that?

23 MR. LARSON: Modification.

24 MR. FELDEWERT: Modification.

25 THE WITNESS: The modifications that were

1 submitted -- if you're going to do a one-size-fits-all,
2 you're going to have to have some flexibility in the
3 modifications that were submitted. Protect freshwater
4 down to the first oil show, whether it's the first --
5 and not drilling deeper than the artesian aquifer, of
6 course. But when you have these instances of oil shows
7 either in the artesian or above, you stop, and that's
8 your surface protection string.

9 So that, and there were several conference
10 calls I was a part of. And there were probably numerous
11 other calls or discussions, but that is a consensus.
12 That's how you -- that would be a way to handle this, is
13 to protect -- drill your surface protection string. The
14 papers I referenced, there is plenty of evidence that
15 this system circulates from shallow to deep and deep to
16 shallow. As a matter of fact, you'll find in the Welder
17 Report, the confining unit produces 10 percent of the
18 annual irrigation pumped in the Roswell Basin. It
19 produces 10 percent of the amount that's pumped for
20 irrigation.

21 So the actual confining unit produces water
22 so that it's important to protect shallow, the confining
23 unit, and when we get into the first oil show, you're
24 kind of looking like you may be done with the first
25 water.

1 Q. Okay.

2 CHAIRMAN CATANACH: I have no further
3 questions.

4 MR. LARSON: Just a couple of follow-up.

5 REDIRECT EXAMINATION

6 BY MR. LARSON:

7 Q. When you used the term "environmental
8 criminal" --

9 A. Maybe I shouldn't have used that.

10 Q. -- is that a hyperbole?

11 A. Yes.

12 Q. Directing your attention to Subsection C of the
13 proposed rule, Mr. Brooks was questioning you about
14 that.

15 A. C?

16 Q. Yes.

17 A. Okay.

18 Q. If you look at Subsection 2 and 3, would it not
19 be mandatory, even in the instance where you have an oil
20 show at 812 feet, that you would be required to drill an
21 intermediate string to a depth of 1,200 feet below
22 surface into the San Andres?

23 A. Well, not necessarily 1,200 feet. That's a
24 suggestion. But into the San Andres, yes.

25 Q. In your situation, the first oil show would be

1 above the deeper aquifer. You wouldn't even get to the
2 San Andres?

3 A. Correct. Well, yeah, that's correct.

4 MR. LARSON: That's all I have.

5 MR. BROOKS: Mr. Chairman, I'd like to make
6 one more try at clarifying this. I don't know if I'll
7 succeed, but I'll try to be very brief.

8 CHAIRMAN CATANACH: Go ahead.

9 RE CROSS EXAMINATION

10 BY MR. BROOKS:

11 Q. What I understood you to be saying in response
12 to the Commissioners', S apostrophe, questions was a
13 little bit different than what I understood you to be
14 saying before. Because I now understand you to be
15 saying that if you have a show of hydrocarbons in the
16 confining layer, that you need to have a surface
17 protection string above that show -- location of that
18 show, is that correct, for the protection of the upper
19 aquifer?

20 A. No. I'm not saying you have to have one set
21 prior to that. No, sir.

22 Q. Well, at that point?

23 A. At that point you could set your surface
24 protection string.

25 Q. Okay. But that would not have any -- that

1 would not provide any protection to the valley-fill -- I
2 mean to the artesian aquifer from communication with the
3 hole until you got all the way to the base of your hole,
4 6,000, 8,000, 9,000 feet where you were going, and set
5 your production casing if you used the two-string plan.
6 Am I correct?

7 A. Well, first off, if you're going to 9,000 feet,
8 you're not going to set 450 feet or 500 feet of surface
9 and drill at 9,000 necessarily. That wouldn't be a
10 prudent operation.

11 But the reason -- let me take another stab
12 at it, too. What we are suggesting in the Lime Rock
13 acreage is that you drill the first show, and you set a
14 single surface protection string. You would drill out
15 into what you are stating is the artesian aquifer, but
16 you have to ask yourself, if all the confining -- if the
17 base of the confining unit and the artesian aquifer has
18 oil shows and can produce in the area and has produced
19 oil in the area, then we can protect that part of the
20 aquifer even though it's not potable water, even though
21 it's not usable water. It's oil and gas now. We can
22 protect that part of the aquifer with a protection
23 string cemented up to surface or at least with a
24 500-foot tieback.

25 Q. But you said even if it's not potable water.

1 With artesian conditions, can't you have a potable water
2 formation below the oil and gas formation?

3 A. I'm not a hydrologist. I can't answer that
4 question.

5 Q. Well, I think I'll stop at that point. Thank
6 you.

7 MR. OLSEN: Mr. Director, if I may just for
8 a matter of clarification on a statement from the
9 witness?

10 I believe the witness testified, sir --

11 And I'm looking at your exhibit. Gary,
12 this was your Exhibit 10.

13 THE WITNESS: Tell me what page you're on.

14 RECROSS EXAMINATION

15 BY MR. OLSEN:

16 Q. Yes. Page 9 of Exhibit 10, and you had made
17 the -- made the statement about 10 percent of the water
18 produced. Remember that comment that you just made?

19 A. Yes.

20 Q. And I direct your attention to that part of the
21 report, the second full paragraph, left column, talking
22 about the Welder report.

23 A. Yes.

24 Q. And would you -- is this the part of the Welder
25 report that you make reference to?

1 A. Well, this is not the Welder report. So I'm
2 assuming it is because the guy's quoting Welder.

3 Q. My question is, sir, did your comment regarding
4 the 10 percent of the production come straight out of
5 the Welder report, or did it come as a result of your
6 reading Exhibit 10, page 9, where it defines the
7 production from the zone? Because isn't it true, sir,
8 that paragraph -- I mean page 9 makes it clear where the
9 production is coming from for the groundwater, that 10
10 percent?

11 A. It's from the moderately permeable zone in the
12 confining beds on the Grayburg, Queen, Seven Rivers
13 Formations.

14 Q. Those three formations, correct? The Grayburg,
15 the Queen and the Seven Rivers are all producing zones?

16 A. And he also clarifies that by saying the
17 confining unit.

18 Q. Okay.

19 A. Okay.

20 Q. That's -- they can read the report then and
21 evaluate it. Thank you very much.

22 A. Uh-huh.

23 RECROSS EXAMINATION

24 BY CHAIRMAN CATANACH:

25 Q. So I just want to follow up on Mr. Brooks'

1 question. You set the surface casing in the first oil
2 show, which might be in the confining layer?

3 A. Okay. Can I -- if we've set casing to the top
4 of the first oil show? Is that what your premise is?

5 Q. Right. You're setting casing at the first oil
6 show, which might be in the confining layer, which might
7 be Grayburg, Queen possibly?

8 A. Yes.

9 Q. So then you drill out -- you drill through the
10 artesian aquifer to the productive zone, which I presume
11 to be Yeso?

12 A. Yeso-Glorieta, yeah.

13 Q. So is there any chance during that operation
14 where you'll potentially have the possibility of
15 contaminating or further contaminating the artesian
16 zone?

17 A. Well, I think what -- that's a difficult
18 question to answer because I'm not sure what
19 contamination you're talking about. But what I've shown
20 here is we have oil shows within the artesian aquifer.
21 So I don't know what I'm -- when we talk about
22 contaminating it, I don't -- I don't know how you
23 contaminate something that's got oil and gas in it
24 already.

25 Q. So you're saying it's already got oil and gas

1 in it, and you're not going to contaminate it any
2 further by drilling through it?

3 A. We have shows that are in the aquifer. I mean,
4 that's where I struggle with your question. When you
5 say contaminating it, I have -- there are a lot of wells
6 in this area. As a matter of fact, in this
7 nine-township area, there are over 4,000 wells. That's
8 half of the 9,000 in the whole area. So this is a
9 microcosm of a lot of things. And we have oil shows in
10 the -- in the confining unit, the base of the confining
11 unit and in the artesian aquifer. So that's where I
12 struggle when you say would we further contaminate it.
13 I don't know where to go with that. I apologize.

14 Q. Okay. That's all I have.

15 CHAIRMAN CATANACH: Anything further of
16 this witness?

17 MR. LARSON: Nothing further.

18 CHAIRMAN CATANACH: Okay. This witness can
19 be excused.

20 So since this is on rulemaking, I'd ask at
21 the present time if there are any members of the public
22 or any other interested party that would like to make a
23 statement at this time.

24 I don't see any volunteers.

25 So we'll consider that to be a no public

1 comment.

2 AUDIENCE MEMBER: Excuse me. I'd like to
3 say something.

4 I have a few questions that I'm concerned
5 with because I have been working with this for a little
6 while. And when they say --

7 CHAIRMAN CATANACH: I'm sorry. Identify
8 yourself.

9 AUDIENCE MEMBER: My name is Karen Collins.
10 I work for the OCD. I have a degree in natural
11 resources, a BS.

12 I have a little bit of concerns when they
13 say they see browning. Okay? Define that to me. Is it
14 oil? Is it rust? What is it? Is there investigations
15 done to find out if it's oil that's coming through? If
16 it is oil, do they stop, then seal up and get out of the
17 area? And with what he's saying now, with the oil
18 already in the reservoir -- the artesian reservoir, it
19 doesn't make sense to not add extra protection. Okay?

20 I can understand their point as far as the
21 time it takes to get a log back and everything like
22 that. Maybe we need to work on figuring a quicker
23 return. My concern is there is damage to it already.
24 If that be the case -- every one of you probably have
25 children. They will have children. Where is their

1 water going to come from if this water is ruined any
2 further?

3 Thank you.

4 CHAIRMAN CATANACH: Thank you, Ms. Collins.

5 So I guess at the present time I would ask
6 if counsel want to make closing statements.

7 CLOSING ARGUMENT

8 MR. BROOKS: Well, Mr. Chairman, I don't
9 think I can add very much. I do believe that if the
10 Commission considers that the cost of the adoption of
11 the rule is greater than the potential benefit -- And I
12 do understand that there has been a lot of evidence that
13 this time frame during drilling is very short and that
14 they haven't experienced flows and so forth. And the
15 Commission may not be disposed to adopt a very expensive
16 additional string requirement for that reason. If that
17 is the Commission's view, I think the Commission should
18 consider whether or not there are regulatory
19 alternatives in the rule or otherwise that could be
20 adopted to give us some assurance that if they set a
21 casing string below the lower aquifer, that it will be
22 done in such a way that it will prevent any ongoing
23 communication between aquifers of different quality.

24 Thank you.

25 CHAIRMAN CATANACH: Thank you, Mr. Brooks.

1 Mr. Olsen, anything?

2 CLOSING ARGUMENT

3 MR. OLSEN: Just briefly, sir. And let me
4 first start by saying -- telling the Commission that we
5 appreciate the opportunity to be here, on behalf of the
6 District. I think our goal as a government agency is
7 first to protect -- the waters of the state of New
8 Mexico belong to the state. They're not individually
9 owned. So we, as protectors of the water, have an
10 obligation, whether it be PVACD or the State Engineer's
11 Office or the OCD, Environment Department, State Land
12 Office. We all have one purpose of our being, if you
13 may, and that is to protect the assets of the state of
14 New Mexico, and the water is the life blood of the
15 assets of the state of New Mexico.

16 For the PVACD, this matter really started
17 with what we perceived to be the failure of the
18 operators to comply with the existing regulations under
19 19.15.16.9 and 10. That historically, per the one
20 exhibit from -- from Yates, over 700 wells, and nearly
21 half of them had what we called two-string, that has now
22 evolved to what we're now calling three-string, wells
23 being set.

24 We view the proposed rule not being so much
25 about oil and gas, but about protecting the waters

1 within the RAB and protecting the waters of the state of
2 New Mexico and, as I believe Mr. Atkins said, an
3 infinite source -- resource forever of the RAB. That's
4 what we view this rule about. Granted, it's dealing
5 with the drilling of oil wells, but we're talking about
6 protecting the water of the state. And nor is it about
7 profit margins of operators.

8 I recognize that there are costs of
9 everything, but there is also a cost -- and we didn't
10 talk about it, of course, but there is a cost. If this
11 water becomes contaminated, if it becomes degraded, if
12 it becomes nonpotable, if it becomes nonuseable, what
13 are the costs? And I found the statement from the one
14 witness rather unique when he was talking about being
15 concerned about feeding his family and the 25 people he
16 has working for him. What about the 100,000-plus people
17 that live and reside and work within the Roswell
18 Artesian Basin? What is the cost there of
19 contamination?

20 And I would liken the way it's going on,
21 the present operators, it's like the fox guarding the
22 chicken coop when it comes to drilling wells. Lost
23 circulation. Okay, it's in a report. So what? Who is
24 making sure that it's -- that circulation is being
25 brought to the top? OCD? Is anybody out there standing

1 on that? No. How do we even know that it's being done
2 and is being done short of a report being filed? And
3 somebody then -- we have to rely on somebody to go look
4 at the report, make sure it's being done.

5 This rule, at least in our opinion, levels
6 the playing field a little bit between the folks that
7 are drinking the water and irrigating with the water and
8 building trailers with it and using water on their
9 lawns, that this helps even the playing ground, if you
10 may, level it a little bit with the operators out there.

11 The protection of this water is not just
12 the obligation of -- and therein, I'm distressed, quite
13 candidly, with you -- with the absence of the State
14 Engineer here in this hearing. Very candidly, I'm
15 distressed about that, because I believe that as a
16 sister agency here, as an agency that we work with on a
17 daily basis, we believe they should have been here. But
18 that is neither said here nor there. The issue is
19 before us now.

20 We submit to you that, one, either the
21 rules as they exist today, that we take measure to make
22 sure that they're being fully complied with, take place,
23 or that we adopt the rule as it's written to protect the
24 waters within a critical part, a one and only in the
25 state of New Mexico area, and to protect these waters.

1 Again, I thank you so much for the
2 opportunity to be here and be a participant in this.

3 CHAIRMAN CATANACH: Thank you, sir.

4 Mr. Feldewert?

5 CLOSING ARGUMENT

6 MR. FELDEWERT: Mr. Chairman, let me start
7 at the beginning. Mr. Olsen just touched on it. Do we
8 need special rules? Okay? I don't see how. There is
9 no evidence here. We've had decades of drilling.
10 There's been thousands of wells. No evidence of any
11 groundwater degradation. Mr. Kautz offered his opinion.
12 When these rules are properly applied, they are adequate
13 to protect this area.

14 The issue is education within the Division.
15 They had a period of time where there were people
16 looking at APDs that didn't understand the area and
17 didn't understand the rules. They didn't know how deep
18 those casings needed to go, that protective string. The
19 current rules -- and I don't want this to get lost. The
20 current rules are protecting the aquifers. There has
21 been no evidence. Dr. Balch asked their geologist, Is
22 there any evidence of any systematic problem? None.
23 Okay? These aquifers are being protected by the current
24 Division rules which require a protective string
25 cemented to surface through the aquifers. It has

1 worked, and it will continue to work.

2 And all that has been presented is an
3 unsubstantiated fear. Mr. Brooks, I think, put out a
4 theoretical possibility that somewhere along the line,
5 there is some kind of communication. And Mr. Peery
6 said, Well, there are 9,000 wells out there. There must
7 be some of them that are leaking someplace. Okay? So
8 put aside that we've got well tests that make sure we
9 don't have that issue. We have pressure tests that make
10 sure we don't have that issue. Put aside that there are
11 thousands of water wells that will get you to make that
12 same conclusion, that some of those must be leaky. In
13 fact, Mr. Peery talked about some of them being leaky.
14 Okay?

15 But the existing Division rules are
16 working, and they have worked. And you don't create
17 special rules without supporting evidence for a
18 demonstrative need.

19 So I ask: What supports the special rules?
20 I see no evidence of systematic failure. And if you're
21 going to have special rules, what area? Okay? All they
22 talked about is this theoretical possibility that while
23 you're drilling, one aquifer may somehow come into
24 communication with the other. That is their theoretical
25 possibility. That's what Mr. Goetze said. That's what

1 Mr. Peery said. That's what Mr. Krogman said. That
2 requires two aquifers. So why do we have a designated
3 area that is three times the size of where we have two
4 aquifers? That makes no sense to me.

5 And this shallow aquifer, the overlying
6 aquifer area is identified on a number of these
7 exhibits. You can look at Lime Rock Exhibit Number 1.
8 You can look at any other exhibits you want to and
9 identify where we have this overlapping area. But the
10 remainder of this designated area, there is not even a
11 theoretical possibility there of concern that they have
12 expressed, so nothing to support the rules, and no
13 concern -- no theoretical possibility or theoretical
14 concern with anything other than where we have two the
15 aquifers, which then brings us to the last point.

16 If rules are needed for this overlap area,
17 what should they be, knowing that your duty is to
18 prevent waste. Okay? And like it or not, that means
19 you balance the concerns. You balance this theoretical
20 possibility with the impact on development that is going
21 to occur to try to address their theoretical
22 possibility.

23 And I think the evidence has been clear
24 today that we don't need two strings. The existing
25 rules do the protection, have done the protection and

1 will continue to do protection. We don't need cement
2 bond logs because the rules require the cement to be
3 circulated to surface. Everybody agrees you don't need
4 them if you circulate to surface. Mr. Kautz said that.
5 Mr. Peery said that. Mr. Goetze said that. And all of
6 our witnesses agree because it's true. Okay? So there
7 is nothing to support requiring cement bond logs. Under
8 the existing rules, we've got cement circulated to
9 surface.

10 Annular space, the other aspect we talked
11 about today. Mr. Kautz said, Keep that 2 inches. But
12 he's not engineer. He said he left it to the engineer
13 to determine what that 2 inches should be measured out.
14 And if you're going to have a special rule that
15 identifies that 2 inches, which is what everybody says
16 you need and what everybody does, which is 2 inches off
17 that casing so you get the proper turbulence you need
18 and that you can accommodate the tools off the shelf.
19 There is no evidence, zero, to suggest that you should
20 measure that off the couplings, as they have proposed.

21 So, again, I get back to this point. You
22 cannot make special rules based on politics or
23 speculation or some theoretical possibility or
24 unsubstantiated concerns. If they come before you and
25 they say, We need special rules, they've got to bring

1 forth evidence showing why. We've had decades of
2 drilling. They've been monitoring the aquifer out
3 there. They've seen absolutely no degradation. So what
4 supports the special rules? What even suggests that
5 your current rules aren't working? They are protecting
6 the aquifers, and that's what's been shown the last two
7 days.

8 CHAIRMAN CATANACH: Thank you, sir.
9 Mr. Larson?

10 CLOSING ARGUMENT

11 MR. LARSON: In the sake of brevity, I will
12 say that I agree 100 percent on the points Mr. Feldewert
13 has made. I said in my opening statement, to a
14 significant degree, we'd be making an uncomfortable
15 juxtaposition between groundwater protection and
16 increased drilling and other associated costs. I think
17 everybody who is a resident of the state of New Mexico
18 is sensitive to the fact we all rely on groundwater.

19 But from my perspective, we've been
20 presented with no evidence demonstrating an actual
21 threat or even a credible potential threat of
22 contamination caused by the industry's long-standing
23 drilling practices and the Division's regulatory
24 authority.

25 And I specifically agree with Mr. Feldewert

1 on the issue of waste. I think we've heard unrebutted
2 testimony that special rules proposed by the Division
3 would impact operations and, in turn, communities and
4 revenue to the State of New Mexico.

5 And so on behalf of EOG and Lime Rock, I
6 request that the Commission deny the application in its
7 entirety.

8 CHAIRMAN CATANACH: Thank you, Mr. Larson.
9 Mr. Bruce?

10 CLOSING ARGUMENT

11 MR. BRUCE: Mr. Chairman, I'm going to
12 start off with something that has bothered me for a long
13 time, and that is anytime there is any rule proposed
14 before the Commission about protecting the environment,
15 it's always assumed that the oil and gas companies want
16 to pollute the environment.

17 All the people on my side of the aisle and
18 not only people in this room, but hundreds and hundreds
19 of other people, we all live in this world. We want a
20 clean environment. We want freshwater. We want fresh
21 air, clean air. Us, our children, our grandchildren
22 live in this world. We want to protect it. I've known
23 that ever since I started this 35 years ago. And the
24 only other person who has been here longer is Mr. Carr,
25 and I know he believes the same thing, and he's a lot

1 older than me.

2 (Laughter.)

3 MR. BRUCE: That said, the proposed rule is
4 a remedy in search of a problem. There is no evidence,
5 like Mr. Feldewert said, of any oil and gas drilling
6 causing contamination of freshwater in this area.
7 Historical well design and drilling programs are
8 sufficient to protect the freshwater.

9 In addition, the district offices already
10 have the authority to require additional measures in the
11 drilling of a well to protect freshwater. I would also
12 point that the protector and regulator of freshwater,
13 the State Engineer, knows of this proceeding, has known
14 of it for months and months and months and is not here.
15 If there was a problem, I think they would be here.

16 Therefore, the proposed rule is completely
17 unnecessary, and it should not be adopted. If anything,
18 adopt the rule proposed by the operators. It really
19 does what's already being done. Maybe it summarizes it
20 in a more succinct matter, because that's all that needs
21 to be done.

22 CHAIRMAN CATANACH: Thank you, Mr. Bruce.

23 Ms. Foster?

24 CLOSING ARGUMENT

25 MS. FOSTER: Yes. Thank you, Mr. Chairman,

1 Members of the Commission.

2 On behalf of the 300-member companies of
3 the Independent Petroleum Association, thank you for
4 allowing us to participate in this hearing. It's been
5 interesting and educational.

6 As you heard from all the lawyers in this
7 case, no evidence has been presented by the OCD or the
8 Pecos Valley concerning contamination. And back to
9 Mr. Kautz. He was pretty clear that there was no
10 contamination. He did review what he thought was two
11 cases or at least the OCD thought they reviewed two
12 cases of contamination, and he came back and said no
13 contamination.

14 Now, the definition of contamination may be
15 up for question. I think that the other side believes
16 that mixing of the two waters -- of the two aquifers
17 might be considered in their minds contamination, but in
18 the context of what the OCD has to regulate and to
19 protect correlative rights and prevention of waste, I
20 don't believe that the mixing of the two aquifers is
21 contamination in the context of what you have to look
22 at.

23 So what evidence was presented? I think it
24 was very clear, from the operators who presented, that
25 this rule, even the proposed rule, and the way that the

1 Oil Conservation Division has behaved towards operators
2 since the passage of the emergency record back last May
3 has presented regulatory uncertainty to the industry and
4 has caused several companies to pull back on their
5 drilling programs, costing the state millions of
6 dollars.

7 I think also -- again, this has been said
8 by several of the attorneys already -- that the absence
9 of the Office of the State Engineer in this proceeding
10 is extremely telling, and I don't think I need to say
11 anything more about that.

12 So all I would ask is that -- the Oil
13 Conservation Division just needs to enforce the current
14 rule that's on the books. That's provided regulatory
15 certainty. Operators have operated under that rule for
16 many, many years. We know how to operate under that
17 rule. There has been no case of contamination. There
18 is no justification for changing what the rules are
19 currently.

20 Thank you.

21 CHAIRMAN CATANACH: Thank you, Ms. Foster.

22 So I guess what I'd like to do is ask the
23 parties to present statement of reasons for or against
24 adopting the proposed rule.

25 Also, with regards to Mr. Brooks' closing

1 statement, I'd like to ask you, in the absence of the
2 Commission adopting a requirement for two protection
3 strings, is there -- is there a best management practice
4 the Division could come up with for drilling and
5 cementing with a one-string protection string that might
6 be adopted in this area?

7 MR. BROOKS: I would have to consult with
8 the Division's experts. We have not -- we did not
9 prepare for this case under that assumption. So --

10 CHAIRMAN CATANACH: It might be helpful to
11 the Commission, when we deliberate on this, to have
12 something maybe to fall back on if we do decide --

13 MR. BROOKS: Well, I think there are -- I
14 would hope that there are some such alternatives
15 available. The only place that I brought it out and you
16 probably noticed this in my proceeding -- in my
17 questioning was about the cement -- but given the
18 testimony, there may be some difficulties with that, and
19 there might be a better solution. But I would have to
20 consult and get additional input from the people in the
21 Division who know more about it than I do to get there.

22 MS. FOSTER: Mr. Chairman, in that regard,
23 I think the testimony -- there was discussion about
24 different mudding programs, as well as monitoring that
25 was brought out by Pecos Valley. If, in fact, the OCD

1 would be making those recommendations, I think the
 2 industry should have the opportunity to present
 3 witnesses and look at what would be proposed, because we
 4 did not -- as the rule was proposed, we did not consider
 5 mudding -- different mudding obligations, and we did not
 6 consider monitoring. That was not something we
 7 considered. We just looked at the rule as proposed.

8 Thank you.

9 MS. BADA: And it's not a recent outgrowth.
 10 So if it's proposed, you're going to have to re-notice.

11 CHAIRMAN CATANACH: Then forget it. Don't
 12 worry about it.

13 With regards to deliberations, I would
 14 propose that we delay deliberations.

15 COMMISSIONER BALCH: I'd certainly like
 16 time to go through all the materials we have.

17 CHAIRMAN CATANACH: We are currently
 18 scheduled to deliberate on January 5th on a previous
 19 case that was heard by the Commission. We can probably
 20 schedule that for the same day.

21 COMMISSIONER BALCH: Tuesday, the 5th of
 22 January?

23 CHAIRMAN CATANACH: Tuesday, January 5th.

24 MS. MITCHELL: That's a Thursday, January
 25 5th.

1 COMMISSIONER BALCH: I'm dyslexic with my
2 twos and fives.

3 MS. MITCHELL: That's okay. I'm just the
4 peanut galley. There may be a problem with that.

5 CHAIRMAN CATANACH: I believe there is an
6 Examiner Hearing that day.

7 COMMISSIONER BALCH: We can deliberate in
8 another room.

9 CHAIRMAN CATANACH: But we may not have two
10 court reporters. It's going to have to be on the
11 record.

12 MR. FELDEWERT: You do have OCD. It is OCD
13 hearings then.

14 COMMISSIONER BALCH: We could borrow a
15 couple of hours of their time. We need to publicly
16 deliberate on rulemaking.

17 CHAIRMAN CATANACH: Let me ask the court
18 reporter.

19 (Discussion off the record regarding two
20 court reporters.)

21 COMMISSIONER BALCH: The next opportunity
22 would be the regular hearing on the 11th, which may not
23 be in Santa Fe.

24 How about Wednesday, the 4th?

25 CHAIRMAN CATANACH: I think that works for

1 me.

2 COMMISSIONER BALCH: Is it too late to
3 re-notice Caza for the 4th?

4 CHAIRMAN CATANACH: I don't think we've
5 noticed that yet.

6 MS. BADA: I was told that it hasn't been
7 20 days.

8 COMMISSIONER BALCH: So we could notice it.
9 Are you available?

10 COMMISSIONER PADILLA: Uh-huh.

11 MR. BROOKS: I'm not involved in the Caza
12 case. And you will take your advice from the Commission
13 counsel, no doubt. Without having studied the rules
14 specifically in that connection, I have some -- some
15 question whether when you continue the case to a
16 particular date, you can then come in and have -- and
17 set a portion of that proceeding at an earlier date.
18 You can move it to a later date. But whether you can
19 set it for an earlier date -- I don't want to be
20 construed as expressing an opinion. I really don't.
21 I'm not counsel for anyone in that case, so I just
22 mention it.

23 MS. BADA: My understanding was that they
24 hadn't continued it, so that's why we're having to
25 notice that.

1 MR. BROOKS: Yeah. Well, you have the 20
2 days.

3 MS. BADA: Right.

4 MR. BROOKS: To the extent that that is the
5 standard, the 20 days before January 4th would be
6 December 15th, I believe, which is more than a week off
7 now.

8 COMMISSIONER BALCH: So we could re-notice
9 both of them to the 4th.

10 MS. BADA: I don't believe we need to
11 re-notice.

12 COMMISSIONER BALCH: We could notice both
13 of them to the 4th.

14 MS. BADA: You'll need to continue it.

15 COMMISSIONER BALCH: Continue it. That's
16 why we have lawyers, parse our words.

17 CHAIRMAN CATANACH: So we actually continue
18 this case to -- it would be a special docket on the 4th.
19 Is that what you're saying?

20 MS. BADA: Yes.

21 CHAIRMAN CATANACH: Okay. So we'll
22 continue this case to a special Commission docket on
23 January 4th.

24 MS. BADA: Yes. You need to give them a
25 date for when you want your --

1 CHAIRMAN CATANACH: Statements of reason?

2 COMMISSIONER BALCH: A week before or two
3 weeks would be better.

4 CHAIRMAN CATANACH: Two weeks prior to
5 January 4th?

6 MR. BROOKS: Two weeks prior to January
7 4th? That would be Christmas week. That's okay with
8 me. I don't know what other counsel may have. It would
9 be prior to Christmas, as I understand it. So it's
10 something I can do.

11 MS. FOSTER: The 21st?

12 MR. BROOKS: December 21st I believe is
13 correct.

14 CHAIRMAN CATANACH: Okay. So statements.

15 MR. BROOKS: Statements of reason due on
16 the 21st. The continuance to be to January 4th.

17 CHAIRMAN CATANACH: So do I have a motion
18 to continue this case until January 4th, which will be a
19 special Commission docket?

20 COMMISSIONER BALCH: So moved.

21 COMMISSIONER PADILLA: And seconded.

22 CHAIRMAN CATANACH: All in favor?

23 (Ayes are unanimous.)

24 CHAIRMAN CATANACH: I think that takes care
25 of the business for today.

1 MR. OLSEN: Start time will be?

2 COMMISSIONER PADILLA: 8:00.

3 CHAIRMAN CATANACH: Start at 8:00. We have
4 two cases to deliberate on that date. One is on the
5 record. One is off the record.

6 COMMISSIONER BALCH: Start with Caza or
7 start -- let's start with this one.

8 CHAIRMAN CATANACH: We can start with this
9 one. We'll start at 8:00.

10 Now, we may need to change the venue. But
11 we can be here because there won't be a hearing, so
12 it'll be in this room.

13 Okay. Anything further? If not, this
14 Commission meeting is adjourned.

15 (Recess 12:09 p.m.)

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2016
Paul Baca Professional Court Reporters

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25