

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF MESQUITE SWD, INC.                      CASE 15654  
TO AMEND APPROVALS FOR SALT WATER  
DISPOSAL WELLS IN LEA AND EDDY  
COUNTIES, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

March 30, 2017

Santa Fe, New Mexico

BEFORE:    PHILLIP GOETZE, CHIEF EXAMINER  
             WILLIAM V. JONES, TECHNICAL EXAMINER  
             MICHAEL McMILLAN, TECHNICAL EXAMINER  
             DAVID K. BROOKS, LEGAL EXAMINER

             This matter came on for hearing before the  
New Mexico Oil Conservation Division, Phillip Goetze,  
Chief Examiner, William V. Jones and Michael McMillan,  
Technical Examiners, and David K. Brooks, Legal  
Examiner, on Thursday, March 30, 2017, at the New Mexico  
Energy, Minerals and Natural Resources Department,  
Wendell Chino Building, 1220 South St. Francis Drive,  
Porter Hall, Room 102, Santa Fe, New Mexico.

REPORTED BY:    Mary C. Hankins, CCR, RPR  
                     New Mexico CCR #20  
                     Paul Baca Professional Court Reporters  
                     500 4th Street, Northwest, Suite 105  
                     Albuquerque, New Mexico 87102  
                     (505) 843-9241

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES

FOR APPLICANT MESQUITE SWD, INC.:

JENNIFER L. BRADFUTE, ESQ.  
MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.A.  
500 4th Street, Northwest, Suite 1000  
Albuquerque, New Mexico 87102  
(505) 848-1800  
jlb@modrall.com

FOR BLACK RIVER WATER MANAGEMENT COMPANY:

MICHAEL H. FELDEWERT, ESQ.  
HOLLAND & HART  
110 North Guadalupe, Suite 1  
Santa Fe, New Mexico 87501  
(505) 988-4421  
mfeldewert@hollandhart.com

1	INDEX	
2		PAGE
3	Case Number 15654 Called	4
4	Mesquite SWD, Inc.'s Case-in-Chief:	
5	Witnesses:	
6	Riley Neatherlin:	
7	Direct Examination by Ms. Bradfute	6
	Cross-Examination by Mr. Feldewert	22
8	Cross-Examination by Examiner Jones	24
	Cross-Examination by Examiner Goetze	40
9	Recross Examination by Examiner Jones	44
	Cross-Examination by Examiner McMillan	44
10	Direct Examination by Ms. Bradfute	
	(Witness recalled)	69
11		
12	Stephen Nave:	
13	Direct Examination by Ms. Bradfute	46
	Cross-Examination by Mr. Feldewert	63
14	Cross-Examination by Examiner Jones	64
	Cross-Examination by Examiner Goetze	68
15		
16	Proceedings Conclude	73
17	Certificate of Court Reporter	74
18		
19	EXHIBITS OFFERED AND ADMITTED	
20	Mesquite SWD, Inc. Exhibit Numbers 1 through 7	22
21	Mesquite SWD, Inc. Exhibit Numbers 7 through 12	64
22		
23		
24		
25		

1 (8:35 a.m.)

2 EXAMINER GOETZE: We'll return to the  
3 regular docket. We will start off with Case 15654,  
4 application of Mesquite SWD, Incorporated to amend  
5 approvals for saltwater disposal wells in Lea and Eddy  
6 Counties.

7 Call for appearances.

8 MS. BRADFUTE: Mr. Examiner, my name is  
9 Jennifer Bradfute, and I'm here representing SWD, the  
10 Applicant.

11 MR. FELDEWERT: May it please the  
12 Examiners, Michael Feldewert, with the Santa Fe office  
13 of Holland & Hart, appearing on behalf of Black River  
14 Water Management Company.

15 EXAMINER GOETZE: Any other appearances?  
16 Do we have witnesses?

17 MS. BRADFUTE: We do. I'm sorry. I just  
18 want to make sure I'm getting everybody.

19 EXAMINER GOETZE: I know.

20 MS. BRADFUTE: Mr. Examiner, I have two  
21 witnesses here today.

22 And this application has been filed on  
23 behalf of Mesquite SWD in order to amend administrative  
24 orders that were issued by the Division approving  
25 several saltwater injection wells in Lea and Eddy

1 Counties. The only issue that Mesquite SWD seeks to  
2 amend in this application is the size of tubing that's  
3 allowed to be used within those wells. And we have two  
4 witnesses who are with us today who will provide  
5 testimony on those issues.

6 EXAMINER GOETZE: Mr. Feldewert, do you  
7 have any witnesses?

8 MR. FELDEWERT: Mr. Examiner, I may have a  
9 witness. At this point I don't anticipate calling a  
10 witness.

11 EXAMINER GOETZE: Very good.

12 Would your witnesses stand, identify  
13 themselves to the court reporter, and she'll swear them  
14 in?

15 MS. BRADFUTE: Yes.

16 MR. NEATHERLIN: Riley Neatherlin.

17 MR. NAVE: Stephen Nave.

18 (Mr. Neatherlin and Mr. Nave sworn.)

19 MS. BRADFUTE: Mr. Neatherlin, if you could  
20 please come up.

21 RILEY NEATHERLIN,  
22 after having been first duly sworn under oath, was  
23 questioned and testified as follows:

24

25

1 DIRECT EXAMINATION

2 BY MS. BRADFUTE:

3 Q. Could you please state your name for the  
4 record?

5 A. Riley Neatherlin.

6 Q. And, Mr. Neatherlin, who do you work for and in  
7 what capacity?

8 A. I work for Mesquite SWD as the operations  
9 manager.

10 Q. And what are your responsibilities at Mesquite  
11 SWD?

12 A. As operations manager, it's permitting wells,  
13 casing designs, designing wells, overseeing drilling,  
14 completions, recompletions. Anything regulatory with  
15 the wells, pretty much I work.

16 Q. And with regards to drilling and completion and  
17 casing design, that experience all pertains to the  
18 drilling of saltwater disposal wells?

19 A. Yes, it has.

20 Q. And how many saltwater disposal wells have you  
21 overseen drilling operations for?

22 A. Right around 25.

23 Q. And how many years have you worked at Mesquite?

24 A. Six now.

25 Q. Does your area of responsibility at Mesquite

1     SWD include the areas of Eddy and Lea Counties in  
2     southeastern New Mexico?

3             A.     Yes, it does.

4             Q.     And are you familiar with the application  
5     that's been filed by Mesquite SWD in this case?

6             A.     Yes.

7             Q.     And are you familiar with the saltwater  
8     disposal wells which are the subject matter of this  
9     application?

10            A.     Yes.

11                   MS. BRADFUTE:   Mr. Examiner, I'd like to  
12     tender the witness as an expert in drilling, completion,  
13     permitting and casing design matters for saltwater  
14     disposal wells.

15                   MR. FELDEWERT:   No objection.

16                   EXAMINER GOETZE:   Okay.   He is so  
17     qualified.

18             Q.     (BY MS. BRADFUTE) Mr. Neatherlin, can you  
19     please turn to what's been marked as Exhibit Number 1 in  
20     the hearing notebook?   And explain what this exhibit is  
21     to the Hearing Examiners.

22             A.     This is our application to amend the orders for  
23     the approved injection wells that we have from 4-1/2 to  
24     5-1/2 tubing.

25             Q.     And within this application, does it list the

1     order numbers and the well names for each of the matters  
2     that you're seeking an amendment in?

3             A.     Yes, it does.

4             Q.     And what specifically are you seeking to amend  
5     in each of these orders?

6             A.     We are seeking to amend the approval of 5-1/2  
7     injection tubing as proposed to 4-1/2 injection tubing.

8             Q.     And can you please turn to what's been marked  
9     as Exhibit Number 2, which has several different tabs  
10    behind it. It goes from A through H. And explain what  
11    this exhibit is to the Hearing Examiner.

12            A.     These are the approved orders for each of the  
13    previously listed wells from the State for injection.

14            Q.     And if you just turn to Tab A of this exhibit,  
15    could you please point out to the Hearing Examiners what  
16    specific language you would like to amend in the orders?

17            A.     We are seeking to amend: Injection will incur  
18    through internally coded 4-1/2 or smaller tubing.

19            Q.     And is similar language included in each of the  
20    orders included within this exhibit?

21            A.     Yes, they are.

22            Q.     So tubing which is 5-1/2 inches was not  
23    authorized under the orders?

24            A.     No, it wasn't.

25            Q.     Historically, what size of tubing has Mesquite



1     **used in its injection wells?**

2           A.     We use the largest diameter pipe that we can  
3     use inside of the casing, anywhere from 2-7/8 to 5-1/2  
4     depending on the wells.

5           **Q.     Does Mesquite have any saltwater disposal wells**  
6     **currently that have a 4-1/2-inch tubing in the well?**

7           A.     Yes, we do.

8           **Q.     And why is Mesquite requesting to use a larger**  
9     **size tubing in its wells in this application?**

10          A.     Why are we?

11          **Q.     Yes.**

12          A.     We're -- to maximize rate capacity for the  
13     well, as well as lower the surface-injection pressure.

14          **Q.     Now, you've stated that the tubing is going to**  
15     **be 5-1/2 inches. Can you please describe the other**  
16     **specifications for the tubing to the Hearing Examiners?**

17          A.     Yeah. It's 5-1/2 20-pound casing internally  
18     coated with glass reinforced epoxy. It's got a 5-1/2  
19     body O.D. The collar O.D. is a 6.104, and the specific  
20     tubing that we're using is a JFEBEAR thread, which is a  
21     metal-to-metal seal connection. And that's about it for  
22     the pipe.

23          **Q.     Okay. And what are the benefits of using a**  
24     **5-1/2-inch tubing?**

25          A.     Again, it's going to allow us more rate. It's

1 going to allow us to dispose of more water with less  
2 friction, less surface-injection pressure.

3 **Q. And will it make the injection wells more**  
4 **feasible?**

5 A. It will. We'll be able to get more water down  
6 into the injection zone. With these things being as  
7 deep and as expensive as they are and as long as they  
8 take to drill, we have to maximize the -- we can get  
9 down these wells. It takes two months for us to drill  
10 them. It's ungodly expensive, especially if something  
11 goes wrong, and getting it down into the Devonian as  
12 opposed to the shallower injection.

13 **Q. If it becomes more feasible for you to use the**  
14 **Devonian and more feasible through 5-1/2-inch tubing,**  
15 **will that decrease the need for shallower injection**  
16 **wells in the state?**

17 A. It will. It will allow us to, again, dispose  
18 of more water into the Devonian and reduce -- at  
19 Mesquite, we would reduce our footprint into the shallow  
20 injection.

21 **Q. And to your knowledge more recently, have**  
22 **operators within the state been objecting to the**  
23 **shallower injection wells?**

24 A. Yes, absolutely. They are wanting to move all  
25 disposal to the deep Devonian wells and move out of the

1 shallow Delaware above production zones.

2 Q. And what size of tubing is commonly used in the  
3 saltwater disposal well industry?

4 A. Again, it depends on the wellbore design, but  
5 typically it's the largest diameter you can get inside  
6 the casing.

7 Q. Is a typical size that can be used 3-1/2-inch  
8 tubing inside of a 5-1/2-inch casing?

9 A. Yes, it is.

10 Q. Is another typical size that's used 2-7/8-inch  
11 tubing inside of a 4-1/2-inch casing?

12 A. Yes, it is.

13 Q. And what are the clearances for those sizes of  
14 tubing typically?

15 A. Four 3-1/2 inside of a 5-1/2 tubing. It's a --  
16 off the top of my head, you have a .45 clearance on your  
17 collar -- on your -- the O.D. of your collar, and then  
18 on your body, you have a 1-inch clearance. And then on  
19 the 2-7/8, you have a .44 clearance on your collar  
20 inside of the 4-1/2 and a -- I forgot the body. But  
21 it's -- I don't know off the top of my head.

22 Q. And are those clearances smaller than what  
23 would be provided for if you used a 5-1/2-inch tubing?

24 A. Yes, they are. They're lesser clearance for  
25 the 5-1/2 inside of the 5-7/8.

1           Q.    And why is it beneficial to have a larger  
2   clearance tolerance?

3           A.    It allows more room for fishability and less  
4   restriction.

5           Q.    Have you discussed the use of 5-1/2-inch tubing  
6   with the NMOCD District in Artesia?

7           A.    Yes, we have.

8           Q.    And what were the results of those  
9   conversations?

10          A.    I actually called up to verify a tapered  
11   string -- running 5-1/2 and 4-1/2 tapered strings, and  
12   the acting director asked why we were not running a  
13   solid 5-inch string because he didn't see any reason to  
14   not run it. And I told him of the issues that we had  
15   had previously, that Santa Fe had said no on the 5-1/2  
16   full string through the 7-5/8.

17                   EXAMINER GOETZE: May I interrupt for a  
18   moment? That was Director Catanach you talked to?

19                   THE WITNESS: No. It was the acting  
20   director of the Artesia District Office.

21                   EXAMINER GOETZE: District supervisor?

22                   THE WITNESS: Yes, sir.

23                   EXAMINER GOETZE: Thank you.

24                   MS. BRADFUTE: Thank you.

25          Q.    (BY MS. BRADFUTE) And you stated before that

1     **Mesquite had used 4-1/2-inch tubing in some of the**  
2     **injection wells that it's currently using?**

3             A.     Yes.

4             **Q.     Does Mesquite operate any wells which contain a**  
5     **5-1/2-inch tubing?**

6             A.     Yes.   We do have some.

7             **Q.     And are any of those located within New Mexico?**

8             A.     Yes, the Vaca Draw well in Eddy County.

9             **Q.     Okay.**

10            A.     Or Lea County.   Sorry.

11            **Q.     Lea County.**

12                         **And does it operate any injection wells**  
13     **with 5-1/2-inch tubing in Texas?**

14            A.     Yes.   We have a few shallow wells with 5-1/2  
15     tubing in it as well.

16            **Q.     And was the tubing that was used in the Vaca**  
17     **Draw saltwater disposal well approved by the Division?**

18            A.     Yes, it was.

19            **Q.     And did increasing the size of tubing in that**  
20     **well help with friction loss?**

21            A.     Yes, it did.

22            **Q.     And can you explain a little bit more to the**  
23     **Hearing Examiners why that is?**

24            A.     Simple layman's terms is you can -- because of  
25     the greater ID, you can get more water flow through it

1 at a lower pressure. It's like trying to blow water  
2 through a straw as opposed to a garden hose. You're  
3 going to be able to get a lot more water through at a  
4 lower pressure.

5 Q. And after obtaining approval to use the  
6 5-1/2-inch tubing for the Vaca Draw well, did Mesquite  
7 order additional 5-1/2-inch tubing to use in other  
8 wells?

9 A. Yes, we did. After we got approved for that  
10 order, we thought we had proven it across the board and  
11 went ahead and ordered pipe for subsequent wells coming  
12 up.

13 Q. Approximately how much tubing has been order?

14 A. We have about 80,000 feet of 5-1/2 ordered.

15 Q. Are there wells currently on Mesquite's  
16 drilling schedule that you'll need to use this  
17 5-1/2-inch tubing for?

18 A. Yes.

19 Q. And when are those wells scheduled to be  
20 drilled?

21 A. One of them is being drilled right now, and the  
22 other two will follow immediately after.

23 Q. And will Mesquite need an expedited order from  
24 the Division in order to meet this drilling schedule?

25 A. Yes.

1           **Q.    Can you please turn to Exhibit Number 3 in the**  
2 **notebook in front of you and explain what this is to the**  
3 **Hearing Examiners?**

4           A.    This was our initial step-rate test that we did  
5 on the Vaca Draw well.  It's got a very basic rundown of  
6 the bottom-hole pressure during the step-rate test,  
7 starting with the static pressure, going all the way up  
8 to 28 barrels a minute and then stepping down and  
9 recording those pressures.  And then there are the  
10 pressure versus rate charts on the step-up, and then the  
11 step-down as well, and then a pressure log graph to go  
12 along with that, again, with the step-up and step-down  
13 as they were charted.

14          **Q.    And can you point out to the Hearing Examiners**  
15 **what benefits you observed from this analysis from using**  
16 **a 5-1/2-inch tubing?**

17          A.    What we were able to observe is that we were  
18 able to get up to 28 barrels a minute still under our  
19 allowable injection pressure and not see a frac gradient  
20 on the formation.  We would have gone higher had we been  
21 able to get to a frac point, but there was no -- no frac  
22 point witnessed on the formation at those rates with  
23 those pressures with the 5-1/2 tubing.

24          **Q.    And is the Vaca Draw saltwater disposal well**  
25 **similar to other wells which are the subject matter of**

1     **this application?**

2           A.     Yes.   Structurally, they're similar in casing  
3     design and injection intervals.

4           Q.     And what formation is the Vaca Draw well  
5     drilled for injection purposes?

6           A.     Devonian Shale [sic].

7           Q.     And are all of the wells which are the subject  
8     matter of this application also Devonian injection  
9     wells?

10          A.     Yes, they are.

11          Q.     And can you please turn to what's been marked  
12     as Exhibit Number 4 in the notebook and explain what  
13     this is to the Hearing Examiners?

14          A.     This is, again, step-rate test data.   This has  
15     the surface pressure and bottom-hole pressure, as well  
16     as rates and times all put together on one page, and  
17     then charted on our step-ups, as well our step rate  
18     down.

19          Q.     Could you please turn to what's been marked as  
20     Exhibit Number 5 in the notebook and explain what this  
21     document is?

22          A.     This is the surface -- surface-injection  
23     pressure and rates charted from the pump trucks that we  
24     were using, as well as the pump schedule during the  
25     step-rate test.



1           Q.    And is Mesquite asking the Division to make any  
2   changes to the maximum pressures that are authorized in  
3   the administrative orders?

4           A.    No.   The pressures are not what we're seeking.  
5   We're seeking the change in pipe diameter.

6           Q.    I'd like to ask you some basic information  
7   about Mesquite's saltwater disposal wells.  Is the  
8   tubing placed inside of a cement casing?

9           A.    Yes, it is.

10          Q.    And is a packer run into each well?

11          A.    Yes.

12          Q.    And approximately where is the packer located?

13          A.    Have to set the packer within 100 feet of the  
14   top injection interval.

15          Q.    And after running the packer into the well, is  
16   packer fluid circulated through the tubing and back up  
17   the annular space to the surface before it's set?

18          A.    Yes.

19          Q.    And after the packer is set, is a mechanical  
20   integrity test usually conducted?

21          A.    Yes.  Every time it's conducted before  
22   injection starts and witnessed and charted and recorded  
23   and filed with the OCD.

24          Q.    Okay.  And what is the size of the annulus that  
25   will be used in the wells?

1           A.    In this particular one, it's -- the ID of the  
2    7-5/8 is a 6.625, a 6-5/8, and it gives you an  
3    inch-and-an-eighth -- inch-and-an-eighth clearance on  
4    the -- an inch-and-an-eighth or inch-and-sixteenth  
5    clearance on the body from the annulus of the -- for the  
6    ID of the 7-5/8.

7           Q.    And would that annulus between the tubing and  
8    the casing be adequate?

9           A.    Yes.

10          Q.    I realize that we do have another witness here,  
11    Mr. Nave, who is going to testify about the different  
12    fishability procedures and fishing procedures that can  
13    be used when there is a tubing failure, but I also  
14    wanted to ask you some questions about Mesquite's  
15    experience in operating saltwater disposal wells.

16                    Approximately how much different disposal  
17    wells does Mesquite currently have in operation in  
18    New Mexico?

19          A.    About 15.

20          Q.    And are you aware of any situations in which  
21    Mesquite has needed to fish out tube that has broken in  
22    the wellbore?

23          A.    No. We have not had to fish out any tubing  
24    from a failure.

25          Q.    And what precautions does Mesquite take to help

1     **ensure that tubing will not break off or have a failure?**

2           A.     Daily, our pumpers are checking the back side  
3     pressures of our wells. We have gauges on them, and  
4     they also open the back side of the wells to make sure  
5     there is no pressure communicating between the tubing  
6     and the casing.

7                     Yearly, witnessed by the OCD, we have to do  
8     a Bradenhead test to make sure none of our casing is  
9     communicating, as well as MIT tests, again charted and  
10    recorded, witnessed by the State.

11           **Q.     And does Mesquite have a procedure in place to**  
12    **ensure that it can properly plug and abandon wells in**  
13    **the event there is a tubing failure?**

14           A.     In the event, we would get with the governing  
15    body, be it the BLM and/or State, OCD, to get a  
16    procedure in place to plug and abandon a well.

17           **Q.     And could you turn to what's been marked as**  
18    **Exhibit Number 7 in the green notebook? And just**  
19    **briefly explain what this is to the Hearing Examiners.**

20           A.     This is the --

21           **Q.     Actually, if you turn one more to Exhibit**  
22    **Number 7.**

23           A.     Oh, I'm on 6.

24           **Q.     Yeah.**

25           A.     This is a brief summary of the specs for the

1 5-1/2 tubing, as well as the 7-5/8, liner with  
2 clearances, dimensions. It has a brief very general  
3 procedure for fishing, your overshot, spearfishing, and  
4 a general abandonment and plugging procedure, and then  
5 as well as it's got clearances and tolerances for 3-1/2  
6 inside of 5-1/2 casing, as well as 2-7/8 inside of 4-1/2  
7 casing.

8 Q. And is this a document that you have created?

9 A. Yes.

10 Q. And in creating this document, have you worked  
11 with Steve Nave, who is a fishing contractor that  
12 Mesquite uses?

13 A. Yes. Going over this, again, these are very  
14 basic, general fishing procedures and how to go through  
15 on those.

16 Q. All right. And does Mesquite have a company  
17 that it can contract with in the event there is a tubing  
18 failure that needs to be addressed in the well?

19 A. Yes. We have Steve with Nave Oil and Gas that  
20 is readily available and has tools and the necessary  
21 knowledge base to fish out whatever we need to.

22 Q. But, again, Mesquite has actually not ever had  
23 an incident in the past where they needed to fish out a  
24 broken tube?

25 A. No. On our -- no. We've not had to fish out

1 injection tubing for a tubing failure.

2 Q. Can you please turn to what's been marked as  
3 Exhibit Number 6 in the hearing notebook? And this  
4 exhibit is the notice exhibit, which I prepared. In  
5 this exhibit, since there are several different  
6 administrative applications, I've included a list by  
7 well which states the different parties who were given  
8 notice for each administrative application. We did mail  
9 notice via certified mailing to everybody who received  
10 notice of the original administrative applications, and  
11 then we also added EOG because Yates and some of the  
12 Yates entities were listed as parties who would obtain  
13 notice.

14 MS. BRADFUTE: There was one green card  
15 that was returned for one of the wells that was located  
16 in Eddy County and another green -- another person or  
17 entity who did not receive -- we didn't receive a green  
18 card back for and their interests were also located in  
19 Eddy County. We published notice on March 16th, which  
20 was a Thursday, in the Carlsbad newspaper, and an  
21 Affidavit of Publication is located as the last page of  
22 this exhibit.

23 Q. (BY MS. BRADFUTE) Mr. Neatherlin, were Exhibits  
24 1 through 7 prepared by you or under your supervision or  
25 compiled from company business records?

1           A.     Yes.

2           Q.     And is the granting of this application in the  
3     interest of conservation and the prevention of waste?

4           A.     Yes, it is.

5                     MS. BRADFUTE:   I'd like to move that  
6     Exhibits 1 through 7 be admitted into the record.

7                     MR. FELDEWERT:   No objection.

8                     EXAMINER GOETZE:   Okay.   Exhibits 1 through  
9     7 are so entered.

10                    (Mesquite SWD, Inc. Exhibit Numbers 1  
11                    through 7 are offered and admitted into  
12                    evidence.)

13                    MS. BRADFUTE:   And that's the questions  
14     that I have for this witness.

15                    EXAMINER GOETZE:   Very good.

16                    Mr. Brooks, I'll make you go first.

17                    EXAMINER BROOKS:   I have no questions.

18                    EXAMINER GOETZE:   There we go.

19                    EXAMINER JONES:   Mr. Feldewert?

20                                       CROSS-EXAMINATION

21     BY MR. FELDEWERT:

22           Q.     Mr. Neatherlin, as I understand it that by  
23     increasing the tubing size from 4-1/2 to 5-1/2 inches,  
24     you decrease the pressure -- or the friction loss,  
25     correct?

1           A.     Yes.

2           Q.     Which then allows you see to dispose of more  
3     volume?

4           A.     Yes.

5           Q.     Without -- and dispose of more volume without  
6     exceeding the surface-injection pressure or the  
7     bottom-hole injection pressure that the Division has  
8     determined necessary to protect the formation?

9           A.     Yes.

10          Q.     Okay. And there are -- are there any concerns  
11     that arise with respect to the formation by injecting  
12     additional volumes?

13          A.     No. As we saw in the step-rate test, on that  
14     bottom-hole pressure, we didn't even -- we didn't get  
15     close to a frac point, and that's at the allotted point  
16     to -- psi per foot that's issued by the State.

17          Q.     And so in your opinion, this would be a prudent  
18     move for both the company and other operators that are  
19     disposing into the Devonian?

20          A.     Yes.

21                   MR. FELDEWERT: That's all the questions I  
22     have.

23                   EXAMINER GOETZE: Back to the Examiners.

24

25

1 CROSS-EXAMINATION

2 BY EXAMINER JONES:

3 Q. Thanks for coming, Mr. Neatherlin.

4 EXAMINER JONES: You've got another  
5 witness; is that correct?

6 MS. BRADFUTE: Yes, we do.

7 EXAMINER GOETZE: The witness is going to  
8 address what issues?

9 MS. BRADFUTE: He's going to be addressing  
10 the fishing issues.

11 EXAMINER GOETZE: Okay.

12 Q. (BY EXAMINER JONES) Well, then, so we're  
13 talking about four or five wells here; is that right?

14 A. Six wells or -- we have about nine permits, I  
15 believe.

16 Q. Basically, you're addressing specific wells  
17 here? You're not asking for relief on any other besides  
18 what you're talking about here; is that correct?

19 MS. BRADFUTE: The application is to amend  
20 these eight wells here that are listed in the  
21 application.

22 EXAMINER GOETZE: Right.

23 Q. (BY EXAMINER JONES) And the wells that you've  
24 got now, are they tapered casing? In other words,  
25 you've got 9-5/8 and 7-5/8 in all of these wells?



1           A.    The design is for that, yes.

2           Q.    Okay.  So these are proposed wells to be  
3  drilled, then?

4           A.    Yes.

5           Q.    Okay.  So none of these have actually been --  
6  are actually drilled?

7           A.    Of the list, the Cypress is currently being  
8  drilled.  The Scott is currently being drilled at this  
9  time.

10          Q.    Two rigs going right now?

11          A.    Yes.

12          Q.    And the rest of them are just proposed wells.

13                        So you're -- I guess we could go back to --  
14  how much rate are you going to go down these wells, or  
15  do you propose to go down these wells?

16          A.    We're going to get as much as the formation  
17  will allow us to take under the allowable injection  
18  pressure.

19          Q.    Okay.  So how many operators will you be taking  
20  fluid from?

21          A.    As many as we can.  One thing we have been  
22  noticing is the amount of water that operators are  
23  producing.  One of these Devonian wells taking 40,000  
24  barrels a day will service about four sections and  
25  that's it.

1           Q.    Okay. Okay. So you're affecting four  
2 sections, and if something happens to your well, it will  
3 affect production in those four sections at least until  
4 they can come up with another disposal?

5           A.    Uh-huh. Yes.

6           Q.    Okay. So we're going to talk about fishing  
7 later, I guess.

8                         So the wells that you're putting in, are  
9 you anticipating any deviations in these wells as you go  
10 down?

11          A.    No. We don't anticipate any.

12          Q.    So you're hoping to get a straight hole --

13          A.    Yes.

14          Q.    -- and be able to run pipe without kinks in  
15 your pipe or problems running your tubing also?

16          A.    Yes.

17          Q.    So have you had any trouble so far getting your  
18 tubing in the hole?

19          A.    No.

20          Q.    But so far you've been running tubing with --  
21 you haven't run any 5-1/2 except on the Vaca Draw; is  
22 that correct?

23          A.    On the Vaca Draw, which was sidetracked.

24          Q.    It was sidetracked?

25          A.    Yes.

1           Q.    Did you have trouble going down?

2           A.    Not at all.

3           Q.    Was that -- did that have any DV tools in it,  
4 in the casing in that one?

5           A.    In the 7-5/8, yes. It was a re-entry that we  
6 ran the 7-5/8. And the OCD came back and said if we ran  
7 7-5/8 to the surface, they would allow it for the 5-1/2.

8           Q.    And you got in the hole okay.

9                    You didn't have to go in and address the  
10 casing at all with a bit before you got down with your  
11 tubing?

12          A.    No, sir.

13          Q.    And what about the cement design on the wells  
14 that you're proposing? Is it to completely cover casing  
15 with cement?

16          A.    Yes. In every order that we receive from the  
17 OCD as a disposal well, we must circulate cement to  
18 surface on our upper strings, as well -- and then our  
19 liner, we must circulate cement and seal off that liner  
20 and run the cement bond log to verify that we have  
21 bonded pipe behind -- we have bonded pipe throughout the  
22 well.

23          Q.    Okay. So your cement design is for  
24 circulation, but if you didn't get circulation, would  
25 you still want to run the real tight tubing in?

1           A.    If we did not get circulation, the OCD would  
2   make us go back and seal that off.

3           Q.    Okay.  But we all know that there are problems  
4   sometimes with shooting holes in your pipe, and you may  
5   not get much of a squeeze anyway, and you're endangering  
6   your pipe by doing that.  So you may end up with a  
7   situation where you don't have cement -- total cement  
8   coverage.  But you still wouldn't want to go with the  
9   5-1/2 in that 7-5/8?

10          A.    Yes.  The size of injection tubing is not going  
11   to affect the integrity of the casing.

12          Q.    Okay.  The plugging procedures that are  
13   required are inside, outside plugs, so if there is an  
14   issue with no cement on the outside, then -- and if you  
15   twist off uphole and you can't fish it, well, you might  
16   have a problem properly plugging the well.  That's one  
17   of the issues that we're looking at.

18          A.    With -- the benefit with the 5-1/2 is you can  
19   actually go in with a 2-7/8 workstring and go inside of  
20   it.  You can use 2-3/8 workstring, traditional tubing.  
21   You can run coil tubing and go in, and then you'd be  
22   able to go to the bottom of the 5-1/2.  And you can  
23   either cut it, you can perforate it, and then you would  
24   be able to pump cement down the 5-1/2, out the  
25   perforation holes and completely seal off the liner, as

1 well as the inside of the 5-1/2 tubing.

2 Q. Okay. Your 5-1/2 that's plastic coating, what  
3 is the ID of the --

4 A. The minimum ID is a 4.2 -- 26 -- yeah. That's  
5 the flare ID and in the collar.

6 Q. Okay. But after it's plastic-coated?

7 A. That's the flare ID of the -- that's the ID of  
8 the plastic coating. That's the smallest ID.

9 Q. So you could get a perforating gun inside it?

10 A. Oh, yes, absolutely.

11 Q. 3-1/2 perforating gun --

12 A. Yes.

13 Q. -- inside it?

14 Do you have any idea of your friction  
15 factor on your 5-1/2 plastic-coated tubing?

16 A. I do not, not an actual factor. I do not.

17 Q. As far as that goes, would you have an idea of  
18 the friction factor of 4-1/2-inch plastic-coated tubing?

19 A. No, sir.

20 Q. Have you run any comparisons of the rate you  
21 could get down 4-1/2 versus 5-1/2?

22 A. Yes, we did.

23 And I was hoping to have a step rate done  
24 on the 4-1/2 with the bottom-hole sensor, but we had  
25 some issues with service companies, and we weren't able

1 to get it done before then. But we did do a  
2 surface-injection test on another well that we have,  
3 4-1/2. That's a Devonian well. And we were only able  
4 to get up to about 23-, 24,000 barrels a day at 3,200  
5 pounds. And that was after acid stimulation. And then,  
6 you know, on the Vaca Draw well, before acid stimulation  
7 with 5-1/2 tubing, we were able to get up to about  
8 40,000 barrels a day at 3,400 pounds.

9 **Q. This the same well you're talking about?**

10 A. No. These are two different wells. One has  
11 full string of 4-1/2, and the Vaca Draw has the 5-1/2  
12 tubing in it.

13 **Q. Okay. If you had a program that you could**  
14 **actually calculate the flow rate, assuming your**  
15 **formation is exactly the same, you could give us plots**  
16 **of this; could you not?**

17 A. Yes.

18 **Q. Okay. We may be asking for that.**

19 A. And we're still going to go ahead and do the  
20 step-rate test, so we will have that information  
21 available in the near future.

22 **Q. That's actual empirical data that your -- your**  
23 **actual calculations that you could do. If you had a**  
24 **Nodal Analysis Program, you could actually run your**  
25 **analysis on 4-1/2 --**

1           A.    Uh-huh.

2           Q.    -- tapered string with 4-1/2 at a mile -- for  
3   the bottom mile of your well and bigger casing -- or  
4   bigger tubing on the upper part above your well, and  
5   then you could compare them to see -- because we hear  
6   you saying this and it makes all kinds of sense,  
7   except -- you know, we're not talking about fishing yet.  
8   But we don't -- we do not see any actual numbers.  
9   You're not presenting in this case to show what the  
10   difference is between constricting your tubing versus  
11   opening it up another -- another inch or so.

12          A.    Well, you know, like the example I gave  
13   earlier, you can blow a lot more water through water  
14   hose than you can through a straw.

15          Q.    That makes sense. It does make sense.

16                   Do you have any idea of the capacity of  
17   your Devonian, first of all, Formation?

18          A.    The reservoir capacity?

19          Q.    Right.

20          A.    No. Being relatively new injection for the  
21   area, it's still --

22          Q.    Let's say an estimate on the absolute maximum  
23   Devonian capacity, what would you guess?

24          A.    I couldn't guess without knowing fracture  
25   structures and how long and how connected they are and

1 complete permeability.

2 Q. It could be really good, or it could be tight,  
3 possibly?

4 A. It could be tight.

5 Q. Most of the time it's not, though?

6 A. Most of the time, it's not.

7 Q. So let's say you got your -- you know your  
8 Devonian is capable of, let's say, 30,000 barrels a day.  
9 Well, then you could run your designs, and you could  
10 show us the difference between running the 4-1/2 and  
11 versus your 5-1/2 --

12 A. Uh-huh.

13 Q. -- and then you could let us know.

14 MS. BRADFUTE: Well, they don't have a  
15 Nodal Analysis Program; Mesquite does not. They can  
16 provide the step test for the wells that they have the  
17 4-1/2 inch.

18 EXAMINER JONES: There are engineering  
19 firms that have these things, so it's just a question of  
20 asking around.

21 MS. BRADFUTE: Uh-huh.

22 EXAMINER GOETZE: It would go a ways, yes.

23 Q. (BY EXAMINER JONES) What about your handling of  
24 the waters on the surface -- you put big tank batteries  
25 out there --



1           A.    Yes.  All of our tank batteries are designed  
2   for disposals.  We -- as opposed to doing a surface  
3   installation, we recess all of our bits about 6 feet so  
4   that we can more than hold the maximum capacity of our  
5   tanks instead of having, you know, a traditional 1- or  
6   2-foot firewall, just because we have large capacity at  
7   our tank batteries.

8           Q.    Do you have a -- is that containment lined?

9           A.    Yes.  It's lined with a polyurea spray and  
10   liner.

11          Q.    Okay.  So you would set tankage out there  
12   proportional to what contracts you get for the disposal?

13          A.    Yes.  Our batteries are pretty standard as far  
14   as how we set them up, the capacities, and base them off  
15   of our -- how much water we're going to move through  
16   that well.

17          Q.    Okay.  But do your wells -- being commercial  
18   disposals, do they -- they surge the wells?  Is that one  
19   of the reasons you need capacity on your tubing is  
20   because you're going to have to at times surge your well  
21   with more rate than you would if it was a lease disposal  
22   well and if you had flowlines coming in and  
23   post-production?

24          A.    It's not really so much of a surge because  
25   actually what we're seeing is the projection from

1 operators on their water production is a slope. And  
2 then what actually comes out is more of a steep step-up.  
3 So it's actually -- what we're seeing is it's a very  
4 constant rate of -- pretty much maxing out our rate that  
5 we can get through that well every day.

6 **Q. Okay. Okay. So how do you handle your scaling**  
7 **issues?**

8 A. All of that's done with a chemical treatment on  
9 the surface facilities, or, you know, when we take  
10 custody of the water from the operator, whether it ties  
11 into our pipelines or whether it's trucked into some of  
12 our facilities.

13 **Q. Okay. So you contract with a scaling company?**

14 A. Yes. We have a chemical company that we use.  
15 We're doing chemical tests or water analysis tests two  
16 to three times a month and adjusting our chemicals as  
17 needed to keep scale and bacteria and anything else that  
18 may arise under control.

19 **Q. And your acute corrosion, do you use coupons to**  
20 **measure your corrosion? In other words, your**  
21 **corrosion -- your corrosion scaling company, they**  
22 **actually take care of corrosion and scaling at the same**  
23 **time; is that right?**

24 A. Yes.

25 **Q. Okay. And what about filters for your wells?**

1     Do you believe in filters? Some people seem to not  
2     believe in filters.

3           A.     Oh, yes, absolutely. We have -- on our  
4     facilities where we have truck-and-load stations, we  
5     have screen pots that have an 1/8-inch perforated screen  
6     to catch anything larger than an 1/8 of an inch so that  
7     it doesn't go through our transfer pumps on facility --  
8     or through the battery.

9                     And before it gets to our injection pumps,  
10    we have filter screens -- or filter pots that have a bag  
11    filter that -- I believe it's a 20-micron filter that  
12    pulls anything greater than that out before it hits our  
13    injection pump and goes downhole.

14           Q.     Okay. And what do you do with the filters  
15    after you are done with them?

16           A.     Throw them away.

17           Q.     Where do you put them?

18           A.     In a receptacle.

19           Q.     Okay. So you dispose of them somehow?

20           A.     Yes.

21           Q.     So the faster you inject in these wells, the  
22    more fines you're putting into them; is that correct? I  
23    mean, even if you filter it, if you don't have -- it  
24    depends on the design of your tankage, but you might be  
25    carrying over more and more fines into your wells the

1     **faster you put --**

2           A.     Our batteries are not designed for maximum  
3     retention so that we're -- and actually what we have is  
4     a desander. So all of the water that first comes into  
5     our facility runs through a desander. It knocks it out,  
6     and then it goes through the filtration steps. And,  
7     again, it has that retention time from the desander to  
8     the gun barrels to the injection tanks before it's  
9     actually hitting the pump. We're not -- we're not  
10    carrying over a lot of fines. Our TDS is minimal.

11          **Q.     How often do you backflow these wells?**

12          A.     Honestly, we haven't had to backflow many of  
13    our wells.

14          **Q.     So you've got a good rate and not --**

15          A.     Good rate, and we're not seeing pressure  
16    increases. We're not seeing decrease in rate. And a  
17    lot these wells have been in operation for five or six  
18    years now.

19          **Q.     How often do you check the TD on your well?**

20          A.     It depends. If we need to go in and do  
21    remedial work, it's then, but we try not to go in and do  
22    anything unnecessary to the inside of the well just as a  
23    precautionary message -- or precautionary method, so  
24    we're not jeopardizing the integrity of the lining or  
25    risk going in and getting a tool hung up and then have

1 to go in and do more work to the well, so on an  
2 as-needed basis.

3 Q. Do you have a way to go in and test the  
4 pressure -- pressure test your tubing inside of the --

5 A. Yes. All of our packers, we run a seal nipple  
6 in it and run a nipple on the top of the packer, test  
7 the tubing from the bottom of the tube to the top of the  
8 wellhead.

9 Q. Okay. So is the ability to put in 5-1/2  
10 tubing, especially if you have adequate casing size on  
11 the outside -- is that giving you more capability to  
12 actually check on your well often -- more often, and go  
13 in and maybe clean your well out if you had to?

14 A. It actually does. Again, because it is a 5-1/2  
15 casing, your ID is so much bigger as opposed to the  
16 3-1/2 or 4-1/2 tubing that you -- there are so many more  
17 tools available because it is actually casing, you know,  
18 that they are running in production wells. So the  
19 amount of tools available to go in and do these is way  
20 larger than what you would have for your smaller ID  
21 tubings.

22 Q. Okay. So that's a good thing?

23 A. Yes.

24 Q. And if you had to go a little bit bigger than  
25 7-5/8, what would be the next size up with your casing?

1           A.    The next size up would be an 8-5/8 casing.

2           **Q.    Cost you more to drill?**

3           A.    Yes, exponentially, 30 percent more.

4           **Q.    But if you lose your well, you've lost a huge**  
5 **investment also?**

6           A.    (Indicating.)

7           **Q.    So far you haven't. But you've got 15 wells,**  
8 **and you haven't had --**

9           A.    Uh-huh.

10          **Q.    How long have these wells been operating?**

11          A.    The ones that --

12          **Q.    The Devonian wells.**

13          A.    The Devonian wells, the -- we have our Military  
14 well, which was brought on line in November, and our --  
15 you know, moving from the Delaware, shallow injection,  
16 to the Devonian. That's the new one that we have  
17 operating the longest. And then we have the Big Eddy  
18 SWD #1 that's been in operation for about five years now  
19 with no troubles in it as far as tubular failure.

20          **Q.    You haven't had to have any pressure increases**  
21 **or step rate --**

22          A.    No, not on those wells. We're not trying to  
23 increase the pressure. I mean, 3,500 pounds, 3,489,  
24 that's a lot of surface pressure. We don't want to be  
25 operating at that. We want to keep our pressures as

1 minimal as possible and put away as much water as we  
2 can.

3 **Q. Okay. So your pumps tube at -- your pumps,**  
4 **what do you have out there for pumps?**

5 A. We will have two H pumps, and they're designed  
6 for maximum allowable pressure, as well as maximum rate,  
7 the maximum rate that we can get for that pressure.  
8 They're run on a VFD, variable frequency drive, so they  
9 automatically speed up and slow down. If the well  
10 starts pressuring up, it automatically slows the pump  
11 down to regulate that pressure, or we can -- we can set  
12 it to, you know, whatever range we want it to operate in  
13 so that it stays below that pressure.

14 **Q. Are those positive displacement pumps?**

15 A. No. They're H pumps, so it's a centrifugal  
16 pump with multiple stages of a diffuser and turbines.

17 The positive displacement pump you're  
18 talking about is a PD pump, an injection pump, a triplex  
19 or a quintuplex. We don't -- we won't use those on the  
20 Devonian wells because you can't get the rate with the  
21 pressure. We do have those in operation on our  
22 shallower Delaware wells, and they are also run on a VFD  
23 and pressure sensor.

24 **Q. Do you have a SCADA System or a continuous**  
25 **chart?**

1           A.    Yes.  All of our facilities are fully  
2    automated.  So there is a SCADA.  So we're tracking  
3    pressures.  We're tracking rates.  We're tracking VFD  
4    output.  Any factor that we can track on that pump, we  
5    would exclude it.

6           Q.    Okay.  I don't have any more questions.

7                   EXAMINER GOETZE:  Mr. McMillan?

8                   EXAMINER McMILLAN:  I'll just let you go  
9    ahead.

10                  EXAMINER GOETZE:  All right.

11                               CROSS-EXAMINATION

12   BY EXAMINER GOETZ:

13           Q.    Let's start off with a discussion about the  
14    Vaca Draw.  And to make it very clear, I participated  
15    with you in this final design, along with Maxey Brown,  
16    the district supervisor from the Hobbs District.  There  
17    we made you change the design to bring the 7-5/8 to  
18    surface.

19                               And with that, the other wells that you are  
20    considering for changing, are those designs going to be,  
21    what, through the Woodford?  Are they going to be at the  
22    bottom section of this limited liner hung from  
23    intermediate casing?

24           A.    Yes, from the top of the Wolfcamp to the top of  
25    the Devonian.



1 Q. Okay. So we're through the Wolfcamp?

2 A. Yes.

3 Q. You had stated that you had 5-1/2-inch tubing  
4 in wells in Texas, that they were shallow. What depths  
5 are you looking at there?

6 A. 7,500 feet. 5,000 to 7,500 feet.

7 Q. Putting into where roughly? Any Permian?  
8 Below Permian? Woodford?

9 A. It's Delmar, Fort West [phonetic].

10 Q. Okay. That portion of the Basin?

11 A. Delaware, basically.

12 Q. Now, with volumes, saltwater disposal wells do  
13 not have any correlative rights and, therefore, spacing  
14 of them is, at best, a decision made by the Applicant.

15 A. Uh-huh.

16 Q. We have here a volume which has, in other  
17 states, indicated issues later on in reservoir  
18 situations, and I'm speaking primarily of induced  
19 seismicity. How are we going to, as a Division, limit  
20 the injection at high volumes? And what happens with  
21 further assessment of reservoir through the life of the  
22 well? The tendency is we don't see these wells going  
23 away until we start to fracture the formation, and then  
24 we start to see issues. Our ability as an oversight of  
25 the UIC Program, these wells will have a large area of

1 radius of influence.

2 A. Uh-huh.

3 Q. How are we going to make an estimate on what  
4 happens with those wells? With these -- if we increase  
5 the volumes, is there anything that you have in your  
6 experience that we can stand back and say this is no  
7 more, we can't tolerate this much volume going in until  
8 an event happens, or are we going to look at providing  
9 some sort of alternative?

10 A. So --

11 Q. Is Mesquite looking at having multiple? And  
12 when they do, are they looking in the area outside the  
13 AOR to see what influences they may have? And if you  
14 don't --

15 A. I mean, I'm kind of -- are you asking how are  
16 we going to go forward working with spacing on the wells  
17 to keep from communication?

18 Q. We have had a history in the past where the  
19 piling up of wells in close proximity has resulted in  
20 the --

21 A. I think that goes back to the OCD on spacing  
22 and allowing permitting within certain areas.

23 Q. Okay. We'll leave it at that.

24 With regards to Exhibit 3, if you could  
25 provide -- I have no times for each of the steps, if you

1     **could provide that information.**

2           A.     If you go back to --

3                   MS. BRADFUTE:   Exhibit 4.

4                   THE WITNESS:   4 and 5 have the times.

5           **Q.     (BY EXAMINER GOETZE) Yes, they do.   So we're**  
6 **not --**

7           A.     And, actually, 4 has it all together.  It has  
8 the rates, the time, the bottom-hole pressure and the  
9 surface pressure all right next to each other.

10          **Q.     Yes.   That's very good.**

11                   **So this is just for discussion?   Okay?   So**  
12 **I can't use this as a step-rate test?**

13          A.     Oh, no.  It was an actual step-rate test that  
14 was done with bottom-hole pressure sensors.  This was --

15          **Q.     Okay.   So this is the result --**

16          A.     This is the Vaca Draw.  This is the post test  
17 that we did.  We actually did a post test before we did  
18 stimulation so that we could actually see how much  
19 benefit our stimulation is doing, so we have a baseline  
20 going forward.  And we will actually be doing our post  
21 step-rate test on Monday to see what -- what and how  
22 good we did on our stimulation of the well.

23          **Q.     And what type of stimulation did you do?**

24          A.     It was an acid job.

25                   EXAMINER GOETZE:  At this point those are

1 the only questions of this witness.

2 RE CROSS EXAMINATION

3 BY EXAMINER JONES:

4 Q. Are you going to do a follow-up after your  
5 step-rate test to see what --

6 A. Yes, we will. Get an ISAP and then do a  
7 follow-up.

8 Q. And analyze it?

9 A. Yes. It'll be both with surface and  
10 bottom-hole pressure.

11 EXAMINER GOETZE: And provide it?

12 THE WITNESS: Yes. We're going to do that.  
13 And then we'll go back and do -- we'll actually go and  
14 do that because the 4-1/2 well, too -- the one we have  
15 4-1/2 tubing in, and, oh, I'd say here by the end of the  
16 month, I should be able to get another one that will  
17 actually be a tapered string. I have two of them with  
18 the tapered string.

19 EXAMINER GOETZE: Mr. McMillan?

20 CROSS-EXAMINATION

21 BY EXAMINER McMILLAN:

22 Q. I guess my only question, essentially, is going  
23 to Exhibit 7. Is -- on 7-5/8 -- so essentially the  
24 drift is going to be 6.64-something? Is that what this  
25 is saying? So my question is what will be the drift for

1     **the 7-5/8 using this?**

2           A.     The drift is a 6-1/2, API drift. That was  
3     taken under -- that's what we're drilling out with is a  
4     6-1/2 bit. But, you know, when we run our packer and  
5     our gauge ring, it's 6.625. So we make sure we can get  
6     it down and set it with a wireline.

7           **Q.     Okay.**

8                   EXAMINER GOETZE: I believe we're done with  
9     this witness.

10                   Thank you very much.

11                   EXAMINER JONES: Thanks for coming.

12                   EXAMINER McMILLAN: Thank you.

13                   MS. BRADFUTE: I'd like to call my next  
14     witness.

15                   EXAMINER BROOKS: Can we have a break?

16                   EXAMINER GOETZE: My lawyer wants a break.  
17     Let's have a break. Let's come back in about ten -- how  
18     about 15?

19                             (Recess 9:30 a.m. to 9:45 a.m.)

20                   EXAMINER GOETZE: All right, folks. We're  
21     going to go back on the record for Case Number 15654.

22                             I've been requested to make one  
23     announcement. We have an individual we believe is going  
24     to be showing up for the Westbrook Oil, and if that  
25     witness is here, I want to inform them that that

1 compliance case will be after lunch. So if you wish to  
2 give testimony, it'll be after 1:30 that you have to be  
3 here.

4 Meanwhile, let's go back to the record for  
5 this case.

6 STEPHEN NAVE,  
7 after having been previously sworn under oath, was  
8 questioned and testified as follows:

9 DIRECT EXAMINATION

10 BY MS. BRADFUTE:

11 Q. Could you please state your name for the  
12 record?

13 A. Stephen Nave.

14 Q. And, Mr. Nave, who do you work for and in what  
15 capacity?

16 A. I work for Nave Oil and Gas. We are a fishing  
17 tool company. I am a fisherman and the president of the  
18 company.

19 Q. And can you please explain your background and  
20 your work experience to the Hearing Examiners?

21 A. The first couple of years or a few years, I was  
22 drilling, roughnecking. In 1980, I started in,  
23 primarily, the fishing tool operations only, and I went  
24 to work for a company called Star Tool Company and  
25 worked as a fisherman for, oh, 15 years. Was promoted

1 to fishing tool manager where I oversaw all of the  
2 fishing operations for 100, 115 employees.

3 Q. And does your area of responsibility include  
4 the areas of Eddy and Lea Counties in southeastern New  
5 Mexico?

6 A. Yes, ma'am, it does.

7 Q. And are you familiar with the application  
8 that's been filed by Mesquite SWD in this case?

9 A. Yes, ma'am.

10 MS. BRADFUTE: Mr. Examiner, I'd like to  
11 tender Mr. Nave as an expert in fishing operations.

12 EXAMINER GOETZE: Mr. Feldewert?

13 MR. FELDEWERT: No objection.

14 EXAMINER GOETZE: Very good. He is so  
15 qualified.

16 Q. (BY MS. BRADFUTE) Mr. Nave, could you please  
17 turn to what is marked as Exhibit Number 7 in the  
18 hearing notebook in front of you? And I wanted to walk  
19 through this exhibit with you so that you could explain  
20 the items discussed in it to the Hearing Examiners.  
21 Could you please start by explaining what the  
22 specifications are of the tubing discussions in this  
23 exhibit?

24 A. Well, this talks to the diameters -- outside  
25 and inside diameters, specification of 5-1/2 -- 5-1/2,

1 in this case, tubing and the inside diameters and  
2 specifications of 7-5/8 39-pound casing. What this  
3 is -- to me what this leads to is what -- what  
4 is -- what are we capable of working with on 5-1/2  
5 inside of 7-5/8 39-pound from a fishing standpoint in  
6 case of a tubing failure.

7 Q. And, Mr. Nave, is it your understanding that  
8 the tubing specifications -- the casing specifications  
9 listed at the top of Exhibit Number 7 are representative  
10 of the tubing that Mesquite seeks to use in this case?

11 A. That's correct. Yes, I do.

12 Q. And I'm going to hand out -- this is not  
13 included in the notebook -- what's been marked as  
14 Exhibit Number 9. And could you explain to the Hearing  
15 Examiners what this exhibit is?

16 A. This is no more than a chart of specifications  
17 for different sizes of -- sizes and weights of casing,  
18 tolerances, wall thicknesses and stuff like that. It's  
19 exactly the same thing that's up here (indicating). It  
20 gives a few more size references.

21 Q. Okay. And is this something that you consulted  
22 in order to prepare for your testimony here today?

23 A. Yes. This is something that we consult for.  
24 It's where we get our dimensions from for most  
25 operations.



1           Q.    Could you please look at the overshot fishing  
2 procedure discussed in Exhibit Number 7 in the second  
3 paragraph section, and explain what the overshot fishing  
4 procedure is to the Hearing Examiners?

5           A.    Okay. We've got this set up as -- in the event  
6 the tubing fails and leaves a collar looking up. I  
7 would say that it could be no more than 50 percent  
8 chance that a collar would be left looking up. However,  
9 if that's the case, a collar inside -- on 5-1/2 casing  
10 inside a 7-5/8 casing is too large to fish from the  
11 outside with an overshot. It probably can be gotten a  
12 pretty good hold of with a die nipple or a die collar.  
13 However, it would probably be simpler to just go ahead  
14 and mill the collar away and fish the tube. It would be  
15 the exact same procedure that you would use in quite a  
16 few other applications with the collar only being 6 or 8  
17 inches long. It's easier to mill it away than it is to  
18 deal with it. So that's what you would do on a deal  
19 like this.

20                       You can then latch on to it with an  
21 overshot from the outside. In this case, the outside of  
22 the pipe is just a steel pipe. Sometimes you need to  
23 get ahold of the outside simply because you need an  
24 enlarged ID to be able to work through. In this case,  
25 you can run overshot and have basically like a patch.

1 It will latch on, make the string continuous, run a  
2 5-1/2 plumb back to surface. So anything that you can  
3 get in the bottom of it, you can get through -- from the  
4 top to the bottom, i.e., another workstring if you  
5 needed to.

6 So that's what the -- what the top part of  
7 this is, is how to get ahold of it providing, say, the  
8 tubing just parted, and you can latch on with overshot  
9 and potentially pull the -- do whatever you need to do  
10 and release from the packer and retrieve the tubing from  
11 the hole and repair it and run it back in.

12 **Q. Now, is the overshot fishing procedure**  
13 **something you could use when 5-1/2-inch tubing inside of**  
14 **a 7-5/8-inch casing is used?**

15 A. That is correct. You can use an overshot to  
16 fish 5-1/2 inside of 7-5/8 39-pound.

17 **Q. Now, would this fishing procedure differ in any**  
18 **way with a well that uses a 4-1/2-inch tubing?**

19 A. 4-1/2, no. Well, you can fish the collar on  
20 4-1/2 with the overshot, too, but it would be -- the  
21 only difference is one step, to mill the collar away, in  
22 case you did have a collar looking up. Otherwise, it's  
23 exactly --

24 **Q. And in some respects, would it be easier to**  
25 **fish out a tube that's 5-1/2 inches?**

1           A.    The main aspect would be with the larger ID of  
2   the 5-1/2, you can get more -- you have a larger  
3   selection of stuff that you can work from the inside  
4   with.  The outside, there is basically no difference.  
5   The inside, you do have a bigger selection of things you  
6   can work with.

7           **Q.    I'm going to pass out what's been marked as**  
8   **Exhibit Number 10, and could you explain what that**  
9   **document is to the Hearing Examiners?**

10          A.    Okay.  This is basically just some pages taken  
11   from the instruction manual from National Oil Well  
12   Manufacturers overshots.  This is Series 150 Overshots.  
13   The drawing kind of explains the concept on the front.  
14   The next page gives a general description in how you  
15   work it and things like that.  It has -- this tool has  
16   the capability to go over the outside and catch onto a  
17   steel body looking up.  It can pack off on it so that  
18   you can pump pressure through the inside and it will  
19   come out around the overshot.  Basically, it's an  
20   attachment method to get back onto the fish.

21                   The third page on this is the  
22   specifications of overshot manufactured.  There is a  
23   mark over here on one that starts out -- if you'll look,  
24   it's a maximum catch size of 5-1/2-inch.  That overshot  
25   is 6-5/8 O.D.  This is a readily available overshot that

1 National makes, along with several other manufacturers,  
2 on a regular basis. We use it regularly. It's sitting  
3 on my shelf in the shop now. This is 6-5/8 O.D. and  
4 39-pound, 6-5/8 ID. I understand that is -- you can't  
5 get that inside there. However, turning these overshots  
6 down a few thousandth or a 16th or an 8th is a common  
7 procedure. We do it all the time, because this kind of  
8 thing -- on things like submersible pumps inside of a  
9 5-1/2 casing, we have to skin down overshots. Even to  
10 fish 2-7/8 eight round tubing inside a 20-pound 5-1/2  
11 casing, you have to turn the overshot down. They don't  
12 make an overshot that is really designed to do that. So  
13 we skin it down. And in this case, it would be no  
14 different. It's not anything that wouldn't be regularly  
15 done.

16 **Q. So it's a common practice within your**  
17 **industry --**

18 A. Very common practice.

19 **Q. -- to go ahead and skin it down and use an**  
20 **overshot?**

21 A. That's correct.

22 **Q. Can you please explain what the spearfishing**  
23 **procedure is to the Hearing Examiners?**

24 A. A spearfishing procedure would be to fish from  
25 the inside. A spear with the overshot goes on the

1 outside. The spear goes to the inside. It's basically  
2 the same process in reverse. The helix pushes quicker  
3 throughout the inside and bites from the inside of the  
4 pipe.

5                   In the case of disposal wells or injection  
6 wells, you have a plastic coating. This plastic coating  
7 has to be removed for the spear to work. However, if it  
8 is a sprayed-on liner, as this -- that they're proposing  
9 it is, that's usually pretty simple in that you -- the  
10 catch range on a spear, especially when you get into the  
11 larger sizes like this, is efficient so that you'll be  
12 able to put it inside the plastic. And it will -- if  
13 you get real rough with it, it will probably pull out  
14 the first time, but all it does is pull the plastic  
15 liner out. Then you stick the spear back in, and the  
16 next time it catches, the steel will shed the plastic  
17 off after it pulls out in there and leaves the steel.

18                   But internal fishing with this type pipe is  
19 readily accessible. We do that on a regular basis, too.

20                   If you have something like a dual line or  
21 something where it's fiberglass or a PVC liner, then you  
22 have to mill that out first, but it's easy to do with --  
23 and, in fact, I think you're going to have an exhibit  
24 there of the spear.

25           **Q. Yes, I am. And I will pass out that exhibit.**

1           A.    And I can kind of show some things with that,  
2    too.

3           **Q.    Number 11.**

4           A.    There are various types of spears.  This is a  
5    standard Itco type spear that National Oil Well and many  
6    others make.  The first page is a picture.  The second  
7    page is just a general description of construction and  
8    what it does.  The next page there shows a couple of  
9    things, and one is the nut there, the sidehill type nut  
10   and sub type nut.  Well, what that does -- the sub type  
11   nut means that you can put a mill or something on the  
12   bottom of that to mill plastic or whatever you need to  
13   out of the way.  It would be one application for that,  
14   and then -- then the grapple can go down in and get  
15   ahold of the steel.

16                   It also facilitates the use of the spear  
17   pack-off assembly, which runs below the spear and makes  
18   it where you can pump pressure through the fish to be  
19   able to circulate around it or something like that.  So  
20   that's pretty much the mechanics of the way the spear  
21   works.

22                   Now, as far as which spear, there would be  
23   numerous spears that would work inside 5-1/2 casing.  
24   The one I've marked here is a 5-inch O.D. spear that  
25   that's designed to catch 5-1/2, 5-3/4 pipe.  It's

1 readily available. Every fishing company in the  
2 country's got it.

3 **Q. Now, is spearfishing a procedure that is**  
4 **commonly used within the industry to fish out tubing?**

5 **A. Absolutely. You fish tubing -- it really works**  
6 **better in larger pipe simply because the spear itself**  
7 **reduces the ID of tools that you can work through. And**  
8 **pipe the size of 5-1/2, you can get 1-inch tools, which**  
9 **is capable of three points and stuff like that, through**  
10 **the 5-1/2 spear, but you wouldn't be able to on 2-7/8 or**  
11 **2-3/8 spears. They only have like a 3/8-inch ID. So**  
12 **you can't get through the spear on the smaller stuff,**  
13 **but you really can on the larger stuff.**

14 **Q. So spearfishing is something that is more**  
15 **readily used and available when you have larger-size**  
16 **tubing?**

17 **A. Absolutely. Absolutely. They just use it more**  
18 **often because it works just as well. The spears are**  
19 **very strong, capable of getting very good hold of the**  
20 **fish, and you can work through the larger-size spears.**

21 **Q. So there are minimal differences when you are**  
22 **using an overshot fishing procedure with the use of a**  
23 **5-1/2-inch tubing, and then there are additional options**  
24 **available for spearfishing procedures when you have a**  
25 **5-1/2-inch tubing, correct?**

1           A.     That's correct. You just -- depending on what  
2     you need to do would be which one you would need to --  
3     they both have the capability of latching on and pulling  
4     whatever you need to or working below it. If you need  
5     larger-diameter tools in the hole, then you would want  
6     to use the overshot. If you have no use for the  
7     larger-diameter tools, use the spear. Both these tools  
8     have the capability of engaging the 5-1/2 tubing and  
9     then releasing from it and coming back out of the hole  
10    and then going back and re-engaging again if you need  
11    to.

12           **Q.     Can you explain what the abandonment procedure**  
13    **would be to the Hearing Examiners in the event there was**  
14    **a tubing failure and you needed to go in and either cut**  
15    **off part of the tubing in order to properly abandon the**  
16    **well or do something else to fish out the tubing?**

17           A.     Okay. If there was 5-1/2 that was stuck in the  
18    hole and it was deemed, you know, it would not be  
19    beneficial or unable to get it from the well, basically  
20    where you have 5-1/2 and 7-5/8, we still have the  
21    capability to wash over it and -- 6-3/8 wash pipe is  
22    readily available. It would be the same thing as  
23    running 4-1/2 wash pipe over 2-7/8, basically,  
24    especially over 3-1/2.

25                   The difference being -- with the 5-1/2, if



1 it's really stuck in the well, it would be no different  
2 than 5-1/2 casing being cemented in a well that's in a  
3 producing situation. We can now go through the inside  
4 of 5-1/2. We can't really do that in a 20,000-foot well  
5 on 2-7/8. We can run cutters. There are a multitude of  
6 cutter varieties. There are mechanical cutters,  
7 hydraulic cutters, wireline electrical cutters, sand  
8 cutters, perforators, section mills. All this can be  
9 done through 5-1/2 that literally wouldn't be able to be  
10 done through the smaller pipe.

11 Now, 4-1/2, yeah, most of it can be done  
12 through 4-1/2. 3-1/2, 2-7/8 and 2-3/8, you become very  
13 limited on what you can do inside.

14 But as far as plug and abandonment, I would  
15 say if it really gets stuck in the hole, perforate and  
16 squeeze cement around it and run 2-7/8 in there, and  
17 you've got another general well. So you can literally  
18 plug it from the inside rather than having to get it  
19 out.

20 **Q. I'm going to pass out what's been marked as**  
21 **Exhibit Number 12 to you, and could you please explain**  
22 **to the Hearing Examiner what this document is?**

23 A. This is one example of a tool that can be used  
24 inside 5-1/2 or 4-1/2. If it's plastic-coated, this  
25 particular tool is capable of going 3-5/8 O.D. You run

1     it on a tubing string. It can run inside this pipe. It  
2     don't care if it's plastic-coated or inch-thick steel or  
3     in a collar or what. Once you pressure up on it, it  
4     starts -- it pushes a piston down. It pushes knives out  
5     with carbide cutters on it. And you start rotating, and  
6     it cuts through the whole thing, and you're able to lift  
7     it out of the hole. Like I say, this is no more than an  
8     example of one tool that is capable of doing this thing  
9     in this situation.

10        **Q.     So there are numerous other tools that could be**  
11 **used to cut out --**

12        A.     That's correct.

13        **Q.     -- the bottom of the pipe to allow for plugging**  
14 **and abandonment?**

15        A.     Yes, ma'am.

16        **Q.     If you could turn back to Exhibit Number 7 and**  
17 **turn to the last page of that exhibit, and explain what**  
18 **this last page tells the Hearing Examiners.**

19        A.     Okay. As I understand it, these are some  
20 scenarios that are allowed through some of the permits  
21 from the OCD, and that's 3-1/2 tubing inside of 5-1/2  
22 casing. The 3-1/2 tubing has a collar diameter of  
23 5-1/2-inch O.D., and then it has an upset that screws  
24 into either end of that, and then it goes to 3-1/2 O.D.  
25 body.

1                   The fishing procedure on 3-1/2 inside 5-1/2  
2   is exactly the same as the fishing procedure of 5-1/2  
3   inside 7-5/8. You cannot fish the O.D. of the collar.  
4   You can still fish the ID, but you have the same issue  
5   with plastic coating, dual line, whatever's in there.

6                   The clearances are basically somewhat the  
7   same. I mean, you still have to -- to get ahold of the  
8   outside, you have to pull the collar off. Then you can  
9   fish the body. 20-pound -- as I say again, you have to  
10   go with a small enough overshot to be able to get in  
11   20-pound and fish it. So that would be -- it's readily  
12   doable. That's -- the first paragraph -- or the first  
13   column up here deals with that, and basically I'm saying  
14   that there is really no difference in the fishing  
15   methods for that than there would be with 5-1/2 inside  
16   7-5/8.

17                  The same goes for the 2-7/8 inside 4-1/2.  
18   The collars are not fishable. The tube is. You can  
19   either cut the pipe below the -- below the collar and  
20   pull that piece out and then fish the body and mill the  
21   collar off. It's the same on all three of these  
22   different scenarios -- three different scenarios we're  
23   talking about here.

24                  The difference being that when you get a  
25   liner inside one of these smaller-diameter tubing, like

1 a plastic coating or a dual line, you're starting to  
2 really limit the internal diameter of this and the tools  
3 that you can get in it. You can't run chemical cutters  
4 or electrical -- electric line chemical cutters through  
5 that that will catch and cut the pipe. And trying to  
6 come up with a workstring to work inside that 2-7/8  
7 tubing to run mechanical cutters is really tough. So  
8 basically you have a better chance of working with the  
9 5-1/2 than you do with 2-7/8 if you want to get to that  
10 point.

11 Q. And could you please turn to what's been marked  
12 as Exhibit Number 8 in the hearing notebook and explain  
13 to the Hearing Examiners what this exhibit is? And in  
14 particular, if you could turn to the information on the  
15 second page.

16 A. Riley called me and wanted to know what -- what  
17 would be -- which I field these calls on a pretty  
18 regular basis. What can we do in this size hole?  
19 What's the maximum size fish we can catch in here and  
20 stuff like that? He said, If we had 5-1/2-inch casing  
21 inside 7-5/8-inch 39-pound, what would we do? I said,  
22 Well, it shouldn't be an issue. We have the overshot  
23 with 6-5/8 O.D. We'll have to skin it down just a  
24 little bit. The coupling size is 6-1/16, basically  
25 6.125. Mill the coupling off if you leave it in there.

1 And like I say, there's, I'd say, a less than a 50  
2 percent chance you leave it because it's going to break  
3 either -- the only time you would be dealing with the  
4 coupling is if it breaks right on top of the coupling.  
5 It's just as likely to break underneath the coupling or  
6 in the length of the joint or somewhere. So, you know,  
7 50/50 that you won't even have to deal with it, and then  
8 we can run the overshot, and that's if we want to really  
9 go through with large-diameter stuff. That's all  
10 readily available. We can spear it. We can also run  
11 wash pipe. And in the worst-case scenario, we can start  
12 calling this casing and work inside of it.

13 **Q. In your opinion, will the use of 5-1/2 tubing**  
14 **inside of the proposed casing create an increased chance**  
15 **of tubing failure that can't be revolved?**

16 A. No, I do not believe so. And, in fact, I kind  
17 of think the opposite.

18 And what these guys are talking about,  
19 these wells are not shallow wells. These are deep  
20 wells. And it's just like the rigs and the equipment  
21 that's used to drill them with. You need larger stuff  
22 in there to be able to stand the strains on the loads.  
23 You take small stuff and hang 20,000 feet of it on  
24 there, we see -- our major issues in the fishing  
25 industry is people running too big of stuff in too small

1 a hole.

2 But it's not as critical in a -- in a hole  
3 that's at least, say, 4-3/4 -- or 4-1/2 ID as it is in  
4 one that's 3-1/2 ID. We start to run out of tools in  
5 the working space there. The larger -- the larger hole  
6 we're in, the more options we have to fish. And once  
7 you get to the point where you have 4-1/2 ID, then we  
8 have a lot of options. But less than that, 4-1/2  
9 casing, 4-inch casing, 3-1/2 casing, it's a disaster.  
10 We can't do much with those.

11 So I don't think this is -- I don't think  
12 this is any more likely to be an issue than the rest of  
13 them and probably less likely.

14 **Q. And were Exhibits 7 through 12 prepared by you**  
15 **or under your supervision or compiled from your**  
16 **company's business records?**

17 A. Yes, ma'am.

18 **Q. And in your opinion, will the granting of this**  
19 **application be in the interest of conservation and the**  
20 **prevention of waste?**

21 A. I would think so.

22 **Q. Thank you.**

23 A. Yes, ma'am.

24 MS. BRADFUTE: Those are the questions I  
25 have right now.

1 EXAMINER GOETZE: Do you want to tender  
2 your exhibits?

3 MS. BRADFUTE: Oh, yes. Thank you. I  
4 would like to move to have Exhibits 7 through 12  
5 admitted into the record.

6 EXAMINER GOETZE: Mr. Feldewert?

7 MR. FELDEWERT: No objection.

8 EXAMINER GOETZE: Okay. Thank you. Then  
9 you can ask the questions.

10 MR. FELDEWERT: Real quick.

11 CROSS-EXAMINATION

12 BY MR. FELDEWERT:

13 Q. Mr. Nave, you have a lot of experience fishing  
14 and spearfishing in the oilfield industry?

15 A. Yes, ma'am -- yes, sir.

16 Q. Any experience spearfishing off a jon boat on  
17 the Mississippi or Missouri Rivers, because that's the  
18 only thing I know anything about? So I don't have any  
19 questions.

20 (Laughter.)

21 A. Not on the Mississippi River.

22 Q. Okay. I have no questions.

23 EXAMINER BROOKS: Okay. Mr. Examiner, did  
24 you --

25 EXAMINER GOETZE: I so -- Exhibits 7

1 through 12 are so entered into the record.

2 EXAMINER BROOKS: Okay. That's what I was  
3 going to ask.

4 (Mesquite SWD, Inc. Exhibit Number 7  
5 through 12 are offered and admitted into  
6 evidence.)

7 EXAMINER GOETZE: Thank you. Mr. Feldewert  
8 is very anxious today.

9 EXAMINER BROOKS: Well, he wanted to  
10 describe his prowess as a fisherman.

11 EXAMINER GOETZE: Any questions,  
12 Mr. Brooks?

13 MR. BROOKS: No questions.

14 EXAMINER GOETZE: Gentlemen?

15 CROSS-EXAMINATION

16 BY EXAMINER JONES:

17 Q. Thanks for coming, Mr. Nave. You don't know a  
18 guy named Joe Kitrel [phonetic]?

19 A. I do.

20 Q. Was he with Lea Fishing [phonetic], or was  
21 he --

22 A. Lea Fishing.

23 Q. I remember him from the old days.

24 So I guess one of my big questions is  
25 why -- why would this pipe get stuck in the first place?



1    **What are you guys seeing? You're fishing a lot of pipe,**  
2    **so --**

3           A.    Well, there are a lot of reasons that pipe gets  
4    stuck. Probably the most prevalent reason is neglect,  
5    not checking the back side and making sure you don't  
6    have pressure on it. Some other things are pressure  
7    collapse possibly on the casing that can stick it,  
8    potentially just dried-up seals in the packer assembly.  
9    Say you need to remove the tubing string from the well  
10   and you just can't quite get it to release. That's the  
11   primary ones that I can think of. Now, that's assuming  
12   the well's put together correctly and packer fluid is  
13   circulated on the back side and we don't leave mud back  
14   there or something like that, which we -- that's not  
15   supposed to be done.

16          **Q.    Okay. So if you were milling to get rid of**  
17    **your collar, how often do you see issues with milling**  
18    **out -- going outside of your casing?**

19          A.    As far as -- as far as that goes, that can be  
20    definitely controlled. We can actually skirt a mill and  
21    put no cutting structure of any kind on the outside of  
22    this thing to mill this away with.

23                  Now, on the collar, if you get something  
24    that's literally the full diameter of the casing, we can  
25    use what's called a pilot mill. A pilot mill is

1 stabilized on the inside of the fish that's being milled  
2 up, and that keeps it from walking around any. But the  
3 milling surface or milling structure comes down directly  
4 on top of it. There is nothing to cut with on the  
5 outside. So -- and you're only talking about milling  
6 for 6 or 8 inches here. You don't -- it's going to be  
7 hard to make a right-angle turn with a mill and a foot.

8 **Q. Okay. If you latch on and start pulling on**  
9 **this pipe, is it designed to come -- come apart at the**  
10 **threads, or is it designed to pull the body -- to pull**  
11 **the body loose?**

12 A. You're talking about the tubing in this case?

13 **Q. Yeah, the tubing, not your fishing equipment.**

14 A. Well, yeah. For the most part, this kind of --  
15 this thread style which is -- it is typically weaker in  
16 the coupling so -- or right at the root of the thread  
17 where it goes into the coupling is usually where it  
18 would part, if everything is equal.

19 Upset tubing is designed a little bit  
20 differently, where it gets thicker up there and makes it  
21 basically the same strength all the way through, but we  
22 still have just about as many parts right at the collar  
23 at upset as you do on this kind of pipe.

24 **Q. Mr. Neatherlin talked about the thread design,**  
25 **and I don't quite understand. I forget. Do you**

1     understand what he was talking about being 5-1/2 tubing?

2     **It's not simple 8 round threads, is it?**

3           A.     Well, it's not a simple 8 round thread. But  
4     they're using a lot threads now that -- basically, I  
5     can't really tell you the difference other than some  
6     engineers decided it's better, and maybe they can prove  
7     it under pressure and stuff like that. It may be more  
8     likely to hold, or under a drilling situation is what  
9     everybody's -- in our -- for reference in this  
10    situation, it's the same diameters. It's only a  
11    difference in the shape of the thread itself that we're  
12    talking about here.

13          **Q.     Okay. Okay. And what about the size of the --**  
14    **the size of the rig you need to actually fish 5-1/2**  
15    **tubing casing?**

16          A.     That would have to be rated to the weight of  
17    the string. You have 20-pipe and you've got 20,000 feet  
18    of 20-pound pipe, you've got heavy string. So you  
19    wouldn't want a rig on there that's only capable of  
20    pulling half that.

21          **Q.     So it's going to cost quite a bit?**

22          A.     It's going to cost quite a bit. However, the  
23    cost of the rig to pull the pipe with, I think would be  
24    pretty -- pretty nominal -- pretty small considering  
25    that you just got through drilling a 20,000-foot well.

1 Q. Okay. Okay. Compared to the drilling cost?

2 A. Right.

3 Q. Thank you very much.

4 CROSS-EXAMINATION

5 BY EXAMINER GOETZE:

6 Q. To follow up his question on the milling  
7 aspect, if you've got a cutter in there, is there  
8 potential for damaging the casing or liner that's  
9 already there in at that interval?

10 A. There would be, if you do not set the cutter up  
11 for cutting what you're -- you can set the cutter up to  
12 cut only a certain distance. If you do that  
13 correctly -- it just has to be done correctly. I mean,  
14 if you do it wrong, yes.

15 Q. And have you had any experiences with Devonian  
16 retrieval?

17 A. Yes, sir.

18 Q. Okay. And for production wells --

19 A. Yes, sir.

20 Q. -- and SWDs?

21 A. Yeah.

22 Q. Thank you. No more questions.

23 EXAMINER McMILLAN: I don't have any.

24 MS. BRADFUTE: Mr. Examiner, can I call  
25 Mr. Neatherlin back up for one follow-up question?

1 EXAMINER GOETZE: Sure.

2 We're done with this witness. Thank you.  
3 Unless you want more follow-up questions.

4 MR. FELDEWERT: Nope.

5 RILEY NEATHERLIN,  
6 after having been previously sworn under oath, was  
7 recalled, questioned and testified as follows:

8 DIRECT EXAMINATION

9 BY MS. BRADFUTE:

10 Q. Mr. Neatherlin, you're still under oath. I  
11 just wanted to remind you.

12 I wanted to follow up just briefly on a  
13 couple of the Hearing Examiners' questions about  
14 capacity and concerns about the amount of water that's  
15 being injected into the reservoir. If saltwater  
16 disposal companies continue to use wells which have  
17 smaller tubing sizes, 4-1/2 inches and smaller, in the  
18 short term, in order to handle the capacity of water  
19 that is being produced by operators in the field, will a  
20 greater number of wells need to be drilled within  
21 New Mexico to handle that water capacity?

22 A. Yes. If you can't handle the required amount  
23 of water that's being produced through the tubing,  
24 you're going to have to drill exponentially more wells  
25 to handle the water capacity.

1           **Q.     Okay.   Thank you.**

2                   EXAMINER JONES:   We still want to ask for  
3   the engineering analysis of the difference between the  
4   4-1/2 -- installing a 4-1/2 liner from 10,000 to 15,000  
5   feet versus installing a 5-1/2 casing -- or tubing from  
6   10,000 to 15,000 feet and of the range of pressures that  
7   you would end up with on your surface for the same  
8   injection rate.

9                   THE WITNESS:    Okay.

10                  EXAMINER JONES:   And can you add in the  
11   friction factor so we can do something in the future?

12                  THE WITNESS:    Yes.

13                  MS. BRADFUTE:    Is there anything else the  
14   Division would like us to submit?

15                  EXAMINER JONES:   No.   We might have to work  
16   interactively with that if you have any questions.

17                  MS. BRADFUTE:    Great.   Can we submit that  
18   via an affidavit?

19                  EXAMINER GOETZE:   Oh, you can submit it as  
20   a request of information.   It can be by an email.

21                  THE WITNESS:    Okay.

22                  EXAMINER GOETZE:   We'll make sure it gets  
23   in the record.   We're asking for technical information,  
24   so you're supplementing your application.

25                  MS. BRADFUTE:    Okay.

1 EXAMINER GOETZE: We will ask you to  
2 provide it to the Holland & Hart also.

3 MS. BRADFUTE: Yes.

4 EXAMINER GOETZE: With that, we don't have  
5 any other questions for you. Thank you very much.

6 And is this your case?

7 MS. BRADFUTE: This is the end of my case.  
8 I'd ask that the matter be taken under advisement.

9 EXAMINER GOETZE: Let's ask Mr. Feldewert  
10 if he has anything he wishes to present.

11 MR. FELDEWERT: Mr. Examiner, the only  
12 thing I want to say is that we appeared at this hearing  
13 in support of the proposition to allow 5-1/2-inch  
14 injection tubing for disposal into the Devonian.

15 EXAMINER GOETZE: That's it?

16 MR. FELDEWERT: That's it.

17 EXAMINER GOETZE: Okay.

18 MS. BRADFUTE: Mr. Examiner, one other item  
19 that I should have mentioned earlier: While this  
20 application relates to the specific wells referenced  
21 within the application -- we filed the application  
22 because there was specific language in those orders. We  
23 didn't find anything in the rules which actually limits  
24 the size of tubing that's used, and we would like to  
25 have 5-1/2-inch tubing approved for wells in the future.

1 But I think that would be handled on applications that  
2 come in in the future with an application of evidence  
3 that's been presented to the extent that those wells  
4 don't differ with these wells.

5 EXAMINER GOETZE: Well, we understand that  
6 the reason we're having a hearing is because we  
7 understand that this may be a trend for which we do not  
8 have experience and/or information, and it does tie with  
9 other things that are under our authority. And we tend  
10 to put in the specifications based upon what Applicant  
11 has requested. Now we're jumping into a new realm. So  
12 that's why we're here at a hearing, to see what we can  
13 look at and decide if we need more information or if we  
14 can approve it. So this is part of our process for  
15 things that are outside our rules.

16 MS. BRADFUTE: Yes. And we appreciate  
17 that.

18 EXAMINER GOETZE: I assume you want it to  
19 be rushed, but we cannot afford you any time as far as  
20 knowing what's going to be on the -- we may be  
21 furloughed, and we may be here and we may not be here.  
22 But we'll put it in the front of the package. Okay?

23 MS. BRADFUTE: I appreciate that.

24 EXAMINER GOETZE: Okay.

25 MS. BRADFUTE: Thank you.



1                   EXAMINER GOETZE: Case 15654 is taken under  
2   advisement.

3                   We'll take a few-minute break.

4                   (Case Number 15654 concludes, 10:28 a.m.)

5                   (Recess 10:28 a.m. to 10:36 a.m.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court  
6 Reporter, New Mexico Certified Court Reporter No. 20,  
7 and Registered Professional Reporter, do hereby certify  
8 that I reported the foregoing proceedings in  
9 stenographic shorthand and that the foregoing pages are  
10 a true and correct transcript of those proceedings that  
11 were reduced to printed form by me to the best of my  
12 ability.

13 I FURTHER CERTIFY that the Reporter's  
14 Record of the proceedings truly and accurately reflects  
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither  
17 employed by nor related to any of the parties or  
18 attorneys in this case and that I have no interest in  
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR  
23 Certified Court Reporter  
24 New Mexico CCR No. 20  
25 Date of CCR Expiration: 12/31/2017  
Paul Baca Professional Court Reporters