

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION

4 IN THE MATTER OF THE HEARING CALLED
5 BY THE OIL CONSERVATION DIVISION FOR
6 THE PURPOSE OF CONSIDERING:

7 APPLICATION OF EOG RESOURCES, INC. CASE NO. 15668
8 FOR CREATION OF A NEW POOL AND FOR
9 A SPECIAL DEPTH BRACKET ALLOWABLE
10 FOR THE WC-025 G-09 S253336D; UPPER
11 WOLFCAMP POOL, LEA COUNTY, NEW MEXICO.

Consolidated with

12 APPLICATION OF EOG RESOURCES, INC. CASE NO. 15669
13 FOR CREATION OF A NEW POOL AND FOR
14 A SPECIAL DEPTH BRACKET ALLOWABLE
15 FOR THE WC-025 G-09 S263327G; UPPER
16 WOLFCAMP POOL, LEA COUNTY, NEW MEXICO.

17 REPORTER'S TRANSCRIPT OF PROCEEDINGS

18 EXAMINER HEARING

19 May 11, 2017

20 Santa Fe, New Mexico

21 BEFORE: MICHAEL McMILLAN, CHIEF EXAMINER
22 WILLIAM V. JONES, TECHNICAL EXAMINER
23 DAVID K. BROOKS, LEGAL EXAMINER

24 This matter came on for hearing before the
25 New Mexico Oil Conservation Division, Michael McMillan,
26 Chief Examiner, William V. Jones, Technical Examiner,
27 and David K. Brooks, Legal Examiner, on Thursday, May
28 11, 2017, at the New Mexico Energy, Minerals and Natural
29 Resources Department, Wendell Chino Building, 1220 South
30 St. Francis Drive, Porter Hall, Room 102, Santa Fe, New
31 Mexico.

32 REPORTED BY: Mary C. Hankins, CCR, RPR
33 New Mexico CCR #20
34 Paul Baca Professional Court Reporters
35 500 4th Street, Northwest, Suite 105
36 Albuquerque, New Mexico 87102

1 APPEARANCES

2 FOR APPLICANT EOG RESOURCES, INC.:

3 JORDAN L. KESSLER, ESQ.
4 HOLLAND & HART
5 110 North Guadalupe, Suite 1
6 Santa Fe, New Mexico 87501
7 (505) 988-4421
8 Jlkessler@hollandhart.com

9 FOR INTERESTED PARTY MEWBOURNE OIL COMPANY:

10 JAMES G. BRUCE, ESQ.
11 Post Office Box 1056
12 Santa Fe, New Mexico 87504
13 (505) 982-2043
14 jamesbruc@aol.com

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

1	INDEX	
2		PAGE
3	Case Numbers 15668 and 15669 Called	4
4	EOG Resources, Inc.'s Case-in-Chief:	
5	Witnesses:	
6	Gavin Smith:	
7	Direct Examination by Ms. Kessler	5
	Cross-Examination by Examiner McMillan	10
8	Cross-Examination by Examiner Jones	12
9	Keith Trasko:	
10	Direct Examination by Ms. Kessler	18
	Cross-Examination by Examiner McMillan	23
11	Redirect Examination by Ms. Kessler	23
	Cross-Examination by Examiner Jones	23
12	Recross Examination by Examiner McMillan	26
13	Adam J. Kline:	
14	Direct Examination by Ms. Kessler	27
	Cross-Examination by Examiner Jones	36, 38
15	Cross-Examination by Examiner McMillan	41
	Recross Examination by Examiner Jones	42, 51
16	Cross-Examination by Examiner Brooks	46
	Recross Examination by Examiner McMillan	50
17		
18	Proceedings Conclude	53
19	Certificate of Court Reporter	54
20		
21	EXHIBITS OFFERED AND ADMITTED	
22	EOG Resources, Inc. Exhibit Numbers 1 through 3	10
23	EOG Resources, Inc. Exhibit Numbers 4 and 5	23
24	EOG Resources, Inc. Exhibit Numbers 6 through 9	36
25		

1 (10:29 a.m.)

2 EXAMINER McMILLAN: I'd like to call the
3 hearing back to order.

4 I'd like -- at this time we are calling
5 Case Number 15668, application of EOG Resources,
6 Incorporated for the creation of a new pool and for a
7 special depth bracket allowable for the WC-025 G-09
8 S253336D; Upper Wolfcamp Pool, Lea County, New Mexico.

9 Call for appearances.

10 MS. KESSLER: Mr. Examiner, Jordan Kessler,
11 from the Santa Fe office of Holland & Hart, on behalf of
12 the Applicant.

13 And we requested that this case be
14 consolidated with Case Number 15669.

15 EXAMINER McMILLAN: Okay. Case 15668 and
16 15669, application of EOG Resources, Incorporated for
17 creation of a new pool and for a special depth bracket
18 allowable for the WC-025 G-09 S263327G; Upper Wolfcamp
19 Pool, Eddy County, New Mexico, shall be combined.

20 Thank you.

21 MS. KESSLER: Thank you, Mr. Examiner. We
22 have three witnesses.

23 EXAMINER McMILLAN: If the witnesses would
24 please stand up and be sworn at this time.

25 (Mr. Kline, Mr. Smith and Mr. Trasko

1 sworn.)

2 MS. KESSLER: I'll call my first witness.

3 EXAMINER McMILLAN: Please proceed.

4 GAVIN SMITH,

5 after having been duly sworn under oath, was

6 questioned and testified as follows:

7 DIRECT EXAMINATION

8 BY MS. KESSLER:

9 Q. Please state your name for the record and tell
10 the Examiners by whom you're employed and in what
11 capacity.

12 A. My name is Gavin Smith. I'm a landman for EOG
13 Resources.

14 Q. Have you previously testified before the
15 Division?

16 A. I have.

17 Q. Were your credentials as a petroleum landman
18 accepted and made a matter of record?

19 A. Yes.

20 Q. Are you familiar with the two applications
21 filed on behalf of EOG in these consolidated cases?

22 A. Yes.

23 Q. And are you familiar with the status of the
24 lands in the subject portion of the WC-025 G-09
25 S253336D; Upper Wolfcamp pool?

1 A. Yes.

2 Q. Will you understand if I refer to it moving
3 forward as the Bobcat Draw?

4 A. Yes.

5 Q. And are you also familiar with WC-025 G-09
6 S263327G; Upper Wolfcamp?

7 A. Yes.

8 Q. And will you understand if I refer to this as
9 the Sanders Tank pool?

10 A. Yes.

11 MS. KESSLER: Mr. Examiner, I tender
12 Mr. Smith as an expert in petroleum land matters.

13 EXAMINER McMILLAN: So qualified.

14 Q. (BY MS. KESSLER) Mr. Smith, will you please
15 briefly summarize what EOG seeks under this application?

16 A. We seek to create the Sanders Tank and Bobcat
17 Draw pools and request an increase in the depth bracket
18 allowables for oil wells.

19 Q. And that would be for both pools?

20 A. Yes.

21 Q. And it's the oil depth bracket allowable that
22 we're focusing on today, correct?

23 A. Correct.

24 Q. What spacing and acreage dedication rules
25 currently govern development of each of these two pools?

1 A. Rules for wildcat oil well supply, 330-acre
2 spacing and 40-acre proration units.

3 Q. 330-foot setbacks, correct?

4 A. Yes.

5 Q. What is the depth bracket allowable for each of
6 these pools?

7 A. 410 barrels per day per 40-acre spacing unit.

8 Q. And when was the Bobcat Draw pool created?

9 A. With the Bobcat Draw pool was created with the
10 discovery of the Brown Bear 36 State 701H in 2015, and
11 it was assigned a depth bracket allowable -- or a depth
12 bracket of 12,000 to 12,099 feet, allowable of 410
13 barrels per day.

14 Q. And that was a EOG well?

15 A. Yes.

16 Q. When was the Sanders Tank pool created?

17 A. With the discovery of the Ophelia 27 703H,
18 which is also an EOG well. It was assigned a depth
19 bracket of 12,000 to 12,099 feet, and it has a 410
20 barrel a day allowable as well.

21 Q. Could you please identify Exhibit 1?

22 A. Sure. This is a map of both pools. The solid
23 blue line at the top is the Bobcat Draw pool covering
24 Section 26, the southwest quarter of 25 and the west
25 half of 36. And then the Sanders Tank pool to the south

1 is the green -- green solid outline covering Section 21,
2 the west half of 22 and the southeast quarter of 22, the
3 east half of 28 and 33, the northeast quarter of 27, the
4 north half of 26, and the west half of 27 and 36.

5 There is also -- we have several EOG wells
6 pointed out, the Brown Bear 36 701H being the discovery
7 well for the Bobcat Draw and the Ophelia 27 703 for the
8 Sanders Tank. Also, recent wells that have been put in
9 these pools are the Braswell, 707, 708 and 709, and the
10 Whirling Wind, 701, 702, 703, 704.

11 The dotted boundaries outside of these are
12 the one-mile notice boundaries that we used to notice
13 for this hearing.

14 Q. Was the acreage in each of these two pools
15 assigned by Paul Kautz?

16 A. Yes.

17 Q. So did you receive the information about the
18 pool boundaries from Paul Kautz?

19 A. Yes, we did.

20 Q. And I notice that your dotted lines showing the
21 notice boundary are actually more than a mile beyond the
22 pool boundary. Why is that?

23 A. Paul Kautz designated the Braswell wells into
24 the Sanders Tank and the Whirling Wind into the Bobcat
25 Draw, so we went ahead and noticed a mile outside those

1 wells just to include them, since they were included in
2 those pools.

3 Q. Were all operators of record in the Wolfcamp
4 Formation, both within the pool and within the dotted
5 line outside of the pool, provided notice of this
6 hearing?

7 A. Yes.

8 Q. Has the Division granted a discovery allowable,
9 test allowable for each of these wells?

10 A. They have.

11 Q. If I look at Exhibit 2, does this include a
12 request for a test allowable and extensions for those
13 allowables from Paul Kautz?

14 A. It does.

15 Q. Does EOG plan to call a geologist and an
16 engineer to discuss production from these wells?

17 A. We do.

18 Q. Is Exhibit 3 an affidavit prepared by my office
19 with an attach letter and green cards providing notice
20 of each of these cases to the parties discussed earlier?

21 A. Yes.

22 Q. Are you aware of any objections to this
23 application?

24 A. No, I'm not.

25 Q. Were Exhibits 1 and 2 prepared by you or

1 compiled under your direction and supervision?

2 A. Yes, they were.

3 MS. KESSLER: Mr. Examiners, I'd move
4 admission of Exhibits 1 through 3, which includes my
5 Notice of Affidavit.

6 EXAMINER McMILLAN: Okay. Exhibits 1
7 through 3 may now be accepted as part of the record.

8 (EOG Resources, Inc. Exhibit Numbers 1
9 through 3 are offered and admitted into
10 evidence.)

11 CROSS-EXAMINATION

12 BY EXAMINER McMILLAN:

13 Q. I guess the first question I've got is do you
14 just have to notify the operators or everyone in the
15 mineral estate?

16 MS. KESSLER: The operators, Mr. Examiner.
17 If you look at the notice rule, it's the operators not
18 assigned to another Wolfcamp pool.

19 EXAMINER McMILLAN: I guess part of the
20 problem I've been having with this whole thing is that
21 there have been administrative applications approved for
22 surface commingling. And, for instance, one of them was
23 for the Endurance and -- for recent Endurance wells in
24 Section 25 and 36 of 26-33, and these are actually
25 assigned to WC-025 G-09; Upper Wolfcamp. And I

1 assume -- with that in mind, would you have to notify
2 one mile from those boundaries?

3 MS. KESSLER: Mr. Examiner, what we did was
4 we took the acreage that was identified by Paul Kautz,
5 and we took the wells that we knew at the time that we
6 filed the application that were dedicated to each of
7 these two pools and notified a mile outside of those
8 boundaries. These pools -- the acreage for these pools
9 does continue to change, and we have -- we do not
10 continue to be notified by Mr. Kautz. So at some point,
11 we had to just file the application and send notice as
12 best we saw fit.

13 EXAMINER BROOKS: This application does not
14 involve changing the amount of acreage dedicated to a
15 well?

16 MS. KESSLER: Correct.

17 THE WITNESS: Correct.

18 EXAMINER BROOKS: Okay. So in that case,
19 under 4.12A(4)(b), you have to have Division notice --
20 Division to designate the operators in the pool and the
21 Division designate in the same formation as the pool and
22 within one mile of the pool's outer boundary that have
23 not been assigned to another pool. And you have done
24 so?

25 MS. KESSLER: That's correct, Mr. Examiner.

1 EXAMINER McMILLAN: Okay. Do you have any
2 questions?

3 EXAMINER JONES: Oh, yeah.

4 CROSS-EXAMINATION

5 BY EXAMINER JONES:

6 Q. Mr. Smith, the pool boundaries you're
7 proposing, they would be -- you're not proposing to
8 freeze the pool boundary, are you?

9 A. No. This is just the boundary that was
10 designated by Paul Kautz, and that's what we put on our
11 map.

12 Q. So the solid green lines and solid blue
13 lines --

14 A. Yes, sir.

15 Q. -- are where you're proposing new pool lines
16 [sic]?

17 A. That's correct. The dotted is not a proposed
18 pool by us. That is just the notice boundary we used.

19 Q. And as far as the contraction -- when we write
20 this up, the contraction language -- these are all
21 wildcat, so really there is no contraction from the
22 wildcat, right?

23 MS. KESSLER: That's correct.

24 Q. (BY EXAMINER JONES) I guess we run into the
25 situation where we've got -- where Paul has got this

1 wildcat tentative pool, and then you might have grabbed
2 part of it to create a new pool. Are the boundaries of
3 these wildcat pools still within this one-mile -- one
4 and one-and-a-half-mile notice area that you've got --
5 in other words, that wildcat pool would not extend
6 beyond this distance?

7 A. Beyond this exact boundary?

8 Q. Even though it's not really a pool yet, but
9 still he's been calling it a pool, so --

10 A. Right.

11 MS. KESSLER: Not beyond the notice
12 boundary.

13 Q. (BY EXAMINER JONES) It's not beyond the notice
14 boundaries?

15 A. Correct.

16 Q. So are we asking for a well allowable? And
17 right now you've got 410; is that correct?

18 A. Yes, sir.

19 Q. So what are you asking for?

20 A. Really just an increase, and we can go into
21 that.

22 Q. Later?

23 A. Yes, I think so.

24 MS. KESSLER: The application states
25 1,400 -- 410 increases to 1,400, Mr. Examiner.

1 EXAMINER JONES: So 410 per 40. And that's
2 not enough?

3 MS. KESSLER: (Indicating.)

4 EXAMINER JONES: You must have good wells.

5 EXAMINER McMILLAN: I've looked at some of
6 the production here, I think, of these wells, and
7 they're clearly overproduced, because a lot of times
8 they have multiple wells within the project area.

9 EXAMINER JONES: Yeah. Mr. Catanach has
10 asked us to scan for any, you know, wells that might
11 be -- and Mike, of course, jumped right on it, and he
12 found some wells. So we're glad you did come to
13 hearing.

14 MS. KESSLER: And cover test allowable for
15 now.

16 EXAMINER JONES: The test allowable, can we
17 talk about that for a second?

18 MS. KESSLER: Yes.

19 Q. (BY EXAMINER JONES) You went 30 days and then
20 an additional 30 days?

21 A. Yes, sir. We normally send a letter -- the
22 letter that's part of Exhibit 2 goes with our completion
23 paperwork, and Paul Kautz generally assigns a 30-day
24 test allowable there. And then when we realized that we
25 were still beyond that allowable, past that 30 days, we

1 sent an email and requested another 30. And that was
2 kind of at the same time we were preparing for this
3 hearing.

4 Q. Okay. But you didn't do a discovery well
5 allowable? You did a test allowable?

6 A. That's correct.

7 MS. KESSLER: That's correct, Mr. Examiner.
8 And if there is something different that EOG should be
9 asking for in the future, we'll be happy to conform with
10 that. But to our knowledge, the test allowable was the
11 correct method.

12 EXAMINER JONES: Okay. When do you
13 anticipate -- let's say we get this out maybe June 1st
14 so for March - so in other words, the amount of
15 production that you've had over the depth bracket
16 allowable, do you have a schedule for when -- when that
17 would be possibly made up, or are we going to talk about
18 that later?

19 MS. KESSLER: We hadn't anticipated talking
20 about that. I think with the granting of the extended
21 allowable, that will account for a great deal of
22 production.

23 EXAMINER McMILLAN: Okay. So you've
24 created this new pool. But we've decided we can't go
25 back and create pools, in the distant past, so we're

1 starting from a certain point. So whatever happened
2 before then --

3 MS. KESSLER: Correct.

4 EXAMINER JONES: -- we need to address that
5 somehow.

6 MS. KESSLER: I think that's correct,
7 Mr. Examiner. And how I see that happening is there
8 will be evidence that the current spacing units are
9 producing still in excess of the current allowable, but
10 not by much. So I think that making up for these wells
11 in the future will be -- will be something that EOG can
12 comply with absolutely. And then the real issue is, I
13 think, moving forward with drilling new wells and making
14 sure those wells are covered by the higher allowable.

15 EXAMINER JONES: Okay. So if we do write
16 something up in the order to make this up -- well, I'm
17 not sure we can do that because we've got a wildcat
18 pool, and then we've got, all of a sudden, a new pool.
19 So it would be stretching over two different pools, kind
20 of, with the language, but if -- in other words, your
21 timing on when you're going to drill and when you're
22 going to get some more wells on line, is that -- we've
23 got to make sure we don't impact something like that.
24 So do you -- do you know your timing on any new wells
25 coming on line, like, almost immediately here or --

1 THE WITNESS: Not off the top of my head,
2 but we can get that information and give it to you.

3 EXAMINER JONES: Okay. So we have another
4 post case here, so I guess Mr. Brooks will let us talk
5 to you.

6 EXAMINER BROOKS: Yeah. If it's not
7 contested, the ex parte rule does not apply.

8 EXAMINER JONES: Okay.

9 Q. (BY MR. JONES) Now, as far as who you noticed,
10 that was mainly Mewbourne; is that correct? Devon?

11 A. Yes, sir, Mewbourne, Devon, Concho, I believe.

12 Q. Mewbourne, Concho, Devon.

13 A. Anadarko as well.

14 Q. Are they also, some of them, partners in some
15 of these wells?

16 A. Concho is in the Braswell wells, and I believe
17 that's all. The others are just offset operators.

18 Q. Have you received any calls from them
19 pertaining to this hearing?

20 MS. KESSLER: I have.

21 EXAMINER JONES: Are they --

22 MS. KESSLER: As far as I understand, Devon
23 is in support and actually had requested that we extend
24 the pools and the higher allowables, but that -- you
25 know, timingwise, it was not going to be possible for

1 these particular cases.

2 And I believe Mr. Bruce is here on behalf
3 of Mewbourne.

4 EXAMINER JONES: Mr. Bruce, are you making
5 an appearance?

6 MR. BRUCE: Yeah. Jim Bruce making a
7 belated appearance on behalf of Mewbourne Oil Company,
8 and Mewbourne has no objections to the applications.

9 EXAMINER JONES: Would you like to send us
10 an email about that, that you're making your appearance?

11 MR. BRUCE: Sure.

12 EXAMINER JONES: I don't have any more
13 questions.

14 EXAMINER BROOKS: No questions from me.

15 THE WITNESS: Thank you.

16 MS. KESSLER: Call my next witness.

17 KEITH TRASKO,
18 after having been previously sworn under oath, was
19 questioned and testified as follows:

20 DIRECT EXAMINATION

21 BY MS. KESSLER:

22 Q. Please state your name for the record and tell
23 the Examiners by whom you're employed and in what
24 capacity.

25 A. My name is Keith Trasko. I'm the exploration

1 manager for the Midland Division of EOG Resources.

2 Q. Have you previously testified before the
3 Division?

4 A. I have.

5 Q. Were your credentials as a petroleum geologist
6 accepted and made a matter of record?

7 A. Yes.

8 Q. Are you familiar with the two applications
9 filed on behalf of EOG in these cases?

10 A. I am.

11 Q. And are you familiar with the geology
12 underlying the subject pools?

13 A. Yes.

14 MS. KESSLER: Mr. Examiners, I would tender
15 Mr. Trasko as an expert in petroleum geology.

16 EXAMINER McMILLAN: So qualified.

17 Q. (BY MS. KESSLER) Mr. Trasko, why does EOG seek
18 an increased allowable for these pools?

19 A. We've seen from our spacing test that the ideal
20 well spacing dictates that there be multiple wells per
21 project area. We've found at least three per project
22 area is sufficient. And, furthermore, for the health of
23 the wells, we found that the wells need to be completed
24 simultaneously.

25 Q. And would that lead to a higher initial

1 production allowable?

2 A. Yes. It would bring them on line at once.

3 Q. And EOG has brought an engineer to also address
4 spacing issues, correct?

5 A. Correct.

6 Q. Can you please identify and review Exhibit 4?

7 A. Exhibit 4 is a structure map on top of the
8 Wolfcamp, which would also be the top of the two pools.
9 It shows EOG acreage and wells that are within the
10 Wolfcamp Formation. The pools are outlined in red and
11 blue, and then the cross section A to A prime line
12 references Exhibit 5.

13 Q. What do you see with respect to structure
14 across these two pools?

15 A. The structure dips gently to the west -- down
16 to the west.

17 Q. And you may have mentioned that EOG acreage is
18 highlighted in yellow, correct?

19 A. That's correct.

20 Q. What is Exhibit 5?

21 A. Exhibit 5 is a well log cross section that
22 shows the gamma ray, resistivity and then neutron
23 density with respect to the tracts. It covers the
24 entire Wolfcamp Formation, Wolfcamp at the top and the
25 Strawn Limestone at the base, and it covers the area of

1 the two respective pools.

2 Q. And you've called out the target for these
3 wells, both the left and the right, correct?

4 A. Yes. The target for all these wells is
5 uppermost portion of the Wolfcamp.

6 Q. Can you review the characteristics of this
7 formation?

8 A. The Wolfcamp overall contains tight sandstones,
9 organic shales and carbonate debris flows. All three of
10 these lithologies have been targeted by industry. All
11 three are low porosity, low permeability, require
12 fracture stimulation to produce in paying quantities.

13 Q. And this is fairly tight rock?

14 A. Yes, it is.

15 Q. From a geologic standpoint, why are these
16 targets so successful?

17 A. This portion of the Basin overall is highly
18 overpressured. It's the deepest portion of the Basin.
19 It's varied the most. When you vary the organic shales
20 and get them into the oil and gas window, generating
21 quite a bit of overpressure, it's been -- it's been
22 trapped in the formation. This region of the Basin is
23 most highly overpressured, and that helps with the
24 productivity of the wells tremendously.

25 Q. In your opinion, does the formation extend

1 across the boundaries of each of these pools?

2 A. Yes. The formation is not segmented by any
3 major faults or stratigraphic pinch-outs across the
4 whole area.

5 Q. After reviewing the geology in this area, do
6 you have any conclusions?

7 A. Yes. I concluded that the -- that the
8 formation is continuous across the area and is -- is
9 fairly uniform, you know, in thickness across the area.
10 So all of the thickness variations that you see on the
11 cross section across the area, which is about 700 feet,
12 is in the lowermost Wolfcamp, not in the upper.

13 Q. And in your opinion, will granting this
14 application be in the best interest of conservation, for
15 the prevention of waste and the protection of
16 correlative rights?

17 A. Yes.

18 Q. And were Exhibits 4 and 5 prepared by you or
19 compiled under your direction and supervision?

20 A. They were.

21 MS. KESSLER: Mr. Examiner, I move
22 admission of Exhibits 4 and 5.

23 EXAMINER McMILLAN: Exhibits 4 and 5 may
24 now be accepted as part of the record.

25 (EOG Resources, Inc. Exhibit Numbers 4 and

1 5 are offered and admitted into evidence.)

2 CROSS-EXAMINATION

3 BY EXAMINER McMILLAN:

4 Q. I guess going back to Exhibit 5, is the
5 whole -- is the target the entire Wolfcamp or just the
6 box?

7 A. We have multiple smaller targets that are all
8 within that box. Yes. So all the targets for all the
9 wells are just within the target box.

10 Q. So there is nothing in the deeper portions?

11 A. No, sir, not on these subject wells.

12 REDIRECT EXAMINATION

13 BY MS. KESSLER:

14 Q. I'm sorry. Can you specify if you're talking
15 about the current wells or EOG's overall development
16 plan?

17 A. I'm talking about the current wells. Our
18 overall development plan would include multiple -- more
19 targets in the middle and basal portion of the Wolfcamp.

20 Q. Okay.

21 CROSS-EXAMINATION

22 BY EXAMINER JONES:

23 Q. So you're the exploration manager. Does that
24 mean that you're also in charge of development --

25 A. Yes.

1 Q. -- and planning, too?

2 A. Yes. I'm in charge of exploration,
3 development, petrophysics and operation of the geology
4 departments. Yes.

5 Q. Okay. How are you guys related now with the
6 new Yates merger? Is it -- are you also EOG Y
7 Resources?

8 A. Yes. Our division covers EOG Resources, EOG Y,
9 EOG A, going down, and the split is on the northwest
10 shelf, our Artesia Division, which is the former Yates
11 office. It covers the Northwest Shelf and Yeso and all
12 the basin -- all sediments controlled by the Midland
13 Division.

14 Q. Okay. So basically it's just -- within the
15 scale of the geographic area, your team takes care of
16 everything?

17 A. Yes, sir.

18 Q. You mentioned that the lower part of the
19 Wolfbone varies in thickness. Is that because of a --
20 or some kind of unconformity or --

21 A. I think it's just the stratigraphic thinning as
22 you go to the north. The deep -- the Basin access was
23 slightly south of us at this portion. The thickest
24 Wolfcamp you get in New Mexico is basically this area.

25 Q. Okay.

1 A. And as you head up to the north, you're just
2 slowly thinning the entire section.

3 Q. Okay. Is there -- why is the Wolfcamp
4 generally tight? Are the clays in it or just --

5 A. In general, there is not a lot of primary
6 porosity within the sandstones, and then the shales
7 overall are -- there is very little permeability.
8 They're not particularly high clay compared to some
9 other plays, but, you know, nanodarcy kind of perm.

10 Q. Nanodarcy.

11 Is it in danger of the wrong fluids hitting
12 the formation to clamp it up?

13 A. I would say --

14 Q. You have to be careful when you're drilling
15 through it?

16 A. We haven't seen a lot of fluid sensitivity
17 issues with the shales here. Any stability issues we've
18 seen while drilling or anything like that would be, you
19 know, easily solvable by mud weight.

20 Q. You said you had multiple targets. So how do
21 you -- what do you look for?

22 A. We've targeted both the sands and the shales,
23 which industry has done as well, and we see the entire
24 section basically being productive.

25 Q. Okay. And so these wells are going to be

1 vertically separated -- or laterally separated and
2 vertically separated?

3 A. Yes, both.

4 Q. Your three wells in the project area?

5 A. The ones that are introduced today are all
6 within the same vertical zone and are laterally
7 separated. Yes.

8 Q. Okay. So how far apart do you think you're
9 going to drill?

10 MS. KESSLER: Mr. Examiner, we've also got
11 a whole other section.

12 EXAMINER JONES: Oh, you've got --

13 THE WITNESS: Yeah. Our reservoir engineer
14 will speak more of the spacing.

15 EXAMINER JONES: That sounds good to me.

16 RE CROSS EXAMINATION

17 BY EXAMINER McMILLAN:

18 Q. So all this is just fine grain because it's
19 deeper water?

20 A. Correct. That's right.

21 EXAMINER JONES: Quieter environment.

22 EXAMINER McMILLAN: Yeah. The whole thing
23 gets deposited -- the shale, basically all the same.

24 Do you have anything?

25 EXAMINER BROOKS: No.

1 EXAMINER McMILLAN: Thank you very much.

2 THE WITNESS: Thank you.

3 MS. KESSLER: We'll call our engineer,
4 Mr. Examiners.

5 EXAMINER McMILLAN: Thank you.

6 ADAM J. KLINE,
7 after having been previously sworn under oath, was
8 questioned and testified as follows:

9 DIRECT EXAMINATION

10 BY MS. KESSLER:

11 Q. Please state your name for the record and tell
12 the Examiners by whom you're employed and in what
13 capacity.

14 A. My name is Adam Kline. I'm a reservoir
15 engineering specialist in EOG's Midland Division.

16 Q. Have you previously testified before the
17 Division?

18 A. I have not.

19 Q. Please review your educational background.

20 A. Sure. I earned my undergraduate in petroleum
21 engineering from the University of Oklahoma in 2003.
22 After that, I earned an MBA and a Juris Doctorate from
23 Oklahoma City University in 2012.

24 Q. What is your work history?

25 A. Since my undergraduate in 2003, I went to work

1 for Devon Energy in their Oklahoma City office primarily
2 as a reservoir engineer. I worked there for
3 approximately ten years doing reservoir engineering for
4 Permian Basin, Powder River Basin, Wyoming, and Anadarko
5 Basin, Oklahoma, as well as corporate strategic planning
6 functions.

7 Following that, I went to work for BP
8 America in their Houston as an audit manager doing
9 primarily reserve process audits internationally, and
10 then joined EOG back in May of 20-- 2014 in the
11 Houston office, in Engineering and Acquisitions, doing
12 primarily reserves and acquisitions development work,
13 and then moved out to the Midland Division earlier this
14 year to assume the current position.

15 Q. And your current responsibilities include the
16 Permian Basin?

17 A. Yes, ma'am.

18 Q. What are your professional licenses and
19 certifications?

20 A. I'm a licensed professional engineer in the
21 state of Oklahoma and a member of the Oklahoma Bar
22 Association.

23 Q. And you have previously testified in front of
24 other administrative bodies?

25 A. That's correct.

1 Q. Are you familiar with the application filed on
2 behalf of EOG in these two cases?

3 A. I am.

4 Q. And are you familiar with the reservoir in the
5 subject pools?

6 A. Yes, ma'am.

7 MS. KESSLER: Mr. Examiners, I'd tender
8 Mr. Kline as an expert in petroleum reservoir
9 engineering.

10 EXAMINER McMILLAN: So qualified.

11 Q. (BY MS. KESSLER) Mr. Kline, why does EOG seek
12 an increased allowable in these two pools?

13 A. We're looking for the increased allowable
14 primarily from the basis that we're going to need
15 multiple wells within these projects areas to fully
16 develop the Wolfcamp. And as a secondary justification
17 as well, these wells are individually capable of
18 exceeding the allowable as currently stated.

19 Q. Are these wells simultaneously completed?

20 A. Yes, they are.

21 Q. And does EOG seek to develop these pools using
22 at least three wells per spacing unit?

23 A. Yes, ma'am.

24 Q. Simultaneously completing?

25 A. Simultaneously completing.

1 Q. Why is that?

2 A. The simultaneous completions have been observed
3 to generate better average well performance. You don't
4 have the situation where you've got older wells
5 affecting the complex of infill wells.

6 For that, I would draw your attention to
7 Exhibit 6. It's a summary of a spacing study we did
8 focusing on the Braswell three-well pattern, which is
9 the subject wells, as well as the offset Thor, which is
10 a three-well pattern also in the Wolfcamp.

11 The second page of the exhibit is a
12 gun-barrel view, if you will, of the four wells. I'll
13 call your attention to the wells labeled #702, #706 and
14 #701H. Those are three wells all landed at roughly the
15 same vertical interval, three wells across. And then
16 for comparison, a gun-barrel view of the Braswell. So
17 you've got wells labeled 709, 708 and 707.

18 Q. Were these wells all drilled at approximately
19 the same time?

20 A. The Braswells were. The Thors were not. The
21 Thors were drilled -- the 701, 702 first, and then the
22 706 was drilled.

23 Q. I should say completed rather than just --

24 A. Yes, completed.

25 Q. Would you please summarize the production

1 resulting from these well tests?

2 A. Yes. So going to the next page of the exhibit
3 is the Thor section. This is where the three wells were
4 completed, the first two in the summer of 2015, and then
5 the infill well, the year later.

6 Now, what we observed was an initial
7 performance out of the first two wells in the
8 2,500-barrel-oil-a-day range, the actual reported rate
9 shown there. When we came back a year later, we were
10 only able to achieve about 1,000 barrels a day. So we
11 saw a degradation in the initial well performance from
12 the delay.

13 Whereas, on the next exhibit, where we
14 completed all three of the Braswells at the same time,
15 we saw relatively similar initial well performance, with
16 the IPs ranging from 2,100 barrels to 2,700 barrels of
17 oil per day as recorded.

18 Q. In your expert opinion, does EOG have better
19 results when wells are simultaneously completed?

20 A. Yes.

21 Q. Why is that?

22 A. In simultaneously completing the wells, you're
23 completing the reservoir in its closest to initial
24 state, if you will. So you're getting -- getting the
25 best use of your frac energy with the original set of

1 wells.

2 Furthermore, coming in later, you have to
3 deal with the offset completions affecting the use of
4 that frac energy. So you have to overcome both -- both
5 the prior completions having affected the reservoir
6 some. And in an effort to build that near wellbore
7 complexity that we're looking for, we just don't get
8 quite the results the longer you're delayed on an infill
9 basis.

10 Q. In your opinion, without drilling at least
11 three wells and simultaneously completing them in a
12 spacing unit for these two pools, would EOG be causing
13 waste?

14 A. In not simultaneously completing, you're going
15 to leave some in the ground, is basically what's going
16 to happen. And these are all good wells. These are all
17 commercial quantities. But really, in trying to
18 optimize and get the best out of it that we can, this is
19 what we have observed so far.

20 Q. What is Exhibit 7?

21 A. Exhibit 7 is a production summary of the
22 subject wells showing their production -- cumulative oil
23 production on a gross basis during both the first 30-day
24 period, the second 30-day period, so covering the two
25 test allowables, and then a current daily rate as

1 defined by about a week ago.

2 And what this shows is it shows the total
3 production for the project area against what the
4 allowable would have been, so what the degree of
5 overproduction would have been but for the test
6 allowable. And then it also shows where we are still in
7 excess of the allowable on a current rate basis.

8 Q. Has each well individually produced in excess
9 of the depth bracket allowable?

10 A. Yes, ma'am.

11 Q. Per spacing unit, are the wells continuing to
12 produce in excess of the depth bracket allowable?

13 A. Yes, with the exception of one spacing unit.

14 Q. And do you expect the spacing units to continue
15 producing in excess of the depth bracket allowable?

16 A. Yes.

17 Q. Does EOG intend to continue developing the
18 subject wells with similar spacing patterns?

19 A. Yes. I would look at this as -- I would stress
20 three or more.

21 Q. So you'll continue to require a higher
22 allowable for these pools?

23 A. Yes, that's correct.

24 Q. Would you please turn to Exhibit 8 and review
25 this exhibit for the Examiners?

1 A. All right. Exhibit 8 is a summary of the -- it
2 contains a summary of the daily production from the
3 Whirling Wind wells, the four wells, both in a tabular
4 form with pressures and then a graphical form. The
5 graphical displays will show the daily oil, gas and
6 water, as well as the daily producing GOR.

7 Q. What is the type of reservoir in this area?

8 A. In this area we're dealing with a solution gas
9 drive reservoir with a volatile oil fluid. What we're
10 seeing on the daily production charts and in the
11 production aggregates, we're seeing a relatively level
12 producing GOR at about 2,000 SCF per stock tank barrel.
13 The flat GOR is also indicating that we're not seeing
14 any damage on a reservoir fluid basis. We're not
15 pulling it so hard that you're seeing a premature gas
16 breakout or anything that would be detrimental to oil
17 recoveries.

18 Q. Will increasing the depth bracket allowable
19 from 410 to 1,400 barrels of oil per day have a negative
20 impact on this zone?

21 A. No, it will not.

22 Q. Do you see any potential for damage to the
23 reservoir?

24 A. I do not see any potential for damage.

25 Q. And, again, that's reflected by the relatively

1 flat GOR?

2 A. It is.

3 Q. What is Exhibit 9?

4 A. Exhibit 9 is a similar exhibit for the
5 Braswells, once again the tabular production data,
6 followed by the graphical. Once again, on the graphical
7 production chart, you'll see the daily oil, gas and
8 water, as well as the daily producing GOR, once again
9 showing a relatively flat producing GOR at 2,000 SCF per
10 stock tank barrel.

11 Q. Once again, in your opinion, will a
12 1,400-barrel-a-day allowable result in damage to the
13 reservoir?

14 A. No, ma'am.

15 Q. In your opinion, will approval of this
16 application be in the best interest of conservation, for
17 the prevention of waste and the protection of
18 correlative rights?

19 A. Yes, it will.

20 Q. Were Exhibits 6 through 9 prepared by you or
21 compiled under your direction and supervision?

22 A. They were.

23 MS. KESSLER: Mr. Examiners, I'd move the
24 admission of Exhibits 6 through 9.

25 EXAMINER McMILLAN: Exhibits 6 through 9

1 may now be accepted as part of the record.

2 (EOG Resources, Inc. Exhibit Numbers 6
3 through 9 are offered and admitted into
4 evidence.)

5 EXAMINER McMILLAN: Go ahead.

6 CROSS-EXAMINATION

7 BY EXAMINER JONES:

8 Q. Are there any vertical wells producing in this
9 zone?

10 A. Not in this pool. I'm not aware of vertical
11 production over there.

12 Q. You don't have to worry about that --

13 A. No.

14 Q. -- at least not yet.

15 A. I wouldn't expect to see vertical production.

16 Q. You're not asking for any special rules on how
17 to handle vertical wells in the future or anything like
18 that beyond the -- what the Division rules kind of omit,
19 I guess?

20 EXAMINER BROOKS: The increased allowable
21 would apply to any vertical wells that were drilled in
22 the existing situations; would it not? The vertical
23 well would have the same daily production -- you're
24 asking for an increase to 1,400 barrels per day
25 regardless of size and spacing, right? Is that what

1 you're saying?

2 MS. KESSLER: Per 40-acre spacing, correct.

3 EXAMINER BROOKS: Per 40-acres. Okay.

4 That's what I was trying to get to.

5 If you have a vertical well drilled on a
6 40-acre spacing unit -- and these pools are -- what is
7 the spacing of the pool going to be? This is going to
8 be 40-acre standard spacing?

9 MS. KESSLER: Yes, Mr. Examiner.

10 EXAMINER BROOKS: Okay. So you're going to
11 have a vertical well drilled in a 40-acre unit. It will
12 have whatever allowable compared to the horizontal well
13 that the operator decides to allocate to it but not more
14 than the allowable for that 40-acre spacing unit. But
15 it's going to be the 1,400 barrel -- 1,400 barrels a
16 day, so you'll have that 1,400 barrels a day which the
17 operator can allocate between the horizontal well and
18 the vertical well, right?

19 MS. KESSLER: Yes, Mr. Examiner.

20 As there is no vertical production in
21 either of these two pools, currently it would just be on
22 a going-forward basis.

23 EXAMINER BROOKS: Yeah. It would be on a
24 going-forward basis. That's why I say the operator can
25 allocate, because there is a rule that the vertical well

1 gets priority if there is an existing vertical well, but
2 there is not an existing vertical well --

3 MS. KESSLER: Correct.

4 EXAMINER BROOKS: -- anywhere in either of
5 these pools.

6 MS. KESSLER: Correct.

7 EXAMINER BROOKS: Thank you.

8 CONTINUED CROSS-EXAMINATION

9 BY MR. JONES:

10 Q. So solution gas drive with -- and why do you
11 say volatile oil and not black oil?

12 A. It's volatile oil. We're seeing formation
13 volume factors just a little bit above 2. We've done
14 some laboratory analysis in the area and confirmed by
15 PVT and the characteristics we're seeing. It is on the
16 lower end of a volatile oil, 2,000 GOR.

17 Q. It's interesting that a higher GOR is volatile.

18 A. It's on the low end. You're seeing that in the
19 API gravities as well, mid to upper 40s but just into
20 the threshold.

21 Q. Your GOR is remarkably stable, at least so far.

22 A. It is, yes. We've got that on the individual
23 exhibits, and the GOR is also included on the three-well
24 spacing exhibits. And you can see that even when we
25 came back in and did an infill well of the Thor, we

1 still saw a -- on the GOR.

2 Q. That's a good sign. You may not reach your
3 bubble point.

4 A. Yeah. We don't believe we're at the bubble
5 point. We're still saturating.

6 Q. So basically it's your -- is it your testimony
7 that there would be no damage to the reservoir by the
8 1,400 or even a higher allowable?

9 A. Yeah. That's correct. I don't see a point at
10 which I would expect it to cause damage that we could
11 reach with the deliverability of the wellbores we have.

12 Q. Is that supported by the theory on solution gas
13 drives in volatile oil situations, or is that just
14 supported by the GOR in this case?

15 A. It's supported by the GOR. We're not in a
16 reservoir where you've got any sort of an overactive
17 drive mechanism where you'd expect to see water
18 coming and the other things that are detrimental. It
19 really just gets down to the issues of maintaining that
20 GOR and whether or not we're seeing big enough impacts
21 from our withdrawal to start to have that gas break out
22 in the formation and start to lose the energy in the
23 oil. So we're not seeing any indications that we're
24 anywhere near that kind of a drawdown.

25 Q. Okay. Well, do you do in-house with all your

1 reserves, or do you do them both in-house and you let a
2 third party --

3 A. From a reserves reporting standpoint?

4 Q. The SEC reserves.

5 A. We do in-house -- our reserves are actually
6 managed by the Engineering and Acquisitions Group out of
7 Houston. They handle our internal reporting, and then
8 those are reviewed by a third party as well, so
9 auditing.

10 Q. That's what you had before, correct?

11 A. Yes, it is. I'm familiar with the process.

12 Q. So you can take your knowledge and apply it
13 here and also apply the economics of your projection and
14 operating costs and pricing?

15 A. That's correct.

16 Q. It's pretty economical, I take it --

17 A. Yes, sir.

18 Q. -- even though these Halliburton charges got to
19 be pretty steep (laughter)?

20 A. Luckily, we've got a good staff that works on
21 the operational side and makes sure we're doing the best
22 we can on our contracts.

23 Q. I notice one of these is drilled one-and-a-half
24 mile and the other one is a one-mile?

25 A. That's correct.

1 Q. Is that why you split up these pools into
2 different pools, or you just did it because that's the
3 way the drilling --

4 A. That's the way it was assigned.

5 MS. KESSLER: That's the way Paul Kautz did
6 it.

7 EXAMINER JONES: Okay.

8 CROSS-EXAMINATION

9 BY EXAMINER McMILLAN:

10 Q. And the only question I've got is are you
11 creating waste if you're forced to pinch back the wells
12 to the state allowable?

13 A. Yes. Obviously, it would be --

14 Q. Can you explain that?

15 A. So what's going to happen if you have to pinch
16 it back, it's going to affect the amount of time it
17 takes to produce these wells. It's delaying -- in terms
18 of whether or not you're going to see the same ultimate
19 recovery that's yet to be seen -- we still have
20 long-life wells -- if you pinch these back, it's not
21 going to come out.

22 Q. You've got the time value and added money?

23 A. Well, it's not the time value component of it,
24 but really -- I would say not so much pinching back as
25 it is putting the wells all in at the same time. And so

1 I'm thinking of it from a less effective completion will
2 get you less effective recovery from the reservoir,
3 which would generate waste. And so really what's
4 pushing allowable -- apart from the fact that the wells
5 are capable of it, even the fact that if you're pinching
6 it back -- if you pinch it back a half or a quarter of
7 it, they're still very high-rate wells, and if you put
8 three wells in or even more, you get there just on
9 stacking the wells.

10 Q. Okay.

11 RE CROSS EXAMINATION

12 BY EXAMINER JONES:

13 Q. Okay. As far as the reserves go, you just --
14 is the best way just to do decline curve analysis, or
15 can you actually use any kind of volumetrics here?

16 A. We do a lot of in-house reservoir modeling.

17 Q. Okay.

18 A. And to back that up, you do get sort of your
19 classic decline curve analysis as a -- as a baseline, an
20 easy way to look at, and then we look at the
21 interactions of the wells, the reservoir on a model
22 basis as well.

23 Q. So you've got a model set up all the way to
24 your takes [sic] back into your reservoir then?

25 A. It's mainly a formation, a reservoir model,

1 where we look at it there using varying conditions for
2 surface situations.

3 Q. Okay. As far as pressures go, is there -- does
4 the model predict your declining pressures, or do you
5 have any pressure points that you can use to fine-tune
6 your model?

7 A. We do. Yeah. Where possible, we try to gather
8 bottom-hole pressure measurements, or we back calculate
9 from our daily surface pressures. We've not seen any
10 indications of other pressure support from anything
11 other than solution gas drive.

12 Q. Okay. So no partial -- no other drive
13 mechanisms?

14 A. Not that we've observed, no.

15 Q. So after the frac job, you go out there the
16 next morning and you read your pressure and that's good?

17 A. Capture the pressure before and during the frac
18 jobs and during the flowback and throughout the
19 production of the well.

20 Q. Okay. And those wells that are drilled a mile
21 and a half, is that more than the additional length?
22 You're getting that much more -- more than that as far
23 as the advantage, or is it one-mile wells that would be
24 just as -- per foot as far as recovery?

25 A. In my opinion, recovery per foot is going to be

1 similar. It's just the added benefit of developing more
2 resource with less -- less well cap.

3 Q. Less --

4 A. Yeah.

5 Q. What about water production out here? Is it
6 pretty significant?

7 A. We get the initial flowback water. It's not to
8 the level of like what you would see with the Bone
9 Spring or the Delaware Formations. So it's not quite
10 like that. But we've not -- I mean, these wells from a
11 productivity standpoint, as we see from the actual daily
12 plot -- I mean, they make a lot of oil, make a lot of
13 gas and make a lot of water. The total deliverability
14 is very high. But from a water standpoint, it's not
15 like the Bone Spring.

16 Q. Okay. So why did you start where you did in
17 the reservoir? As far as from an engineer's
18 perspective, you didn't start at the lowest part in
19 the -- you just -- the sweetest spot you could find? Is
20 that it?

21 A. Well, as to that, I was not -- I was not in the
22 Midland Division when those were determined.

23 Q. But if you had been, would you have started low
24 and worked your way up, or as far as the fracs, you
25 know, if you assume a frac is going to go a little bit

1 higher above the well than it was below the well --

2 A. The general philosophy is targeting the best
3 rock.

4 Q. Okay.

5 A. And so looking for what we consider to be the
6 best areas within the interval. And then from a
7 completion standpoint, we have to replace the density of
8 the wells. Instead of trying to go with the old,
9 traditional by wing [sic] frac and reaching out, it's
10 really trying to build that near wellbore complexity,
11 which I think -- referred to it, high-density
12 completions or the cloud completions, where you're
13 really trying to contain that energy near wellbore and
14 build reservoir -- build complexity in your area
15 available to flow.

16 Q. What about tagging your fracs? We just got a
17 question on this recently. Is there any chemical
18 tracing or radioactive tagging of your --

19 A. I'm not aware of it on these. But I was not
20 here for it, so I'm not sure. We do trace things. We
21 trace completions on occasion, but I can't speak to
22 anything specific.

23 Q. Okay. But as far as -- this pool is -- these
24 pools will grow with time. So when you're not -- you
25 don't have a problem with that as an engineer, with the

1 1,400 allowable and the growing out --

2 A. No, sir, I do not.

3 Q. -- and expanding?

4 A. No. As these pools are assigned and expanded,
5 I don't see that being an issue to the -- that would
6 definitely affect us.

7 Q. Okay. Okay. Well, if you come back again,
8 hopefully it won't be such a long hearing.

9 A. That's okay.

10 MS. KESSLER: Thank you very much.

11 EXAMINER BROOKS: I have a question.

12 CROSS-EXAMINATION

13 BY EXAMINER BROOKS:

14 Q. Mr. McMillan asked you about whether or not it
15 would cause waste if you had to restrict production for
16 these wells.

17 A. Uh-huh.

18 Q. And you said -- you said no, but you qualified
19 it by saying you really don't know what the effect on
20 ultimate recovery would be, if I understood what you
21 said.

22 A. That's correct. Yes, sir.

23 Q. And this is kind of a trick question, but do
24 you have an opinion as to whether or not the restriction
25 of production is -- this is the flip side of what he

1 says.

2 A. Uh-huh.

3 Q. If you produce it at full -- which I assume
4 your requested allowable will allow you to produce these
5 wells that you've seen to full development.

6 A. That's the intent. Yes.

7 Q. And if you produce these wells at full
8 development, do you have an opinion as to whether or not
9 that would in any way reduce the ultimate recovery as
10 compared to if you produced them at a more
11 restrictive -- if you produced the field at a more
12 restrictive rate, because you're saying the number of
13 wells, as well as producing each well?

14 A. That's correct.

15 What we've observed -- what I've observed
16 from the, you know, deliverability of these wells -- so
17 bringing basically what is maximum deliverability --

18 Q. Right.

19 A. -- we have not seen anything that would
20 indicate that it is -- that this is detrimental to the
21 reservoir in any way. And from my standpoint, it
22 involves the minimum interference with the well.

23 Now, when you start choking the well back
24 and doing things to restrict performance and making
25 minor adjustments here and there, then you're starting

1 to -- to really try to fine-tune well performance,
2 that's where I think you might introduce the opportunity
3 for some things to maybe -- but I can't --

4 Q. Bottom line, do you have an opinion as to
5 whether or not there will be -- as to whether or not
6 there will be any reduction of ultimate recovery from
7 this reservoir by reason of allowing full production of
8 wells -- full deliverability at this stage?

9 A. I don't think there will be any reduction in
10 your recovery for allowing full deliverability.

11 Q. And does that have to do with the extent to
12 which a well in this type of reservoir reduces the
13 pressure -- the geographical extent to which it affects
14 the pressure in the reservoir? I mean, I know very
15 little about reservoir engineering and just enough to be
16 dangerous.

17 A. With this being such a tight reservoir -- so
18 one generally requiring fracture stimulation to
19 produce --

20 Q. Yeah.

21 A. -- your affected drainage area is much smaller
22 than in a conventional reservoir, where you're going to
23 drain for quite a ways. As such, the amount of the
24 reservoir you're actually affecting with your drawdown,
25 when you pull it at maximum there, it's not really

1 reaching out super far into the reservoir and affecting
2 anything where you're going to affect the ultimate
3 recovery in a detrimental way that would generate waste.

4 Q. Right.

5 A. Really, the question becomes: How close should
6 they be? How many wells, you know, should it take?

7 And unlike the conventional sense, where
8 you're worried about if I pull too hard, am I going to
9 affect the wells in multiple sections away and cause
10 serious detrimental impacts, this being such a tight
11 rock, being such a competent rock -- so the other things
12 that might affect your reservoir performance such as
13 pressure permeability, the flowing formation itself, the
14 sand, the materials in there, we're not seeing -- seeing
15 those kinds of things as you might see in other
16 formations across the industry.

17 And so so far, everything has been
18 competent rock, robust fluid and very consistent well
19 deliverability. When we do produce these, we see
20 normal-looking decline curves, nothing that would
21 indicate any sort of unusual behavior within the
22 reservoir.

23 Q. Would you expect the picture to change at all
24 when you reach bubble point?

25 A. When you reach bubble point on a reservoir

1 basis, then you would start to see the gas come out in
2 the formation. However, we're -- with this being so
3 tight, I don't think it's a situation where you're going
4 to have a handful of wells that drop the whole reservoir
5 to the bubble point and evolve some sort of giant gas
6 cap.

7 Q. Thank you.

8 RE CROSS EXAMINATION

9 BY EXAMINER McMILLAN:

10 Q. Just for clarity purposes, you said if you have
11 to pinch -- if you have to cut the production, you can
12 adversely affect the well. You need to clarify that
13 point just a little bit. How are you affecting the
14 well?

15 A. Well, in trying to pinch back to a certain
16 production level, that's not -- in my experience, in my
17 opinion, that's not something you can do one day, in a
18 way. It becomes a daily activity, to have someone
19 adjusting the flow performance from the well on a
20 realtime basis. And so in doing that, you're -- you're
21 increasing the flow pressure or bringing it down into --
22 you're doing things with your pressure in the wellbore
23 and near the formation.

24 Q. So then what happens to the formation at that
25 point?

1 A. The formation itself -- I don't believe you
2 would necessarily damage the formation. I just don't
3 know what's going to happen as you start to do that.

4 Q. So you're saying that --

5 A. You introduce the possibility to -- you create
6 more variables.

7 Q. You increase possibility of damaging the
8 reservoir?

9 A. Correct.

10 Q. And adversely affecting ultimate reserves? Is
11 that a fair statement?

12 A. That is how I would see it on an ongoing basis.

13 RECROSS EXAMINATION

14 BY EXAMINER JONES:

15 Q. So the sand stays in place, right?

16 A. Yes. We're not seeing the formation.

17 Q. Even with these -- the all-out deliverability
18 rates, your frac sand is staying pretty good?

19 A. Yeah. I've not seen anything. And we're doing
20 fairly high concentration, as you can see from the well
21 completion reports, fairly heavy sand loading and what I
22 would consider large completions, and to my knowledge,
23 we're not seeing anything that's -- that's coming back
24 on us out of the ordinary.

25 Q. But they might if they start surging [sic] the

1 well a little bit. It might damage your frac job.

2 A. What's unknown is if you start moving the
3 pressure around them in the formation by doing -- on and
4 off, or if you choose to maintain your allowable by
5 completely shutting a well in versus choking back. It
6 adds another level of complexity to the production of
7 the wells.

8 Q. When you start artificially lifting, what would
9 you use out here?

10 A. So out here, traditionally, we'll free-flow the
11 well with casing and then install tubing and flow up
12 with tubing, and then for an artificial lift, a gas lift
13 and ultimately into a pumping unit.

14 Q. So you get an exception -- not use tubing for a
15 while, and then when you put in a gas lift -- open gas
16 lift system or --

17 A. Yeah, just a gas lift.

18 EXAMINER McMILLAN: No more questions.

19 EXAMINER JONES: No, I don't.

20 EXAMINER McMILLAN: Do you have any
21 questions?

22 EXAMINER BROOKS: No questions.

23 EXAMINER McMILLAN: With that in mind,
24 thank you very much.

25 THE WITNESS: Thank you.

1 EXAMINER McMILLAN: Actually, this is a
2 very nice presentation.

3 EXAMINER JONES: It was.

4 EXAMINER McMILLAN: Everyone did an
5 excellent job.

6 Case Number 15668 and Case Number 15669
7 shall be taken under environment.

8 Thank you very much.

9 MS. KESSLER: Thank you.

10 EXAMINER McMILLAN: We're going to recess
11 until -- let's say 1:15.

12 EXAMINER BROOKS: Okay. 1:15, it is.

13 (Case Numbers 15668 and 15669 conclude,
14 11:29 a.m.)

15 (Recess, 11:30 a.m.)

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2017
Paul Baca Professional Court Reporters