

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF BLACK RIVER WATER MANAGEMENT COMPANY, LLC TO AMEND ADMINISTRATIVE ORDER SWD-1627 FOR A SALTWATER DISPOSAL WELL LOCATED IN EDDY COUNTY, NEW MEXICO. CASE NO. 15720

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

June 8, 2017

Santa Fe, New Mexico

BEFORE: WILLIAM V. JONES, CHIEF EXAMINER
MICHAEL McMILLAN, TECHNICAL EXAMINER
DAVID K. BROOKS, LEGAL EXAMINER

This matter came on for hearing before the New Mexico Oil Conservation Division, William V. Jones, Chief Examiner, Michael McMillan, Technical Examiner, and David K. Brooks, Legal Examiner, on Thursday, June 8, 2017, at the New Mexico Energy, Minerals and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102
(505) 843-9241

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR APPLICANT BLACK RIVER WATER MANAGEMENT COMPANY, LLC:

ADAM G. RANKIN, ESQ.
HOLLAND & HART, LLC
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505) 988-4421
agrarkin@hollandhart.com

INDEX

PAGE

Case Number 15720 Called	3
Black River Water Management Company, LLC's Case-in-Chief:	
Witnesses:	
Trent W. Green:	
Direct Examination by Mr. Rankin	3
Cross-Examination by Examiner Jones	27
Proceedings Conclude	43
Certificate of Court Reporter	45

EXHIBITS OFFERED AND ADMITTED

Black River Water Management Company, LLC Exhibit Numbers 2 through 9	27
Black River Water Management Company, LLC Exhibit Numbers 10 and 11	27

1 (2:28 p.m.)

2 EXAMINER JONES: Call Case Number 15720,
3 application of Black River Water Management Company, LLC
4 to amend Administrative Order SWD-1627 for a saltwater
5 disposal well located in Eddy County, New Mexico.

6 Call for appearances.

7 MR. RANKIN: Mr. Examiner, Adam Rankin on
8 behalf of the Applicant, Black River Water Management
9 Company, LLC, and I have one witness today.

10 EXAMINER JONES: Any other appearances?
11 Will the witness please stand?

12 (Mr. Green sworn.)

13 TRENT W. GREEN,
14 after having been first duly sworn under oath, was
15 questioned and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. RANKIN:

18 Q. Good afternoon, Mr. Green.

19 A. Good afternoon.

20 Q. Will you please state your full name for the
21 record?

22 A. My name is Trent W. Green.

23 Q. And by whom are you employed?

24 A. Matador.

25 Q. Mr. Green, will you please explain for the

1 **Examiner the relationship between Matador and Black**
2 **River Water Management Company, LLC?**

3 A. Black River Water Management is an affiliate of
4 Matador Resources.

5 **Q. And what is your job title with Matador?**

6 A. I am the vice president of production and
7 facilities for the company.

8 **Q. And what do those duties entail?**

9 A. A lot. I oversee the production and operations
10 for Matador's wells in three states. I also oversee the
11 facility construction. So outside of drilling and
12 completions, my department handles everything for the
13 next 25 years or so on a well.

14 **Q. Have you previously testified before the Oil**
15 **Conservation Division here in New Mexico?**

16 A. I have not testified in front of this
17 Commission.

18 **Q. Will you please review for the Examiners your**
19 **background and your educational background?**

20 A. Sure. I received a bachelor of petroleum
21 engineering from Montana Tech in 1989. I received my
22 professional license in 2005. I'm registered in
23 Colorado. My MBA is from the University of Denver, in
24 '07. I've testified in front of other commissions in
25 other states.

1 **Q. Will you please review a little bit of your**
2 **background work experience as a petroleum engineer?**

3 A. Sure. I've dealt with water systems for almost
4 my entire career, so a little over 20 years. I've
5 worked with systems on six continents and around the
6 country. Most recently, I was chief operating officer
7 with HEYCO, Harvey E. Yates, down in Roswell, and put in
8 a couple of wells for them. Prior to that, I was with
9 BOPCO up in Colorado, put in disposal wells in Colorado
10 and Wyoming. And I've worked on water management
11 systems around the globe for various reasons, various
12 sundry problems for about 20-plus years.

13 **Q. So your job duties involve and your**
14 **responsibilities involve both on the oil-production side**
15 **and some saltwater disposal water management duties?**

16 A. Yes. With Matador, I handle, essentially, both
17 sides of the equation, the long-term strategic
18 management of produced water and the disposal on both
19 sides of that equation.

20 **Q. Okay. Now, are you familiar with the**
21 **application that was filed in this case, as well as the**
22 **well?**

23 A. Yes, I am.

24 MR. RANKIN: Mr. Examiner, I would tender
25 Mr. Green as an expert in petroleum geology and

1 saltwater disposal.

2 EXAMINER JONES: Yeah. I think I've seen
3 him in SPE.

4 You're active in SPE.

5 THE WITNESS: I've been active for a long
6 time in SPE, yes, as a chairman.

7 EXAMINER JONES: Denver or Farmington or --

8 THE WITNESS: Williston, Tulsa, Denver,
9 Houston and Roswell, chairman of all those organizations
10 at one time.

11 EXAMINER BROOKS: Okay. That's why -- you
12 get around. I've seen your name.

13 THE WITNESS: I have, yes, sir.

14 EXAMINER JONES: Okay. He is so qualified.

15 MR. RANKIN: Thank you very much.

16 **Q. (BY MR. RANKIN) Mr. Green, will you please**
17 **explain for the Examiners what it is that you're seeking**
18 **here today?**

19 A. Today we're seeking to increase the tubing size
20 in the Black River SWD well from 4-1/2 inch to
21 5 inch under Administrative Order SWD-1627.

22 **Q. So this -- this particular well is subject to**
23 **approval and authorized to inject through an**
24 **administrative order?**

25 A. Yes, it is.

1 Q. And that's Order SWD-1627? Is that what you
2 said?

3 A. That's correct.

4 Q. And is the only thing you're seeking to change
5 is the diameter of the tubing?

6 A. That's correct.

7 Q. Now, is a -- let's see. Let's get ourselves
8 located here. Is Exhibit Number 1 a copy of that order
9 that approved authorization to inject?

10 A. Yes, it is.

11 Q. And what did the order provide generally?

12 A. It generally provides for a surface-injection
13 pressure limit, 2,740 psi, with 4-1/2-inch tubing or
14 smaller, and the injection zone from 13,700 feet to
15 14,700 feet.

16 Q. Is Black River currently injecting into this
17 well?

18 A. Yes.

19 Q. And when did it start injecting?

20 A. Towards the end of December 2016, when we
21 initiated injection.

22 Q. And is this well equipped as it was proposed
23 and as it was permitted?

24 A. Yes, it is.

25 Q. And is it cased and cemented according to the

1 Division's regulation requirement?

2 A. Yes, it is.

3 Q. And so you're not seeking to change any of the
4 well construction -- any aspect of well construction or
5 any other aspect of the well other than the tubing size?

6 A. That's correct.

7 Q. Now, after the Division first approved this
8 order administratively -- that's Order SWD-1627 -- did
9 Black River ask the Division to increase the tubing
10 size, administratively, from 4-1/2 inches to 5-1/2
11 inches?

12 A. Yes.

13 Q. And Black River now has modified this
14 application to request to seek a 5-inch tubing size, not
15 a 5-1/2-inch tubing size; is that correct?

16 A. That is correct.

17 Q. And is a 5-inch tubing size adequately
18 sufficient for purposes of this well?

19 A. We would prefer 5-1/2-inch, but for this well
20 and the casing design that is in this well, 5-inch will
21 work for us.

22 Q. Okay. So based on the existing well
23 construction and design, 5-inch tubing is the
24 appropriate size for the existing well construction?

25 A. That is correct.

1 Q. Now, let's talk a little bit more about where
2 the well is located. Is Exhibit Number 2 a well locator
3 map of where the well is?

4 A. Yes. Exhibit Number 2 is a locator map for the
5 Black River SWD #1 well. You can see on the map that it
6 is located in southern -- southeastern Eddy County in
7 the -- located in the Delaware Basin, and it's west,
8 plus or minus three miles, of Loving, New Mexico.

9 Q. Do you also have a well log that gives a little
10 background on the particular location of the geology of
11 the well?

12 A. Yes. So I direct you to Exhibit 3, which is a
13 well log, not the entire log, the lower portion of the
14 well, the Black River SWD #1 well log. This shows the
15 zone that we're injecting into, the top of the injection
16 zone, 31, below the Woodford zone. The 31 is a lower
17 Devonian carbonate. We drilled into this zone plus or
18 minus about 800 feet and completed open hole.

19 This log shows you, in track one, the gamma
20 ray. As you can see, it's pretty straight through
21 there. Moving to the right, you have the depth track
22 and TVD, total vertical depth. The photoelectric curve
23 is the orange curve with the gray spacing in there.
24 Moving to the right, again, you have the resistivity
25 degree. The subsea TVD depth track is next. The track

1 is the blue and the black curves of the density -- or
2 the porosity curves, black being the density porosity,
3 blue being the neutron porosity. The curve on the far
4 right, in yellow, is the sonic curve.

5 Q. Just while we're on this particular exhibit, a
6 portion of this wellbore that's completed open hole,
7 that injection zone, is that -- from what depth track?

8 A. Approximately 13,7 to 14,7.

9 Q. And what are -- if you could summarize the
10 reasons that you're seeking to increase the tubing here
11 from 4-inch to 5-inch. Is that -- are those laid out in
12 Exhibit 4?

13 A. Exhibit 4, is the answer to that. Exhibit 4
14 states the reasons that we are trying to upsize the
15 tubing. First and foremost, bullet point one, 85
16 percent of the measured surface pressure is due to
17 friction in a 4-1/2-inch tubing. And we have measured
18 that, and we'll talk about that in subsequent exhibits.

19 The increase in tubing size will mitigate
20 or decrease this friction and increase our ability to
21 dispose of or inject greater volumes in this well. The
22 larger tubing and subsequent lower friction allows for
23 more water to be disposed of in fewer wells, which then
24 takes me to the fourth bullet point, yielding reduced
25 surface impact with fewer disposal wells.

1 Q. So the chief issue you're seeking to address
2 here with this application for the increase to 5-inch
3 tubing is to mitigate that 85 percent injection pressure
4 due to friction?

5 A. That is correct. Friction is not our friend.

6 Q. And friction reduces the total volume that can
7 be injected through that well?

8 A. That's correct.

9 Q. Okay. So have you conducted a study, then, to
10 determine -- and how is it that you know that you've got
11 85 percent of your injection pressure due to friction?
12 Did you conduct a study to determine that?

13 A. Of course.

14 Q. And that's indicated in Exhibit 6 -- 5, rather?

15 A. 5. Exhibit 5.

16 So to analyze and fully ascertain what we
17 have and how we move forward, first Matador and Black
18 River Water Management conducted a separate injection
19 falloff test. The primary objection of this test was to
20 measure friction in the tubing, and then follow up with
21 some reservoir properties.

22 So this particular plot you see on Exhibit
23 5 shows the results of our test. On the y-axis, we have
24 the vertical axis, pressure, the psi. On the horizontal
25 axis, or the x-axis, we have the injection rate in

1 barrels per day. What you see in the main part of the
2 graph, the first red line, if you will, horizontal red
3 line, is the approved surface pressure limit. And I've
4 drawn that on there for reference. That's the .2 psi
5 per foot times the depth and the 2,740 psi.

6 Corresponding to that, because I work in
7 bottom-hole pressure, you see the top red line, which is
8 essentially just adding hydrostatic, .45 psi per foot or
9 1.04 specific gravity times the density, giving me
10 roughly 9,000 psi -- pressure limit, per the permit.

11 In the center is the blue line, and that
12 represents the bottom-hole pressure measured in the
13 gauge that we had in the bottom hole during this test.
14 We gauge the surface, and we gauge at the bottom hole.
15 The difference between the two, basically, is friction.

16 In gold, towards the bottom, in the
17 gold-dashed line, is the measured surface treating
18 pressure, or injection pressure, while we were
19 conducting our step-rate test. You can see that we
20 did -- we could have -- it's dashed because we didn't
21 actually do that. It's dashed because we could have
22 crossed the surface treating pressure limit had we kept
23 going, but we, essentially, pressured out with friction.
24 The gold bars are the calculated measured friction. The
25 blue triangle below that is the entry friction into the

1 formation, which is about 15 percent. You can think of
2 that as reservoir entry friction or some level of small
3 amount of skin. But the calculation shows that 85
4 percent of the surface-injection pressure is friction in
5 the tubing.

6 Q. So in addition to identifying and determining
7 what the -- calculating what the friction is that
8 accounts for this injection pressure, you took other
9 measurements of the reservoir at the time; is that
10 right?

11 A. We did a falloff test following this to
12 ascertain reservoir properties.

13 Q. Okay. And then in your exhibit here, you've
14 indicated that you conducted some additional studies
15 based on the data that you obtained?

16 A. Yes, we did.

17 Q. One was a nodal analysis?

18 A. We then move into nodal analysis.

19 Q. And the other -- I think you said you did a
20 study to indicate the potential response to the pore
21 pressure in any injection.

22 A. That's correct.

23 Q. So let's talk about the nodal analysis first.
24 What is a nodal analysis?

25 A. A nodal analysis, which we'll look at on

1 Exhibit 6, is a methodology that engineers use to
2 optimize the completion design. It essentially matches
3 that design -- that completion design to the reservoir
4 deliverability. It allows engineers like myself to
5 identify restrictions or limitations or variations of
6 different configurations and tubular sizes on the impact
7 of the well productivity.

8 **Q. Will you review for the Examiners what Exhibit**
9 **6 actually shows here?**

10 A. Exhibit 6 is an output of a nodal analysis that
11 I did. And on this plot, we have, on the x-axis, the
12 horizontal axis, the liquid rate. In this case, it's an
13 injection rate in barrels per day. On the y-axis is the
14 bottom-hole pressure. I balance my well at the bottom
15 hole, hence, the bottom-hole pressure from the previous
16 analysis as well. That's in psig. You match the inflow
17 performance, or in this case the tubing performance, and
18 that's the blue curve that you see labeled "4-1/2-inch
19 tubing."

20 The two yellow dots indicate measured
21 actual data. We got that from our step-rate test
22 previously. So we anchored those points. I felt
23 comfortable with that correlation on a 4-1/2-inch
24 tubing. That matches, roughly, 15 barrels a minute or
25 21.7 or 22,000 barrels a day current injection rate.

1 From this, we then evaluate the different
2 tubing sizes that we could use. In this case I looked
3 at 5-inch tubing. That's the red-dashed line. You can
4 see that curve to the right. The difference between the
5 4-1/2 and 5-1/2-inch curve is, essentially, the fiction
6 difference, which is represented by the black-dashed
7 line.

8 What I was able to come up with was a very
9 minor increase, small, maybe less than 100 psi, of
10 injection pressure. We could go to 20 -- 30,000 barrels
11 a day with the 5-inch tubing. That's what I'm showing
12 here.

13 **Q. Now, on this exhibit, you also indicate what**
14 **the approved bottom-hole pressure is --**

15 A. I do.

16 **Q. -- based on your calculation --**

17 A. And that's the top red line with the approved
18 bottom-hole pressure limit, which is 2,740, plus
19 hydrostatic.

20 **Q. So that line indicates --**

21 A. And we do not approach that with this
22 injection. That's correct.

23 **Q. Now, based on this analysis, have you come to**
24 **any conclusions about the propriety or the**
25 **appropriateness of using a 5-inch tube in this**

1 particular well?

2 A. I think it's appropriate.

3 Q. And is it based on your determination that it
4 won't approach the permitted injection pressures?

5 A. Well, we will not approach surface- and
6 bottom-hole pressure limitations. We'll enhance the
7 deliver -- or the injectivity, the deliverability of the
8 well and improve the economics. So yes.

9 Q. With only a marginal increase in injection
10 pressures?

11 A. "Marginal" being the key word.

12 Q. Yeah.

13 Now, you also indicated in a previous
14 exhibit an additional study to look at pore pressure
15 response. And is that something that you also have an
16 exhibit to present?

17 A. Yes.

18 Q. Is that Exhibit 7?

19 A. Exhibit 7 describes the evaluation I made to
20 look at the impact that a pore pressure increase might
21 have. We wanted to make sure that putting these volumes
22 in wasn't going to have any other impacts we may not
23 want.

24 So on Exhibit 7, I'm showing a graph here
25 that we used a model to calculate. On the graph, I show

1 three different injection rates. Again, on the y-axis,
2 I have a calculated pore pressure. That would be above
3 and beyond virgin pressures. The pressure here is
4 measured at 6204. This would be above and beyond that
5 based on however long we inject it.

6 Along the x-axis, or the horizontal axis,
7 is distance from the wellbore in kilometers. I love
8 switching up units to mess with people. So we're in
9 kilometers. The injection rate is the three curves. I
10 have a blue curve, which is 40,000 barrels per day. The
11 orange curve represents a rate of 30,000 barrels a day,
12 and the green curve represents an injection rate of
13 20,000 barrels a day. This analysis was done for a
14 20-year period. In other words, taking a look at the
15 orange curve, if we were to inject 30,000 barrels a day
16 for 20 years, at the wellbore, we would only increase
17 the pore pressure 165 psi, maybe, which is less than
18 3 percent of the initial reservoir pressure.

19 **Q. Just for our own -- for context, what**
20 **approximate tubing size would be -- would permit you to**
21 **inject 40,000 barrels per day?**

22 **A. 5-1/2-inch tubing.**

23 **Q. Okay. 5-1/2-inch tubing.**

24 **All right. So you're kind of in the middle**
25 **there with the 5?**

1 A. Yes. 30,000 barrels a day is the 5-inch, and
2 20,000 is where we're at with the 4-1/2.

3 Q. And based on this study and based on your
4 analysis of the pore pressure response, what are your
5 conclusions about switching to the 5-inch tubing in this
6 particular reservoir?

7 A. The reservoir would see a relatively
8 insignificant impact by having a larger volume injected.

9 Q. And so in your view, the appropriateness of
10 switching to the 5-inch tubing, the benefit would be
11 that you get to inject additional volumes --

12 A. That's correct.

13 Q. -- without weighing any concerns to impacts to
14 the reservoir?

15 A. Correct.

16 Q. Now, just so the Examiners understand, you used
17 a particular model to conduct the study?

18 A. We used a model developed by Stanford
19 University, and in that model, it is used -- it is used
20 to evaluate pore pressure impacts, if you will, due to
21 oil and gas injection and to look for potential effects
22 of that.

23 Q. And that model was developed at a university
24 or --

25 A. Stanford University.

1 Q. Is that an industry-accepted model that is used
2 for this type of work?

3 A. Yes, I believe so.

4 Q. Now, overall, Mr. Green, does the result of
5 your analysis indicate that there is little risk to
6 impact to the formation based on the proposed injection
7 rate?

8 A. Restate the question.

9 Q. Yeah. Based on your analysis with this model,
10 is it your conclusion that there is little impact to the
11 reservoir based on the proposed injection rate?

12 A. That is correct.

13 Q. Okay. Now, this model that you ran, that you
14 conducted, did it account for any other injection other
15 than the subject well?

16 A. No. This is the only well.

17 Q. Okay. Now, are you aware of any other
18 injectors in the area that are injecting into the
19 Devonian?

20 A. There is another well approximately a mile
21 away, or using scale, my two kilometers away. Yes.

22 Q. And do you have any information about that
23 well? Do you understand what it's --

24 A. A little bit. A little bit. It's not in
25 New Mexico, and I'll probably pronounce it incorrect,

1 Cigarillo. Cigarillo. I'm from Montana. Cigarillo,
2 we'll say. Yeah. It's about a mile away. It's
3 injecting into the Devonian. For its life, the average
4 injection rate has been less than 5,000 barrels a day,
5 and for 2017, it has averaged about 2,300 barrels a day.

6 Q. So you said it's approximately -- roughly two
7 kilometers away from the Black River --

8 A. Yes.

9 Q. -- injector?

10 A. Yes.

11 Q. So is there any way that you can anticipate or
12 project what the potential impact would be between those
13 two wells?

14 A. Yeah. You could take my plot and go to the
15 two-kilometer curve -- or line, horizontal line, and
16 kind of imagine a 5,000 barrel-a-day curve. And you can
17 see that that would have an impact, at two kilometers,
18 of 1020 psi over 20 years of injection. This has been
19 on injection for not very many years, so it's probably
20 going to have a negligible impact to the reservoir in
21 this area.

22 EXAMINER BROOKS: Excuse me. I'm going to
23 have to leave to go to my meeting, and I will leave it
24 to the Examiner's discretion if he wishes to continue --
25 if he wishes to go on with the hearing or postpone it

1 until I'm able to return.

2 EXAMINER JONES: I thought you had to leave
3 at 3:30.

4 EXAMINER BROOKS: 3:00.

5 EXAMINER JONES: No. Let's keep going.
6 Thanks for being here today.

7 EXAMINER BROOKS: Thank you.

8 (Examiner Brooks exits the hearing.)

9 Q. (BY MR. RANKIN) Let's pick up where you were
10 just describing how you can estimate the rough impact --
11 the approximate impact of this other well that is
12 approximately two kilometers of the Black River
13 injection well.

14 A. Yes. This analysis could do that, evaluate the
15 pore pressure effect.

16 Q. And based on its lifetime injection rate of
17 about less than 5,000 barrels per day, you came to the
18 conclusion that its impact on the pore pressure would be
19 insignificant?

20 A. Correct.

21 Q. And together, these two wells could have a very
22 slight impact or result in a very slight response to the
23 pore pressure within this area?

24 A. That's correct.

25 Q. Now, in your opinion, Mr. Green, does this

1 analysis and your experience with the Devonian and
2 injection in this area suggest that there is still
3 capacity for injection within the Devonian for the life
4 of this Black River well at the proposed injection rate
5 of 3,000 barrels per day with that 5-inch tubing?

6 A. At the injection rate of 30,000 barrels a day,
7 yes, there is additional capacity.

8 Q. What did I just say?

9 A. 3. You said 3.

10 Q. 3? Sorry.

11 A. Yes. There is additional capacity for
12 injection at this interval, at these rates.

13 Q. Okay. Now, again, just to recap what your
14 earlier slide was -- depicted and the reasons for this
15 application, what was the -- what is the -- again,
16 recap. What is the practical benefit of increasing the
17 tubing size from 4-1/2 inches to 5 inches?

18 A. The practical impact is reducing friction
19 pressure, increasing injectivity and fewer disposal
20 wells.

21 Q. Okay. Now, let's talk a little bit more about
22 the particular wellbore here and the risk to the
23 wellbore by increasing the tubing size from 4-1/2 inches
24 to 5 inches. Did you evaluate that issue in preparation
25 for this hearing?

1 A. Yes. We looked at the construction of the
2 well, how it's built, what kind of casing we have, what
3 we can work with. So Exhibit 8 shows a cross section,
4 if you will, a bird's-eye view, of, on the left, the
5 as-built 4-1/2 tubing by 7-inch casing and its
6 clearances, and on the right, 5-inch tubing in that same
7 wellbore as proposed, 7-inch casing, and its clearances.

8 The 5-inch-tubing scenario yields adequate
9 annular clearance and one -- the BLM recommends a
10 minimum clearance of .42 inches, which this adequately
11 addresses. And we believe this has a -- meets the
12 expectations for prudent operation of an SWD well.

13 **Q. And why, generally, does clearance within the**
14 **annular space matter?**

15 A. Not that we do it on a regular basis and not
16 that I want to, but occasionally we have to fish tubing
17 out of the hole when something occurs, and you need to
18 have appropriate clearances so you can get your tools in
19 and do that.

20 **Q. And you need to fish if there were a situation**
21 **where the tubing were to get stuck or somehow this is**
22 **inaccessible?**

23 A. That is correct.

24 **Q. Now, are there -- based on the proposed tubing,**
25 **the 5-inch tubing, within this existing casing, are**

1 **there standard readily available tools that will allow**
2 **you to access and fish any tubing that should ever**
3 **get -- be required?**

4 A. Yes. The reason I did the evaluation was to
5 make sure that the essential stock equipment is
6 available to fish these kind of tubulars out of this
7 well.

8 Q. **Now, this well's already been drilled --**

9 A. Yes.

10 Q. **-- or it's being injected into?**

11 A. Yes.

12 Q. **So have you -- do you have a well deviation**
13 **study or report?**

14 A. I do. That would be Exhibit 9. Exhibit 9
15 shows the wellbore as drilled, and you can see the
16 casing designs. So what we see here is the true
17 vertical depth on the y-axis and -- excuse me -- across
18 the top, which is our northering [sic] x and y-axis.
19 You can see the well is drilled. It's relatively
20 vertical, and so we exit the casing -- open hole
21 section. It's essentially a vertical hole. Yes, sir.

22 Q. **So based on this amount of deviation, will**
23 **regular, standard fishing tools be able to access any**
24 **part of the tubing within this casing?**

25 A. That is correct.

1 Q. In your opinion, is there an unreasonable
2 enhanced risk to the wellbore as a result of the
3 increased tubing size from 4-1/2 inches to 5 inches in
4 this casing?

5 A. No.

6 Q. All right. So let's talk a little bit about
7 notice. Is -- Exhibit Number 10, is that a copy of the
8 Notice of Publication that was published in the
9 "Carlsbad Current-Argus" giving notice of today's
10 hearing and your application?

11 A. Yes, it is.

12 Q. And is the next exhibit, Exhibit Number 11, is
13 this a copy of the affidavit that was prepared by me
14 indicating that we provided notice to all the parties of
15 interest according to Division rules?

16 A. Yes, it is.

17 Q. And behind that affidavit, is there a copy of
18 the letter that we sent out providing that notice?

19 A. Yes.

20 Q. And on the subsequent pages, is there a list of
21 all the entities who were required to be provided notice
22 according to the Division rules?

23 A. Yes.

24 Q. And following that list, is there also a copy
25 of the green cards and green card receipts indicating

1 that those individuals for which we had correct records
2 received notice?

3 A. Yes.

4 Q. In your opinion, Mr. Green, would a prudent
5 operator switch its tubing from 4-1/2 to 5-inch tubing
6 given the facts and the increased friction that this
7 well is experiencing with the injection that's been
8 occurring?

9 A. Yes.

10 Q. Okay. And in your opinion, would approving
11 this application impair any correlative rights?

12 A. No.

13 Q. Would it be in the best interest of
14 conservation?

15 A. Yes.

16 Q. And in your opinion, would it protect against
17 waste?

18 A. Yes.

19 Q. Let's see. I think that would be all my
20 questions. That's usually what I end on.

21 MR. RANKIN: Mr. Examiner, with that, I
22 would like to tender -- move to admit Exhibits 2 through
23 9.

24 EXAMINER JONES: Exhibit 2 through 9 are
25 admitted.

1 (Black River Water Management Co. Exhibit
2 Numbers 2 through 9 are offered and
3 admitted into evidence.)

4 MR. RANKIN: And Exhibit 10, which is my
5 affidavit, admit that -- rather, the Notice of
6 Publication, which is 10, and Exhibit 11, which is the
7 affidavit, ask that those be admitted as well.

8 EXAMINER JONES: Exhibits 10 and 11 are
9 admitted as well.

10 (Black River Water Management Co. Exhibit
11 Numbers 10 and 11 are offered and admitted
12 into evidence.)

13 CROSS-EXAMINATION

14 BY EXAMINER JONES:

15 Q. The notice you provided in this case was -- you
16 cited Part 4. Did you not -- did you -- you probably
17 had to kind of search for what notices to provide in
18 this case?

19 MR. RANKIN: We provided notice according
20 to the injection -- you know, the injection rules.

21 EXAMINER JONES: Oh, 16.

22 MR. RANKIN: Yes.

23 EXAMINER JONES: Or 26. 26. Yeah. Okay.
24 So that one -- in other words, you went out a half mile
25 and provided notice?

1 MR. RANKIN: Yes.

2 EXAMINER JONES: Okay. And the surface
3 owner here is -- let's see. It might be a fee surface
4 owner.

5 MR. RANKIN: Do you know the answer to
6 that?

7 THE WITNESS: Yeah, Black River Management.

8 EXAMINER JONES: Yeah. You guys own the
9 surface.

10 THE WITNESS: Yeah.

11 EXAMINER JONES: Yeah. Which make sense.
12 Okay.

13 Q. (BY EXAMINER JONES) This BLM guidelines of 4.2
14 [sic], is that a difference between the two diameters,
15 4.2 [sic], the ID versus the OD?

16 A. No. It's the center clearance. Yes. Between
17 the OD and if you look at --

18 Q. Oh. So it's the difference --

19 A. Yeah. So the reason, if you look on the
20 exhibit --

21 Q. Difference in the radiuses?

22 A. The radius.

23 Q. Okay.

24 A. That's why I put the coupling OD and the dash
25 as well, make sure we had the radii adequately covered.

1 Q. Okay. So when you say 5-inch, are you talking
2 5-inch IJ or EUE?

3 A. BTC.

4 Q. Okay. So it's -- it's got a bigger -- bigger
5 pin than it's got -- I mean, it's an upset end, EUE?

6 A. Yes. Yes.

7 Q. Okay. I thought it was 5-inch interval
8 joint --

9 A. No.

10 Q. -- tubing, but -- okay.

11 And it would be plastic-coated also?

12 A. Internally coated, yes.

13 Q. I think that some districts -- all our
14 districts in the south require that, and in the
15 northwest, it's not -- it's kind of -- you know, you can
16 request not to do that.

17 A. Well, I believe it's prudent to have coated --

18 Q. Okay. When you do without it, then you get a
19 lower friction --

20 A. And you reduce the friction by having the
21 coating. Yes.

22 Q. But that stuff is about a quarter-inch from --

23 A. Yes, it is.

24 Q. So it reduces your ID?

25 A. Yes, it does, which is shown on that graph as

1 well.

2 Q. Okay.

3 A. I show that with the cross section on 5-inch
4 casing, 4.036 ID. If you'll refer to your red book,
5 you'll find it's actually 4.164, I believe, in the red
6 book.

7 Q. Okay. Okay. So you used a drift diameter of
8 the 7-inch? So it's 7-inch -- they called it a liner in
9 the permit, but it's really --

10 A. It's production casing.

11 Q. It's production casing all the way from
12 surface?

13 A. Yes, sir.

14 Q. And it's -- okay. Okay. So it's -- I see what
15 you are doing here.

16 Now, the step-rate test that you came up
17 with, did you determine that you can increase the
18 bottom-hole injection pressure higher than the .2 plus
19 .433?

20 A. Yes. Actually, we could go higher.

21 Q. Because you can apply for that.

22 A. Could.

23 Q. You get more water in the ground if you want to
24 spend more money on pumps, you know, out there.

25 A. (Indicating.)

1 But you can see from the step-rate test,
2 it's a hockey-stick curve, the grey -- I'm sorry -- the
3 gold curve. It doesn't kick up pretty fast as you move
4 to the right.

5 **Q. There's no break in it?**

6 A. On the blue line, you're correct. I'm looking
7 at the surface pressure, which is the gold line.

8 **Q. Yeah.**

9 A. That would be where the horsepower is required
10 to push it down the hole.

11 **Q. Yeah.**

12 A. Now, the blue line, you're absolutely right.
13 It's relatively -- no inflection.

14 **Q. Even if you change the scale on the y-axis, you**
15 **wouldn't see a break -- you wouldn't see a break in the**
16 **bottom-hole pressure?**

17 A. Almost insignificant. No. Almost a straight
18 line.

19 **Q. Okay. Now, so you did a falloff after this?**

20 A. Did a falloff test, yes, 16-hour falloff.

21 **Q. Did it show linear -- linear behavior or -- or**
22 **matrix behavior?**

23 A. After a short wellbore storage section, it
24 went, essentially, into radial flow.

25 **Q. Okay.**

1 A. I think you'll see in the box there, tech box,
2 the transmissibility -- I'm sorry. That's on the nodal
3 analysis. The reservoir is 204,000 millidarcies. Over
4 to the right, there is a box.

5 Q. Okay. There it is.

6 A. Yes, sir.

7 Q. Okay. So you've got -- your KH is quite high
8 in this well, 204,000. And your reservoir pressure, you
9 know what that is. And the thickness, you just used
10 1,000 feet?

11 A. I used 800 feet. We drilled into it roughly
12 800 feet, yes, open hole completed.

13 Q. Okay. So the Devonian in this area, can we
14 consider bottom and side water drive, correct? I mean,
15 if you were producing.

16 A. If you were producing, yes.

17 Q. The water would come from somewhere?

18 A. Somewhere else.

19 Q. We have had cases here before that showed that
20 the influence of the injection into the Devonian doesn't
21 go very far, and that's what you're showing here,
22 correct? Doesn't influence the pressure in the
23 Devonian --

24 A. Much.

25 Q. -- much --

1 A. Correct.

2 Q. -- very far from the wellbore --

3 A. That's correct.

4 Q. -- even at the high rates?

5 Now, the capacity that you had to inject,
6 say there was no limit on your cost -- I mean, you could
7 drill a big casing and put huge tubing. What would be
8 your -- you've got these two yellow dots in your
9 Devonian.

10 A. Uh-huh.

11 Q. Is that your injection performance relationship
12 or -- in other words --

13 A. That's essentially the IPR curve. For an
14 injection well, it's hard to call it that --

15 Q. Yeah.

16 A. -- but that's the IPR curve. And you can --
17 that is a straight line extrapolation, oh, for another
18 inch or so to the right, and then it'll curve up a
19 little bit.

20 Q. Then it'll finally curve up.

21 A. Yes.

22 Q. You actually did crank it up, and you tested it
23 pretty good, then?

24 A. Well, of course, sir (laughter).

25 Q. Okay. Okay. That makes sense. You've got to

1 know what you're dealing with.

2 There are two things that I understand that
3 the Division is a bit concerned about, and it may be
4 that David wants to get -- get some operators in to have
5 a little discussion on this, because it seems to be that
6 you guys are not the only ones and just -- we had the
7 Mesquite hearing. And one was the fishability of it.

8 A. Yes.

9 Q. And the other one that I actually wasn't aware
10 of is some are concerned about the influence of too much
11 injection into -- near the basement rocks that might
12 influence possible seismic activity in the future. You
13 didn't bring your geologist today, but --

14 A. No.

15 We are about 1,000 feet above the basement,
16 however.

17 Q. Yes.

18 A. And we have done internal evaluations, again,
19 being a prudent operator, to make sure that doesn't
20 impact us in the future. So we believe that we're in
21 decent shape here.

22 Q. Yeah. I have heard that there is an
23 interest -- normally, the operators not to --

24 (Examiner Brooks returns to the hearing.)

25 EXAMINER BROOKS: You're right. It's 3:30.

1 It's been changed, and I was not alerted.

2 EXAMINER JONES: I was just -- we went over
3 this, and I just was reiterating that -- we were talking
4 about the concerns than the Division has in these type
5 cases, not to -- I don't want to get out of line here in
6 a hearing.

7 Q. (BY EXAMINER JONES) We're just taking what you
8 say and processing it and everything. But -- but some
9 operators -- we have heard that no one wants any tremors
10 because they might -- it's going to get blamed on the
11 oil patch if it happens, you know.

12 A. Uh-huh. Uh-huh.

13 Q. And you, of course, probably feel the same way.

14 A. Yes.

15 Q. Especially if you have properties in Oklahoma
16 or Texas or places --

17 A. Well, as a prudent operator, we don't want to
18 jeopardize our future operations with issues such as
19 that as well, so we're looking at all the things we can
20 to make sure that we are going to be prudent to not have
21 these kind of impacts happen.

22 Q. Is there possible faults in this area? Did you
23 talk to your geologist about that?

24 A. Yes. Yes to the geologist question.

25 Q. Okay.

1 A. We have proprietary in-house 3D seismic and
2 other data image logs, a lot of data in the area and
3 have evaluated that information to make sure of the
4 issues, in putting these wells in the right places that
5 we're comfortable with.

6 Q. Okay. Okay. Thanks for saying that.

7 Another concern that I had was if something
8 happens to these big wells -- big disposal wells and you
9 have trouble plugging the well properly because you
10 can't fish it, will then -- then that's a concern to the
11 Division. You know, we try to put those plugs from the
12 bottom on up. And this particular well here, I was
13 looking at it, and I don't see the logs on the well.
14 And for some reason, our logs all got -- that's on there
15 are all -- that I saw were cement bond logs, and they're
16 all copied -- well, there is one mud log, but it was all
17 copied in black and white and was it was very hard to
18 read on our site. And it's possible the person scanning
19 it in our Artesia office -- we didn't even have a
20 scanner there until recently, I think --

21 A. Correct.

22 Q. -- so it's possible that could have happened.
23 And it could be that I'm going to be asking for the logs
24 on this well just because I don't think that I saw them
25 in there.

1 And then on the bond logs, it did show that
2 there was some -- there was, on the 7-inch, I think it
3 went up to 7,000 feet or so.

4 A. 7,400 feet, I believe.

5 Q. Okay. Okay. So you're aware of the cement
6 placement on the casing on this well?

7 A. Yes.

8 Q. So the question to you, then, is: If there was
9 a problem fishing this casing -- or this tubing -- this
10 big tubing, can you get into it with a perf gun enough
11 to get down to shoot through two strings of pipe and
12 possibly plug it with inside-outside plugs?

13 A. Well, with 5-inch tubing in the hole, 5-inch
14 casing, we'd easily be able to go in with 3-3/8
15 slickguns with large charges and certainly perforate
16 through multiple strings of casing and tubing,
17 absolutely, and cement sheath. I believe that would be
18 yes.

19 Q. Okay.

20 A. And from a plugging perspective, having that
21 size, with that full bore packer, we'd be able to go
22 through either coil tubing or stick tubing to go down
23 into the upper hole and properly plug back up.

24 So, unfortunately, I've had plenty of
25 experience fishing around the world. This does not

1 appear to me to be a significant fishing problem, but it
2 can be done.

3 Q. Okay.

4 A. I don't want to. I don't intend to.

5 Q. Right. Hopefully, you'll never have to.

6 A. Correct. But it does appear that with this
7 construction and these thoughts in mind, we can do that.

8 Q. Yeah. It seems it's to your benefit to not
9 ever have to fish here, because you're going to affect
10 your operations around there if you have to shut your
11 wells in.

12 A. Yes. That's correct.

13 Q. You've done a really good job of putting this
14 all together. I appreciate you doing the nodal analysis
15 and the R curves and the -- and this one was another one
16 that we were going to -- that we didn't have in the
17 previous case. That one -- you said it was a
18 Stanford --

19 A. Stanford University model.

20 Q. So they -- last time I saw one of those
21 presented, it was a concentric shells of radial -- where
22 you draw the circles around the well and then you -- in
23 other words, you set up your grid that way. It's not a
24 rectangular grid.

25 A. We set up a radial grid pattern.

1 Q. Radial.

2 A. That's still in there. It continues to evolve.

3 Q. Okay. And for a disposal well, it can't be
4 that difficult to set up something?

5 A. It's not.

6 Q. It's one disposal well.

7 A. It's not.

8 Q. You might have that other well to contend with,
9 but it's not --

10 So what -- I guess the porosity in that
11 Devonian -- it's always been a mystery to me how it can
12 take so much water, and it just goes away, you know. So
13 is it --

14 A. I'd like to defer to my geologist for that
15 answer, but I will tell you from a reservoir engineer's
16 perspective, the transmissibility is quite high.

17 Q. It's quite high.

18 A. So from that, porosity permeability is good.

19 Q. Okay. You know, since I've come to work here,
20 I've been aware that EPA has a -- has a -- called a
21 radial influence equation that they use --

22 A. Yes.

23 Q. You're probably familiar with it.

24 A. Yes.

25 Q. But, basically, if you let this well -- if you

1 just drilled into this well and completed it and let it
2 sit, you said the initial pressure on this well was --

3 A. 6,204.

4 Q. 6,204?

5 A. Yes. That's the pink star, yes.

6 Q. So that's like -- so what fluid level would
7 that be if it was point --

8 A. I don't have my calculator in front of me.

9 Q. I should be able to figure that one, but, like,
10 12,000. So it would almost stand fluid to the surface.

11 A. Almost. Almost.

12 Q. You're assuming this is normally pressured,
13 then?

14 A. Yes, sir, pretty close to.

15 Q. Okay. Some of the Devonians that I've seen
16 actually will not stand to the surface. They'll stand
17 down to --

18 A. Down a couple hundred feet.

19 Q. Yeah, or more even --

20 A. Yeah.

21 Q. -- so you can skim them sometimes, those older
22 Devonian wells.

23 A. (Indicating.)

24 Q. But you're not -- are you, in this well, near
25 an area that has not been produced in the Devonian?

1 **This is a saline reservoir?**

2 A. Yes.

3 Q. Adam used to study the -- when he was here once
4 before, he studied the --

5 A. Let me glance back at my -- I believe we're in
6 a saline.

7 Q. We call it saline reservoirs for CO2
8 sequestration. You know, in other words, not oil. It
9 doesn't have oil.

10 A. No, it's not. And it's not below the 10,000
11 ppm, so we don't have the EPA drinkable-water situation.

12 Q. Oh, yeah. It's like 50,000, isn't it?

13 A. Yeah. So we're in a saline environment.
14 That's correct.

15 Q. Okay. I'm not sure. I was under the
16 impression it was a 5-inch interval joint.

17 A. My drilling engineer provided me the data
18 that's on my chart --

19 Q. Okay.

20 A. -- and it is 5-inch PTC 15,000 [sic] per pound.

21 Q. You should know. I assume the 5-inch is a
22 pretty unusual size. It's unusually 5-1/2.

23 A. We found some. We haven't purchased it yet,
24 but we have found some.

25 Q. Okay. And those BLM guidelines you're talking

1 about, are they somewhere in there? It's a federal
2 agency you're talking about, so they might be --

3 A. Surprisingly, it's not necessarily published.
4 It is in an email that's online. Phillip -- it's in
5 my -- Paul --

6 Q. Paul Schwartz?

7 A. Paul and Phillip here, yeah.

8 Q. Oh. Oh.

9 A. It's actually in the Mesquite record.

10 Q. Okay. Thank you.

11 EXAMINER JONES: Mr. Brooks?

12 EXAMINER BROOKS: I don't know anything
13 about this.

14 EXAMINER JONES: Okay.

15 (Laughter.)

16 Q. (BY EXAMINER JONES) I saw the -- well, it's
17 been submitted from the Mesquite. We asked them for a
18 nodal analysis. So, basically, they can increase their
19 tubing size on three wells -- three or four wells and
20 defer drilling another well --

21 A. Yes.

22 Q. -- basically. So it will save them how much it
23 costs to drill a well. But then that would increase the
24 fishing risk. They were willing, I guess, to take that
25 risk. And you are, too, sounds like.

1 A. That's correct.

2 **Q. Okay. Thank you very much.**

3 A. Thank you.

4 MR. RANKIN: Mr. Green, I don't think I
5 have any further questions.

6 With that, Mr. Examiner, I'd ask the
7 Division to take this case under advisement.

8 EXAMINER JONES: Okay. Thank you-all for
9 coming.

10 MR. RANKIN: If there is any additional
11 information --

12 EXAMINER JONES: Okay. I'm sure if there
13 is, Mr. Catanach will be calling.

14 Case Number 15720 will be taken under
15 advisement.

16 (Case Number 15720 concludes, 3:17 p.m.)

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO
3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.
20

21
22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2017
Paul Baca Professional Court Reporters