

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF BLACK MOUNTAIN CASE NO. 15655
OPERATING, LLC FOR A NONSTANDARD
OIL SPACING AND PRORATION UNIT,
COMPULSORY POOLING AND AN UNORTHODOX
WELL LOCATION, LEA COUNTY, NEW MEXICO.
Consolidated with

APPLICATION OF BLACK MOUNTAIN CASE NO. 15656
OPERATING, LLC FOR A NONSTANDARD
OIL SPACING AND PRORATION UNIT,
COMPULSORY POOLING AND AN UNORTHODOX
WELL LOCATION, LEA COUNTY, NEW MEXICO.
Consolidated with

APPLICATION OF GMT EXPLORATION CASE NO. 15659
COMPANY, LLC FOR A NONSTANDARD
OIL SPACING AND PRORATION UNIT
AND COMPULSORY POOLING, LEA COUNTY,
NEW MEXICO.
Consolidated with

APPLICATION OF GMT EXPLORATION CASE NO. 15660
COMPANY, LCC FOR A NONSTANDARD
OIL SPACING AND PRORATION UNIT
AND COMPULSORY POOLING, LEA COUNTY,
NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

July 20, 2017

Santa Fe, New Mexico

BEFORE: MICHAEL McMILLAN, CHIEF EXAMINER
WILLIAM V. JONES, TECHNICAL EXAMINER
DAVID K. BROOKS, LEGAL EXAMINER

1 This matter came on for hearing before the
2 New Mexico Oil Conservation Division, Michael McMillan,
3 Chief Examiner, William V. Jones, Technical Examiner,
4 and David K. Brooks, Legal Examiner, on Thursday,
5 July 20, 2017, at the New Mexico Energy, Minerals and
6 Natural Resources Department, Wendell Chino Building,
7 1220 South St. Francis Drive, Porter Hall, Room 102,
8 Santa Fe, New Mexico.
9
10
11
12
13
14
15
16
17
18
19
20
21

22 REPORTED BY: Mary C. Hankins, CCR, RPR
23 New Mexico CCR #20
24 Paul Baca Professional Court Reporters
25 500 4th Street, Northwest, Suite 105
 Albuquerque, New Mexico 87102
 (505) 843-9241

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR APPLICANT MARATHON OIL PERMIAN, LLC:

J. SCOTT HALL, ESQ.
MONTGOMERY & ANDREWS LAW FIRM
325 Paseo de Peralta
Santa Fe, New Mexico 87501
(505) 982-3873
shall@montand.com

FOR GMT EXPLORATION COMPANY, LLC and BTA OIL PRODUCERS,
LLC and DEVON ENERGY PRODUCTION COMPANY:

JAMES G. BRUCE, ESQ.
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol.com

1	INDEX	
2		PAGE
3	Case Numbers 15655, 15656, 15659 and 15660 Called	5
4	Opening Statement/Remarks by Mr. Bruce	8
5	Opening Statement/Remarks by Mr. Hall	12
6	GMT Exploration Company, LLC; BTA Oil Producers, LLC; and Devon Energy Production Company's Case-in-Chief:	
7	Witnesses:	
8	Mike Dilli:	
9	Direct Examination by Mr. Bruce	13
10	Cross-Examination by Examiner Jones	28, 44
	Cross-Examination by Mr. Hall	29
11	Cross-Examination by Examiner McMillan	48
	Recross Examination by Examiner Jones	51, 52
12	Recross Examination by Examiner McMillan	51, 52
	Redirect Examination by Mr. Bruce	53
13	Recross Examination by Mr. Hall	54
14	Kent Christensen:	
15	Direct Examination by Mr. Bruce	59
	Cross-Examination by Mr. Hall	65
16	Cross-Examination by Examiner Brooks	67, 71
	Cross-Examination by Examiner Jones	70
17	Recross Examination by Mr. Hall	72
	Recross Examination by Mr. Brooks	73
18	Redirect Examination by Mr. Bruce	73
19		
20	Marathon Oil Permian, LLC'S Case-in-Chief:	
21	Witnesses:	
22	Ryan Gyllenband:	
23	Direct Examination by Mr. Hall	75
	Cross-Examination by Mr. Bruce	85
24	Cross-Examination by Examiner McMillan	86
25		

1	INDEX (Cont'd)	
2		PAGE
3	Marathon Oil Permian, LLC'S Case-in-Chief (Cont'd):	
4	Witnesses:	
5	Ryan Gyllenband (Cont'd):	
6	Cross-Examination by Examiner Jones	88
7	Roy H. Wilty, Jr.:	
8	Direct Examination by Mr. Hall	90
	Cross-Examination by Mr. Bruce	100
9	Redirect Examination by Mr. Hall	106
	Cross-Examination by Examiner McMillan	107
10		
11	GMT Exploration Company, LLC; BTA Oil Producers, LLC;	
12	and Devon Energy Production Company's Rebuttal	
	Case-in-Chief:	
13	Witnesses:	
14	Mike Dilli:	
15	Direct Examination by Mr. Bruce	110
	Cross-Examination by Examiner McMillan	111
16	Cross-Examination by Mr. Hall	116
	Cross-Examination by Examiner Jones	118
17	Cross-Examination by Examiner McMillan	118
	Recross Examination by Examiner Jones	119
18		
	Proceedings Conclude	121
19		
	Certificate of Court Reporter	122
20		
21	EXHIBITS OFFERED AND ADMITTED	
22	GMT Exploration Company Exhibit Letters A and B	28
23	BTA Oil Producers, LLC Exhibit Letters A and B	65
24	Marathon Oil Company Exhibit Numbers	
	15 through 17 and 16 through 18	85, 89
25		

1 (2:08 p.m.)

2 EXAMINER JONES: Cases Number 15655, Case
3 Number 15656 call for appearances in those two cases,
4 and then I'll call the other two.

5 MR. HALL: Mr. Examiner, Scott Hall,
6 Montgomery & Andrews Law Firm, Santa Fe, appearing on
7 behalf of Marathon Oil Permian, LLC.

8 EXAMINER JONES: Okay. And for the record,
9 those were application of Black Mountain Operating, LLC
10 for a nonstandard oil spacing and proration unit,
11 compulsory pooling and an unorthodox well location, Lea
12 County, New Mexico.

13 Other appearances?

14 MR. BRUCE: Mr. Examiner, Jim Bruce
15 representing GMT Exploration Company, LLC, Devon Energy
16 Production Company and BTA Oil Producers, LLC.

17 EXAMINER JONES: We'll also call Case
18 Numbers 15659 and 15660, application of GMT Exploration
19 Company, LLC for a nonstandard oil spacing and proration
20 unit and compulsory pooling, Lea County, New Mexico.

21 Call for appearances in both of those
22 cases.

23 MR. BRUCE: Mr. Examiner, Jim Bruce
24 representing the same entities.

25 MR. HALL: Same for me.

1 EXAMINER JONES: Thank you.

2 And I didn't bring those case files down.

3 I can run and get them if we need them.

4 MR. BRUCE: Whatever you want.

5 EXAMINER JONES: We may not need them.

6 MR. BRUCE: Yeah. Well, if we need them,

7 you can certainly call them. That'll be fine, too.

8 EXAMINER JONES: Mike, you want the cases?

9 EXAMINER McMILLAN: We'll need to take a
10 break and get them.

11 EXAMINER JONES: We'll start, and if we
12 need to refer to an exhibit, we'll have to run and get
13 them, which we probably will need to refer to them
14 almost immediately here.

15 EXAMINER BROOKS: Well, I suspect somebody
16 will want a break before this hearing is over.

17 EXAMINER JONES: Okay. Okay. Let's go
18 ahead, until we reach our first exhibit.

19 Who wants to go first?

20 MR. BRUCE: Well, I suppose you should put
21 on the evidence of the force pooling right off the bat.

22 MR. HALL: That's been put on.

23 MR. BRUCE: Well, hasn't the -- has it with
24 respect to BTA?

25 MR. HALL: Oh, with respect to BTA. I

1 mean, they're included as a party. They appeared at the
2 last hearing.

3 EXAMINER JONES: Was anybody representing
4 BTA here?

5 MR. BRUCE: (Indicating.)

6 EXAMINER JONES: Okay. Yeah.

7 MR. BRUCE: I don't mind going first.

8 MR. HALL: That's fine.

9 MR. BRUCE: Okay. You expected me to be
10 organized.

11 EXAMINER JONES: Speaking of organized, if
12 we could, for all of our sakes, recapitulate the cases
13 real quickly?

14 MR. BRUCE: Okay. And Scott can jump in.

15 EXAMINER JONES: Okay.

16 MR. BRUCE: The lands involved are the west
17 half of Section 2 -- I forget the township and range --
18 and the southwest quarter of Section 35. Black Mountain
19 is proposing Bone Spring -- is proposing two
20 one-and-a-half-mile laterals covering that,
21 collectively, 480 areas. GMT is proposing two one-mile
22 laterals in the west half of Section 2 only. That's in
23 a nutshell.

24 EXAMINER JONES: Mr. Hall?

25 MR. HALL: And proposing countervailing

1 pooling orders to be issued by the Division.

2 As you'll recall, I didn't do the initial
3 hearing, but I have read the transcript. I believe I'm
4 up on everything. There was a question that came up
5 about a potential surface-use issue. We're here to
6 address that today. We have -- I brought two witnesses,
7 a land witness and a geologist. I understand Mr. Bruce
8 brought a geologist today.

9 MR. BRUCE: I brought a geologist from GMT
10 and a landman from BTA.

11 MR. HALL: So we have a geologist to
12 provide rebuttal testimony.

13 EXAMINER JONES: Okay. I think -- you want
14 to talk about the surface-location issues first?

15 MR. BRUCE: I think that's --

16 MR. HALL: Why don't you introduce the JOA?
17 We can start with that.

18 MR. BRUCE: Okay. Sure.

19 EXAMINER JONES: Can all the witnesses
20 please stand just so we don't forget to swear anybody?

21 (Mr. Dilli, Mr. Christensen, Mr. Gyllenband
22 and Mr. Wilty sworn.)

23 EXAMINER JONES: Does everyone know --
24 Michael has some -- Michael McMillan had some concerns
25 at the end of the last hearing, and maybe Mike could

1 restate those.

2 EXAMINER McMILLAN: My question for BTA is:
3 What does the JOA say? Who is the -- does the JOA give
4 exclusive operation rights to BTA, or can anybody within
5 the JOA nominate as operator?

6 MR. BRUCE: I think my witness can answer
7 that.

8 EXAMINER McMILLAN: That was the question I
9 had.

10 EXAMINER JONES: But you also had a
11 question about the land occupancy.

12 EXAMINER McMILLAN: Yeah, I did. And all I
13 was trying to doing is I didn't want -- I wanted that
14 issue clearly resolved on one map.

15 EXAMINER JONES: Because we had Murchison
16 tying up --

17 EXAMINER McMILLAN: We had the 3 Bear
18 processing plant or something?

19 MR. HALL: Proposed.

20 EXAMINER McMILLAN: Okay. Proposed.

21 EXAMINER JONES: So Mr. Seth McMillan
22 transferred all knowledge over to Mr. Scott Hall in this
23 case?

24 MR. HALL: He tried.

25 EXAMINER JONES: Okay.

1 MR. BRUCE: And my claim will discuss in
2 more detail, but there is an old JOA -- and it's 40
3 years old -- that covers -- at this point all we're
4 concerned with is the west half of Section 35 and the
5 southwest quarter of Section -- or the northwest quarter
6 of Section 2. It used to cover the southwest quarter of
7 Section 2, but the lease on that acreage died. And so
8 BTA took a new lease some time ago -- or a year or two
9 ago on that. So GMT is not subject to the JOA. BTA and
10 Black Mountain are subject to the JOA.

11 It will be BTA's contention that they own a
12 contractual interest or a working interest under the
13 entire west half of Section 35, and as such, they
14 obtained APDs for two wells in the west half of Section
15 35, and that's what they would like to drill.

16 And I think both Black Mountain, now
17 Marathon, and BTA do operate wells in the west half of
18 Section 35. But certainly either company can propose
19 wells under the JOA.

20 EXAMINER JONES: Should that be restated
21 with the witness on the stand?

22 MR. BRUCE: I will go over that.

23 EXAMINER JONES: Okay.

24 MR. BRUCE: But Scott can add whatever
25 comments he has.

1 MR. HALL: Well, I think that's an accurate
2 assessment of the issue.

3 I mean, I think from the testimony you're
4 about to hear, there are questions about the
5 applicability of the JOA now, whether it may have been
6 subdivided, whether there was actual succession of
7 operations. Those are the questions we're going to
8 address with the witness.

9 We're also going to ascertain from the BTA
10 witness whether his position about the authority of the
11 JOA -- the old 1977 JOA is in conflict with GMT's
12 proposal for a new JOA. So both Marathon and GMT
13 propose -- well JOA.

14 EXAMINER JONES: Okay. That sounds good.

15 MR. BRUCE: And I think what I'll do first
16 is put on GMT's geologist, and then I'll put on BTA's
17 landman.

18 EXAMINER JONES: Okay.

19 MR. BRUCE: And the other thing,
20 Mr. McMillan, there is -- there is an issue, as Mr. Hall
21 said, about a proposed -- I forget the exact facility,
22 but it's kind of a small plant in the south half-
23 southwest quarter of Section 2 that could conflict with
24 some surface locations that Black Mountain has.

25 MR. HALL: That's right. We'll address

1 that.

2 MR. BRUCE: And that was discussed.

3 MIKE DILLI,

4 after having been previously sworn under oath,

5 was questioned and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. BRUCE:

8 **Q. Could you please state your name and city of**
9 **residence?**

10 A. Mike Dilli, Littleton, Colorado.

11 **Q. Who do you work for and in what capacity?**

12 A. GMT, vice president of exploration.

13 **Q. By profession, are you a geologist?**

14 A. Yes.

15 **Q. Have you previously testified before the**
16 **Division?**

17 A. Yes.

18 **Q. And were your credentials as an expert**
19 **petroleum geologist accepted as a matter of record?**

20 A. Yes.

21 **Q. And are you familiar with the geology involved**
22 **in these applications?**

23 A. I am.

24 MR. BRUCE: Mr. Examiner, I tender

25 Mr. Dilli as an expert petroleum geologist.

1 MR. HALL: And we do not object.

2 EXAMINER McMILLAN: So qualified.

3 Q. (BY MR. BRUCE) Before we begin, Mr. Dilli --
4 I've never been in a case like this -- but Black
5 Mountain's interests were acquired by Marathon, as you
6 well know.

7 A. Uh-huh.

8 Q. Have GMT's interests been acquired?

9 A. Yes. They were acquired by Centennial.

10 Q. And you were the geologist who developed this
11 prospect?

12 A. Yes.

13 Q. Do you have an agreement to cooperate with
14 Centennial for a period of time?

15 A. Yeah. We have a technical services agreement.

16 Q. Okay. So that's why you are appearing rather
17 than a Centennial witness?

18 A. Yes.

19 Q. I've handed you two exhibits. Mr. Dilli, just
20 briefly, is Exhibit A the exhibit you prepared for this
21 hearing?

22 A. It is.

23 Q. Okay. Now, Exhibit B, is that just a duplicate
24 of what you presented at the May 11th hearing?

25 A. It is.

1 Q. You don't intend to go through the May 11th --

2 A. No.

3 Q. -- exhibit in detail, do you?

4 A. No.

5 Q. But start with Exhibit B and just testify about
6 your main points on that exhibit. And you might just
7 want to refer to a limited number of pages.

8 A. Yeah. It'll be real quick.

9 I think the main point that we're trying to
10 make geologically is and the engineering testimony was
11 in southeast New Mexico, Lea County, the geology and all
12 the Bone Spring formations is not a ubiquitous
13 formation. It is not uniform in facies or reservoir
14 quality.

15 And we try to -- even when I worked
16 southeast New Mexico in the '90s, we played the Bone
17 Spring, and we wanted to find economic oil. And we had
18 cutoffs back then. It's changed because of the
19 horizontal. And now I'm working in the horizontal
20 aspect, and our cutoff has changed. And I'm not saying
21 we have industry standards. I'm just saying our
22 experience out here in, like, the 40 horizontal wells
23 we've been in and some we've declined to participate in
24 have shown that these cutoffs really help us in
25 determining economic, paying, quality wells.

1 Most wells in New Mexico, Lea County, are
2 still being drilled with one-mile laterals. Certainly
3 in good reservoir rock, longer laterals would be fine.

4 So I think that's the jux [sic] of the
5 testimony.

6 If I could refer you to, actually, go back,
7 on Exhibit B, the last -- the last page is blank, but
8 the last two pages with something on it, we have a cross
9 section. If you'll look at the -- if you look at the
10 map before it, it goes from Section 11 through Section
11 2, which is the section in question, up to Section 35.
12 And without rehashing the entire testimony before, what
13 we are saying is you can see, from the logs on that
14 cross section, in the 3rd Bone Spring, the Wolfcamp X-Y
15 and the Wolfcamp A, the reservoir degrades as you move
16 north. So we would be -- we like where we have our
17 acreage in Section 2, and we would be drilling -- paying
18 for a well into a reservoir that we don't think would be
19 economic.

20 You can see that clearly -- and we'll look
21 at Exhibit A here. The Great Western well, State well,
22 A on the cross section and the end column -- which is
23 density neutron, the RT is resistivity, and the GR is
24 gamma ray -- you can see a highlighted 8 percent density
25 porosity, which is highlighted in red down there in the

1 Lower 3rd Bone Spring sands. And as you move north, you
2 can see that that thins and that you don't have any of
3 that red, which is what I map as 8 percent density
4 cutoff, define good economic reservoir rock. Certainly
5 you're going to get oil out of either of these, but we
6 want to -- we want to find economic oil.

7 So that's the jux of the testimony that I
8 gave on May 11th.

9 EXAMINER JONES: Thank you for that.

10 THE WITNESS: So what I did for today's
11 hearing --

12 Q. (BY MR. BRUCE) Let me -- for a minute --

13 A. Okay.

14 Q. You were here for the testimony of Black
15 Mountain's engineering witness at the last hearing?

16 A. I was.

17 MR. BRUCE: And it escapes me now, Scott.
18 Mr. McCormick?

19 MR. HALL: McCracken.

20 MR. BRUCE: Mr. McCracken.

21 Q. (BY MR. BRUCE) Mr. McCracken put on an
22 engineering study that you have reviewed, correct?

23 A. Yes.

24 Q. And without putting words into Mr. McCracken's
25 mouth, his argument, if I may, was essentially that the

1 longer the lateral, it was basically a one-to-one
2 correspondence. In other words, a one-and-a-half-mile
3 lateral would produce 50 percent more oil than a
4 one-mile lateral?

5 A. Yes.

6 Q. And he presented a study with a number of wells
7 in it, correct?

8 A. Yes.

9 Q. And have you looked at the location of all
10 those wells?

11 A. I have.

12 Q. And then GMT's engineer said that if you look
13 at all of the Bone Spring wells in Lea County,
14 correct --

15 A. The horizontal ones, yes.

16 Q. -- the horizontal ones in Lea County --

17 A. In the Bone Spring, yes.

18 Q. -- in the Bone Spring and looked at all of them
19 and took the production, there was not a one-to-one --

20 A. Correct.

21 Q. -- correspondence?

22 A. Correct. That it was about .3, if I remember
23 correctly. It's in the last testimony.

24 Q. So in other words -- and to get to the basis of
25 your opinion before you start Exhibit A -- is that just

1 **due to the quality of the reservoir, in your opinion?**

2 A. Yeah. Certainly better quality reservoir -- I
3 mean, I don't think this is an outlandish statement.
4 Better quality reservoir, you're going to get better oil
5 production. And so we're going to look at some of the
6 examples of that.

7 **Q. Okay. And then move on to Exhibit A and**
8 **explain to the Examiners what you looked at.**

9 A. So Exhibit A -- so instead of looking at -- you
10 know, going around all the Basin and try to find
11 examples, I just went to wells that GMT has drilled or
12 been a party to or know -- you know, are close to our
13 acreage.

14 And so on page 2 -- the page is labeled in
15 the lower right corner there. I just have an example of
16 a GMT well drilled by us, and an example in 21-34,
17 there's two -- the two red lines, the big bright ones,
18 are the horizontal wells I'm referring to. Any of the
19 smaller red lines on there are the horizontal wells that
20 have been drilled and completed. And if it has the
21 brown-colored circle on the top of -- actually, it's the
22 bottom hole, that's the formation -- it's productive in
23 the 2nd Bone Spring where these wells are drilled.

24 Okay?

25 So the first well I want to look at is the

1 Devon Chiles Number 28 that was drilled, and then the
2 second well will be the GMT Vitalizer to the south of
3 it. If you remember my first testimony, I said if you
4 have 20 feet of density porosity 8 percent, we really
5 like that, and that's what we kind of use as our rough
6 cutoff. I mean, it's not going to be a magic cutoff.

7 **Q. But, again, lower -- lower percentage will**
8 **produce, but --**

9 A. Correct.

10 **Q. -- in your opinion, it won't be economic?**

11 A. Right.

12 As you see, both these wells were drilled
13 in good thick 2nd Bone Spring reservoir rock.

14 My point is -- I'm going to show you on the
15 cross section the Devon Chiles well, and we know this
16 because we know who steered the well for us -- they
17 targeted a poor reservoir zone between two good
18 reservoirs zones. Okay? I think their thought process
19 was we'll be able to frac into both good reservoir
20 zones. And we targeted a good reservoir zone. Okay?
21 And our well -- and we were pretty nervous because their
22 base well was drilled before ours and we knew it was not
23 a great well, but we [sic] were drilling the same
24 formation that we drilled our well.

25 And you can see on the little callout

1 there, the EUR on their well is 135,000 MBOE, by our
2 engineer, and the EUR on the GMT well is 558,000 MBOE.
3 We don't know think 135,000 is economic. Obviously,
4 ours is economic.

5 We have a three-well cross section, if you
6 look on page 3. None of the wells drilled actually had
7 a log on it, so we had to go to wells beside it. But if
8 you look at that cross section hung on the top of the
9 2nd Bone Spring, the target interval is the lower part
10 of the 2nd Bone Spring, the lower sands there. You can
11 see on the left -- you can see 8 percent porosity.
12 That's that red, again, I was talking about. It's
13 labeled there. It looks pretty good throughout the --
14 throughout the area.

15 But the Devon well, if you look on the Pogo
16 State well, on A, they targeted that middle zone where
17 the poorer reservoir is. And they stayed in it because
18 we have the log they drilled, and we know who drilled it
19 for them. And they got a poorer well. They didn't get
20 a bad well. They got a poorer well. So we targeted --
21 got to the best reservoir, callout letter there on the
22 right, with the nice, good, thick porosity. That's what
23 we targeted. That's what we drilled. That's one of our
24 better wells that we drilled.

25 And here's -- if you go to page 4 now, 3rd

1 Bone Spring, which I think we're talking about here, is
2 another area that GMT's drilled and have been active in.
3 We're going to show three wells drilled in the Lower 3rd
4 Bone Spring Sand, which is where the majority of the
5 wells in the Basin have been targeting. Again, this is
6 my map. The well on -- the B, the far right, the three
7 bright red ones are the ones we're talking about.
8 That's an EOG Bridge State well. It only has 3 percent
9 of porosity over 8 percent. It's about a 210,000-barrel
10 well. GMT drilled the well there in Section 30, 30H.
11 It has zero feet of over 8 percent. This is one of the
12 wells that helped us determined our cutoffs. We had
13 like 7 percent that whole big, thick section, but t
14 just got really tight. And that well is about
15 120,000-barrel well.

16 Then you see the next GMT well over there
17 where we have over 100 feet of net pay, and it's --
18 it's -- it's an early on well. We frac it much stronger
19 now, but it's going to be about a 350- to 380,000-barrel
20 well. So, again, what we're showing is reservoir
21 degradation. You're going to get better wells in better
22 reservoir rock.

23 If you turn to the cross section, it goes
24 from B to B prime. It goes right beside wells that were
25 logged. You can see on the far left well the horizontal

1 target highlighted in the dark yellow sands, the red
2 porosity of 8 percent. You can see the target zone
3 where we drilled our #30 well. It really has no
4 porosity over 8 percent. You can see there is no
5 highlighted red there, and we got a much poorer well.
6 And then you see the EOG well, which is even further to
7 the east, even tighter and thinner, making a pretty poor
8 well there as well.

9 So the point of this is in examples where
10 we have been drilling wells, where we have actually
11 participated in wells and paid for wells, that's where
12 we come up with this economic kind of cutoff. Certainly
13 you're going to get oil out of -- this proves here
14 you're going to get oil out of tight rock, but we want
15 to get economic oil.

16 If you go to the next page, it's really --
17 page 6 is just the Black Mountain presentation for the
18 2nd Bone Spring lateral. So all I did here was just
19 show you -- out that in there just to show you where
20 that was.

21 If you go to the next page, page 7, it's my
22 regional map of that same area where they've done it. I
23 didn't change my maps. This is - I've got the whole Lea
24 County map. I just plot down what it was.

25 **Q. I want to take a step back.**

1 A. Yes, sir.

2 Q. Did you state in your first testimony that you
3 basically -- you've been working this area for a long
4 time?

5 A. Yeah. I've worked probably 15 years total,
6 yeah.

7 Q. And you've mapped out basically all the Bone
8 Spring?

9 A. In Lea County, yeah.

10 Q. So you're able to pull this up and compare the
11 wells that Mr. McCracken used with your geology?

12 A. Yes. And -- well, on a sidestep, when you have
13 the whole county map like that, when a lease sale comes
14 up, it's really good to see what leases you like and
15 what leases you don't like, based on your mapping. So
16 that's why we have it, or any deals that might come your
17 way.

18 The only reason I have there is just to
19 show you where they are. And so I have the same wells
20 highlighted. The standard length wells that they've
21 pointed out are the three in the shorter red circles,
22 and the longer ones are the -- where they point out the
23 longer laterals, which are right. But as you can see,
24 all these wells are in well over 20 feet. They're in
25 pretty good reservoir rock.

1 The cross section, A to B, on the next page
2 or page 8, shows, again, lower -- I'm sorry -- 2nd Bone
3 Spring lower interval. It shows the 8 percent porosity
4 highlighted in red. And you can see across that area,
5 you have some pretty good reservoir rock. Again, I'm
6 not saying that you don't -- that one-and-a-half-mile
7 laterals are not good in any circumstance, but in
8 circumstances where you have good uniform reservoir
9 rock, I think they are good.

10 The next page, 9, again, it's just -- all
11 it is is the Black Mountain presentation for the 3rd
12 Bone Spring. This one will really illustrate my point,
13 I think.

14 You can see on page 10, it's the same area,
15 with my same regional map. And I have the highlighted
16 longer-length laterals, and I have the highlighted
17 shorter laterals that Black Mountain used in their
18 presentation. But as you see from this map, you're in
19 well over 100 feet of really good reservoir rock. And a
20 longer lateral in a really good uniform reservoir rock
21 is certainly going to drain a lot better than poor
22 reservoir rock.

23 And I have a two-well cross section on page
24 11, A to B, 3rd Bone Spring. You see the bright red 8
25 percent density porosity showing you that that is a

1 really good reservoir rock.

2 So what I'm saying is if you go back to the
3 testimony in A and look at our cross section that goes
4 into our acreage, we don't have any -- in Section 2 of
5 the case we're talking about now, we don't have -- in
6 those formulations, in the 3rd Bone Spring X-Y, Wolfcamp
7 A, I think it's all too tight where we would want to
8 drill a big rig and an economic well. We like our lease
9 we bought in 2; obviously, we bought it. That's why
10 we're proposing the one-mile laterals. We think that's
11 where the best reservoir is for GMT, and now Centennial.

12 **Q. And what you're saying is with the wells that**
13 **Mr. McCracken used, he was absolutely correct?**

14 A. He was absolutely correct. If you're in an
15 area with really good reservoir rock, I think certainly
16 longer laterals are going to be good for you.

17 **Q. But if you're drilling a well and you go from**
18 **good reservoir to bad reservoir --**

19 A. It's not going to be --

20 **Q. -- his opinions do not apply?**

21 A. I don't -- I don't think so.

22 And obviously like we've touched -- you
23 know, Mr. McCracken brought up oil-in-place numbers last
24 time, and we are arguing that there is not oil in the
25 rock. I mean, obviously, these tight rocks produce.

1 These tight wells we drilled produced oil, but they
2 weren't economic. And so oil in place is really --
3 you're kind of mixing apples and oranges here.

4 Oil in place -- we use a 4 percent cutoff
5 when we're doing oil in place. But when we're using --
6 when we're trying to find economic, good reservoir rock,
7 we use our 8 percent cutoff. For us, that's what we
8 use.

9 Q. And in your opinion, if GMT, and now
10 Centennial, is forced into a one-half-mile lateral, it
11 will -- its correlative rights will be adversely
12 affected?

13 A. I think -- yes. I think we would be paying for
14 a well -- you're paying more money for a well that you
15 won't get as good a well out of if you just drill it one
16 mile.

17 Q. As of this point, you think if it's a mile
18 lateral, Centennial will now have 50 percent of a pretty
19 darn good well?

20 A. I do.

21 Q. As opposed to a third of a well that won't be
22 as good?

23 A. In my opinion, won't be an economic well.

24 Q. Do you have anything else, Mr. Dilli?

25 A. I don't believe so.

1 Q. Were Exhibits A and B prepared by you or under
2 your supervision?

3 A. Yes, they were.

4 Q. And in your opinion, is the granting of GMT's,
5 now Centennial's, cases and the denial of Black
6 Mountain's, now Marathon's, cases in the interest of
7 conservation and the prevention of waste?

8 A. Yes, it is.

9 MR. BRUCE: Mr. Examiner, I move the
10 admission of Exhibits A and B, GMT exhibits.

11 MR. HALL: No objection.

12 EXAMINER McMILLAN: Exhibits A and B may
13 now be accepted as part of the record.

14 EXAMINER JONES: For Cases 15659 and 15660;
15 is that correct?

16 MR. BRUCE: Well, yeah, or all of them.

17 MR. HALL: They're consolidated.

18 EXAMINER JONES: They're all consolidated.
19 (GMT Exploration Company Exhibit Letters A
20 and B are offered and admitted into
21 evidence.)

22 CROSS-EXAMINATION

23 BY EXAMINER JONES:

24 Q. I used to live in Centennial, Colorado.

25 But what's the name of the organization

1 **there?**

2 A. Centennial Resource Development is what our
3 stock symbol is, but we will be operating under
4 Centennial Resource Production.

5 MR. BRUCE: This is -- Mr. Tanenhull
6 [phonetic] is the chief landman for Centennial.

7 EXAMINER JONES: Okay. Thank you.

8 MR. BRUCE: Pass the witness to Mr. Hall.

9 EXAMINER JONES: Mr. Hall.

10 CROSS-EXAMINATION

11 BY MR. HALL:

12 Q. **Mr. Dilli, if we could get you to look at your**
13 **original exhibits now, Exhibit B, if you'll refer to**
14 **that.**

15 A. Yeah. They're not numbered. So sorry.

16 Q. **You have an isopach of the Wolfcamp A?**

17 A. I do.

18 Q. **Like to find that as a cross section?**

19 A. It is.

20 Q. **It's hard for me to read, but what are the**
21 **density porosity values on the logs?**

22 A. Well, DN is density porosity. And if you see
23 the bright red in the density-porosity track, density
24 porosity is the solid black one. And so -- excuse me --
25 highlighted in bright red is 8 percent, and you really

1 only -- well, in the 3rd Bone Spring sands, you only see
2 that in the Great Western shale.

3 **Q. Right.**

4 **So my question is: What's the range of the**
5 **values shown on the top of the logs?**

6 A. Oh, the scale. I'm sorry.

7 **Q. Scale. I'm sorry.**

8 A. Okay. Yeah. That's the standard scale, zero
9 to 30 -- or negative 10 to 30. I'm sorry.

10 **Q. Okay. So negative 10 to 30 is what you used.**
11 **And so the 8 percent falls roughly in the center on that**
12 **scale on all of the --**

13 A. Yeah. The middle line is 10. The middle blue
14 line would be 10 percent.

15 **Q. Okay. When you rely on 8 percent, is there any**
16 **margin for error?**

17 A. Absolutely.

18 **Q. Okay. And what is that margin?**

19 A. If we have a great big, thick porosity, well --
20 and maybe you've got some 8 below your target, 8 above
21 your target and -- well, we use 20 feet. But if you
22 have 0-8, I'm going to say we wouldn't drill. But if
23 you've got, like I say -- all of this is like playing
24 cards. If we have, say, 15 feet of good porosity in a
25 really thick section and spread out over it and maybe

1 we've got some sands above it, we might go ahead and
2 drill that well, yeah. Everything's kind of -- and then
3 does it get better as you move to the north? As you're
4 drilling to the north, does the porosity get better?
5 And we say, Well, we're probably drilling into a better
6 reservoir rock.

7 **Q. Okay. Let me rephrase that question. I'm**
8 **still focused on the scale. And you rely on your 8**
9 **percent there, and you believe your readings are 8**
10 **percent -- your interpretation is 8 percent?**

11 **A. Yes.**

12 And I think -- I mean, I don't think we
13 should back up here, but this is on a 278 matrix,
14 because every well out here was logged on a 278 matrix.
15 So I'm using it as a relative comparison term, preparing
16 each log in the Basin to every log. Now, I have LASes
17 here, and I could have adjusted it, but all my
18 maps where I had only raster logs. So I've used --
19 we're comparing apples to apples when I'm using that.

20 **Q. Have you ever run any sort of sensitivity**
21 **analysis to see if a difference of, say, 1 percent in**
22 **porosity makes a difference in what you say is economic**
23 **or uneconomic?**

24 **A. No. What I -- you know, what really kind of**
25 **opened our eyes on this is the well we drilled in**

1 Section 30 on the presentation I just made. On the
2 cross section, we had, you know, 60 or 70 feet of nice,
3 thick 3rd Bone Spring sand, which is what we were
4 targeting when we drilled the well, but it has nothing
5 over 8 percent. We went ahead and said, Let's give it a
6 shot. We've got -- it is not an economic well. So
7 that's kind of -- that and all this -- looking over the
8 empirical data and stuff -- I'm not sure if I'm
9 answering your question (laughter).

10 Q. Well, I'm a lawyer, so you have to bear with
11 me.

12 A. Okay.

13 Q. So what would the impact be of a net reservoir
14 if the porosity cutoff is reduced by just 1 percent --

15 A. To 7.

16 Q. -- 7 percent?

17 A. Well, we didn't run those numbers, but like I
18 just said, the well in Section 30 was about 7. And we
19 got -- nothing was over 8. A lot of it was between 6
20 and 7. And we -- you know, we realized that when we
21 drilled it. We said, Let's give it a shot anyway. So I
22 haven't done the analysis to say -- because we use 20
23 feet of 8 percent porosity, is kind of what our rough
24 cutoff is. I'm not saying it's an absolute, but that's
25 what we use. If it has 20 feet here and we like it, we

1 buy the acreage. We'd probably drill the well. If our
2 proposal well had less than that, well, we have other
3 factors. Again, I can't say there is an absolute. We
4 did not do an analysis of 50 feet of 8 versus 40 feet of
5 7, if that's what you're saying.

6 **Q. Right. That is what I'm getting at.**

7 A. No, we did not do that analysis.

8 **Q. Okay. Can you tell me, just based on your**
9 **experience?**

10 A. Based on my experience, if you have less than
11 20 feet of 8 percent density porosity, you're going to
12 make a well, but chances are it's not going to be
13 economic. That's just our rough idea of what we look
14 for.

15 **Q. Because you're losing some amount of thickness?**

16 A. You're losing thickness and you're losing some
17 porosity. And obviously permeability goes --

18 **Q. If your porosity is 7 percent, you're down to**
19 **10 feet; is that right?**

20 A. If we did -- if we had 20 feet of 7 percent, we
21 wouldn't -- we probably would not -- based on our
22 experience, we probably wouldn't drill that well. We
23 wouldn't drill the well.

24 **Q. My question is: So do you go from 20 feet to**
25 **10 feet if you reduce porosity by --**

1 A. Well, no. You have -- you know, my 20 feet is
2 8 percent porosity.

3 **Q. Right.**

4 A. So you if you have -- if you -- if you -- I'm
5 sorry. So if you go from 20 feet to 10 feet of 8
6 percent porosity, that would vary. I'm going to say
7 never, but if you're drilling towards a well that has 40
8 feet of 8 percent porosity, you probably would give it a
9 shot if it's in the same interval, because you're
10 drilling towards better reservoir rock.

11 **Q. Well, you've referred to an economic well**
12 **several times. What's the definition for that?**

13 A. So when we run the economics at whatever price
14 strip we're running that, which is usually a strip, is
15 what we usually run our price deck at -- and so out
16 here, roughly, we would need about 300,000 barrels --
17 280-, 300,000 barrels, roughly.

18 **Q. You're not saying a log that's showing you 7**
19 **percent porosities is uneconomic, are you?**

20 A. In the target zone? In our experience, I
21 wouldn't propose a well unless there are some other
22 mitigating factors. If it was 7 percent and that's all
23 it was, the whole area, I don't think I would propose a
24 well based on the experience of the wells I've just
25 talked about. I'm not saying there is not some out

1 there somewhere. I'm saying our experience shows that
2 has worked pretty well for us.

3 **Q. Were there any in your study area with 7**
4 **percent porosity, say, 10 feet of thickness and it was**
5 **uneconomic?**

6 A. Well, yeah. I think I showed a couple. I
7 mean -- oh, you mean these really didn't have any
8 porosity. No. I can't say that I -- I looked at that.
9 I mean, I just looked at the wells that I knew of, off
10 the top of my head, that we had drilled and had good or
11 bad wells based on this cutoff. And this debate was
12 pretty big within our company as well, as you might
13 imagine (laughter).

14 **Q. There was disagreement?**

15 A. Oh, yeah. But I think over time, especially
16 after we drilled -- I mean, I used the 30 well here in
17 this example, but we drilled the well in 19, logged both
18 the 2nd and 3rd and took a 2nd Bone Spring to the north
19 and took the 3rd Bone Spring to the south. And I have
20 that one here because it's the 3rd Bone Spring. The 2nd
21 Bone Spring is just as tight, and it's a better well
22 than the 3rd. And it had like maybe -- I think it might
23 have even had 6 or 7 feet of 8 percent porosity, and
24 it's a better well than the 3rd, but we didn't have it
25 down as one of our economic wells.

1 Q. When you are identifying the 3rd Bone Spring
2 lower sand in your cross section -- I'm referring to
3 Exhibit B -- were those -- was that 3rd Bone Spring sand
4 sand-colored?

5 A. Petra does it. So it's a computer program I
6 used. So when I pick a gross sand, I can color it one
7 color. And when I pick the net sand using 8 percent, I
8 can make it a dark yellow color.

9 Q. So you input 8 percent, and it colors
10 everything it sees 8 percent?

11 A. Yes.

12 Q. Can you input 7.5 percent?

13 A. Yes, I could. On a -- on a -- when you're in a
14 computer log, you can, yes.

15 Q. As we look at that log and you've identified
16 the 3rd Bone Spring lower sand there, what would it look
17 like at 7 percent? How much thickness would you get?

18 A. You mean -- you're talking from Exhibit B
19 still?

20 Q. Right. I'm looking at the Getty 35 State --
21 or, actually, that log.

22 A. Well, that's a really tough question for me to
23 answer sitting here. There would certainly -- did you
24 say 7 percent?

25 Q. Yes.

1 A. There would be some, because it looks like a
2 lot of those just touched the 8 percent, so there would
3 be some. If I had to take a stab, looking at the scale
4 right now, I'd say 10 feet maybe.

5 **Q. All right.**

6 A. It's a hard question to ask without the --

7 **Q. And make sure I'm reading this right. Where it**
8 **reads "top Wolfcamp" on the log, that's actually located**
9 **within the Bone Spring?**

10 A. Oh, the sign is -- I mean the label. I should
11 have put that below that. It's that dashed line.

12 **Q. Right. So there is no confusion.**

13 A. I'm sorry about that.

14 **Q. You have a bracket around the 3rd Bone Spring?**

15 A. Right. Right.

16 EXAMINER BROOKS: I'm going to suggest
17 that -- I just numbered the pages of Exhibit B,
18 beginning with the first page after the title page, 1
19 through 7, and I skipped the two blank pages and
20 numbered the last one 8. I'm going to suggest everybody
21 stop and do that.

22 EXAMINER BROOKS: Remember I skipped the
23 title page and I skipped the two blank pages, so I've
24 got a total of eight numbers.

25 **Q. (BY MR. HALL) Let me ask you this, if we reduce**

1 the porosity cutoff to 7 percent, to 40 feet of net pay,
2 what would that do to your isopach?

3 A. Well, it's all -- if I reduce my porosity
4 cutoff to 7 percent, I think the relative -- the
5 thicknesses would stay the same -- I mean the comparison
6 thicknesses. So instead of being 100 feet thick, it
7 might be 140 feet thick. Instead of being zero, it
8 might be 15. So, I mean, it would -- it would make it
9 thicker. And relative to each other, it'll all thicken
10 up.

11 Q. And so your isopach, which is page 2, it would
12 extend the contours for -- sorry. Let's go to the 3rd
13 Bone Spring, page 4. If you went to 7 percent and 40
14 feet, what does that do to your contour, say, for the
15 50-foot interval there -- the 50-foot contour line?
16 Would they extend farther north?

17 A. Oh, absolutely. 40 is the one I've got -- I
18 think you're looking at, but 50 is the well.

19 Q. Oh, I'm sorry.

20 A. But the 40-foot contour would certainly
21 extend -- well, it depends on whether that well is 25
22 feet. It could, yes. Everything will be thicker.
23 Let's just put it that way. The 25 might be 35 or
24 something. I don't know. I'd have to --

25 Q. It would likely extend up --

1 A. Yes.

2 **Q. -- into Section 2?**

3 A. Yes. It would likely extend --

4 **Q. 35.**

5 A. Yes. Yeah. If you lower the porosity cutoff,
6 you're going to have more -- more of those feet of net
7 sand.

8 **Q. All right. You said there was disagreement**
9 **in-house about --**

10 A. Early on, there was, yes.

11 **Q. Disagreement within the geologists?**

12 A. Yeah.

13 **Q. Okay.**

14 A. Until we drilled about three or four of these
15 wells, and then they came around to my -- we had cutoffs
16 back in the vertical days, too, right? So everybody
17 would kind of roughly figure that out. Yeah. When we
18 first started the play, was 20 the right number? Was 8
19 percent the right number? What if we map at 6 percent?
20 What if we map it -- we've had all those. But that was
21 early on in the play, yeah, or early on for us. Yeah.

22 **Q. So let's look at page 3 of Exhibit A and your**
23 **log for the Devon Pogo well.**

24 A. Uh-huh.

25 **Q. And you've identified their landing target?**

1 A. Uh-huh.

2 **Q. What would have happened if they had gotten up**
3 **into that thicker --**

4 A. Oh, I think they would have a well similar to
5 ours.

6 **Q. Do you know if they were targeting that, in**
7 **fact?**

8 A. Well, when you plot it out, it looks like they
9 are. And when you look -- you know, everybody has to
10 run a gamma ray on a horizontal well. If you look
11 at the -- so it kind of helps us steer it, if we're in
12 sand or not. If you look at the gamma ray, we're not in
13 sand most of the way. And, you know, I don't have sworn
14 testimony from this guy, but the guy who helped
15 eventually drill their well is a service company. Also,
16 we've had them on our well. And he told us that's what
17 they were targeting, and he helped them steer it. Their
18 thought process was to get the sand below and sand
19 above. But I think if they had been up in that big
20 thick sand, like where we drilled, they would have had a
21 pretty good well.

22 **Q. And did you ever examine the frac job they**
23 **pumped into that well?**

24 A. Yeah. Well, if you look on page 2. I just put
25 "pounds per foot." That's really all you can glean from

1 the public data. They had 1,400 pounds per foot. We
2 had more.

3 **Q. So the frac job made a difference?**

4 A. I think bigger frac jobs make a bigger
5 difference in different reservoir rock. Yeah.

6 **Q. So the Devon well underperformed because it was**
7 **landed where it was. It was a landing issue, right?**

8 A. Uh-huh.

9 **Q. And it had a lighter frac job pumped on it?**

10 A. Well, it had a lighter relative to ours, but I
11 could point it -- like the well we drilled on -- where
12 was that one? The well we drilled, the GMT 25 State
13 Com, on page 4, which is 380,000, we only had 700 pounds
14 per foot on that well. So, I mean, it was half of their
15 well frac job. This is our, like, gen one frac job,
16 generation one, where we have, like, three now or
17 something.

18 **Q. All right. So the steering issue and the**
19 **completion issue, those were heavily weighted --**

20 A. I think the steering -- steering more than the
21 completion on that, because if they had put that frac
22 job in good sand, they would have had a much better
23 well, just like our well in the GMT 25 State Com #1, on
24 page 4. We only had 700 pounds per foot on that well,
25 and they had, what, 1,400?

1 **Q. Right.**

2 A. Yeah. They had 1,400. So they had twice the
3 frac job we did, and we made a good well and good
4 reservoir.

5 **Q. You had a steering issue, you had a frac-job**
6 **issue, the completion issue. It was more about those**
7 **issues than it was 8 percent cutoff --**

8 A. Yes. Yes. Yeah. I think -- oh, I'm sorry. I
9 see your -- yeah. I only put that in there as an
10 example that they didn't drill in a good reservoir rock.
11 So you need to dig good reservoir rock, I think, to make
12 a good well. I'm sorry.

13 **Q. So a larger completion will overcome poor rock**
14 **quality? Is that generally true?**

15 A. I also wouldn't necessarily say that. If
16 you -- in all instances. If you look on page 4, again,
17 the EOG Bridge State well, which was 1,800 pounds per
18 foot, that's a pretty good size frac job. And its EUR
19 is -- that's in really poor rock. Its EUR, according to
20 us, is about 207 in DOE. And not in all instances can
21 you overcome poor reservoir rock with a monster frac
22 job.

23 **Q. Well, so couldn't 700 -- I'm sorry. Couldn't a**
24 **7 percent cutoff reservoir yield greater than 200 MBOE?**

25 A. I guess I'm not -- probably -- if you had in 7

1 percent over 50 feet and you had a bigger frac job on
2 our well, would it be 200,000? Because ours -- the
3 small frac job is 115,000. You double the frac job or
4 went to 2,000 on our tight rock, you might -- you might
5 double that, double our well, the #30 well in the middle
6 of that cross section where we have right at 7 percent.

7 **Q. All right.**

8 A. So you'd be at maybe 230,000 on our well.

9 **Q. So your interpretation of poor porosity to the**
10 **north, was that your deciding factor in not agreeing to**
11 **participate in a well up into Section 35?**

12 A. Yes. Had it just been in one zone, you might
13 have -- but it's in three of our major target zones, so
14 yes.

15 **Q. So we're just talking about the one zone, the**
16 **3rd Bone Spring.**

17 A. Yeah.

18 **Q. And that was the deciding factor?**

19 A. Yes.

20 **Q. All right. So if we change that porosity**
21 **cutoff just by 1 percent, 7 percent, it would have been**
22 **within an acceptable range for GMT?**

23 A. Well, except my 20-foot cutoff might have gone
24 to 40 feet -- 7. So that's a tough question to answer.
25 But based on the two wells I showed you with 7 percent

1 but no 8 percent --

2 Q. It reflects 8 percent as well, does it not, in
3 your log?

4 A. Okay. Which -- on page 5? Page 5?

5 Q. Page 7. This is Exhibit B.

6 A. Oh, yes.

7 Q. So where you mapped the 3rd Bone Spring there,
8 you've got 22 feet of greater than 8 percent?

9 A. Yes. And I didn't do this on purpose.
10 Unfortunately, I think most of it is under that P on
11 Wolfcamp.

12 Q. That would contribute towards what you said was
13 an economic well, right?

14 A. It would contribute, yes.

15 MR. HALL: That concludes our cross.

16 EXAMINER McMILLAN: Go ahead.

17 CROSS-EXAMINATION

18 BY EXAMINER JONES:

19 Q. So your two cases are the GMT/Centennial 15659
20 and 15660. Are you proposing in the 2nd Bone Spring or
21 the 3rd Bone Spring? Do you remember?

22 A. I think we did both, but I think our original
23 one was in the -- if I remember correctly, was in the
24 2nd. It would be in the first testimony, I believe.

25 Q. Yeah. I'm sure. I'm sorry. I should have

1 boned up on it a little more before I came in here.

2 I think I remember. You know, you're both
3 proposing two wells, and at one point, one of you was
4 concentrating on one of the sands, and the other was
5 concentrating on the other. But you're still not --
6 you're not amenable to actually drilling all four wells.
7 You wouldn't want to make a deal with each other and
8 drill all four wells and overlap spacing units and that
9 kind of stuff. In other words, drill --

10 A. Well, I couldn't answer that. You'd have to
11 ask -- I would say -- if it was GMT, I'd say probably
12 not, but I can't speak --

13 Q. Yeah. Okay.

14 A. But we were 2nd, because we've had a lot of
15 success in the 2nd.

16 Q. In the 2nd.

17 A. And I know, when we follow back up, I'd say we
18 would do either one, 2nd or 3rd. We liked them both.
19 We like the X-Y as well in our section of the Wolfcamp.
20 So --

21 Q. Okay. Communication between the two? Probably
22 not? Is that correct?

23 A. Oh, no. I don't think so, no.

24 Q. Okay. Not worried about that.

25 A. Uh-uh.

1 Q. And you have -- your approach is actually --
2 you have certain control points, and you do all the log
3 analysis and maybe have some cores that you -- do you
4 have any cores?

5 A. Not in this area, no, we do not.

6 Q. Have you used cores in the 2nd Bone Spring
7 to -- at anywhere to --

8 A. Yes. We were partners with a couple of
9 companies that sent cores, and it helped us to, you
10 know, calibrate our porosity cutoffs and such. But it
11 was north of here.

12 Q. Does it basically show you that you've got --
13 once you get below 8 percent or down to a certain
14 percent, you have zero permeability?

15 A. No. No. It just degrades.

16 Q. Okay. Nano perm or something?

17 A. Well, I mean, like I show here, when you have
18 zero -- if you have a thick package of 0-8 percent,
19 you're still going to get some oil. This is a highly
20 saturated oil system out here, and you're going to get
21 oil. The two wells I showed you had zero, and they both
22 made over -- I think one was 100- and one was about
23 200,000. But that's not --

24 Q. But you mentioned 4 percent density.

25 A. Well, we use that -- okay. We use that when

1 we're doing, like, oil-in-place numbers. You know, how
2 much oil per section, how much oil is in place over this
3 much section.

4 **Q. Right.**

5 A. And that's what Mr. McCracken brought up last
6 time, was if you use 8 percent cutoff for your oil in
7 place, it's not enough oil. We're not saying that. We
8 use -- when we do our oil-in-place numbers, how much can
9 this section produce, well, there's, you know, however
10 many hundred thousand barrels per section in that
11 formation.

12 **Q. Okay. Where are your control points in this**
13 **area? We're talking about Section 2, Section 35 and**
14 **Section 26 to the north of that.**

15 A. Okay. You can pick any of the isopach maps --
16 and do they have -- mine have -- I hope yours have the
17 numbers on them.

18 **Q. They do.**

19 A. That's my control points. Where I have the
20 25.7, 44, whatever the number is, that's my control
21 points. Those -- those are all Morrow wells that --

22 **Q. Okay.**

23 A. -- that log shallow. And that's why I'm on the
24 270 matrix.

25 **Q. Okay. So they had actually pipe set -- you**

1 **actually had open-hole logs through --**

2 A. Absolutely.

3 Q. **-- through this Bone Spring?**

4 A. Yeah. When I was in Santa Fe, we'd always try
5 to drill a Morrow zone because you had all this Bone
6 Spring and Delaware behind pipe, so could -- you always
7 looked at it going down. You always had good logs at
8 least through the middle of the Delaware section. Yeah.

9 Q. **Okay. Santa Fe, I haven't heard that name in a**
10 **long time.**

11 A. Yeah, right. Well, Devon bought them a few
12 years ago.

13 Q. **Okay. So, basically, have you, since the first**
14 **hearing, looked at changing your surface locations any,**
15 **or are you leaving them where they're at? Or is**
16 **somebody else going to talk about that?**

17 **Mr. Bruce: I think -- it was in the first**
18 **testimony. But no, GMT's surface locations are set.**

19 EXAMINER JONES: Okay. Okay.

20 CROSS-EXAMINATION

21 BY EXAMINER McMILLAN:

22 Q. **I guess I'm at Exhibit A. I'm looking at page**
23 **2. You have 15 more feet of pay in the Vitalizer versus**
24 **the Chiles, and you have --**

25 A. Net sand, yes. The point of --

1 **Q. Reserves?**

2 A. The point of this -- of that display was they
3 drilled that well in nonreservoir rock. We drilled ours
4 in reservoir rock. That to me is the biggest difference
5 in our well versus their well.

6 **Q. So Devon, nonreservoir rock and --**

7 A. Well, they targeted that. If they had been 20
8 feet higher, they would have been in the same reservoir
9 we were and made a heck of a well. But -- that was the
10 point of that display, was you need to be in good
11 reservoir rock.

12 EXAMINER JONES: Devon is represented here
13 today, but they don't have a witness?

14 MR. BRUCE: No, sir. They voluntarily
15 committed their interest to GMT.

16 EXAMINER JONES: To GMT.

17 **Q. (BY EXAMINER McMILLAN) So where did Devon**
18 **drill, on page 3?**

19 A. If you look -- see on the far left --

20 **Q. Horizontal target?**

21 A. -- the Devon horizontal target? They drilled
22 on that tighter limier section.

23 **Q. Oh, okay. And so GMT --**

24 A. On the far right, we drilled on that nice --

25 **Q. The upper zone?**

1 A. Right, the -- well, the yellow where the good
2 sand is and the red where the good porosity is.

3 Their well that they drilled in would have
4 been -- if they had been, like I said, well, 20, 30 feet
5 higher, they would have been right in the middle of that
6 same zone, and I think they would have had a heck of a
7 well out there.

8 **Q. Now, how much reserves are you given in the 3rd**
9 **Bone Spring in a mile-and-a-half well?**

10 A. Well, I think -- in Section 2?

11 **Q. Yeah, in 2 and 35.**

12 A. Well, from 2 into 35 --

13 **Q. Yeah.**

14 A. -- we were at about -- I think what would be
15 easier to do is, in relation to a mile lateral, we're
16 only getting -- we're only estimating like another 15
17 percent. If you're drilling -- if you're drilling
18 100- -- so like 500,000 barrels, if you drill an extra
19 half a mile, you might get another 15 percent more, is
20 what we were kind of -- 15 to 20 percent more, because
21 that kind of goes with the same statistics. If you look
22 at all horizontal-long laterals, they're only averaging
23 about 30 -- and it was in our first testimony. They're
24 only averaging about 30 percent more than the longer
25 laterals in -- in all wells. If you take cases where

1 you've got really good reservoir rock, it's going to be
2 different, but that's all wells in Lea County. Not all
3 of them are in the best reservoir rock.

4 RECROSS EXAMINATION

5 BY EXAMINER JONES:

6 **Q. Did you say Section 26 to the north was**
7 **actually better than 35?**

8 A. I didn't say anything like that (laughter).

9 **Q. Okay. Okay. So you're saying it just**
10 **gradually tails off as you go north?**

11 A. Yeah. I mean, I could pull my maps back out
12 and see what I thought of 26, but I don't have it on
13 here.

14 RECROSS EXAMINATION

15 BY EXAMINER McMILLAN:

16 **Q. And is your primary target the 2nd?**

17 A. We bought the lease for all four targets. We
18 proposed our first well on the 2nd because we've had
19 really good success within three, four miles of here in
20 the 2nd, and then we were going to go do the 3rd next.
21 Yeah. And we liked -- on Section 2, we liked the
22 Wolfcamp, and we kind of liked the X-Y. So we have
23 four -- that's why we bought the lease for -- we bought
24 all four zones in Section 2. It looked prospective.

25

1 RECROSS EXAMINATION

2 BY EXAMINER JONES:

3 **Q. If you go to the 3rd next, does the 3rd still**
4 **drop off in Section 35, also?**

5 A. Compared to Section 2, it does. Yeah.

6 RECROSS EXAMINATION

7 BY EXAMINER McMILLAN:

8 **Q. So the reason you picked the 2nd was**
9 **production?**

10 A. Well, yeah. Our very recent -- some of our
11 better wells were within four or five miles in here, in
12 the 2nd, in the same zone, with the same looking [sic].
13 So yeah. That's why we picked it first off, but we
14 bought the lease for all the zones.

15 **Q. Okay. So you have to have 8 percent porosity**
16 **to make, quote, an "economic well"?**

17 A. In our history out here, yes. And I think what
18 we're saying is from Section 2 to Section 35, in four of
19 the -- or three of the major formations, the reservoir
20 degrades doing that direction. We've got the one
21 control point in the west half of 30 -- in the west half
22 of 35, we've got one control point.

23 **Q. Okay. I'm satisfied.**

24 EXAMINER BROOKS: No questions.

25 MR. BRUCE: Couple of follow-up.

1 REDIRECT EXAMINATION

2 BY MR. BRUCE:

3 Q. Mr. Dilli, in responding to Mr. Hall's
4 questions, your responses required a lot of speculation,
5 didn't they?

6 A. Yes. Yes. I just, you know --

7 Q. That's what -- tell me what the thickness would
8 be of 7 percent rock in a particular section?

9 A. How much better would it be if you frac at 7
10 percent versus -- all I can do is go with the wells that
11 we've drilled and what we've found.

12 Q. Go by the 40 wells you've drilled?

13 A. Right.

14 Q. In which case you say you need at least 20 foot
15 of 8 percent?

16 A. Right.

17 And there have been wells that we were
18 offered a chance to participate in that did not have
19 that, and we -- I mean, I'm not saying I'm the smartest
20 guy in the shed, but we declined to participate. And I
21 can point to them on the map. And they didn't have
22 that, and they didn't make good wells. So, I mean, just
23 over -- the experience over time, for GMT, that's what
24 we like to see to be sure we have an economic well.

25 Q. And so would you recommend the management

1 drilling into 7 percent rock whether it's 20 feet or
2 maybe 30 feet?

3 A. I would not. If we owned Section 2, I would
4 not propose a well. We wouldn't have bought a lease
5 until we bought [sic] it. I'm sorry -- 35. We bought
6 the lease in 2 for the -- for the reasons I've stated.

7 Q. Thank you.

8 EXAMINER BROOKS: How about a break?

9 EXAMINER JONES: Are we done with this
10 witness?

11 MR. HALL: I may have a couple of
12 follow-up, but we can go ahead and break.

13 EXAMINER JONES: Do you want to take about
14 a minute?

15 (Recess, 3:13 p.m. to 3:29 p.m.)

16 EXAMINER McMILLAN: Call the hearing back
17 to order.

18 Please proceed.

19 RE CROSS EXAMINATION

20 BY MR. HALL:

21 Q. Mr. Dilli, I have very brief follow-up on a
22 question Mr. Bruce asked you about your hard decision
23 point; you have to have 8 percent. So bearing that in
24 mind, let's look at your Exhibit B, page 4, your 3rd
25 Bone Spring isopach.

1 A. Page?

2 Q. I'm sorry. 4. Page 4.

3 A. But Exhibit B?

4 Q. That's right.

5 Okay. So looking at your contours here,
6 these are all hand-drawn contours, we assume. Is that
7 right?

8 A. Yes. I contour them on the screen.

9 Q. And your 20-foot contour, which runs southwest
10 to northeast, runs through Section 2, and everything to
11 the east of the 20-foot is 8 percent or greater; is that
12 right?

13 A. Uh-huh.

14 Q. You need to answer yes for the record.

15 A. Yes. I'm sorry.

16 Q. And what percentage is attributable to 8
17 percent or less? Can you approximate that?

18 A. So are you asking like a gross to net kind of a
19 number?

20 Q. Well, just looking at the south half of Section
21 2 only -- actually, just the southwest quarter of
22 Section 2 --

23 A. Section 2. Okay.

24 Q. -- what percentage of the southwest quarter
25 would you say is less than 8 percent based on your

1 **20-foot contour line.**

2 A. Of Section 2?

3 **Q. Yes.**

4 A. I would say all of the --

5 **Q. I'm sorry. I have them upside down.**

6 **Section 35.**

7 A. I guess are you asking percentage of the map or
8 percentage gross to net? I'm sorry.

9 **Q. Well, the percentage of -- just considering the**
10 **southwest of Section 35 there.**

11 A. Oh, half? I guess half.

12 **Q. So what percentage is less than 8 percent?**

13 A. 50 percent. If you're saying just that
14 quarter-quarter -- or the quarter -- quarter section, I
15 mean, of 35?

16 **Q. Southwest quarter, correct.**

17 A. Maybe 60. That's -- you're going from 100 feet
18 to 20 feet in a mile and a half.

19 **Q. So everything to the north and west of the**
20 **20-foot contour line is something less than 8 percent,**
21 **right?**

22 A. I think what you're asking is is there still
23 porosity, but it's thinner. Yes. I think that's what
24 you're getting to.

25 **Q. And as you go to the northwest, the thickness**

1 comes back; is that correct?

2 A. So to the north -- far northwest over in 34 or
3 whatever that section above 34 would be.

4 Q. So your next contour line would be 30 feet?
5 These are 10-foot intervals, I assume?

6 A. 20.

7 So it would be -- well, what that -- okay.
8 I see what you're saying. Sorry. Now I understand.
9 And I should have labeled them better. I just pulled
10 these right out of my regional map.

11 Those two contours are both 20s.

12 Q. Okay.

13 A. See the well that says "32" here in Section 34?
14 The contour to the east of that would be 20 foot. The
15 contour, where you see that 22 foot, is a 20-foot
16 contour as well. So you have a thin between those two,
17 and then you thicken up going into 34. Is that what
18 you're asking me?

19 Q. Let's make sure. Look at the contour in the
20 northwest corner -- the far northwest corner of your
21 map. That's 40 feet, right?

22 A. Correct. The next one to the east would be 20
23 foot. The next one to the east of that is 20 foot. So
24 you have --

25 Q. Two 20s?

1 A. Yes. I'm sorry. I should have -- my mistake
2 there. I should have labeled those.

3 Q. All right. But you're saying, based on GMT's
4 criterion, you would not drill a well from the north
5 half of Section 35 into the south half to do a one-mile
6 lateral? It wouldn't qualify?

7 A. In GMT's opinion, no.

8 Q. And that means nothing in Section 35 would get
9 drilled?

10 A. The 2nd looks pretty good to me.

11 Q. All right. And how about in the east half of
12 Section 35 for the 3rd?

13 A. Well, we don't -- I mean -- I mean, we don't
14 own any interest over there, but are you just asking my
15 opinion?

16 Q. Right. Would that get drilled, or would it be
17 stranded?

18 A. That would -- the east half of 35 would
19 probably get drilled in GMT's shop. I'd have to look at
20 that well that has 43 on it again, but based -- you
21 know, on what I -- you're asking me for a quick snapshot
22 answer, which I think you are, without making my cross
23 section, I would say probably it would get drilled.

24 Q. But the two proration units on the east side
25 would not -- couldn't justify two one-mile laterals?

1 A. You mean the west?

2 Q. I'm sorry. The west side, Section 35?

3 A. In GMT's opinion, correct.

4 Q. Right. Those would not get drilled?

5 A. (Indicating.)

6 Q. So your drill or no-drill decision is based on
7 the Getty well data point --

8 A. If that's the well --

9 Q. -- and 8 percent cutoff?

10 A. If that's the well in 35, yes.

11 Q. Yes.

12 So the answer is yes?

13 A. Yes. Excuse me.

14 MR. HALL: Nothing further.

15 MR. BRUCE: No questions.

16 EXAMINER JONES: Okay. Thank you,
17 Mr. Dilli.

18 MR. BRUCE: I'll call BTA's landman.

19 KENT CHRISTENSEN,

20 after having been previously sworn under oath, was
21 questioned and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your name and city of
25 residence for the record?

1 A. Kent Christensen, Midland, Texas.

2 Q. Who do you work for and in what capacity?

3 A. BTA Oil Producers. I'm a landman.

4 Q. And have you previously testified before the
5 Division?

6 A. Yes.

7 Q. And were your credentials as an expert
8 petroleum landman accepted as a matter of record?

9 A. Yes.

10 Q. Are you familiar with BTA's ownership in the
11 matters regarding Section 35?

12 A. Yes.

13 MR. BRUCE: Mr. Examiner, I tender
14 Mr. Christensen as an expert petroleum landman.

15 MR. HALL: No objection.

16 EXAMINER McMILLAN: So qualified.

17 Q. (BY MR. BRUCE) Did you testify a couple of
18 months ago? Did you do that, Mr. Christensen?

19 A. Yes, I did.

20 Q. Can you testify --

21 MR. BRUCE: And I've submitted now to
22 everyone, as BTA Exhibit A, the 1977 -- August 1977 JOA.

23 Q. (BY MR. BRUCE) And do you have that in front of
24 you? If not, I'll give you mine just in case.

25 A. I do not.

1 Q. First of all, did this JOA cover -- it covered,
2 I believe, originally, all of Section 35 and Section 2?

3 A. Correct.

4 Q. Was it executed by all the working interest
5 owners with ownership in those sections?

6 A. Yes.

7 Q. So total joinder of every well at the time this
8 JOA was --

9 A. Yeah. No outstanding parties.

10 Q. Now, because of nondevelopment, the southwest
11 quarter of Section 2 dropped out of this?

12 A. Correct. It expired.

13 Q. And that's the GMT acreage that's been
14 discussed?

15 A. That was the new lease taken.

16 Q. Now, looking at just the west half of Section
17 35, does BTA own either a working interest or a
18 contractual interest throughout the west half of Section
19 35?

20 A. Both, yes.

21 Q. And as you testified last time, BTA has filed
22 APDs for two one-mile laterals in the west half of
23 Section 35?

24 A. Correct.

25 Q. Does BTA prefer one-mile development of

1 laterals of the Bone Spring in this area?

2 A. Yes.

3 Q. How many Bone Spring wells -- horizontal wells
4 has BTA drilled approximately?

5 A. In Lea County, specifically?

6 Q. Lea County.

7 A. Between 25 and 30.

8 Q. And that 25 to 30 to date -- you have plans to
9 drill additional wells? BTA has plans to drill
10 additional wells?

11 A. Correct. We're running four rigs right now.

12 Q. Like I said, you attended the last hearing, and
13 Black Mountain had various development scenarios. I
14 think at the time BTA discussed that you didn't want the
15 northwest -- take a step back.

16 Black Mountain is proposing mile-and-a-half
17 laterals, which would exclude the northwest quarter of
18 Section 35; is that correct?

19 A. Correct. Basically, it would strand our
20 acreage.

21 Q. Now, BTA -- Black Mountain, again, did present
22 various development scenarios that it said it had looked
23 at and that it was proposing. And I think one of -- one
24 thing they looked at in the northwest quarter of Section
25 35 is that BTA could potentially be drilling to the

1 **north --**

2 A. Correct.

3 Q. -- into Section 26 to the north; is that
4 **correct?**

5 A. Yes.

6 Q. Does BTA want to do that?

7 A. From my understanding, we do not.

8 Q. And in the west half of Section 35, you already
9 **have a JOA in place, correct?**

10 A. Correct.

11 Q. You don't need to go through any additional
12 **title work or forced pooling or anything like that to**
13 **get wells drilled?**

14 A. No, we do not.

15 Q. Does BTA operate wells in Section 35 under this
16 **JOA?**

17 A. We operate the well in the northwest quarter of
18 **Section 35.**

19 Q. And I think there is one or two wells that
20 **Black Mountain, now Marathon, operates also?**

21 A. Correct. I'm not 100 percent as to the name,
22 but it's in the southwest quarter, operated by Burgundy,
23 now Marathon, through Black Mountain.

24 Q. **Through Black Mountain?**

25 A. Yeah.

1 Q. Before Black Mountain filed its forced pooling
2 application and indeed when we went to hearing in May,
3 had Black Mountain proposed its mile-and-a-half laterals
4 to BTA?

5 A. No.

6 Q. Are there documents which show that Black
7 Mountain knew or should have known that this JOA was in
8 effect covering the west half of Section 35?

9 A. It's been referenced throughout the title
10 chain. Specifically, when Black Mountain bought that
11 well in the southwest quarter, there was a change of
12 operatorship that referenced that JOA. And there are a
13 few others that I believe it referenced in the past, but
14 that's one specific one I can remember.

15 Q. Mr. Christensen, I've handed you an exhibit
16 marked BTA Exhibit B. Is that the change-of-operator
17 form that you just mentioned?

18 A. Yes.

19 Q. Does it reference that 1977 JOA?

20 A. Correct, August 15th, '77.

21 Q. And it specifically references Section 35?

22 A. Yes, it does.

23 Q. Okay. Is it BTA's position that Black
24 Mountain's application should be denied, and that
25 one-mile lateral should be drilled in the west half of

1 **Section 35?**

2 A. Yes.

3 **Q. And were Exhibits A and B compiled from BTA's**
4 **business records?**

5 A. Yes, they were.

6 MR. BRUCE: Mr. Examiner, I move the
7 admission of BTA Exhibits A and B.

8 MR. HALL: No objection.

9 EXAMINER McMILLAN: BTA Exhibits A and B
10 shall be accepted as part of the record.

11 (BTA Oil Producers, LLC Exhibit Letters A
12 and B are offered and admitted into
13 evidence.)

14 MR. BRUCE: And I have no further
15 questions.

16 CROSS-EXAMINATION

17 BY MR. HALL:

18 **Q. Mr. Christensen, can you refer me to the**
19 **provision in the JOA that addresses selection of**
20 **successor operators?**

21 A. Let's see here.

22 **Q. Well, let me ask you this way: Do you know how**
23 **successor operators are selected under the JOA?**

24 A. Yes.

25 **Q. How is it?**

1 A. Basically, you have to nominate them and follow
2 the basic rules of proposing the well initially, is what
3 I understood.

4 Q. All right. And do you know if that was done in
5 this case?

6 A. No.

7 Q. You don't know, or it was not done?

8 A. No, it was not done. That's correct.

9 Q. And can you explain how both Black Mountain and
10 BTA would be operating on the contract area under this
11 JOA?

12 A. Well, we farmed into the northwest quarter,
13 earning 93 percent of that acreage. Technically, the
14 contractual interest should exist as long as the JOA is
15 in effect, from my understanding. The simple fact that
16 we currently have a working interest in a well that --
17 Burgundy through Black Mountain through Marathon now --
18 they're paying us for a well. So obviously we have a
19 working interest in that well in the southwest quarter.

20 Q. But can you tell me how it came to be that
21 there are two operators within the same contract area?
22 That's what I'm driving at.

23 A. Oh, no. I cannot speak to that.

24 Q. Is there any evidence in BTA's files about the
25 contract area having been subdivided at some point?

1 A. No.

2 Q. And did you object to GMT proposing its wells
3 under a new JOA?

4 A. I do not believe so. I would assume that they
5 would be separate since they don't include our acreage.

6 Q. All right. Is that common, though, in the
7 industry where lands subject to preexisting JOAs are
8 often proposed to be updated or replaced with new --
9 well JOAs?

10 A. Yes.

11 Q. Is there any prohibition under this operating
12 agreement for someone to propose new wells directly to
13 working interest owners rather than through the
14 operator?

15 A. I'm not 100 percent certain.

16 Q. Okay. I have nothing further.

17 EXAMINER BROOKS: Both attorneys have
18 examined this witness? Yeah, that's right. You were
19 cross-examining.

20 CROSS-EXAMINATION

21 BY EXAMINER BROOKS:

22 Q. I call your attention to this operating
23 agreement at page 9 where it says "Resignation of
24 Operator." "Operator may resign from its duties and
25 obligations as Operator at any time upon written notice

1 of not less than ninety (90) days.... In this case, all
2 parties to this contract shall select by majority vote
3 in interest, not in numbers, a new Operator who shall
4 assume the responsibilities," et cetera. Do you know if
5 that ever happened --

6 A. No.

7 Q. -- when Burgundy resigned? You do not know --

8 A. I'm not aware that actually happened.

9 Q. Okay. Now, under an operating agreement -- I
10 haven't found that provision in this operating
11 agreement, but I've studied a lot of operating
12 agreements. Generally, they provide, do they not, that
13 if the operator goes nonconsent on a well proposal and
14 the operator that operates the well -- consenting
15 parties, unless the operator elects not to do so, in
16 which case the consenting parties will select one of
17 their number to operate the well? Is that not a common
18 provision?

19 A. It's common, but you have to make that
20 election.

21 Q. Okay. Now, let's see what this operating
22 agreement says on the subject, "Operations by Less Than
23 All Parties," page 5. There is a lot of text on page 5
24 and 6. We're going into 6. I haven't it found yet,
25 anything about it (reading).

1 It says something about it in the third
2 paragraph on page 6, if one of the consenting parties
3 recover from -- nonconsenting parties relinquish
4 interest of such -- I'm not finding -- I'm not
5 finding -- I guess I don't read operating agreements
6 that fast.

7 But do you know if there have been any
8 situations where it could change if the operator under
9 this -- if any well could have arisen by virtue of a
10 situation in which where not all parties consented to a
11 previously drilled well?

12 A. I can't --

13 Q. That's one way I can think of to come to be two
14 operators.

15 A. It would depend on the language of that
16 individual operating agreement.

17 Q. And this operating agreement -- this was never
18 marked as -- no. It's marked as BTA Exhibit A.

19 Well, after you step down from the stand
20 and Mr. Hall starts his case, I'll ask you to see if you
21 can read that operating agreement and see if there is a
22 possibility, because I can't read it and listen to
23 anything else at the same time. But I don't want
24 you-all to have to just sit there while I read two pages
25 of fine print.

1 A. Understood.

2 CROSS-EXAMINATION

3 BY EXAMINER JONES:

4 Q. You said the northwest of 35 would be stranded
5 if Black Mountain's applications go ahead. And can you
6 just put that in words one more time why you say that?

7 A. As to the whole west half of 35, we already own
8 over half of the acreage outright, so in the northwest
9 quarter, we own 93 percent of a well we operate in the
10 acreage as well. Then extending their mile-and-a-half
11 up through the southwest quarter would leave our 160 on
12 its own. We don't own the leasehold to the north.

13 Q. In Section 26?

14 A. Correct.

15 Q. But you own 8-and-a-half percent of the
16 southwest quarter of --

17 A. 9.6.

18 Q. 9.6 of 35. Is that the same thing you said in
19 the last hearing, 9.6?

20 A. I said somewhere around 9, I believe. Yeah.

21 Q. Okay. So your people want to drill a one-mile
22 well in the west half of 35?

23 A. Correct.

24 Q. And did your people talk about drilling a
25 two-mile well from the -- that includes 35 and Section 2

1 **and go into partners with GMT on that?**

2 A. No.

3 **Q. Have they talked to them about that?**

4 A. No.

5 EXAMINER BROOKS: Okay. I'm sorry. I
6 didn't finish the questions I should have asked you
7 here.

8 CONTINUED CROSS-EXAMINATION

9 BY EXAMINER BROOKS:

10 **Q. I'm talking about BTA Exhibit A. Is it your**
11 **contention that BTA is the operator now under this**
12 **agreement dated August 15th, 1977, which is BTA Exhibit**
13 **A?**

14 A. As to the northwest quarter? Yes.

15 **Q. To the northwest quarter of what?**

16 A. Of 35, yeah. But obviously we have the right
17 to operate throughout the contract area.

18 **Q. How do you get that right if there has never**
19 **been an election? How did you acquire that right?**

20 A. The interest that we bought specifically
21 referenced conveyances, contractual interests in the
22 operating area, referencing the JOA and --

23 **Q. That's an agreement from -- conveyance from**
24 **Burgundy?**

25 A. No, sir.

1 Q. Okay. The only thing I have before me is BTA
2 Exhibit B, which is merely a resignation of operator.
3 It's not a conveyance as far as I can tell.

4 A. Yeah. I don't believe we've provided those
5 documents conveying us the interest.

6 Q. Okay. So you've got a conveyance from a person
7 who was a prior operator of the rights to operate, as
8 well as the rights to the, roughly, working interest?

9 A. Correct.

10 Q. And it's there we get back to this question:
11 Does the operator in this operating agreement have a
12 right to convey the right to operate? So I'm still not
13 sure we've gotten there, but I don't know what questions
14 to ask at this point.

15 Mr. Scott Hall may have some contribution
16 to make at a later time, but I'm going to leave it
17 there.

18 RE CROSS EXAMINATION

19 BY MR. HALL:

20 Q. Just one more question so we're clear on this.
21 BTA does have a right to propose wells in the northwest
22 of 35, including one-mile laterals extending up into
23 Section 26, right? Do you have the right to do that?

24 A. Not into 26.

25 Q. Do you have the right to propose them to the

1 **owners in 26?**

2 A. Yes.

3 **Q. There is nothing preventing you from doing**
4 **that?**

5 A. No. We'd have to -- I assume we'd have to
6 amend the contract, but Section 26 is not part of the
7 contractual issues that we're discussing. It's not
8 included in the original JOA at all.

9 RECROSS EXAMINATION

10 BY EXAMINER BROOKS:

11 **Q. So the right that you would have to propose to**
12 **drill a well up into 26 would be the same right that any**
13 **offsetting right would have to propose such a well, and**
14 **it doesn't have any legal effect unless they accept?**

15 A. Correct.

16 **Q. Thank you.**

17 MR. HALL: Nothing further.

18 MR. BRUCE: I have a couple of follow-up
19 questions.

20 EXAMINER BROOKS: Go ahead.

21 REDIRECT EXAMINATION

22 BY MR. BRUCE:

23 **Q. Mr. Christensen, BTA acquired interest -- I**
24 **believe it was probably over 15 years ago?**

25 A. Yes.

1 Q. In the west half of Section 35?

2 A. Correct.

3 Q. And it drilled, I think, a Morrow well or
4 something at that point?

5 A. Either Atoka or Morrow, one of the two.

6 Q. Might have been recompleted uphole?

7 A. Correct.

8 Q. And with regard to that resignation of operator
9 form -- and I'm pretty sure of this, and I think you
10 know this too -- Black Mountain, now Marathon, owns the
11 vast majority of interest in the southwest of Section
12 35?

13 A. Yes.

14 Q. Whereas, BTA owns 93 percent in the northwest
15 quarter.

16 So Burgundy, who sold that interest to
17 Black Mountain, with the percentage it owned, could have
18 designated Black Mountain operator of the southwest
19 quarter well?

20 A. Yes, I believe so.

21 MR. BRUCE: That's all I have.

22 EXAMINER BROOKS: Were you through?

23 EXAMINER JONES: Yes.

24 EXAMINER BROOKS: Scott, do you have
25 anything further?

1 MR. HALL: I have nothing.

2 EXAMINER BROOKS: I guess we can release
3 this witness; can we not?

4 MR. BRUCE: And those are the last of my
5 witnesses.

6 MR. HALL: I have two witnesses. I'd like
7 to call Ryan Gyllenband to the stand.

8 RYAN GYLLENBAND,
9 after having been previously sworn under oath, was
10 questioned and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. HALL:

13 Q. For the record, please state your name.

14 A. My name is Ryan Gyllenband.

15 Q. Mr. Gyllenband, where do you live and by whom
16 are you employed?

17 A. I live in Houston, Texas, and I'm employed by
18 Marathon Oil as a senior land professional.

19 Q. And are you authorized to testify for Marathon
20 Oil Permian, LLC's behalf today?

21 A. Yes, I am.

22 Q. Let me ask you: Has Marathon acquired its
23 interest from Black Mountain Operating that have been
24 the subject of these proceedings?

25 A. Yes. Marathon acquired the interest on June

1 1st, and Marathon will be the successor operator.

2 Q. All right. And has Marathon taken possession
3 of Black Mountain's files?

4 A. Yes. We've taken position of the files.

5 Q. Including the files on these properties?

6 A. Yes, sir.

7 Q. Are they now maintained in the ordinary course
8 of business for Marathon?

9 A. Yes, sir.

10 Q. Have you taken the opportunity to become
11 familiar with those files and the well proposals that
12 are involved here?

13 A. Yes, I have.

14 Q. Now, you've not previously testified before the
15 Division examiners, have you?

16 A. No, sir.

17 Q. All right. Let's -- if you would, please, give
18 a brief summary of your educational background and work
19 experience.

20 A. I have a bachelor's degree in civil engineering
21 and a master's in real estate from Texas A & M
22 University. I've worked as a land professional for the
23 last six-and-a-half years, the last three with Marathon.

24 Q. And you're familiar with the applications that
25 have been filed in these matters?

1 A. Yes.

2 Q. And you're familiar with the land of the
3 subject area?

4 A. Yes.

5 MR. HALL: Mr. Examiner, we'd offer
6 Mr. Gyllenband as a qualified petroleum landman.

7 MR. BRUCE: No objection.

8 EXAMINER McMILLAN: So qualified.

9 Q. (BY MR. HALL) Now, Mr. Gyllenband, you've
10 examined the land files for this particular acreage,
11 correct?

12 A. Yes.

13 Q. And have you reviewed the 1977 JOA that we've
14 been talking about here today?

15 A. Yes.

16 Q. And do you agree that the southwest quarter of
17 Section 2 fell out of the JOA contract area?

18 A. Yes, or at least covering that expired and it
19 fell out of the contract area.

20 Q. And GMT acquired a replacement lease by sale?

21 A. That's correct.

22 Q. And is it your understanding that the reason
23 that Black Mountain included the southwest quarter of
24 Section 2 in its well proposals is to prevent that
25 acreage from being stranded?

1 A. Yes. That's my understanding.

2 Q. It was unlikely to be developed under the 1977
3 JOA, correct?

4 A. That's correct.

5 Q. Is it your understanding that Black Mountain
6 succeed -- succeeded Getty Oil Company as operator under
7 the '77 JOA?

8 A. Yes. That's my understanding.

9 Q. And so Black Mountain in the past and Marathon
10 presently now operates wells in the JOA contract --

11 A. Yes. Black Mountain, now Marathon, operates
12 three wells on the contract area, the Getty State 1 and
13 2 wells and the San Simon 2 State well. BTA operates
14 the Burgundy 1 well, which is in the northwest quarter
15 of Section 35. That northwest quarter of 35 appears to
16 have been carved out of the JOA, but our records are
17 incomplete on that because we don't own an interest in
18 that portion of 35.

19 Q. When you say carved out, does it appear that
20 the acreage -- the contract area acreage has been
21 subdivided? Is that reasonable?

22 A. That's what it appears looking at those
23 records.

24 Q. In your experience, is it unusual for operators
25 to propose new horizontal well JOAs which include some

1 acreage that are subject to a pre-existing JOA?

2 A. No. In my experience, that's not unusual,
3 especially because the 1977 JOA was proposed with
4 vertical wells in mind, and now in the horizontal
5 environment, it's necessary to propose new JOAs that
6 contemplate horizontal drilling.

7 Q. All right. And that's what both Black Mountain
8 and GMT have done, correct?

9 A. Correct.

10 Q. Let's look at Exhibit 15, if you would. Now,
11 is it your understanding from the prior hearing, the
12 transcript from that hearing, that there was some
13 concern about a conflict with the surface for the
14 location -- the surface locations that were proposed by
15 Black Mountain?

16 A. Yes.

17 Q. If we look at Exhibit 15, can you identify
18 that, please?

19 A. Exhibit 15 is an email chain between Robbie
20 Zimmerman and Black Mountain and Scott Spicher at 3 Bear
21 Energy.

22 Q. And what was the subject of that email chain?

23 A. The last email correspondence between them, it
24 appears that there was a phone conversation previously
25 on that day where they discussed that 3 Bear's location

1 in the south part of Section 2 was just a backup
2 location. It was not their main target area of where
3 they were going to put their processing plant. And then
4 Mr. Zimmerman went on to say that Black Mountain would
5 be able to accommodate them if they do end up going with
6 that -- with that proposed spot in the south part of
7 Section 2. And that's also Marathon's position, that we
8 would be able to accommodate that, and I believe we're
9 going to get to that in the next exhibit.

10 Q. Let's just walk through this briefly. Page 2
11 of Exhibit 15, the bottom page is the first contact by
12 Black Mountain to 3 Bear; is that right?

13 A. Correct.

14 Q. And the response to that, there was a phone
15 call and a note, an e-mail, and that was Scott Spicher's
16 response. It's at the bottom of page 1 of that,
17 correct?

18 A. That's right.

19 Q. Does it indicate that all that 3 Bear had in
20 hands at the time was a letter of intent from the
21 landowner?

22 A. That's right. It just appears that they had
23 just a letter of intent and not something more formal.

24 Q. There is no lease? No conveyance?

25 A. Correct.

1 Q. And then Mr. Zimmerman responded to
2 Mr. Spicher's note. He basically recounted telephonic
3 conversation that they had in his email?

4 A. Yes, sir.

5 Q. And to your knowledge, Mr. Spicher never
6 countermanded what was represented by Mr. Zimmerman?

7 A. Correct.

8 Q. Let's look at Exhibit 16. Could you identify
9 that, please?

10 A. Exhibit 16 is showing the two proposed wells
11 for the Black Mountain, originally proposed, and this is
12 showing the 3 Bear facility where they had plan to do it
13 in the south portion of Section 2 and how the wells
14 would still be drillable, and we would be able to
15 accommodate that, if need be, in our surface location.

16 Q. And does that remain Marathon's position as
17 well?

18 A. That's our position as well.

19 Q. Let's look at Exhibit 17. What does that show
20 us?

21 A. This exhibit shows some locations on the
22 northside of the contract area where we're proposing,
23 which is actually where Marathon plans to drill the
24 wells from. We plan to drill them from the north side
25 of the southwest quarter of 35, north to south into

1 Section 2. And we already have a surface-use agreement
2 with the surface owner in Section 35 and Section 2
3 covering this entire area.

4 Q. And the surface owner is Merchant Livestock; is
5 that right?

6 A. They own the surface in Section 2, and then
7 they're a lessee on the surface use in 35.

8 Q. All right. And what is Merchant's practice
9 with respect to amending that surface-use agreement to
10 provide for any locations?

11 A. Each time that there is a well proposed, they
12 amend and include an addendum showing where the pad is
13 located.

14 Q. If the wells are drilled from north to south,
15 do you have footage calls for the surface location in
16 that event?

17 A. We would be able to provide those. Yes.

18 MR. HALL: We'll be glad to do that after
19 the hearing.

20 EXAMINER McMILLAN: We're going to have to
21 have that. Yes.

22 Q. (BY MR. HALL) Did you review Black Mountain's
23 AFE -- both AFEs for the wells?

24 A. I did.

25 Q. And is it Marathon's position that those

1 itemized costs -- cost estimates continue to be in line?

2 A. Yes.

3 Q. Does Marathon see any need to change them at
4 this point?

5 A. No, not at this time.

6 Q. And do Black Mountain's estimates of overhead
7 and administrative costs, 7,000 per month while drilling
8 and 700 per month while producing, continue to be in
9 line?

10 A. Yes, sir.

11 Q. And is Marathon recommending that these
12 drilling and producing overhead rates be incorporated
13 into the order that results from this hearing?

14 A. Yes.

15 Q. And is Marathon also requesting that the order
16 provide for adjustments to the rates in accordance with
17 the COPAS accounting procedures?

18 A. Yes.

19 Q. And is Marathon also requesting that the order
20 designate Marathon Oil Permian as the operator of the
21 two wells?

22 A. Yes.

23 Q. And Marathon Oil is also asking that the
24 Division pool whatever enjoined interest of any kind in
25 the two project areas; is that right?

1 A. Yes.

2 **Q. Marathon's not exactly a new entrant into**
3 **New Mexico, correct?**

4 A. Correct. Marathon's operated and has had
5 operated and nonoperated positions in New Mexico for the
6 past several decades. We're also very active in three
7 other shale plays in the U.S. We're currently running
8 three rigs in the Permian at this time and have plans to
9 potentially add some more next year. And we also have
10 plans to -- as you can see on Exhibit 17, to continue to
11 develop this area in Section 25 and 36 as well.

12 **Q. All right. Is Marathon looking at the Wolfcamp**
13 **as well?**

14 A. Yes, sir.

15 **Q. In your opinion, would the granting of Black**
16 **Mountain's and Marathon's application be in the interest**
17 **of conservation and the prevention of waste and the**
18 **protection of correlative rights?**

19 A. Yes. It would allow for the development of 330
20 feet on either side of 35 and 2 that otherwise would not
21 be reached.

22 **Q. And were Exhibits 15 through 17 prepared by you**
23 **or derived from company records maintained in the**
24 **ordinary course?**

25 A. Yes.

1 MR. HALL: I'd tender admission of Exhibits
2 15 through 17.

3 And that concludes my direct of this
4 witness.

5 MR. BRUCE: No objection.

6 EXAMINER McMILLAN: Exhibits 15 through 17
7 may now be accepted as part of the record.

8 (Marathon Oil Company Exhibit Numbers 15
9 through 17 are offered and admitted into
10 evidence.)

11 CROSS-EXAMINATION

12 BY MR. BRUCE:

13 Q. Just a few questions. Looking at Exhibit --

14 And I apologize. Is your name pronounced
15 with a hard G or a soft G?

16 A. Gyllenband.

17 Q. That's what I thought.

18 Looking at your Exhibit 17, Mr. Gyllenband,
19 are the proposed well locations now in Section --
20 surface locations now in Section 35?

21 A. Correct.

22 Q. And you have talked about the northwest quarter
23 of Section 35 being carved out of the 1977 JOA. Can you
24 produce any document stating that that is the case?

25 A. None other than the fact that we don't show any

1 ownership of Marathon in that entire 160 acres.

2 Q. Well, this JOA covered what? The 640 areas of
3 land, correct, originally?

4 A. Originally. Originally, it covered 1,280.

5 Q. 1,280. Excuse me. 1,280.

6 And it's 40 years old now?

7 A. (Indicating.)

8 Q. Lots of assignments?

9 A. Sure.

10 Q. Isn't it common with these old JOAs where the
11 maintenance of uniform provisions were ignored, but the
12 contract area is still in effect?

13 A. Yes.

14 Q. And, of course, GMT owns -- is not subject to
15 that JOA at all?

16 A. That's -- yes. That's correct.

17 Q. So it can propose whatever it wants?

18 A. Correct.

19 Q. It's not subject to the '77 JOA?

20 A. They're not.

21 MR. BRUCE: That's all I have,
22 Mr. Examiner.

23 CROSS-EXAMINATION

24 BY EXAMINER McMILLAN:

25 Q. Okay. What was your justification for moving

1 **the surface location?**

2 A. We prefer to drill from north to south, and
3 there was the issue of the potential facility. And so
4 we just felt that those combined, we decided to move
5 them to the north.

6 Q. So preferring towards the south, is there -- so
7 why do you prefer to drill versus to the north?

8 A. I'm sorry?

9 Q. You said you prefer to drill from the north to
10 the south.

11 A. Correct.

12 Q. Why is that better than south to north?

13 A. I think just -- it was mostly the surface
14 consideration.

15 Q. Okay. So you're really not saying -- so you're
16 first saying it was not -- you really -- so to clarify,
17 you're saying you changed orientation because of the
18 surface issue?

19 A. For the most part, yes.

20 Q. Okay. Did it also have anything to do with the
21 fact that in the southwest quarter of Section 2 you have
22 no leasehold interest?

23 A. No.

24 Q. Was that a factor at all?

25 A. No.

1 Q. And I believe you stated the AFEs did not
2 change?

3 A. Correct.

4 Q. Were you concerned -- since you have an
5 interest in the southwest quarter, do you feel that
6 would have any bearing on the case?

7 A. No.

8 CROSS-EXAMINATION

9 BY EXAMINER JONES:

10 Q. In the offer in your letters that you've
11 included here, in handling your gas and processing, that
12 plant would be in the southwest -- southwest of Section
13 2; is that correct?

14 A. If they went with that, but it's my
15 understanding that 3 Bear intends to put the plant
16 somewhere else.

17 Q. Oh, they do?

18 A. Yes.

19 Q. That was just a possible location?

20 A. Correct. It was the backup. I don't know
21 what's transpired since then, but at this time, it was a
22 backup location.

23 Q. So you would build a surface facility back in
24 Letter L, probably, is that correct, of Section 35?

25 A. Correct.

1 **Q. And where would you sell your gas?**

2 A. I don't know that answer yet.

3 **Q. But you'd sell it somewhere?**

4 A. Correct.

5 **Q. Okay.**

6 EXAMINER BROOKS: I have no questions.

7 MR. HALL: I have nothing further of this
8 witness.

9 MR. BRUCE: I have nothing.

10 EXAMINER JONES: You have one more witness?

11 MR. HALL: I have one more witness.

12 While we're doing land, I'm going to
13 introduce --

14 EXAMINER JONES: I have to run and give
15 this to Florene, so maybe a five-minute break?

16 EXAMINER BROOKS: Yeah. Let's do that.
17 That's a good idea.

18 MR. HALL: Can I just say -- so Exhibit 18,
19 we move the admission of Exhibit 18. It is our
20 supplement Affidavit of Notice.

21 MR. BRUCE: No.

22 EXAMINER McMILLAN: Exhibit 16 through 18
23 may now be accepted as part of the record.

24 (Marathon Oil Company Exhibit Numbers 16
25 through 18 are offered and admitted into

1 evidence.)

2 (Recess, 4:20 p.m. to 4:27 p.m.)

3 EXAMINER McMILLAN: At this point I'd like
4 to call the hearing back to order.

5 MR. HALL: At this time, Mr. Examiner, we'd
6 like to call Roy Wilty to the stand.

7 EXAMINER McMILLAN: Please proceed.

8 ROY H. WILTY, JR.,

9 after having been previously sworn under oath, was
10 questioned and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. HALL:

13 Q. For the record, please state your name.

14 A. Roy Wilty.

15 Q. Mr. Wilty, where do you live and by whom are
16 you employed?

17 A. I live in Houston, and I'm employed by Marathon
18 Oil.

19 Q. And in what capacity?

20 A. I'm the subsurface supervisor for the Permian
21 Asset Team.

22 Q. All right. And are you familiar with the
23 matters in these two compulsory pooling cases -- these
24 four. I'm sorry.

25 A. Yes, I am.

1 Q. And have you reviewed the transcript of
2 testimony and the exhibits from the prior case?

3 A. Yes, I have.

4 Q. And have you assessed Black Mountain's geologic
5 presentation?

6 A. Yes, I have.

7 Q. Did you agree with their conclusions?

8 A. In general, yes.

9 Q. What did you do to verify those?

10 A. Well, there were two maps and a cross section,
11 I believe, that were presented by Mr. Moore in May, and
12 so we cc'd those internally with our Well Control.

13 Q. And you agree with their geologic assessment of
14 these wells?

15 A. Yes, in general. I think we spoke a lot
16 earlier about porosity cutoffs and whatnot, and I
17 believe they used a 6 percent cutoff. So, of course,
18 their maps look considerably different than what we've
19 seen so far today. But I think based on that cutoff,
20 the general trend of reservoir degradation to the
21 northeast maintains, but it's not as abrupt as what's
22 been shown with the maps that were presented earlier.

23 Q. All right. Let's look at some of those. We
24 should focus on GMT's Exhibit B, and let's look at page
25 4 of that, the isopach, 3rd Bone.

1 EXAMINER McMILLAN: What page are we on?

2 MR. HALL: Page 4, Exhibit B.

3 Q. (BY MR. HALL) Do you understand the contours
4 shown on Exhibit 4 were handdrawn?

5 A. That's my understanding.

6 Q. And is there the possibility for bias to creep
7 into where you locate your contours?

8 A. Sure. That's -- that's, I guess, not uncommon
9 when contouring. Hand contouring single values from a
10 map like this, that's possible.

11 Q. And it's simply interpretation; is it not?

12 A. It is. It's interpretation.

13 Q. And geologic professionals will disagree with
14 interpretation on occasion?

15 A. Yes. That's quite common.

16 Q. All right.

17 A. These are -- so as I understand, they're
18 hand-drawn contours on a computer screen?

19 Q. Right.

20 A. So they're computer-generated but drawn by
21 hand, essentially.

22 Q. In establishing these contour lines by anyone,
23 how sensitive are the contours to the porosity values
24 that are used off of the well logs?

25 A. Well, I mean, I think the contour values

1 themselves are based on the net pay values that are
2 represented at the well points here, so on this exhibit,
3 the red numbers above the well symbols. But as we
4 discussed earlier, I think the actual -- those actual
5 values of net reservoir are quite sensitive to the
6 porosity values, especially if we're using the
7 methodology that was presented with an 8 percent cutoff.
8 I think just some -- a relatively quick look, but I
9 think it will give us an idea of the sensitivity when
10 you decrease the cutoff to 7 percent within that 80-foot
11 gross interval of Lower 3rd Bone Spring Sand. I
12 think -- so just a 1 percent change in porosity cutoff
13 yields twice the net reservoir. So it would go from,
14 say, 22 feet to perhaps 45 feet. And if you further
15 reduce that to 6 percent cutoff, which is not unheard
16 of, to use a 6 percent cutoff to evaluate net reservoir,
17 that could bring that value up as high as 60 feet,
18 which, again, is well beyond what's been proposed as a
19 minimum cutoff by GMT.

20 **Q. So alternate contour lines are possible, sir?**

21 A. Well, that's another topic. There are
22 alternate -- alternate ways to generate the net
23 reservoir numbers by changing the porosity, even the
24 cutoff just slightly, and then there are also alternate
25 ways to contour. And just as an example --

1 EXAMINER McMILLAN: Stop. He hasn't been
2 sworn in as an expert witness.

3 MR. HALL: Darn it. My oversight. I
4 apologize.

5 Mr. Examiner, would the witness'
6 credentials as an expert petroleum geologist be
7 accepted?

8 MR. BRUCE: No objection.

9 EXAMINER McMILLAN: Okay. He's qualified.
10 Proceed.

11 MR. HALL: Thank you. It was a good catch.

12 THE WITNESS: So I guess the point might be
13 that in this particular case -- and I'm sure there are
14 data points outside of the area of interest shown here
15 on this page. But given just the data that's shown
16 here, I think there are probable -- probably multiple
17 alternate interpretations, especially for the 20-foot
18 contour, which I think is the critical contour in this
19 case, using that particular cutoff and that criteria,
20 which I'm not saying I agree with. But if you did use
21 that cutoff and choose to honor that 20-foot contour,
22 you can see that there is a 22-foot value in the
23 center -- roughly center, west of center of Section 35,
24 and there is another 32-foot value there in the
25 northwest section -- or northeast section of 34. My

1 point is I think there are multiple ways you could
2 connect that 20-foot contour around there. That would
3 either -- could put more or less of that sub 20 feet
4 into that critical section of the southwest of 35. Does
5 that make sense?

6 So if we're using that cutoff and then the
7 contours that are derived from the cutoff, which are
8 hand contours, as a go or no-go decision for economics
9 of the southwestern corner of Section 35, I guess my
10 point is that there are multiple layers of not just
11 uncertainty but potential interpretation bias that are
12 introduced not only just in the decision for the 8
13 percent cutoff versus, say, a 7 percent cutoff, which
14 could literally double your net pay value, to the hand
15 contouring to, you know, the fact that even in that
16 southwest section of 35, only about a third of that is
17 less than 20 feet of net pay.

18 **Q. Right. If we except that interpretation?**

19 A. If you accept this interpretation. You could
20 change this interpretation very easily, I guess is my
21 point, to say there is nothing less than 20 feet in the
22 southwest quarter of 35.

23 **Q. Right.**

24 So the key data point -- is a key data
25 point for drawing that 20-foot contour in the

1 **surrounding contours that well in the southwest section**
2 **of 35?**

3 A. It is, unless there are other data points
4 outside the area of interest on this map that guide that
5 20-foot thin to the southwest. And there may be, but,
6 again, they're not -- it's not clear on this map that
7 that's the case. And so given the data points shown
8 here, there are other interpretations that I think
9 could, as I said, you know, change the average
10 thickness -- net pay thickness in the south part of 35.

11 Q. All right. You've heard Mr. Dilli use the term
12 "economic wells" several times today. We've referred to
13 several wells that were drilled in porosity of less than
14 8 percent. Does that automatically render every well
15 proposal invalid?

16 A. No, it shouldn't, especially given that --
17 using a 20-foot cutoff like that and then assuming, you
18 know, economic either viability or the nonviability on
19 either side of the contour. These are a gradational
20 changes in geology. We don't see changes that happen
21 immediately at unit boundaries or section boundaries.
22 So there is uncertainty in where that cutoff is, and
23 then there is also uncertainty whether 8 percent would
24 even be a hard cutoff for an economic well.

25 Q. Mr. Dilli testified earlier that an economic

1 well must have 280 million MBOE greater to be economic.

2 Do you recall him saying that?

3 A. I'm sorry?

4 Q. And he referred to the GMT Vitalizer at 558
5 MBOE.

6 A. Yes.

7 EXAMINER McMILLAN: Exhibit 8, page 2.

8 THE WITNESS: Page 2, yes.

9 Yes, 558 MBOE, EUR number. It's shown
10 here, correct.

11 Q. (BY MR. HALL) So is it reasonable to say that
12 the Vitalizer would have become uneconomic if it had
13 lost more than 50 percent of its EUR simply by reducing
14 the 70 feet of target pay by 12 percent? Is that what
15 you get when you go from 8 percent to 7 percent?

16 A. And, again, we're talking net pay above -- you
17 know, we're not even saying, I think, that the average
18 porosity would be 7 percent. The average porosity would
19 actually be probably higher than 7 percent. We're just
20 talking about the cutoff that's being used to determine
21 net reservoir thickness, correct?

22 So I think there are too many other -- to
23 say that a 1 percent porosity unit cutoff and how you
24 determine the net pay is going to -- is going to really
25 change an EUR given the variation and completion quality

1 and landing zone uncertainty, as we saw with the Devon
2 example -- just some slight variation in the landing
3 zone along the lateral could vastly affect what your
4 well performance and EUR is. So I think the 1 percent
5 porosity -- I think we're getting hung up on a -- not
6 hung up. I mean, it is an important issue, but we're
7 talking about one part of what ultimately contributes to
8 a well's EUR. And that 1 percent change in how we
9 determine a net -- or net reservoir cutoff, I don't
10 believe would -- should vastly change that, not by 12
11 percent.

12 **Q. All right. Do you have an opinion whether**
13 **developing Section 2 with one-mile laterals as opposed**
14 **to developing Sections 2 and 35 with mile-and-a-half**
15 **laterals would result in waste?**

16 A. Sure. I think the first scenario of one-mile
17 laterals would result in waste.

18 **Q. All right. And if you develop these wells**
19 **respecting the 330 setback for one-mile laterals on**
20 **either side of the section line, are you leaving 660**
21 **feet of reservoir unrecovered?**

22 A. You would be.

23 **Q. And would that result in waste?**

24 A. Yes.

25 **Q. Anything further to add?**

1 A. No.

2 MR. HALL: That concludes my direct of
3 Mr. Wilty.

4 EXAMINER McMILLAN: Please proceed.

5 MR. BRUCE: Well, Mr. Examiner, I could
6 spend a lot of time requesting or with your permission,
7 after Mr. Wilty is done, I can put Mr. Dilli up and ask
8 him three questions and get that out of the way rather
9 than cross-examining this witness.

10 MR. HALL: My understanding is he was
11 offered for rebuttal.

12 EXAMINER BROOKS: Explain what's going on
13 here.

14 MR. BRUCE: Okay. Well, I'll just --
15 there's nothing secret about this. I'll ask Mr. Wilty a
16 couple of questions.

17 The one thing I want that Mr. Dilli can
18 state -- Mr. Wilty said, Well, he's saying basically all
19 of the southwest quarter of Section 35 is 20 feet of 8
20 percent porosity, he said. And then his next statement
21 was, Well, unless there is regional mapping or points
22 outside of the plat submitted, that can have an effect
23 on these trends. And he didn't really say it that way,
24 but Mr. Dilli, he's -- as he stated, he mapped,
25 basically, all of the Bone Spring, and he has a lot of

1 regional maps. And I would like to get that in the
2 record, and this is where --

3 EXAMINER BROOKS: Well, I'm going to call
4 on the principle and overrule objections, and let the
5 Commission worry about it.

6 MR. BRUCE: Really that's the only question
7 I want to ask him. I will ask Mr. Wilty this.

8 CROSS-EXAMINATION

9 BY MR. BRUCE:

10 Q. When you're talking about -- you said in
11 general that you agreed with Black Mountain's geology;
12 is that correct?

13 A. It is, but I can elaborate a little bit in that
14 I think what they showed from a geologic perspective was
15 relatively -- not to say basic, but I think they showed
16 a structure map and a net isopach greater than 6 percent
17 and a cross section of four wells.

18 Q. Okay.

19 A. And so what were shown on those three exhibits,
20 I don't disagree with.

21 Q. I understand that.

22 But what Black Mountain did was their
23 isopach, whether you're looking at the 3rd Bone Spring,
24 which is the one I have in front of me, which is Black
25 Mountain's Exhibit 9, or the 2nd Bone Spring -- what

1 they're doing is targeting a 6 percent cutoff throughout
2 the entire 3rd Bone Spring section, and they're not
3 looking at the target zone; is that correct?

4 A. That's correct.

5 Q. So what they're looking at is -- like, on their
6 Exhibit 9, they're showing -- in Section 2 and the south
7 half of Section 31, they're showing 200 to 240 feet.

8 A. Of -- of net?

9 Q. Yes.

10 A. Which is out of 300-and-something feet of
11 gross, let's just say?

12 Q. Yeah.

13 A. Right.

14 Q. So what they're doing, they're not just looking
15 at the horizontal target zone. They're looking at
16 virtually the entire interval.

17 A. So as I understand it, looking at Exhibit 7, is
18 that not how the values for the contours -- I'm sorry.
19 Page 7 of Exhibit B, I believe -- sorry. The three-well
20 cross section we've referred to mostly on Exhibit B --

21 Q. Yeah.

22 A. -- that's exactly what's shown here. Because
23 if I'm not mistaken, there's red -- there's red net
24 flags, which are shown -- looking at the Great Western
25 well, A, on the left side, it says the net section of

1 landing zone that -- I guess your target zone, which is
2 labeled "3rd Bone Spring Lower Sand," looks to be about
3 60 -- 65 feet of gross. Am I right? So the contour
4 value on the map on the previous page is actually over
5 100 feet. So you would have to be including all of
6 that. So I think it's exactly what's done here, just a
7 different cutoff.

8 Q. No.

9 A. No?

10 Q. Aren't they -- aren't they -- if you go to page
11 4, they're just looking strictly at the lower sand.

12 A. I'm sorry. Page 4 of --

13 Q. Page 4 of Exhibit B, GMT Exhibit B. They're
14 just looking strictly at the lower sand. So then --

15 A. So if that's the case --

16 Q. Go to page -- excuse me. If you go to page 7,
17 they highlight that by a bracket.

18 A. Okay.

19 Q. And so what I'm saying is Black Mountain's
20 basically looking at the entire interval, and GMT is
21 just looking at the target zone?

22 A. Oh, okay. So I guess when I'm looking at page
23 4, the 3rd Bone Spring lower sand map, where it says "A"
24 at the bottom for the A to A prime, that's the Great
25 Western well. So there is a 100-foot contour around

1 that. So I'm not sure how you get a 100-foot contour
2 when right inside that contour you're showing a 45-foot
3 data point.

4 There seems to be some disagreement with
5 the contours -- like, in other words, the maximum -- the
6 maximum net thickness value on this for the 3rd Bone
7 Spring lower in Section 11, well, there is, I guess, a
8 50-foot point up here to the very northwest of the map.
9 Other than that, that point at A is 45 feet, correct?
10 It's right underneath the contour -- the 100-foot
11 contour. There is a 100-foot contour with a 45-foot
12 data point underneath it. So --

13 **Q. Yeah. In Section 11, yes.**

14 A. Yeah.

15 **Q. But when you look at Section 11 --**

16 A. That's this well here, Great Western, A. So
17 this is the --

18 EXAMINER McMILLAN: Is Black Mountain, for
19 reference, a net 6 percent cross porosity?

20 MR. BRUCE: Yes.

21 **Q. (BY MR. BRUCE) And so in Section 11, Black**
22 **Mountain's showing 315 feet?**

23 A. But I'm not -- I'm referring to page 4 of
24 Exhibit B, if we can get past this point, because I
25 think what I'm saying here -- you're saying that --

1 Q. But you're looking at -- okay. I understand
2 what you're saying.

3 A. Okay. So are we clear that the contours on
4 here are inaccurate? Because at least that 100-foot
5 contour cannot be accurate if that 45-foot data point is
6 accurate.

7 Q. What they're looking at is 45 feet is still
8 over 20 feet, correct?

9 A. Lat time I checked, yeah (laughter.)

10 Q. And I used to be an engineer. I used to know
11 this stuff.

12 And then when you talk about 6 or 7
13 percent, Mr. Dilli did point out examples where wells
14 with just 7 percent -- no higher than 7 percent
15 porosity, the target zones were not economic.

16 A. No higher than 7 percent. But in this target
17 zone, there is higher than 7 percent porosity, correct?

18 Q. Yeah. But what you were saying at the time --

19 A. But if it's no higher than 7 percent porosity
20 in a pay zone, that means you have to have -- your
21 average porosity would be much less than 7.

22 EXAMINER McMILLAN: Wait. Let him finish
23 the question.

24 THE WITNESS: Okay. Okay.

25 EXAMINER McMILLAN: Please proceed.

1 Q. (BY MR. BRUCE) All I'm saying, yes or no, did
2 Mr. Dilli show examples of wells that had no more than 7
3 percent as not being economic?

4 A. That's correct. Economic, but what's -- yeah.
5 But my point --

6 Q. Just to reiterate the point, his basis of 8
7 percent cutoff was based on drilling 40 wells, correct?

8 A. As I understand it, yes.

9 MR. BRUCE: That's really all I have,
10 Mr. Examiner. But I would like Mr. Dilli at some point
11 to get up to explain that he did do regional mapping.
12 And so it's not just looking at this little snapshot of
13 three sections of land that made -- that shows where he
14 placed these lines.

15 EXAMINER BROOKS: Okay. Well, I think
16 you're entitled to do that because you started with him.
17 So you can put him on after the opposing witness has
18 testified.

19 MR. BRUCE: I have no more questions of
20 Mr. Wilty.

21 EXAMINER BROOKS: Are you passing the
22 witness?

23 MR. BRUCE: Yes, I am.

24 EXAMINER BROOKS: Okay. Mr. Hall?
25

1 REDIRECT EXAMINATION

2 BY MR. HALL:

3 Q. Just to clear up the discrepancy about the
4 contours, look at Exhibit B, page 4 --

5 A. Okay.

6 Q. -- the well data point they're using to
7 establish their 100-foot contour there.

8 A. Yes.

9 Q. And then we turn to page 7. We look at the log
10 for that well. How much thickness does it show for the
11 3rd Bone Spring Sand?

12 A. It looks like the gross thickness is a little
13 over 60 feet, perhaps.

14 Q. The target?

15 A. Where it says "3rd Bone Spring Lower Sand"
16 would be the Great Western well. It looks like probably
17 65 feet of gross, which would be less than what's being
18 presented here as a 3rd Bone Spring lower sand net
19 value.

20 Q. Okay. That's all I have.

21 THE WITNESS: And I think -- I'm sorry. I
22 think the data point is below -- it's kind of beneath
23 the contour, but it says "45." So that would make
24 sense, 45 foot net out of 60 feet gross for that
25 section, which would change the contouring considerably

1 in the lower portion of this map.

2 MR. HALL: Pass the witness.

3 EXAMINER JONES: Mike?

4 CROSS-EXAMINATION

5 BY EXAMINER McMILLAN:

6 Q. So what do you believe would be the correct --
7 what's the best indicator for an economical well?

8 A. You know, that's -- from a reservoir
9 standpoint, how you define reservoir, it's -- I mean,
10 it's a difficult question. If that's the one -- because
11 I don't think it's purely the -- there's -- there's
12 probably three big buckets of factors that go into that.
13 It's the storage capacity of the reservoir. It's the
14 completion quality, and it's how much energy is in the
15 reservoir itself. So you've got three factors.

16 So if you just hone in on one of those,
17 which would be the storage capacity or the reservoir
18 quality, you know, I don't -- I think it's probably a
19 combination of the porosity and also looking at the
20 appropriate facies.

21 We are trying to understand whether or not
22 it's mainly a carbonate or a sand facies within the 3rd
23 Bone Spring. And so we're using a combination of both
24 facies, which we think is more favorable for
25 performance, or sandy facies, as well as porosity. So

1 we're just basing it on the porosity cutoff alone. So
2 we may say, Let's define where the sand facies is, plus
3 an additional porosity qualifier as well.

4 But, again, I think to say that an economic
5 well is solely based on having greater than 8 percent
6 porosity net over greater than a 20-foot interval
7 ignores the myriad of other -- other criteria that go
8 into making an economic well.

9 **Q. So you're saying that's too simplistic of a**
10 **model?**

11 **A. Yes, I do.**

12 Now, there is always -- there is always a
13 need to high grade, and I understand. That's why we
14 used maps like this to understand where we would do one
15 thing versus another. But to say there is a hard 8
16 percent porosity cutoff for a net sand and beyond there,
17 there are dragons, we don't go there, I think ignores --
18 ignores a lot of other criteria that we're trying to
19 focus on.

20 **Q. Okay. But, I mean, it appears to me -- first**
21 **of all, facies. It's kind of obvious. It appears to be**
22 **a lower sand. I mean, I don't really see a lot of --**
23 **it's really hard looking at the gamma ray to say you've**
24 **got a line there.**

25 **A. No, no. I think that's just a general approach**

1 for these particular wells. I think you will see that
 2 the amount of sand and the amount of carbonate does
 3 change laterally. We definitely see that as we go in
 4 this particular section. That's why I don't disagree
 5 with the overall concept that reservoir quality is
 6 degrading further to the north and northeast. But
 7 beyond the project area that we're discussing today, I
 8 think you're going to see an increase in carbonate
 9 content, as well as a decrease in porosity, much less
 10 than -- less than 5 percent porosity. So you're going
 11 to see much less porosity. There would be no question
 12 about economics as you go further to the northeast.
 13 So --

14 **Q. So what you're saying is you're expecting to**
 15 **see reservoir continuity throughout the project area?**

16 A. Yes.

17 **Q. That's what you're saying?**

18 A. Absolutely.

19 EXAMINER McMILLAN: Go ahead.

20 EXAMINER JONES: I think I'm not going to
 21 ask any questions (laughter).

22 THE WITNESS: I don't know if that's good
 23 or bad.

24 MR. BRUCE: I've never seen that happen.

25 EXAMINER JONES: Well, I could, but --

1 EXAMINER McMILLAN: Ask questions.

2 EXAMINER JONES: Well, I think he's -- you
3 know, I don't really think it would be productive for me
4 to ask questions.

5 EXAMINER BROOKS: No questions.

6 MR. HALL: That concludes our case.

7 MR. BRUCE: If Mr. Dilli could just testify
8 from here, I just have one question for him.

9 MIKE DILLI,
10 after having been previously sworn under oath, was
11 recalled on rebuttal, questioned and testified as
12 follows:

13 DIRECT EXAMINATION

14 BY MR. BRUCE:

15 Q. Mr. Dilli, did you use regional mapping in
16 preparing your exhibits for presentation in May and this
17 month, and are there points outside of the plats that
18 you show that relate to how you map this area?

19 A. Absolutely.

20 This will be real quick, Exhibit A, page 4.
21 I stated earlier that I had mapped, basically, the
22 entire Lea County, all these formations. And the only
23 reason I point that out is, you see the gray arrows, the
24 light gray arrows on the map there or the gray lines
25 with a couple of arrowheads on them, those are my

1 regional -- you know, that's taking my regional map of
2 the entire Lea County. Those are regional thicks.
3 Okay? So if you're on a regional thick, you're going to
4 contour thick as it goes through an area where you might
5 not have enough well control. Consequently, there are
6 regional thins, like the ones shown on the previous map.

7 Q. So you didn't look at just --

8 A. No.

9 Q. -- wells on that page 4 --

10 A. No.

11 Q. -- of that?

12 MR. BRUCE: Okay. That's all I have.

13 CROSS-EXAMINATION

14 BY EXAMINER McMILLAN:

15 Q. So why is there a discrepancy in the Great
16 Western Well with the contour?

17 A. I could -- I can tell you why. And if you look
18 at the Great Western well -- is that the one you're
19 referring to?

20 Q. Yeah. It's the Great Western State.

21 A. In a previous regional mapping scenario -- if
22 you look at -- if you look at the Lower 3rd Bone
23 Spring --

24 Q. Excuse me? I'm sorry. I apologize. I didn't
25 hear you clearly.

1 A. If you'll look at the Lower 3rd Bone Spring,
2 that orange cutoff, and then down to, say, top of
3 Wolfcamp A, that's all sandy in there. See all the
4 yellow? So the 3rd Bone Spring lower sand and Wolfcamp
5 X-Y. So if you see what I'm saying, that's -- if you
6 lump all that together, what had happened was -- and, I
7 mean, it's a technical -- the Great Western well, if you
8 see those little black tick marks right there where that
9 gamma ray kicks off between the lower 3rd, that's where
10 they set the intermediate casing. And so I had
11 originally picked, at one time, right below that as my
12 3rd Bone Spring, and it's really X-Y. I mean, it's all
13 sand. It's just that that's what the discrepancy in
14 that map is. You still have -- the contouring was not
15 re-adjusted for the 45-foot, but 45 is still plenty, if
16 you follow what I'm saying.

17 **Q. So, basically, it appears to me what you're**
18 **saying is that you're going --**

19 A. The top of the Wolfcamp, I moved it later based
20 on --

21 **Q. Okay.**

22 A. But that whole thing is sandy.

23 **Q. So, basically, all you're saying is that your**
24 **map is really a conglomeration of the 3rd Bone Spring**
25 **and a portion of the X-Y?**

1 A. The contouring is correct. The data point is
2 only in the 3rd Bone Spring, the data point where it
3 says "45."

4 Q. Well --

5 A. Yes, sir. And it's --

6 Q. Okay. So then that begs the question: When
7 you're looking at this, you talked in your testimony in
8 the 3rd Bone Spring and you referred back to this map,
9 which is conglomeration of the two, of the 3rd Bone
10 Spring and the --

11 A. And the very top of the Upper Wolfcamp or the
12 X-Y or the Upper Wolfcamp.

13 Q. The infamous -- it's called the Wolfbone.

14 EXAMINER JONES: Oh, no.

15 (Laughter.)

16 Q. (BY EXAMINER McMILLAN) You can see all sides in
17 here.

18 A. Whatever you want to call it.

19 Q. So with that in mind, looking at your contour,
20 do you see a direct -- is there still a direct
21 relationship between the 3rd Bone Spring and the
22 Wolfbone and the quality of the 3rd Bone Spring lower
23 sand economic wells?

24 A. Yes, sir. If you look at the cross section for
25 the Mitchell State well and then the Getty --

1 Q. Slow down.

2 A. Okay.

3 -- 2 State, the next well, you see the 8
4 percent density porosity in the bright red. This is the
5 lower third of the lower Wolfcamp X-Y. As you move to
6 the north, you see that bright red degrade and go away.
7 And as you move further to the north up into Section 35,
8 it's gone away even further. So both formations -- the
9 sandy interval in both those formations degrade as you
10 move to the north, north being A prime.

11 Q. So you get limey as you go north?

12 A. Correct.

13 Q. So for clarity purposes, your map is really a
14 combination of the two, and you're saying there is a
15 strong relationship between the quality of wells and
16 the -- and your contour interval?

17 A. Absolutely. In our experience, yes.

18 EXAMINER JONES: We didn't let Mr. --

19 EXAMINER McMILLAN: I know. That's where
20 we are right now because you're obviously going --

21 EXAMINER BROOKS: This is kind of like
22 "Perry Mason." The lawyer is cross-examining the
23 witness and turns around and starts cross-examining the
24 investigators (laughter).

25 EXAMINER McMILLAN: Because it's your turn.

1 I think you absolutely have the right to rebuttal.

2 EXAMINER BROOKS: I agree.

3 MR. HALL: Both.

4 EXAMINER BROOKS: To make this orderly, I'd
5 ask this gentleman to stand down, and ask him
6 (indicating) to go take the witness stand, if we're
7 going to continue.

8 EXAMINER McMILLAN: Okay. That's what
9 we'll do.

10 EXAMINER BROOKS: Mr. Hall, did you get a
11 chance to -- well, are you through?

12 MR. BRUCE: I am through. That's all I
13 have.

14 EXAMINER BROOKS: Mr. Hall, did you get a
15 chance to cross-examine this witness' rebuttal
16 testimony?

17 MR. HALL: I did.

18 EXAMINER JONES: Oh. I am sorry. I
19 thought you didn't.

20 MR. BRUCE: I have nothing further in these
21 matters.

22 MR. HALL: Can I ask another question?

23 EXAMINER BROOKS: If you want to ask a
24 follow-up, go ahead.

25 EXAMINER McMILLAN: That's what I expected.

1 CROSS-EXAMINATION

2 BY MR. HALL:

3 Q. I just want to ask what you did on page 4 of
4 Exhibit B. You utilized Wolfcamp prospectivity to
5 exaggerate the region in the south? Isn't that what
6 just happened?

7 A. Am I supposed to answer?

8 Q. Yes. Sorry.

9 A. No. Well, on this map, it did, but that is not
10 what happened, sir. I can -- the 45-foot number for
11 that well in Section 1 is the Lower 3rd Bone Spring
12 only. The contour map, unfortunately, does not -- is
13 a -- is a -- is reflection of a previous mapping where I
14 had kind of lumped all that together.

15 Q. All right.

16 A. So the 45 is the correct number for the Lower
17 3rd Bone Spring Sand target interval that we're talking
18 about. The 45 is, you know, obviously thick enough. So
19 what would happen would be -- we're still over 45 feet.
20 You've got 50 up there on the one side. So the west
21 half of 2 would all be over the 40 feet.

22 Q. Your cross section for your contour is page 7.
23 So you're aggregating --

24 A. I'm sorry. The cross section or -- I thought
25 we were talking about Map 4.

1 **Q. We're talking about Exhibit B, page 7.**

2 A. Correct.

3 **Q. That's where you aggregated the Wolfcamp in the**
4 **Bone?**

5 A. A portion of it, yes, I did.

6 **Q. But you did not do that for --**

7 A. No, I did not. And, in fact, the reason I
8 know -- I mean, when you brought that up, I thought did
9 I -- the reason I know that is because the computer went
10 in, and I said, How much over 8 percent between top of
11 3rd Bone Spring and top of the Wolfcamp X -- or the
12 Wolfcamp, and the computer spit out that 45 number. The
13 45 number is correct. The contour does not reflect the
14 45, and it should. That's what I was trying to say.

15 **Q. How about the rest of the contours that are**
16 **shown on 4?**

17 A. You can see that they all map.

18 Excuse me. I'm losing my voice.

19 You can see they all match the contour
20 value. It was just that one where I moved the top of
21 the Wolfcamp up at a previous -- a later interpretation
22 from my original interpretation. I mean, I know exactly
23 what I did. So basically the 45 is the correct number
24 for the Lower 3rd Bone Spring.

25 **Q. Thank you, Mr. Dilli.**

1 CROSS-EXAMINATION

2 BY EXAMINER JONES:

3 Q. Mr. Dilli, in the northwest of 35, there is a
4 32 --

5 A. Are you on Map 4?

6 Q. I'm sorry. On page 4 --

7 A. Okay.

8 Q. -- there is a -- near your A prime is a 22, and
9 then there is a 32 to the northwest of that?

10 A. Correct.

11 Q. But there's -- those contours look like they're
12 the same number.

13 A. They are. They're both 20s.

14 Q. Both 20s.

15 A. And that's a regional kind of a thin.

16 Q. So the control for that 20 is not shown here?

17 A. I mean, that's what he was referring to. If
18 this is all you had, you might contour it differently.

19 Q. Yeah. Okay. Thanks.

20 RECROSS EXAMINATION

21 BY EXAMINER McMILLAN:

22 Q. Okay. So there is -- to put it in simplistic
23 form, the contours and their values don't match?

24 A. On that one well. On the well that --

25 Q. Okay. But -- all right. So that actually

1 **could -- it could possibly affect the project areas?**

2 A. It wouldn't change my thought process.

3 Remember I said I wanted 20 feet? That well's got 45.

4 It's got a 50-foot next to it and a 25. Excuse me. It
5 wouldn't affect our decision at all.

6 RECROSS EXAMINATION

7 BY EXAMINER JONES:

8 **Q. Does the pressure start rising into the 3rd**
9 **Bone Spring?**

10 A. Yeah. Our experience is certainly the
11 Wolfcamp, a little bit higher in the X-Y, and a little
12 bit higher in the 3rd. Yes, it's slightly
13 overpressured.

14 **Q. So there is no -- nobody talked here at all**
15 **about variation pressures. I guess if you guys know**
16 **about these, we never hear about them.**

17 A. Again, from our experience, when you get into
18 the Wolfcamp A, everybody knows it's like .65 or over
19 .6, .7, one of the wells we've drilled. When you get in
20 the Lower 3rd, in the X-Y, it's slightly overpressured,
21 but it's not anything like the Wolfcamp, in our
22 experience.

23 **Q. Okay.**

24 A. And we don't have to take any -- we never
25 take -- mud up or special precautions. You just know

1 it's slightly overpressured.

2 Q. Okay. Thanks.

3 EXAMINER BROOKS: I think if you want to
4 make the 5:30 train, you better run.

5 Anyone have anything further?

6 MR. HALL: We don't.

7 MR. BRUCE: I do not.

8 EXAMINER JONES: This business about
9 changing the surface location, that doesn't require
10 any --

11 EXAMINER BROOKS: I think they had a
12 surface-use agreement.

13 EXAMINER JONES: And the costs are the
14 same. You testified to that.

15 EXAMINER McMILLAN: Yeah, Marathon.

16 MR. BRUCE: I was going to make a closing
17 argument, but with Mr. Hall's consent, if we can submit
18 a short written closing.

19 MR. HALL: Sure.

20 MR. BRUCE: I would rather do that, get the
21 heck out of here, not that I don't like you guys.

22 EXAMINER McMILLAN: Okay. Well, then,
23 Cases --

24 EXAMINER JONES: I'll read them. Cases
25 15655, 15656, 15659 and 15660 will be taken under

1 advisement, and the docket is closed.

2 Thank you-all for coming.

3 (Case Numbers 15655, 15656, 15659 and 15660

4 conclude, 5:11 p.m.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2017
Paul Baca Professional Court Reporters

25