

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF OWL SWD OPERATING, LLC CASE NO. 15723
FOR AUTHORIZATION TO INJECT, LEA
COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

SPECIAL EXAMINER HEARING

Wednesday, August 2, 2017

Volume 2

Santa Fe, New Mexico

BEFORE: WILLIAM V. JONES, CHIEF EXAMINER
 SCOTT DAWSON, TECHNICAL EXAMINER
 GABRIEL WADE, LEGAL EXAMINER

This matter came on for hearing before the New Mexico Oil Conservation Division, William V. Jones, Chief Examiner, Scott Dawson, Technical Examiner, and Gabriel Wade, Legal Examiner, on Wednesday, August 2, 2017, at the New Mexico Energy, Minerals and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
 New Mexico CCR #20
 Paul Baca Professional Court Reporters
 500 4th Street, Northwest, Suite 105
 Albuquerque, New Mexico 87102
 (505) 843-9241

1 APPEARANCES

2 FOR APPLICANT OWL SWD OPERATING, INC:

3 DALVA L. MOELLENBERG, ESQ.
 4 RIKKI-LEE CHAVEZ, ESQ.
 5 ANTHONY "T.J." J. TRUJILLO, ESQ.
 6 GALLAGHER & KENNEDY, P.A.
 7 1239 Paseo de Peralta
 8 Santa Fe, New Mexico 87501-2758
 9 (505) 982-9523
 10 dlm@gknet.com

11 FOR RESPONDENT THE OIL CONSERVATION DIVISION:

12 DAVID K. BROOKS, ESQ.
 13 STATE OF NEW MEXICO ENERGY, MINERALS AND NATURAL
 14 RESOURCES DEPARTMENT
 15 OIL CONSERVATION DIVISION
 16 Office of General Counsel
 17 Wendell Chino Building
 18 1220 South St. Francis Drive
 19 Santa Fe, New Mexico 87505
 20 (505) 476-3440
 21 david.brooks@state.nm.us

22 FOR RESPONDENT THE NEW MEXICO STATE LAND OFFICE:

23 KATHERINE "KITTY" MOSS, ESQ.
 24 NEW MEXICO STATE LAND OFFICE
 25 OFFICE OF GENERAL COUNSEL
 301 Old Santa Fe Trail
 Santa Fe, New Mexico 87501
 (505) 827-5872
 kmoss@slo.state.nm.us

FOR INTERESTED PARTY CITY OF JAL, NEW MEXICO:

MICHAEL T. NEWELL, ESQ.
 NEWELL LAW FIRM, LLC
 10 West Adams, Suite E
 Lovington, New Mexico 88260
 (575) 739-6375
 mnewell@newellllawnm.com

1	INDEX	
2		PAGE
3	Case Number 15723 Resumed	3
4	OWL SWD Operating, LLC's Case-in-Chief (Cont'd):	
5	Witnesses:	
6	Thomas Neil Blandford (Cont'd):	
7	Cross-Examination by Mr. Brooks	8
	Cross-Examination by Mr. Newell	17
8	Redirect Examination by Mr. Moellenberg	33
	Cross-Examination by Examiner Dawson	35
9	Cross-Examination by Examiner Jones	42
10	Kevin Michael Burns:	
11	Direct Examination by Mr. Moellenberg	50
	Direct Examination by Ms. Moss	54
12	Cross-Examination by Examiner Dawson	54
	Cross-Examination by Examiner Jones	55
13		
14	Stephen Pattee (appearing telephonically from Austin, Texas):	
15	Direct Examination by Ms. Chavez	66
	Cross-Examination by Mr. Brooks	69
16	Cross-Examination by Mr. Newell	70
	Cross-Examination by Examiner Jones	71
17		
18	New Mexico Oil Conservation Division's Case-in-Chief:	
19	Witnesses:	
20	Phillip R. Goetze:	
	Direct Examination by Mr. Brooks	82
21	Cross-Examination by Ms. Moss	135
	Cross-Examination by Mr. Newell	137
22	Cross-Examination by Mr. Moellenberg	145
	Cross-Examination by Examiner Wade	166
23	Cross-Examination by Examiner Dawson	172
	Cross-Examination by Examiner Jones	178
24	The Division Rests	185
25	Recess/Certificate of Court Reporter	190/191

1	EXHIBITS OFFERED AND ADMITTED	
2		PAGE
3	OWL SWD Operating, LLC Exhibit Numbers 6 and 7	7, 81
4	OWL SWD Operating, LLC Exhibit Numbers 9	61
5	OWL SWD Operating, LLC Exhibit Number 10	82
6	OCD Exhibit Numbers 1 through 14 and 16	135
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (8:38 a.m.)

2 EXAMINER JONES: Let's go back on the
3 record. This is August the 2nd, and we're still on Case
4 Number 15723.

5 I would say that Case 15753 is scheduled
6 for 9:00 a.m. today is -- that case will be delayed, and
7 we'll talk about scheduling it later -- later on today.

8 And I wanted to ask the Applicant, we have
9 an amended pre-hearing statement, and can you just say
10 what was amended about that right quick before we --

11 MR. MOELLENBERG: Really, substantively, it
12 was adding Mr. Blandford's report so you had that in
13 advance of the hearing.

14 EXAMINER JONES: Okay.

15 MR. MOELLENBERG: I don't recall anything
16 else of note that was really amended in there.

17 EXAMINER JONES: Okay.

18 Well, we have Mr. Blandford on the stand
19 this morning. Let the record show that he's been sworn.

20 And has his direct testimony been
21 concluded?

22 MR. MOELLENBERG: Yes. We're finished with
23 his direct testimony.

24 We can add a few of the exhibits that we
25 talked about yesterday now. I think we have his resume,

1 which I didn't admit it at the end of yesterday; the
2 affidavit regarding notice that you mentioned,
3 and -- and the full Jal report that Mr. Newell
4 mentioned. We can introduce those now and get those in,
5 if you'd like to take care of that.

6 EXAMINER JONES: That sounds good.

7 MR. MOELLENBERG: Okay. I would move for
8 admission of Mr. Blandford's resume as Exhibit 6; the
9 City of Jal, New Mexico Public Water System -- I
10 actually have the wrong one here, but it's the April --

11 MS. CHAVEZ: They have the right one.

12 MR. MOELLENBERG: -- and that one was
13 Exhibit 7; and then the affidavit regarding the hearing
14 notice as Exhibit 8.

15 EXAMINER JONES: Any objections to those?

16 Do you have anybody to talk about Exhibit
17 8, the actual notice? You're going to have a witness to
18 talk about the C-108, correct, which includes the notice
19 that was -- that was part of the C-108?

20 MR. MOELLENBERG: That was part of the
21 C-108, yeah. That's in the C-108, and that's in that
22 package.

23 EXAMINER JONES: Let's admit -- any
24 objection to these?

25 MR. BROOKS: No, not from I.

1 MR. NEWELL: No.

2 MS. MOSS: No, I don't object.

3 EXAMINER JONES: So Exhibits 6 and 7 are
4 admitted by the Applicant.

5 Exhibit 8, let's wait and talk about that
6 just a little bit more before we admit it.

7 MR. MOELLENBERG: Okay. All right. So we
8 can go ahead with --

9 EXAMINER JONES: Remind me of that, though.

10 MR. MOELLENBERG: Okay. I'll remind you of
11 that.

12 -- with Mr. Blandford.

13 (OWL SWD, LLC Exhibit Numbers 6 and 7 are
14 offered and admitted into evidence.)

15 EXAMINER JONES: Okay. So, Mr. Brooks,
16 would you like to cross-examine?

17 MR. BROOKS: Yes, I would.

18 Before I begin, I would like to mention to
19 the Examiners that the luncheon meeting that I usually
20 have on Thursday has been moved to Wednesday this week,
21 which means today, and if it does not inconvenience the
22 proceeding too much, I would like to have a lunch recess
23 from 11:45 to circa 1:30. I can be back by 1:15 if
24 necessary.

25 EXAMINER JONES: Any objections to that

1 schedule?

2 MR. MOELLENBERG: No objection.

3 MS. MOSS: No objection.

4 MR. BROOKS: Well, it may depend on where
5 we are at the time.

6 EXAMINER JONES: It's similar to what we
7 did yesterday anyway.

8 MR. BROOKS: Yes, similar, a little more
9 extreme.

10 THOMAS NEIL BLANDFORD,
11 after having been previously sworn under oath, was
12 questioned and testified as follows:

13 CROSS-EXAMINATION

14 BY MR. BROOKS:

15 Q. Good morning, Mr. Blandford.

16 A. Good morning.

17 Q. I'm glad we have people with your intelligence
18 to do things, as modeling is an arcane domain, is it
19 not, very -- requires a great deal of knowledge of the
20 subject matter?

21 A. Of the tools and methods, yes, it does.

22 Q. Is it true the models have to be carefully
23 regulated, that one has to make sure that one's
24 assumptions are realistic and in accordance with the
25 facts of the case?

1 A. They should be -- the assumptions should be
2 realistic given the physical situation. Yes.

3 Q. Yes.

4 And if the facts differ significantly in
5 any respect from the assumptions, that can throw the
6 conclusions off, right?

7 A. It's possible. That's not necessarily true,
8 but it's possible.

9 Q. Now, an engineer once told me that a model
10 gives a very precise answer, but the actual calculation
11 at the end of the day is not going to be what the model
12 predicts; it's going to be something else, even though
13 it may be very close. Is that a fair assumption?

14 A. It would depend on the situation. You would
15 expect a prediction to be off by some amount even if it
16 is close. Yes.

17 Q. Okay. What assumptions did you make in this
18 model? Would you just tell us the principal ones? I
19 know it's very difficult to explain a very intricate
20 process to people who do not -- who are not grounded in
21 it, but I would ask you to do the best you can.

22 A. Well, there is -- there is a mixture of
23 assumptions and facts. So I guess I would ask do you
24 want me to cover only assumptions, or do you want me to
25 cover the process of putting the model together, which

1 melds assumptions and facts.

2 Q. Well, I would like now, principally, what did
3 you assume?

4 A. The assumptions were the injection rate of the
5 Bobcat well as put in the application. There were
6 assumptions regarding hydraulic properties of the
7 different portions of the Artesia Group. I mean, those
8 are also based in part in fact on the geology, but the
9 exact numbers are an assumption based on the geology and
10 the physical observations.

11 Q. Now, did you rely on Mr. Kronkosky for the
12 geology?

13 A. We discussed his interpretation of the geology,
14 but I did not rely solely on Mr. Kronkosky.

15 Q. Okay. Go ahead.

16 A. We assumed a starting initial head for the
17 Artesia Group. And, again, that's based on a
18 calculation and observations, but there could be some
19 variability in that assumed number.

20 Q. I thought you -- if I understood you, I thought
21 you said that for your principal calculations, you
22 assumed the head to be zero in Artesia Group. Is that
23 incorrect?

24 A. The starting head was close to sea level. It
25 was a little bit above sea level, I think 13 feet.

1 That's correct.

2 Q. What effect does that have on modeling? Well,
3 no. Maybe I better withdraw that question.

4 Go ahead and state what other matters you
5 assumed.

6 A. We assumed conductance terms at all the
7 boundary cells of the model where there is a boundary of
8 either vertically or horizontally between the Artesia
9 Group and the Capitan Reef Aquifer. We assumed a
10 conductance which limits the flow according to the
11 hydraulic conductivity across that boundary cell. That
12 was an assumption. Our initial assumed hydraulic head,
13 we assumed that applied throughout the entire model
14 domain. That was an assumption. And those are all I
15 can think of right now.

16 Q. Okay. I assume you made a study of the history
17 of this field. You referred many times to the project
18 area, or was that Mr. Kronkosky?

19 A. I believe Mr. Kronkosky. He has a region on
20 some of his figures. I believe he may have referred to
21 it as the project area.

22 Q. Now, you defined -- you defined your area of
23 study by a rectangle that's shown on pages 6 and 7,
24 right?

25 A. That's the extent of the model domain. Yes.

1 **Q. And was that -- what were the dimensions of the**
2 **rectangle?**

3 A. I don't recall the exact dimensions offhand.
4 There is a scale on the figure that can be used to
5 judge. It looks -- I don't know -- maybe nine or ten
6 miles north-south and maybe about ten miles east-west,
7 something like that.

8 **Q. Do you know how many injection wells there are**
9 **within that area of study?**

10 A. I do not, but my understanding is there are
11 some other injection wells in that area.

12 **Q. Right. Some active and some abandoned, right?**

13 A. That's my understanding. Correct.

14 **Q. And studying the hydraulic properties of this**
15 **area, did you take a count of the water that was**
16 **contributed to it by the other existing injection wells**
17 **in the area?**

18 A. Only in the sense that the estimated pressure
19 at the Bobcat location was very low. So my estimation
20 is that whatever the effects were, so to speak, of other
21 wells in the area were not reaching the Bobcat location
22 in any significant manner. So that was the reasoning
23 that I used to simulate the Bobcat well itself.

24 **Q. Now, from what data did you determine that that**
25 **was the case?**

1 A. That was based on conversations with
2 Mr. Kronkosky and my understanding of his evaluation of
3 the injection test and his estimation of the downhole
4 pressure. It's my understanding there wasn't a direct
5 measurement, but there was a calculation that showed
6 that the injected fluid was basically being taken
7 under -- under I guess what's called vacuum and its free
8 drainage, is the way I think of it.

9 Q. Now, if there were to be multiple additional
10 disposal wells located in this area -- and I believe
11 Mr. Kronkosky and perhaps you also, in my
12 recollection -- I have trouble keeping who said what
13 straight from yesterday. But I believe it was probably
14 Mr. Kronkosky that said that this was a very good
15 reservoir for disposal of produced water because shallow
16 doesn't require deep drilling, and it's close to the
17 place where they have the water available and -- I have
18 forgotten all the other reasons. But he said that or
19 you said that or somebody said it.

20 Anyway, if there were a significant number
21 of additional disposal wells added in the immediate
22 area, how would that affect your conclusions?

23 A. Those wells would have to be looked at
24 individually. From what I've seen from our simulations
25 so far, there could be additional wells added in this

1 area without a significant adverse effect, you know, if
2 the additional wells are far enough away from the Bobcat
3 so that you don't have significant interfering pressure
4 under injection. But we're looking at, you know, the
5 Bobcat well, you know, as part of this application alone
6 right now.

7 Q. So if we have another application, somebody is
8 going to have to bring you back up here and testify
9 again based on new work, right?

10 A. I guess if there is somebody like myself, if
11 you wanted to answer the question what are the effects
12 of two wells instead of one that are at some distance.

13 Q. Or five wells or six wells.

14 A. However many that would be, yes.

15 Q. Okay. Thank you.

16 Now, you did run a check on your -- on your
17 work by making the assumption -- making a
18 counter-assumption, and as I understood, that was an
19 assumption disregarding the head that's in the reef?

20 A. Yes, sir. That is correct.

21 Q. So that would have put the pressure on the reef
22 and on the -- that would have put the downward pressure
23 on the reef and on the Artesia Group equal rather
24 than -- rather than unbalanced, in favor of the reef?

25 A. That's correct. There would have been a very

1 slight difference because we assumed a TDS of 20,000
2 parts per million in the Artesia Group water, and in the
3 reef water, we assumed the TDS of 13,000. So that would
4 have created a very slight difference in head based on
5 the density, but --

6 **Q. And what did you assume in the Artesia, again?**

7 A. 20 --

8 **Q. I mean in the reef. You said -- I heard what**
9 **you said for the Artesia. What did you assume for the**
10 **reef?**

11 A. In the reef, 13,000 -- a little bit over
12 13,000. It was based on the TDS measured at the EOG
13 well that we've been talking about, which is southwest
14 of the Bobcat location.

15 **Q. Yeah, I remember that.**

16 **So that was within the range of the**
17 **reported readings, relatively low, I believe, if I**
18 **remember right?**

19 A. That was the reported reading from that
20 particular well. In between -- if you draw a line from
21 the Bobcat well location to the EOG well, in between
22 those two wells, there is a USGS observation well where
23 it's been documented that the TDS is much higher than
24 13,000, but I used the 13,000 in the model.

25 **Q. And then you used an amount -- but you said**

1 that didn't make a great deal of difference, the TDS
2 level of the two -- the difference in TDS on the two
3 orders [sic] was not a major factor?

4 A. Not in this run that we're talking about where
5 we're looking at, essentially, no Capitan Reef Aquifer
6 head. We're just assuming a very low hydraulic head
7 across the Artesia Group and the reef. In that case, it
8 makes almost no difference. That's correct.

9 Q. Now, in modeling, is it not true that a term
10 that you often hear is "sensitivity analysis"?

11 A. That can be conducted. Yes.

12 Q. What does that mean?

13 A. Sensitivity analysis is the process of
14 adjusting one or more input parameters to the model and
15 evaluating what the effect of that change is on the
16 simulated output.

17 Q. Now, would your assumption of a -- would your
18 assumption about the head of the -- of the reef and the
19 then your contra- -- your contra-run that discarded that
20 assumption, would that be a type of sensitivity
21 analysis?

22 A. That could be viewed as a type of sensitivity
23 run. Yes.

24 Q. Did you do any other sensitivity analysis to
25 ascertain the effect that might occur from differences

1 in some of the parameters that you assumed?

2 A. I did not other than what I've presented in the
3 report.

4 Q. Okay. What is your level of confidence in your
5 conclusions with regard to the water -- the fact that
6 the water will not affect the water in the Capitan Reef
7 Aquifer?

8 A. I'd say very high.

9 Q. Okay. Well, thank you. I think that's all the
10 questions I'm going to ask you.

11 MR. BROOKS: So once again cross has been
12 shorter than direct, but I don't speak for Ms. Moss.

13 EXAMINER JONES: Ms. Moss.

14 MS. MOSS: I'm not going to cross. I'd
15 like to reserve the cross if I need to, if there is no
16 objection.

17 EXAMINER JONES: Mr. Newell?

18 MR. NEWELL: Yes, please.

19 CROSS-EXAMINATION

20 BY MR. NEWELL:

21 Q. I believe yesterday you indicated on your
22 modeling you modeled out injections going out 20 years?

23 A. That's correct.

24 Q. Okay. And you heard the testimony of
25 Mr. Johnson yesterday, correct?

1 A. Yes.

2 Q. And he said he anticipated this facility to be
3 in use two, three or four decades, 40 years out,
4 correct?

5 A. I don't recall that specifically. I may have
6 missed it.

7 Q. Okay. Assume for me that he made that
8 testimony yesterday.

9 You also heard us talking about 280 barrels
10 of water being produced over that period of time. Do
11 you recall that, 208 million barrels of water produced
12 water being injected over that period of time. Do you
13 recall that?

14 A. I recall that being your number. I believe you
15 did that calculation based on a 40-year period. We did
16 injection for 20 years, so that would not be the volume
17 of water that we're talking about in these simulations.

18 Q. What volume of water are you talking about?

19 A. 25,000 barrels per day for 20 years straight,
20 which I believe is 175 million, if I did my calculation
21 right yesterday.

22 Q. Okay. And so you have no -- no projections out
23 beyond your 20 about where this water is going to
24 migrate or flow in your modeling, correct?

25 A. No. I do. We do the injection for a 20-year

1 period at the Bobcat well, and then we stop the
2 injection, and we keep the model running for a follow-up
3 [sic] of 20 years for the record, look at a total period
4 of migration of the fluid of 40 years.

5 Q. Sure. Your answer was much better than my
6 question. Let me rephrase my question.

7 You do not do any modeling where you
8 projected out water flows where injection occurred
9 beyond 20 years, correct?

10 A. That is correct.

11 Q. Okay. And you can't testify before the
12 Commission or the Hearing Officer or anybody else what's
13 going to happen if there is continued injection after 20
14 years because that's not included in your modeling, is
15 it?

16 A. It's not specifically included in the modeling.
17 There is certainly some conclusions that could be drawn
18 from the modeling, but I did not specifically do a
19 scenario of longer than 20 years of active injection.

20 Q. Okay. Now, then, is it your testimony, then,
21 that you can only safely -- or -- well, no, I withdraw
22 that.

23 Let me ask you: Have you had an
24 opportunity to review the application of the Applicant?

25 A. Yes, I have.

1 Q. Okay. And I want to call your attention to --
2 and if you have it in front of you, I'd ask you to pull
3 it out. It's a diagram that basically identifies within
4 a two-mile radius other oil wells, gas wells, plugged
5 wells, and, more importantly -- this is what I want to
6 call your attention to -- other disposal wells and
7 abandoned disposal wells.

8 EXAMINER WADE: Are you referring to a
9 specific exhibit?

10 MR. NEWELL: Yeah. I was trying to find
11 the exhibit number on it.

12 EXAMINER DAWSON: What does the front of it
13 look like?

14 MR. NEWELL: It looks like that
15 (indicating). It's Exhibit 5. I'm sorry. I should
16 have been more precise on that.

17 EXAMINER DAWSON: And which number on
18 Exhibit 5?

19 MR. NEWELL: It's not numbered, but it's a
20 diagram that is a two-mile radius diagram.

21 EXAMINER WADE: It says, "Offset Wells 2
22 Miles," in the top right corner?

23 MR. NEWELL: Yeah, "Bobcat SWD No. 1 Offset
24 Wells 2 Miles."

25 EXAMINER DAWSON: Okay.

1 Q. (BY MR. NEWELL) All right. So by my count,
2 there are -- there are nine existing saltwater disposal
3 wells or plugged saltwater disposal wells. Would you
4 agree with that?

5 A. Within the two miles?

6 Q. Yes.

7 A. I haven't counted them up, but that roughly
8 appears to be about the number, if I'm looking
9 correctly.

10 Q. Fair enough. I could have been off by one or
11 two.

12 Anyway, I want to call your attention --
13 first of all, there are two plugged saltwater disposal
14 wells that are just outside the half-mile radius ring.
15 Do you see that?

16 A. I see one to the north and one to the south.

17 Q. Yeah. Correct.

18 Okay. So let's start with the one number,
19 09811, that's just to the north. Do you see that?

20 A. Yes.

21 Q. Okay. So do you know what formation that
22 disposal well was disposing into?

23 A. I do not offhand. My understanding is that in
24 this area, a number of them would be in the same
25 injection zone targeted by the Bobcat well, but that

1 well in particular, I do not know.

2 Q. And as I heard you testify yesterday, in this
3 particular formation and what you expect the water to do
4 is then move out horizontally; is that correct?

5 A. It'll move horizontally, certainly, in the
6 injection zone, and there will be some vertical movement
7 as well. But it's upward and downward.

8 Q. Okay. Looking at well number -- the plugged
9 one, 08911, how much fluid was injected in that
10 particular disposal well?

11 A. I do not know.

12 Q. Did you take into account the amount of fluid
13 that was disposed of in Well Number 08911 in your
14 modeling?

15 A. I did not.

16 Q. Okay. Same question with the one south. Do
17 you know what formation 09829 was disposing in?

18 A. No.

19 Q. Do you know how much water was injected into
20 09829?

21 A. I do not, but I believe those volumes would be
22 included in Mr. Kronkosky's exhibits. He looked at this
23 entire area and had an exhibit of -- of records of
24 injected water.

25 Q. Do you know where the water from both of these

1 **abandoned disposal wells went if it was modeled along**
2 **the same lines as your modeling showed for the proposed**
3 **well?**

4 A. I can't say exactly without doing it, but I do
5 not believe that it's gone very far. We certainly don't
6 see the effects of that at the Bobcat well location,
7 which is approximately a half mile from each of those
8 locations. And to my knowledge, the volume of injection
9 at those locations would be less than what -- certainly
10 over the 20-year period of what we put at the Bobcat.
11 So if I believe you looked at the migration of that
12 water, it would be similar conclusions to what we're
13 showing for Bobcat, but there would certainly be no
14 effect on the Capitan Reef.

15 **Q. How would the cumulative effect of the**
16 **injection from those two wells impact the Bobcat well?**

17 A. There could be a slight increase -- well, those
18 are -- those are plugged and abandoned, so there is no
19 cumulative effect. We're starting with the estimated
20 condition at the Bobcat well as it would be today, and
21 so whatever effect would have been there, if any, would
22 be observed at the Bobcat well today. And like I've
23 been saying, there doesn't seem to be hardly any
24 pressure there, to my knowledge.

25 **Q. There are two existing -- okay. But you did**

1 indicate that at some point there might be a situation
2 where the formation pressured up, correct?

3 A. With active injection, the formation would
4 pressure up at the Bobcat well. Yes.

5 Q. Okay. So there's already existing water that's
6 been injected in the area within close to a half mile of
7 the proposed well, correct?

8 A. Yes.

9 Q. Okay. And so what you're saying is -- well, do
10 you have any predictions about when you think the Bobcat
11 well would be pressured up?

12 A. What do you mean by pressured up?

13 Q. Well, when it would no longer be able to accept
14 fluids.

15 A. In our simulations, you can inject for the
16 20-year period without exceeding the allowable pressure
17 that's stated in the application.

18 Now, in the field, if, you know, something
19 different could happen, I do not know, but in our
20 predictive simulation shows that you could do it for the
21 20-year period.

22 Q. There are two disposal wells in the proposed
23 well in the same section. Do you see those, 09808 and
24 09807?

25 A. Yes, I see those.

1 Q. Okay. Let's start with 09807. How long has
2 that well been in existence?

3 A. I do not know offhand.

4 Q. Did you take into consideration the amount of
5 fluids that are being disposed of in 09807 in your
6 modeling?

7 A. I did not, because my understanding of the
8 fluids that are being disposed of at those wells are
9 less by a significant amount than what would be disposed
10 of at the Bobcat well. So if there was an effect, it
11 would be a relatively small secondary effect on the
12 pressure.

13 Q. What do you understand to be the volumes that
14 are injected in 09807 and 09808?

15 A. I do not recall exactly. But I remember
16 looking at Mr. Kronkosky's exhibits, and I don't
17 remember seeing any saltwater disposal wells that were
18 on the order of 25,000 barrels a day for an extended
19 period of time.

20 Q. Are there any wells within the two-mile radius
21 that you considered that had a disposal volume that
22 would be in the neighborhood of what the Applicant is
23 proposing to dispose of in the Bobcat well?

24 A. I did not. Because of the initial conditions,
25 the conditions that are in the field today at the Bobcat

1 well, I focused on that well exclusively and did not add
2 on other potential volumes for the same reason I stated
3 in my last answer.

4 Q. All right. Now, I was looking at some of the
5 material, including the hydrological investigation that
6 was prepared for the City of Jal, and just a couple of
7 things.

8 Are you familiar with the fact that the
9 City of Midland has started a process of grabbing water
10 roughly four miles away from where the Jal Westfield
11 water facility is?

12 A. Yes.

13 Q. And do you believe that that's going to impact
14 the ability of Jal to access water from the Pecos Valley
15 Aquifer?

16 A. It may. I haven't looked at that question
17 specifically, but it could, depending on how much
18 Midland pumps through time.

19 Q. Are you aware of the fact that it looks like
20 maybe they're going to be pumping roughly --
21 approximately 12 million gallons per day? Is that
22 information that you considered?

23 A. I think that's referenced in the report that
24 you're discussing. What they have actually been pumping
25 may be different. I think they've had problems getting

1 that water field on line due to conditions. Ultimately
2 what they'll pump over what time frame, I really don't
3 know.

4 Q. So -- and let's talk about the Capitan Reef.
5 Would you agree with me that the Capitan Reef Aquifer is
6 a productive aquifer within the meaning of what you guys
7 consider productive aquifers?

8 A. Yes. It yields typically on the order of 500
9 gallons per minute.

10 Q. Would you agree with me that the water quality
11 is variable?

12 A. Yes.

13 Q. Okay. And would you also agree with me that,
14 at least in the report, they were unable to locate any
15 water-quality data from the Capitan Reef near the City
16 of Jal?

17 A. That's what it says in the report, but, you
18 know, clearly there is quite a bit of information
19 available that we've presented in this hearing. So I
20 think that's probably one area of that report where the,
21 you know, Souder, Miller folks could have done a little
22 bit better job, frankly.

23 Q. And you're talking about, then, the -- there
24 are some oil companies that are -- that have oil -- or
25 let me rephrase that.

1 There is at least one oil company that had
2 a well that was obtaining water from the Capitan Reef
3 Aquifer, and I think there were some federal government
4 monitor wells. Is that what you're referring to, or
5 test wells or however you refer to them?

6 A. Yes, observation wells. There was also the --
7 I don't know if it's Ochoa or Ochoa, but there is the
8 Ochoa Mine supply wells. That information was available
9 at that time. The Skelly Jal System well information
10 was available. So there is actually quite a bit of
11 water-quality information available for the -- for the
12 Capitan Reef Aquifer.

13 Q. Is that Ochoa or Ochoa, however you pronounce
14 it, is that the INC, the International --

15 A. ICP?

16 Q. Yeah.

17 A. Yes.

18 Q. Okay. And that's their -- their water,
19 correct?

20 A. That's correct.

21 Q. And didn't they just last month -- or actually
22 now, since it's August. Didn't they, in June, announce
23 that they were selling that water, and there was an
24 entity that had agreed to purchase that water for the
25 purpose of reclaiming it and putting it to productive

1 **use?**

2 A. I believe I read something about that in the
3 paper. It would be another industrial user that they're
4 selling to.

5 **Q. So you're not saying that the Capitan Reef**
6 **Aquifer is a nonproductive aquifer, correct?**

7 A. It's a productive aquifer with very poor
8 quality water. That's what I'm saying.

9 **Q. In places?**

10 A. Just about everywhere, really. Everywhere I
11 see a water well completed, particularly a recent water
12 well, the TDS is in excess of 10,000, and in some
13 places, well over 100,000.

14 **Q. Let me make sure I understand. So you're**
15 **saying everywhere within the Capitan Reef Aquifer you**
16 **looked, you found high TDS levels?**

17 A. Where the measurement was from a water well --
18 with the exception of one old measurement in one of the
19 Skelly Jal System wells, the measurement was, I think,
20 from back in the '60s. It's plotted in my figure. But
21 every other water well that I've looked at where the
22 water quality is available, the TDS was well above
23 10,000 milligrams per liter.

24 **Q. So you didn't look at, like, the results**
25 **further south, like, were being used in the Fort**

1 Stockton area or the results over from the west side of
2 the Capitan Reef where the water is used as part of the
3 Carlsbad municipal water supply; is that correct?

4 A. No. That's not correct.

5 So let me -- and I should ask you to define
6 questions a little bit better.

7 My response to the last question, I assumed
8 we were talking about the vicinity of Jal.

9 Q. And that's what I understood.

10 A. Okay. That was --

11 Q. And that's why I wanted to ask the follow-up
12 question. You didn't consider those because what you
13 were looking at was the area in and around Jal?

14 A. Well, I did consider those. I mention those in
15 my report. But when I'm talking about water quality,
16 I'm talking about anywhere in the remote vicinity of the
17 Bobcat well. I'm not thinking 60, 70 miles away. I
18 think it's been established if you're in the recharge
19 areas of the Capitan Reef Aquifer, the water quality is
20 much better. That's a well-known fact.

21 Q. And under your modeling, if there is injection
22 for 40 years, would you just simply -- and let's say the
23 injection volumes remain the same. Would you simply
24 double the area -- the radius in both the vertical and
25 the horizontal footprint of your modeling? Is that how

1 **you would approach it?**

2 A. No. It wouldn't double. I would approach it
3 by running the model for 40 years and seeing what it
4 showed me. But you wouldn't take the -- you wouldn't
5 take the figure at 20 years and just double what you see
6 there. It's a little bit different process.

7 **Q. And you didn't take into account future**
8 **desalination or other cleanup technologies, correct?**

9 A. Well, that wouldn't have any bearing on my
10 opinion. I'm assuming a disposal volume at this well
11 for a set period of time.

12 **Q. Okay. Fair enough. And, again, that was a bad**
13 **question.**

14 In looking at -- well, let me rephrase
15 this.

16 In looking at the migration of this
17 water -- and, again, in the Bobcat well, the produced
18 water that would be injected, and looking at the diagram
19 that's part of Exhibit Number 5 that's the two-mile
20 radius, did you consider any type of casing integrity
21 issues on any of those plugged wells that are in this
22 area in terms of migration of fluids that are injected
23 into the Bobcat well?

24 A. I didn't specifically look at casing-integrity
25 issues. I believe that's done, if I understand it

1 correctly, as part of the application in the area of
2 review. And you can also look at the simulated
3 hydraulic head, you know, from the model. And if you
4 look out a half mile, it's -- I'm looking at Figure 12B
5 in my report. And if you go out about a half mile, it's
6 less than -- you know, less than 400 feet of simulated
7 hydraulic head. So that's about -- we're starting at
8 about sea level, so that's 400 feet of head. If there
9 was some type of casing issue within that zone, that
10 head rise wouldn't even -- it would hardly get you into
11 the bottom of the Salado. So it's certainly not going
12 to get up -- you wouldn't have fluid coming up boreholes
13 to shallower aquifer units.

14 **Q. That's assuming that no other pressure -- no**
15 **other areas are applying pressure into the aquifer,**
16 **right?**

17 A. That is correct. But you'd need a lot of
18 pressure. You'd need to add another 1,000 feet of
19 pressure on the top of what's here from Bobcat if you're
20 going to get fluid up through the Salado. So I don't
21 think there is anything else out there that would add
22 anything even close to those types of pressures.

23 **Q. Okay. So you're saying that those two disposal**
24 **wells that are northeast of the proposed well would not**
25 **apply that type of pressure on that abandoned well that**

1 **looks to be 09804?**

2 A. That's correct. Yes.

3 **Q. But you didn't model that, did you?**

4 A. I did not model that explicitly, no. But I can
5 tell from the results of what I did do -- I can, you
6 know, reasonably ascertain what the results of that
7 simulation would be.

8 MR. NEWELL: Pass the witness.

9 EXAMINER JONES: Do you want --

10 MR. MOELLENBERG: I do have a couple of
11 redirect questions.

12 EXAMINER JONES: Yes.

13 MR. MOELLENBERG: Thank you, Mr. Hearing
14 Examiner.

15 REDIRECT EXAMINATION

16 BY MR. MOELLENBERG:

17 **Q. Mr. Blandford, Mr. Newell asked you a couple of**
18 **questions which I think related to the possibility that**
19 **Jal might look to the Capitan Reef as a future water**
20 **supply. Are you familiar with the Souder, Miller**
21 **Report?**

22 MR. MOELLENBERG: And let me correct
23 something. I think I may have referred to that as
24 Exhibit 7 earlier, but I think it may have been marked
25 as Exhibit 8; is that right?

1 MS. CHAVEZ: Yes.

2 Q. (BY MR. MOELLENBERG) So that one is Exhibit 8.
3 That's the Souder, Miller water supply report. You've
4 reviewed that report, right?

5 A. Yes, I have.

6 Q. Does that report identify that Jal's consultant
7 considered the Capitan Reef as a potential future water
8 supply for Jal?

9 A. They do not. They list it as one of the
10 aquifers in the area when they're going through and
11 determining a recommendation, but when they make their
12 recommendation, they recommended that Jal pursue water
13 rights in the Santa Rosa Aquifer and clearly say that
14 the Capitan Reef is not the aquifer to pursue. And I
15 also think it's clear that Jal took their
16 recommendation.

17 And this report is dated April 2015, and
18 then Jal's notice of applications for nine Santa Rosa
19 wells was filed beginning June 2015. So I think it's
20 pretty clear what the recommendation was and where Jal
21 is headed with regard to their future water supply.

22 Q. Now, regardless of whether we might speculate
23 that Jal might look to the Capitan Reef for a water
24 supply at any time in the future, does your model
25 predict any water-quality impacts to the Capitan Reef as

1 **a result of the injection proposed in OWL's application?**

2 A. I don't believe there is going to be any
3 impact. The simulations do not predict that impact.
4 The physical setting, you would not expect an impact.
5 And, in fact, some of the water quality in the reef is
6 worse than the water quality in terms of TDS that is
7 being injected at the Bobcat location, or that would be.

8 MR. MOELLENBERG: That's all I have. Thank
9 you.

10 EXAMINER WADE: Nothing.

11 CROSS-EXAMINATION

12 BY EXAMINER DAWSON:

13 Q. Good morning, Mr. Blandford. Just a couple of
14 questions I have here.

15 In your modeling and when you created your
16 model on the Maralo Sholes B No. 2, you took that
17 injection -- cumulative injection that is being injected
18 into that zone from that well. Did you put that -- did
19 you input that into your model?

20 A. I did not, other than to the extent that
21 whatever went into that well -- there was the testing of
22 the downhole pressures, so whatever pressures that fluid
23 led to in the injection zone would have been intrinsic
24 in the estimate of the starting hydraulic head that I
25 worked on obtaining with Mr. Kronkosky.

1 Q. Okay. Do you know what the cumulative
2 injection volumes of that Maralo Sholes B No. 2 wells
3 would have been? Do you have an idea?

4 A. I remember seeing that data in Mr. Kronkosky's
5 report, but I don't recall offhand what that number is.

6 Q. All right. In looking at your report on the
7 groundwater model hydraulic properties, on your
8 layers -- you have like six layers that you have
9 modeled?

10 A. Yes, sir.

11 Q. And, basically, you're saying -- as a
12 conclusion from your modeling, you're saying that the
13 injected produced water will only go into, roughly,
14 layers two and three and maybe just a very small
15 percentage of layer four?

16 A. Yes. Layer four was the scenario where we did
17 not have the higher Capitan Reef head.

18 Q. Okay.

19 A. So I would say probably layers one through
20 three.

21 Q. Just those three?

22 A. Yes.

23 Q. And the others, four, five and six, which are
24 deeper down into the Artesia Group, they have very low
25 permeability and low porosity, is that correct, if I

1 **look at your Table 1?**

2 A. They are low relative to the injection zone.

3 **Q. Okay.**

4 A. But these numbers -- let me back up for a
5 moment. If we're looking at properties, the layer one,
6 three, five and six, those values are very consistent
7 with the average permeability that Hiss reports in his
8 study that were made from a number of drill-stem tests.
9 So they're low relative to the injection zone, but
10 they're average according to across the Artesia Group.

11 The injection zone is the highest. That's
12 the 350 in layer two. And then layer four is a second
13 high zone. Not as high as the injection zone, but I put
14 150. And that was just assuming another high
15 permeability layer, because as you go down through the
16 section, if you look out laterally, you get over to the
17 Capitan Reef sooner if you're going down through the
18 layers. And so we put another high permeability layer
19 just to try to cover the case if we have vertical
20 migration and then lateral from that closer to the reef.
21 And so that's what that layer four is doing with the
22 150. So we assumed the higher permeability than is
23 likely there.

24 **Q. Okay. I'm going to go back now to your report,**
25 **Figure 4, and I wanted to talk a bit about the well**

1 field to the north. You do have -- these are the
2 water-quality figures and dates, the TDS of the water
3 quality and the date of the sample?

4 A. Yes, sir.

5 Q. And those are -- I see the 69,000 to -- well,
6 let's see. 3,409 up to 165,000 on those Skelly Jal
7 System wells, and that's Capitan Reef?

8 A. Yes. Everything in this figure is Capitan
9 Reef.

10 Q. How come there are no numbers for the Skelly
11 Jal Water System numbers four, five -- one, four, five,
12 six and seven? Are those shallower wells?

13 A. No. They're all Capitan Reef wells. I don't
14 know if there is water quality available for those
15 wells.

16 Q. Oh, okay.

17 A. I took my information on these wells -- it's
18 provided in Mr. Kronkosky's -- one of his exhibits. And
19 that's where I obtained the information for these
20 particular wells. And so I posted everything that I was
21 aware of.

22 Q. Okay. So those wells are in the Capitan Reef,
23 and those wells are supplying Jal with Capitan water?

24 A. No. No.

25 Q. No. Those are the numbers that you --

1 A. The Jal Water System is not a water system for
2 the City of Jal. It's just a naming convention for
3 industrial supply to oil and gas.

4 **Q. Oh, okay.**

5 A. And I don't know -- I believe those wells may
6 have been plugged and abandoned. They were acquired by
7 a different operator some time ago, and I'm not sure
8 what the current situation is, but they have not been
9 active for quite some time.

10 **Q. Okay. So you think those wells were probably**
11 **drilled in the order as they are named, like Skelly**
12 **Jal's Water System Number 1, 3, 4, 5? They were**
13 **probably drilled in that order, probably, weren't they,**
14 **or do you know?**

15 A. Maybe. I do not know, because these wells,
16 they may have been former oil and gas wells that were
17 plugged back and then perforated in the Capitan Reef. I
18 believe that could be the case on these wells. I know
19 that was the case with the USGS monitor wells. They
20 were former oil and gas wells that were plugged back.
21 So the wells on this figure that I know were drilled
22 specifically to be water supply wells are the EOG
23 Resources southwest of Jal and the CP-1057 and 56.
24 Those are the Ochoa Mine supply wells. Those three were
25 drilled specifically as water supply wells and were

1 never, you know, plugged back as oil and gas wells.

2 Q. And I think Mr. Kronkosky gave us numbers for
3 those -- the TDS in those wells. Those were in the
4 testimony, correct?

5 A. Yes, he did. There is an exhibit in the back
6 of his report.

7 Q. And apparently you would have access to those
8 wells in case they needed to be tested in the Capitan
9 Reef?

10 A. We would have to get access from the owners if
11 a third party wanted access to those wells. You're
12 talking about the EOG and the --

13 Q. To monitor, yes.

14 A. Yes. I mean, we don't own those wells, so we'd
15 have to get permission for access.

16 Q. Okay. Okay. Now, I'm sorry I'm flipping
17 around here, but I'm going back to the Souder, Miller
18 report. And I know you didn't do this report.

19 A. Yes.

20 Q. But as I look on page 2 in this report, it
21 says, "The City of Jal has recently acquired rights to
22 100 acre-feet of water per year from the Capitan
23 Underground Basin near the City of Jal. This right will
24 allow for the installation of four supply wells to
25 provide water to irrigate parks and supply water to the

1 Jal Lake." Do you know about that agreement, or do you
2 know if they've acquired those rights? Do you know
3 anything about that?

4 A. They have -- there is an application for
5 appropriation for those rights. It's four wells, as I
6 understand it, around a lake that's on, I think, the
7 south side of Jal. I do not know if those four wells
8 have been drilled or not.

9 Q. Okay. So that would -- that would be fairly
10 close to your proposed SWD, correct?

11 A. Relatively close, yes. I mean, a mile or so
12 maybe.

13 Q. So that would -- if they do drill the wells,
14 those four supply wells, and utilize that water, then
15 they would have to treat that water to irrigate and to
16 use it to probably put in the Jal Lake, correct?

17 A. I have to see what the quality would be, but
18 they probably would not need to treat for the lake and
19 to irrigate. It could be borderline with regard to
20 municipal supply, but that wasn't their designated use,
21 as far as I know, for those four wells.

22 Q. Okay. Okay. That's all the questions I have.
23 Thank you very much.

24 A. You're welcome.

25

1 CROSS-EXAMINATION

2 BY EXAMINER JONES:

3 Q. Mr. Blandford, thank you for coming, first of
4 all.

5 Do you -- you work for Daniel B. Stephens.
6 Do you associate with the Souder, Miller people also?
7 Seems like it's a small group of hydrologists around
8 here.

9 A. Yeah. Infrequently. We compete with them
10 sometimes, and we know some of the folks over there, but
11 we don't work -- I can't think of any projects where
12 we've worked collaboratively. There may have been some,
13 but --

14 Q. Did you talk to them, their people, as you were
15 doing your model?

16 A. I did not.

17 Q. We've got folks on the Respondent's side here
18 that know a lot about hydrology, and they didn't ask a
19 lot of questions about it.

20 Your layers that you set up -- Scott asked
21 you about the layers, but -- you're a geologist also,
22 correct?

23 A. I don't officially have a degree in geology,
24 but I have enough credits for one, if that makes sense.
25 So --

1 Q. Oh, okay. But you have a lot of geology?

2 A. Yes.

3 Q. Yeah. So how did you determine your layers,
4 just briefly one more time? This is the probably the
5 fourth time you've been asked this.

6 A. So in the -- in the Artesia Group, you know, we
7 did not -- we had a top of Yates' surface, so the
8 Tansill, we did not include in the model.

9 Q. Right.

10 A. We had a top of surface from Mr. Kronkosky.

11 Q. Okay.

12 A. We did not have the top of Seven Rivers across
13 the entire domain, top of Queen and Grayburg. So we
14 didn't have these subdivisions.

15 In addition, the proposed injection zone is
16 the base of the Yates and top of Seven Rivers, so we
17 have an injection zone that's crossing formations. So
18 for those reasons, I didn't try to follow geologic
19 delineations going down through the Artesia Group.

20 So the way I did my layering is I figured
21 out at the Bobcat well what's the thickness from top of
22 Yates to the top of the injection zone, and that's about
23 200 feet, then an injection zone of 50 feet. And then
24 the next layer was getting into what seemed to be a
25 thicker lower permeability zone that was base of Seven

1 Rivers and maybe getting into top of Queen. I gave it a
2 thickness of 200 feet. We had the second high
3 permeability zone, which conceptually you may think of
4 as a sand in the Queen Formation. We just assumed that
5 as 50 feet. And now we've got remaining thickness to
6 deal with in two more layers, so we did 100 feet and
7 whatever's left.

8 Q. Okay. Okay. But we asked Mr. Kronkosky
9 about -- whether this was dolomite or limestone and the
10 permeability of the vertical permeability. Did you look
11 at any of the logs to conclude the same way
12 Mr. Kronkosky did about whether it's limestone or
13 dolomite?

14 A. I did not look at the logs myself. I don't
15 assess geophysical logs. That's not -- I'm not
16 competent in that skill, but the geologic descriptions
17 are certainly dolomites and evaporites. I haven't seen
18 any geologic descriptions of limestone in the Artesia
19 Group. So if it's there, I think it would be extreme --
20 extremely minor.

21 Q. Okay. What about -- what about vugs or holes
22 going down through those layers? Are you concerned
23 about any of that possibility?

24 A. I'm not, no, because there's a lot of -- if
25 there are permeable layers, there are a lot of

1 interbedded anhydrites, which, in my experience, are
2 very low permeability both horizontal and vertical.

3 And, again, going back to, you know, the
4 work of Hiss, he pulled together a large number of
5 drill-stem tests and permeability measurements. And
6 what we're using outside of the high injection zones --
7 or not -- injection zone is very consistent with what he
8 listed for this region. So I don't think we're on the
9 low side. I think we're on the -- I think we're on the
10 expected side. And then when we put these hydraulic
11 properties into the model and we apply the Capitan
12 Reefer hydraulic head, we see Capitan Reefer water
13 coming into the model domain in significant amounts,
14 which is telling me at some location, these
15 permeabilities need to be even lower by quite a bit.

16 **Q. The vertical permeability between layers, can**
17 **you talk about that in your model?**

18 A. Well, in the higher permeability layers, we
19 used a factor of 1 to 100. In the injection layer,
20 layer two, it really doesn't matter because we're
21 injecting water throughout the whole thickness.

22 **Q. Right.**

23 A. So that really doesn't matter.

24 The higher anisotropy factors in the lower
25 layers, the factor of 1,000, that's indicative of the

1 evaporite deposits. I think it's a reasonable number.
2 I think it could easily be even a lower vertical
3 permeability than what we've used.

4 **Q. Okay. Okay. So each layer had a pretty**
5 **uniform porosity permeability?**

6 A. Yes. Each layer was uniform across the entire
7 model domain at these values that are listed in this
8 table.

9 **Q. Okay. Even though, in reality, heterogeneous**
10 **reservoirs are probably not like that; is that correct?**

11 A. That's correct. But it's also a scale issue.
12 I mean, the distance simulated going out is a mile,
13 maybe plus a little bit. So even though the model
14 domain is large, where we're actually simulating what's
15 going on due to the Bobcat well is much smaller than the
16 entire model domain.

17 **Q. Okay. Does the potash industry extract water**
18 **from the reef? You said the Ochoa Mine does?**

19 A. They drilled supply wells, but I don't -- I
20 don't believe they're -- I don't know what their exact
21 situation is, but I do not believe they're actively
22 producing those wells. But I would really have to look
23 at that. I'm not 100 percent certain.

24 **Q. Isn't it true, though, in the future, the reef**
25 **waters are going to be more and more demand for**

1 **industrial uses?**

2 A. I believe they are, yes.

3 **Q. So for hydraulic fracturing, though, you would**
4 **need, what, 10-, 20,000 at the most TDS? Do you have**
5 **any expertise on that?**

6 A. I do not. That's outside -- I do know the
7 industry has made great strides in using poorer quality
8 water to do their operations, but I don't know what the
9 limitations are.

10 **Q. If you spend a lot of money on a frac job,**
11 **though, you don't want it to go wrong, do you?**

12 A. I imagine not.

13 **Q. This distance to the reef vertically from this**
14 **well -- this proposed well, what was the distance**
15 **vertically to the --**

16 A. Let me see if I can -- so there is a model
17 layer thickness in Figure 8, and the injection interval
18 would be Figure 2 -- or layer two -- I'm sorry -- in
19 this figure, Figure 8, layer two. That's the 50-foot
20 injection interval. So going down through the other
21 layers, layer three is 200 feet. Layer four looks like
22 it's going to be 50. Layer five looks like it's another
23 100 feet, 350, and then we're into maybe another 100.
24 Judging by this, maybe 400, 500 feet. I could look
25 exactly, but that's approximate.

1 Q. But you did have to make quite a bit of
2 assumptions on the lower layers? You did overestimate
3 putting in a high permeability layer, like number five
4 or four, you said?

5 A. It was number four. Yes. Correct.

6 Q. Four.

7 But those were -- because of no logs
8 through that interval, really you had to make
9 assumptions on that?

10 A. I did in the context of the overall
11 hydrogeology, the values reported by Hiss for different
12 units, the observation of the hydraulic heads in the
13 Capitan and the lack of elevated pressures in the
14 production zone. So I've taken those things into
15 account in addition to -- but at some level, we ended up
16 with an assumption. That's correct.

17 Q. How would you verify this model as far as going
18 forward in the future? Is there -- you're probably
19 better equipped to answer that than almost anybody here.
20 So --

21 A. We could verify in part observations at the
22 wellhead. I mean, obviously, there is -- injection is
23 not going to be exactly 25,000 barrels per day for every
24 day and so on. I mean, so there's going to be some
25 variability in that. The pressures would be measured.

1 That's one way to verify at the well. Other ways to do
2 it would be to have pressure measurements possibly at
3 other wells, but I really can't speak to the viability
4 of that because I'm not used to measuring things at this
5 depth.

6 Q. Okay. Thank you very much.

7 EXAMINER JONES: Anything else for this
8 witness?

9 MR. MOELLENBERG: Nothing for this witness.

10 MR. NEWELL: I have just one question, and
11 it just plays off of --

12 MR. MOELLENBERG: I would object to any
13 further questions.

14 EXAMINER WADE: I think we've had enough
15 questions.

16 EXAMINER JONES: Is this your last witness?

17 MR. MOELLENBERG: We have one more witness,
18 Kevin Burns, and we would put him on just to address the
19 question you had about logging and monitoring of the new
20 well.

21 EXAMINER JONES: Okay. Mr. Kronkosky, I
22 hope he doesn't leave the room. I want to ask him a few
23 more questions.

24 MR. MOELLENBERG: Would you like to do that
25 now?

1 EXAMINER WADE: Do you want to take a break
2 in a couple of minutes?

3 EXAMINER JONES: Maybe after -- it depends
4 if he's going to leave right away or if he's going to
5 stay through the whole --

6 MR. MOELLENBERG: As far as I know,
7 Mr. Kronkosky will be here for the whole duration.

8 EXAMINER JONES: It's probably better if we
9 wait and hear the rest of the -- but definitely --

10 MR. MOELLENBERG: In all likelihood, we'll
11 probably have the witnesses back for a little rebuttal,
12 so we could do it then, or we could do it now, however
13 you prefer.

14 EXAMINER JONES: We'll do it later.
15 And let's take a ten-minute break.

16 (Recess, 9:49 a.m. to 10:04 a.m.)

17 EXAMINER JONES: Are we ready to start?

18 MR. MOELLENBERG: We'll call Kevin Burns.

19 KEVIN MICHAEL BURNS,
20 after having been previously sworn under oath, was
21 questioned and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. MOELLENBERG:

24 Q. Mr. Burns, would you state your name, address
25 and employer for the record?

1 A. My name is Kevin Burns. Address is 200 North
2 Loraine, Midland, Texas. My employer is OWL SWD.

3 **Q. Mr. Burns, what are your current**
4 **responsibilities with OWL SWD?**

5 A. I am their in-house engineer.

6 **Q. Okay. And I'll ask you to kind of talk to the**
7 **Examiners. It's a little confusing that way, but -- so**
8 **thanks for that.**

9 **What do you do as OWL's engineer?**

10 A. I focus on design, construction and optimizing
11 the operational surfaces and downhole facilities.

12 **Q. Mr. Burns, would you talk a little bit about**
13 **your education and experience?**

14 A. I received my petroleum engineering degree from
15 University of Texas Permian Basin in Odessa. I spent
16 three years working for BOPCO as a drilling engineer. I
17 was also their facilities engineer for SWD systems in
18 Eddy County. In addition, I was an operations engineer
19 for their Keystone Field outside of Kermit. Prior to
20 that, I've done some production, artificial lift design
21 type stuff for Midland Basin operators.

22 MR. MOELLENBERG: I think we have a resume
23 for you, which we can introduce as an exhibit. I think
24 this is fairly straightforward, but we might as well
25 qualify him and take care of that right now.

1 EXAMINER JONES: Okay.

2 Q. (BY MR. MOELLENBERG) So while we're doing that,
3 Mr. Burns, there are a couple of documents there on the
4 table in front of you. I think the bottom one, if you
5 pick that up, has been admitted into this proceeding as
6 Exhibit 5. It's a copy of the C-108 application; is
7 that right?

8 A. That's correct.

9 Q. Are you familiar with that application?

10 A. I have reviewed the document.

11 Q. Mr. Burns, I'm going to show you what's been
12 marked as Exhibit 9. Is that a copy of your current
13 resume showing your experience and qualifications?

14 A. Yes, it is.

15 MR. MOELLENBERG: So I would ask that
16 Mr. Burns be qualified as an engineer.

17 EXAMINER JONES: Petroleum engineer?

18 MR. MOELLENBERG: Petroleum engineer.

19 EXAMINER JONES: Any objection?

20 MR. BROOKS: No objection.

21 MS. MOSS: No objection.

22 EXAMINER JONES: He is so qualified.

23 Q. (BY MR. MOELLENBERG) So, Mr. Burns, I think you
24 were probably here yesterday and the Hearing Examiners
25 indicated that they may have a couple of questions

1 perhaps relating to the C-108, but particularly about
2 OWL's plans for logging and monitoring the proposed new
3 well. So I guess, first off, could you describe what
4 OWL intends to do with respect to logging --

5 A. Yes, sir. If you notice in our application,
6 our C-108 -- I don't know what page it is -- it's
7 Section 8, the geological data, if you go down --
8 actually -- excuse me -- if go down to X, logging and
9 testing on the wellbore, you notice that we plan to run
10 your typical resistivity, gamma ray and density logs
11 during the completion and operation of this new
12 wellbore.

13 Q. So with that, then, the C-108 describes the
14 extent of the logging that OWL is proposing to do?

15 A. Yes, sir, it is.

16 Q. Does the C-108 application discuss any
17 monitoring that is planned for the new well?

18 A. No, it does not.

19 Q. What would OWL plan to do as far as monitoring
20 with respect to the proposed well?

21 A. We plan to utilize the injection rates and
22 injection pressures of the wellbore and compile that
23 into what's called a Hall Plot to monitor the
24 injectivity of the wellbore on a daily basis.

25 Q. And, Mr. Burns, that's the extent of the

1 **monitoring?**

2 A. At this time, yes, sir.

3 **Q. To your knowledge, is that consistent with**
4 **standard industry practice for this type of well?**

5 A. Yes, it is.

6 **Q. Okay.**

7 MR. MOELLENBERG: That's all I have on
8 direct.

9 EXAMINER JONES: Mr. Brooks?

10 MR. BROOKS: I have no questions.

11 EXAMINER JONES: Ms. Moss?

12 CROSS-EXAMINATION

13 BY MS. MOSS:

14 **Q. I have one question. Under what circumstances**
15 **would OWL place monitoring wells in connection with this**
16 **Bobcat well if it were approved?**

17 A. Since that is not industry standard practice,
18 I'd have to evaluate that a little more to give you a
19 better answer at this time.

20 **Q. Okay. Thank you.**

21 EXAMINER WADE: I have no questions.

22 CROSS-EXAMINATION

23 BY EXAMINER DAWSON:

24 **Q. In your logging of injection rates and**
25 **pressures, that'll be on a 24-hour basis? I mean, is it**

1 going to be digital?

2 A. It can be. Yes, sir.

3 Q. That's the only questions I have. Thank you.

4 CROSS-EXAMINATION

5 BY EXAMINER JONES:

6 Q. So you're going to run open-hole logs?

7 A. Yes, sir. Since this is an open-hole
8 completion, we would run open-hole logs.

9 Q. So however far it'll stand fluid in there, the
10 logs will be valid --

11 A. Yes.

12 Q. -- for that distance?

13 But you don't really expect it to stand
14 very much fluid, do you?

15 A. No, sir. But there are ways to mitigate that
16 and address that issue.

17 Q. Okay. So you can run a case hole log, too, if
18 you need to?

19 A. Yes, sir.

20 Q. And what about cores or sidewalls or any kind
21 of injectivity test?

22 A. Coring has not been evaluated at this time.
23 That's something I'll have to do at a later date to try
24 and give you a better answer.

25 Q. All right. But you're kind of assuming that if

1 you redrill a well, you're going to get as good a well
2 as the Maralo Sholes?

3 A. Due to the distance of the two wells, based on
4 industry standard, it's pretty difficult to utilize
5 existing well performance to inject those
6 characteristics. Yes, sir.

7 Q. But there is a possibility you won't get as
8 good a well; is that correct?

9 A. That's correct. I mean, there is also the
10 possibility it may be better. Yes, sir.

11 Q. Okay. Yeah. And there's a possibility that
12 the injection -- the disposal zone will not take fluid
13 exactly like the temperature tracer survey on the Maralo
14 Sholes, and so would you be -- would OWL object to some
15 requirements in any permit that was issued to run
16 tracers temperature surveys on a periodic basis and also
17 maybe fall-off tests?

18 A. I would have to address others within the
19 company to -- to give you an answer on that.

20 Q. Yeah. Okay.

21 And you'll run a bond log on your -- your
22 casing design, I just glanced at it, and you're going
23 to -- are you going to run any DV tools?

24 A. Due to the depth and length of the string, I do
25 not see any plans for a DV tool, but we will run bond

1 logs. In addition to after performing the cement job on
2 the well, we will obviously do a pressure test --

3 Q. To test the casing?

4 A. -- to test the casing. Yes, sir. And then
5 we'll drill out and again do an additional test just to
6 make sure there are no leaks within the casing to
7 maintain the integrity of the casing.

8 Q. Okay. And who does your C-115 for OWL? Who is
9 the production reporting person? Do you do that?

10 A. No, sir. We have a group in our Dallas office
11 that handles that type of information.

12 Q. Yeah. Years ago, they moved our pressure
13 reporting -- I know we're going to have inspectors on
14 the well, obviously. But we moved the pressure
15 reporting -- the monthly pressure reporting of disposal
16 injection wells over to the C-115, so we sometimes have
17 issues with operators not paying attention to that and
18 reporting the same pressure month after month on there,
19 you know. So whoever's going to be doing your C-115s.
20 You will probably need to talk to them or look at what's
21 being reported yourself and see if it looks reasonable
22 to you, because you're the -- you're going to have a
23 field foreman out there or a production foreman; is that
24 correct?

25 A. Yes, sir. We have field personnel to help

1 monitor that information, in addition to the digital
2 data gathering.

3 Q. Okay. Do you have any SCADA systems set up --

4 A. We do.

5 Q. -- or --

6 A. We do. We have SCADA to monitor our rates and
7 our pressures, plus ancillary data for various other
8 operations.

9 Q. Okay. And so what kind of tanks will you have
10 out there? What are you planning on for that?

11 A. As far as tanks go?

12 Q. Yeah, water tanks, skimming tanks, and how much
13 oil are you planning on getting from this?

14 A. I can't really speak to that because due to the
15 nature of the water we're collecting, those numbers will
16 vary greatly because of the various customers we have
17 within the area.

18 Q. So your pipeline varies -- the yield of your
19 pipeline varies quite a bit.

20 You also receive trucks to the location?

21 A. We do, some, very little at this time.

22 Q. Okay. How many water tanks will you set?

23 A. The facility is already actually in place that
24 we would process the water through.

25 Q. Okay. So how far away from the Maralo Sholes

1 **is this well going to be?**

2 A. From the existing Maralo Sholes B well?

3 **Q. Yeah.**

4 A. From my understanding, it's roughly a couple
5 hundred feet or less from the existing wellbore.

6 **Q. Okay. So pretty close by?**

7 A. Yes, sir.

8 **Q. So your Hall Plot is kind of a classic way to**
9 **monitor disposal performance. Is that something that**
10 **you're going to pay attention to, or you have a**
11 **reservoir engineer somewhere that will be watching that?**

12 A. No. I will do that.

13 **Q. Okay. Okay. Did you do the C-108, or did**
14 **Steve Pattee do the C-108?**

15 A. Lonquist, Steve.

16 **Q. Lonquist did it --**

17 A. Yes, sir.

18 **Q. -- but you worked with them?**

19 A. Yes, sir, some.

20 EXAMINER JONES: Is Steve Pattee going to
21 be available at all?

22 MR. MOELLENBERG: Mr. Hearing Examiner, we
23 could probably make him available by phone if you have
24 some questions for him.

25 EXAMINER JONES: Yeah. We're going to have

1 questions on the notice issues.

2 MR. MOELLENBERG: Okay.

3 EXAMINER JONES: I think we're going to
4 need to talk to him about that just a little bit.

5 MR. MOELLENBERG: Okay. If you're done
6 with Mr. Burns, what I'd like to do, then -- because I
7 think I've actually messed up some of the numbers this
8 morning -- is actually have Ms. Chavez go through all
9 the exhibits and clarify that and make sure we're clear
10 on that. And part of that may be the notice -- notice
11 affidavits, because I don't know that I was complete on
12 that. So she's got those details, so if I could have
13 her just run through those, make sure we're all clear on
14 those.

15 EXAMINER JONES: Mr. Newell, quickly, do
16 you have any questions for this witness?

17 MR. MOELLENBERG: No. Thank you.

18 EXAMINER WADE: Mr. Moellenberg, does that
19 mean you want to wait to enter Exhibit 9 as an exhibit?

20 MR. MOELLENBERG: No. I would move
21 admission of Exhibit 9 right now.

22 EXAMINER JONES: Any objection to the
23 resume?

24 MR. BROOKS: No objection.

25 MS. MOSS: No objection.

1 EXAMINER JONES: Exhibit Number 9 is
2 admitted.

3 (OWL SWD, LLC Exhibit Number 9 is offered
4 and admitted into evidence.)

5 MR. MOELLENBERG: So with that, if I could
6 have Ms. Chavez come up, and she can straighten me out.

7 MS. CHAVEZ: Mr. Hearing Examiner, is it
8 okay if Mr. Burns steps down?

9 EXAMINER JONES: Sure.
10 Thank you, Mr. Burns.

11 MS. CHAVEZ: Mr. Hearing Examiner, I'd just
12 like to quickly go through what we have proposed so far
13 as exhibits. Some of them were provided before we
14 started in a binder, and then I handed some out as we
15 found the need for them during the course of our
16 witnesses.

17 So in your binder, you will for sure have
18 Exhibit 1, which was filed with OWL's pre-hearing
19 statement on June 1st. That is the final UIC
20 hydrological assessment prepared by Chad Kronkosky.
21 Also in your binders and provided as an outside exhibit,
22 you will have Exhibit 2, which is expert opinions
23 prepared by Mr. Neil Blandford. In your binders, you
24 will have what we titled as Exhibit 3, which is the
25 resume for Mr. Chad Kronkosky. Next in your binders,

1 you will have what we labeled Exhibit 4, which is the
2 report prepared by Mr. Phillip Goetze dated March 15th,
3 2017. Next provided to you with a binder clip at the
4 top is going to be the C-108 application prepared by
5 Lonquist, LLC, and we have labeled this Exhibit 5. Next
6 in your binders you will have a resume from Mr. Neil
7 Blandford, which we labeled Exhibit 6.

8 And I think this is where we start to get a
9 little tricky. In your binders, you will have a
10 document that looks like this (indicating), titled
11 "Affidavit." This is an affidavit by Mr. Stephen
12 Pattee, from Lonquist, stating that he prepared the
13 C-108 and provided notice of such. We have labeled it
14 as Exhibit 7. I would move for its admission.

15 EXAMINER WADE: That's the Notice of
16 Affidavit?

17 EXAMINER JONES: Right.

18 EXAMINER WADE: So we want to hear from
19 Mr. Pattee?

20 EXAMINER JONES: Yeah. Yeah. We need to
21 get him on the phone sometime today --

22 MS. CHAVEZ: Okay.

23 EXAMINER JONES: -- ask him questions.

24 MS. CHAVEZ: Sure.

25 EXAMINER JONES: Just remember we need to

1 admit that officially.

2 MS. CHAVEZ: Sure.

3 All right. Next what we have is Exhibit 8,
4 and it was provided in its own three-ring binder. It's
5 the report prepared for the City of Jal by Souder,
6 Miller dated April 2015. And I believe it's labeled
7 "Exhibit 8" for you inside the binder, but the title
8 cover on the outside just has the title page.

9 All right. Next, Exhibit 9 was the resume
10 of Mr. Burns, which was just admitted momentarily -- I'm
11 sorry -- shortly before we got to the exhibits.

12 And lastly in your binders, you will have
13 another affidavit that says "Affidavit of Notice" on
14 your index, and we would label this Exhibit 10.

15 EXAMINER WADE: And this is notice for
16 what?

17 MS. CHAVEZ: Of the hearing.

18 EXAMINER JONES: Yeah. That hasn't been
19 admitted yet.

20 MS. CHAVEZ: Those two, 10 and 7 have not
21 been admitted, and they're both affidavits regarding
22 notice.

23 EXAMINER JONES: We'll have to look at --
24 I'll have to get --

25 EXAMINER WADE: I don't have that in front

1 of me so we can wait.

2 EXAMINER JONES: Okay.

3 MS. CHAVEZ: And then, Mr. Hearing
4 Examiner, if I can address any questions you have
5 regarding the notice requirements, I'm happy to address
6 those.

7 EXAMINER WADE: Did you assist in preparing
8 notice?

9 MS. CHAVEZ: For the hearing, and then in
10 obtaining the affidavit from Mr. Stephen Pattee.

11 EXAMINER JONES: And also we should -- that
12 way we can have Respondents question Mr. Pattee briefly
13 on notice.

14 MS. CHAVEZ: Okay. That concludes my
15 overview of the exhibits that the Applicant has moved
16 thus far.

17 EXAMINER JONES: Number 8?

18 EXAMINER DAWSON: Was Souder, Miller.

19 MR. TRUJILLO: Mr. Hearing Examiners, the
20 gentleman is actually available now, if we'd like to do
21 that now, or we can find a --

22 EXAMINER JONES: Okay. Yeah, unless
23 Respondents intend to testify as to the notice provided
24 administratively.

25 MR. BROOKS: We're not planning to offer

1 testimony on notice.

2 EXAMINER JONES: Okay. Let's get him on
3 the phone then.

4 EXAMINER DAWSON: Do you have a phone
5 number?

6 EXAMINER JONES: For the notice of the
7 hearing, was OWL requested by the Division to re-notice
8 people that were noticed for the administrative
9 application, because sometimes that happens?

10 MS. CHAVEZ: I would need to look at that
11 letter, Mr. Hearing Examiner. The rules simply require
12 notice within a half mile of the proposed site.

13 EXAMINER JONES: Yeah. And if it goes to
14 hearing, it's usually just whoever protests.

15 MS. CHAVEZ: Yes.

16 EXAMINER JONES: But sometimes the Division
17 asks for -- makes clear what kind of notice is going to
18 be required if it goes to hearing, and I just wondered
19 if that happened or not.

20 MS. CHAVEZ: And, Mr. Hearing Examiner, in
21 this large document bank I have here, I know I have that
22 letter, so I'll double-check that for you.

23 EXAMINER JONES: Okay. Okay.

24 EXAMINER DAWSON: I'll call Mr. Pattee.

25 (Mr. Pattee contacted via telephone, 10:29

1 a.m.)

2 EXAMINER JONES: Hello, Steve,
3 Mr. Pattee --

4 MR. PATTEE: Yes.

5 EXAMINER JONES: -- this is William Jones,
6 Hearing Examiner in Case Number 15723. Would you please
7 stand and be sworn by the court reporter?

8 STEPHEN PATTEE,
9 appearing via telephone from Austin, Texas, after
10 having been first duly sworn under oath, was
11 questioned and testified as follows:

12 EXAMINER JONES: Do you want to direct a
13 second?

14 MS. CHAVEZ: Is it all right if I come a
15 little closer?

16 EXAMINER JONES: Yes. Yes, go ahead.

17 DIRECT EXAMINATION

18 BY MS. CHAVEZ:

19 Q. Mr. Pattee, this is Rikki-Lee Chavez. Can you
20 hear me?

21 A. Yes, I can.

22 Q. Can you please, for the record, state your
23 name, address and place of employment?

24 A. Name is Stephen Pattee. Place of employment is
25 Lonquist & Company. Address -- physical address or

1 address of employment?

2 **Q. Address of employment will suffice.**

3 A. Sure. 3345 Bee Cave Road, Suite 201, in
4 Austin, Texas. The ZIP Code here is 78746.

5 **Q. Mr. Pattee, can you tell us what your position**
6 **is at Lonquist?**

7 A. Yes. I'm regulatory manager at Lonquist &
8 Company.

9 **Q. Mr. Pattee, are you familiar with the C-108**
10 **application filed by OWL SWD Operating, LLC?**

11 A. Yes, I am.

12 **Q. And why are you familiar with the application,**
13 **Mr. Pattee?**

14 A. This application was prepared by my staff.
15 Myself and my staff put this entire package together.

16 **Q. And, Mr. Pattee, can you please tell me if you**
17 **provided notice of that application?**

18 A. Yes. We provided both public notice and
19 notification to offset operators and the property owner
20 of the land in which the well is to be situated. That
21 notice was issued -- they went on or about May 1st of
22 this year.

23 **Q. Okay. And was any other additional notice**
24 **provided by you or Lonquist?**

25 A. We also provided notice to the property owner,

1 Fulfer Oil & Cattle, Fulfer Ranch. We provided notice
2 of the hearing as additional notice.

3 Q. Okay. I have no additional questions for you,
4 Mr. Pattee. You'll be asked some questions now by other
5 parties.

6 EXAMINER JONES: Mr. Pattee, I'm going to
7 pass you to David Brooks, attorney for the Division, see
8 if he has questions of the preparation of the C-108 and
9 the notice.

10 MR. BROOKS: Let me approach.

11 MS. CHAVEZ: Mr. Hearing Examiner, I
12 realize I forgot to ask him about his affidavit, too.

13 EXAMINER WADE: Do you want to do that now?

14 EXAMINER JONES: That's the affidavit on
15 the hearing, right?

16 MS. CHAVEZ: Of the application, sir.

17 EXAMINER JONES: Of the application? Okay.
18 Go ahead.

19 MS. CHAVEZ: Sorry about that, Mr. Pattee.
20 I had a couple additional questions for you.

21 Q. (BY MS. CHAVEZ) Did you receive a prepared
22 application stating your providing of notice of the
23 C-108 from me?

24 A. Yes.

25 Q. And did you affix your signature to that

1 affidavit in the presence of a notary?

2 A. Yes, I did.

3 Q. Okay. Thank you.

4 EXAMINER JONES: Mr. Brooks?

5 CROSS-EXAMINATION

6 BY MR. BROOKS:

7 Q. Did you personally review the list of people
8 who -- parties to be notified and verify that notice was
9 actually sent to each one of them?

10 A. Yes, I did. And we have certified mail
11 receipts of all of the noticed parties.

12 Q. Okay. I can't -- since we are on the phone and
13 we were not anticipating your testimony, we don't have a
14 way to identify the exhibits I'm looking at to be sure
15 that we're on the same page. But if you have verified
16 the list and made sure that notice was sent to each
17 person, I think that will be -- that will suffice.

18 And I have one other question. I have to
19 go back to my seat and get the document for the
20 question.

21 The original administrative application
22 contains the following statement, Mr. Pattee. "Based on
23 the available engineering and geological data, we
24 find" -- "we find no evidence of open faults or any
25 other hydrologic connection between the disposal zone

1 and any underground sources of drinking water." The
2 term "we" doubtless refers to Lonquist & Associates, but
3 you're the geologist. Did you -- did you personally
4 examine the engineering and geological connection --
5 geological data to make that statement?

6 A. Yes. All of the engineering and geology
7 performed by Lonquist went across my desk for final
8 review, and the "we" does refer to the staff at Lonquist
9 & Company that put this application together.

10 Q. However, you stand by that statement as
11 something that you verified; is that correct?

12 A. Yes, sir. That is correct.

13 Q. Thank you.

14 MR. BROOKS: No more questions.

15 EXAMINER JONES: Ms. Moss?

16 MS. MOSS: None. Thank you.

17 EXAMINER JONES: Mr. Newell?

18 MR. NEWELL: Briefly.

19 CROSS-EXAMINATION

20 BY MR. NEWELL:

21 Q. When you use the term "drinking water," what
22 are you referring to?

23 A. Drinking water? By EPA standards, underground
24 source of drinking water is identified as anything less
25 than 10,000 parts per million.

1 **Q. Okay.**

2 A. And so multiple jurisdictions identify drinking
3 water differently here in Texas. 3,000 parts per
4 million or less is considered potable. 3,000 to 10,000
5 is considered treatable. But the base definition of
6 drinking water per EPA is 10,000 parts per million.
7 Yes.

8 **Q. So you didn't -- you didn't consider then --**
9 **well, did you consider the Capitan Reef Aquifer to be a**
10 **source of drinking water?**

11 A. The Capitan Reef is considered in some parts
12 along the reef boundary as drinking water quality.
13 You'll have to forgive me in my preparation response to
14 this. But if I recall, the Capitan Aquifer at this
15 location is not. It falls greater than 10,000 parts per
16 million.

17 MR. NEWELL: Pass the witness.

18 CROSS-EXAMINATION

19 BY EXAMINER JONES:

20 **Q. Mr. Pattee, this is William Jones, the Hearing**
21 **Examiner.**

22 A. Yes, sir.

23 **Q. The notice -- first of all, we check to make**
24 **sure the notice followed the rules in the C-108**
25 **administratively. And I've got a list of your noticed**

1 parties and it includes -- includes a bunch of
2 operators; is that correct?

3 A. Yes, sir. That is correct.

4 Q. Okay. The C-108 says, "Notify all surrounding
5 operators within a half mile and" the surface hole --
6 "the owner of the surface location." Did you do that?

7 A. Yes, we did.

8 Q. Okay. Also in Part 26 of the OCD rules, it has
9 a definition of affected parties. Can you tell me what
10 that means?

11 A. Affected parties -- the way we identify
12 affected parties is by identifying mineral leasehold
13 operators within the boundary established in the OCD
14 rules and notifying all parties associated with a
15 mineral lease. For example, in one of our notice areas,
16 we identified that the interested parties or the
17 affected parties were multiple operators such as Chevron
18 U.S.A., Conoco, Apache, ZPZ Delaware. They all were
19 affected parties because all had -- all of those
20 operators had mineral lease percentages in the area
21 identified.

22 Q. Okay. So there is no producing wells within a
23 half mile; is that correct?

24 A. That's correct.

25 Q. So there are no operators of record. So you

1 **had to notify the lessees; is that correct?**

2 A. That's correct.

3 Q. Okay. So your land research notified --
4 identified and notified the lessees, and that is -- we
5 have a page in your C-108 that is -- hopefully we'll get
6 a color copy for the court reporter that will show the
7 legal separate leases or -- or identically owned tracts,
8 we call them. For example, the largest identically
9 owned tract is owned evenly by Chevron, Conoco, Apache
10 and ZPZ Delaware; is that correct?

11 A. That's correct. ZPZ Delaware, I believe. ZPZ
12 II has operations in the area, but it is not affected by
13 this well.

14 Q. Okay. Okay. And you notified them around May
15 the 17th?

16 A. May the 1st --

17 Q. May 1st is when --

18 A. -- and 17th. Yes, sir.

19 Q. May 1st is when you mailed them?

20 A. Yes. They were mailed -- we received proof
21 back -- I wish I could find it. ZPZ Delaware, I
22 returned their receipt -- the date of delivery signed
23 for was 5/4/17.

24 Q. Is it your understanding that everyone returned
25 a receipt that you mailed notice to?

1 A. That is correct, with one exception and that is
2 Legacy Reserve Operating.

3 **Q. Not surprised.**

4 A. I have a product -- I've got tracking
5 information from the U.S. Postal Service from our
6 service -- from our certified mail, and it was available
7 for pickup on May 12th, 2017, but we did not receive a
8 return receipt.

9 **Q. Okay. But you posted newspaper notice**
10 **despite --**

11 A. Yes, sir. That's correct.

12 **Q. Okay. Now, were there any instructions to**
13 **you -- you knew this was going to hearing; is that**
14 **correct?**

15 A. Yes, sir.

16 **Q. And why was -- why were you informed it was**
17 **going to hearing? What was your understanding?**

18 A. My understanding was -- well, I didn't know the
19 background of why it was going to hearing. I knew it
20 was going to hearing. So I was asked to provide
21 exhibits in preparation for presenting at this hearing
22 by others.

23 **Q. Okay. Okay. So you didn't -- you weren't**
24 **instructed by the Division to notify additional parties**
25 **other than the -- in other words, you didn't do the**

1 notice for the hearing itself, did you? That was done
2 by another affidavit that we're going to talk about in a
3 few minutes?

4 MS. CHAVEZ: Mr. Hearing Examiner, I think
5 it was done by both, by us and Mr. Pattee.

6 EXAMINER JONES: Okay. I wanted to go over
7 that, the notices provided administratively and for the
8 hearing itself.

9 And in light of the testimony yesterday and
10 this being converted into a commercial disposal
11 well -- high-volume disposal well and into a reservoir
12 that's productive of oil and gas, I was uncomfortable
13 with the one-half-mile area of review for the notice.
14 And we have discussed that with the director this
15 morning, and he has agreed to go -- to go with a
16 one-mile area of review for the notice for -- to proceed
17 before we take anything under advisement in this case.
18 So I wanted to let you know that.

19 MR. MOELLENBERG: Yeah, if I could respond
20 to that, then. So this would be the first notice OWL
21 has had of OCD exercising or the director exercising
22 authority to require additional notice.

23 EXAMINER JONES: This would, yeah. I hate
24 to hit you with this like this, but you've already
25 researched the people within those four sections. It's

1 just a case of widening it a bit more.

2 MR. MOELLENBERG: Understood. So,
3 obviously, since we didn't have notice of that, we
4 haven't addressed the expanded notice and just so I can
5 understand the process here, you would -- we would go
6 ahead and finish --

7 EXAMINER JONES: Finish the hearing.

8 MR. MOELLENBERG: -- the technical hearing,
9 and then you would ask us to do a broader notice?

10 EXAMINER JONES: A broader notice. We
11 would continue the hearing for at least one month. We
12 think it would probably take you about a week to
13 identify the parties, and depends on how fast Mr. Pattee
14 and his group can work. And you've got to give them, I
15 think, 15 days' notice before we can -- we can hear it
16 finally and take it under advisement -- take the case
17 under advisement. And the court reporter, by that time,
18 will have the transcripts. She should have them within
19 two weeks, and we should have it all. We could
20 practically have a draft ready, you know, in a short
21 amount of time. In other words --

22 MR. MOELLENBERG: So let me ask this
23 question: Has the director made the same decision with
24 respect to the compliance hearing?

25 EXAMINER JONES: No. We haven't discussed

1 that with the director, on the compliance hearing.

2 MR. MOELLENBERG: So you don't know if the
3 same thing is going to happen with respect to the
4 compliance hearing?

5 EXAMINER JONES: No.

6 MR. MOELLENBERG: I think the Division is
7 responsible for notice for that.

8 EXAMINER JONES: I don't know.

9 EXAMINER WADE: I can't see that that would
10 be the case for a compliance issue being that it's
11 already an operating well. This is, obviously, a new
12 well with a new proposal.

13 MR. MOELLENBERG: Okay. So you wouldn't
14 anticipate --

15 EXAMINER WADE: I don't think so.

16 MR. MOELLENBERG: All right.

17 EXAMINER WADE: One question for the
18 Hearing Examiner so you know, Mr. Moellenberg, are you
19 asking for the notice pursuant to the rule to be
20 complied with? In other words, the landowners, as well
21 as operators or affected persons?

22 EXAMINER JONES: Lessees -- yeah lessees of
23 record. The wells have been plugged and abandoned, most
24 of them, so there is no operator of record.

25 EXAMINER WADE: So it would be affected

1 persons pursuant to the rule.

2 EXAMINER JONES: It would be affected
3 persons.

4 EXAMINER WADE: And landowners.

5 EXAMINER JONES: You've already noticed the
6 people within a half mile, so it would be a doughnut.

7 MR. MOELLENBERG: Yeah. The hearing notice
8 is that. So we're doing an expanded hearing notice, and
9 we're including not only surface owners but the mineral
10 interests.

11 EXAMINER JONES: Not surface owners,
12 just -- just mineral owners.

13 MR. MOELLENBERG: Just mineral. Okay.

14 EXAMINER JONES: Yeah. And operators of
15 record, any wells -- any wells to any depth that exist
16 within a mile and they have an operator of record, those
17 need to be noticed in addition to the affected persons.

18 MR. MOELLENBERG: Just so we can be clear
19 on this and make sure we get the notice correct, would
20 it be too much to ask if the director could actually
21 direct a letter to OWL asking for the specific notice
22 since -- and my understanding here is the director is
23 exercising discretion here to require additional notice.

24 EXAMINER JONES: That's true.

25 MR. MOELLENBERG: And we want to make sure

1 we get it right. So if we could have a letter to that
2 effect, I think that would be very helpful. I don't
3 want to mess it up based on this discussion.

4 EXAMINER JONES: Yeah.

5 EXAMINER WADE: I think that would be fine.

6 Can we also, for the record, have that
7 Post Office information regarding the Legacy attempt to
8 notice?

9 MR. MOELLENBERG: Okay.

10 EXAMINER WADE: It's common that the OCD
11 accepts just the printout saying it was available for
12 pickup and nothing happened.

13 MR. MOELLENBERG: Okay. Okay. All right.
14 Thank you.

15 MS. MOSS: That letter will be put in a
16 file that I can access?

17 EXAMINER JONES: It'll be scanned.

18 EXAMINER WADE: Well, I kind of wonder if
19 it can't -- what you really want is specific information
20 as to what notice we are requiring.

21 MR. MOELLENBERG: The scope.

22 EXAMINER JONES: Maybe it could come via
23 email.

24 MR. MOELLENBERG: I think that's okay.

25 EXAMINER WADE: Yeah.

1 MR. MOELLENBERG: I just want direction
2 from OCD that's very clear as to the scope of the
3 notice.

4 EXAMINER JONES: Specific. I think that's
5 fine.

6 MS. MOSS: Can you cc us?

7 EXAMINER WADE: It will be to all parties.

8 EXAMINER JONES: Now, the affidavit of the
9 hearing, did we already --

10 MS. CHAVEZ: That was going to be my next
11 move, Mr. Hearing Examiner. Did we need to have
12 Mr. Pattee still?

13 EXAMINER JONES: Unless he was involved
14 with it, if he was involved with it.

15 MS. CHAVEZ: Not the affidavit of hearing,
16 just the affidavit we have here of the C-108
17 application.

18 EXAMINER JONES: Okay. Mr. Pattee, you
19 heard what's coming, correct?

20 THE WITNESS: Yes, sir, I did.

21 EXAMINER JONES: Okay. Thank you very
22 much.

23 THE WITNESS: Okay. Thank you.

24 MS. CHAVEZ: So for the record, Mr. Hearing
25 Examiner, I wanted to make sure we did move OWL's

1 Exhibit 7 for admission, which is the affidavit by
2 Mr. Pattee.

3 EXAMINER JONES: Any objection?

4 Mr. Newell, any objection?

5 MR. NEWELL: No, Your Honor -- no,
6 Mr. Hearing Officer.

7 EXAMINER JONES: Exhibit 7, the Affidavit
8 of Notice/Application?

9 MS. CHAVEZ: Yes.

10 EXAMINER JONES: Okay.

11 MS. CHAVEZ: Okay?

12 EXAMINER JONES: That is admitted.

13 (OWL SWD, LLC Exhibit Number 7 is offered
14 and admitted into evidence.)

15 MS. CHAVEZ: I recognize now there are new
16 requirements for hearing notice, but to keep our record
17 clean, I would like to move for the admission of Exhibit
18 10, which is in your binders, which is the Affidavit of
19 Notice/Hearing prepared by counsel of record for OWL.
20 And I would move for that admission.

21 EXAMINER WADE: Any objections?

22 MR. BROOKS: No objection.

23 MS. MOSS: No objection.

24 MR. NEWELL: No objection.

25 EXAMINER JONES: Okay. That's admitted.

1 (OWL SWD, LLC Exhibit Number 10 is offered
2 and admitted into evidence.)

3 MR. MOELLENBERG: Thank you, Ms. Chavez.
4 I think we are concluded then.

5 EXAMINER JONES: Do you want to take a --

6 MR. BROOKS: We'd like to have a brief
7 recess.

8 EXAMINER JONES: -- brief recess? So
9 11:00.

10 (Recess, 10:52 a.m. to 11:03 a.m.)

11 EXAMINER JONES: Let's go back on the
12 record and proceed with the OCD's case.

13 PHILLIP R. GOETZE,
14 after having been first duly sworn under oath, was
15 questioned and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. BROOKS:

18 Q. Good morning, Mr. Goetze.

19 A. Good morning, Mr. Brooks.

20 Q. It is still morning, I believe --

21 A. Yes, sir.

22 Q. -- by an hour.

23 MR. BROOKS: Am I speaking loud enough for
24 the court reporter?

25 (The court reporter responds.)

1 Q. (BY MR. BROOKS) You have an exhibit notebook
2 before you, Mr. Goetze?

3 A. I have our exhibits as presented by OCD. Yes.

4 Q. Okay. Before you go into the exhibits, though,
5 I need to ask you: Have you testified before the Oil
6 Conservation Commission and the Division previously, and
7 have your qualifications and experience been made a
8 matter of record?

9 A. I have testified before both Division and
10 Commission, and my certifications and qualifications
11 have been accepted by both.

12 Q. Right.

13 And was there some observation made about
14 that subject last time you testified before the
15 Commission?

16 A. They were tired of seeing my resume.

17 Q. Well, even though the Examiners may feel the
18 same way, would you please give a brief summary of your
19 qualifications and experience?

20 EXAMINER WADE: If there is no objection to
21 his qualifications, I don't know how much foundation we
22 really need. I think we're all pretty familiar with
23 him.

24 MR. MOELLENBERG: I guess the only thing
25 from my perspective, I would like to hear just what the

1 topic of qualifications are. That's --

2 EXAMINER WADE: Okay.

3 THE WITNESS: Well, I have 39 years of
4 experience. The last four years, I have been a UIC
5 technical reviewer, as well as examiner, and I deal with
6 administrative orders, as well as provide support for
7 the UIC Program in response to EPA.

8 Part of that, six years with Glorieta
9 Geoscience doing environmental, hydrologic, natural
10 resource assessments, which includes Los Alamos National
11 Laboratory, under their groundwater stewardship program,
12 which include both sampling, waste characterization,
13 modeling, oversight of drilling deep exploration wells;
14 Rio Rancho City Water Program, hydrologic modeling,
15 groundwater abatement plan for several dairy facilities
16 around Roswell.

17 Outside of that, primarily several other
18 environmental, doing Phase I's, PFTD projects. Before
19 that, with Tetra Tech, doing drilling, construction and
20 deep monitoring well oversight at Kirtland Air Force
21 Base.

22 Let's see. Then we have seven years with
23 AFCG, which was the former Leeds, Hill & Herkenhoff.
24 There, FTL at Los Alamos for oversight of drilling;
25 PSDV, again, project development and management of soil

1 and groundwater mediation of hydrocarbon and
2 solvent-contaminated sites; supervised and participated
3 in USEPA CA/CO 1998-02, which was the Bureau of Indian
4 Affairs, site characterization, as well as waste
5 disposal, which will include also groundwater projects
6 on the Navajo Nation; also provided sampling programs
7 for AMAFCA's Storm Water Study, which was later
8 published and used by AMAFCA, their MS4; several, again,
9 UST sites with that.

10 Prior to that, Billings and Associates,
11 where I spent several years in, I would say, about 20
12 sites over the state of New Mexico.

13 Prior to that, Roy F. Weston, overseeing
14 drilling and groundwater wells in an UMTRA site; and
15 then again back with Billings, bioventing and
16 underground storage tanks, as well as site assessment,
17 characterization.

18 And before that, Charles B. Reynolds and
19 Associates as a seismologist and crew chief, doing USGS
20 hydrologic assessment of Mesilla Bolson, plume and
21 paleosurface mapping at the Johnson Space Center
22 facility north of Las Cruces, and plume and paleosurface
23 mapping in Mortandad Canyon and TA-22 site, Los Alamos,
24 plume and paleosurface surface mapping at the Western
25 Pipeline facility at Thoreau, New Mexico; again, plume

1 and paleosurface mapping at UNC Partners' mill and
2 tailings site north of Milan.

3 And then we get into the real ancient
4 history with the BLM where I participated in hearings
5 before the Interior Board of Land Appeals doing the
6 characterization of resources and delineation of
7 competitive and noncompetitive status.

8 And prior to that, the U.S. Bureau of
9 Mines, field geologist, mapping ligneous [sic; phonetic]
10 areas, and then that gets me back to the USGS.

11 Q. (BY MR. BROOKS) I think we've probably gone far
12 enough, Mr. Goetze. In a situation that causes you to
13 get laid off, we'll recommend you for a job reading the
14 medical warnings that accompany commercials on
15 television.

16 (Laughter.)

17 EXAMINER JONES: What are you offering him
18 as? A geologist or --

19 MR. BROOKS: A geologist and hydrologist.

20 EXAMINER JONES: Any objection to that?

21 MR. MOELLENBERG: No objection.

22 MS. MOSS: No objection.

23 MR. NEWELL: No objection.

24 EXAMINER JONES: So qualified.

25 MR. BROOKS: Thank you.

1 We will admit his resume --

2 Q. (BY MR. BROOKS) Oh, well, just for the record,
3 then, is Exhibit 14 a copy of your resume?

4 A. That is correct.

5 Q. Okay. Mr. Goetze, I want to be somewhat
6 systematic about that, so I will go through your
7 exhibits generally in the order they appear in the
8 notebook.

9 We will start, then, with Exhibit 1. Can
10 you tell us what Exhibit 1 is?

11 A. Basically, Exhibit 1 is a location map to
12 provide those people with not enough information as to
13 where this subject matter is. I think we pretty much
14 know where the proposed well is in relationship to the
15 Maralo Sholes B Well No. 2, and as well as the
16 relationship with the City of Jal.

17 Q. It looks like, from looking at this, that it's
18 approximately a mile and a half southwest of the City of
19 Jal?

20 A. That's correct.

21 Q. Okay. I believe all the information that is on
22 Exhibit 3 is -- on Exhibit 2 is also on Exhibit 3, which
23 shows some additional area. However, some of it may be
24 more readable on Exhibit 2. But I don't think --

25 I'm sorry. It's all on Exhibit 2. It may

1 be more readable on Exhibit 1. But I'm going to ask you
2 to turn to Exhibit 2 now because we want to get some
3 other locations in mind. What is Exhibit 2 generally?

4 A. Exhibit 2 is an enlarged aerial photograph of
5 the area. This is based on our GIS database that we
6 maintain. The attempt here was to provide locations of
7 significant discussion, primarily the location of the
8 proposed well, the adjacent Maralo Sholes B Well No. 2.

9 Along with that, also, were included the
10 injection wells in the immediate area of the
11 photograph -- photographed area. They are noted with
12 the administrative or hearing order for injection
13 authority, along with numbers representing the May
14 2017 -- and I will have to note a correction in my
15 explanation; that should be 2017 -- as well as
16 cumulative volumes of injection in barrels.

17 Along with that, there is a discussion I
18 made in my report with the Maralo Sholes B 25 No. 1,
19 which is identified north of the Bobcat. I've also
20 highlighted the Sholes B 30 No. 1, which is a
21 plugged-and-abandoned well within the one-half-mile area
22 of review.

23 Q. Okay. What is the yellow-dashed circle?

24 A. That is the limit of the one-half-mile radius
25 review required by our UIC Program.

1 Q. Now, in regard to these SWD designations, you
2 said that the bottom of the two barrel numbers is the
3 cumulative injection; is that correct?

4 A. That is correct.

5 Q. And the top is what again?

6 A. That is the May monthly report as supplied
7 through the C-115 to the Division.

8 Q. So that's monthly?

9 A. That is the most current month at the time of
10 the preparation of the figure.

11 Q. So this injection in the Maralo Sholes Well
12 Number 1H -- Well No. 2 -- Maralo Sholes B Well No. 2
13 was 771,180 barrels in one month?

14 A. That is what was reported.

15 Q. Okay. Now, moving out from the subject wells,
16 you have a label here from the Sholes B 30 Well No. 1.
17 And is the actual location of the Sholes B 30 No. 1, is
18 that the red dot within the rectangle below the label?

19 A. That is correct.

20 Q. Okay. What's significant about the Sholes B
21 No. 1?

22 A. This well was identified in the Applicant's
23 C-108 delivery. It is a well where the information on
24 record with OCD is essentially nothing. We do have an
25 API number, but there is no documentation regarding any

1 phase of this well's life.

2 Q. Okay. And I will ask you more questions about
3 that when we get to the relevant exhibit. I just wanted
4 to get it located. That is a problematic well within
5 the area of review, correct?

6 A. Correct.

7 Q. Okay. Now, it looks like, if I plotted it
8 correctly --

9 Well, first of all, before I ask you that,
10 how are producing oil well -- producing oil or gas wells
11 indicated on this map?

12 A. The dark black circles are representative of
13 oil producers.

14 Q. Okay. Looks to me like there are two within
15 the area of review?

16 A. That's correct.

17 Q. Okay. Now, one of them has a label on here as
18 the Sholes B 25 Well No. 1. Now, is the location of
19 that well the black dot within the black rectangle above
20 the label?

21 A. That is correct.

22 Q. And what's significant about the Sholes B No. 1
23 for this hearing?

24 A. This was the well when I did my review of
25 information in the area regarding potential or possible

1 influences from injection within the existing Maralo
2 Sholes B Well No. 2.

3 Q. Okay. So I will ask you some more questions
4 about the Sholes B 25 Well No. 1 when we get to the
5 relevant exhibit.

6 But for purposes now, that is a well that
7 appears or at least appeared to have been influenced by
8 injection in the Maralo Sholes B No. 2, correct?

9 A. Correct.

10 Q. Okay. Now, the other well is below the label
11 for the Bobcat SWD, way down in the south part of the
12 section; is that right?

13 A. That's correct.

14 Q. And we have no particular -- we have no
15 specific concern with that well?

16 A. The history of production there is
17 intermittent. Therefore, there would be no way of
18 correlating. So with a broken-up reporting period,
19 really it would not provide any relevance.

20 Q. Now, down in the section to the southeast,
21 which would be Section 31, correct --

22 A. Yes, sir.

23 Q. -- we have a water well within the area?

24 A. That is an application for a monitoring well.

25 Q. Okay. So that's --

1 A. It's shallow, and it's not really relevant to
2 our discussion.

3 Q. Okay. Now, the other wells in the area of
4 review appear to be plugged and abandoned, correct?

5 A. Other than the two producers, the remaining of
6 them are PA'd.

7 Q. How are plugged-and-abandoned wells indicated
8 on this exhibit?

9 A. They are represented by a red dot.

10 Q. Okay. And the API numbers are indicated in red
11 type above the red dots?

12 A. That's correct.

13 Q. And they're virtually illegible on my copy
14 anyway.

15 A. Well, unfortunately, based upon the
16 projections, it is difficult to carry through. However,
17 the application by the C-108 does have the listing of
18 the wells.

19 Q. Yeah. And if anyone desires to pull up the
20 files, they can do so by the location, if they can't
21 read the API number.

22 A. That's correct.

23 Q. There appear to be a number of producing wells
24 up to the northwest in both the west half of Section 25
25 and in the east half-east half of Section 26, right?

1 A. Correct.

2 Q. And those wells are -- those six wells, they're
3 all producing?

4 A. They are Yates Jalmat Pool producers. Correct.

5 Q. Now, there aren't any producing wells in this
6 area in any pool other than the Jalmat?

7 A. They would be to the east of this location.

8 Q. And to the east, farther than --

9 A. Than the figure.

10 Q. Than this figure shows. Very good. Thank you.

11 Now I'm going to ask you to look at Exhibit
12 Number 3, and tell us what is Exhibit Number 3. It's
13 three different things, but --

14 A. This is a reiteration of what was presented in
15 my letter of -- in March of this year regarding a
16 response to the -- well, it was 2016 -- response to the
17 testing that was done at the Maralo Sholes B No. 2.
18 Again, all we're trying to do is provide the basis of
19 what we have already seen in numerous submittals by the
20 various participants, again, that we're above the
21 lateral extent of what has been defined as the Capitan
22 Aquifer by Hiss. That would be Figure 3A.

23 Figure 3B is the chloride ion concentration
24 as provided by Hiss for that primarily in the Capitan,
25 along with samples from the Yates, as well as Queen and

1 Seven Rivers.

2 Again, in Figure 3C, which I provided in my
3 letter and assessment, is the fact that we're looking in
4 the influences of having the Jal submarine canyons which
5 got through the Capitan and influence what I felt was a
6 preferred direction of fluid movement to the north from
7 the injection.

8 And then finally Number 3 -- Figure 3D is a
9 reiteration of the Hiss cross section in this area,
10 along with one prepared by INTERA, which came out of
11 their Ochoa Mine Water Resources Monitoring Plan, which
12 they have submitted to the State Engineer's Office.

13 The basic concept I am presenting here is
14 we still have a degree of flexibility in interpretation
15 in the area, that we do get new information
16 periodically, and with that comes a re-definition of
17 previous surfaces and stratigraphic delineation as far
18 as the Capitan goes.

19 **Q. Okay. You said there were -- you said that you**
20 **believed that -- did you say that you believed there is**
21 **a preferred direction of flow to the north in this area?**

22 **A.** At the time of the information that I had and
23 my response in the letter, yes, I did feel that was the
24 basis of what I saw in the information.

25 **Q. Have you revised your conclusions since that**

1 **time?**

2 A. Well, the modeling creates a new opportunity
3 for interpretation, but I still feel that there is a
4 degree of flexibility in what we see, fluid injections,
5 especially at this volume.

6 Q. Would a normal movement carry -- if there is
7 such a movement, would it carry injected water in the
8 direction where there is -- there are other producing
9 wells?

10 A. Yes. Based upon -- if all of the factors in
11 the models are accurate, then we have a concern with
12 regards to where the injection waters are going to go
13 and the potential impact to the Jalmat Pool.

14 Q. But actually there are producing wells in every
15 direction except that they don't go very far in the
16 westerly direction, right?

17 A. East is a little bit depleted, but north-south,
18 we do have production shown.

19 Q. Well, actually, this entire area is depleted
20 compared to what it was 20 years ago, right?

21 A. Yes. But we still have the presence of small
22 producers.

23 Q. Okay. We'll get more in detail on that with
24 another exhibit.

25 I'd call your attention to what's been

1 marked as Exhibit Number 3. Well, there seems to be
2 a -- those are 3A, 3B and 3C that we looked at. There
3 is a foldout exhibit that is a designated Exhibit Number
4 3.

5 A. It's 3D.

6 Q. 3D. Okay. I'm going to mark mine 3D so I know
7 that is the case.

8 And, Mr. Goetze, what is shown on Exhibit
9 3D?

10 A. Basically a reiteration of the cross section
11 showing the relationship of the Artesia Group with the
12 Capitan Aquifer. And as previously stated, the bottom
13 section was a rework by the folks at INTERA showing a
14 little more definition, but basically the same
15 conclusion as what came through the work by Hiss.

16 Q. Now, unlike 3A and 3B and -- well, first of
17 all, on 3A, B and C, there is a red dot. What does that
18 indicate?

19 A. That was the location of the Maralo Sholes
20 well.

21 Q. Which is immediately adjacent to the Bobcat
22 well?

23 A. That is correct.

24 Q. To the proposed location of the Bobcat well.

25 Okay. Exhibit 3D, then, does not have such

1 a red dot. Can you give us a clue as to how to locate
2 the Maralo Sholes and the Bobcat well on Exhibit 3D?

3 A. Basically, we'd be looking in the proximity of
4 the Joyner No. 2 on the upper projection, which would be
5 the Hiss, and then going the same -- going farther
6 south. In the land section, it would be the similar
7 vicinity.

8 Q. Okay. I was thinking that the injection well
9 was farther east than that. Am I mistaken? Not that
10 there would be anything unusual about that, if I were
11 mistaken. I'm just trying to get clear where it is in
12 relation particularly to the drawing of the Capitan
13 Reef -- of the Capitan Aquifer as shown on the upper
14 figure.

15 A. Well, you have me at a disadvantage. Give me a
16 moment.

17 It would be past the Skelly Oil Joyner.

18 Q. Skelly --

19 A. Skelly Oil Company No. 2 W.T. Joyner.

20 Q. Passed in which direction?

21 A. I believe it would be to the west.

22 Q. To the west. Okay. Good. That's what you
23 said, and you said it would be in that vicinity. So I'm
24 glad we got that clarified.

25 Now, the injection zone in the -- in the --

1 well, we've already covered that, so I'll go on in the
2 interest of time.

3 I'll call your attention to Exhibit Number
4 4.

5 A. Number 4 was an expanded map in the area, again
6 referencing many of the wells that were identified in
7 discussion. Primarily, this was provided in my letter
8 of March 2016, which showed the areal extent of the
9 aquifer as delineated by Hiss on a photographic base.
10 It includes several of the wells, as well as the
11 delineated areas for proposals. Beginning at the north
12 end, we have the Jal -- Skelly's Jal water well field.
13 Going south --

14 Q. That is the field on which we have some -- on
15 which the water analyses have been admitted in evidence,
16 correct?

17 A. That's correct, and also that was misidentified
18 by me. And we shall make note that the municipal
19 reference was wrong.

20 Q. Right.

21 A. And then we used information which has come up
22 with the ICP Ochoa Mine water well field, which is the
23 polyhalite activity.

24 Q. And that we also have some water analysis
25 reports on, right?

1 A. That's correct. That's what has been submitted
2 into evidence already.

3 Q. Okay. Go ahead.

4 A. Going south, we have a location for the Johnny
5 East SWD No. 1 well.

6 Q. And what is significant about that well?

7 A. This was an application made by another party
8 to have an injection well in the same interval, the
9 Yates, which was heard before Division.

10 Q. Okay. Now, was that one that was granted, or
11 was that denied?

12 A. That was denied.

13 Q. And is the order denying that one one of the
14 exhibits we will be talking about later?

15 A. Correct.

16 Q. Okay. Then go on.

17 A. Then going farther south, we show the
18 approximate location of the Bobcat and with that also
19 the Maralo Sholes B Well #2.

20 Q. And that's the section line between Section 26,
21 and Section 36 is the lowest -- the furthest south red
22 line on this map, right?

23 A. Correct.

24 Q. And on the scale of this map, the Bobcat
25 location is just south of that red line?

1 A. It would be right next to the Maralo Sholes.

2 Q. North of --

3 A. Yeah.

4 Q. Even though -- well, it's over farther to the
5 right where I was looking.

6 Okay. Now, go ahead.

7 A. We've had the discussion with EOG Resources and
8 their effort for their supply wells. There was an area
9 delineated in their report for development with multiple
10 wells in an effort to use in their production --
11 drilling and production.

12 Q. And is that the black dot on the line of the
13 purple figure in about the center of the map at the
14 bottom?

15 A. The small black dot is CP 1446, which is the
16 State Engineer's designation for the EOG well, which was
17 drilled and sampled. The dot in the center of it is the
18 Southwest Jal Unit No. 1, which is the USGS monitoring
19 well used for measurements in the Capitan, which was
20 established during the period when Hiss was doing his
21 work.

22 Q. And which of these wells is it or is it both of
23 them that we have water sampling analysis?

24 A. The most recent one would be EOG Resources.

25 Q. And that would be the well that's labeled CP

1 **1446 POD?**

2 A. That's correct.

3 **Q. Has that analysis been admitted in evidence and**
4 **previously discussed?**

5 A. Yes, it has been.

6 **Q. Very well.**

7 Now, what is the -- there is a lot of green
8 **on this map. What does the green indicate?**

9 A. The green is a projection of Hiss'
10 understanding of the boundaries for what he designated
11 as the Capitan Aquifer.

12 **Q. Now, does that coincide -- does that correlate**
13 **with the area labeled Capitan Aquifer on the upper**
14 **diagram in Exhibit 3D?**

15 A. It is basically similar as Hiss presented.

16 **Q. Now, there are several graphs on here, on**
17 **Exhibit 4. What do they depict?**

18 A. That's part of -- and I'll have to make the
19 correction. It is the March 2017 letter that I
20 prepared. One of the issues I raised, based upon
21 observations provided to the Division in monthly
22 reporting, was water production from the Sholes B 25 No.
23 1 well and compared it to water injection with the
24 Maralo Sholes B Well No. 2. Taking that into
25 consideration and reporting what had originally been

1 reported, we saw -- or at least I and one other person
2 saw a correlation with the injection, along with the
3 production of water from the Sholes B 25 Well No. 1.
4 And this well is to the north of the injection well.

5 MR. MOELLENBERG: I'm sorry to interrupt
6 you. Are you moving --

7 Q. (BY MR. BROOKS) Are you talking about Exhibit 4
8 or Exhibit 5?

9 MR. MOELLENBERG: I think the question was
10 on 4.

11 Q. (BY MR. BROOKS) Yeah. That was the question.
12 So I'll restate the question again. There are four
13 graphs shown on Exhibit 4 on the sides of the map. What
14 do those graphs depict?

15 A. Oh. Again, as submitted previously, this was
16 the observations of the USGS in their water sampling
17 done at these two wells, which have been somewhat
18 maintained. They have just reinstituted a monitoring
19 program back in 2013 and is currently ongoing.

20 Q. Observation by USGS as to what?

21 A. To water levels.

22 Q. That was the water level in these wells?

23 A. Correct.

24 Q. And is this within the depth interval of the
25 Capitan Reef?

1 A. It was -- it has been identified as being in
2 the reef.

3 Q. Now, I will go on to Exhibit Number 5, and you
4 were telling us what it was at the time that I
5 interrupted.

6 A. Well, I went ahead too fast.

7 Again, this is a graph that was prepared
8 and attached to my March 15th, 2017 letter. It is
9 production from the Sholes B 25 Well No. 1 versus
10 reported injection of the Maralo Sholes B Well No. 2.

11 Q. Okay. Now, what is the blue line? What does
12 that indicate?

13 A. That is the monthly reported injection --
14 excuse me -- produced water from the Sholes B 25 Well
15 No. 1.

16 Q. Was that the injection -- were those -- now,
17 the blue line is the monthly injection?

18 A. No. The blue line is the production from the
19 oil producers.

20 Q. And that was the production from the Sholes B
21 25 No. 1?

22 A. Correct.

23 Q. And that graph -- was that graph based on the
24 numbers that appeared on the reports received by the
25 OCD, that were maintained by the OCD at the time you

1 **prepared this?**

2 A. That's correct.

3 **Q. Now, what is the red line -- the red graph?**

4 A. The red line is the monthly injection reported
5 for the Maralo Sholes B Well No. 2.

6 **Q. Now, these graphs go on fairly steady for a**
7 **long time, and then they start zigzagging. Would you**
8 **explain that, what that depicts?**

9 A. We looked at the period of time, initiating
10 with the injection of the Maralo Sholes B Well No. 2.
11 January 6th, 2009 was the initiation of injection into
12 the well. For almost five years, we see a consistent
13 pattern of around 5,000 to 10,000 barrels per month
14 being injected. Then the period following August 24,
15 2014 is when we have operation by OWL, at which point we
16 see an increase in injection rates magnified several
17 times, and we have the maximum in the reporting period
18 of the 42,880 barrels per day.

19 **Q. And does that tend to correlate with what the**
20 **first witness said about OWL's business plan?**

21 A. This would be above what they propose as a
22 maximum of 30,000.

23 **Q. Above?**

24 A. Yes.

25 **Q. Okay. But the -- the higher flows -- is OWL**

1 projecting higher -- considerably higher injection than
2 the numbers shown on the graph until we get to
3 November -- until we get to December 2014?

4 A. Could you repeat the question again?

5 Q. Okay. Look at the red line.

6 A. Yes.

7 Q. The numbers for injection are all, with one
8 anomaly, in the range of 2- to 6,000. And I believe
9 this is -- the injection is calibrated on the right side
10 of the figure?

11 A. Injection is the red and on the right. Yes.

12 Q. And these numbers are barrels per day?

13 A. That's correct.

14 Q. Okay. So except for one month, the injection
15 prior to January of 2015 -- I said December of 2014, but
16 that's not correct -- January of 2015 were all below
17 15,000 barrels per day, and most of them were below
18 \$10,000, it looks like?

19 A. That's correct.

20 Q. Now, is this much larger injection, in the
21 range of 20- to 30,000, what is being projected for the
22 new well?

23 A. That is correct.

24 Q. Now, I realize that the 40 is much higher,
25 correct?

1 A. That is correct.

2 Q. That appears on the graph for July through
3 November -- through October 2016 -- 2016. Yeah.

4 Now, you said the blue was water production
5 from a different well, right, the Sholes B Well No. 1?

6 A. The Sholes B 25 No. 1.

7 Q. The Sholes B 25 No. 1. Is that the well that
8 is within -- is that the producing well that is within
9 the area of review that we talked about before?

10 A. That is correct. That is one of the two
11 producers within the one-half-mile area of review, and
12 it's directly north of the Maralo Sholes.

13 Q. Now, what did you conclude from this graph the
14 way you had it drawn?

15 A. My first consideration was that there was an
16 influence from injection at the higher levels, which
17 were reported, which appeared as produced water in this
18 producing well -- or reported as water.

19 Q. You have two very high peaks that tend to
20 correlate between those two curves, right?

21 A. That's correct.

22 Q. And was that a logical conclusion based on that
23 data?

24 A. Based upon the available data, yes.

25 Q. Okay.

1 MR. BROOKS: I believe it's time for me to
2 take my recess, Mr. Examiner.

3 EXAMINER JONES: Yeah. Let's take a lunch
4 break. Can we be back at 1:15?

5 MR. BROOKS: I will be back at 1:15.

6 (Recess, 11:45 a.m. to 1:44 p.m.)

7 EXAMINER JONES: We're ready to go back on
8 the record, and if we don't finish this afternoon, we're
9 looking at starting again at 8:30 on Friday morning.
10 We'll have a substitute Examiner -- or Examiner's
11 counsel for about 30 minutes or so.

12 MR. BROOKS: Well, you know, I'd be real
13 happy to make it 9:00.

14 EXAMINER WADE: Cheryl wouldn't care. My
15 only fear -- let's see how it goes.

16 MR. BROOKS: Because we do want to get
17 through. I would not want to cause us not to get
18 through on Friday.

19 EXAMINER JONES: Did you want to --
20 Ms. Moss to talk on the record about her -- you
21 mentioned earlier that she --

22 EXAMINER WADE: I don't think -- let's get
23 through this case -- this portion of the case today
24 before we start talking about the second case.

25 EXAMINER JONES: Oh, I didn't know you were

1 talking about the second case.

2 Okay. Let's go. Let's forge ahead here.

3 Mr. Brooks.

4 MR. BROOKS: Okay. Thank you.

5 Q. (BY MR. BROOKS) Mr. Goetze, we meet again.

6 And I want to go back to Exhibit 3D to ask
7 you one question. You told me that the proposed Bobcat
8 well is located on -- you attempted to locate it on this
9 map, and there was some -- a little miscommunication.
10 Did you refresh your recollection about that subject
11 during the break?

12 A. Yes. I went back and looked at the sources
13 with regards to the wells referenced in both cross
14 sections. It was -- finding that my location should be
15 to the east of the W.G. Joiner No. 2 in the upper Hiss D
16 to D cross section, and the same well, the Skelly
17 Company No. 2 W.T. Joyner in the lower INTERA cross
18 section. These are both the same wells, and they should
19 be -- the well -- the Maralo Sholes B No. 2 should be
20 located to the east of these -- of these specific wells.

21 Q. Yes. And these wells are -- then does that put
22 these wells east of the high point of the -- of the more
23 right high point of the Capitan Reef as shown on
24 Exhibit -- the Capitan Aquifer as shown on Exhibit 3D?

25 A. It puts it in the proximity of the peak for the

1 projection for the Hiss cross section.

2 Q. Thank you.

3 Now, let's go back to Exhibit 5. And I
4 think you discussed that fairly thoroughly, but I'd ask
5 you to look -- do you have the Applicant's exhibits up
6 there?

7 A. Yes, I do.

8 Q. Okay. I would like you to look at 1G.

9 A. That would be Chart A.

10 Q. It's titled "Chart A" at the top, "Sholes B 25
11 Water and Gas Production versus Maralo Sholes SWD."

12 A. Yes, sir.

13 Q. Okay. This -- in addition to -- there's some
14 information on Exhibit 1G -- Applicant's Exhibit 1G that
15 does not show on OCD Exhibit 5, but some of the
16 information is the same curves that are shown on OCD
17 Exhibit 5; is it not?

18 A. Yes, sir.

19 Q. Now, which of the curves shown on Exhibit 1G
20 are equivalent to which curves shown on Exhibit 5 -- OCD
21 Exhibit 5?

22 A. I believe they have shown a curve in blue --
23 light blue, which is referred to as the uncorrected
24 water production for the Sholes B 25 well.

25 Q. And that is the same curve as which curve on

1 **OCD Exhibit 5?**

2 A. It's the dark blue on Exhibit Number 5 by
3 Division.

4 Q. Okay. And there is a dark blue or perhaps a
5 purple curve on Exhibit 1G?

6 A. Yes.

7 Q. What does that correspond to?

8 A. That is the Maralo Sholes injection rates.

9 Q. Okay. Now, the red curve on Exhibit --
10 Applicant's Exhibit 1G and the dashed red line are not
11 equivalent to anything on OCD Exhibit 5?

12 A. That is correct.

13 Q. Do you recall Mr. Kronkosky's testimony -- I
14 believe it was he -- about the reporting errors that
15 were allegedly corrected?

16 A. Yes, sir.

17 Q. But this -- is this purple line on -- or I
18 mean -- I'm sorry -- this blue line on -- the purple
19 line on Applicant's Exhibit 1G, is that the corrected
20 figures, or is that the same figures you used?

21 A. The uncorrected for June, July, August still
22 appears to be what I have plotted. The second peak for
23 December 2016 and November 2016 have been modified to
24 show a nominal volume near zero.

25 Q. They show an actual -- there is something here

1 that says "actual," right?

2 A. Correct.

3 Q. But the diamond -- the blue diamonds are not
4 plotted on the graph, are they?

5 A. No, they are not.

6 Q. They just say that these are corrected. I
7 should say allegedly corrected because -- well, let me
8 put it this way: When an operator reports production,
9 do we at the OCD have any way to determine if they
10 reported correctly?

11 A. No. Under our rules, the operator's
12 responsible for providing information specific for that
13 well.

14 Q. And if they file an amendment to their reports,
15 do we have any way of determining which, if either, is
16 correct?

17 A. I'm not aware of it at this current time.

18 Q. So you mentioned conclusions that appeared
19 reasonable based on what appeared in the OCD records at
20 the time?

21 A. That is correct.

22 Q. And if there were changes made -- well, first
23 of all, have you looked at the OCD's records to see if,
24 in fact, changes have been incorporated into the OCD's
25 records?

1 A. They have.

2 Q. But would you know -- would you know which are
3 correct of either --

4 A. No. I would be using the information that was
5 current at the time of the assessment.

6 Q. Okay. Thank you.

7 Let me go on to Exhibit Number 6. What is
8 Exhibit Number 6?

9 A. Exhibit 6 are two water sample analyses
10 provided for -- one for the Bobcat and its application.
11 The second one was the water sample provided for the
12 Maralo Sholes B No. 2 well. The copy of the Maralo
13 Sholes water sample was included in its original C-108
14 application for this well.

15 Q. What does this exhibit show about the proposed
16 well?

17 A. That the concentrations of total dissolved
18 solids would be significantly higher than was previously
19 injected with the prior operation. The prior operation
20 being the approved SWD Order for the Maralo Sholes,
21 which was to be in support of production primarily from
22 the Applicant's well in the Jalmat Field.

23 Q. What TDS does Exhibit 6 predict with the
24 injected water in the Bobcat?

25 A. Based upon what was submitted, they are looking

1 at a TDS of 140,543 milligrams per liter.

2 Q. What was the TDS -- what TDS information do you
3 have about the injectate prior to the time that OWL
4 became operator of the well -- the Maralo Sholes well?

5 A. Based upon the original application, we had a
6 range going from 75,000 to 5,000, based upon 114 wells
7 that Fulfer has under -- as operator. The primary TDS
8 level would have been represented by the Seven Rivers
9 and Queen production, which would have been 8,200 to
10 5,000 TDS.

11 Q. The idea that the TDS will be much higher would
12 be consistent with -- would that be consistent with the
13 testimony of the first witness, that OWL will be piping
14 in water from outside this immediate area?

15 A. That is correct.

16 Q. Is there anything else significant about
17 Exhibit Number 6?

18 A. Not that I'm aware of at this point.

19 Q. All right. Exhibit Number 6 has two pages. Is
20 there anything significant on the second page?

21 A. That's the -- that's the sample that was
22 submitted for the Sholes.

23 Q. Is this from the original application for the
24 Maralo Sholes well? Is that what you're telling me?

25 A. That's correct.

1 Q. Now, on the lower table here, there is a column
2 entitled "TDS Milligrams Per Liter." What does that
3 represent?

4 A. Well, those were the samples that were used for
5 the application, the description of the source waters or
6 the produced water to be injected.

7 Q. The source water. Not water on location?

8 A. No. This is not a measurement of the formation
9 water.

10 Q. Okay. Okay. Thank you.

11 Well, this may still have some
12 significance. They represent -- they represent that a
13 measurement was taken from the Seven Rivers' waters -- I
14 assume water extracted from the Seven Rivers?

15 A. These wells that are in close proximity to the
16 Maralo Sholes, so they would be representative of
17 discrete samples from the Seven Rivers as well as the --

18 Q. And they represented the TDS from the Seven
19 Rivers to be 8,200, correct?

20 A. Yes, sir.

21 Q. And 8,200 is less than 10,000?

22 A. Yes, sir.

23 MR. MOELLENBERG: Could I just clarify who
24 the "they" is? We have a couple different Applicants
25 here, I believe.

1 MR. BROOKS: Yeah.

2 Q. (BY MR. BROOKS) This was not OWL. This was --

3 A. This was Fulfer Oil & Cattle.

4 Q. And Fulfer was the party that originally
5 applied for the saltwater disposal permit for the Maralo
6 Sholes No. -- well, whatever it is. I think there is
7 only one Maralo Sholes, right?

8 A. They were the original applicant and did
9 receive the designation as operator.

10 Q. Okay. Thank you.

11 Now, at the time that we were talking about
12 wells, one of the wells we talked about is the Maralo
13 Sholes -- well, it's when I was pointing out the
14 location of the wells that was going to be talked about
15 later. I'm talking about the Maralo Sholes -- no. One
16 of them was the Sholes B 25 No. 1. Now, we talked about
17 that, did we not, with Exhibit 5, right?

18 A. Yes, sir.

19 Q. Was the other one the Sholes B 30 Well No. 1?

20 A. Yes, sir.

21 Q. Is Exhibit 7 for the Sholes B 30 No. 1?

22 A. This is a copy of the well diagram as provided
23 by the Applicant.

24 Q. And is this well within the half-mile area of
25 review of the proposed Bobcat well?

1 A. Yes, sir.

2 **Q. What does Exhibit 7 tell you about the Sholes B**
3 **31 [sic] No. 1?**

4 A. The Applicant provided what is probably the
5 only information available on this well, as doing a
6 search in the -- through an outside vendor, in this case
7 his. It has provided a well diagram that is based upon
8 that information. It is very limited. And with that,
9 we have no information -- this well is plugged and
10 abandoned, but we have no information how these plugs
11 were set and what methods were used.

12 **Q. Is there any information in the remaining pages**
13 **of Exhibit 7 that's relevant to that subject?**

14 A. The only other aspect of this is with the
15 reported volumes, that the cement was calculated to have
16 circulated to surface. Other than that, we have just
17 depths -- setting depths and volumes of cement for
18 setting casing.

19 **Q. Now, when it says "calculated," what exactly**
20 **does that mean?**

21 A. In order to establish what portion of the
22 casing has been cemented over, a scientist or an
23 applicant will calculate how much volume of cement based
24 upon reported quantities of sacks with particular
25 conditions and will provide an estimate as to where the

1 top of cement will be.

2 Q. Does that indicate that anybody actually went
3 to the well and saw that it was cemented to surface?

4 A. Based upon the information, we would not have
5 any indications that it was observed as circulated to
6 surface.

7 Q. When was this well plugged and abandoned? I'm
8 talking about the Sholes B No. 30.

9 A. Based upon the report --

10 Q. I believe there is a date on page 2.

11 A. -- August 20th, 1948.

12 Q. Okay. To give some perspective on that, I was
13 born on March 14th, 1948, so that kind of concludes this
14 is an old well.

15 A. This is correct, sir.

16 Q. The casing setting depths and cement sacks
17 appear on what page of this report?

18 A. In the ISH report, it is on the last page. It
19 is highlighted in yellow.

20 Q. Okay. Thank you.

21 Now, in connection with this well that you
22 suggested that we -- proposed that we offer the Dennis
23 Powers article that is Exhibit 8?

24 A. That's correct.

25 Q. Now, is this article a source that an expert

1 witness would rely on -- or an expert in the practice of
2 his profession would rely on as establishing something
3 of importance?

4 A. Yes, sir.

5 Q. What does this -- what's the subject of this
6 paper, Exhibit 8?

7 A. It is a paper done by Dr. Powers related to the
8 formation of sinkholes in this area. It discusses
9 several locations. The one in particular in his
10 discussion is in reference to the Jal Water System Well
11 No. 2.

12 Q. Where is that well in relation to the subject
13 wells?

14 A. It is north in the abandoned Jal water well
15 field.

16 Q. Okay. If you go back to Exhibit Number 2, is
17 it --

18 A. Exhibit Number 4.

19 Q. It's shown on Exhibit Number 4.

20 Okay. Can you point everyone to where it
21 is on Exhibit Number 4?

22 A. It is in the center north or center top, the
23 blue circle. Within that is a highlighted box with the
24 well name and the API number, along with the dot
25 representing its location.

1 Q. That being the Jal Water System No. 2, right?

2 A. Yes, sir.

3 Q. Okay. And what is significant about Powers'
4 observations as it relates to the Sholes B Well No. --
5 whatever -- 2?

6 A. In his discussion of sinkhole formations, this
7 well had a particular event with a sinkhole forming
8 adjacent to it.

9 Q. Hold on. Let me interrupt you. I said Sholes
10 B 30 No. 2. It's the Sholes B 30 No. 1, correct?

11 A. Yes, that's correct.

12 Q. Okay. Go ahead with what you were saying?

13 A. Basically referencing to this article by
14 Dr. Powers showing that there's been concern with
15 improper cementing of wells and with it comes a higher
16 risk of formation and dissolution communication up the
17 annular space of casing with improper cementing. And
18 his suggestion was correlation, that the source of
19 dissolution was injection associated with possibly
20 waterflood with pressure in the Capitan.

21 Q. Injection into this particular --

22 A. No. This is not --

23 Q. -- well or injection in the general area?

24 A. Injection in the general area.

25 Q. Based on your examination of Exhibits 7 and 8,

1 would you have an opinion as to whether or not it would
2 be prudent to require this well to be replugged if we
3 were to permit a high-volume injection well in that
4 radius?

5 A. It has been a policy of OCD where we have
6 situations like this associated with commercial
7 injection and not having a rate limited, as would be in
8 a waterflood, that wells such as this, where we don't
9 have any information, at least be required to re-enter
10 and ensure proper plugging.

11 Q. Does the fact that sinkholes -- that a sinkhole
12 has occurred in an old well that was apparently
13 improperly plugged indicate that that policy ought to be
14 followed in this case?

15 A. It is what we recommend, especially since our
16 underground drinking water aquifers are at shallow
17 depth.

18 Q. Let me ask you to look now at Exhibit Number 9.
19 Now, this is an opinion or order written by the
20 Honorable William Jones, correct?

21 A. That's correct, sir.

22 Q. And what conclusions did Mr. Jones come to --
23 well, what was this case about, first off?

24 A. This case was an application for a disposal
25 well with the same interval for injection. It was

1 designated the Johnny East SWD No. 1. It is located
2 approximately three miles northwest of the present
3 application.

4 **Q. Back to Exhibit Number 4, can you show us where**
5 **the proposed well was located?**

6 A. It is located on the figure -- on the map
7 approximately halfway down. It is highlighted by a red
8 triangle.

9 **Q. And it's within a blue ellipse?**

10 A. No. It's stand-alone. It's the Johnny East
11 SWD.

12 **Q. Okay. And what was decided in this case?**

13 A. In this case the well was protested by an
14 operator in the area. It made a protest based on the
15 adverse effects to existing disposal and the location of
16 the proposed disposal well would be within the Capitan
17 Reef Complex.

18 **Q. You said adverse effects on existing**
19 **disposal --**

20 A. I mean -- excuse me -- existing production.

21 **Q. Oh. That's what I was thinking.**

22 **Okay. And what was the decision?**

23 A. The Division concluded -- let's see -- that
24 "the oil and gas reserves from the Yates Formation could
25 be threatened by allowing commercial disposal of

1 wastewater into the proposed disposal well," that "the
2 nearest existing well within this Yates Formation are
3 almost depleted; however potentially may still exist in
4 this shallow reservoir for increased density or
5 delineation drilling and those wells would be relatively
6 inexpensive to drill." And with that and consideration
7 that it gave to the potential for impacting the reef, it
8 denied the application.

9 **Q. Okay. Usually we don't site precedence through**
10 **a witness -- through a sponsoring witness, but that was**
11 **in this notebook, and there's one other in this**
12 **notebook. So I'm going to present these two in that**
13 **manner, since there's been no objection to it so far.**

14 **The next one is Exhibit Number 10.**

15 A. Number 10 represents a case involving an
16 application for disposal which took a more direct path
17 into the Capitan, and we actually sited it as an
18 interval for which injection should occur for a disposal
19 well, in this case a commercial disposal well.

20 **Q. Now, this was to be in the Capitan?**

21 A. Yes, sir.

22 **Q. Now, Exhibit Number 9, Order Number R-14034 was**
23 **not in the Capitan?**

24 A. That's correct. That would have been Seven
25 Rivers-Yates, comparable to what we're seeing in today's

1 application.

2 Q. And Exhibit Number 10 is Order R-9913. And you
3 said this was to be for disposal of the Capitan?

4 A. That's correct.

5 Q. And this was written by Michael E. Stogner, one
6 of the famous examiners. What was -- what was the
7 situation in Case Number 10693 that's the subject of
8 Order R-9913?

9 A. Basically, what we're seeing in this, there was
10 a model done. This started the model of not having
11 enough field verification information. However, the
12 main item is the fact that the injection was denied into
13 the reef due to its classification or consideration that
14 it still is an underground source of drinking water and
15 that if Applicant wished to proceed with doing this type
16 of application, that the path would have been through
17 the Exempt Aquifer Program.

18 Q. Very good. Thank you.

19 MR. BROOKS: And, again, although these
20 orders were sponsored by a witness, I will ask that the
21 Division consider them as precedent to the extent our
22 Division orders are so considered.

23 Q. (BY MR. BROOKS) Now, let us look at Division
24 Exhibit 11. Is that a report that you wrote?

25 A. That is the March 15th, 2017 report that I

1 wrote that's been entered several times.

2 Q. And this Division Exhibit Number 11 does not
3 appear to include any figures or tables or exhibits.

4 A. No, it does not.

5 Q. Did the Applicant enter a copy of the same
6 report with the attached exhibits yesterday?

7 A. I am not aware.

8 MS. CHAVEZ: (Indicating.)

9 THE WITNESS: They may have.

10 MR. BROOKS: May I ask the Applicant,
11 because if it's already in evidence, I don't need to
12 find it?

13 MR. MOELLENBERG: It's in evidence. And
14 yeah, I think it's the complete report with the
15 attachment.

16 MR. BROOKS: That was my recollection. So
17 I will go on.

18 Q. (BY MR. BROOKS) Is there anything -- Exhibit
19 Number 11 is already in evidence. Is there anything you
20 would like to emphasize?

21 A. The only thing I would like to emphasize is
22 that with the origins for the investigation, we did
23 receive three other applications from OWL for doing
24 commercial disposal in the same area of the current
25 application. With that, as a technical reviewer, I felt

1 that it was one of the decision-making elements that
2 said that the current Bobcat application should go
3 through a hearing process based upon the potential there
4 may be additional requests for new wells in the area.

5 **Q. Was the case originally filed as an**
6 **administrative application?**

7 A. Yes, sir.

8 **Q. And you recommended to the Director, based on**
9 **your review of it, that it be sent to hearing?**

10 A. Yes, sir.

11 **Q. Thank you.**

12 **Let's go on, then, to Exhibit Number 12.**

13 A. Exhibit Number 12 is, again, just a highlight
14 of the Hiss Ph.D. thesis that was done on the Capitan
15 Aquifer. It has been referenced many times. I included
16 the equivalent information that has already been
17 discussed. I did highlight the fact that we do have
18 communication between the Capitan and Seven Rivers
19 Formation, as observed in a test done -- or observations
20 done by Hiss during preparation of his thesis, and also
21 included the information regarding the permit to the
22 south, the Hendrick Field, around Kermit.

23 **Q. Is Mr. Hiss' thesis a reference for which**
24 **experts in your field would reasonably rely on the work?**

25 A. It has been the strength of most of the

1 discussion here today.

2 Q. I've heard a lot about it -- about Mr. Hiss.
3 He has been mentioned many times both yesterday and
4 today, right?

5 A. Yes, sir.

6 Q. Is there anything else you want to say about
7 Exhibit Number 12?

8 A. Nothing else other than that.

9 Q. Okay. Now, Exhibit Number 13, when was this
10 exhibit prepared?

11 A. Upon receipt of the Daniel B. Stephens report
12 and model done for the proposed injection of the Bobcat
13 well, I took a look at the results of the injection
14 model and plotted out certain items from it.

15 Q. Okay. What is the solid yellow line -- yellow
16 circle? What does that depict?

17 A. I took the projections provided for the second
18 layer for the 20-year simulated injection, and I divided
19 it up, basically, using the yellow -- the 82 --
20 actually, just outside, the 70,000 to 125,000 milligram
21 per liter, and then the exterior for the 30,000 to
22 40,000 milligrams per liter TDS lines. Having taken
23 that, I projected it onto an area photograph base for
24 the layer two only and plotted out the area of influence
25 based on what I would have assumed would have been

1 impact from the injection using the model as a basis.

2 MS. MOSS: Excuse me. We don't seem to
3 have that exhibit, which makes it difficult for us to --

4 THE WITNESS: I gave her a copy. There is
5 one up front.

6 MS. MOSS: Right here?

7 THE WITNESS: Yeah.

8 MS. MOSS: Thank you.

9 Q. (BY MR. BROOKS) Would you explain which of the
10 lines that are superimposed on this map has -- indicates
11 what?

12 A. The solid circle is the one-half-mile radius
13 area of review that is mandatory under our agreement
14 with the EPA. With that, the dashed yellow line is the
15 best approximate limit for the 70,000 milligrams per
16 liter TDS. The outer white being the limit of the 30
17 gram or 30,000 milligram per liter TDS.

18 Q. Now, Mr. Blandford testified for a 20-year
19 production life and a 40-year dispersal. Which map of
20 Mr. Blandford's is this based on?

21 A. This is only the 20-year.

22 Q. So it does show the farther extent that would
23 occur after production was stopped, according to
24 Mr. Blandford's model?

25 A. We stayed with the most conservative and most

1 representative of the business model, which would have
2 been 20 years of injection.

3 Q. Based on Exhibit Number 13 and your experience
4 as a reviewer or a technical reviewer for saltwater
5 disposal applications, would you -- in light of
6 Mr. Blandford's testimony, would you recommend a wider
7 investigation of the area of review versus the standard
8 half mile?

9 A. Based on the 70-gram yellow line, there would
10 be 24 wells, which seven are producers and 17 are
11 plugged and abandoned. If we go out to the 30 gram, the
12 white line, we have an additional 25 wells of which five
13 are producers and 20 are plugged and abandoned. So
14 we're looking at a total of 49 wells that would not be
15 considered using the one-half mile, and, therefore, yes,
16 I would recommend a greater area of review.

17 Q. Would you consider that to be prudent as a
18 matter of Division review of this application?

19 A. It would be prudent. Yes, sir.

20 Q. Yeah. Thank you.

21 I want to ask you -- this is kind of
22 diverging from the exhibits, but I want to ask you a
23 question about the 20-year-life assumption. Do we have
24 a lot of -- do we have wells -- saltwater disposal wells
25 that have been permitted well before 1997?

1 A. Currently, I'm looking at Order R-2, which is
2 still active from, I believe, back in 1950s, early '51,
3 '52.

4 **Q. Are there a substantial number of wells that**
5 **are injecting that have lives in excess of 20 years?**

6 A. There are a significant population of wells
7 that are greater than 20 years.

8 **Q. Are there wells in this area greater than 20**
9 **years?**

10 A. Based upon, I believe -- if you were to look at
11 just the order numbers, the Sholes B No. 2 being 513, is
12 a very low number, and then, of course, the Guttman
13 [phonetic], having a hearing order of 3604, these would
14 be fairly early.

15 **Q. Now, based on the frequency of longer-producing**
16 **wells, would you think it might be prudent to assume a**
17 **longer injection life in order to create a valid**
18 **dispersal?**

19 A. With consideration given to the ability of
20 whatever reservoir you're injecting into, it has been my
21 experience that injection literally goes to the point
22 where you are reaching the maximum injection pressure,
23 which typically is the formation parting pressure.

24 **Q. And as the injection pressure increases, does**
25 **that increase the -- in a reservoir like this, where**

1 you're injecting initially at low pressure, does that
2 increase the dispersal?

3 A. That, I could not -- I would not dare to
4 venture. But I would say that given the observations of
5 the well's operation, it has only been within the last
6 two years any reported pressure has occurred, and then
7 previous injection at high volumes were reported as
8 zero.

9 Q. Thank you.

10 Let's take a look at Exhibit Number 14.
11 That is your resume, and I'm going to offer that, but I
12 think we talked about it enough.

13 Exhibit Number 15, I will reserve until
14 Mr. Land testifies, if he does.

15 Now, Mr. Goetze, is there anything more
16 that you would like to say that you have developed in
17 these exhibits that are relevant to this permit
18 application?

19 A. Well, I think what we've seen here is we've
20 reached somewhat of a milestone in this area. We have
21 interconnected with the Capitan the shallower Yates and
22 Seven Rivers. Our concern at the Division is if we have
23 issues with correlative rights, we need to address them
24 and the impacts, and if communication with the Capitan,
25 that the exempt aquifer opportunity is there. But we

1 have here quite a conundrum with the aspect of increased
2 use of this area for shallow disposal.

3 Q. Now, someone -- one of the other witnesses
4 testified that the Yates-Seven Rivers was a great place
5 to dispose of, right?

6 A. Yes, sir.

7 Q. You remember that.

8 Has the Yates-Seven Rivers itself ever been
9 designated as an exempt aquifer?

10 A. No, sir.

11 Q. Has the Capitan Reef ever been designated or
12 any part of it -- any specific part of it ever been
13 exempt -- designated as an exempt aquifer?

14 A. No, sir.

15 Q. What procedure has the Division followed in the
16 past when they have had an opportunity or have felt it
17 necessary to decide whether or not an aquifer or a part
18 thereof was exempt?

19 A. Primarily, in a situation like this, even
20 though -- and we've had the discussion about this. The
21 Seven Rivers and Yates are producers. And even though
22 they are below the 10,000, it is our primacy agreement
23 that we consider them oil and gas producers.

24 The Capitan, which has been recognized and
25 is well documented, has a very strong database for areas

1 from the recharge all the way around through the Pecos
2 to the Hobbs outflow. This portion of it is somewhat of
3 a diversity. It has very high water TDS. We've
4 demonstrated that in testimony. We still have some
5 historical information from Hiss that would suggest that
6 there are influxes or holdings of protectable waters.
7 In that case, if the Capitan were to be impacted, that
8 through the process of defining an exempted aquifer,
9 they would go ahead and provide a method to set aside
10 any protection that would be required as an underground
11 source of drinking water.

12 **Q. What procedure would be used to do that?**

13 A. Typically, with the current two underground
14 exempted aquifers, it would be through a hearing
15 process.

16 **Q. Okay. Would that hearing process involve any**
17 **particular parameters, testimony about the aquifer?**

18 A. It would involve information that was presented
19 today probably and a delineation of what is going to be
20 exempted.

21 **Q. And what do you mean by delineation?**

22 A. That at least some area has to -- you have to
23 draw a square around what you're calling your exempted
24 aquifer.

25 **Q. In other words, this would differ from merely**

1 permitting one well. It would require determining the
2 parameters of the aquifer itself -- of the exempted
3 portion of the aquifer?

4 A. That's correct, sir.

5 Q. The boundaries --

6 A. Correct, sir.

7 Q. -- of the exempted portion of the aquifer?

8 Thank you.

9 Mr. Goetze, are Exhibits -- were
10 Exhibits -- oh, I'm sorry. I'm forgetting Exhibit
11 Number 16 here. I skipped over 15. I'm going to go on
12 to Exhibit 16. What is Exhibit 16?

13 A. It is a well list that you compiled to show the
14 producers within one-half mile -- or one mile.

15 Q. One mile, right.

16 A. Okay. Of the proposed disposal well.

17 Q. Now, is this from the OCD's record -- online
18 records?

19 A. Yeah, it is.

20 Q. And is anything added?

21 A. Well, what you definitely see is the presence
22 on the Jalmat, the existing pool in this area.

23 Q. And that information is in the computer records
24 of the OCD, is it not, if not the same page?

25 A. It is publicly available.

1 Q. Okay. This doesn't give any other information
2 except just identifying what wells are now purported to
3 be producing, right?

4 A. That's correct.

5 Q. Okay. Now, Mr. Goetze, Exhibits 1 through 14
6 and 16, were those exhibits either -- either prepared by
7 you, compiled by you from OCD records or compiled by
8 persons working with you from OCD records?

9 A. That is correct.

10 Q. And I think I've asked this, about specific
11 articles, but any published materials that are included
12 in here, are they of such a nature that a person in your
13 profession would reasonably rely on in your work?

14 A. That is correct.

15 Q. Very good.

16 MR. BRUCE: Mr. Examiner, I am going to
17 offer OCD Exhibits 1 through 14 and 16, and with that,
18 I'll pass the witness.

19 EXAMINER JONES: Objection?

20 MR. MOELLENBERG: No objections.

21 EXAMINER JONES: No objection?

22 MS. MOSS: No objection.

23 MR. NEWELL: No objection.

24 EXAMINER JONES: Exhibits 1 through 14 and
25 Exhibit 16 are admitted.

1 (OCD Exhibit Numbers 1 through 14 and 16
2 are offered and admitted into evidence.)

3 EXAMINER JONES: Mr. Moellenberg?

4 MR. MOELLENBERG: Mr. Hearing Examiner, if
5 it would work for you, I would propose that Ms. Moss go
6 first, based on the alignment of the parties, and then I
7 can follow up with that.

8 EXAMINER JONES: That makes -- please.

9 MS. MOSS: Are we discussing
10 cross-examination?

11 EXAMINER JONES: You can ask him.

12 MR. MOELLENBERG: I'm suggesting you do
13 cross-examination first, if you're inclined to do so.
14 Otherwise, I can go.

15 MS. MOSS: Thank you.

16 MR. BROOKS: I'm sure Mr. Moellenberg would
17 be happy to change places with you.

18 MR. MOELLENBERG: Yeah. Sure.

19 MS. MOSS: Oh, no, I'm just fine.

20 CROSS-EXAMINATION

21 BY MS. MOSS:

22 Q. I would appreciate looking at Exhibit 5 with
23 you for a minute.

24 A. Yes, ma'am.

25 Q. And I'd just ask: What was the time lag

1 between increasing disposal rate between 1/1/2015 and
2 the increase of water production in the Sholes B 25 No.
3 1 well?

4 A. Well, what we're seeing here would be, I would
5 say, 11/2014 and then to 5/2015. So it would be around
6 six months.

7 Q. And would that timeline be the same between the
8 lag between the second --

9 A. The second event?

10 Q. Yeah, which is 5/1/2016, increase of water
11 production in the Sholes B 25 No. 1.

12 A. We would see a period of 5/1/2016 to 10/2016,
13 so five months.

14 Q. And can you tell me what the timelines
15 demonstrate?

16 A. That would also support a symmetry in response
17 by showing the arrival of water as a result of injection
18 and the production of that water at the well.

19 Q. And has this affected correlative rights?

20 A. This would be an indication that it has
21 affected production, which would be a requirement for us
22 under the Oil and Gas Act to respond to.

23 Q. Thank you.

24 MS. MOSS: That's all the questions I have.

25 EXAMINER JONES: Mr. Newell?

CROSS-EXAMINATION

BY MR. NEWELL:

Q. Looking at that same Exhibit 5, did you find any other explanation, other than the influence of the produced water, on the water production in the Sholes B 25 No. 1 well?

A. I looked at adjacent wells as far as injection. Again, this was the only well with a continuous reporting over this period of time, plus the prior history. It would indicate -- and this is what caught my eye -- that this would be an impact associated with injection.

Q. Let me ask you to look at Exhibit 10, please, and I'll ask you to look at the third page of Exhibit 10, beginning with finding number nine.

A. Finding number nine, "The Capitan Reef."

Q. Yeah. I believe you answered this question under direct examination about whether the Capitan Reef had been exempted, and your testimony was consistent with the prior findings; is that correct?

A. It is not, at this point, an exempted aquifer.

Q. Okay. And then would you look at finding number ten? It indicates fresh water in the Capitan Reef to the west of the proposed location, and it also indicates, I believe, fresh water areas, I believe,

1 somewhere in areas in and around -- or to the east of
2 this location.

3 A. The last sentence says, "There is also fresh
4 water in the Capitan Reef starting 18 to 20 miles
5 southeast of the proposed injection location and
6 continuing into the State of Texas."

7 Q. Yeah, that's it. So do you know what area
8 they're making reference to there? It appears by the
9 language, it would start in New Mexico and continue into
10 Texas on the eastern portion of the reef, correct?

11 A. Yes. I would assume it's referring to the Hiss
12 map.

13 Q. And it also, on number 12, continues,
14 "significant withdrawals of water from the Capitan Reef
15 from the fresh water portions west and southeast of the
16 proposed injection location"; is that correct?

17 A. That's correct.

18 Q. And then let me ask you to look at Exhibit
19 Number 11, and I'll ask you to look at page 5 of 9.
20 Actually, go to the bottom of page 4 of 9, with the
21 sentence in paragraph number two of the Conclusions that
22 begins "The current well construction is in violation of
23 Rule 19.15.16.10(A) NMAC and, we continued disposal
24 operation, increased risk for impacts to USDWs if this
25 situation is not addressed." Do you see that?

1 A. Yes, sir.

2 **Q. What violations are there that they're making**
3 **reference to and what type of risk are they identifying**
4 **there?**

5 A. This is the subject matter of the associated
6 case with this. This case -- in this case, the Maralo
7 Sholes, upon review of the casing, we found that the
8 intermediate casing was only mudded in, and, therefore,
9 we had open annulus exposing a segment which contained
10 both the Rustler Formation and the Dockum, which in this
11 case is Santa Rosa, which has been the target of
12 development in this area for -- for drinking water.

13 It is our intention to require that this be
14 sealed off in order to maintain the quality of the
15 interval and also meet our requirements of sealing off
16 the strata.

17 **Q. Okay. And then if you look at the next**
18 **paragraph, the last sentence, which states, "This model**
19 **would favor a migration of the disposal fluids towards**
20 **the lithostratigraphic boundary of the Seven Rivers**
21 **Formation and the Capitan Reef, as presented in cross**
22 **sections by Kronkosky (2017) and Hiss (1976), with the**
23 **opportunity to impact the Capitan Reef Aquifer." Do you**
24 **see that?**

25 A. Yes, sir.

1 Q. Is there any reason why the proposed well
2 wouldn't face the same risk as that identified in that
3 model?

4 A. Well, it depends on what faith you put the
5 model on, but this is an opinion I came to.

6 Q. And it's an opinion you developed based on your
7 professional background and experience and the facts you
8 had available, correct?

9 A. Correct.

10 Q. And are you stating all of your opinions to a
11 reasonable probability based on the scientific research
12 in your field?

13 A. Yes, sir.

14 Q. Okay. Now, let me ask you to look at -- I
15 believe it's Exhibit Number 12, and I believe this is a
16 report done by William Louis Hiss. And you've
17 identified and highlighted some portions in this. And
18 I'll ask you to begin with the portion you highlighted
19 on page 301.

20 A. Yes, sir.

21 Q. Okay.

22 A. Basically, the only thing I was doing here is
23 bringing it back to the basics that there is
24 communication.

25 Q. Sure. And that's what you're trying to

1 identify, communication between the Seven Rivers
2 Formation and the Capitan Aquifer, correct?

3 A. Yes, sir.

4 Q. Then let me ask you to look at the next portion
5 you've highlighted, which I believe -- excuse me -- is
6 on page 332.

7 A. Yes, sir.

8 Q. Basically, there it's identifying that the
9 water quality is basically the same. And to me I read
10 that to suggest that there is a great deal of
11 communication there. Is that what I'm understanding?
12 Am I reading that correctly?

13 A. That is what Hiss put in his thesis.

14 Q. Okay. And I believe his conclusion was,
15 "Therefore, most of the water produced from the Seven
16 Rivers and Yates Formations in this field can be
17 considered as having been produced from the Capitan
18 Aquifer." Do you see that?

19 A. Yes, sir.

20 Q. Do you concur with that?

21 A. I would not know in the Hendrick Field that --
22 I would certainly have to take a closer look.

23 Q. Are you aware of any substantive distinctions
24 in this area between the Jalmat Field and the Hendrick
25 Field?

1 A. There are other fields along the well. But
2 there are oil producers along that side, the back reef
3 side, a very prolific producer.

4 Q. Okay. Now, I did some addition, I think, based
5 on your Exhibit Number 2, and if I'm correct in my math,
6 it looks like the amount of fluids that have been
7 injected from those seven injection wells that you
8 identified in Exhibit Number 2 have a cumulative total
9 of 85,448,769 barrels of produced water.

10 Did you hear anything in the modeling that
11 was presented by Applicant which suggests they took into
12 account over 85 million barrels of water that's already
13 been introduced into this formation?

14 A. I'm not aware of any calibration based upon
15 that.

16 Q. Okay. And then let me make sure I understand,
17 on Exhibit 5, the peak -- it looked like monthly
18 production on the Maralo Sholes No. 2 was in excess of
19 42,000 barrels of water per day; is that correct?

20 A. That's correct.

21 Q. And has the Applicant, anywhere in this
22 material, applied to inject 42,000 barrels of water per
23 day?

24 A. No, not in the Bobcat.

25 Q. And I believe the explanation from Mr. Johnson,

1 when he testified yesterday morning, was the fact that
2 they were drilling the Bobcat to basically replace the
3 Maralo Sholes; that's why it needed to be on this
4 location, to accommodate their existing infrastructure.
5 Is that what you understood?

6 A. That is what I believe was the original
7 application purpose.

8 Q. Okay. Do you know whether or not -- whether
9 the Bobcat well will accommodate 42,000 barrels of water
10 being injected per day?

11 A. That is the reason for the injectivity test.

12 Q. Okay. And we heard the discussion of the
13 modeling this morning, which indicated that the modeling
14 assumption was 25,000 barrels a day, correct?

15 A. That's correct.

16 Q. Would you look at Exhibit Number 4? And I want
17 to call your attention to the graph on the top right,
18 and I want to see if I understand this. Does this
19 suggest there is some type of recharge or increase in
20 the amount of water that's being measured in the diagram
21 or the chart that's reflected on Exhibit Number 4 in the
22 top left-hand corner?

23 A. The figure in Division Exhibit Number 4, the
24 two graphs on the right side are for the Jal Unit No. 1.
25 The upper graph is the most recent water level

1 measurements at the time of the chart's preparation,
2 which shows water is increasing, with the depth of water
3 decreasing from approximately 400 feet up to about 378
4 feet.

5 Q. Okay. And has it been your -- have you heard
6 testimony that suggests that areas where there is
7 recharge in the Capitan Aquifer are areas that seem to
8 be most appropriate for drinking water? Have you heard
9 that?

10 A. Would you repeat that question again?

11 Q. Sure.

12 The areas where there is recharge, whether
13 it be Fort Stockton or the area over by Carlsbad or the
14 other areas, that seems to be the areas that seem to be
15 most receptive to having drinking water quality water,
16 correct?

17 A. Correct.

18 Q. Okay. Do you have any reason to explain the
19 recharge or the increase in water levels that are
20 occurring here that's reflected in your exhibit?

21 A. Currently, the Division is undergoing a review
22 of existing disposal wells related to the Capitan. A
23 study done in 2009 identified over 250 points of
24 injection which has the possibility for communication.
25 So we have some thoughts on that.

1 MR. NEWELL: Pass the witness.

2 EXAMINER JONES: Before Mr. Moellenberg
3 begins cross-examination, we'll take a ten-minute break.

4 (Recess, 2:49 p.m. to 3:03 p.m.)

5 EXAMINER JONES: Okay. Back on the record.

6 MR. MOELLENBERG: Thank you, Mr. Hearing
7 Examiner.

8 CROSS-EXAMINATION

9 BY MR. MOELLENBERG:

10 Q. Good Afternoon, Mr. Goetze.

11 A. Good afternoon.

12 Q. I'm going to try to go through your exhibits
13 more or less in the same order that Mr. Brooks did. I
14 don't believe I have any questions on Exhibit 2. I do
15 have a question on Exhibit 2.

16 There was some mention earlier in the
17 testimony of this case, and I -- I -- if I recall
18 correctly, you have, essentially, sat through the entire
19 hearing; is that right?

20 A. Yes, sir.

21 Q. About an injection well known as Jal North, is
22 that shown on the map?

23 A. Jal North is probably on Figure 4, and it
24 probably is one of the two wells up near the Johnny East
25 SWD.

1 Q. So that would perhaps be off of the map that's
2 shown in Exhibit 2 if --

3 A. Yes, sir.

4 Q. Yeah. Okay.

5 But that's your understanding of the
6 location of Jal North?

7 And just to make sure we're talking about
8 the same well, that's a Devonian injection well?

9 A. Oh, no. There is also a Jal well that is Yates
10 injection, too.

11 Q. Okay. Are you familiar with the Jal North well
12 that's a Devonian -- a recently constructed Devonian
13 injection well?

14 A. Yes, sir.

15 Q. Okay. And have you taken a look at the OCD
16 records regarding the efforts to successfully operate
17 that well and inject into it?

18 A. I have not reviewed its historical aspects.

19 Q. And this would be very recent. This is a new
20 well.

21 A. Yes, I understand.

22 Q. Very well.

23 A. I have the API number.

24 Q. But you haven't reviewed that?

25 A. No, sir.

1 Q. So you're not really familiar with what's going
2 on with that well?

3 A. My understanding is it did not live up to
4 expectations.

5 Q. Okay. With regard to your -- in connection
6 with your Exhibit 3, you discussed the -- you stated in
7 your March 15 report regarding preferential flow to the
8 north. Do you recall that?

9 A. Yes, sir.

10 Q. Did your evaluation of that -- well, first of
11 all, did you do any kind of quantitative analysis with
12 respect to that, or is that just based on your view of
13 the available geologic information?

14 A. As in numerical modeling or --

15 Q. Or any other kind of calculation.

16 A. Calculation as in cross sections or --

17 Q. Oh, possibly cross sections. What I'm trying
18 to get to is if there is a preferential flow, the
19 relative of that compared to the general flow direction.

20 A. No. I did not do anything to that depth.

21 Q. Okay. So in other words, in your view of
22 preferential flow, that perhaps could be a possibility,
23 but you haven't really evaluated how far, how fast?

24 A. No, sir.

25 Q. Okay. Thank you.

1 And, of course, Mr. Blandford's model --
2 and I know you didn't comment a lot on that, but it
3 does -- it would contain that kind of analysis, correct?

4 A. Assuming all the variables are correct, yes, it
5 would provide another alternative which is very
6 acceptable.

7 Q. Okay. Turning to Division Exhibit 4 -- I need
8 the other map -- you indicated that this was an exhibit
9 that was presented in your March 15th report, but you
10 made a couple of changes; is that right?

11 A. Yes, sir.

12 Q. And one of those -- and just so we're clear,
13 you removed the municipal designation of the wells that
14 were part of the Jal Water System, and there's no
15 disagreement right now that those are not and never have
16 been municipal wells?

17 A. That is correct. That was a misconception on
18 my part. When Skelly made its application through the
19 APDs, our WSW designations were not in place at that
20 time. And in their application, they threw out the
21 suggestion that it may possibly be a source of water for
22 Jal, but it never has been a municipal.

23 Q. Very good. Thank you.

24 And I think the other change that you
25 mentioned was adding the Ochoa Mine water well field?

1 A. Correct, sir.

2 Q. And if I recall correctly, you said you didn't
3 know whether the Ochoa Mine has even been constructed or
4 whether it's in operation or is actually using that
5 water supply?

6 A. At this time I would say that Ochoa is not on
7 line or doing production. I know there is an
8 application which is over its shaft or its decline, so
9 we are still very much at the initial phases.

10 Q. Okay. Turning to Division Exhibit Number 5,
11 this graph, as I recall, was also in your March 15th
12 report; is that right?

13 A. This is correct.

14 Q. Have you updated or made any changes to this
15 graph since it was presented in the March 15th report?

16 A. I added at least up till May 1st, 2017
17 reporting.

18 Q. Okay. So just adding -- adding those plots?

19 A. Correct, sir.

20 Q. And other than extending the timeline, you
21 haven't made any other changes since your March 15th
22 report?

23 A. Well, I will take that back. This is a
24 combination of the two graphs that were in my March 16th
25 report.

1 Q. Okay.

2 A. So I had taken the water production from the B
3 25 well and overlaid it with the injection from the
4 Maralo Sholes wells.

5 Q. Okay. And I think you, during your direct
6 examination, acknowledged that -- that there have been
7 corrected reports filed regarding the produced water
8 production from the Sholes B 25 well?

9 A. Yes, sir. They have been filed.

10 Q. So they're there. You haven't plotted those
11 here, right?

12 A. It was plotted on your -- on your applications,
13 you know, so --

14 Q. On Mr. Kronkosky's graph?

15 A. Yes.

16 Q. And if I understand your view of that issue,
17 you've got an earlier report, you've got a later
18 corrected report. And from your point of view or
19 policy, you don't break the tie? You don't have any
20 particular preference or view as to which one of those
21 is right; is that correct?

22 A. I would say that based upon the earlier
23 reports, that it is worth the effort to further
24 investigate so that we meet our obligation under the Oil
25 and Gas Act to ensure that we are not impacting the

1 Jalmat Pool.

2 Q. Yeah. And that may be -- had gone a little
3 further than I was talking about. I was really trying
4 to get to what is the -- you know, what is -- what is
5 the data point.

6 Have you reviewed and considered
7 Mr. Kronkosky's evaluation of that data?

8 A. Yes, I have.

9 Q. Okay. Do you have any views one way or the
10 other of whether it's correct or incorrect?

11 A. It is his opinion based upon what he sees in
12 his information. Again, it is valid, but at the same
13 time, I'm also obligated to take a look at what he's
14 reported and, with that, advise that we do have to at
15 least look in the area with the proposed activity and
16 whether it will impact existing production in the
17 Jalmat.

18 Q. But as to which of the data points are correct
19 or incorrect, you have done no evaluation yourself of
20 that; is that correct?

21 A. Other than moving the graph around -- this is
22 one of our dilemmas of being the receivers of
23 information. This was initially provided, and I assume
24 when an operator makes his submittal, that it is
25 accurate. So if it is such that the secondary one is --

1 the second information is corrected, then I have no way
2 of knowing.

3 Q. You have no way of knowing, but you would
4 acknowledge that operators do make errors in their
5 reports from time to time; is that right?

6 A. I would say more than time to time.

7 Q. If the Hearing Examiners were to agree that the
8 data that you're showing on your graph is reported in
9 error and if you were, in fact, yourself to consider
10 that, would that affect your conclusion that injection
11 at higher levels from the Sholes wells is showing up as
12 produced water in the Sholes B 25 No. 1 well?

13 A. Well, I would offer my opinion, and I'll leave
14 the Examiners to make their own decisions on the weight
15 of the evidence provided.

16 Q. Turning to Division Exhibit 6 and particularly
17 the second page of that exhibit, I think you mentioned
18 that -- and this shows up in the red box that you
19 have -- that there is a TDS level for the Seven Rivers
20 shown there as 8,200; is that correct?

21 A. Correct, sir.

22 Q. If you look up above, there's -- in the top
23 table, in the second line, there's another line
24 identified as "7 Rivers." Do you see that?

25 A. Yes, sir.

1 Q. There are some additional values in there. One
2 of those is for chloride. Do you see that?

3 A. Yes, sir.

4 Q. If I'm reading that correctly, it says 8,460.
5 Do you read it the same?

6 A. Yes, sir.

7 Q. And to the right of that, there is a separate
8 number for sulfates of, looks like, 3,080. Would you
9 agree?

10 A. That's correct.

11 Q. Aren't chlorides and sulfates typically
12 components, in fact, separate components of the total
13 dissolved solids?

14 A. That is correct.

15 Q. Is it, within your knowledge, possible to have
16 a total dissolved solids value of 8,200 if the chlorides
17 value was 8,460 for the same sample at the same
18 location?

19 A. I could not make any opinion without a
20 methodology or a standard method deviation plot, which
21 would come along with such a report. And so in my
22 some-odd years of doing this, we would have to see which
23 component in this way -- which analyte [sic] method had
24 the greater degree of accuracy. So at this point, what
25 I have is an assay, and we don't know the true

1 calibration or the accuracy of the analysis.

2 Q. And that would -- I guess from that standpoint,
3 what you're saying -- and tell me if I'm interpreting it
4 right. You're just taking this data -- these numbers at
5 face value. You haven't done any assessment of which of
6 these numbers may be correct or incorrect?

7 A. This is the total sum of the analytical report
8 submitted in the application just as the analytical
9 report provided with Bobcat does not provide any QAQC
10 nor chain of custody nor sampling plan.

11 Q. There was some discussion earlier in this
12 hearing that there is a general rule of thumb that total
13 dissolved solids may be on the order of double the
14 chloride values. Do you recall that?

15 A. Correct.

16 Q. Have you analyzed or heard of that?

17 A. Yes, I have.

18 Q. And if one were to utilize that rule of thumb,
19 then the chloride level using the value in the upper
20 table, the total dissolved solids method would be
21 considerably higher than 10,000; is that right?

22 A. That would be right. But my TDS was reported
23 to me, and that was the basis of my decision, by the
24 Applicant. So --

25 Q. I do not believe I have any questions on

1 **Exhibit 7.**

2 With respect to Division Exhibit 8, if I
3 recall correctly, you related that exhibit just to the
4 Sholes B 30 well that's discussed in Exhibit 7; is that
5 right?

6 A. It is a direct literature reference to what may
7 possibly happen.

8 Q. Have you investigated the geology in the
9 vicinity of the Sholes B 30 Well No. 1 discussed in
10 Exhibit 7?

11 A. Yes.

12 Q. And did you have any information indicating
13 that the geology in the vicinity of that well is similar
14 to the geology discussed in Division Exhibit 8?

15 A. Division Exhibit 8 is a well completed much
16 deeper into the Capitan, and the Sholes well is
17 certainly shallower in the Yates. My attempt is only to
18 show that we do have a history of concern with regards
19 to how a well is submitted and the potential movement of
20 water upwards.

21 Q. Fair enough.

22 And as it relates to Division Exhibit 8,
23 would you agree that the incident that's discussed in
24 there, that the site-specific geology around that well
25 and other site-specific factors around that well are

1 pertinent to consideration of whether such an event
2 might happen at another well?

3 A. It always is, the geology, as well as well
4 integrity.

5 Q. So let's turn to Division Exhibit 9. I would
6 like you to turn to finding number -- I guess it's
7 stated as Division conclusion number 12. And read the
8 first sentence of that conclusion to me.

9 A. "Despite the testimony related to hydrology,
10 there were no witnesses on either side that were
11 qualified as hydrologists."

12 Q. So if I read that and sort of the rest of that
13 conclusion, it sounds like from that case that folks
14 threw out some literature or publications relating to
15 area geology or hydrology, but there really wasn't a
16 qualified hydrologist to evaluate that information,
17 right?

18 A. That's correct.

19 Q. And in this proceeding, to the contrary, we
20 have had witnesses qualified as hydrologists, correct?

21 A. That's correct.

22 Q. And those witnesses have investigated this
23 particular area and the site-specific hydrology, as well
24 as geology in great detail. Do you agree with that?

25 A. Yes. But my intent with this order was to

1 bring forth the potential of production even in this
2 portion of the Jalmat, which was a strong portion or 50
3 percent of this case.

4 Q. So you're talking about the oil and gas
5 production in the Jalmat reservoir?

6 A. Correct, sir.

7 Q. That really was your point with this?

8 A. Yes, sir.

9 Q. Okay. Very good.

10 So turning, then, to Division Exhibit 10,
11 if I recall your testimony correctly, this is another
12 denied application, but that the proposed injection
13 addressed in this case would have resulted in injection
14 into the Capitan Reef Aquifer; is that right?

15 A. The Applicant did make an application for
16 direct injection into the Capitan.

17 Q. And looking at the finding of page 6, would you
18 read the first sentence there?

19 A. "The Division has not allowed injection into
20 the Capitan Reef up to this point in time because of the
21 concern for protection of the fresh water in the reef."

22 Q. And would you agree with me that in the case of
23 the application we're considering in this case, there is
24 no proposal to inject into the Capitan Reef Aquifer?

25 A. There is no proposal, but I still have

1 communication between the proposed injection interval
2 and the reef.

3 Q. In your evaluation of that potential
4 communication, have you considered the head difference
5 between the Capitan Reef Aquifer and the head at the
6 location of the proposed Bobcat well?

7 A. I did not construct a -- metric map of the reef
8 in this area, but it is something that was brought
9 forward in this discussion and in the modeling.

10 Q. Very good.

11 So I take it from that that the analysis
12 you've done to date does not consider that difference in
13 head?

14 A. Not at this point, no, sir.

15 Q. So let me go to Division Exhibit 11, which is
16 your March 15th report. Now, this report actually
17 relates to the Maralo Sholes B Well No. 2 that is the
18 existing injection well that OWL is operating, right?

19 A. Correct.

20 Q. But that said, I think it's fairly well
21 established in this hearing that the conditions that
22 we're talking about are -- should be very similar with
23 respect to the existing well versus the well proposed in
24 the application we're considering now, right?

25 A. You would assume that it would be, but if you

1 look at the Brown No. 5 to the northwest of this, it
2 has -- it's very tight, and as a result, last month, we
3 only put in zero barrels. So there is an influence.

4 Q. You never know until you drill?

5 A. Yes, sir.

6 Q. So your report indicates that this issue was
7 brought to your attention as a result of a letter from
8 the City of Jal dated April 28th, 2016; is that right?

9 A. That is correct. That was one of the items.

10 Q. The second item you mentioned -- I think you
11 mentioned this earlier in your testimony -- was three
12 other applications for injection wells submitted by OWL,
13 right?

14 A. Yes, sir.

15 Q. And if I understand correctly, the Division
16 denied the approval of those three applications
17 administratively. So at this point, I guess to speak a
18 little loosely, they're off the table?

19 A. No, sir. What it indicated is that the -- what
20 was provided in a standard application was not adequate
21 to make a decision. And so realizing the complexity of
22 the area and realizing the scale of the project,
23 something like this would not be handled properly with
24 just an administrative order.

25 Q. Fair enough.

1 And I guess my point is OWL's going to have
2 to re-initiate an application process of some sort if it
3 wishes to pursue those three wells?

4 A. Yes. They would have to re-apply, sir.

5 Q. And the third reason you mention here is a
6 request by EPA to review current oil and gas injection
7 activities; is that right?

8 A. Yes, sir.

9 Q. I think you mentioned under direct examination
10 that the Division has identified something like 215
11 injection wells that -- I'm not sure. I don't recall
12 exactly how you characterized it, but it may need some
13 further review or investigation. Is that how you stated
14 that, or --

15 A. Yes, sir.

16 Q. Please correct me if I'm wrong.

17 A. No. In 2009, RESPEC, a consulting firm,
18 plotted all the wells in the area along the Capitan and
19 gave us a list which showed a projection that should be
20 further reviewed as far as depth to see if they were or
21 related to the Capitan.

22 Q. Okay. So -- and I may have had the dates
23 wrong. If that was in 2009, that would not have been a
24 part of this -- or have been prompted by this August
25 2016 EPA letter?

1 A. The response was in October 24th, 2016, is when
2 I composed a letter and sent it to the EPA. And the
3 request came August 31st, 2016.

4 **Q. Right. Right.**

5 **I'm a little confused. I don't know. Do**
6 **we have the letter that you're talking about in October**
7 **of 2016?**

8 A. That is on the Web site. It is under UIC
9 Permit Number 1.

10 **Q. Okay.**

11 A. So it is available, along with all the other
12 supporting data.

13 **Q. But that's not -- that's not in this record at**
14 **this point?**

15 A. No.

16 **Q. And I don't know that it needs to be. I'm not**
17 **suggesting that either.**

18 **So with regard to that particular EPA**
19 **request, are you reviewing a great number of wells or a**
20 **few wells, or how are you dealing with that particular**
21 **EPA request?**

22 A. We are trying to go through the list. We have
23 chosen wells that have easier information. Not only do
24 we have, for instance, plotted wells, in certain cases,
25 I've shown, with review of the logs, we are injecting in

1 Delaware, not in Capitan, so they're taken off the list.
 2 There are other wells that are associated with
 3 waterflood, which can be assessed and evaluated based on
 4 the performance of the waterflood. And then there are
 5 those which are disposal wells, which will probably
 6 require a little more work.

7 **Q. Okay. And in that answer, you referred to a**
 8 **list. What list are you referring to there?**

9 A. That would have been -- there was a list of at
 10 least 30-some-odd wells that were identified with high
 11 probability of injection. Again, that came out of the
 12 2009 RESPEC report.

13 **Q. And those 30 wells, is that a list OCD prepared**
 14 **or a list EPA prepared?**

15 A. It is a list that a consultant prepared and
 16 that we identified a potential and, therefore, took
 17 their recommendation to further review.

18 **Q. Okay. And that would -- that was a consultant**
 19 **working for OCD?**

20 A. That's correct.

21 **Q. Is the Maralo Sholes B No. 2 on that list?**

22 A. Yes, sir, it is.

23 **Q. And that's the list of the 250 or the list of**
 24 **the 30?**

25 A. It is the list of 30.

1 Q. So jumping back to the letter from the City of
2 Jal, following OCD's receipt of that letter, the
3 Division sent a letter to OWL requesting testing of the
4 Maralo Sholes B well; is that right?

5 A. Correct.

6 Q. And your March 15th report talks about the
7 injection surveys. As I understand it, there were a
8 couple of efforts of that. But the injection surveys
9 were conducted, it looks like, pretty much in the second
10 half of 2016, correct?

11 A. Correct.

12 Q. And in your March 15th report, you concluded
13 that based off those surveys, the injection fluids are
14 entering the correct interval, correct?

15 A. That's correct.

16 Q. And you also concluded that the survey results
17 indicate no vertical migration of the disposal fluids to
18 shallower formations; is that correct?

19 A. That's correct.

20 Q. Your report also discusses some changes in
21 water elevations in the Capitan Reef Aquifer; is that
22 right?

23 A. Yes, sir.

24 Q. And as I understand your report, it suggests
25 that a source of changing water levels in the Capitan

1 **Reef Aquifer may be from injection activity in the area;**
2 **is that right?**

3 A. It may be injection related to disposal. Yes.

4 **Q. But would you agree with me that there are a**
5 **number of factors that can influence changes in water**
6 **levels in an aquifer?**

7 A. Oh, this is no simple model. This is -- I am
8 looking at it from the side of the regulator. And with
9 the concerns with the Capitan, if nothing else, we would
10 like to go through our own house and see if it is such
11 that we are contributing to an elevation change, as well
12 as a water-quality change.

13 **Q. And another factor that can affect changes in**
14 **water levels in an aquifer is changes in pumping rates**
15 **from that aquifer over time, right?**

16 A. There are many sources, including pumping
17 rates. Yes.

18 **Q. Okay. And you mentioned this is a complex**
19 **model. Are you thinking of sort of a conceptual model**
20 **of how this aquifer works, or are you thinking of some**
21 **other model?**

22 A. Well, conceptual is just in my head because I'm
23 not a modeler. I'm just making observations and then
24 responding to those observations.

25 **Q. So you have not run any model of --**

1 A. No, sir. We do not have enough money to run a
2 model, let alone have a modeler.

3 **Q. That would be a big model.**

4 A. No. This is why we rely on industry and
5 universities and associated observations to provide us
6 with this type of information.

7 **Q. Now, your March 15th report has some statements**
8 **in it that suggests that the City of Jal is looking to**
9 **the Capitan Reef Aquifer as a potential water supply.**
10 **What was the source of your information?**

11 A. It was the Souder, Miller.

12 **Q. There's been some testimony here which you**
13 **probably heard that the Souder, Miller report uses**
14 **terminology of the Capitan Basin versus the Capitan Reef**
15 **Aquifer. Do you recall that?**

16 A. Yes. The OSC designation as opposed to the
17 Hiss aquifer, yes.

18 **Q. And have you considered that, or have you**
19 **re-read the Souder, Miller report since you've received**
20 **that information to see if it actually talks about the**
21 **Capitan Reef Aquifer versus the Capitan Basin?**

22 A. In the chart, I saw Capitan as being a unit to
23 be considered along with Santa Rosa. So I may have
24 misinterpreted, but my memory is I have not looked at
25 it.

1 **Q. Okay.**

2 MR. MOELLENBERG: I may be close to
3 finished here, but if I might have just a few moments.

4 EXAMINER JONES: Sure.

5 (Pause in proceedings, 3:42 p.m. to 3:43
6 p.m.)

7 MR. MOELLENBERG: I believe I'm finished.

8 EXAMINER JONES: Okay.

9 Mr. Brooks, any redirect?

10 MR. BROOKS: I think not. Thank you.

11 EXAMINER WADE: I may have a couple of
12 questions.

13 CROSS-EXAMINATION

14 BY EXAMINER WADE:

15 **Q. If you could turn to your OCD Exhibit 13.**

16 MR. NEWELL: Was that 13?

17 EXAMINER WADE: 13.

18 THE WITNESS: Yes, sir.

19 MR. BROOKS: OCD Exhibit 13?

20 EXAMINER WADE: That's correct.

21 **Q. (BY EXAMINER WADE) I guess I want to explore**
22 **more what the purpose of this exhibit was to show --**

23 A. Basically, if the model is valid and you do
24 have migration to the east as indicated by the model,
25 then you're going to have an area of influence in the

1 Jalmat, which includes both production and
2 plugged-and-abandoned wells.

3 With our issues regarding the Oil and Gas
4 Act, with correlative rights and protection of
5 resources, you also have a consideration that our area
6 of review for wells is very limited compared to what was
7 predicted as a model of influence. So what we have
8 here -- and many of these wells date back to the '30s.
9 Some of them have been shot with nitroglycerin. Some of
10 them have used used casing. They have cementing that
11 predates any API standard. Though Halliburton methods
12 were used, we do have a situation of irregular well
13 integrity based upon what's available in the well
14 information.

15 Q. So this is more -- is it correct that it's more
16 an issue of correlative rights within a producing zone
17 than the separate issue of interaction between the
18 Capitan Reef?

19 A. Yes.

20 Q. Okay. So the smaller yellow circle represents
21 the half-mile area of review?

22 A. Correct, sir.

23 Q. And you heard earlier that the Hearing
24 Examiners would like notice to go out to more of a mile
25 review for the proposed well?

1 A. Uh-huh.

2 Q. What distance does the dashed yellow and the
3 dashed white represent from the well? Could you
4 estimate that?

5 A. Well, it was a rough estimation based upon a
6 small figure projected up, but we're looking at
7 something of approximately 1.2 miles from the well to
8 the most eastern for the 20-year plot on the second
9 layer, which is the most -- the greatest area.

10 Q. And do you have any idea of how many wells, I
11 guess of any type, producing, plugged and abandoned,
12 disposal, production, that are within the greater area
13 of possibly being affected?

14 A. That's 49 wells identified.

15 Q. Now, you made a direct comparison between the
16 Maralo Sholes and the Sholes B 25 Well No. 1 because of
17 some information that you saw. Did you make a direct
18 comparison between any of the other wells that are in
19 what you are demonstrating as the potentially affected
20 area in Exhibit Number 13 and the Maralo Sholes?

21 A. No, I did not, because of our protocol required
22 us to only consider a one-half mile radius.

23 Q. So you just stuck with the rule provided?

24 A. Well, yes, because at this point, that would be
25 the only thing we could be responsible for.

1 Q. Did I hear you suggest that an alternative to
2 considering, basically, a well-by-well application for
3 disposal into this area, that it would be more
4 appropriate to have a broader discussion of an exempted
5 aquifer?

6 A. That is the potential.

7 Q. And what do you see as being the boundaries of
8 that exempted aquifer?

9 A. I would not even dare to make a conjecture on
10 it. We have historical information. We have very
11 limited water sampling at this point for -- if you just
12 looked at the two townships, and that would be 102 -- in
13 172 square miles, you have three water samples, maybe
14 four. It is -- it's one of these things that would
15 require an effort that currently is not accustomed to
16 doing a C-108 application, and, therefore, it would take
17 a greater effort.

18 Q. It sounds like it would take a very big effort.

19 A. Both -- both exempted aquifers that we had were
20 very limited. One in the Entrada was based upon a
21 stratigraphic limitation. Therefore, a boundary
22 definition was -- you were able to draw out an exempted
23 aquifer that was very specifically small. The other one
24 in the Menefee is a little bit larger, and it was done
25 based upon well information provided by the operator.

1 So it is a process.

2 Q. So am I confusing the two concepts of possible
3 correlative rights issues that you've identified in
4 Exhibit 13 with an exempted aquifer?

5 A. There are two issues to be looked at.

6 Q. They're separate issues, though?

7 A. That's correct.

8 Q. But they're related in --

9 A. In that the injection will be the driving force
10 as to what needs to be resolved.

11 Q. Okay. So you couldn't at this time really give
12 a parameter as to what an exempted aquifer that could be
13 applied for would look like? What kind of evidence
14 would you consider or want to see in an application
15 from --

16 A. That would have to be negotiated. I mean,
17 truly, in many cases, it is the applicant who comes in
18 and who typically is an operator, who provides both
19 hydrologic studies, as well as sampling information and
20 water information. Again, the scale of this is fairly
21 large depending upon what limitations can be seen. This
22 is not an easy way, but at the same time, it is
23 feasible.

24 Q. Are you also considering not only a
25 case-by-case application for individual disposal wells,

1 but also the broader idea of this area being used for
2 disposal? In other words, there would be a future
3 application; in fact, there might be three that were --
4 I didn't quite catch. There were three in your report
5 that were denied or at least not to be considered at
6 this time administratively?

7 A. There were three applications made by OWL to
8 the north, and seeing what was happening with the
9 applications and the zone selected, it was decided that
10 administrative approval would not be a proper path. So
11 looking at that each of the wells was proposed for
12 25,000 barrels per day. So you would have 100,000
13 barrels per day for a distance of less than a mile
14 apart -- well, mile and a half, I believe.

15 Q. Okay. So there's potential -- you said a mile
16 and a half. We're looking -- the OCD and particularly
17 the Hearing Examiners are looking at three potential
18 applications?

19 A. (Indicating.)

20 Q. So obviously there's a plan for development
21 within this area for disposal?

22 A. Well, there is a pressing need for disposal,
23 and at the same time, there has been hiatus in our
24 responsibilities to see what's available. At that
25 point, I would say we have here a series of applications

1 that have brought to the forefront what we've neglected
2 for some time. At the same time, applications by OWL do
3 offer the opportunity to see what a depleted reservoir
4 can do. It is a quandary.

5 **Q. So in part you're saying that the OCD hasn't**
6 **made a decision but maybe needs more information?**

7 A. I will leave that up to the discretion of the
8 Examiners.

9 EXAMINER WADE: I have no other questions.

10 CROSS-EXAMINATION

11 BY EXAMINER DAWSON:

12 **Q. Mr. Goetze, I just have a few questions.**

13 A. Yes, sir.

14 **Q. In reviewing your exhibits that you proposed,**
15 **that you presented, on Exhibit 3, I'm looking at the map**
16 **showing the structure of the Capitan Aquifer --**

17 A. Yes, sir.

18 **Q. -- the top, Figure 3A.**

19 A. Yes, sir.

20 **Q. And there is a contour in there at minus 250,**
21 **but there is really not any data point to honor that 250**
22 **contour. And that's something that the Applicant had**
23 **talked about, and they kind of felt like that 250-foot**
24 **contour should not probably be there. Are you in**
25 **agreement with that, or what are your thoughts on that?**

1 A. We have -- again, the following figure with
2 INTERA's interpretation, as well as Hiss'
3 interpretation, we rely a lot on Hiss until we find
4 something that is more defensible or presented.

5 Q. So in looking at this, I mean, and in looking
6 at those contours, those data points -- or the contours
7 that are contoured below sea level, that's the Capitan
8 Reef below sea level, correct?

9 A. That is datum from sea level. Yes.

10 Q. So would you agree, just to the south of the
11 proposed disposal well location, that there is kind of
12 an anticlinal feature or a mound in the Capitan Reef in
13 that area?

14 A. Well, that would assume that the Capitan, which
15 is a lithosome, has had some sort of folding. I would
16 not dare to venture on that at this point. It was more
17 of an erosional depositional feature.

18 Q. Okay. And then going down to the next figure,
19 Figure 3B, it seems like the Yates -- you know, they're
20 at the proposed disposal interval is -- it has a
21 chloride ion concentration of 53,000 and then 69,000
22 just to the well to the north -- or to the data point to
23 the north. So right there in the Yates in that
24 vicinity, it seems like the chloride concentrations are
25 much higher right there near the proposed saltwater

1 disposal well, correct?

2 A. Based on Hiss' information, yes.

3 Q. And then going on down to Figure 3C, the
4 isopach map is showing that the Capitan Aquifer is
5 20-foot fit roughly in that -- that area just to the
6 south of the proposed saltwater disposal?

7 A. Hundreds of feet.

8 Q. Oh, hundreds of feet. Oh, okay. So that's
9 going to be like --

10 A. 2,000.

11 Q. -- 2,000 feet thick?

12 So going to the next page on the
13 Hiss-INTERA cross sections, you said that the Capitan
14 Aquifer -- the proposed location of the well is just
15 east of the Skelly Oil W.G. Joiner No. 2 well?

16 A. That's correct.

17 Q. And so that would pretty much coincide to the
18 peak there of the aquifer, which is -- kind of coincides
19 with that mound -- or that map that we were just talking
20 about on the last page?

21 A. Yeah.

22 Q. Yeah.

23 So the vertical separation between the
24 injection interval and the top of the Capitan Reef in
25 the proposed well location is less -- probably one of

1 the least vertically separated points between the bottom
2 of the injection interval and the top of the Capitan
3 Reef. Would you agree with that statement?

4 A. It is a short distance.

5 Q. And I'm going to go on further -- go to your
6 Exhibit 5 where you plotted the injections.

7 A. Yes, sir.

8 Q. And in looking at these increased injections
9 for the Maralo Sholes B Well No. 2, it looks like the
10 water production for the Sholes B 25 Well No. 1 to the
11 north does go up drastically after they injected greater
12 amounts of water -- more water into the Maralo Sholes B
13 Well No. 2 and probably -- would you think that it's
14 going to be lagged maybe two to four months, roughly,
15 after the increased injection in the Maralo Sholes B
16 Well No. 2? It would affect those wells to the north
17 probably two to four months -- is that your estimate --
18 after?

19 A. Well, the graph would show, roughly, a
20 six-month, five-month period of lag.

21 Q. So several months after they increased the
22 injection, it would show up on some of the wells to the
23 north -- or to that well to the north, the Sholes B 25
24 Well No. 1?

25 A. Correct.

1 Q. So that just gives the water time to travel to
2 that location, correct?

3 A. It would show an influence.

4 Q. And then looking in there at their Exhibit 1,
5 the Exhibit G, Chart A --

6 A. Yes, sir.

7 Q. -- I was looking up at the top left-hand corner
8 of that, and it says, "Fulfer Oil & Cattle field
9 personnel were mistakenly reported all water contained
10 in Sholes B 25 tank battery facility as being allocated
11 to the Sholes B 25 No. 1 API number. The tank battery
12 receives and holds water production from other wells and
13 sources. Fulfer acquired the well in 2014 and has
14 operated it since that time."

15 So the operator, if they reported
16 incorrectly, they would be required by the Division to
17 amend their C-115 to reflect the proper injection,
18 correct?

19 A. Correct.

20 Q. And they have not done so, correct?

21 A. Well, they have.

22 Q. They have. Okay.

23 And you haven't -- you didn't plot that out
24 for your exhibit? I mean --

25 A. They have plotted it already.

1 **Q. Did they correct that around March of 2017?**

2 A. I don't know when they corrected it. But upon
3 visiting -- prior to hearing, I did inspect it and saw
4 the correction.

5 **Q. Okay. In your opinion, would the approval of**
6 **this injection well cause an impact on the Capitan**
7 **Aquifer beneath the proposed well location in excess of**
8 **the current 13,000 milligrams per liter TDS?**

9 A. There is no indication of vertical migration at
10 the wellhead. It's when you step away that our concern
11 gets more dramatic.

12 **Q. And in your opinion, would a cased hole versus**
13 **open-hole completion, would there be -- would it make a**
14 **difference, in your opinion, whether it was cased or**
15 **open hole?**

16 A. Not really in this interval. The competency of
17 the rock is very good. When the well was tested for a
18 second time, they did clean out the well, and it did not
19 have that much fill material in it. So it retained its
20 structure well. As far as limiting injection, that
21 would be a discussion for another -- based on another
22 type of information.

23 **Q. Okay. That's all the questions I have. Thank**
24 **you.**

25

1 CROSS-EXAMINATION

2 BY EXAMINER JONES:

3 Q. Okay. Mr. Goetze, the C-108 that you reviewed,
4 can you -- do you have any -- can you remember the issue
5 you saw with that, if any?

6 A. At that time, we had already identified the
7 Maralo Sholes in the letter in March. In response, OWL
8 made the application in an effort to replace what we had
9 cited as being a well that needed remedial action. So
10 it was in response to our activities.

11 Q. Okay. The -- the casing design for the
12 proposed well is only two strings. It looks like one
13 through the Rustler anhydrite above the salt, and then
14 the production string would be drilling, I assume, with
15 saltwater mud through the -- through the salt and down
16 into the Tansill-Yates-Seven Rivers and then setting the
17 production pipe. Is that --

18 A. No. There wouldn't be -- it would be open
19 hole, so the intermediate casing would be landed right
20 above the injection interval.

21 Q. Is that adequate, in your estimation?

22 A. It is a practical approach. There are areas
23 where there have been three strings, and there have been
24 two things that have used DV tools. At this location, I
25 have no knowledge that would indicate additional strings

1 would be required.

2 Q. They'll probably -- they'll probably almost
3 have trouble supporting, you would think, their
4 cement -- the head of the cement on the bottom of this
5 if they get into that low pressure zone at all, but
6 there is no DV tool proposed?

7 A. No. But then that's not unfound -- as you
8 know, in the application, a DV tool may be added later
9 and submitted through a C-103. So --

10 Q. Yeah. And that was --

11 Okay. And I see in the area of review,
12 there are two producing wells --

13 A. Correct.

14 Q. -- in the area of review?

15 A. Uh-huh.

16 Q. So that alone would prompt this to be bumped to
17 a hearing; is that correct?

18 A. Yes.

19 Q. Yeah.

20 And those are wells are operated by Fulfer?

21 A. Fulfer, yes, Oil & Cattle.

22 Q. But he's not here today opposing this
23 application at all?

24 A. There has been no protest from anyone.

25 Q. Did you talk to him at all on this?

1 A. No, I did not.

2 Q. Were you on the hearing for Mesquite's well
3 that was denied?

4 A. Yes. I did attend that as an Examiner.

5 Q. Okay. Do you remember Mr. Fulfer putting up a
6 spirited defense of his well in the area of review that
7 was an extremely marginal well, but he was worried
8 about --

9 A. The Applicant made a very strong presentation
10 with regards to the oil and gas potential, and so that
11 was one of the stronger points on the case. Whereas,
12 the lack of any hydrologic expertise did make that
13 argument sufficiently moot as far as claiming
14 interference with the Capitan.

15 Q. Okay. And the other -- this testimony so far
16 showed that the reef at different spots in the general
17 vicinity is -- varies a lot in the TDS. So how do we
18 reconcile that with the reef having connectivity --
19 hydrologic connectivity? Is it connected only down in
20 the lower part of the reef, or is it -- and you get up
21 on the higher parts and is it compartmentalized, or how
22 do we reconcile that?

23 A. I'm afraid what you're asking is a very
24 difficult question to provide. I mean, we have no way
25 of really, at this point, utilizing what information we

1 have to go through the list of what you think you need.
2 If it is such that a minimal amount of effort isn't
3 required, you could probably do a characterization
4 without much expenditure. But there is a requirement
5 for additional information on that scale.

6 Q. The ratio in the -- I think it was your Exhibit
7 Number 6, about the produced water analysis.

8 A. Yes, sir.

9 Q. I could be wrong, if that's not the right
10 exhibit. But it had information on chlorides versus
11 TDS --

12 A. Uh-huh.

13 Q. -- for the different formations, and for the
14 Yates-Seven Rivers -- Yates and -- maybe it was the
15 Yates and the Queen or the Yates and the Seven Rivers.

16 A. Yates and the Queen -- Seven Rivers and Queen.

17 Q. The ratio was extremely high for the chlorides
18 over the TDS. It was -- but if you look at the ratios
19 for those carbonate formations, the Devonian and the --
20 well, the carbonates look like it's more in the line of
21 one-to-one chlorides versus other ions, so the TDS is
22 almost twice what the chlorides are. So is that a
23 function of whether you're looking at carbonates versus
24 sandstones?

25 A. I would not make a correlation along that line.

1 The origin of the waters, as well as the environment
2 which they are in and how they dissolve and decay,
3 that's a whole other spectrum of expertise that I'm not
4 involved in.

5 Q. But you studied the Hiss report as it relates
6 to the connection between the waters in the Artesia
7 Group versus the reef. Was that -- was that considered
8 in that report, considering the reef as a carbonate and
9 what we're hearing today -- or during this hearing is
10 that the producing zone of the Artesia Group is
11 sandstones. So --

12 A. But yet do you have a hydrologic connection
13 between the reef and these Artesia Group, in a sense,
14 aquifers? So --

15 Q. So Hiss didn't -- Hiss concluded because of the
16 TDS relationships --

17 A. Oh, no. He had -- in his thesis, he had a well
18 to the north -- and this is a time when a notebook is a
19 good thing to have.

20 Q. I guess the gist of the question was if it was
21 related to being a sandstone versus carbonate and then
22 the reef being a carbonate versus the Artesia Group
23 being a sandstone, if you could just look at the
24 relationship of the chlorides versus the TDS to see if
25 the waters were similar -- similar origin?

1 A. Well, in his thesis, again, as we reviewed the
2 quality of water produced from nearby water fields
3 completed in the Capitan Aquifer is identical to those
4 from the Hendrick Field, the reservoir pressure in the
5 same water fields, in the Hendrick Field, are apparently
6 declining at similar rates. The bottom line being,
7 "Therefore, most of the produced water from the Seven
8 Rivers and the Yates Formations in the field can be
9 considered as been produced from the Capitan Aquifer."

10 Q. Okay. So all the water that's been removed --
11 the oil and water that's been removed from the Artesia
12 Group through production since the '20s, that --
13 Mr. Kronkosky talked about the volumes that have been
14 removed. If that volume relates to a certain pressure
15 and if that -- if disposal is allowed in this area that
16 goes back to about the similar pressures, how is that
17 going to affect the reef?

18 A. It may not.

19 Q. So it just depends on the relationship of the
20 pressure in the reef versus pressure in the Artesia
21 Group?

22 A. That's the models, which one you wish to
23 accept.

24 Q. Okay. Thank you.

25 EXAMINER WADE: So I say we wrap it up for

1 today.

2 EXAMINER JONES: Anything else for this
3 witness?

4 MR. BROOKS: Well --

5 EXAMINER JONES: We won't let him off easy.

6 MR. BROOKS: Yeah. Well, I don't really
7 have anything else for this witness.

8 I was a little puzzled as to whether the
9 8,860 or 8,460 or 8,480 in the Seven Rivers, on Exhibit
10 6, was 84 or 64, but then I usually -- when I have to
11 examine small numbers, I usually use my glasses and a
12 magnifying glass, and I don't have a magnifying glass
13 here. So I guess I'll -- the exhibits are before
14 everybody, so they can see what it is. I don't need
15 to --

16 EXAMINER JONES: Mr. Brooks, do you intend
17 to put on another witness?

18 MR. BROOKS: Let me confer with my -- with
19 Mr. Goetze for a moment, and I'll let you -- I will
20 advise you of that.

21 Can I talk to you, Mr. Goetze?

22 THE WITNESS: Can we have a five-minute
23 break?

24 EXAMINER JONES: Okay. Sure.

25 MR. MOELLENBERG: And I would add, if we

1 have a little time, if we have additional questions for
2 Mr. Kronkosky, we could probably do that. I don't think
3 we have anything else right now.

4 MR. BROOKS: Well, I think they're probably
5 thinking of adjourning if we don't put on Mr. Land.

6 EXAMINER WADE: Were you suggesting doing
7 some form of rebuttal?

8 EXAMINER JONES: Didn't you need him again?

9 MR. MOELLENBERG: Yeah. We would do
10 rebuttal, but I think the logical thing for rebuttal
11 would be after Mr. Brooks finishes with -- just offering
12 in case we wanted to use the time.

13 (Recess, 4:14 p.m. to 4:21 p.m.)

14 EXAMINER JONES: Back on the record.

15 Mr. Brooks, are you ready to rest your
16 case?

17 MR. BROOKS: Yes. Mr. Examiner, we've
18 decided not to call Dr. Land. The Division will rest.

19 EXAMINER JONES: And so we're done with two
20 of the Applicant's witnesses and one of the
21 Respondent's. And we'll begin --

22 MR. BROOKS: We have the State Land Office
23 still to present their case.

24 EXAMINER JONES: We'll begin at 9:30 --
25 approximately 9:30 on Friday morning.

1 EXAMINER WADE: Just to clarify, Mr.

2 Newell, you don't -- you don't have a case-in-chief?

3 MR. NEWELL: No. And I didn't present any
4 pretrial testimony. And I think I'm participating by
5 leave of you guys and the parties, so I appreciate that.

6 EXAMINER WADE: So what I anticipate at
7 9:30 on Friday is that we hear from the State Land
8 Office, and then we'll hear rebuttal.

9 MR. MOELLENBERG: Right.

10 EXAMINER WADE: Can we get an idea of time
11 that you think your case will go?

12 MS. MOSS: I think we'll be less than an
13 hour.

14 EXAMINER JONES: And rebuttal, do you have
15 an idea yet?

16 MR. MOELLENBERG: Yeah. Given the pace of
17 everything, I would best guess a couple of hours. It
18 might go a little longer than that. And that's kind of
19 been the thing, obviously, because more questions come
20 up.

21 EXAMINER WADE: That being said, we also
22 might have a discussion about the other compliance case
23 that was pending that was to be heard today, but it
24 sounds like we can finish on Friday.

25 EXAMINER JONES: And, Mr. Moellenberg, the

1 extra notice, we've talked about that.

2 And instead of the one-mile circle, we
3 intend to give you something in writing asking only for
4 those four sections that are surrounding the well.

5 MR. MOELLENBERG: Okay.

6 EXAMINER JONES: That makes it easier to
7 find people and ownership.

8 MR. MOELLENBERG: And I appreciate that.
9 And are we talking about now sections kind of mostly to
10 the east of the well, or are we just --

11 EXAMINER DAWSON: It will entail Sections
12 25 and 36 of 25 South, 36 East and Sections 30 and 31 of
13 25 South, 37 East.

14 EXAMINER JONES: That's correct.

15 MR. MOELLENBERG: And in essence -- so
16 that's the area.

17 And in terms of the parties that would
18 receive notice, we're not talking about surface owners?

19 EXAMINER JONES: No, no surface owners,
20 just affected parties as of Rule 26 and also --

21 MR. MOELLENBERG: So affected parties.

22 EXAMINER JONES: Yeah, affected parties.

23 MR. BROOKS: That would be, I assume, oil
24 and gas lease owners.

25 EXAMINER DAWSON: Lessees of record.

1 EXAMINER JONES: It's unleased.

2 MR. BROOKS: Well, I don't think -- the
3 term "lessees" is used in the OCD rules, and I've always
4 interpreted that to mean owners of the lease, whether
5 they be the original lessees or whether owners of record
6 title.

7 Now, if they have nothing but record
8 title -- if it's federal and they have nothing but
9 record title, probably not, probably no need to include
10 because they're really not affected. But with the state
11 leases, I would think it would include operating rights
12 and -- because operating rights owners are the
13 equivalent of working interest owners in a private
14 lease.

15 EXAMINER JONES: So if there is an active
16 well -- operator of that well for that spacing unit.

17 MR. BROOKS: Active well, or if it's a
18 secondary recovery unit, it would be on the
19 owner/operator. I don't know if there are any secondary
20 recovery units within those sections.

21 MR. MOELLENBERG: We won't know until we
22 get into it. I mean, it's an old field. It may or may
23 not be complicated.

24 MR. BROOKS: If the leases have expired,
25 under the terms of our rules, affected parties would

1 include the mineral owners. I don't know if you really
2 want to go there because -- I just don't know. That's
3 up to you. You were the one that has talked to the
4 Director.

5 EXAMINER JONES: If it's BLM and the State
6 Land Office, yes, the owners --

7 EXAMINER WADE: Well, I don't think we have
8 to make that decision. We're going to give written
9 instruction. We'll send it to all parties. It'll give
10 us time to think about what we want, and we can send
11 that out.

12 EXAMINER DAWSON: It will be spelled out in
13 the email.

14 EXAMINER JONES: The rule does say that,
15 though.

16 EXAMINER WADE: There is a definition
17 within Rule 26.

18 MR. BROOKS: There is. And I think that
19 definition definitely does include mineral owners if
20 there is no lease. In fact, of course, I would expect
21 some -- many leases in this field are probably expired,
22 but I don't know that. That's just a speculation.

23 EXAMINER JONES: They weren't in the half
24 mile according to the notice list that was provided, and
25 Mr. Pattee testified to that.

1 MR. BROOKS: I'm not raising an objection
2 because that was a matter raised by the Examiner and
3 Director.

4 EXAMINER WADE: Yeah. At this point the
5 rule's been complied with, and we're asking for
6 additional notice, and we can shave that.

7 MR. MOELLENBERG: If I can just add, once
8 we get that -- we'll get them going, and I would just
9 ask that if we come up -- you know, in the interest of
10 time and we're ahead in this proceeding, if we come up
11 with some real difficulties, perhaps we could ask for
12 some clarification or something in that regard. Would
13 that make sense?

14 EXAMINER JONES: Yes.

15 MR. MOELLENBERG: Okay.

16 EXAMINER JONES: Okay. We're adjourned
17 until Friday morning at 9:30.

18 (Recess, 4:27 p.m.)

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2017
Paul Baca Professional Court Reporters

25