

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF OWL SWD OPERATING, LLC CASE NO. 15723
FOR AUTHORIZATION TO INJECT, LEA
COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

SPECIAL EXAMINER HEARING

Friday, August 4, 2017

Volume 3

Santa Fe, New Mexico

BEFORE: WILLIAM V. JONES, CHIEF EXAMINER
 SCOTT DAWSON, TECHNICAL EXAMINER
 GABRIEL WADE, LEGAL EXAMINER

This matter came on for hearing before the
New Mexico Oil Conservation Division, William V. Jones,
Chief Examiner, Scott Dawson, Technical Examiner, and
Gabriel Wade, Legal Examiner, on Friday, August 4, 2017,
at the New Mexico Energy, Minerals and Natural Resources
Department, Wendell Chino Building, 1220 South St.
Francis Drive, Porter Hall, Room 102, Santa Fe, New
Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
 New Mexico CCR #20
 Paul Baca Professional Court Reporters
 500 4th Street, Northwest, Suite 105
 Albuquerque, New Mexico 87102
 (505) 843-9241

1 APPEARANCES

2 FOR APPLICANT OWL SWD OPERATING, INC:

3 DALVA L. MOELLENBERG, ESQ.
4 ANTHONY "T.J." J. TRUJILLO, ESQ.
5 GALLAGHER & KENNEDY, P.A.
6 1239 Paseo de Peralta
7 Santa Fe, New Mexico 87501-2758
8 (505) 982-9523
9 dlm@gknet.com

10 FOR RESPONDENT THE OIL CONSERVATION DIVISION:

11 DAVID K. BROOKS, ESQ.
12 STATE OF NEW MEXICO ENERGY, MINERALS AND NATURAL
13 RESOURCES DEPARTMENT
14 OIL CONSERVATION DIVISION
15 Office of General Counsel
16 Wendell Chino Building
17 1220 South St. Francis Drive
18 Santa Fe, New Mexico 87505
19 (505) 476-3440
20 david.brooks@state.nm.us

21 FOR RESPONDENT THE NEW MEXICO STATE LAND OFFICE:

22 KATHERINE "KITTY" MOSS, ESQ.
23 NEW MEXICO STATE LAND OFFICE
24 OFFICE OF GENERAL COUNSEL
25 301 Old Santa Fe Trail
Santa Fe, New Mexico 87501
(505) 827-5872
kmoss@slo.state.nm.us

FOR INTERESTED PARTY CITY OF JAL, NEW MEXICO:

MICHAEL T. NEWELL, ESQ.
NEWELL LAW FIRM, LLC
10 West Adams, Suite E
Lovington, New Mexico 88260
(575) 739-6375
mnewell@newellllawnm.com

1	INDEX	
2		PAGE
3	Case Number 15723 Resumed	5
4	New Mexico State Land Office's Case-in-Chief:	
5	Witnesses:	
6	Anchor Holm:	
7	Direct Examination by Ms. Moss	5
	Cross-Examination by Mr. Brooks	39
8	Cross-Examination by Mr. Newell	48
	Cross-Examination by Mr. Moellenberg	50
9	Redirect Examination by Ms. Moss	71
	Cross-Examination by Examiner Dawson	75
10	Cross-Examination by Examiner Jones	79
	Recross Examination by Examiner Dawson	89
11		
	OWL SWD Operating, LLC's Rebuttal Case:	
12	Witnesses:	
13	Thomas Neil Blandford:	
14	Direct Examination by Mr. Moellenberg	94
15	Cross-Examination by Mr. Brooks	125
	Cross-Examination by Ms. Moss	131
16	Cross-Examination by Mr. Newell	132
17	Chad E. Kronkosky:	
18	Direct Examination by Mr. Moellenberg	146
	Cross-Examination by Mr. Brooks	172
19	Cross-Examination by Mr. Newell	178
	Cross-Examination by Examiner Jones	186
20		
	NM Oil Conservation Division's Rebuttal Case:	
21	Witnesses:	
22	Phillip R. Goetze:	
23	Direct Examination by Mr. Brooks	191
	Cross-Examination by Mr. Moellenberg	194
24		
	The Division Closes	195
25	Recess/Certificate of Court Reporter	206/207

1	EXHIBITS OFFERED AND ADMITTED	
2		PAGE
3	OWL SWD Operating, LLC Exhibit Number 11	59
4	NM State Land Office Exhibit Numbers 1 through 4 and 9	75
5	OWL SWD Operating, LLC Exhibit Numbers 11 through 16	196
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (9:36 a.m.)

2 EXAMINER JONES: Let's go back on the
3 record then. This is August the 4th, 2017, and we're
4 continuing with Case Number 15723. I believe we're
5 ready for the State Land Office's case.

6 MS. MOSS: Thank you.

7 ANCHOR HOLM,
8 after having been first duly sworn under oath, was
9 questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MS. MOSS:

12 Q. Good morning.

13 A. Good morning.

14 Q. Would you state your name for the record?

15 A. My name is Anchor Holm.

16 Q. And where do you work, Mr. Holm?

17 A. I work at the State Land Office, and I live at
18 6167 Cottontail Road, Northeast, Rio Rancho, New Mexico
19 87144.

20 Q. And what do you do at the State Land Office?

21 A. I'm their geoscientist-petroleum engineering
22 specialist.

23 Q. Would you look at what is marked in our
24 exhibits as Number 9?

25 A. Number 9? Yes.

1 **Q. Can you identify that for me?**

2 A. This is my most recent curriculum vitae.

3 MS. MOSS: It's okay if I admit these at
4 the end of his testimony? Can I admit them in bulk, or
5 would you like them one at a time?

6 EXAMINER WADE: No, at the end of the
7 testimony. You can ask each -- you're talking about the
8 whole set of exhibits?

9 MS. MOSS: Yes.

10 EXAMINER WADE: Yes.

11 **Q. (BY MS. MOSS) And have you testified before the**
12 **OCD before?**

13 A. Yes, I have.

14 **Q. And when you testified before, were you found**
15 **to be an expert?**

16 A. Yes. I was found to be an expert petroleum
17 engineer, as well as a groundwater engineer.

18 MS. MOSS: At this time I'd like to qualify
19 him as an expert, Mr. Holm.

20 EXAMINER JONES: Any objection?

21 MR. BROOKS: None.

22 MR. NEWELL: I don't think so.

23 MR. MOELLENBERG: No objection.

24 EXAMINER JONES: Okay. Say again how you
25 are qualifying him?

1 MS. MOSS: As an expert petroleum engineer
2 and groundwater --

3 EXAMINER JONES: Groundwater hydrologist?

4 MS. MOSS: Yes.

5 EXAMINER JONES: He is so qualified.

6 MS. MOSS: Thank you.

7 Q. (BY MS. MOSS) Mr. Holm, would you look at
8 what's marked as Exhibit 1 in the notebook we have?

9 A. Exhibit 1 is the Resource Map Number 4 prepared
10 by Dr. Hiss back in 1975. It's entitled "Chloride-Ion
11 Concentration in Ground Water in Permian Guadalupian
12 Rocks, Southeast New Mexico and West Texas."

13 Q. And what did you find in this exhibit that you
14 used to prepare for your conclusions today?

15 A. Well, when I looked at this, this has got the
16 chloride ions, recognizing that if you double the
17 chloride ions, it'll be somewhere close to 10,000
18 milligrams per liter total dissolved solids. He does
19 have an isopleth on here that's listed as a 5. If you
20 look in the vicinity of Hobbs, just to the west of
21 Hobbs, there is a 5, and to the south of Hobbs, there is
22 a 5. Those represent 5,000 milligrams per liter
23 chloride ions. That's well back of the reef.

24 The reef is this dark gray area. It's
25 where the reef rock is located.

1 But if you follow the -- or isopleth from
2 south of Hobbs, it goes down beneath Eunice and heads
3 down and enters the state of Texas just as it enters the
4 back of the Capitan Reef rock, SP 5,000. Everything to
5 the left or west of that line, until you get to the
6 front of the Capitan Reef where the other 5 line comes
7 down, that's supposed to generally protect the water.

8 Another thing that comes across here from
9 the hydrology of the situation is, in the Carlsbad area,
10 you have the Pecos River flowing from north to south
11 into the vicinity of what's listed on this map as Lake
12 McMillan. On the east side of Lake McMillan is where
13 the Yates Formation type section is where it outcrops.
14 At that point, the Yates -- just immediately to the east
15 of Lake McMillan, the Yates has a chloride concentration
16 of 440 milligrams per liter. So that shows that that
17 area has been flushed, and any salts that were in that
18 area have been dissolved. We're talking very good
19 quality water at that point.

20 MR. BROOKS: Where is this on the map,
21 Mr. Holm?

22 THE WITNESS: Immediately to the northwest
23 of Hobbs -- or excuse me -- of Carlsbad. As you're
24 coming south on the Pecos River, the first reservoir
25 that you hit is Lake McMillan, and that's the older

1 reservoir. There are two others that have been put in
2 the system that are younger. All three of them are
3 above the City of Carlsbad and relative to the river,
4 and all three have contributed to the groundwater in
5 that area and contributing fresh water only.

6 You can see that the 5 isopleth, when it
7 enters the back portion of the reef, it only goes about
8 five, eight miles to the east, and then it comes back to
9 near the Pecos River at the -- where the Pecos River
10 departs the Capitan Reef rock. You go on down the Pecos
11 River. It comes out and again crosses over the Capitan
12 Reef. In this case the elevation of the river in that
13 area is probably somewhere between 2- and 3,000 feet,
14 probably closer to 2,000 feet, above sea level.

15 You go down to the Glass Mountains end and
16 you can -- the horseshoe that's on here, and you can see
17 that to the west of it, there is an i5 isopleth, and
18 also to the east side of there, there is also another
19 one. So this entire region has got fresh water that has
20 flushed the original seawater out. It's flushed it out,
21 and it's flowed out at underneath the City of Hobbs.
22 And that's what Dr. Hiss' study demonstrated very
23 clearly.

24 **Q. (BY MS. MOSS) Okay. Moving to Exhibit 2.**

25 A. Since this area of interest is just right north

1 of the New Mexico line with Texas, the dark gray area on
2 Exhibit Number 2 --

3 **Q. Would you just identify Exhibit Number 2?**

4 A. It's the groundwater quality in the
5 Tansill-Yates-Seven Rivers and Capitan rocks.

6 **Q. And who prepared this?**

7 A. I prepared this.

8 **Q. Please go ahead.**

9 A. I used data from Dr. Hiss. I used data from
10 the Jalmat-Tansill-Yates-Seven Rivers Field, also from
11 the Scarborough-Yates-Seven Rivers Field.

12 **Q. And what is the broken black line that runs**
13 **down the center of this?**

14 A. The broken black line separates the area --
15 gray area to the west is the Capitan Reef rock, is
16 underneath the surface there somewhere. To the east of
17 that, where it is white, the Capitan Reef is not
18 believed to exist, and I don't believe it does.

19 **Q. Okay.**

20 A. The pink dot is the proposed Bobcat SWD No. 1.
21 Of interest right away as we move half mile to the
22 north, you have a well that has chlorides, 4,824
23 milligrams per liter, total dissolved solids of 11,346.
24 This is significantly less than the original seawater
25 that was in these rocks. So this has been flushed.

1 And, in fact, it's nearly protectable water. It's
2 slightly above the 10,000 level.

3 Q. Yes.

4 A. If you move further to the northwest and you
5 encounter another well which has got 68,960 chlorides,
6 which is more than ten times what is in the well that I
7 just first discussed. It had 11,789 TDS also. Its
8 north offset well, which is less than a quarter mile
9 away, had chlorides of 182,700 and 316,728 TDS, nearly
10 three times the well of only less than a quarter mile
11 away. Moving straight north in that same section, we
12 have another well that's got 18,400 chlorides and 37,753
13 total dissolved solids. All of those are elevated well
14 above the well in Section 25 that I started with.

15 The only anomalous item is the saltwater
16 disposal water injection well to the northwest of the
17 highest concentration of chlorides and TDS. You move a
18 half mile or so to the northwest of that water injection
19 well, and you have chlorides up to 4,914, total
20 dissolved solids of 10,570, which is right at
21 protectable water. It clearly demonstrates that the
22 water injection well has affected at least three of
23 these wells negatively. In other words, they were not
24 injecting maybe the produced water. They might have
25 been bringing something from another section of the

1 Jalmat Field, but not necessarily injecting produced
2 waters from the immediate area of that water injection
3 well.

4 Moving straight north of that water
5 injection well about a mile and a half, there is another
6 well, with a yellow dot on it, chlorides 4,320, TDS,
7 9,758, protectable water in the U.S. Move east in that
8 section, at the eastern edge, chlorides 400, total
9 dissolved solids, 1,508. That's -- that's drinking
10 water. So that's definitely protectable water. So you
11 see there is quite a variety of water in that area to
12 the north.

13 Looking to the south of the Bobcat No. 1,
14 there is a well, a yellow dot, about a mile or so to the
15 south-southeast, and it has a history of water analyses,
16 the lowest of which is 1,877 chlorides, 5,800 total
17 dissolved solids. So at one point in its history, it
18 had very good water.

19 Then as the water started being degraded,
20 and it went to 4,613 milligrams per liter, chlorides,
21 9,699 TDS, which is still protectable waters. Then it
22 went up to 5,942 -- 5,947 chlorides, 12,048 total
23 dissolved solids, above the protectable limit. And it
24 also had another one that was done that was similar to
25 that. So the history in this area, there was good water

1 in the area, but for some reason it changed
2 significantly over time.

3 Looking in the vicinity, there is a
4 triangle to the east of that well about a half mile,
5 which is a water injection well. There's also another
6 triangle to the northwest about a half mile away, and
7 either one or both of those may have contributed to that
8 increase.

9 There's none located within a mile of the
10 south, except for the well near the Bennett Ranch, and
11 that well, total dissolved solids was 20,174 chlorides,
12 TDS, 5,420 total dissolved solids, which is protectable
13 waters in the U.S. so they were injecting waters, which
14 was probably leased waters, in the immediate vicinity,
15 which suggests that that entire area of that section in
16 which the Bennett Ranch headquarters is located has
17 protectable water underneath it.

18 Moving further to the south of the Bennett
19 Ranch, just a little bit to the east, chlorides are
20 3,443, protectable waters in the U.S. Moving to the
21 south of that well, we have two wells. The easternmost
22 well, it has chlorides of 2,198, 7,465 total dissolved
23 solids, protectable waters of the States.

24 Moving immediately to the west of that last
25 one, where it's a directed offset, we again have a

1 history of water analyses. At the top, they start off
2 at 4,990 chlorides, 10,693 total dissolved solids, just
3 right at the protectable water limits in that same
4 vicinity. And over time, it degraded to 10,040
5 chlorides and 18,452 total dissolved solids. So this
6 water has been affected by something over time. Since
7 it's a producing well and there is a southeast offset
8 water injection well, it has probably been affected by
9 that well, but for some reason, probably due to timing,
10 the water -- disposal well probably didn't start
11 injecting until after -- sometime after the well to the
12 north of the water injection well started. So it's
13 probably something in there.

14 If we move to the south of the Bennett
15 Ranch, now, about two miles, there is another yellow
16 dot. It has a wide range of total dissolved solids and
17 chlorides. It starts off at 251 milligrams per liter
18 chlorides, 2.707 milligrams per liter total dissolved
19 solids, which would be very good quality water. In
20 fact, 250, I think, is the limit for EPA drinking water.

21 However, the one above it is significantly
22 higher. And because there are two zeros after both of
23 those, I don't know whether there is an error in what
24 the data is, but it doesn't seem to fit anywhere along.
25 Plus, if you multiply 23,700 times two, you don't get a

1 ten-fold bigger number that was doubled. So there is
2 something wrong with that data point, but it's probably
3 not something we should rely on.

4 Moving due east from that point, about --
5 nearly five miles, there is another well in which we've
6 got chlorides of 5,082 milligrams per liter, total
7 dissolved solids, 9,254. Of all the analyses in there,
8 this one is the only one that's below the protectable
9 water limit. However, the rest of them are fairly
10 close. And this is located some two-and-half or more
11 miles back of the -- so there is some very good quality
12 water that was at that point, which is part of the
13 reason that Dr. Hiss drew his line that didn't intersect
14 the Capitan Reef until you got within a half mile of the
15 state line. So that's probably one of the points he was
16 using.

17 I believe that's all I have on that.

18 **Q. And if you take the totality -- if you take the**
19 **totality of the information that you've --**

20 A. The totality of the information shows that we
21 have a wide area along the entire length, including the
22 back reef, where you've got protectable waters that the
23 U.S. said it's been measured.

24 You also have intermittent spots of very
25 poor water, which may or may not be naturally caused.

1 Likely caused by man, is what it appears.

2 Q. Just behind this is Exhibit 2A, and would you
3 explain why that's included in Exhibit 2?

4 A. Exhibit 2A is a summary of the data that's
5 plotted on Exhibit 2.

6 Q. And Exhibit 2 --

7 A. And it shows the source, what formations were
8 involved. Start off moving from north to south, it's
9 Jalmat-Tansill-Yates-Seven Rivers until you get down to
10 the Scarborough Field.

11 Q. And 2B? Is that included?

12 A. 2B is the online data that I downloaded from
13 OCDOnline, and it's where I located the information in
14 that field. It includes the section, township and
15 range. So I was able to decipher where each one of
16 those wells was located, and I plotted it on the map,
17 and subsequently, I had that verified. I also had a
18 long-time page that has been in many saltwater disposal
19 wells showing the various water qualities and various
20 formations in the Permian Basin, and one of those is in
21 the Scarborough-Yates-Seven Rivers. And that's the one
22 that was the source of the 3,443 chlorides, milligrams
23 per liter chlorides, and they emphasize the reef on that
24 data. So I'm confident that's from the reef.

25 Q. Going to Exhibit 3, could you tell us what

1 **Exhibit 3 is, please?**

2 A. Exhibit 3 is a copy of the complete report -- I
3 believe it's complete -- of the Texas Water Development
4 Board issued September 29th -- September 2009. It was
5 prepared by four professional geologists, and they're
6 all employed at Daniel B. Stephens & Associates, I
7 believe, except for one, Mr. Steve Finch, who was
8 working for Shomaker -- John Shomaker & Associates. And
9 one was working for Charles R. Williams. In fact,
10 Charles R. Williams has his own company. That's Bar-W
11 Groundwater Exploration.

12 **Q. What does this exhibit show us?**

13 A. This exhibit really has a very detailed
14 analysis and update of what Dr. Hiss studies did back in
15 1975. So here we are 30 years later with more
16 information.

17 And the significance in here is what they
18 discovered. Looking at Figure 1, you can see the yellow
19 outline of the Capitan Reef rock and the location of
20 some mountains. Now, the reef rock and the back-reef
21 rocks were all deposited back in Permian time generally
22 at or near sea level flat. It was fairly horizontal.
23 Now, you can see there are mountains involved. What has
24 happened?

25 In the Guadalupe Mountains, they were up

1 from -- but they dip sharply down into the Permian
2 Basin. So they've been turned up like that
3 (indicating).

4 If you look at the Apache Mountains and the
5 Davis Mountains, they've been uplifted, and everything
6 goes again -- dips again directly into the Delaware
7 Basin, dipping down to the northeast. You get to the
8 Glass Mountains and you're oriented a different
9 direction, and it's dipping down to the northwest. And
10 this (indicating) -- there's also the reef at Cepco
11 [sic; phonetic] goes down to the north in the
12 subsurface.

13 You can see the -- this yellow -- or white
14 lines between Ward County and Reeves County. This is
15 where the county line has been drawn, and it was drawn
16 along the Pecos River. So it helps you to see exactly
17 where it crosses.

18 The red on this particular diagram is the
19 Capitan Reef outcrop areas, and it only outcropped in
20 the mountains. And where they affect the water quality
21 of the reef is at the mountains. That's where the
22 recharge areas are.

23 Moving to Figure Number 5, this figure says
24 "Study Area Faults" of the Capitan Reef Complex. On
25 this map, they have labeled the Border Zone Fault, which

1 is immediately to the west of the Capitan, and west end
2 of the Guadalupe Mountains. And then they show the
3 Stocks Fault, which runs along the north side of the
4 Apache Mountains and north of the Davis Mountains.
5 Those are the only two that are labeled. But there are
6 a lot of light blue lines on this, which are also minor
7 faults.

8 Moving to Figure Number 10, those faults
9 are again plotted. We're not looking at the mountains
10 anymore. We just see that we've got the faults. You
11 see there are a lot of faults that have been drawn on
12 here all in the areas of the mountains and the outcrops.
13 There are none in the subsurface drawn here because
14 these are where they were measured, and you could
15 actually see them at the surface.

16 What's the orientation of those faults?
17 Well, they generally follow the uplift trends. The
18 faults along the west side are trending northwest-
19 southeast, as are the ones across the Glass Mountains.
20 So this was all broken in a similar or the same orogeny.
21 So you've got fractures in that manner.

22 Also, on the -- where it says "B, B prime"
23 for a cross section --

24 **Q. Yes.**

25 **A. -- you've got an edge -- eastern edge of the**

1 Capitan outcrop. Some geologists have interpreted that
2 to be a fault with a major offset. Others haven't. So
3 there is a disagreement on that.

4 Q. Before you leave that, can I ask you, with that
5 B, B1, what is the line that that could hypothetically
6 run?

7 A. D, D [sic] prime is the cross section that goes
8 very, very close, if not exactly, through where the
9 Maralo Sholes B well is located and the Bobcat No. 1,
10 which is located, essentially, on the same location.

11 Q. So in your expertise, you can see a
12 relationship between the red at B, B1 and the locations
13 of the proposed saltwater disposal well?

14 A. That's right. They're many miles apart.

15 Q. I understand.

16 Now, is there a way in which the lower
17 fault area, the F, F1, also suggests a fault at D1, D?

18 A. Neither one of them directly show that.

19 Q. And how is that?

20 A. Because there are no black lines over there,
21 and there is nothing shown here that wasn't in the
22 subsurface. Everything was at surface measurement.

23 Q. Okay. And does the parallel nature of the F,
24 F1 and B, B1 emphasize the fact that the fault exists
25 below the surface?

1 A. Well, what is parallel about them is they both
2 cross the reef --

3 **Q. Yes.**

4 A. -- at right angles, so they're not exactly
5 parallel.

6 **Q. Sorry.**

7 A. But both of them go directly across the reef.
8 Whereas, B, B prime goes diagonally across the reef.

9 **Q. Thank you.**

10 A. It's the only one that goes diagonally.

11 Looking at detail on D, D prime, which is
12 Figure Number 14, this is a figure that has been
13 referred to several times by the experts here. I think
14 all of us has looked at that. And it does not show any
15 faulting on it, but it does show that the area -- Maralo
16 Sholes B well, when you correlate it to the information
17 that we have, it's somewhere near that, just to the
18 right of the wellbore that is identified as ID 267. So
19 it's not too far to the east of that. That would be
20 where it fits in. Interestingly, that's where they show
21 a high in the Capitan Reef Rock Complex, a structural
22 high.

23 **Q. Could you be more specific about how that**
24 **impacts the proposed saltwater disposal well?**

25 A. Well, the thin nature of the Artesia Group at

1 that point would suggestion that the top of the Capitan
2 may be within 100 to 300 feet of the total depth of the
3 open hole in the Maralo Sholes B No. 2.

4 **Q. Thank you.**

5 A. Moving to the F, F prime, which is down in the
6 Glass Mountains --

7 **Q. What exhibit, please?**

8 A. -- Figure 16 --

9 **Q. Thank you.**

10 A. -- it runs from northwest to southeast, but it
11 does go -- there is a transect across the reef, and you
12 can see there are a series of faults that are measured
13 in an outcrop. So down the Glass Mountains, we know it
14 has been broken quite a bit. What's the significance of
15 the faults? They're major recharge points. And, in
16 fact, many of these faults are directly connected to
17 cavernous porosity in that limestone.

18 **Q. Thank you.**

19 A. Moving off to the west in the Guadalupe
20 Mountains --

21 **Q. Can you tell me what figure?**

22 A. -- Figure Number 12, cross section B, B prime,
23 the one that crosses the reef in kind of a diagonal
24 manner, it has similar faulting, and we know the
25 recharge points there in Carlsbad Caverns, where they're

1 located. And, interestingly, Carlsbad Caverns, a
2 detailed geology of it shows that it's not only in the
3 Capitan Reef Formation, it's also in the Yates
4 Formation, which says there's hyper-permeability
5 connections in the areas of faulting.

6 Moving to Figure Number 17, which is
7 "Capitan Reef Complex Top Contours, Mapped Faults, and
8 Aquifer Extent Comparison," shows that the depth to the
9 top of the Capitan Reef is somewhere near minus 750 feet
10 below sea level. Ground surface out in this area is
11 close to 3,000 feet. So that's quite a ways below
12 ground surface.

13 You can also see on this map that it does
14 not match the contours in the vicinity of the state line
15 all the way up to Jal, that Dr. Hiss had prepared. It
16 does not have a dome in it like what was on Dr. Hiss'
17 map.

18 **Q. And what is the significance of that?**

19 A. It shows it's fairly smooth looking from the
20 state line up north.

21 **Q. Uh-huh.**

22 A. But there's also a little high area, the minus
23 750, that they've entered on the north and south end.
24 And I can't read what the other one is. It's too small
25 print for me to see. But it's not quite shaped the same

1 way --

2 Q. Okay.

3 A. -- as Dr. Hiss'.

4 Figure Number 19, I find that somewhat
5 helpful simply because they've colored the contours by a
6 modeling system, and it shows that the lowest areas,
7 approaching minus 1,500 feet, are the top surface, is
8 the redder, the bolder red. And as you get higher and
9 higher, it becomes yellow, then green and then blue at
10 the outcrop. So you see really good where the outcrops
11 are and how rapidly the dipping of the formations are
12 going down to the northeast, generally, east-northeast
13 area.

14 But this whole area (indicating), from Lea
15 County down to Central Pecos County is quite low.

16 Q. Okay.

17 A. Also this suggested fault that is along the
18 face of the Capitan Reef there in the Guadalupe
19 Mountains, you can see that it has a trend that runs off
20 to the northeast (indicating), and it crosses the reef
21 where it's kind of a bolus area, a little bit wider
22 area. And it goes from shallower down abruptly to
23 deeper. That suggests that there might be a connection
24 structurally between those two points. And that
25 particular area is located immediately to the west of

1 the City of Eunice, where we already know Dr. Hiss has
2 demonstrated that groundwater is moving to the north and
3 east behind the reef. So there may be a faulting
4 complex -- fracturing complex that's also contributing
5 to the flushing of the groundwater by what's gone on
6 here.

7 Looking down near where we are, which is
8 just slightly above the state line, there's also an area
9 that is high-low, and that's very near where the Maralo
10 Sholes B is. In fact, maybe a mile or so away from
11 that.

12 **Q. And, again, what does that high-low suggest?**

13 A. High-low is that there is a change. Abrupt
14 changes are frequently associated with faulting.

15 **Q. Thank you.**

16 A. Figure 22 is their general current groundwater
17 flow map. It's called "Regional Groundwater Flow." It
18 shows that the water flows directly from the Glass
19 Mountains north to near Winkler County and from the
20 Guadalupe Mountains underneath the Carlsbad area and
21 wraps around and departs the state of New Mexico at the
22 state line, just south of Jal. That's what it is doing
23 currently.

24 However, looking at Dr. Hiss' map, he shows
25 how, in the past, before man started playing with this

1 aquifer, it discharged both from the Glass Mountains and
2 the Guadalupe Mountains, discharged underneath Hobbs.
3 But because of the intense pumping that's gone on in the
4 Winkler County area. And that water is mostly being
5 used for waterfloods, I believe, as well as some
6 drinking water. So there is a lot of pumping that has
7 gone on in that area. And that's caused by draw-down,
8 how it's affected the flow in the aquifer.

9 Figure 23 is the gross isopach grid of
10 interbedded fine sands, silt and clay within the Capitan
11 Reef Complex. So within the reef rock itself, when you
12 move just north of the state line, you can see that
13 there is hardly any sand in the Capitan rock itself.
14 But just north of where the Maralo Sholes B cross
15 section D, D prime is, there appears to be what could be
16 interpreted as a sandy channel heading down there that
17 terminated. It terminated at that point.

18 This is from a lot of geologic analysis
19 that was done by these well-qualified professional
20 geologists.

21 **Q. Thank you.**

22 MS. MOSS: Would it be possible to take a
23 two-minute break?

24 EXAMINER JONES: Yes. Five-minute break.

25 (Recess, 10:15 a.m. to 10:27 a.m.)

1 EXAMINER JONES: All right. Let's go back
2 on the record.

3 Q. (BY MS. MOSS) So we're back on the record,
4 Mr. Holm, and can you tell me what you have in front of
5 you there?

6 A. I'm looking at the CEK Engineering report that
7 was testified to earlier, looking at Tab D. This has
8 been called both a tab or an exhibit. Tab D is a west
9 to east --

10 EXAMINER WADE: Before you continue, which
11 exhibit are you specifically referring to, what exhibit
12 number? Does it say "State Land Office Exhibit"?

13 MS. MOSS: Oh. He said OWL.

14 MR. NEWELL: Exhibit 1, Tab D.

15 THE WITNESS: The second page should say
16 "CEK Engineering."

17 EXAMINER JONES: Is it D, as in dog?

18 THE WITNESS: D, as in dog, right.

19 EXAMINER DAWSON: Oh, all right. I thought
20 you said B. All right. Perfect.

21 THE WITNESS: Again, looking at what is
22 called Tab D in Exhibit 1, it's titled "West to East
23 Structural Cross-section (Jalmat Field Fluid Contacts)."
24 It shows a series of six oil well logs that have been
25 correlated on a -- in a structural manner. It means

1 that they're set on ground level at the surface and
2 corrected to sea level.

3 So this is the current configuration of the
4 rocks at each one of those wellbores. It shows where
5 the top of Tansill, top of Yates, top of Seven Rivers
6 occurs, but it doesn't show anything below that.

7 In the small map to the south or below this
8 cross section on the left, there is a series of dots
9 which are listed as "Yates or Seven Rivers Completions,"
10 and there is a very fine line which runs from the south
11 up about three miles to a wellbore, then jogs to the
12 east, which is the Maralo Sholes B No. 2 well, I
13 believe. And then moving to the north, there's two more
14 wells it intersects, and then it moves to the west and
15 terminates.

16 **Q. (BY MS. MOSS) And what's important about that**
17 **line?**

18 A. That appears to be the schematic line here,
19 across here, but for some reason, he also has an A to A
20 prime here, which is across this area. So I think what
21 he has done is he's projected these wellbores to that,
22 but I'm not sure which one -- whether -- from this
23 detail here, he doesn't really say what that is. But
24 what I believe he's showing us is that in the area of
25 the Maralo Sholes B2, which is the middle well log, that

1 wells to the south and east of it, are all in this area
2 where you've got an orangish-brown area that is
3 considered to be -- I believe it's gas cap, although
4 it's not labeled, because he does say something about
5 original gas-oil contacts.

6 **Q. And what does that -- how does that gas cap**
7 **affect the wells?**

8 A. Well, that says that it's -- there is a closed
9 structure somewhere because the gas is trapped above the
10 oil --

11 **Q. Okay.**

12 A. -- on original conditions [sic].

13 The greenish area appears to be his oil,
14 and I'm guessing that the blue area was water, which
15 would be kind of a typical color shading that a lot of
16 people use.

17 Looking at the thickness of the
18 Tansill-Yates-Seven Rivers, the distances between the
19 top of the Tansill and the top of the Seven Rivers is
20 relatively constant in all wells on this cross section.
21 However, when you move to the left or the west of the
22 Sholes Federal B 25 No. 5 well, it drops abruptly by the
23 time it gets to the Burk Royalty Lindley No. 2 well.

24 **Q. And what does that suggest?**

25 A. That suggests that there's either been a

1 stratigraphic change, which usually is a pinch-out or
2 maybe a fault. It could be either one of those. And
3 because this occurred over a stretch of about 1,000
4 feet, plus or minus a little, chances are very good this
5 is a fracture zone and it's moved down, and it has
6 terminated the gas well.

7 **Q. I see that.**

8 A. Okay. And the well that's further to the west,
9 which appears to be in the same west half or the same
10 section, the Apollo Operating Joyner WT-Fed 2, appears
11 to be the same elevation below the other portion of the
12 cross section.

13 **Q. Uh-huh.**

14 A. So that would suggest that there is a fault
15 underneath -- across this cross section that separated
16 those two wells from the gas cap in the right half of
17 this diagram.

18 **Q. Thank you.**

19 A. That's not very far from the Maralo Sholes B
20 No. 2. Also, that might -- it might also explain why
21 there is an elongate modeling -- groundwater modeling
22 result, but I'm not sure. I don't know the details of
23 his modeling enough to tell -- tell you. I don't know
24 the structural change in his model.

25 **Q. If we go to Exhibit H of the same notebook,**

1 **Applicant's exhibits --**

2 A. H. Okay.

3 MS. MOSS: It looks like this, Scott.

4 THE WITNESS: At the top, I believe it's
5 labeled "Oilfield Water Logistics Bobcat SWD #1 Offset
6 SWD/Pressure Maintenance Permits Jalmat Oilfield." This
7 is the one in which the Skelly Jal Oilfield is
8 highlighted with pink -- with pink dots, and it's
9 located several miles to the north-northwest of the area
10 of interest in the southeast portion of Section 25,
11 which is our SWD-1127, which is Maralo Sholes B No. 2, I
12 believe. So it's several miles' distance away, but it's
13 been discussed by CEK Engineering.

14 **Q. (BY MS. MOSS) And was there something you**
15 **wanted to add to that?**

16 A. There is one data-quality point that was not
17 entered. It was for the Skelly Jal Water System Number
18 1. We have -- I found, when I researched the OSC Web
19 page and was looking at the water right that was
20 developed for this field -- water field. And in that,
21 the No. 1 had been drilled and tested, but the other
22 wells had not been drilled at that point in time.

23 **Q. And what was the quality of the water there?**

24 A. That water quality -- do you want me to go to
25 our exhibit or to the --

1 **Q. Stay with this one, please.**

2 A. Okay. The water quality was chlorides, 1,683
3 milligrams per liter; sulfates, 940 milligrams per
4 liter; bicarbonate or HCO₃, 372 milligrams per liter.
5 H₂S was present. The pH was 7, so it was a little bit
6 alkaline, but fairly close to neutral. And specific
7 gravity was 1.005, very close to that of fresh water.
8 That is water without any solids in it, which would be
9 1.0.

10 **Q. We're going to move to the next -- the Daniel**
11 **B. Stephens & Associates report. There is a Figure 8 in**
12 **there. That may be easier. It's part of Exhibit 2, I**
13 **believe, in Applicant's -- it is part of Exhibit 2 in**
14 **Applicant's exhibits.**

15 A. I'm not sure which one you're on.

16 **Q. Can you identify what this is?**

17 A. Figure Number 8. Okay. I'll take the luxury
18 of seeing -- is it the same or different than this
19 (indicating)? That is not in -- wait a minute. I'm
20 looking at the wrong report.

21 **Q. Okay. So I'm going to hand you this and you**
22 **can identify -- and take your time. It's already been**
23 **admitted, but --**

24 A. This is the one that I believe Mr. Land
25 prepared.

1 Q. Uh-huh. And it tells us -- can you tell us
2 what it tells us about the methodology that was used in
3 this report?

4 A. This shows the various layers in the
5 groundwater model and the western edge of various
6 interfaces between the back reef formations and the
7 Capitan Reef itself, the reef.

8 Q. Okay. And what is important about that?

9 A. The area that's very dark or black on this
10 black-and-white copy, that is considered to be a no-flow
11 cell, and it's actually the Capitan Reef, which has
12 permeabilities in the range of one darcy or more.

13 Q. Okay.

14 A. In other words, three to ten times more than
15 the back reef aquifers have.

16 Q. Okay. And what is the name of the methodology
17 that is used in this report?

18 A. This is a model layer system, and I believe
19 that that's -- I'm not sure what you mean by that.

20 Q. I think that there was a discussion about the
21 way the data was entered in this, which you have
22 identified but you'll have to confirm that now, as the
23 Monte Carlo method; is that correct?

24 A. We use a Monte Carlo method to estimate some of
25 his assumptions, which is a way that modelers can use

1 sometimes quite effectively to estimate what -- using
2 various other parameters as to what a certain parameter
3 should be so he reduces his error margin. So that can
4 be done, but it's only valid if you have the geology
5 right. And if you don't understand the geology, you
6 can't do a modeling --

7 **Q. Right.**

8 A. -- because you're modeling geology and the
9 permeability and porosities within it. So you've got to
10 put that all together in one chunk, and it's difficult
11 to do.

12 **Q. I have just one more in this notebook. It's**
13 **just one other exhibit that was used in the Daniel B.**
14 **Stephens model, and could you describe that, please?**

15 A. This is what's listed as his Figure Number 9.
16 It says, "Conceptual Cross Section of Model Boundary
17 Conditions." They established that there was no-flow
18 boundary at the top of layer number one. And I believe
19 as he discussed that, that was the Tansill Formation, is
20 above layer number one in this model. And layer number
21 two does not have any no-flow boundaries in the vicinity
22 of the Bobcat SWD, but it does show where the proposed
23 completion zone is. And we know that proposed
24 completion zone is the same as the Maralo Sholes B No.
25 2, and that would mean that layer number two is the --

1 the upper part of that would be the Lower Yates. The
2 bottom portion of that would be the Upper Seven Rivers.

3 Q. Okay. And is there something that you can
4 identify on the left of that figure which seems to
5 support the conclusions that you are trying to reach?

6 A. It appears that the crosshatched -- bold
7 crosshatched area would be what is called "general head
8 boundary cell" representing groundwater flow. It's a
9 boundary cell, in other words, no flow.

10 Q. Okay.

11 A. The fine crosshatch in the opposite direction
12 is general boundary cell representing horizontal ground
13 flow. So you see there are a lot of boundaries to
14 vertical flow, a few to horizontal flows.

15 Q. And how does that affect what you're looking
16 at?

17 A. It would restrict the rate that the model
18 predicts it would move -- water would move to the left.
19 There are no restrictions to the right. Except way over
20 on the eastern side, there is a head boundary cell, a
21 horizontal flow -- groundwater flow. So he's
22 arbitrarily stopped the flow to the right vertically and
23 picked various places where the vertical flow stops, and
24 the horizontal flow stops once you go to the -- as you
25 go to the left.

1 When you go below the -- into layer three,
2 it has both a horizontal and a vertical groundwater flow
3 blocks [sic] boundaries. And he has shown -- below this
4 area that's been crosshatched, he's labeled as Capitan
5 Reef, and yet there is no evidence of those boundaries.

6 **Q. Okay. Thank you.**

7 A. So this is artificial. It may significantly
8 affect his model.

9 **Q. Okay. Now, I know there's been a lot of**
10 **material that we've looked at this morning, but if you'd**
11 **like to take a moment or if there is something I've**
12 **forgotten that you would like to add, could you tell us**
13 **at this time?**

14 A. I don't believe so.

15 **Q. Okay.**

16 MS. MOSS: So if this would work, we have a
17 number of exhibits which the expert has absorbed into
18 what he's discussed, and that would be 4 -- in our
19 notebook, that would be indicated as 4 through 8, and I
20 don't intend to move to admit those. So I can leave
21 them out of the notebook or simply ask to admit 1
22 through 3 and 9.

23 EXAMINER JONES: Are we going to need to
24 ask questions about these or --

25 MS. MOSS: I haven't introduced them into

1 evidence.

2 EXAMINER JONES: So why did you put them
3 in?

4 MS. MOSS: Because the expert earlier
5 thought that they would be helpful as he went into more
6 detail on the exhibits that we talked about. But we
7 could go through them, but I think it is not -- I don't
8 think it's a good use of time.

9 EXAMINER JONES: He chooses not to do that?

10 MS. MOSS: That's right.

11 EXAMINER JONES: It's probably better not
12 to have them here. The court reporter doesn't --

13 EXAMINER WADE: They shouldn't be in the
14 record.

15 MS. MOSS: So we would just pull them out,
16 then.

17 MR. BROOKS: Well, Exhibit 5 is an order of
18 the Division. I don't know if any of the others are of
19 that character.

20 MS. MOSS: That's 4.

21 MR. BROOKS: 4?

22 MS. MOSS: Yeah.

23 MR. BROOKS: Okay. Exhibit 4 is an order
24 of the Division. Do you consider that to have any
25 relevance, from a precedential standpoint, that it ought

1 to be considered by the Examiner? Because legal
2 precedence, they're not ordinarily admitted into
3 evidence, but nevertheless -- you know, they're already
4 hard to find in our order books, so if you want that to
5 be considered, it should be before the Examiner.

6 MS. MOSS: Okay. Mr. Holm --

7 Thank you.

8 **Q. (BY MS. MOSS) Mr. Holm, look at our State Land**
9 **Office exhibits and look at Number 4.**

10 A. Tab Number 4 is Case Number 8405, the
11 New Mexico Oil Conservation Division, Order Number
12 R-7935, and this order -- this order is related to the
13 SWD-272, Lea County, New Mexico.

14 **Q. And there were aspects of this finding which at**
15 **one point I believe you thought would be helpful,**
16 **perhaps specifically to the findings in number three and**
17 **number four?**

18 A. The well of interest is labeled in (2). It
19 says "The applicant," and it's the Meador A Well No. 1,
20 located in Unit G of Section 10, Township 25 South, 36
21 East, which I believe is the same township that the
22 Maralo Sholes B No. 2 is located in. The administrative
23 order authorized the applicant to utilize this well to
24 dispose of produced water into the Delaware Formation.
25 The Delaware Formation is from 5,406 to 5,426. So it

1 was originally permitted by OCD to go to the Delaware.
2 I say that because -- this was set up to go to that.
3 And it shows that that order identifies the wells to
4 be -- to produce waters from wells to be disposed of in
5 that well. They both specify what that is, and this is
6 something that is frequently done by the OCD, and these
7 are all within the few miles of the same --

8 **Q. So those were all part of what was used in the**
9 **evaluation?**

10 A. Yes. It shows that they limit the area, but
11 it's also a practical thing. To move water very far is
12 not cheap.

13 MS. MOSS: I don't have anything further
14 for this witness.

15 EXAMINER JONES: Okay. Mr. Moellenberg, do
16 you want to follow the same procedure? Let the other
17 questions happen first?

18 MR. MOELLENBERG: Yes, sir.

19 EXAMINER JONES: Mr. Brooks?

20 CROSS-EXAMINATION

21 BY MR. BROOKS:

22 **Q. Good morning, Mr. Holm.**

23 A. Good morning, sir.

24 **Q. I think I spoke to you early this morning, but**
25 **that's a formality.**

1 A. That was before the second cup of coffee.

2 Q. Yes.

3 You obviously are extremely knowledgeable
4 about this subject matter, correct?

5 A. I've been working in this ever since the 1970s
6 in detail in the Permian Basin area.

7 Q. Unfortunately, one of the disadvantages of
8 being extremely knowledgeable about any subject matter
9 is that one doesn't know when to assume that others are
10 following them, and that's often not the case because
11 the others do not have the background knowledge. So if
12 I ask you questions that seem extremely naive, please
13 bear with me.

14 I want to go back to your Exhibit Number --
15 this is not your exhibits -- this is your exhibits
16 (indicating), your Exhibit Number 2 -- no -- yeah -- 2.
17 It's what you had testified specifically about.

18 A. That's correct.

19 Q. Now, I had a little trouble following which
20 wells you were talking about some of the time. I
21 understand the large pink dot halfway down the map on
22 the left is the proposed well, correct?

23 A. That is correct.

24 Q. Okay. Now, you talked considerably about
25 this -- about -- well, there was some discussion of the

1 well that appears to be identified as 30-025-11860 in
2 Section 31; is that correct?

3 A. Yes.

4 Q. Okay. Now, you have four figures and -- four
5 readings, water analyses, in that well, and I gather,
6 from the way you explained it, that the one at the top
7 is the most recent?

8 A. That appears to be what it is.

9 Q. And that is true of the other wells where you
10 have multiple readings?

11 A. Yes, because I took these in the order that
12 they are on the spreadsheet that I downloaded. I just
13 took them in the order in which they were on that list.

14 Q. Okay. So what you see here is a -- what you
15 pointed out in connection with 11860 was progressive
16 deterioration of the water quality as represented by the
17 top three lines on the graph?

18 A. That's correct.

19 Q. How do you explain the bottom line? Does that
20 mean anything? I mean the bottom line literally. I'm
21 not talking in terms in which that term is sometimes
22 used.

23 MS. MOSS: Mr. Brooks, perhaps you could be
24 just a little --

25 THE WITNESS: That would be in Section 31,

1 25 South --

2 Q. (BY MR. BROOKS) I believe it would be 31, 25
3 South, 37 East.

4 A. It is in my Exhibit 2C, which is the data --
5 backup data.

6 Q. 2C?

7 A. Yes. It's about in the middle of the page.
8 There is a Federal Well No. 5, which I think has that
9 same API number. I can't read it very well on this.
10 And I took them in the order in which they were
11 presented there.

12 Q. Well, I don't think that's particularly an
13 important point. I'm just a little confused.

14 A. What this doesn't show you on this spreadsheet
15 is that deep sample analysis.

16 Q. Right.

17 A. And that's something that I didn't have access
18 to.

19 Q. This well is the closest one, I believe was the
20 case, but a number of wells you pointed out show TDS
21 below 10,000, correct?

22 A. Yes.

23 Q. Now, were these samples from the reef water, or
24 were these samples from the Yates-Seven Rivers
25 Formation?

1 A. One of them that I know is from the reef, for
2 sure.

3 Q. I believe you mentioned that, but I do not
4 remember which one it was.

5 A. It was in Section 7 of 26-37.

6 Q. 26-37?

7 A. Yeah, 26 South, 37 East.

8 Q. And that would be?

9 A. Number seven. It is the one that's to the
10 northwest quarter, because I went to the API number to
11 get that.

12 Q. 21299?

13 A. 21299 is the digits.

14 Q. Okay. And that one is from the reef?

15 A. That one is definitely from the reef.

16 Q. And you don't know for sure --

17 A. The other is -- the others are from whatever
18 zones were open. And since many of these are -- were
19 listed in the field name of Tansill-Yates-Seven Rivers
20 or Yates-Seven Rivers, those are definitely open, and
21 they are to be considered back reef. But they're
22 actually above the actual rocks of the Capitan.

23 Q. Would this lead you to conclude that some of
24 these samples, at least, were taken from the Yates-Seven
25 Rivers?

1 A. I would say the majority have been.

2 Q. Okay. Now, the best water I see on here, just
3 glancing, is from Number 09766, which is in, it looks
4 like, Section 14 of 25-26 --

5 EXAMINER JONES: 36?

6 Q. (BY MR. BROOKS) -- 400 parts per million
7 chloride, and 1,580 TDS -- 1,508 TDS?

8 A. Yes. That appears to be in Township 25 South,
9 36 East.

10 Q. Yeah.

11 A. Okay. And it would be -- that would be in
12 Section 13.

13 Q. Oh, yes. Section 13, that's the township line.

14 A. Yeah. It's not in a standard location. It's a
15 little closer to the east line.

16 Q. Yeah.

17 That has a TDS of 1,508?

18 A. Correct.

19 Q. That's pretty fresh water, isn't it?

20 A. That's very good-quality water. It's better
21 than what Midland water used to be.

22 Q. Well, I grew up in Midland, and I didn't know
23 that water didn't taste bad until I was about 18 years
24 old (laughter).

25 But do you have any way of knowing where

1 that water sample is drawn from?

2 A. It came from the production of that well, so it
3 came from probably the Yates-Seven Rivers.

4 Q. That's -- okay. You're speculating to a degree
5 on that?

6 A. It's a well that's completed in that pool, so I
7 know it's completed in at least one of those --

8 Q. Very well likely this was Yates-Seven Rivers?

9 A. That's -- that's a high probability.

10 Q. Now, do you believe, from looking at all these
11 data points on the map, that at some times and in some
12 places, the Yates-Seven Rivers has produced water
13 significantly below 10,000 TDS?

14 A. This demonstrates that it has.

15 Q. (Indicating.)

16 A. It has.

17 Q. Okay. Now, would you say -- on the basis of
18 your study of this area, would you say the same thing
19 about the reef water in this area? Has it produced
20 fresh water at some places and some times during --
21 produced water under 10,000 TDS at some time in some
22 places in this general vicinity? By this general
23 vicinity, so the record will be clear, I'm talking about
24 within the range of several townships of the proposed
25 disposal well?

1 A. Yes. There is evidence that it's produced both
2 very high-quality water, which, in some cases, could be
3 drinking-water quality in the Capitan Reef, as well as
4 some that's been degraded somewhat.

5 **Q. Can you tell us where that would be?**

6 A. As you get closer to the reef or reef edge, by
7 the pipeline on Dr. Hiss' map, the water quality near
8 there sometimes becomes higher TDS. And when you move
9 further to the east of this location, it looks like
10 there are more and more waters that have higher total
11 dissolved solids in the -- in the Seven Rivers, Yates
12 and Tansill. And what that demonstrates is that the
13 fresh water, which came from the south in this area in
14 the Glass Mountains, flushed through the Capitan Reef
15 into the back reef zone layers and then on further to
16 the north. So it's -- a major portion of this has been
17 flushed, but there are areas that may have been
18 bypassed. And so you'd have low-quality water and
19 high-quality water.

20 **Q. Because it got flushed by --**

21 A. By nature.

22 **Q. -- by reef -- by recharge water --**

23 A. By recharge water.

24 **Q. -- which would be fresh?**

25 A. Yes. And the only way that a drinking-water

1 quality water analysis could be there is if it was a
2 residue of that original flushing of the Capitan rocks.

3 Q. And the flushed water -- the areas that would
4 be flushed would be where the good water was, and the
5 areas that had been bypassed would be where the
6 low-quality waters would be?

7 A. More than likely, that's what it is.

8 Q. I always get mixed up on this, because high TDS
9 is low quality and low TDS is high quality.

10 A. High TDS is low quality. In reference to
11 drinking water, you wouldn't want to touch it.

12 Q. Okay. Based on your examination of the data in
13 this area and your knowledge of the reef and the
14 Yates-Seven Rivers in general, do you have an opinion as
15 to whether injection that has taken place has been a
16 factor in causing the deterioration of groundwater from
17 the higher qualities to the lower qualities in this
18 area?

19 A. Yes. I do believe that happened, especially in
20 and around the vicinity of well 09792.

21 Q. 0979 -- 792, you said?

22 A. Yeah. I labeled it "SWD WIW."

23 Q. And where is that?

24 A. It's about a mile and a half to the northwest
25 of the Bobcat No. 1 location. It's a white label.

1 Q. Okay. 09792.

2 A. Yes.

3 Q. And that's in Section 24 of 25 South, 36 East?

4 A. That's correct.

5 Q. Okay. I believe that's all I have right now.

6 Thank you, Mr. Holm. I'm sure there is a lot more to be
7 understood from your analysis, but I may not be smart
8 enough to understand it. So thank you.

9 EXAMINER JONES: Mr. Newell, you weren't
10 here for the particulars of the testimony, but do you
11 have any general questions?

12 MR. NEWELL: I have just a couple.

13 EXAMINER JONES: Okay.

14 CROSS-EXAMINATION

15 BY MR. NEWELL:

16 Q. Looking at the same exhibit you're looking at
17 now --

18 A. Exhibit Number 2?

19 Q. Yes, sir. Yes, sir.

20 -- I noticed that in the wells -- or in the
21 locations where there are multiple readings, there is a
22 great deal of variability.

23 A. Yes. That's variability probably over time, is
24 what it appears.

25 Q. Sure.

1 And does that suggest there is an influence
2 of something in whatever aquifers are being measured,
3 whether it was the Capitan Reef or the Seven Rivers or
4 Yates? There is some kind of influence that's causing
5 that variability?

6 A. That's correct. It's probably something that
7 man did.

8 Q. And then my only other question is -- I was
9 looking at something during the break, and it looked
10 like Shomaker & Associates had done some analysis of the
11 Capitan Reef in connection with its use as a freshwater
12 source in West Texas, and they had a comment. And I
13 would just like you to -- I'd like to get your
14 impressions on this comment. "It was found that
15 previous work by Hiss and Standen and others did not
16 include the Tessy Limestone when defining the extent of
17 the aquifer...." And the aquifer they're referring to
18 is the Capitan Reef Complex, which they've identified as
19 CRCX. Did not identify -- "did not include the Tessy
20 Limestone when defining the extent of the aquifer even
21 though it's recognized as part of the CRCX Aquifer
22 System."

23 Are there any Tessy Limestone formations
24 associated with the Capitan Reef in the area in and
25 around Jal that you're aware of?

1 MR. MOELLENBERG: I do object to the
2 question based on the lack of any source for the quote
3 or -- I mean, we have no idea where that's coming from,
4 whether it has any validity.

5 MR. NEWELL: Okay. Well, let me just
6 ask -- let me rephrase the question.

7 **Q. (BY MR. NEWELL) Are there any Tessy Limestone**
8 **formations associated with the Capitan Reef Complex**
9 **Aquifer in this area that you study?**

10 A. Not directly in this immediate vicinity. The
11 Tessy has been referred to in the -- near the Glass
12 Mountains, and it looks to be roughly equivalent to what
13 would be the Goat Seep in the Guadalupe Mountains.

14 **Q. Is that the source of the recharge, then, if**
15 **it's coming to the south?**

16 A. It would contribute to the recharge. Yes.

17 MR. NEWELL: I pass the witness.

18 EXAMINER JONES: Redirect? Oh, no, wait.
19 We've got Mr. Moellenberg.

20 CROSS-EXAMINATION

21 BY MR. MOELLENBERG:

22 **Q. Good morning, Mr. Holm.**

23 A. Good morning.

24 **Q. So I want to go over and make sure I'm clear on**
25 **some of the sources of this information. So turning to**

1 State Land Office Exhibit 1, there are a number of
2 labels on this one, but I believe you indicated it is
3 from the 1975 Hiss report; is that right?

4 A. That's correct. That's a copy that I purchased
5 directly from the Bureau of Mines and Mineral Resources.

6 Q. But when we go to Exhibit 2 -- you've
7 referenced it a number of places in your testimony. I
8 think you talked about protectable groundwater, and in
9 other places, I think you might have said protectable
10 groundwater of the U.S. So, first of all, what is the
11 source of your term "protectable groundwater?"

12 A. There are two sources. One is the New Mexico
13 state law, I believe, passed in 1972 that said the state
14 will protect its groundwater to 10,000 TDS or less.
15 Subsequent to that, in the same year, the US EPA issued
16 one for the entire United States and used the same
17 number, 10,000 TDS.

18 Q. Okay. So that 1972 reference, are you thinking
19 that's a statute passed by the legislature or perhaps a
20 rule, or do you know?

21 A. I believe that's a state law passed by the
22 legislature. Whereas, the EPA is a rule.

23 Q. The EPA would be a rule.

24 So those two sources, in your speaking to
25 the Examiners here, that's where you're coming from when

1 you're talking about the term "protectable groundwater"?

2 A. That's correct.

3 Q. And I think you've also used the phrase
4 "protectable groundwater of the U.S." Is there a
5 distinction there that you're trying to draw or --

6 A. No. I'm in the habit of -- I spent a lot of
7 time in Texas, and so I'm in the habit of saying "the
8 U.S." because that's the rule that everybody follows in
9 the oilfield. When I got to New Mexico, I found out
10 about the state law, so now I refer to both.

11 Q. Okay. So just so your testimony is clear, when
12 you said protectable groundwater of the U.S., were you
13 trying to distinguish between the EPA rule that we've
14 talked about and the state law, or were you really
15 trying to make any distinction there?

16 A. No, other than to say that they're --
17 basically, they're the same number.

18 Q. Okay. So turning to your Exhibit 2, if I
19 recall your testimony correctly -- and please correct me
20 if I'm wrong -- I think you said there are two sources
21 of data that you used for this. One was from Hiss,
22 right?

23 A. Yes. Some of this data is actually on Hiss'
24 map.

25 Q. Okay. And then the other data, I believe you

1 **said, was from an OCD Web site or something of that**
2 **sort?**

3 A. Yes.

4 **Q. Could you be a little more precise about what**
5 **you mean?**

6 A. Yes. I ran an online query to find out what
7 water qualities were available in these fields within
8 New Mexico, and I got a spreadsheet that covers the
9 entire state, primarily in the southeast.

10 **Q. Okay. And do you know what database you ran**
11 **your query on?**

12 A. Specifically one within the OCD.

13 **Q. Okay. Do you know if it's a query called**
14 **"Produced Water Data Search"?**

15 A. It likely is.

16 MS. MOSS: If you know. Answer if you
17 know.

18 MR. MOELLENBERG: Can I approach, and I'll
19 hand these out?

20 EXAMINER JONES: Sure.

21 **Q. (BY MR. MOELLENBERG) Mr. Holm, I've placed in**
22 **front of you what is labeled as OWL Exhibit 11. And can**
23 **you tell me if you've seen this page before, or are you**
24 **familiar with it?**

25 A. I'm familiar with some of the information at

1 GO-TECH. I normally don't go directly there, but a lot
2 of the staff does.

3 Q. Okay. Do you -- you know, there are a number
4 of things on here. But is this the database that you
5 searched -- the database that this page would be in the
6 front that you searched to come up with your data for
7 Exhibit Number 2?

8 A. I'm not sure whether this is the exact database
9 or not, but it probably was.

10 Q. Okay. Do you know if there is another database
11 that might be accessible for this kind of data on the
12 OCD system?

13 A. There may well be, which I believe it may or
14 may not give you all that information.

15 Q. Okay. But you're not clear for sure, or you're
16 not sure if you --

17 A. I asked for a query to be run on the data, and
18 that's the spreadsheet that I got back.

19 Q. Okay. Did somebody else run the query?

20 A. Yes. It was one of my -- one of the geologists
21 there at the State Land Office.

22 Q. Okay. And so you asked him to run a query.
23 And did he identify to you the specific database that
24 your data came from?

25 A. As I understand it, he said OCD.

1 Q. OCD.

2 A. But that was verbal.

3 Q. Okay. And what I have in front of you as
4 Exhibit 11, that's also a database within the OCD
5 system; is that right?

6 A. I believe it's connected to it. Yes.

7 Q. Okay. Under this heading, kind of the upper
8 middle of the page, under "Produced Water Data Search,"
9 could you read that paragraph for me?

10 A. >Data in the New Mexico Produced Water Quality
11 Database...was updated in 2016 for the first time in
12 many years. Data should be used for general information
13 purposes only. The uncertainties in the data collection
14 procedures, analysis quality and specific sample sources
15 make it unsuitable as a basis for any significant
16 business or policy decision. Data was gathered from
17 many sources and about 5,400 distinct wells in
18 New Mexico are presented. More data exists for most
19 samples than is provided by the results screen; the
20 downloadable spreadsheet contains more information
21 including field, formation, sample source (where
22 available), and latitude/longitude."

23 MS. MOSS: I'm going to object to any more
24 questioning along this line because we can get you a
25 witness and bring them in who went to the sources that

1 were given to this witness. And that would be the best
2 way for you to ask these questions, which I don't object
3 at all. But this witness has already said that he
4 doesn't even know for sure whether this was used.

5 MR. MOELLENBERG: And, again, the issue
6 here is there seems to be uncertainty about exactly what
7 database was used. I think the witness has said he
8 probably used this database --

9 MS. MOSS: Yeah.

10 MR. MOELLENBERG: -- but he doesn't know.
11 And if he used this database, you know, it sounds, from
12 the description that we've just read, like there are
13 some uncertainties here regarding the source of the data
14 and what it represents.

15 MS. MOSS: I think you're more than
16 entitled to have this information, and I think it's been
17 absolutely clear that this is not the witness to give
18 that information.

19 EXAMINER WADE: Well, I think he testified
20 that he thinks this is where the information came from,
21 and the Hearing Examiners can weigh the sufficiency of
22 the evidence.

23 MS. MOSS: But we would still need the
24 other witness to come in in any case.

25 EXAMINER WADE: I don't think so.

1 Go ahead.

2 MR. MOELLENBERG: Fair enough.

3 **Q. (BY MR. MOELLENBERG) So, Mr. Holm --**

4 MR. MOELLENBERG: Yeah. I would like to
5 move to admit Exhibit 11.

6 EXAMINER JONES: No objection?

7 MS. MOSS: I don't have an objection.

8 MR. BROOKS: No objection.

9 MR. NEWELL: I didn't get a copy, so --

10 MR. MOELLENBERG: Oh, I apologize.

11 MR. NEWELL: -- so I haven't had an
12 opportunity to review the exhibit.

13 I don't know that it's been identified by
14 anybody -- I mean, has it been authenticated? I mean, I
15 have no objection. But I don't know that there's been
16 sufficient authentication, certainly not established
17 through this witness who says he doesn't even know about
18 the source of the information or that he's ever even
19 looked at this particular Web page. So that would be
20 my -- the basis for my objection. There is no
21 authentication of this Web page subject sufficient to
22 allow this in.

23 EXAMINER WADE: So you are objecting?

24 MR. NEWELL: I will object, yeah.

25 EXAMINER WADE: Mr. Holm, you did testify

1 that you think this is basically a source of the
2 information that you used; is that correct?

3 THE WITNESS: I believe it's probably at
4 least linked to the same thing I did or had done for me,
5 so I think we're probably working off the same
6 information. It's a probability.

7 EXAMINER WADE: I think that's enough
8 information to allow the exhibit in.

9 EXAMINER JONES: Exhibit 11 is entered now.
10 (Owl SWD Operating, LLC Exhibit Number 11
11 is offered and admitted into evidence.)

12 Q. (BY MR. MOELLENBERG) So, Mr. Holm, turning back
13 to your Exhibit 2 -- and, again, we've talked about some
14 of the sources of the data on this exhibit being from
15 Hiss and some being from a -- a printout of the database
16 that was apparently provided to you. Is there anything
17 we can use on Exhibit 2 to identify which of this
18 information is from Hiss?

19 A. I did not separately identify that.

20 Q. Okay.

21 A. I did provide the map that Mr. Hiss has his
22 well spots on that.

23 Q. Right.

24 So someone could compare the two, perhaps,
25 and identify --

1 A. I believe so.

2 Q. But certainly some of -- some of this data
3 comes from this other -- this other printout. And to
4 try to sort this out, is all of the data from your other
5 printout of the database is what's listed on Exhibit 2A,
6 or is this something else?

7 A. Exhibit Number 2A is all the data that's shown
8 on this map and its sources or the spreadsheet or the
9 online query, plus one other data point where it
10 specified the reef.

11 Q. Okay. And I would note, down at the bottom of
12 this list, it does say, "OCD Online query for Produced
13 Water Quality in SENM." Do you see that?"

14 A. That's correct.

15 Q. Could that perhaps be another indication that
16 this data comes from the produced-water database that we
17 were talking about with respect to Exhibit 11?

18 MR. NEWELL: Objection. Calls for
19 speculation. He even used the word "perhaps" in his
20 question.

21 MR. BROOKS: The current objection of the
22 witness -- I would not have an objection to the witness
23 answering if he knows, but if he doesn't know, he should
24 not speculate.

25 EXAMINER WADE: Mr. Holm, do you know the

1 answer?

2 THE WITNESS: Would you restate your
3 question, please?

4 Q. (BY MR. MOELLENBERG) Yeah. So let me go back
5 to --

6 MR. MOELLENBERG: Actually, let me ask the
7 court reporter to read it back, if you would.

8 (The court reporter read back the question
9 on page 59, lines 15 through 17.)

10 THE WITNESS: There is a possibility they
11 are connected.

12 Q. (BY MR. MOELLENBERG) Now, also on your Exhibit
13 2A, just below the line I just read, do you see a
14 statement that says, "Water Sample Analyses submitted to
15 OCD in C-108 SWD Applications"?

16 A. Yes.

17 Q. Are you familiar with C-108 SWD applications?

18 A. Yes, sir.

19 Q. And are those normally applications to drill a
20 well?

21 A. They're normally applications to either drill a
22 new well or saltwater disposal purposes or to recomplete
23 an existing well.

24 Q. Okay. So if the data -- so just to come back
25 to that, so some of these applications would be for a

1 proposed new well for saltwater disposal? I think
2 that's what you said, right?

3 A. Yes. Some of them are.

4 Q. And if that is the case and the application is
5 submitted before the well is drilled, would it be
6 reasonable to assume that the water-quality data did not
7 come from that particular well, but came from some other
8 location?

9 MR. NEWELL: Objection. Calls for
10 speculation.

11 MR. BROOKS: Yes. I concur on that
12 objection.

13 EXAMINER WADE: Well, I think, again, do
14 you know the answer to that question?

15 THE WITNESS: I know that the standard
16 procedure for a C-108 application, the OCD requires
17 produced-water information about the water that you plan
18 to inject into the well, as well as offsetting
19 freshwater wells, their water quality, so that they know
20 the quality and the ion makeup of all the waters
21 involved. And that's what -- typically, this particular
22 page has been included in many SWD applications.

23 Q. (BY MR. MOELLENBERG) So I think what you just
24 told us is that -- and this would be consistent with my
25 understanding, that a C-108 application has a

1 requirement to provide some water-quality data, right?

2 A. That's correct.

3 Q. But if the application is for a well that
4 hasn't been drilled yet, that water-quality data would
5 necessarily have to come from somewhere else, right?

6 A. That's correct.

7 Q. So given that you've testified that some of
8 these data locations are for wells that apparently have
9 not been drilled at the time that the C-108 had been
10 submitted with the water-quality data, some of this data
11 could be from wells other than the ones that you've
12 identified on Exhibit Number 2; is that correct?

13 MR. NEWELL: Objection. Calls for
14 speculation. Unless he has the basic knowledge to have
15 this information that some third party filled out, I
16 don't know how he can answer that. They could have made
17 it up out of whole cloth. I mean, anything is possible.

18 EXAMINER WADE: This is going to the
19 veracity of the information he used, so I'll allow the
20 question.

21 Go ahead.

22 MS. MOSS: I know it's a little informal,
23 but if I can call a rebuttal witness for this, then I
24 don't really care what he asks because I can get in what
25 actually happened --

1 MR. NEWELL: Right.

2 MS. MOSS: -- if that's what we need. I
3 mean, he can answer the question whether something is
4 possible through dinner.

5 EXAMINER WADE: The Examiners can weigh the
6 sufficiency of that answer.

7 EXAMINER JONES: I think it is important.
8 I would like to know where all this data came from. And
9 I'm ready to break for lunch.

10 MS. MOSS: Okay. Rather than speculating,
11 it makes so much sense to me. Maybe I'm on a different
12 line here.

13 EXAMINER WADE: Yeah. I'm not having a
14 different witness to answer that particular question.

15 MS. MOSS: No. It's the whole line that
16 needs to be addressed by the person that brought him the
17 information, and that person can come in quick, fast and
18 accurate.

19 MR. MOELLENBERG: So if we can get an
20 answer to this question, which I think you've allowed,
21 and then I probably have one more before we break for
22 lunch.

23 EXAMINER WADE: As far as this line of
24 questioning, is that going to be your last question?

25 MR. MOELLENBERG: Yeah, I believe so.

1 MS. MOSS: Then I don't need -- if that's
2 your last question on this line.

3 MR. MOELLENBERG: I have one more other
4 than the one that's pending.

5 MS. MOSS: And then you'll have one more
6 and one more after he answers.

7 EXAMINER WADE: The Hearing Examiners
8 understand what the issue is that's trying to be drawn
9 out. They can weigh the sufficiency of that evidence.
10 So let's go ahead and ask two more questions and then
11 break for lunch.

12 EXAMINER JONES: Yes.

13 MR. MOELLENBERG: So can the court reporter
14 re-read the question that I asked that we were just
15 discussing the objections to?

16 (The court reporter read the last
17 question.)

18 THE WITNESS: My answer is the data that's
19 presented on Exhibit Number 2 is site-specific to
20 specific wells by API number on the summary sheet and on
21 the spreadsheet, and they came from the Jalmat Oilfield
22 from either production in the Tansill-Yates or Seven
23 Rivers or a combination thereof or the Scarborough Field
24 completed in the Yates-Seven Rivers Formation or a
25 combination of those two wells. So that's -- we're very

1 limited because each one is a separate data point,
2 separate location, and the timing of it is irrelevant to
3 the Bobcat No. 1 other than obviously they were drilled
4 prior to the Bobcat No. 1.

5 When you go back to the sheet that shows
6 the Scarborough-Seven Rivers-Yates-Reef analysis, that's
7 one that's specific to the section, township, range as
8 where it was taken, and this is dated -- quite
9 frequently was on Dr. Hiss'. But I didn't examine each
10 one of those to verify whether it was on Dr. Hiss' map
11 or not. But it gives everybody a general idea of what
12 is the water quality in various named formations that
13 might be used to dispose into the proposed saltwater
14 disposal well whether it's to be drilled or recompleted.

15 **Q. (BY MR. MOELLENBERG) So, Mr. Holm, in preparing**
16 **your Exhibit 2 -- and, again, I'm talking about the**
17 **front page here -- did you simply transfer the data from**
18 **the database that was printed out for you, or did you go**
19 **back and check the original data source for that -- for**
20 **that printout to verify that the water actually came**
21 **from the well that you've labeled here?**

22 **A.** I didn't do it on every well. I did not go
23 back and check the individual well record. Some of
24 them, I did, and I found no discrepancy based upon the
25 information that I could download in the well file on

1 OCD's Web site.

2 **Q. Can you identify which ones you went back and**
3 **checked?**

4 A. I don't recall which ones they were.

5 **Q. Okay.**

6 EXAMINER JONES: Okay. Let's break for
7 lunch. Come back at 1:00.

8 (Recess, 11:33 a.m. to 1:03 p.m.)

9 EXAMINER JONES: Let's go back on the
10 record this afternoon and continue with
11 Mr. Moellenberg's questioning.

12 MR. MOELLENBERG: Thank you, Mr. Hearing
13 Officer -- Examiner -- get my --

14 EXAMINER JONES: Whatever. I'm not taking
15 any offense, believe me.

16 (Laughter.)

17 **Q. (BY MR. MOELLENBERG) Mr. Holm, I have a couple**
18 **of additional questions on your Exhibit 2, and I'm**
19 **looking at the legend in particular on the right-hand**
20 **side. And there are some teardrop-shaped symbols there**
21 **on the right-hand side that appear to depict certain**
22 **types of the water wells. Do you see those?**

23 A. Yes, they are.

24 **Q. And I see just a few of those on this map.**
25 **Does this map give any indication of the depth of those**

1 wells or the formations that they're withdrawing water
2 from?

3 A. No, it does not. But this is something that
4 the Oil, Gas & Minerals Division is now responsible for,
5 looking at both freshwater wells and saltwater wells,
6 and so we've added that as part of our normal legends.

7 Q. Okay.

8 A. And they are platted according to the lat/long.

9 Q. Lat/long. But there is no indication whether
10 they're in shallow aquifers or what particular
11 formations they're withdrawing from?

12 A. Not that I've referenced, no.

13 Q. Okay. And I do see there is a little bit of a
14 qualifying legend at the bottom of this exhibit as well.
15 The State Land Office assumes no responsibility -- do
16 you see that?

17 A. Yes. That's a standard paragraph that's on
18 every one of these, required by the Commissioner.

19 Q. Right.

20 You may have talked about this earlier, but
21 let me get a little clearer idea of what is meant to be
22 depicted by this black-dashed line. Is that a feature
23 of the Capitan Reef, or is that something else?

24 A. It's the back reef terminus of the Capitan Reef
25 rocks that is permeable between the two -- the

1 formations in the white area, and those -- that are in
2 the gray area, which is Capitan.

3 Q. Okay. So if I've understood correctly, the
4 cross sections that have been presented by various
5 witnesses, the Capitan Reef Formation isn't just a
6 straight, vertical line. It actually sort of slopes,
7 and I think it's from west to east, going from top to
8 bottom, if that makes sense. Do you recall that, or do
9 you understand what I'm saying?

10 A. Yes. The typical cross section shows a
11 pinch-out of the Capitan Reef on both ends of the cross
12 section that goes directly across the reef.

13 Q. Uh-huh.

14 A. That's typically how it's demonstrated.

15 Q. Okay.

16 A. And usually that's a geological picture of the
17 change in the type of rock that's on one side or the
18 other.

19 Q. Okay. And tell me if this doesn't make sense.
20 But this dotted line, then, is that depicting an area
21 toward the upper elevations of the Capitan Reef or the
22 lower elevations of the Capitan Reef?

23 A. It was picked by numerous researchers, but
24 Dr. Hiss started the first one that we're looking at.
25 And that's generally about where the end of the reef is

1 depicted on the cross sections, plus or minus a little
2 bit.

3 Q. Plus or minus a little bit.

4 A. Yeah.

5 Q. And, again, I'm trying to get this in a -- sort
6 of lining up with the idea that there isn't just a
7 straight, vertical up-and-down boundary in the Capitan
8 Reef, and I'm trying to get a sense of whether this line
9 may be -- is it toward the top, which I think would kind
10 of slope -- would be sort of the easternmost boundary of
11 the reef, as I understand it, towards the bottom --
12 actually, I've got that backwards.

13 A. I was just going to say that's in reverse.

14 Q. The top of the westernmost boundary or the
15 westernmost point --

16 A. That's right, because the reef itself -- the
17 Goat Seep is beneath the reef, but it's contiguous to it
18 and probably -- probably doesn't exist. It started
19 first building probably near this dashed line
20 (indicating) and started building up, as you move up on
21 the structure, to where there is no Yates, there is no
22 Tansill, necessarily, at the western edge of the reef
23 rock.

24 Q. Okay. I might ask some questions of my
25 witnesses on that to see if they understand what that's

1 depicting, but that's that.

2 As to the Seven Rivers Formation in the
3 area of the map that's shown on your Exhibit 2, would
4 you agree that most of that formation is oil and gas
5 producing?

6 A. The upper portions of it would be considered --
7 they are all oil and gas producers, but they also
8 produce water, and that's because the oil and gas floats
9 on top of the water.

10 Q. So they produce water, but let me ask you this.
11 Is it produced water in connection with oil and gas
12 production?

13 A. Yes.

14 Q. Okay. And similarly, the Yates Formation
15 throughout the area of the map in Exhibit 2, is that an
16 oil and gas producing formation?

17 A. That's correct.

18 Q. Okay.

19 A. It's all part of the Jalmat Field.

20 Q. Okay. Mr. Holm, that's all I have. Thank you
21 very much.

22 A. Thank you.

23 EXAMINER WADE: Redirect?

24 EXAMINER JONES: Redirect? And don't
25 forget your exhibits.

1 MS. MOSS: Forget my exhibits?

2 MR. BROOKS: I know she moved them. I
3 don't remember --

4 EXAMINER JONES: Do you want to move them
5 again?

6 MS. MOSS: I'll move them again. But could
7 I ask a couple of questions?

8 EXAMINER JONES: Yes, just don't forget.

9 MS. MOSS: One has to do with these last
10 few questions, and I'd like to clarify something, but I
11 may be wrong.

12 REDIRECT EXAMINATION

13 BY MS. MOSS:

14 Q. If the question is about the vertical nature of
15 your dotted line, isn't that shown in the bottom
16 right-hand corner --

17 A. It's, again, shown on a --

18 Q. -- in red?

19 A. -- different scale, but the red is the outline
20 of this map.

21 Q. Right. So the vertical --

22 A. It's not -- they're not related -- it's not
23 related to geology. It's related to the surface.

24 Q. Well, isn't the reason why this appears
25 vertical is because it's only a small portion of the

1 reef?

2 A. It's the projected-up-to-the-surface, about
3 3,000 feet up to the surface. It's eastern edge in this
4 area of the Capitan Reef.

5 Q. Okay. Now, I just need to do a little
6 rehabilitation.

7 During lunch, did you go to the State Land
8 Office?

9 A. Yes, I did.

10 Q. And while you were at the State Land Office,
11 did you speak with to Nirranjan Khalsa?

12 A. Yes.

13 Q. And who is Nirranjan?

14 A. Nirranjan is a geologist. She's actually my
15 supervisor. Let's see. Her formal title, I believe, is
16 Petroleum Engineer Specialist Supervisor for the State
17 Land Office.

18 Q. And through speaking to her, was your
19 recollection refreshed such that you remembered that you
20 created the data that you used in creating Exhibit
21 Number 2?

22 A. Yes. And she showed me how I did it. I said,
23 Oh, yeah, I remember that.

24 Q. Now, we actually have emails, if it were
25 necessary, but --

1 A. That was, by the way, over a year ago that I
2 got that information.

3 **Q. I forget things from yesterday, so that is --**

4 A. I feel pretty good that I remember where I got
5 it.

6 **Q. So did she point you to the "About GO-TECH" Web**
7 **site?**

8 A. Yes. OCD has a button on it that says "Go to
9 GO-TECH."

10 **Q. Yes.**

11 A. And that's what I've been directed to do
12 apparently, which I don't remember exact details. But
13 then I asked, Well, how did I get from there?

14 **Q. Okay.**

15 A. The next step was I clicked on that, and then
16 it came up with a page where you could select what you
17 wanted to look, and it said, "Select water data,
18 produced water data," if I remember correctly. And then
19 I click that. Then it asks you where and what. Well,
20 there's a series of things you can ask for. I believe
21 that we -- the way I looked at is I queried all
22 formations in southeast New Mexico.

23 **Q. And on that site, does it tell you where the**
24 **information comes from?**

25 A. When I click on the -- and, again, this is

1 already in the GO-TECH site.

2 Q. Right.

3 A. I click on the next page, and it has a
4 paragraph that tells you that all the oil and gas
5 production data has been provided by OCD to GO-TECH.

6 Q. Okay. That's all. Thank you very much.

7 MS. MOSS: I don't think I have any other
8 questions.

9 EXAMINER WADE: Do you want to go ahead and
10 move your exhibits again?

11 MS. MOSS: Yes. So what I'd like to do is
12 move to have Exhibits 1 through 5 -- through 4 and
13 Exhibit 9 --

14 EXAMINER WADE: Entered?

15 MS. MOSS: -- entered.

16 EXAMINER WADE: And the notebook you'll
17 give the court reporter, you'll remove the --

18 MS. MOSS: Yes.

19 EXAMINER WADE: So is there any objection
20 to 1 through 4 and 9 being entered?

21 MR. BROOKS: No objection.

22 MR. MOELLENBERG: No objections.

23 MR. NEWELL: I don't think so.

24 EXAMINER JONES: Exhibits 1 through 4 and
25 Exhibit 9 from State Land Office are admitted.

1 (NM State Land Office Exhibit Numbers 1
2 through 4 and 9 are offered and admitted
3 into evidence.)

4 MS. MOSS: Thank you for reminding me.

5 EXAMINER JONES: Mr. Wade, do you have any
6 questions?

7 EXAMINER WADE: I do not have any
8 questions.

9 EXAMINER DAWSON: I do have a few
10 questions.

11 CROSS-EXAMINATION

12 BY EXAMINER DAWSON:

13 Q. Good afternoon, Mr. Holm.

14 On the -- on your map, Exhibit Number 2 --

15 A. Yes, sir.

16 Q. -- where the proposed location saltwater
17 disposal well is --

18 A. Yes, sir.

19 Q. -- do you feel if that well was moved over two
20 miles east, maybe two-and-a-half -- two, two-and-a-half
21 miles east of there, due east -- do you feel that there
22 would be a possibility of -- disposal waters were
23 injected into the well in that location two miles east,
24 do you think they would have the ability to intersect
25 the Capitan Reef?

1 A. Well, the data, all except for one -- there are
2 three wells that are two-and-a-half to three miles to
3 the east or north or southeast that would have water
4 that is of lower water quality than that that's
5 protected under the freshwater definition. So yes, you
6 could.

7 **Q. Even though it's beyond the boundary as**
8 **depicted on the Hiss boundary there? Even though it's**
9 **east of the dashed line?**

10 A. The Hiss boundary would be going more up the
11 section line. Let's see. If you're in Township 27
12 South, 37 East, if you went to Section --

13 **Q. You mean 25? Sorry.**

14 A. It would be the east side of Section 32, the
15 north-south line in there. It's about in that area, is
16 where the Hiss line is.

17 **Q. Okay. You spoke about a fault that could be**
18 **possibly west of the proposed location?**

19 A. It appears to be north and west of the location
20 in the same section.

21 **Q. In Section 25?**

22 A. That's correct.

23 **Q. 25 South, 36 East?**

24 A. Correct.

25 **Q. And do you feel that maybe if produced water**

1 entered that fault, that it could be a conduit to the
2 Capitan Aquifer? It could maybe travel down that fault
3 towards the Capitan Aquifer?

4 A. Yes. We don't know how far vertically
5 extensive it is other than it crosses the Tansill, Yates
6 and Seven Rivers Formations. We haven't looked any
7 deeper than that. It may go all the way down to the
8 base of the Capitan, which would make, I think, good
9 sense, but I didn't examine any data to show that.

10 Q. Okay. In looking at your map on Exhibit 2, do
11 you have the different colors for the lower, moderate,
12 higher --

13 A. Yes, sir.

14 Q. -- saltwater injection and their different
15 colors? Would you -- in looking at this map, it looks
16 like -- just briefly looking at it, that the water
17 quality south of the proposed well may be a little bit
18 less TDS in chlorides than to the north of the proposed
19 well?

20 A. That's correct. The ones with the highest
21 chlorides are in pink, and they're all north and
22 northeast from the proposed site.

23 Q. And so when you look at the triangles where the
24 saltwater disposal wells are, you feel that maybe the
25 higher chlorides and TDS are in association with those

1 **produced -- the saltwater --**

2 A. If it's the typical distribution of
3 concentrations away from a point source and it declines
4 geometrically, it's very high near the injection well
5 and it's been injecting for a long time, it's displaced
6 all of the formation water. But then as you get further
7 and further away, you get more of a mix that goes down
8 geometrically to background.

9 Q. Okay. You were talking about down there -- I
10 don't remember what exhibit it was. You were talking
11 about down in the Winkler County --

12 A. Winkler County? Yes.

13 Q. -- a depression down there where they had --
14 they had produced a lot of water from the Capitan?

15 A. Yes. On the 2009 report of the Texas Water
16 Development Board, their water indicates that that's
17 where the current low is now as compared to what it was
18 before man started pumping large volumes from the
19 Capitan.

20 Q. So say if Jal started pumping from the Capitan
21 in that area, nearby the proposed saltwater well, would
22 you -- would you feel that that could maybe create some
23 kind of cone of depression, where there was produced
24 water that was going through the Capitan Reef, that it
25 would concentrate the neck on the depression?

3 Q. Okay. That's all the questions I have. Thank
4 you very much.

6 BY EXAMINER JONES:

7 Q. Mr. Holm, what's your understanding of why the
8 State Land Office made an entry in this case?

9 A. My understanding is that we would like to
10 protect the environment and to protect the resources
11 beneath the state lands. And these fluid resources,
12 basically the aquifers like the Capitan, can move.
13 Typically, they don't move very fast, but they can move
14 in response to production and injection, and we don't
15 want extremely poor quality water being -- migrating
16 underneath state lands. And we are -- 770 feet south of
17 the Bobcat No. 1 is where state lands exist.

18 Q. So is the State Land Office looking at the
19 water as a resource for --

20 A. Yes. We have easements for both fresh water
21 and saltwater, and we have several of them that we've
22 issued relative to both mining companies and oil and gas
23 companies for extraction of the brackish water of the
24 Capitan Reef, which is not produced water. It's a
25 brackish water that exists naturally.

1 Q. Is this water you're looking at as a resource
2 from the Artesia Group or from the Capitan Reef or from
3 the Capitan Aquifer or what?

4 A. The source of the flushing is the Capitan, but
5 it extends all the way in the back reef, from the Yates
6 down to the San Andres. In fact, the San Andres, the
7 East Hobbs Unit, water has got 5,000 chlorides, and
8 that's just before it goes into Texas.

9 Q. There was another reason mentioned in the
10 Division's application for -- as a respondent [sic] in
11 this case as a possible waste of the oil and gas in the
12 Langlie Mattix and Jalmat Pools in this area. Does the
13 State Land Office have a concern about that?

14 A. Yes, we do. We don't want any waste to occur
15 on, especially on state trust minerals where we're the
16 owner. But if you're taking the same water that is
17 produced locally and injecting it, you're generally
18 re-injecting the same quality water. But when you start
19 drawing in formations from considerably further away,
20 you have an entirely different spectrum of ions,
21 especially various concentrations. It may be 10 to 100
22 times more concentrated than what is naturally in the
23 Seven Rivers-Yates. So injecting there is recycling the
24 same waters. So the resource itself is not degraded.
25 When it's degraded is when you bring in exterior

1 saltwater stick [sic].

2 Q. Are you worried about a loss of -- loss of oil
3 and gas saturation due to saltwater disposal wells set
4 up instead of a pattern of waterflooding wells set up?

5 A. Yes, because it's not specifically designed to
6 increase recovery. It's designed to get rid of water at
7 low pressures.

8 Q. But you heard Mr. Kronkosky's testimony about
9 the pressure in the -- in the reservoir here being so
10 low that it would be really difficult to -- well, we're
11 going to question him some more.

12 But on the potential for waterflooding --
13 you're a petroleum engineer, as well as a hydrologist.

14 A. Yes, sir.

15 Q. So you do have a concern that there might be
16 some recoverable oil in this reservoir still?

17 A. Clearly, there still is because there's
18 still -- when they put a well back on for test that's
19 been shut in for a number of years, in some cases, it
20 makes oil, as well as water. So there is still residual
21 oil that is -- when you shut down a well that's had a
22 cone of depression, then gradually that cone comes back
23 up pressure-wise. But during that entire time, it's
24 gathering more oil. If you start pumping again, it'll
25 produce it. It may not last very long before it waters

1 out. And by watering out, that doesn't mean it stopped
2 making oil. It means stopped making an economic amount
3 of oil.

4 Q. Okay. Most of these lands out here appear to
5 be leased. And the state lands -- there were notices
6 sent to the lessees of the state minerals, and those
7 people have not objected to this application. What do
8 you think about that?

9 A. I think that this is mostly --

10 MS. MOSS: Object. Calls for speculation.
11 It's beyond his capacity.

12 Go ahead.

13 Q. (BY EXAMINER JONES) Go ahead.

14 A. I think their interest is in the deeper
15 formations. That's because they think that -- probably
16 other recoverable reserves out here in excess of 50
17 percent have been recovered of what was originally in
18 place. They would rather go down somewhere where they
19 can start off with primary production and produce that
20 first before they start spending money on any of these
21 wells. Plus, these are oil wells -- old oil wells, and
22 if you start to put in something like they have around
23 Hobbs, where you've got CO2 injection, there are a lot
24 of wells they'd have to re-plug. So there are a lot of
25 dollars that are keeping the big companies away from

1 this.

2 Q. Right.

3 A. And the little guy is -- the smaller companies
4 are generally not -- don't have the capital to invest in
5 larger projects. But that's a generalization.

6 Q. Okay. Yeah. Obviously, we can't speculate as
7 to why the oil companies did or did not make appearances
8 in this case. Sometimes they're lurking in the back of
9 the room, but --

10 (Laughter.)

11 A. She's shaking her head "no, she's not lurking."

12 Q. When this water swept -- this fresher water is
13 swept, does it sweep certain ions through? In other
14 words, does it end up with a higher ratio of chlorides
15 to TDS than in waters that haven't been swept, or do you
16 know? Have you looked at that?

17 A. Well, you have your waterflood naturally, but
18 you're doing it with very fresh water. In Marathon --
19 or the Glass Mountains, it starts out as rainwater, so
20 the TDS is probably less than 50. But as it goes
21 through the formation, anything that's soluble will be
22 picked up.

23 Q. Okay.

24 A. Most of the Capitan Reef, the soluble portion
25 of it has been taken out by this groundwater. And

1 that's the reason, as you go north and east from Eunice
2 out into Hobbs, the TDS tends to climb slightly. It's
3 more and more mixing of formation water.

4 **Q. Okay. Water that's produced from oil and gas**
5 **operations, is that considered protectable water?**

6 A. If the total dissolved solids are less than
7 10,000 milligram per liter, they are, whether it's got
8 H2S or not.

9 **Q. Okay. That's a legal question anyway.**

10 A. Well, the H2S is just another --

11 **Q. It would be nice if the attorneys could give me**
12 **an answer to that.**

13 MR. BROOKS: That will be covered.

14 EXAMINER JONES: Okay. Sounds good.

15 MR. BROOKS: I was going to ask that
16 earlier in the proceeding.

17 **Q. (BY EXAMINER JONES) I used to work with**
18 **geologists that looked for hydrodynamic traps,**
19 **especially up in Montana. So is this -- was this**
20 **Langlie Mattix a hydrodynamic type trap, or was it a**
21 **strat trap?**

22 A. It very easily could be because I only saw --
23 I've seen -- and what was presented in this case -- one
24 oil and gas contact and one oil-water contact, both of
25 which they drew as a horizontal line generally going

1 east-west across the reef. What does it look like in
2 the north-south, in the direction of flow north or
3 south? You may see we've actually got a tilted water
4 table, and that could and does occur. It definitely
5 occurs in the Yates Formation between the McMillan --
6 Lake McMillan and Carlsbad, because that has got a
7 tilted trap in there.

8 Q. Okay. So what we're looking at here, it seems
9 to me we're looking at permitting a replacement well for
10 an existing well. So --

11 A. Yeah. They're not very far apart.

12 Q. They're not very far apart.

13 A. Less than 100 feet.

14 Q. So is it true that the State Land Office --
15 we're going to talk about the existing well in another
16 case. But it's hard to imagine both wells being so
17 close together in operation. So, in effect, the State
18 Land Office seems to be objecting to injection of the
19 original well; is that correct?

20 A. I believe there is a high potential that we now
21 have high TDS water beneath state land 700 feet or so to
22 the south.

23 Q. Okay. You've been coached by your attorney
24 here, so --

25 (Laughter.)

1 MS. MOSS: Either I didn't do my job or I
2 did too much.

3 THE WITNESS: No. That's a fact.

4 Q. (BY EXAMINER JONES) Mr. Kronkosky and also
5 Mr. Blandford has talked about the small likelihood of
6 waters that are put back in here ever migrating into the
7 reef, and they talked about the Lower Seven Rivers being
8 a dolomite -- low-permeability dolomite. Do you agree
9 with that?

10 A. Dolomites can be extremely high permeability or
11 low, but they almost always are close to -- if you were
12 to put a bucket of water on top of a dry piece of
13 dolomite, it will go along the top until it finds a
14 crack and goes down. And that's typically what happens
15 here. So yes, there is communication. It may not be
16 directly in that wellbore, but it may be nearby,
17 especially if there is evidence of faults or fracture
18 zones nearby.

19 Q. Okay. When I envision the Capitan Reef, I just
20 envision a massive limestone that might have vugs or
21 caverns going through it for porosity, but no porosity
22 besides the caverns; is that correct? Or is it more
23 of -- does it have some native porosity and
24 permeability?

25 A. Well, you have both matrix porosity and

1 permeability in the reef, in coral reef in particular,
2 and usually those are connected -- have interconnected
3 pathways for the fluids to flow through it. And the
4 rainwater then would come in there, and water is
5 probably the best natural solvent in the world. If you
6 put water on something for a long time, pretty soon it
7 dissolves part of it. And that's what has happened
8 here.

9 **Q. Okay. But in the reef, is the ratio of**
10 **vertical to horizontal permeability about one to one?**

11 A. One to one -- seldom is it even ten to one.

12 **Q. Okay. In the Artesia Group, what would be the**
13 **ratio of vertical to horizontal permeability?**

14 A. I've only looked at that in one area, and that
15 was over near the reservoir I referred to northwest of
16 Carlsbad, Lake McMillan. And in that, the high
17 permeability was very high. And the OSE, when they did
18 a study on it, they found the same thing I did, and they
19 felt that it was clearly -- it was infiltrating at the
20 end of, actually, the Lower Yates and showing up in the
21 Capitan Reef. It just went right straight to it. So
22 that's high permeability all the way from the bottom of
23 the Yates to the top of Capitan.

24 **Q. But isn't it true that you have to have a head**
25 **difference to make migration happen? As a hydrologist,**

1 you probably are more aware of that than most people,
2 but --

3 A. Yeah. The head difference in that particular
4 example was the water level of Lake Brantley and the
5 water level above the Pecos River in Carlsbad. So it
6 was slightly less than the topographic change. So it
7 didn't take much head loss to get there. It was almost
8 like going through the river, which doesn't take much
9 head loss.

10 Q. Okay. But injection of 100,000 or more TDS
11 waters into this Artesia Group, is that going to create
12 enough head to mobilize waters back into the reef
13 anytime soon, or would it in our lifetime, or would it
14 1,000 years from now or what?

15 A. It may be down the road. It may be very
16 shortly. I don't believe there are any monitor wells in
17 the Capitan right next to this well, the Sholes B No. 2,
18 so we don't -- we don't know what the vertical
19 permeability is at that site.

20 Q. So there is very little control for logs
21 drilled through these -- this area to actually look at
22 the porosity permeability; is that correct?

23 A. Yes. There is very little control.

24 Plus, quite frequently, the gamma ray
25 neutron, as well as the porosity logs will show that you

1 have pretty much a low gamma ray count, and you also
2 have in and out porosity streaks from vertically all the
3 way to the base of the Capitan, starting up at the
4 Tansill. Once you get below the Tansill, it really
5 starts to change. And then into the -- into the Seven
6 Rivers, it changes a little bit more, permeability. But
7 below that, I don't think -- I didn't see -- on the one
8 log I looked at that was nearby, I didn't see any real
9 shale breaks, which is usually what I look for for
10 permeability -- vertical permeability breaks. I didn't
11 see any from the Seven Rivers down -- down to the base
12 of the Capitan, and that well was drilled beyond the
13 Capitan.

14 **Q. And you looked for those through the gamma ray**
15 **or the resistivity log or both?**

16 A. On the shale, I'll normally look on the gamma
17 ray first, and then I have to verify that with the
18 porosity, because shales have very high porosity, very
19 low permeability.

20 **Q. Okay. Thank you very much.**

21 EXAMINER DAWSON: I have another question
22 for you.

23 RECROSS EXAMINATION

24 BY EXAMINER DAWSON:

25 **Q. On that line, Mr. Holm, the well that you're**

1 talking about that you reviewed, is that the one north
2 of there, the Fulfer well? Is that the one that -- is
3 that 30-025-09812?

4 A. Offhand, I don't remember exactly which one it
5 was.

6 Q. Was that a Devonian well?

7 A. I want to say yes, it went down to the Devonian
8 and tested. But I look at a lot of Devonian wells, so I
9 don't remember for sure.

10 Q. So do you recall how far away that well was in
11 your review?

12 A. I think it was within two miles.

13 Q. Within two miles.

14 When you were looking at that well log,
15 could you pick the top of the Capitan on that well log?

16 A. You had a very hard time picking it. You had
17 to correlate it to something where somebody else had
18 picked it. If they've picked it, then I'll rely on that
19 because he's looked at, actually, the cuttings or at
20 least should have. And they may have even cored it, but
21 usually it's just the cutting. And the geologist on
22 site, when they're drilling the well, he usually picks
23 the tops.

24 Q. Do you recall in your observation of that well
25 log as to an idea of the vertical separation between the

1 injection zone and the top of the Capitan, about how
2 many feet that was?

3 A. It was around 300 feet.

4 Q. 300 feet.

5 So that would be pretty close to what you
6 would expect in the proposed saltwater location,
7 correct?

8 A. Yes. At that practitioner site of the various
9 logs and data I looked at in this region, which is
10 beyond two miles, I saw it could be as little as 107
11 feet from the top of the Seven Rivers Formation to the
12 Capitan -- top of the Capitan to as much as nearly 400
13 feet. So that's the range that occurs in this area.
14 But I didn't have site-specific information.

15 Q. Okay. And in your observation of the Hiss
16 cross section versus the INTERA cross section, in your
17 mind, which of those cross sections is more accurate,
18 the Hiss or the INTERA?

19 A. I think they might even be the same one.

20 Q. Well, I'm talking about the -- I'm kind of
21 referring to the peak of the Capitan. It looks like
22 it's a little different on both cross sections.

23 A. Yes, but they still show a second peak to the
24 east, as I recall.

25 Q. Uh-huh. That's the peak I was concerned about,

1 **the one to the east.**

2 A. Yeah. Both of them showed that. However, I'm
3 not exactly sure which one's right or whether they're
4 both wrong. And that's because when I look at the top
5 of Capitan maps by Hiss and the top of Capitan maps by
6 Daniel B. Stephens & Associates for the 2009 study, they
7 don't agree. They say there is no hump. They say it's
8 a gradual slope up. So I'm not sure.

9 Q. So the hump you're referring to, you think
10 that's maybe an anticlinal feature in there? Is that
11 why the oil and gas fields are there, in your mind?

12 A. It may be. I don't know the cause of it. I'd
13 be speculating on it.

14 Q. Okay. And do you think that -- that hump or
15 anticline or whatever it is, do you think that might
16 be -- the Capitan may be higher due to that hump?

17 MS. MOSS: Objection. Asked and answered.

18 THE WITNESS: Well, the thickness that I
19 saw of the Tansill-Yates-Seven Rivers' picks was
20 constant across the area. And usually when there is an
21 existing hump, when it's deposited, you see something
22 missing, and they start pinching out against it. This
23 doesn't show that in the data that I've seen and
24 presented here.

25 Q. **(BY EXAMINER DAWSON) So you wouldn't anticipate**

1 that that blip, hump, whatever you want to call it would
2 be up into the proposed disposal zone?

3 A. It may get closer to the proposed disposal
4 zone, but there would no vertical barrier to trap oil
5 and gas underneath it. I'm not aware of any oil and gas
6 in this area that's produced out of the top of the
7 Capitan.

8 Q. Okay. That's all the questions I have. Thank
9 you.

10 EXAMINER JONES: Anything else on this
11 witness?

12 We've tortured him enough, so thank you
13 very much.

14 Is that it for the State Land Office's
15 case?

16 MS. MOSS: Yes, it is.

17 EXAMINER JONES: As far as closing or
18 arguments -- oh, you want to do rebuttal witnesses.
19 Let's do that.

20 MR. BROOKS: Mr. Examiner, in light of some
21 things that came up during Mr. Holm's testimony, we also
22 would want to have -- we also want to put on a rebuttal
23 witness.

24 EXAMINER JONES: Okay. We will start with
25 the Applicant's rebuttal witness. And let's have a

1 five-minute break.

2 (Recess, 1:42 p.m. to 1:54 p.m.)

3 MR. MOELLENBERG: OWL calls Mr. Neil
4 Blandford as a rebuttal expert -- or a rebuttal witness
5 with respect to the testimony presented by Mr. Goetze
6 and then Mr. Holm.

7 THOMAS NEIL BLANDFORD,
8 after having been previously sworn under oath, was
9 questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. MOELLENBERG:

12 Q. Mr. Blandford, you previously testified and
13 have been sworn in this case; is that right?

14 A. Yes.

15 Q. Okay. Do you have a set of the Division's
16 exhibits in this case available to you there?

17 A. Yes, I do.

18 Q. Would you turn to OCD or the Division's Exhibit
19 Number 3? During Mr. Goetze's testimony, I believe he
20 used some of the information in these exhibits to
21 describe his view of the geology in the area and
22 contrasted that a little bit with some of his
23 conclusions based on that information with the
24 information presented in your model. Do you recall
25 that?

1 A. Yes.

2 Q. And I think that his testimony was that despite
3 what's presented in your model, there is a degree of
4 flexibility to interpret the geology and that there
5 still could be migration of injected fluids to the
6 north. Do you recall that?

7 A. That's what I understood. Yes.

8 Q. Okay. And do you have a response to that?

9 A. My only response to that is to evaluate issues
10 like that is why we constructed the model in the first
11 place. And I can have an opinion based on what I see in
12 the figures on what might happen, and, you know,
13 Mr. Goetze can do the same thing and have his opinion.
14 But that's why we did the model, to try to quantify some
15 of those potential processes, taking into account the
16 concerns that he raised, which was the slope on top of
17 the Capitan and the density of the injected fluid and
18 how it relates with that slope.

19 Q. Moving to Division Exhibit 4, that exhibit
20 presents a few graphs that I believe are intended to
21 depict rises in water levels in the Capitan Reef
22 Aquifer. Is that your understanding?

23 A. Yes.

24 Q. Did you consider this data in your evaluations
25 and analysis?

1 A. We did. And specifically in the modeling that
2 we did, the graph on the right is -- lower right, there
3 is a hydrograph, water levels through time for the
4 Southwest Jal USGS monitor well, and the current water
5 level, there is about 2,610. If you look on the upper
6 inset figure, it gives you the elevations as opposed to
7 just the depth of water. And that's where we came up
8 with our Capitan Reef hydraulic heads that we used in
9 one simulation.

10 The other simulation we used the historical
11 low from the mid-'70s, which is about 2,109, I think is
12 what I computed, about 500 feet lower, and we did a
13 sensitivity run with that. The idea is, in the future,
14 if the production from the Capitan increases, as it
15 probably will because there are a lot of permits out
16 there for industrial use, what would happen if that head
17 was reduced.

18 So that's where I got the two values for
19 the Capitan hydraulic heads that we applied.

20 **Q. Is there anything else that you would like to**
21 **comment on with respect to the Division's Exhibit 4?**

22 A. The one other thing that I would comment on is
23 these graphs -- you know, on all the monitor wells out
24 here, but these two in particular, if you look at the
25 starting date, it's from the late 1960s. That's when

1 the wells were converted to monitor wells by the USGS.

2 But the starting hydraulic head, water
3 levels in these wells prior to pumping of the Capitan
4 Reef for oil and gas waterfloods and things like that,
5 would have been much higher than it is today. So if you
6 project out the starting head back to the 1930s or '40s
7 or whatever, that head would be much higher than what
8 we're observing today. So these graphs make it look
9 like there's been recharge above an early water level,
10 but, in reality, you've only come back up maybe half of
11 the drawdown that occurred because of the way the graphs
12 are when the data started. And so I think that's
13 important to point out.

14 And the major point being, in my view, is
15 that this recovery in water levels that we're seeing can
16 occur just because pumping in the Capitan Reef Aquifer
17 stopped in the mid-'70s and that cone of depression that
18 was formed is going to fill in, and as it fills in,
19 water levels rise. And I think that's what we're seeing
20 in these graphs.

21 **Q. I'd like you now to move to Division Exhibit**
22 **12. And my understanding is that this exhibit is a**
23 **portion of the thesis by Mr. Hiss. Is that your**
24 **understanding?**

25 **A. I believe so. I'm still getting there.**

1 Yes. That's correct.

2 Q. And do you have any particular responses to
3 some of the -- particularly some of the boxed
4 information that Mr. Goetze highlighted, or would you
5 like to present that through a slightly different
6 exhibit?

7 A. I have an exhibit that I highlighted of the
8 same pages regarding the Hendrick Field. And, you know,
9 Mr. Goetze pointed to the Hendrick Field as an example
10 of where the Artesia Group units are well connected with
11 the Capitan Aquifer and in Texas below the state line,
12 and I don't disagree with that. I call that out in my
13 own report on page 8. And it was very well established.
14 There is good connection in that area. But that's a
15 very different type area than what we're dealing with at
16 Jal. Hiss discusses this in great detail.

17 Q. So, Mr. Blandford, I'm going to show you what's
18 been marked as OWL Exhibit 12.

19 A. Yes. And so the first page here, Hiss talks
20 about the large amount of produced water.

21 Q. Just before we start that, is that -- is this
22 exhibit also a part of Mr. -- or probably Dr. Hiss'
23 thesis?

24 A. It is.

25 Q. And is it a portion of the same thing that is

1 **Division Exhibit 12, or is it something different?**

2 A. It's a portion of the same thing. You can tell
3 by the page numbers and everything else.

4 **Q. Okay. Very good. Go ahead.**

5 A. So all I want to point out is with regard to
6 the Hendrick Field, with the oil production, there was a
7 very large amount of water production as well. And
8 that's the way it's been historically. So the last
9 sentence on page 330, they're getting to -- you know, 99
10 percent of the fluid produced was water and 1 percent
11 was oil, and they had very high ratios of water to oil.
12 So in this field, the Capitan Aquifer is well connected
13 with the Artesia Group, and to pump the hydrocarbons,
14 you are essentially pumping Artesia Group water that is
15 well connected to Capitan Reef water. We have no
16 dispute about that.

17 But what I want to point out is that's not
18 been the history in the Jalmat Field. The water
19 production in the Jalmat Field has been very low, as
20 testified to by Mr. Kronkosky. So it's different around
21 Jal than it is in the Hendrick Field.

22 **Q. In his discussion regarding Exhibit 12, do you**
23 **recall Mr. Goetze presenting some of his views regarding**
24 **the possibility of local communication between the Seven**
25 **Rivers Formation and the Capitan Reef Aquifer?**

1 A. Yes.

2 Q. Okay. Have you prepared an exhibit to help
3 with your response to Mr. Goetze's testimony in that
4 regard?

5 A. Yes, I have.

6 Q. I'm talking about this one (indicating).

7 A. Yes.

8 Q. Okay. Hold on. Let's get those marked.

9 And while we're getting these handed out,
10 can you also identify another paper by Mr. Hiss that
11 might be of use in your response to Mr. Goetze's
12 testimony?

13 A. Yes. There's a Hiss 1980 publication that we
14 also have copies of.

15 Q. So the first exhibit I've just handed out,
16 which has been marked as Exhibit 13, would you describe
17 that exhibit?

18 A. So this is a cross section that I presented in
19 my direct testimony, but I've added a cross-section
20 location with some -- with nearby well locations that
21 we've been discussing on the bottom: The Maralo Sholes
22 well, the monitor well location for the Southwest Jal
23 Unit 1, and the EOG Resources well. And I've kind of
24 drawn interpolations of those onto Section D, D prime.

25 And the second thing I've added is the

1 hydrograph, the observed water levels at the Southwest
2 Jal monitoring well that we were just discussing.

3 Q. So I take it that you have prepared this
4 exhibit yourself?

5 A. Yes.

6 Q. So would you tell the Examiners how this
7 exhibit helps you respond to Mr. Goetze's testimony?

8 A. So with regard to communication potential --
9 hydraulic communication between the Capitan Reef and the
10 Artesia Group, I draw your attention -- we have the
11 Maralo Sholes B No. 2 well on the right with the
12 injection interval shown. That's a very small green
13 dash there right around sea level in the Artesia Group
14 as we know. As we move to the left or the west, we get
15 to the Southwest Jal Unit No. 1, and the green lines at
16 the bottom of that well is the perforated interval of
17 that observation well, so clearly in the Capitan Reef.

18 And then what I'm trying to illustrate, by
19 going to the hydrograph on the upper left, is that even
20 back in the '70s, when the Capitan Reef water level was
21 at its lowest, we had, you know, well over 2,000 feet of
22 hydraulic head in the Capitan Reef Aquifer, and at the
23 injection interval, as we know from the Maralo Sholes,
24 we have very low water levels. So the Artesia Group is
25 encompassed, as we know, on the bottom by the Capitan

1 Reef Complex laterally to the west, and it's confined on
2 the top by the -- by the Salado Formation. And so all
3 around this volume of Artesia Group, we have more than
4 2,000 feet of hydraulic head, which, over a period of
5 the 50, 60 years, has not found its way into the
6 injection interval.

7 You can view this as a very long-term,
8 large-scale injection test, if you want to, with the
9 injection pressure being the greater-than-2,000 feet of
10 Capitan Reef Aquifer head, and we're not seeing a
11 response in the Maralo Sholes B No. 2. And not only
12 that, for the -- the head hasn't -- in the Capitan Reef,
13 has not been constant. As you can see from the
14 hydrograph on the upper left, it's been going up a total
15 of near 500 feet since the mid-1970s. And even with the
16 head increasing through time, we're still not seeing a
17 response in the injection interval of, you know, where
18 the Bobcat well would go.

19 So it's hard to imagine more clear data
20 indicating the lack of hydraulic connection. If there
21 were faults or facies changes or unplugged boreholes,
22 anything that's going to allow the seepage of water,
23 it's going to come in with 2,000-plus feet of hydraulic
24 head difference.

25 **Q. And if you could turn to the paper that has**

1 been marked as Exhibit 15, and, again, could you tell us
2 who is the author of this paper?

3 A. This also is Dr. William Hiss.

4 Q. And it looks like this is a published paper.
5 Can you tell any more about the state of this
6 publication or -- well, I guess I'll just ask you. Is
7 this the kind of paper that experts in your profession
8 would rely on in evaluating these types of cases?

9 A. Yes. It comes from the New Mexico Geological
10 Society guide book, the Thirty-First Field Conference.
11 These are peer-reviewed publications.

12 Q. Okay. And would you tell the Examiners how
13 this paper would be helpful in evaluating the potential
14 for communication between the Capitan Reef Aquifer and
15 the injection interval for the proposed well?

16 A. Okay. I'm not going to go through all the
17 detail of this paper. Of course, it talks about the
18 predevelopment and post-development hydraulic head in
19 the Capitan Reef Aquifer. But the one figure I'd like
20 to draw your attention to is on page 292. It's Figure
21 A3 of this publication. And in this figure is Dr. Hiss'
22 map, if you will, of post-development hydraulic head in
23 the Capitan Reef Aquifer. And there are several
24 industrial well fields along the section of aquifer that
25 we've been discussing. The largest one is south of the

1 border in Texas. And you might see this big contour
2 that loops around in a half circle that has 2400.
3 That's kind of the center of maximum pumping during the
4 '60s and the '70s.

5 But what I'd like to draw your attention to
6 is there is a note that's kind of written top to bottom
7 and it's centered around Jal. It's off to the side.
8 And it parallels the New Mexico-Texas state line. And
9 what the note says is, "The potential [sic] metric
10 surface is extremely low over oilfields on the Central
11 Basin Platform wherever the hydraulic communication of
12 the oil reservoir with the Capitan Aquifer is poor."

13 And this is exactly what we're seeing in
14 the Jal area. We see an extremely low potential metric
15 surface near sea level when the hydraulic head in the
16 Capitan aquifer is about 2,500 feet or 2,450 feet at
17 this period of time near Jal. So this is another line
18 of evidence in addition to what we've observed at the
19 Maralo Sholes well with regards to fluid levels of what
20 the conceptual model, if you will, around the Jal,
21 extremely low hydraulic head. So those oil-depleted oil
22 and gas fields and the connectivity between the Artesia
23 Group and the Capitan Aquifer, as Mr. Hiss said, are
24 poor, and I would say extremely poor or extremely small.

25 **Q. Mr. Blandford, do you have any other comments**

1 **that relate to Mr. Goetze's testimony regarding the**
2 **Division Exhibit Number 12?**

3 A. I don't believe -- that was the one with the
4 hydrographs, right?

5 **Q. That was the Hiss paper.**

6 A. The Hiss paper. No.

7 There was also some brief discussion by
8 Hiss about the Artesia Group and the Capitan north of
9 Jal. He really doesn't provide -- Dr. Hiss doesn't
10 provide the data for that, so it's hard to evaluate, but
11 it could be there's more connectivity up there. Either
12 way, going north, you have miles to the north. Going
13 south, you're miles to the south. And we have the
14 picture that we do around Jal that I've been
15 demonstrating with the extreme differences in hydraulic
16 head.

17 **Q. So, Mr. Blandford, I'd like you now to turn to**
18 **Division Exhibit 13. And I take it you were here for**
19 **Mr. Goetze's testimony regarding Exhibit 13?**

20 A. Yes.

21 **Q. And what's your understanding of what this**
22 **exhibit is intended to depict?**

23 A. Mr. Goetze took some outlines of our -- for our
24 model scenario one, the simulated extent of injected
25 water at 20 years, at two different concentration

1 intervals and represented that with the yellow and the
2 white line on this figure.

3 Q. Okay. Have you prepared an exhibit to respond
4 to Division Exhibit 13?

5 A. Yes, I did.

6 Q. And I believe it's been marked as Exhibit 15.
7 Do you have that in front of you?

8 A. Yes.

9 Q. Did you prepare this exhibit?

10 A. I did.

11 Q. And would you describe it for us, please?

12 A. This exhibit is designed to show the same thing
13 that Mr. Goetze showed, except for our second model run.
14 So there's the Bobcat well location in the middle, the
15 green triangle one-half-mile area of review. And then
16 the purplish line outside of that is the extent of
17 simulated migration of injection water at 20 years.

18 For our second scenario -- and that was the
19 scenario where we did not apply the higher Capitan
20 Aquifer hydraulic heads. And so this actually probably
21 is a little bit -- it probably is a better
22 representation of what you would expect in the first
23 run, because in our first scenario that Mr. Goetze used,
24 the head is increasing because of inflow from the
25 Capitan Reef Aquifer. And we know that's not happening.

1 So the reason you get movement off to the west and the
2 north is because of the influx of Capitan Reef water,
3 which is not occurring in reality.

4 So if you're going to look at where might
5 you expect the effects to be, I think the second
6 scenario is probably a better scenario to look at the
7 injection zone. It's probably closer to what would
8 happen in reality for that injection zone.

9 Q. Just so we explain this a little bit further --
10 and I think it's on the legend -- the green circle is
11 the half-mile radius from the well that's the area of
12 review?

13 A. That's correct.

14 Q. And the purple line, then, depicts the
15 simulated prediction of the extent of influence on TDS
16 concentrations of the injected fluids; is that right?

17 A. Yes, in model layer two, which is the injection
18 zone. So you have the greatest extent in model layer
19 two.

20 Q. Is there any other aspect of either Division
21 Exhibit 13 or OWL Exhibit 15 that you'd like to discuss
22 with the Examiners?

23 A. No.

24 Q. Do you recall during Mr. Goetze's testimony a
25 question and answer relating to rising water levels in

1 the Capitan Reef in the vicinity of the project and
2 recharge?

3 A. Yes.

4 Q. Do you have a view regarding the extent of
5 recharge to the Capitan Reef in the Jal area?

6 A. In the Jal area, there is no recharge to the
7 Capitan Reef, in my opinion, other than the groundwater
8 within the Capitan Reef Aquifer itself flowing inward.
9 And so there is no source of recharge from above or the
10 sides in the Jal area.

11 Q. And with the head differential that you've
12 talked about, would it be possible to get direct
13 recharge coming into the Capitan Reef from the Jal area?

14 A. No. The flow would be out of the Capitan Reef
15 Aquifer, not into it.

16 Q. I think there may have been a question
17 somewhere along the line about the source of water that
18 is used or proposed to be used in a lake or pond in the
19 City of Jal. Do you recall that?

20 A. Yes, I do.

21 Q. Do you have an understanding of what the
22 proposed source of water is?

23 A. The source of water for the lake on the
24 southern end of Jal is Santa Rosa wells. There are two
25 appropriations they've put in for. I talked about nine

1 wells that were new. There is an existing four or five
2 wells that also had appropriations for the Santa Rosa
3 Aquifer. I don't know if they've been drilled or not.
4 I asked Mr. Newell, and he didn't know either. That was
5 several years ago that they put those applications in.

6 Q. Okay. There's been a fair amount of discussion
7 of -- I guess I would describe it as the thickness of
8 the Artesia Group in the vicinity of the injection zone,
9 or perhaps it's from the bottom of the injection zone to
10 the top of Capitan Reef. Do you recall that?

11 A. Yes.

12 Q. Have you prepared a cross section to help
13 describe your views on that topic?

14 A. I did not prepare a cross section, but I did a
15 calculation. I was asked by the Hearing Examiners about
16 that number. And I looked at the base of the injection
17 interval at the Bobcat well, which would be the same as
18 the Maralo Sholes, and to the top of the Capitan Reef,
19 as we modeled it, it would be 450 feet. And if the
20 contour that I discussed in Hiss were not changed, if
21 you just took his map, it would be 275 feet. I think
22 our value is closer to reality, as I've explained, but
23 those would be the two numbers, 450 or 275.

24 Q. Is there any additional information you might
25 consider collecting or trying to --

1 Well, let me ask first: Is your view of
2 that based on your review of all of the existing
3 available literature and information regarding that
4 topic?

5 A. Yes.

6 There was one point nearby from, you know,
7 our study which was the Standen, et al. study that I
8 have in the figure. I posted it in the figure. And
9 that was one of the sources of information I used to
10 kind of take that high. I don't really think it's
11 there. But I couldn't find anything right on that high
12 point to look at a well log or anything like that. So
13 as far as I, know there's nothing available.

14 Q. Given the information you have on the head
15 differential, how much importance would you place on the
16 variable of the views of what that thickness might be?

17 A. I mean, I think it's certainly something to
18 look at, but as you already understand, I'm sure, I keep
19 going back to the head differential 2,000-plus feet and
20 no effect in the injection zone. And that head
21 differential applies everywhere below the Artesia Group
22 for miles. So we're not seeing it at the injection
23 zone, at the Maralo Sholes, regardless of what the
24 thickness is below that to Capitan. And if there were
25 any feature a half mile away, a quarter mile, two miles,

1 water is not coming up through that feature in any
2 significant amount. And so I really think that just the
3 basic observed data is -- is extremely compelling, in my
4 view, anyway.

5 Q. Have you heard any testimony in this case that
6 would dispute or call into question the values you've
7 talked about as to the head differential?

8 A. No. I don't think anybody's disputed that.
9 We're using the same data in that regard.

10 Q. Okay. I'm going to hand you a booklet which
11 has the State Land Office exhibits in it.

12 Well, before I go there, is there anything
13 else from Mr. Goetze's testimony that you would comment
14 on that we haven't already discussed?

15 A. No.

16 Q. Okay. So with respect to Mr. Holm's testimony
17 and the State Land Office exhibits, would you first turn
18 to State Land Office Exhibit 1? What's your
19 understanding of what that exhibit is?

20 A. This is a reproduction of one of the Hiss --
21 William Hiss' publications.

22 Q. And had you seen this information prior to the
23 hearing or in preparation for this hearing?

24 A. Yes.

25 Q. Had you considered that information as part of

1 **your work this case?**

2 A. Yes.

3 **Q. Is there anything of particular note on this**
4 **exhibit that relates to your work on this case?**

5 A. No. I think I covered in detail my opinions on
6 the Capitan Reef water quality in my direct testimony
7 and exhibits.

8 **Q. Okay. Let me then ask you to turn to State**
9 **Land Office Exhibit 2, which is in evidence here. Have**
10 **you previously seen this exhibit and some of the**
11 **information in here in preparation for this hearing?**

12 A. I certainly saw some of the information. I
13 believe Mr. Kronkosky dealt with this in much more
14 detail than I did.

15 **Q. Okay. Is there anything in this exhibit that**
16 **shows information that was of particular response to**
17 **your work on this case?**

18 A. Not other than I assumed water quality of about
19 20,000 TDS for the Artesia Group for the initial water
20 that was there, and I think that's a reasonable number
21 for our modeling.

22 **Q. And was that based, at least in part, on**
23 **Mr. Kronkosky's analysis of the water-quality data?**

24 A. Yes, and his summaries of that data.

25 **Q. Is there anything in this exhibit that gives**

1 you pause about anything that you have presented
2 yourself during this hearing?

3 A. No.

4 Q. So let me ask you to turn to State Land Office
5 Exhibit 3.

6 A. Yes.

7 Q. And what is your understanding of this exhibit?

8 A. This is the report that I have referenced as
9 Standen, et al., 2009. This is a regional study that my
10 company completed for the Texas Water Development Board.

11 Q. Okay. So you, yourself, referenced this report
12 and had reviewed it in connection with your work in this
13 case?

14 A. Yes.

15 Q. Okay. Let me just ask you in general if there
16 is anything in this report that, you know, you haven't
17 considered in your work or that you would find as giving
18 you pause regarding anything you've presented in this
19 case?

20 A. No. There's not. When I was putting my model
21 together, I did consider using what we had in this
22 study, but when I looked in the Jal area at the
23 contouring of the units, I believe that overall what
24 Dr. Hiss had in his study was better in that particular
25 area. And a lot of the -- you know, this was a regional

1 study, 22,000 square miles, and the contouring -- the
2 way it was done, it was just automated contours using a
3 geographic information system.

4 And when going from a regional study to
5 either a subregional or a local study, some of those
6 contours can change by a fair amount if you're looking
7 at the interpretation of a geologist or a
8 hydrogeologist.

9 And, for example, one of the things that
10 Dr. Hiss had in his maps that do not show in the
11 contouring here were these canyons that he talks about
12 that lead to this steep slope at places and to the north
13 of the Bobcat well on the top of Capitan Reef. And
14 because that was of particular concern for the Division,
15 I wanted to have that steep slope in the model as
16 opposed to a more flattened slope, if I had used the
17 information coming out of here (indicating). And so
18 that's why -- that's why I used the Hiss work instead of
19 this work.

20 In addition, I would note that the -- a lot
21 of the emphasis in this study was on the portion of the
22 Capitan Reef in Texas because it was for the Texas Water
23 Development Board, and so more detail was put into the
24 Texas portions of the reef than the portions of the reef
25 in New Mexico.

1 Q. So, Mr. Blandford, would you turn to Figure 10
2 of this report? Do you recall Mr. Holm talking about
3 some faulting as shown in this figure?

4 A. Yes, I do.

5 Q. So I don't know how much work or review you've
6 done with faulting as it relates to this case or
7 particularly locally, but -- so if you'd rather or if it
8 makes more sense to have Mr. Kronkosky address it, just
9 let me know. But do you have any response to Mr. Holm's
10 testimony with respect to this exhibit, particularly
11 about a suggestion that there might be faulting close to
12 the Maralo Sholes B well?

13 A. I have not seen faulting in the Capitan Reef
14 marked on geologic maps or cross sections in the
15 vicinity of Jal that we're talking about. I know
16 Mr. Kronkosky has some additional testimony possibly on
17 deep faulting that he's aware of and, you know, below
18 this whole section that we're discussing.

19 But, again -- and I know I'll be a broken
20 record -- I go back to fault or no faults. If the
21 faults are conduits for fluid flow, the water will flow
22 with 2,000 feet of head difference, and we don't observe
23 that. So if there are faults, they're not permeable.
24 That would be my opinion.

25 Q. Okay. I take it you've described this report

1 as kind of a regional evaluation. Is that of particular
2 interest to your work at a more localized level, or
3 could you tell us how you might consider this kind of
4 report in connection with the type of work you've done
5 for this case?

6 A. Well, this type of report, I would do exactly
7 what I did. If you're interested in a local area, you
8 have to review what's in this type of study with what
9 you know from the local data. And we've done that many
10 times with other regional studies, you know, groundwater
11 modeling studies, for example.

12 We've modeled the entire southern High
13 Plains of Texas, 30,000 square miles. But when we
14 follow up on that study and we want to help the City of
15 Lubbock, for example, figure out their water resources,
16 you see what that regional picture looks like at the
17 local area, and you make the adjustments that you have
18 to make to account for the local data. That's a very
19 common procedure. We do it all the time. And more
20 often than not, you will find differences, sometimes
21 significant differences, at the local level that you
22 don't pick up in a regional study.

23 Q. Would you turn to Figure 14 of this report and
24 tell us if there's anything on this figure that you'd
25 like to respond to Mr. Holm's testimony in any way other

1 **than you already have?**

2 A. The only thing I would mention on this figure,
3 when I was comparing this cross section to what are
4 listed as different formation intervals at the Bobcat
5 well, it appeared that this cross section lines up
6 pretty good. So that was another reason that I used the
7 original Hiss information. And, again, on the prior
8 exhibit that we handed out, this is the cross section
9 that I have plotted the wells on with their -- with
10 their open intervals, including the injection zone in
11 rebuttal Exhibit Number 13. This is the same -- the
12 exact same cross section unaltered.

13 Q. Okay. I think -- at least I have in my notes
14 and it may be perhaps with this figure or another that
15 Mr. Holm made a comment about the thickness of the
16 Artesia Group in the vicinity of the Bobcat well and
17 suggested that it might be within 100 to 300 feet of
18 thickness. Is that your understanding of his testimony?
19 And, if so, would you agree with that?

20 A. That is my understanding of his testimony. I
21 would say I haven't seen any cross section or geologic
22 data where you could derive a 100-foot separation. I
23 think that's much too small.

24 You can look on this section here and look
25 at the scale, and it looks like the separation from the

1 bottom of the injection zone to the reef would be, you
2 know, maybe 400 feet, 500 feet. It could be measured
3 out. And that's kind of in the range of the numbers
4 that I've already mentioned that I calculated, 450 to
5 275.

6 Q. Anything else you'd like to comment on with
7 respect to Figure 14?

8 A. No.

9 Q. Would you turn to Figure 16 of the report that
10 you have in front of you?

11 A. Okay.

12 Q. Is there anything you see there or recall from
13 Mr. Holm's testimony that you'd like to comment on?

14 A. No, other than -- I mean, this is -- as
15 Mr. Holm's said, this is in the Glass Mountains south of
16 Fort Stockton, so I don't really see that it has any
17 relevance to our area.

18 Q. My notes may be off here, but I have an
19 indication that Mr. Holm then went to Figure 12, and I
20 think he was talking about something close to Carlsbad
21 Caverns here. Does that make sense, based on this
22 figure?

23 A. I don't see the connection. I might have
24 missed it.

25 Q. Okay. Let's move to Figure 17. And if you

1 have that there, I have some references in my notes to
2 Mr. Holm talking about the depth to the top of the
3 Capitan Reef Aquifer being about 750 feet below sea
4 level and such. Do you have any response to Mr. Holm's
5 testimony regarding this figure?

6 A. Well, this is straight out of our report, and
7 this is -- like I said, this was just contoured with a
8 computer program based on data points. And it's
9 missing -- particularly in some of these more detailed
10 areas that Hiss mapped out, these canyon features and
11 things like that, they're not replicated in this figure
12 because the computer doesn't know that there is an
13 interpretation of a canyon over there, for example. And
14 so if these were drawn by hand, they would look closer
15 to what Dr. Hiss had.

16 Q. Would you move to Figure 19? And is there
17 anything you would recall about Mr. Holm's testimony on
18 this figure or anything else of particular note from
19 this figure as it relates to your prior testimony?

20 A. No. It's difficult to get much detail from
21 this figure due to the color scale.

22 Q. How about Figure 22? Would you turn to that,
23 please?

24 A. Yes.

25 Q. I think there was some discussion by Mr. Holm

1 about pumping in Winkler County, Texas as opposed to
2 also waterfloods, and then also some reference to
3 possible drinking-water use from the Capitan Reef
4 Aquifer in this area. Do you recall that?

5 A. I do.

6 Q. Do you have any comments on Mr. Holm's
7 testimony with respect to this area?

8 A. Yes. There was no -- just like from Lea
9 County, New Mexico, in Winkler and Ward Counties, Texas,
10 there was never any municipal or drinking-water use from
11 the Capitan Reef Aquifer. By the time you start -- the
12 Glass Mountains for water quality is very good, but you
13 start to, you know, go subsurface very quickly around
14 Fort Stockton. And this recharge water, by the time it
15 gets into Ward County and Winkler County, this is not
16 fresh drinking water. It's already picked up a lot of
17 salts. The water quality's very bad.

18 And I mentioned in my direct testimony, the
19 Colorado River Municipal Water District, which has a
20 large well field in Ward County, in the Pecos Alluvium,
21 they're not interested in using the Capitan Reef water
22 at all because it's already very poor quality. Odessa
23 looked in that area. They weren't interested either.
24 So it's high salinity by the time you get to that point,
25 and then you still have to go whatever it is, 30, 40

1 miles, to get up to the Jal area.

2 Q. Do you recall Mr. Holm talking about Figure --
3 Figure 8 from your report that is Exhibit 2 in this
4 case?

5 A. Yes.

6 Q. And I believe he made some comments regarding
7 the no-flow cells that you show in this model and the
8 black depicting that and raising some questions about
9 that. Do you recall that?

10 A. I do.

11 Q. How would you respond to Mr. Holm's testimony
12 regarding this figure?

13 A. The black cells, they are no-flow cells. They
14 are Capitan Reef, and the they're no-flow because we're
15 not simulating the Capitan Reef. We're simulating the
16 Artesia Group, but we have exchange of water with the
17 Capitan Reef. So if we wanted to simulate the flow of
18 water north-south from, you know, all these other things
19 that went in the past, we would have that Capitan Reef
20 cells as active cells.

21 But what we want to simulate is the
22 potential exchange of water, and that is simulated.
23 It's not like we have this Capitan Reef as no flow, and
24 there could be no flow to it. You have flow to it out
25 the boundary condition, and then our model stops at the

1 boundary. So the fact that these are no-flow cells is
2 not -- you know, it's kind of meaningless in the context
3 that Mr. Holm was putting it forward, as if we were
4 discounting exchange of water between the two geologic
5 units. That's not what we're doing.

6 Q. Is there any other thing that you recall from
7 Mr. Holm's testimony on your Figure 8 that you'd like to
8 point out to the Examiners?

9 A. No.

10 Q. Let me ask you to turn to Figure 9 of that same
11 report we were just talking about. And if I recall
12 correctly, Mr. Holm talked a little bit about some of
13 the same kinds of issues as depicted in this figure. Do
14 you recall that?

15 A. That's correct.

16 Q. And in response to Mr. Holm's testimony, can
17 you provide the Examiners with a little further
18 explanation of what's going on here, particularly on the
19 boundary conditions of your model?

20 A. That's correct. So where there are these blue
21 cells in the figure, you can have leakage of water
22 vertically in the model according to the boundary
23 condition, and where there are the red cells, you can
24 have exchange of water horizontally according to the
25 boundary condition.

1 But water flows freely through these
2 colored cells. So, for example, in model layer one, as
3 you go to the left, you get six cells that are colored
4 blue before you get to the one that's colored red.
5 We're not inhibiting the flow of water in the horizontal
6 direction. All this means is that as water is flowing
7 through those cells, if it does, it can have exchange
8 with the Capitan Reef vertically, and then when it gets
9 to the end, all the way to the left, it can have
10 exchange with the Capitan Reef horizontally.

11 So we're not -- these colored cells do not
12 inhibit the flow of water at all. They just control the
13 exchange of water between what's in the Artesia Group
14 and what's in the Capitan Reef in accordance with the
15 simulated hydraulic head in the Artesia Group and the
16 prescribed head in the Capitan Reef. And so we're not
17 initially constraining the flow of water in this model.
18 If water got to that point, it would flow out if the
19 Capitan Reef head was lower than what it is at the
20 injection interval.

21 **Q. So I think that if my notes are correct,**
22 **Mr. Holm said that under this figure and your depiction,**
23 **that the model, as I have it, arbitrarily stopped flow**
24 **to the right. Would you agree or disagree with that?**

25 A. No. It's the same condition on the right -- if

1 water got to the right, conceptually it would flow out
2 into additional Artesia Group sediments. Now, in
3 reality, when we do the simulations, the water doesn't
4 get near to these boundary conditions, so we're not
5 having that issue. But if it did go that far, it would
6 flow out of the model domain.

7 Q. Is there anything else you can recall regarding
8 Mr. Holm's testimony with respect to this figure that
9 you'd like to comment on?

10 A. No.

11 Q. Is there anything else that you can recall from
12 Mr. Holm's testimony that you would like to address at
13 this time?

14 A. No. I can't think of anything else.

15 Q. Okay. Thank you.

16 MR. MOELLENBERG: I pass the witness.

17 MR. BROOKS: Do you want to take another
18 break?

19 EXAMINER JONES: Sure.

20 (Recess, 2:47 p.m. to 2:57 p.m.)

21 EXAMINER JONES: Okay. We're ready.

22 MR. BROOKS: I'm on for cross-examination
23 of Mr. Blandford, right?

24 EXAMINER JONES: Yeah.

25

1 CROSS-EXAMINATION

2 BY MR. BROOKS:

3 Q. Mr. Blandford, I'm going to be brief.

4 There was some testimony by Mr. Kronkosky
5 about recharge, and you testified about recharge. Now,
6 I want to get the context clear. When you said there
7 was no recharge of the Capitan Aquifer in this area, I'm
8 thinking that what you probably meant was there's no --
9 there's no recharge from rainwater coming down in the
10 Jal area. Is that what you meant?

11 A. The first part of what I meant and the second
12 part of what I meant in the Jal area is there is not
13 flow of water from the Artesia Group to the Capitan
14 aquifer.

15 Q. Okay. Okay. You were not saying that recharge
16 flow was not coming into the Capitan Aquifer from the
17 sides? I believe you said that; did you not? There was
18 no recharge except what was coming in from -- through
19 the -- through the Capitan Aquifer itself?

20 A. Correct, which would be a north-south
21 direction --

22 Q. Yeah.

23 A. -- within the aquifer itself.

24 Q. And besides, if we said there was recharge
25 through the aquifer, we would have to assume there was

1 **rain in Jal, and that doesn't seem likely.**

2 **(Laughter.)**

3 MR. NEWELL: It rained there yesterday, and
4 there was standing water.

5 MR. BROOKS: Well, maybe I'm rebutted.

6 MR. NEWELL: No. It's just that time of
7 the year, you know.

8 **Q. (BY MR. BROOKS) But you testified that you**
9 **think that the rising water level of the -- of the**
10 **Capitan Reef Aquifer that's been shown on the tables on**
11 **OCD Exhibit 4 is related to recharge?**

12 A. I believe it's -- it's due to the cessation of
13 groundwater pumping. So when you pump, you're going to
14 draw the potential metric surface down. When you turn
15 the pumps off, you're going to have a natural rebound
16 effect, which comes from water within the aquifer
17 itself, continues to flow towards where the pumping had
18 occurred. It doesn't stop because that's a low in the
19 potential metric surface. And because water keeps
20 flowing within the aquifer, that's how you begin to fill
21 up that cone of depression, and that's why water levels
22 are going up, in my opinion.

23 **Q. Well, Anchor Holm testified that when recharge**
24 **water comes into the area, it tends to flush out**
25 **pollution. Do you agree with that?**

1 A. It becomes -- fresh water near the recharge
2 areas, we're talking way down in the Glass Mountains,
3 for example, will become more saline as it goes deeper
4 into the aquifer and flows to the north because this
5 aquifer is surrounded by low-permeability geologic units
6 that are essentially salts. So it picks up a lot of
7 salt as it flows, but it starts doing that way down in
8 Texas. Long before it ever gets to Jal, it'll become,
9 you know, high TDS water.

10 Q. Well, as it picks up salt from the aquifer,
11 then it's -- it's going to flush out the area where it
12 picks up the salt to some extent; is it not? That seems
13 to be what Mr. Holm's testified.

14 A. Fresh water can dissolve more salt than salty
15 water. Okay?

16 Q. Right.

17 A. You eventually get to a point where the water
18 is so salty that it can't really dissolve much more rock
19 and become a higher TDS. So it's a progressive process
20 from the mountain recharge areas until you get to the
21 deep portion of the aquifer that we're in.

22 Q. Well, doesn't the anecdotal evidence that has
23 been introduced indicate that much of the area in the
24 vicinity we're talking about, in southern New Mexico,
25 the TDS levels in the aquifer are considerably below the

1 **saturation point?**

2 A. A number of them are. And so what we've seen
3 in the Capitan is about 13,000 -- a little bit over
4 13,000 milligrams per liter, that EOG well we talked
5 about.

6 **Q. And that's well below the saturation point?**

7 A. I believe it would be. Yes.

8 And there are other wells that are much
9 higher than that, some over 100,000 TDS.

10 **Q. Okay. So you can't rule out the possibility**
11 **that water sweeping through there could pull out more**
12 **salt?**

13 A. No. I would not rule out that possibility.

14 **Q. Sweep it away?**

15 A. I would not rule out that possibility. That's
16 correct.

17 **Q. Now, the other thing I was going to -- oh,**
18 **yeah, I remember now. I didn't put it on my note sheet,**
19 **and that's always a bad thing.**

20 It occurred to me when I was -- and I
21 hadn't thought about it before, but it occurred to me
22 when I was talking about this. The testimony yesterday
23 said it was very good at this. The Artesia Group in
24 this area is very good or some people think it's a very
25 good place to dispose of produced water. Do you

1 remember that testimony?

2 A. Yes.

3 Q. If that's true and people are going to want to
4 dispose of a lot of produced water in that area, we
5 might want to be -- figure out who really has the
6 correct ideas about this. And in my opinion, the
7 Division has the authority to require some -- to put
8 some conditions on the permit, and one condition that we
9 might put would have to do with some monitoring.

10 Based on your modeling work, can you tell
11 us where you might be disposed -- if you wanted -- if
12 this permit were granted -- and I'm pessimistic at this
13 point. If this permit were granted, to verify your
14 theory concerning the movement of this water, where
15 would you want to place monitoring wells, if any?

16 A. We always have the monitoring at the wellhead.

17 Q. Right.

18 A. Offset monitor wells, there could be options
19 with existing wells that are out there.

20 Q. I was thinking of that. Yes.

21 A. And I don't have an exact location, but if
22 you're -- to me, if you're in the range, quarter mile,
23 half a mile, something like that, if you can tie --
24 observe changes in pressure to a specific well, then
25 that tells you a lot about the injection interval

1 between those two wells. So I don't think I can give
2 much more detail than that right now, but those are the
3 kinds of distances and potential opportunities that come
4 to mind.

5 Q. Well, because there is a question about
6 westward versus eastward movement. Would you have any
7 interest in knowing what was going on west of this well
8 if it were put on production -- put on injection?

9 A. I believe movement is going to be predominantly
10 radial from the well.

11 Q. Okay. And that was what you testified to in
12 rebuttal of Mr. Goetze's Exhibit 13?

13 A. That's correct.

14 Q. Okay. And if, in fact, it were moving in a
15 preferential direction, to determine that, you would
16 have to have a monitor on both sides, right?

17 A. Correct, either both sides or, you know,
18 northeast, you know, a 90-degree type thing.

19 Q. Right. Right.

20 Thank you.

21 MR. BROOKS: I believe that's all my
22 questions.

23 EXAMINER JONES: Ms. Moss?

24

25

1 CROSS-EXAMINATION

2 BY MS. MOSS:

3 Q. One thing I want to make clear, you've spoken
4 about protectable waters, I think, on your direct and
5 now in terms of municipal use; is that correct?

6 A. I don't think I used the term "protectable
7 waters," but I have spoken about municipal use.

8 Q. And your model was for 20 years?

9 A. It was for a 40-year period total.

10 Q. In New Mexico, protectable water is to be
11 evaluated on foreseeable -- reasonable foreseeable use.
12 Are you familiar with that term?

13 A. I am.

14 Q. Okay. And do you know how long that is
15 generally defined as being?

16 A. To my knowledge, there is no time period
17 associated with that that I could -- that I could quote.

18 Q. Would you be surprised if I told you that on
19 the Energy, Minerals and Natural Resources Web site, it
20 says the general time period is 200 years or longer?

21 A. I've never heard of that. I was involved in an
22 extensive hearing before the Water Quality Control
23 Commission where time frames of prediction were
24 discussed, and nobody was talking about 200 years.

25 Q. That answers my question.

1 EXAMINER JONES: Mr. Newell?

2 MR. NEWELL: Yes. Thank you.

3 CROSS-EXAMINATION

4 BY MR. NEWELL:

5 Q. We talked a lot about your model and stuff like
6 that. You would agree with me that your model is only
7 as good as -- only as valid as the inputs that are
8 involved in the model, correct?

9 A. Yes, sir.

10 Q. Any model, right?

11 A. Yes.

12 Q. Okay. You talked about OCD Exhibit Number 4.
13 And would you pull that out, please?

14 A. Okay.

15 Q. This exhibit has graphs on it, correct?

16 A. It does.

17 Q. Okay. And these graphs depict the water level
18 and reflect a general increase in that water level,
19 correct?

20 A. It does on these hydrographs, yes, since the
21 mid-1970s.

22 Q. Okay. So as you understand it -- I understand
23 your testimony. You're saying that the increased water
24 levels are a result of the stopping of production or the
25 stopping of producing or removing water from these

1 **formations and the zone of depression filling in,**
2 **correct?**

3 A. Yes, specifically the Capitan Reef Aquifer.

4 **Q. Okay. And as you understand it, when did the**
5 **pumping of the aquifer water stop?**

6 A. The vast majority of it stopped about the
7 mid-1970s.

8 **Q. Okay. And, as we sit here today, based on**
9 **these graphs, the water level is continuing to increase,**
10 **correct?**

11 A. Yes.

12 **Q. Okay. So is it your testimony that the cones**
13 **of depression haven't filled in for almost 40 years?**

14 A. Yes, it is.

15 **Q. Okay. How much water was removed from those**
16 **wells? What's the volume of water?**

17 A. I haven't calculated the total volume of water.
18 There is quite a bit of information in the Hiss report.
19 Some volumes aren't well documented, but total pumping,
20 I believe, per year had exceeded 40,000 acre-feet a
21 year, if you start adding up the different well fields
22 in the Capitan Reef. So I forget how many years that
23 was for, but you're talking about a lot of water that
24 was removed from the aquifer from whatever, the '60s
25 into the mid-1970s.

1 Q. I understand a cone of depression is just that.
2 It's a cone that's around the circumference of a well
3 and that it reflects the water being drawn out of that
4 well, correct?

5 A. It does in an unbounded aquifer, but this
6 aquifer, the Capitan Reef, it is -- it's bounded on the
7 sides by, essentially, impermeable sediments. So it's
8 not going to be a round cone. The cone of depression is
9 going to hit the sides of the aquifer relatively
10 quickly, and then it's going to expand north and south.
11 And that's what happened in this case.

12 Q. Okay. To really verify whether your theory
13 about the zones of depression being the cause of the
14 increased water level are true or not, you kind of need
15 to know the volumetrics of the cones that you're looking
16 at in terms of the amount of water that was removed from
17 each well, correct?

18 A. Yes. I've done a computation to that.

19 Q. Okay. So I thought you just testified you
20 didn't look at the amount of water that was removed in
21 terms of identifying the volumetrics associated with
22 these cones of depression?

23 A. I didn't add up the cumulative volumes year
24 after year after year after year so I could give you one
25 number for a cumulative volume, but I did look at the

1 pumping rate on an annual basis for a prescribed period
2 of time.

3 **Q. Okay. Based on the models that you did or the**
4 **studies that you did and given the fact that the cones**
5 **of depression are continuing to fill in, if you will,**
6 **then how long will it be until those cones of depression**
7 **are fully filled so that you reach that equilibrium**
8 **point where there is no longer water flowing in those**
9 **cones of depression?**

10 A. I didn't run the model out that far. I ran it
11 to current day, essentially starting back in the '50s to
12 current day so I could see if these rises appeared
13 reasonable, that they were filling up a cone of
14 depression up till now. I didn't run it out a number --
15 whatever it would take till it stops filling up.

16 And, number two, in all likelihood, it will
17 never fill up to the original level prior to pumping
18 because I don't believe the recharge is sufficient for
19 that to occur.

20 **Q. Okay. Now, would you look at your Exhibit 14?**

21 A. If you could remind me which --

22 **Q. That's the Hiss article, "Movement of Ground**
23 **Water in Permian Guadalupian Aquifer Systems,**
24 **Southeastern New Mexico and Western Texas."**

25 A. Okay.

1 Q. All right. Would you turn to -- it's not
2 marked as such, but if you look, it's page 292. I think
3 there is a mark on 291, and I think you talked about
4 this on rebuttal direct.

5 A. Yes.

6 Q. Okay. So -- and as I -- well, would you agree
7 with me that on this particular diagram and the legend
8 that's associated with this particular diagram, Hiss
9 uses the term "relatively poor" in certain areas or
10 "relatively good" in describing other areas. Do you see
11 that?

12 A. Yes.

13 Q. What is he referring -- relative to what?

14 A. It's relative, as I understand it, his judgment
15 of -- if you're observing a hydraulic head in the --
16 what do you call it -- the Artesia Group, what he calls
17 the shelf bottom aquifers, versus the Capitan, if you
18 have a relatively good hydraulic connection, then the
19 heads will be very similar to one another. And if you
20 have a measurement in one unit or the other, you can
21 assume you know the head reasonably well for both. If
22 you have a poor connection, that's not true.

23 Q. Okay. So is he saying relative -- when he
24 talks about relatively poor, is that relative to other
25 areas of the Capitan Aquifer that are relatively good?

1 **Is that how you would interpret that?**

2 A. I don't know if he had in his mind specifically
3 relative to other portions of the aquifer or just in the
4 general context of there is a good hydraulic connection
5 or a poor hydraulic connection. I can't tell you which.

6 **Q. Now, relatively poor is different than what**
7 **you're testifying to, because your testimony is that**
8 **it's not relatively poor. It's -- it's almost**
9 **nonexistent when it comes to communications between the**
10 **two aquifers; isn't that true?**

11 A. In the Jal area, that's correct. And I don't
12 know what -- you know, talking about these types of
13 terms, relatively poor, what that meant exactly to
14 Dr. Hiss, I certainly can't, you know, tell you what was
15 in his mind.

16 **Q. Okay. He did not say it's nonexistent, did he?**
17 **He did not identify any area where communication was**
18 **nonexistent, did he?**

19 A. He said the potential metric surface is
20 extremely low over oilfields on the Central Basin
21 Platform wherever the hydraulic communication -- the oil
22 reservoir with the Capitan Aquifer is poor. I mean,
23 those were -- those were his words.

24 **Q. Relatively poor?**

25 A. No. He just said poor.

1 Q. Well, okay.

2 A. He did just say poor. That's the quote.

3 Q. Okay. What are you looking at?

4 A. I'm looking at this note that is aligned with
5 the Texas state line.

6 Q. Would you tell me the page?

7 A. Same page we were talking about.

8 Q. Okay.

9 A. There is a note on the map that's oriented kind
10 of top to bottom, north-south, and I'm reading that note
11 on the map. It's near the New Mexico-Texas state line.

12 Q. When we look over on the legend where he has --
13 would you agree with me that the legend reflects certain
14 areas that are identified by lines and, if you will,
15 almost like arrowheads or whatever you want to call
16 them, triangles, as part of that? Do you agree with
17 that?

18 A. He identifies those lines on the legend. Yes.

19 Q. Okay. And the lines that appear on the north
20 side and the south side of Jal, how are they reflected
21 in the legend?

22 A. He has those as triangles. He says: The head
23 measure at the Capitan Aquifer and shelf aquifer system
24 with hydraulic communication between the two aquifers is
25 relatively good, for the open triangles. And I see some

1 dark triangles as well, and I'm not seeing his -- I'm
2 not seeing an explanation of those on the Capitan Reef
3 contours. And he has no contours with triangles in the
4 Jal area.

5 Q. So that suggests he did not review that area,
6 correct?

7 A. No. I think he reviewed it. I think he
8 reviewed it, and he wrote this note on the map that says
9 exactly what I just read.

10 Q. Okay. So let's look at Winkler County right
11 below Lea County. Is that part of the Central Basin
12 Platform?

13 A. It's on the edge of it. Yes.

14 Q. Okay. And there is one area measured in there
15 that's kind of like a semicircle, correct?

16 A. That's correct.

17 Q. And it has two open triangles and a closed
18 darkened triangle, correct?

19 A. Yes.

20 Q. Okay. So that certainly suggests that in that
21 area, the communication is relatively good, correct?

22 A. Yes. That's the area of the Hendrick Field
23 that we, you know, discussed at length earlier, where
24 it's been well shown that there is a good hydraulic
25 connection, because when they pumped that field, they

1 pumped almost all water and much less oil.

2 Q. Okay. So now let's look at -- I believe it's
3 your Exhibit 15.

4 A. Okay.

5 Q. Does this exhibit take into account the nearly
6 37 million barrels of water that have already been
7 injected into the formations from the Maralo Sholes B
8 No. 2 well?

9 A. It does, because my understanding of that water
10 is it may have been injected, but it's all taken back
11 out after it was injected, for the most part. And
12 Mr. Kronkosky has an exhibit in that regard and can
13 speak to that further.

14 Q. Okay. Can you tell me -- I don't recall the
15 testimony where it was -- where that 34 -- or 37 million
16 barrels of water was removed. Can you tell me where
17 that evidence is?

18 A. As I recall that would be under Mr. Kronkosky's
19 Exhibit F.

20 Q. And that's the history of production graph; is
21 that correct?

22 A. Well, he has a number of things on this graph,
23 but the two things that I was considering was the
24 produced water line and the injected water line, which
25 tend to, you know, mimic one another once you get to a

1 point where the data is available for both.

2 Q. Okay. So you acknowledge the produced water
3 line from the produced wells and the injected water line
4 has a relationship to each other?

5 A. I believe so, yes. Mr. Kronkosky can speak to
6 that in detail. I'm not the oil and gas person, but
7 that's what I get from his exhibit.

8 Q. All right. So let me finally ask you this: Do
9 you believe there is any, like, review bias or any type
10 of bias that Mr. Goetze brings to this proceeding as you
11 rebut his testimony?

12 A. I'm not aware of any bias by Mr. Goetze.

13 Q. Okay. Same for Mr. Holm. Any input bias or
14 anything that either of these two state employees have
15 in the outcome of this proceeding?

16 A. I don't think there is any bias on the part of
17 Mr. Holm. I have a hard time understanding why, you
18 know, the State Land Office has the concerns that it
19 does in this area because I've testified extensively, in
20 talking about the Artesia Group, that that's not going
21 to be a source of water ever for anyone regardless of
22 the quality. There's not enough permeability. There's
23 not enough thickness of the zones that do have higher
24 permeability, and I doubt it's even physically possible
25 to extract water from those zones regardless of quality.

1 So -- but bias, no.

2 **Q. In 100 years, where is Jal going to get their**
3 **water?**

4 A. I do not know. I assume they could still be
5 pumping Santa Rosa wells. If, for some reason, Santa
6 Rosa is not working out, the next aquifer down is the
7 Rustler. And if Jal ever wants to go to the Capitan, it
8 would be exceptionally expensive, but they could pump
9 Capitan, I suppose.

10 **Q. And, finally, I'm going to talk about potential**
11 **bias here. Let's just throw the 800-pound gorilla or**
12 **elephant out in the room. You're being compensated to**
13 **provide testimony here today, correct?**

14 A. That's correct, but I'm really not going to
15 risk my professional rep- -- you know, my career, so to
16 speak. I represent many clients, and the only reason we
17 get hired is because we can do the science. If I'm
18 viewed as biased because somebody's paying me, then I
19 wouldn't have much of a career left. So I'm really not
20 going to do that for anyone.

21 **Q. Okay. So let me make sure, then, that I**
22 **understand. And I was out for part of this, but I**
23 **believe it was Exhibit 3 that was presented by the State**
24 **Land Office. Was that a report that had been done by**
25 **your firm?**

1 A. Yes, it is.

2 Q. All right. And as I understand it now, you've
3 clarified various things that are reflected in that
4 document as not being completely accurate. For example,
5 because it doesn't take into account canyons or this or
6 that, and you've identified, like, for example, certain
7 issues Hiss being the better source of information,
8 correct?

9 A. I did, yes.

10 Q. Okay. In that case, didn't your firm have the
11 same desire to get it accurate as you should have here?

12 A. We were attempting to get it accurate at the
13 scale of this study, which was being done for the Texas
14 Water Development Board. So the purpose of this study
15 was to develop a geologic framework for the Capitan Reef
16 Aquifer primarily in Texas, but we also went into
17 New Mexico, and within the confines of what we were able
18 to do with the budget of the study and time, we did, you
19 know, the best job that we could. But we're not -- you
20 know, we didn't have the time to sit down and hand
21 contour 22,000 square miles of data, so it was done
22 another way.

23 Q. Now, certainly, if we look beginning on page 50
24 of that report, we can identify four different studies
25 of Hiss that were utilized. And at the bottom of page

1 51, we can identify that there was NMOCD database
2 information used. And then if we go to the Database
3 Development that's reflected on Appendix A, we again see
4 New Mexico Oil Conservation Division Web site
5 information was used, and New Mexico State Engineer
6 Technical Report information was used. Will you agree
7 with that?

8 A. Yes. I don't see where you're reading from,
9 but I believe that is correct. Yes.

10 Q. Okay. Now, this New Mexico Oil Conservation
11 Division Web site information, was this the same
12 information that was at issue or brought out in, I
13 believe -- what was the GO-TECH Web site exhibit? Was
14 that 11?

15 A. Yeah.

16 Q. Was this the same information that was -- that
17 Mr. Holm was criticized for using in Exhibit Number 11?

18 A. It's not. That exhibit didn't exist when we
19 did this study.

20 Q. Okay. But do you know whether this site --
21 this Web site included that material that you looked at
22 in 2009?

23 A. It was not.

24 Q. It was not.

25 So you're saying that the NMOCD information

1 in 2009 is superior to the information that was used by
2 Mr. Holm?

3 A. This exhibit that you're holding, my
4 understanding, is a produced water database. The OCD
5 information that's referenced in this report, the
6 Standen 2009, is -- in all likelihood, I believe it's
7 well logs and things like that. It's other pieces of
8 information that are available on the OCD Web site.
9 It's not related to this Web site you're talking about
10 at all.

11 Q. Now, you understand that the New Mexico Oil
12 Conservation Division has a voluntary compliance
13 regimen, so whatever information that's inputted into
14 the system most likely comes from voluntary compliance
15 disclosure by producers involved in the industry,
16 correct?

17 A. Well, the data that we were using are things
18 like well logs, but you don't have to take the
19 producers' word for what's going on with the well log.
20 You can download the well log and look at what it shows.

21 Q. Do you know what information they utilized for
22 that report?

23 EXAMINER JONES: Mr. Newell, we're going to
24 have to keep moving here.

25 EXAMINER WADE: I think we can weigh the

1 credibility of the --

2 MR. NEWELL: Fair enough. Then I'll pass
3 the witness.

4 EXAMINER JONES: Anything else for this
5 witness?

6 You guys want to ask any questions?

7 EXAMINER WADE: I have no questions.

8 EXAMINER DAWSON: No questions.

9 EXAMINER JONES: I have no questions
10 either.

11 Thank you very much.

12 MR. MOELLENBERG: Then OWL calls Chad
13 Kronkosky.

14 CHAD E. KRONKOSKY,
15 after having been previously sworn under oath, was
16 questioned and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. MOELLENBERG:

19 **Q. Good afternoon, Mr. Kronkosky. You've been --**
20 **you testified previously in this proceeding and have**
21 **been sworn; is that correct?**

22 A. Yes, sir.

23 **Q. And you understand that you're here this**
24 **afternoon to testify in rebuttal to the testimony**
25 **presented by Mr. Goetze, for the OCD, and Mr. Holm, for**

1 the State Land Office?

2 A. Yes, sir.

3 Q. Okay. So I'd like to go through Mr. Goetze's
4 exhibits and talk about some of his testimony on those
5 exhibits. And do you have anything to comment on with
6 respect to Exhibits 1 and 2?

7 A. With regards to Exhibit 1, no comments. With
8 regards to Exhibit 2, no comments.

9 Q. So let's move to Division Exhibit 3. And in
10 that regard, in connection with Exhibit 3, do you recall
11 Mr. Goetze discussing the potential, based on
12 interpretation of the geologic data, for preferential
13 flow of injected fluids from the proposed well to the
14 north?

15 A. I do remember his testimony.

16 Q. You've looked at the geology of the area of the
17 proposed injection well very closely, haven't you?

18 A. We've looked at it quite extensively. To give
19 you an understanding, we have downloaded every well in
20 the nine-township area and put that data into IHS Petra,
21 which is a geological interpretation software. We have
22 downloaded all of the state logs in the immediate area
23 that are on your-all's Web site, on the Division's Web
24 site. Furthermore, we have utilized public data vendors
25 to supplement missing data for well logs that were not

1 available on the Division's Website, which there were
2 quite a few. And we have put together our own personal
3 geological interpretation, and I think that it's
4 established through the exhibits that exist in our
5 report. But to be frank, we've looked at this quite
6 extensively.

7 **Q. Is there any particular information presented**
8 **in Division Exhibit 3 that you haven't considered or**
9 **taken into account in your evaluation?**

10 A. We've looked at Exhibit 3. We're well aware of
11 the Hiss data. With regards to the -- I believe it's
12 the high that numerous people have referenced. We would
13 just point out that in Hiss' data, there are no control
14 points that he identified at least in his map, and we've
15 reviewed, I guess, what is to be interpreted as his
16 submarine canyons, and we have not been able to
17 replicate that in our geological interpretation.

18 **Q. So I take it, then, that you are not in**
19 **agreement with Mr. Goetze's interpretation of some of**
20 **the geologic features in the area and his opinions**
21 **regarding preferential flow to the north?**

22 A. Yes, sir.

23 **Q. Would you care to elaborate any more on that,**
24 **or is that something you've addressed adequately in your**
25 **direct testimony?**

1 A. I think we've addressed it in the direct
2 testimony, with regards to the head that we have
3 observed in the literature, and in Mr. Blandford's
4 testimony as well.

5 Q. Okay. Let's move -- is there anything else
6 you'd like to comment on with respect to Exhibit 3?

7 A. No, sir.

8 Q. Then let's move to Division Exhibit 4. Is
9 there any information presented in Exhibit 4 that you
10 didn't consider or address in your examination of the
11 site?

12 A. No. We've reviewed this data extensively and
13 have taken it into consideration, in our opinion.

14 Q. Is there anything in particular you'd like to
15 comment on?

16 A. We just second Mr. Blandford's opinion that the
17 head rebound that we observed can be explained just due
18 to the cessation of pumping.

19 In our report, there is a subsection that
20 discusses a very simple -- but it's a void [sic] metric
21 calculation. And it is simple in nature in the
22 calculation, but I believe it should suffice as evidence
23 that this could be caused just due to cessation of
24 production.

25 MR. NEWELL: Object to the answer. "Could

1 be caused" doesn't rise to a reasonable scientific
2 probability. So his testimony is opinion testimony.
3 And I think, under law, it should be to a reasonable
4 probability, and "it could be" doesn't rise to a
5 reasonable probability.

6 EXAMINER JONES: Mr. Moellenberg, what
7 would you say to that?

8 MR. MOELLENBERG: I would say that I think
9 you-all are in a good position to assess the answer in
10 light of everything else you've heard here and decide
11 how you want to take the information.

12 THE WITNESS: It's a volumetric estimate,
13 so --

14 EXAMINER JONES: Okay.

15 Q. (BY MR. MOELLENBERG) Mr. Kronkosky, is there
16 anything else you'd comment on with respect to Exhibit
17 4?

18 A. No, sir.

19 Q. So let's move to Division Exhibit 5. And with
20 respect to that exhibit, can you recall testimony by
21 Mr. Goetze as it relates to some of the data,
22 particularly for the produced water presented on this
23 figure?

24 A. Yes, sir. I do remember his testimony.

25 Q. Okay. And in that regard, have you recently

1 taken a look at the OCD records regarding the volumes of
2 produced water for the Sholes B 25 Well No. 1?

3 A. Yes, sir. I reviewed that data this week.

4 Q. Okay. And does your review of the current data
5 agree with what's presented? I believe it would be with
6 the blue lines on Exhibit 5.

7 A. The data as presented in Exhibit 16 is in
8 nonagreement with the State's Exhibit 5 for the peak and
9 water production in -- at the end of 2016.

10 Q. Okay. And if I recall correctly, Mr. Goetze
11 acknowledged that there had been some corrected data
12 reported, but he has no reason to or, really,
13 information to be able to assess whether the originally
14 reported data or the corrected data is correct; is that
15 right?

16 A. That's my understanding.

17 Q. Okay. Do you have any information from your
18 knowledge of the situation that would help the Examiners
19 assess whether the originally reported data or the
20 corrected reported data is correct?

21 A. Several months ago -- I can't remember the
22 exact date -- in preparation for this hearing, I did a
23 site evaluation. I observed the well in question and
24 observed that it is a flowing gas well and that it is
25 not connected to electricity and has not been connected

1 to electricity in some time. The spike in production
2 that took place in the 2015 area would require flow
3 rates of 3,000 barrels of water a day. In order to
4 produce fluids at that rate, it would require some sort
5 of artificial lift mechanism, most likely a submersible
6 pump. We could discern no, I guess, knowledge or
7 observations that a submersible pump had been in that
8 well in probably quite some time, at least into the
9 '90s. There is no electricity out there on that well.

10 **Q. To your knowledge, is there any other**
11 **explanation from where the originally reported produced**
12 **water volume numbers may have come from?**

13 A. I would speculate, but I would say the high
14 rates may have been a reporting error. Maybe a decimal
15 place was corrected, but I'd be speculating on the
16 report. But physically, the well in question, at least
17 during my observation, was not capable of producing
18 3,000 barrels of water a day.

19 **Q. So based on your understanding of the**
20 **capability of that well to generate produced water, is**
21 **it your view that the originally reported numbers or the**
22 **corrected numbers are most likely correct?**

23 A. The corrected numbers in 2016, 2017 are
24 correct. The current 2015 are incorrect.

25 **Q. Is there any other comments you would have**

1 regarding Division Exhibit 5 or Mr. Goetze's testimony
2 about that exhibit?

3 A. Not at this time.

4 Q. So let's turn to Division Exhibit 7, which is
5 some information relating to the New Mexico [sic] B 31
6 well. Do you see that?

7 A. Yes, sir.

8 Q. If I recall correctly, the discussion with
9 Mr. Goetze related to whether there is a potential need
10 to inspect the plugging of this well. Do you recall
11 that?

12 A. I do recall.

13 Q. Do you have any comments or concerns in that
14 regard?

15 A. Nothing aside from the fact that it's my
16 understanding that the State doesn't have any
17 information on that wellbore and that the regulatory
18 engineers relied upon trusted third-party providers to
19 prepare this exhibit.

20 Q. Okay. Let me have you turn to Division Exhibit
21 8. And I think Mr. Goetze's testimony related that to
22 the same issue of the adequacy of the plugging of -- of
23 the M.F. Sholes B 30 number well -- M.F. Sholes B 30
24 No. 1 well. Do you recall that?

25 A. Yes, sir.

1 Q. Do you have any comments in that regard or any
2 concerns that this type of sinkhole development might be
3 a risk at this well, given your understanding of the
4 geology in the area?

5 A. While I haven't reviewed this paper in great
6 detail and given it a tremendous amount of thought, I am
7 aware of sinkhole development that's taken place in the
8 Permian Basin. I would just like to point out that I
9 believe that the paper has to do with waterfloods and
10 injecting fresh water, which fresh water may leach
11 salts. Whereas, it has been established that the Maralo
12 Sholes B is injecting fluids of 140,000 TDS, which the
13 solubility of salts in that fluid is extremely low. So
14 that's about the only comment I make on that.

15 Q. In the interest of time, I'm going to skip
16 Exhibit 9. Let's go to Exhibit 10 briefly. Exhibit 10
17 appears to be an order of the Division. Do you recall
18 that?

19 A. Yes, sir.

20 Q. And this was related to an application for a
21 saltwater disposal well; is that right?

22 A. Yes, sir.

23 Q. And is it your understanding that this
24 application proposed an injection interval that would
25 have included part of the Capitan Reef Aquifer?

1 A. Yes, sir.

2 Q. And your understanding is this application was
3 denied based on this order?

4 A. Yes, sir.

5 Q. Let's take a quick look at Division Exhibit 11,
6 which is the March 15th report by Mr. Goetze. As I
7 recall, your written report and much of your direct
8 testimony was centered on a response to some of the
9 points that Mr. Goetze made in this report; is that
10 right?

11 A. It is.

12 Q. Do you have anything else to add regarding this
13 exhibit or Mr. Goetze's testimony in relation to this
14 exhibit that would be helpful to the Examiners?

15 A. I believe that we attempted to address
16 Mr. Goetze's letter in our June 1st letter as best we
17 could.

18 Q. Okay. So really nothing to add on that?

19 A. No.

20 Q. So let's turn to Division Exhibit 12.
21 Mr. Blandford, on rebuttal, addressed this to a fair
22 degree. Do you have a particular comment on this
23 exhibit or Mr. Goetze's testimony on this exhibit?

24 A. I would just like to point out his, I guess,
25 highlighting on page 34 of this report. Specifically,

1 he talks about -- Hiss talks about the Eugene Coates 3
2 well, and I believe it's on Exhibit -- and then on page
3 301 as well. The Eugene Coates well is actually located
4 very near or in the Jalmat Field and is, I think,
5 completed in the Seven Rivers, and the Federal Davidson
6 well is an observation well completed in the Capitan
7 Reef. Hiss made the distinction that the two were --
8 the two hydrographs of these two wells were related to
9 one another. I haven't reviewed the hydrographs. I
10 don't know that. I'd be speculating. But because they
11 are completed in different formations and we know for a
12 fact that the Skelly Jal water supply was producing out
13 of the Seven Rivers, it's more likely that the Federal
14 Davidson observation well's decline was related to the
15 Skelly Jal water production, and the Eugene Coates
16 decline or fluid level observation was related to the
17 production that was taking place in the Jalmat Field at
18 that time. Again, I would be speculating because I have
19 not reviewed the hydrographs.

20 MR. MOELLENBERG: Do we need to pause for a
21 moment?

22 EXAMINER JONES: Mr. Holm needs to leave.
23 Is there a need for Mr. Holm?

24 MR. MOELLENBERG: I don't believe so, not
25 from our end anyway.

1 EXAMINER JONES: Okay.

2 EXAMINER DAWSON: Go ahead.

3 (Mr. Holm exits the room, 3:49 p.m.)

4 Q. (BY MR. MOELLENBERG) Anything else you'd like
5 to say about Division Exhibit 12?

6 A. Not at this time.

7 Q. If you would turn to Division Exhibit 13, and
8 in this regard, I believe that Mr. Goetze and also
9 Mr. Holm had some comments relating to potential impact
10 of the proposed injection on correlative rights and the
11 possibility of waste. Do you recall that?

12 A. I do.

13 Q. And you, as a reservoir engineer, have looked
14 at that issue in connection with preparation of your
15 reports for this case; is that right?

16 A. I have.

17 Q. Now, recognizing that none of the operators or
18 lessees who have been notified so far have appeared and
19 raised any issues but now we have a new round of notice
20 coming -- and perhaps we'll have to revisit this issue
21 depending on what happens -- could you, in response to
22 the testimony that's been given in this case up to now,
23 give the Examiner your view about the potential for
24 impacts on correlative rights?

25 A. I don't believe that they exist. I believe

1 that the injection that OWL would do in the Bobcat well
2 would be beneficial to adjacent and existing oil and gas
3 mineral owners, and it would only serve to recover more
4 hydrocarbons that would not otherwise be recovered
5 without the additional injection.

6 **Q. And why is that your opinion?**

7 A. If we look at Exhibit -- I believe it's F -- or
8 Tab F and our report and we review the production, the
9 injection that took place, which started in the late
10 1960s, in Section 24 and in Section 25, there were
11 several water -- several saltwater disposal permits, and
12 those are also identified in our exhibit. I believe
13 it's Tab H. There are numerous saltwater disposal
14 permits that have been approved in this same section,
15 Section 25 and Section 24, and those are identified in
16 blue in Tab H. And we've identified the orders and the
17 case numbers and the dates of the approvals.

18 What we observed in the production history
19 since the 1970s is that the water was recycled in this
20 project area. There was no new makeup water put into
21 the area. That probably would have had to come from
22 fresh water, which is extremely scarce in this area.
23 There is not a whole lot of water to be put into this
24 field. And for a secondary recovery project to work in
25 a very depleted field, additional waters would need to

1 be put in place, and a substantial amount of water would
2 have to be put in place before we would even see
3 secondary response.

4 And we can observe that in Exhibit F. We
5 observe that in 1994, the review of the production,
6 Southwest Royalties tried to instill a waterflood
7 pressure maintenance project, and that's the spike in
8 oil production that you see in '93. And the spike in
9 water production and injection, because injection data
10 only exists from 1994 to today's date, we observed that
11 the water production and the injection was essentially
12 the same. So they recycled the water, and no new water
13 was put into the system. So the reservoir pressure
14 remained depleted. This was no additional mass put into
15 the system to increase the reservoir pressure. That's
16 why the reservoir pressure to this date is extremely low
17 in this area.

18 **Q. And as it relates to, I guess, the related**
19 **topic of waste, could you describe your views on whether**
20 **the proposed injection would waste resources?**

21 **A.** I believed it would be beneficial. We would
22 recover additional hydrocarbons.

23 I guess the only other comment I'd like to
24 make is we reviewed the injection data in 1994, in the
25 mid-'90s, for the two wells north of the proposed well,

1 and I believe those are identified in Exhibit F. I've
2 got the orders. But there are two injection wells that
3 are due north of the proposed well. Those would be
4 R-5196 and R-3488. When we reviewed the injection data
5 on those wells, they were injecting 20,000 barrels a day
6 in 1994. So there is precedent, in this same section,
7 of high-volume injection under vacuum.

8 Q. And, Mr. Kronkosky, does the answer you just
9 gave and the discussion you just gave relate to some of
10 the questions Mr. Newell has raised about consideration
11 of historic injection of higher volumes in the area?

12 A. I believe it should address his questions
13 regarding that.

14 Q. So let's move -- and I think I can do this
15 fairly quickly. Let's move to Mr. Holm's exhibits. Do
16 you have any -- do you have any comments or anything to
17 add regarding Mr. Holm's or the State Land Office
18 Exhibit 1 and the testimony that's been given to that?

19 A. Nothing that -- we reviewed this document a
20 long time ago, and we're well aware of it.

21 Q. Okay. Let me ask you, then, to move to State
22 Land Office Exhibit 2. And we've had a fair amount of
23 discussion on that, the sources of the data and so
24 forth. I take it you haven't attempted to try to
25 reconcile all of -- all of this data that's presented in

1 **here, have you?**

2 A. We have not tried to reconcile it. We've
3 merely provided our client and, through our client, the
4 State a statistical review of Hiss' 1975 USGS work.
5 It's a database that he prepared. We have scanned
6 copies of that data in this area. And I believe that
7 some of this data may be obtained from that, but I would
8 be speculating.

9 Q. Okay. In that same regard, although you
10 haven't done a comprehensive review, has any of the data
11 that's presented on State Land Office Exhibit 2 caused
12 you to raise a question and take a look at it in more
13 detail?

14 A. It has.

15 Q. And could you identify which particular data
16 point or points that you have taken a look at?

17 A. I believe that Mr. Holm has made the testimony
18 and the comments that the chlorides in Section -- I
19 believe it is -- 24 -- and those are for API Number
20 30-025-09789 -- total dissolved solids of 316,000,
21 thereabouts, and the well due south, 30-025-09788, total
22 dissolved solids of 117,000, 118,000. I believe his
23 testimony was that the saltwater disposal well
24 30-025-09792 was responsible for the degradation of
25 waters in that section. We have evidence to the

1 contrary.

2 **Q. And what is that evidence?**

3 A. In Hiss' 1975 USGS publication -- and that is
4 in Exhibit -- I believe it is Tab M -- I'm sorry --
5 Tab L, and we'll have to go back through it. But if you
6 flip through the scanned images of that report to
7 page -- and it's toward the very back -- it would on his
8 report, page 241 and page 241A.

9 **Q. Sorry to interrupt you, but what is the source**
10 **of this report?**

11 A. The source of this report is Hiss' 1975 -- let
12 me read the title of it. It is "Water Quality Data From
13 Oil and Gas Wells In Part of the Permian Basin,
14 Southeastern New Mexico and Western Texas," the "USGS
15 Open-file Report 1975-579," and it was prepared in
16 coordination with the New Mexico State Engineer's
17 Office. We have scanned -- we have requested this
18 document from the Library of Congress in Washington,
19 D.C. and have made a scanned copy of this entire data
20 set. I don't know if the State has a copy of this, but
21 it is an extremely rare document. And it includes water
22 quality all across the United States -- I mean through
23 the Permian Basin with a tremendous amount of detail.

24 With regard to the two specific wells with
25 the high total dissolved concentration, on page 241 --

1 and you'll see a number called "Sequence Number,"
2 "SQNO," and it goes from 1 to 53 -- I believe if you
3 look at Sequence Numbers 31 and 32, you'll observe that
4 the chloride concentration that is in Hiss' report is
5 69,000 and 180, which matches the numbers provided on
6 the State Land Office's map for those two wells in
7 question, and the total dissolved solids also match.
8 Now, they do not match exactly because this database was
9 prepared in 1975, and they rounded significant digits at
10 that time. But suffice it to say that is the same data
11 samples that the State Land Office is reporting.

12 What was interesting to note is on page
13 241, Sequence Numbers 31 and 32, the date of sample
14 collection, in Sequence 31, it's 6/20/1959, and Sequence
15 32, it's 9/15/1959. The saltwater disposal well that is
16 an adjacent well was not approved for disposal until
17 1968, so in ten years after the sampling took place. So
18 it is not possible that this well injected fluids to
19 cause those samples to be degraded to that point.

20 **Q. Are you finished on that point, Mr. Kronkosky?**

21 A. The only other point that I would make
22 regarding this and some of the data that the State Land
23 Office had made regarding water is that most of these
24 wells never produced water initially. Almost all of
25 them were water-free completions. The water that is

1 being reported, I have no clue where it's coming from,
2 but almost all of these wells produced very little
3 water. Especially as we move further and further to the
4 west and we get up into the gas cap by the Maralo
5 Sholes, there should be no water being produced or that
6 is producible in the reservoir at that high elevation
7 structurally. It would be at irreducible water
8 saturation. So they may have done these reports to look
9 for some minor amounts of scale, tendencies on raw
10 pumping these wells, but there should be no water that
11 was productive in these wells because it is so high
12 above the oil-water contact.

13 **Q. So are you concluded with your comments as they**
14 **relate to the State Land Office exhibits?**

15 A. Yes, sir.

16 **Q. I know that Mr. Blandford discussed State Land**
17 **Office Exhibit 3 in a fair amount of detail, but are**
18 **there any comments you would like to make with respect**
19 **to State Land Office Exhibit 3 or Mr. Holm's testimony**
20 **about that exhibit?**

21 A. Nothing besides the fact that I have reviewed
22 the document. I second that. I believe there was
23 testimony on faulting from this document. I think we
24 need to put the record straight on that.

25 **Q. Yeah. So let's talk about that a little bit.**

1 So Mr. Holm talked quite a bit about faulting as it
2 related to some of the information on State Land Office
3 Exhibit 3; is that right?

4 A. Yes, sir.

5 Q. Have you looked at the potential or possibility
6 for faulting within -- or faults to be located within
7 the area of the proposed injection well?

8 A. We have reviewed, quite frankly, at least 300
9 well logs in the immediate area, and we see no evidence
10 of faulting in the shallow Permian reservoirs. There
11 is -- I don't know if there is any literature that would
12 substantiate substantial faulting through the Permian
13 section. And all of the faulting took place in the
14 Permian Basin and the major mountain-building took place
15 in the Permian time, and then there was a Wolfcamp
16 erosional feature that took place out here on the
17 Central Basin Platform, and carbonates flew up from
18 that.

19 But there is no evidence there is -- I
20 think the comment was made regarding Tab D. I believe
21 Mr. Holm made the comment that the draping structure
22 that we see in this cross section is related to a
23 shallow fault. That is patently incorrect. It is due
24 to drape across deep-seated faults in the Pennsylvanian
25 and Devonian section. There are numerous faults in this

1 area. Lots of normal faulting and reverse faulting took
2 place. That is why there is Devonian production up on
3 the Central Basin Platform in this area. There are
4 probably 3- or 4,000 faults in the extremely deep
5 reservoirs, but there is drain across this fault just
6 due to natural compression in the Basin.

7 Q. So based on your view, do you have any concern
8 at all that faults might exist in the vicinity of the
9 proposed injection well that could result in transport
10 of injection fluids differently than you and
11 Mr. Blandford have assessed?

12 A. Not in the Artesia and Capitan Reef portions of
13 this reservoir.

14 Q. Mr. Holm also gave some testimony about a
15 couple of your exhibits, and I believe the first one was
16 Tab D. Do you recall that?

17 A. You might have to refresh my recollection.

18 Q. Do you have Tab D there?

19 A. I believe it's the cross section.

20 Q. Okay. I have some fairly extensive notes on
21 that. Give me just a second --

22 A. Sure.

23 Q. -- to see.

24 So it appears that he had a comment on what
25 this figure shows based on the colors concerning the gas

1 cap, a closed structure related to the gas cap, a blue
2 area that he identified as water and so forth. Do you
3 recall whether Mr. Holm accurately testified regarding
4 what you have depicted on this exhibit?

5 A. That is correct. The blue color is the water
6 that is below the oil-water contact. The green is the
7 oil window, and the red or pink color is the gas and the
8 gas cap.

9 Q. Okay. Now, I believe Mr. Holm suggested that
10 there was a possible stratigraphic change. I think he
11 described as a pinch-out. This is -- as you're moving
12 across the diagram to the left -- this may not make
13 sense. Starting with the Sholes 25 well and it says,
14 "Drops abruptly at the...." And I have the initials
15 B-R-L No. 2. I think that stands for a well. I think
16 the point was that he's suggesting there is evidence of
17 some stratigraphic change and the possibility of a fault
18 here. Would you agree with that, or what would be your
19 interpretation of this information?

20 A. I would disagree. This is just, as I said,
21 just drape across a very deep-seated fault that does not
22 make connection up into the Permian Basin -- the Permian
23 strata. You can clearly see that the reservoirs do not
24 thicken appreciably across this area. It's essentially
25 pancake flat.

1 When these reservoirs were laid down, the
2 reservoirs do pinch-out laterally to the east
3 approximately -- in the Seven Rivers and Yates
4 approximately eight miles to the east. They then
5 further pinch out as they lap up onto the shelf edge,
6 shelf margin approximately six miles to the west, the
7 sands do this. The sands pinch out.

8 **Q. Anything else to add on that point?**

9 A. The only other thing I maybe would like to add
10 is that we observed a drill-stem test in this well on
11 the left, which is the Skelly Joyner -- or I guess it's
12 now the Apollo Operating Joyner WT-Federal 2. We
13 observed a drill-stem test, and we have noted that in
14 our report in the text. And that is noted on page --
15 page 9 of our text at the top. And what we would
16 specifically like to point out is that they did a
17 drill-stem test in 1995, and production had been
18 producing out here since the late 1920s. They
19 drill-stem tested the productive sands, and they
20 recorded bottom-hole pressures in 1955 of 95 psi. They
21 then tested reservoirs deeper in the section into the
22 oil-water contacts of 1,400 psi, the original reservoir
23 pressure. That confirms that there is no vertical
24 migration of fluids at least over that 35 years period
25 of time. And we observed that today. So it's a test

1 further confirming no vertical migration of fluids in
2 these reservoirs.

3 Q. And would that then address Mr. Holm's
4 contention that there might be some evidence around that
5 Apollo Joyner well that suggests a fault line that
6 separates these wells from the gas cap?

7 A. No. The reservoirs that were drill-stem tested
8 had never been produced in the area. That's why they
9 were at original reservoir pressure.

10 Q. Okay. There was some discussion about the
11 possibility of fracturing in formations consisting of
12 dolomite. Have you seen any evidence of such fracturing
13 in your review?

14 A. In this particular area, we don't see evidence
15 of fracturing. We observed the resistivity logs, and
16 what we observed is extremely tight dolomites. We don't
17 observe any fracturing.

18 Q. Mr. Kronkosky, is there anything else you
19 recall from Mr. Holm's testimony that I may have missed
20 and that you wish to comment on, or Mr. Goetze's, for
21 that matter?

22 A. I believe Mr. Holm's made a comment that he
23 reviewed a well log that had the marking of Capitan Reef
24 on it that he did not prepare. As the Division is well
25 aware, operators typically write on well logs, and then

1 sometimes they use the type logs.

2 But we have utilized not only our own
3 interpretation, but we've utilized GRS, a data vendor
4 that provides well tops all across the Permian Basin. I
5 believe they provide well tops for 100,000 wells, and
6 they had dozens of geologists on staff that prepared
7 this work. We not only reviewed their tops, but we made
8 our own tops. And we would observe and pick the Capitan
9 Reef in the Maralo Sholes well approximately 700 feet
10 beneath the injected interval. That would be the
11 proximity of the reef. And we can identify this in
12 Exhibit D again.

13 EXAMINER JONES: D?

14 THE WITNESS: I believe it's D. And if we
15 get the Fulfer Oil & Cattle Sholes A 8, this well, I
16 believe, is on strike and due north approximately one
17 mile to the north, so it's a very good representation
18 depositionally because the sediments came from the east
19 and west. But this is a good representation of what a
20 deep Maralo Sholes well log would look like.

21 And what we observe is, at the very bottom
22 of this well log, there is an increase in porosity and
23 an increase in dolomites and very clean -- or cleaning
24 of the gamma ray, which signifies cleaner carbonate.
25 And I know it's difficult to read, and I believe we're

1 going to get the Division larger copies of this. But
2 each one of those numbers in the middle of the well log
3 is 100 feet. And from the injected interval, if I count
4 them right, it's approximately 7- to 800 feet below the
5 proposed injected interval, is where we observe porous,
6 clean carbonates, which may be considered Capitan Reef
7 reservoirs. The carbonates above them are extremely
8 tight dolomites, which would be considered clean, and
9 basal Seven Rivers, but they are very tight and
10 nonporous and permeable.

11 Q. (BY MR. MOELLENBERG) Mr. Kronkosky, I'm handing
12 out some additional papers, because we don't have
13 enough. But can you confirm that what I'm handing out
14 here are simply larger, more readable printouts of the
15 exhibits that are in your report that is OWL's Exhibit
16 1?

17 A. They are.

18 Q. And I'm not intending to identify these as new
19 exhibits or anything. I think the ones for the record
20 are fine, but these ones are easier to read.

21 Mr. Kronkosky, does that conclude your
22 rebuttal testimony, or do you have anything to add?

23 A. I would like to add one quick comment.

24 Q. Okay.

25 A. In Tab D, which is the -- we were talking about

1 the Fulfer Oil & Cattle Sholes A 8 and my testimony
2 regarding the Capitan would be approximately 700 feet
3 deeper in this section than the proposed interval. That
4 is also shown in Exhibit -- or Tab A, at the top right,
5 where Harris and Saller make a geologic cross section of
6 the Federal Davidson and the number of wells going on in
7 the shelf margin. The proposed well is actually further
8 to the east of the Davidson Federal, so it is right of
9 that well. And what we observe is that there is
10 approximately 7- to 800 feet of shelf dolomites that are
11 tight, and then we would get potentially into the
12 Capitan Reef, and it would be very thin at our proposed
13 location. I just wanted to get that in the record.

14 **Q. Okay. Anything else to add for the record at**
15 **this point?**

16 **A. Not at this time.**

17 **MR. MOELLENBERG: I pass the witness.**

18 **EXAMINER JONES: Mr. Brooks?**

19 **MR. BROOKS: Thank you.**

20 **CROSS-EXAMINATION**

21 **BY MR. BROOKS:**

22 **Q. I wanted to ask you about your testimony that**
23 **injection of water into this formation would be**
24 **beneficial. And you referred us to the oil wells or the**
25 **hydrocarbon wells in the vicinity, and you referred us**

1 to -- was that your Exhibit F?

2 A. Exhibit F has the production history of the
3 project area.

4 Q. Now, you said that waterflooding was begun in
5 1973 or '4 in this field?

6 A. There were two saltwater disposal wells that
7 were approved in 1968 in, I believe, Sections 25 and 24
8 of this township.

9 Q. 1968 is not even shown on this graph. It only
10 goes back to 1970, right?

11 A. Digital data exists to 1970.

12 Q. Yeah.

13 And you begin -- the curve that you have
14 marked "Injected Water" begins with 1994, right?

15 A. That is correct.

16 Q. Now, do you make any distinction on this curve
17 between injected water from saltwater disposal and
18 injected water from -- from secondary recovery efforts?

19 A. It is just injected water that was injected
20 into the approved injection wells in this section.

21 Q. Yeah. I thought you said they began secondary
22 recovery efforts about 1993, '94. Is that what you
23 stated?

24 A. Southwest Royalties, in 1939, 1994, attempted
25 to do either a pressure maintenance or some kind of

1 secondary recovery project. They installed a few
2 submersible pumps in some offset wells and had limited
3 success with some of them. They pumped off pretty
4 rapidly due to the low pressure and low deliverability
5 on some of the pumps on the wells.

6 **Q. Yeah. There is a spike in both oil and gas**
7 **production in 1993 and a smaller spike in 1994. Would**
8 **that be attributable, possibly, to this secondary**
9 **recovery effort?**

10 A. Yes, sir. I believe the oil production went
11 from approximately 40 barrels a day previously to
12 approximately 3- or 400 barrels a day.

13 **Q. Right.**

14 **But this was a specific secondary recovery**
15 **project, was it not, a project designed to achieve an**
16 **increase in production?**

17 A. I don't know if they made a filing at the time.
18 I don't recall anything in the record of them making a
19 specific permitting process to start a pressure
20 maintenance or secondary recovery project other than the
21 fact they took over the operation of those wells.

22 **Q. So you didn't locate any data that this**
23 **actually was a secondary recovery process?**

24 A. I can only look at the production history and
25 make assumptions and based upon my experience and in

1 doing this for ten-plus years and analyzing oil and gas
2 assets all over the Permian Basin, especially
3 waterfloods, that this looks like a secondary recovery
4 project attempt.

5 **Q. Okay. The fact that a secondary recovery**
6 **effort produced some increase in production would not --**
7 **or pressure maintenance effort would not necessarily**
8 **mean that any injection into the formation would be**
9 **beneficial to the wells, would it?**

10 A. I believe this confirms that injection into
11 this reservoir would increase the recovery of
12 hydrocarbons in this area. The reason why it was not
13 extremely successful was because they recycled the
14 water. There was no new water injected into this
15 reservoir to make up. That's a term we use in
16 waterflooding.

17 **Q. Yes, I understand.**

18 A. So a substantial amount of water would have to
19 be injected -- I believe I made a simple calculation --
20 and it would be well in excess of 70- to 80 million
21 barrels of water.

22 **Q. So on what do you base this -- is this spike in**
23 **production shown here the only thing on which you base**
24 **your conclusion that injected water would be beneficial**
25 **to the hydrocarbon wells in the vicinity?**

1 A. No. There are numerous waterfloods in the
2 Jalmat and Langlie Mattix all along the trim. This is a
3 field and reservoirs that are very susceptible to
4 secondary recovery methods.

5 Q. Have you done any analysis of the fact of
6 randomly injected water into this formation? This is
7 just the fact you have an injection well in one
8 location. What does it -- if it's not a part of a
9 deliberately planned effort, what effect might it have
10 one way or the other?

11 A. It would -- it would increase the reservoir
12 pressure and would be a source of the makeup fluids and
13 would thereby allow offset operators the ability to
14 recover additional hydrocarbons.

15 Q. Okay. Thank you.

16 Just one other question I believe I have.
17 In SLO Exhibit Number 2 that you spoke about and you
18 testified at length about your opinions as to the affect
19 or lack thereof of Well Number 09792. Do you have any
20 explanation of why the wells in the north part of
21 Section 25 -- of Township 25, 36 East -- well, it's not
22 the north part. It's the middle part. There are huge
23 discrepancies between looking at -- well, looking right
24 above the ones you testified about, there are wells
25 showing TDS reports of 9,751 and 1,508, and then just

1 below those, there are 10,570 and 3,753. And then below
2 that, there's this one, 09789, about which you testified
3 that's 316,728. Do you have any explanation of why
4 there is that huge difference in less than a mile there?

5 A. The only evidence that I can provide is what is
6 in Hiss' 1975 scans that I've provided. And while I've
7 not correlated this data in its entirety to the State
8 Land Office exhibits, I have reviewed it to some degree
9 and have made some findings. Those samples re in this
10 report -- or in this data set. In this data set, there
11 is also mention that there are numerous errors in this
12 data set. This is not a 100 percent accurate data set.
13 The 1,500 TDS, it is the lowest sample that I have seen,
14 and it could very well be a fat finger recording error.

15 Q. But you don't have any specific evidence
16 that --

17 A. No, I do not.

18 Q. -- those reports are made in error?

19 A. Aside from the fact that a tremendous amount of
20 them do exist in this scanned copy.

21 Q. Thank you.

22 MR. BROOKS: That concludes my examination
23 of this witness.

24 EXAMINER JONES: Ms. Moss?

25 MS. MOSS: I have no questions.

1 EXAMINER JONES: Mr. Newell?

2 CROSS-EXAMINATION

3 BY MR. NEWELL:

4 Q. I want you to look at your Exhibit 16 and SLO
5 Exhibit 5. I believe your 16 was used to --

6 A. Is this our 16?

7 MR. MOELLENBERG: Yeah.

8 THE WITNESS: Okay. This is the updated
9 production data?

10 Q. (BY MR. NEWELL) Yeah. I believe you said it's
11 correct?

12 A. As of this week, I reviewed it, and the water
13 production in the months of 2016, 2017 have been
14 corrected.

15 Q. Who is the operator?

16 A. I'm going to butcher the name. I believe it's
17 Fulfer Oil & Gas or Fulfer Oil & Ranch.

18 Q. Okay. So look at the second entry there for
19 2016. I believe that's February of 2016, correct?

20 A. Yes, sir.

21 Q. Okay. And we show a 2-barrel production of
22 oil, correct?

23 A. Correct.

24 Q. 43 mcf of gas, correct?

25 A. Correct.

1 Q. And 7,500 barrels of water produced, correct?

2 A. Yes, sir.

3 Q. Okay. Now, nowhere else -- no other months
4 depicted on your Exhibit 16 is there more than, let's
5 say, 900 barrels of water produced, correct?

6 A. That's correct.

7 Q. In some months, there are zero barrels of
8 water, correct?

9 A. Correct.

10 Q. All right. And do you have anything to explain
11 the variability of the water that is produced or
12 reflected in Exhibit Number 16?

13 A. That, again, could be an incorrect reporting
14 error that the operator made. If I did my math correct,
15 that would correlate -- the 7,500 barrels in that month
16 would correlate to approximately 250 barrels of water a
17 day. My observations of that well showed that the
18 wellhead pressure was something a lot less than 20 psi,
19 probably has a tough time even getting into the gas line
20 in that area. It's not capable of producing 250 barrels
21 water a day. There is no artificial lift mechanisms on
22 this well.

23 Q. So you testified -- I believe the record will
24 reflect it -- that this information is accurate on
25 Exhibit Number 16. Are you saying it's not accurate

1 **now, that it's equally suspect as you find State Land**
 2 **Office Exhibit Number 5 to be?**

3 MR. MOELLENBERG: Objection. Misstates
 4 testimony. I don't think he ever testified that that
 5 exhibit was accurate, just that it was corrected data as
 6 taken from OCD's database.

7 EXAMINER WADE: So explain what your
 8 understanding is of --

9 THE WITNESS: My understanding is that this
 10 data is correct in Mr. Fulfer's opinion. Engineers rely
 11 upon publicly available data that are provided to public
 12 regulatory agencies. We may have to utilize that
 13 information, much like Mr. Goetze, as being corrected
 14 [sic], does get corrected quite regularly, as Mr. Goetze
 15 testified. Therefore, we continuously have to update
 16 our production databases to reflect the corrections.

17 Q. **(BY MR. NEWELL) So if we're looking either at**
 18 **State Land Office Exhibit Number 5 or Applicant's**
 19 **Exhibit Number 16, it's pretty clear, based on your**
 20 **observations, that there are numbers that are reflected**
 21 **there that appear to be physically impossible, thereby**
 22 **rendering this information inaccurate, correct?**

23 MR. BROOKS: Point of correction. Now, you
 24 referred to the State Land Office Exhibit Number 5, and
 25 I believe the State Land Office did not offer Exhibit

1 Number 5. Are you speaking of OCD Exhibit 5?

2 MR. NEWELL: Yeah. It's OCD Exhibit 5.

3 And I apologize, for the record, Mr. Brooks.

4 THE WITNESS: I guess, can you restate the
5 question one more time?

6 Q. (BY MR. NEWELL) Sure. You say -- in your
7 rebuttal, you basically said OCD Exhibit Number 5 is not
8 accurate because they come back in and provided
9 corrected information, correct?

10 A. It's not accurate in the fact that they have
11 not updated the plot to reflect today's current data on
12 their database, just as it is correct that I have not
13 updated my Tab F to reflect that data as well. Our
14 exhibit was prepared prior to June. That data was not
15 available at that time.

16 Q. Okay. So -- but since then, the information
17 has supposedly been corrected, and that's reflected on
18 Exhibit Number 16, correct?

19 A. That is correct.

20 Q. Okay. And what you just testified to is we
21 know, at least in February of 2016, that that
22 information is incorrect because that is physically
23 impossible, based on your observations, correct?

24 A. I believe so.

25 Q. Okay. All right. Now, I believe you were

1 talking about -- and I believe this is right this
2 time -- State Land Office Exhibit Number 2.

3 A. Are you talking about the map with the chloride
4 and total dissolved concentrations plotted on it?

5 Q. Right. I believe that's the one where you
6 talked about Hiss' numbers and the -- the relationship
7 between Hiss' numbers and the time that the disposal
8 well is reflected, correct?

9 A. That is correct.

10 Q. So I believe you also indicated that when these
11 wells were initially brought on line, that they didn't
12 produce any water, and that's one of the ways you
13 distinguish it from the field to the south. It's the
14 subject of a lot of the literature that we've discussed,
15 right?

16 A. I believe in regards to the Hendrick well, yes.
17 That field produced -- produces a substantial amount of
18 water initially.

19 Q. And this field didn't produce water, correct?

20 A. In this particular area around Jal, the wells
21 that are above the oil-water contact in any meaningful
22 depths did not produce appreciable amounts of water.

23 Q. And to make sure I understand what you said,
24 you do not have an explanation of where this water,
25 that's now reflected in this material, has come from?

1 A. I don't believe Dr. Hiss has a complete
2 understanding of where all this water data came from.
3 He just took the data that was available and put it in a
4 database and made it available for the public.

5 **Q. My question is then: Do you have an**
6 **explanation of where this water came from, because I**
7 **believe you said that there shouldn't be any water in**
8 **there?**

9 A. I would be speculating, but from my experience
10 in oil and gas operations, the reason why operators take
11 water samples to begin with, throughout time, is to look
12 for scaling tendencies of the produced water, because
13 these wells were on artificial lift, and scale and a
14 pump will stop it from pumping. They took the samples
15 to give to chemical vendors, potentially, so that they
16 could develop a chemical treatment program to reduce the
17 scale. This could be minor amounts of water, but that
18 minor amount of water could be missed, can produce
19 scale. This is water -- these wells produced 3 or 4
20 barrels of water a day. They did not produce
21 appreciable amounts of water.

22 **Q. Okay. So my question is this -- and by the**
23 **way, my dad -- I grew up with Alco Chemical as a kid.**
24 **My dad worked for Alco Chemical. Exactly what he did --**
25 **he probably did this very same field down there.**

1 But be that as it may, you have no
2 explanation, as we sit here today, why Hiss or anyone
3 else is finding water over in these formations, correct?

4 A. By finding water, what do you mean? In
5 appreciable amounts or just a water sample?

6 Q. Well, I don't know. I mean, I believe -- do
7 you know whether the water out there that's reflected in
8 your testimony about Well Numbers 09789 and 09788 -- do
9 you know how much water was pulled when they came up
10 with those samples?

11 A. No. I have no data to respond to that, and I
12 believe Dr. Hiss would not have that data as well.

13 Q. Did you go in and attempt to see any production
14 data that would reflect water from those two wells?

15 A. That production data is reflected in Tab F of
16 our report. Those wells would be in that data set.

17 Q. And then when I look at this Exhibit Number 2,
18 one of the things that jumps out at me is even in these
19 wells where we have multiple readings, there is a great
20 deal of variability. Would you agree with that?

21 A. Yes, sir.

22 Q. So there is a lot we don't know about the
23 geology, communication and source and flows of the water
24 in this area, do we?

25 A. Yes, sir. And I would just like to point out

1 that this type of work is the subject of my Ph.D.
2 dissertation. Spatial statistics is an extremely
3 complex area. There is no spatial trend in this data.
4 If there were spatial trends in this data, we would need
5 to account for them when we do our statistics. Since
6 there are no spatial trends in this data, averages or
7 centroids in the statistics, medians in this case, are
8 perfectly acceptable statistics to describe this water
9 utilizing this information.

10 Q. Okay. Let's look at the Well Number 11860,
11 which is just to the south and slightly to the east of
12 the proposed well. Do you see that?

13 A. 11860, yes, sir.

14 Q. And it looks like, going from top to bottom,
15 the reading are most recent to most distant. The
16 readings were 120,048, 9,699, 5,800 and 11,899. You're
17 the one doing the Ph.D. Could you explain to me how --
18 how we get those fluctuations?

19 A. That data is represented in the Hiss report.
20 I'd have to find it. It may take me a second. But in
21 the interest of time, I believe, from my recollection,
22 they were on separate dates. But I could find that
23 information. But it is in our report, and the State or
24 the Division could find that information, or I could
25 help correct the record, unless you want me to look for

1 it right now.

2 EXAMINER JONES: No, not right now.

3 Q. (BY MR. NEWELL) To follow up, what do you mean
4 by -- when you say -- I assume that most of these
5 recordings were recorded on different dates, if they
6 have different amounts. Wouldn't that be true?

7 A. It could be. They could be recorded on the
8 same day. It could be two samples that were on the same
9 day. But I would have to go look at the data that is
10 provided in Hiss to give you the dates that those
11 samples were from and maybe even the different
12 formations that they may have come from. The formations
13 are also provided in this data set as well and the
14 depths.

15 MR. NEWELL: Pass the witness.

16 EXAMINER WADE: I have no questions.

17 EXAMINER DAWSON: I think the questions I
18 have have all been covered.

19 CROSS-EXAMINATION

20 BY EXAMINER JONES:

21 Q. Just quickly, this 70- to 80 million barrels of
22 water to achieve fill-up, what geologic area were you
23 talking about there?

24 A. It was the immediate project area, so it would
25 be within approximately 1,500 acres, something like

1 that. It was an area that --

2 **Q. Was it within the half-mile area of review?**

3 A. Well, the half-mile area of review would be
4 more acreage than that. It would be the area outside of
5 the half-mile area of review. So it's taking into
6 account the sections identified in Tab F. At the top, I
7 believe we identified the actual sections and half
8 sections of the project area, and I think there is a
9 yellow outline of the project area in one of our
10 exhibits.

11 **Q. Okay. So that volume divided by the acres**
12 **gives you a barrels-per-acre cost. Could a person use**
13 **that to expand and say this is the amount you would need**
14 **if you put additional disposal wells into -- to**
15 **eventually achieve fill-up for injection wells, for that**
16 **matter, if a person wanted to waterflood this thing?**

17 A. I believe that once the water gets to a number
18 approaching that level or, you know, potentially,
19 because there is water that moves around, we would start
20 to see the reservoir at that point in time start to
21 pressure up, and the rates in the resI- -- in the
22 injection wells would go down drastically at that point
23 in time. But until the gas cap [sic] is completely
24 collapsed due to pressure, which would require the
25 reservoir pressure be increased to 14 psi or above,

1 because that's the saturation pressure, it would take
2 quite a long time and quite a large volume of water to
3 do that.

4 **Q. Okay. So did you -- I forgot whether you told**
5 **us, and it may have been in Mr. Goetze's report. Did**
6 **you do a falloff on that Maralo Sholes well?**

7 A. No. There was no falloff test to perform.
8 There were two production surveys. They ran a
9 bottom-hole pressure on the production log. But the
10 opportunity to do a falloff test was not available at
11 that time. I believe there were constraints due to
12 operational constraints.

13 **Q. Okay. That would have told you the radius of**
14 **influence?**

15 A. Yeah. It was proposed, but I believe due to
16 operational constraints, we were not allowed to do it at
17 that point in time.

18 **Q. Okay. The Hiss data, is it -- is it part of**
19 **your studies to put those data like that into**
20 **distributions and see if it's logged normal or can be**
21 **predicted --**

22 A. It is, sir.

23 **Q. -- in any way.**

24 A. Yes. That data was -- and you can see it in
25 the spreadsheet that was provided. It is extremely

1 lognormal, but the median of the data is 15,000-plus or
2 15 parts TDS.

3 Q. So a geometric mean or peak or a --

4 A. A P50 would be --

5 Q. -- Swanson's being 50 or whatever it would
6 be --

7 A. A good representation of the data.

8 Q. Okay. Better than a --

9 A. Than an average.

10 Q. -- than an average?

11 A. I think the average is approximately 15,000 --
12 or 50,000 TDS, and I believe the P50 is approximately
13 15,000.

14 Q. Yeah.

15 Okay. So lognormal -- extremely lognormal
16 means you've got a bunch of -- you've got some high
17 numbers that really skew it off to the right?

18 A. That is correct. And even the low numbers,
19 though are not freshwater samples. They're, you know,
20 8,500 parts per million. So the water is extremely
21 poor. I believe an accurate representation would be
22 that well over 75 percent of this water is well above
23 10,000 TDS, at least in this data set.

24 Q. Okay. I have no more question.

25 MR. MOELLENBERG: Mr. Hearing Examiner, I

1 think we're finished. And unless something comes up
2 with the questions that Mr. Brooks has to do, I would
3 just say -- I know that there were questions raised
4 about monitoring, and Mr. Brooks asked some questions
5 about that. You know, given that there is going to be a
6 continuance here for a while, we'd certainly welcome an
7 opportunity to talk about that with the Division or come
8 back and talk about it with the Examiners on the record
9 after we see whether --

10 EXAMINER JONES: Whether anybody else crops
11 up?

12 MR. MOELLENBERG: Yes.

13 EXAMINER JONES: Yeah. We're looking at
14 August 31st.

15 But, meanwhile, if you're willing to let --
16 let Mr. Goetze come back on, if Mr. Brooks wants him --

17 MR. BROOKS: Yeah. There is one area we
18 want to talk about. In the interest of time, I'm going
19 to keep it as minimal as possible.

20 EXAMINER JONES: Five-minute break.

21 (Recess, 4:47 p.m. to 4:54 p.m.)

22 PHILLIP R. GOETZE,
23 after having been previously sworn under oath, was
24 questioned and testified as follows:

25

1 DIRECT EXAMINATION

2 BY MR. BROOKS:

3 Q. Mr. Goetze, I encouraged you to quickly offer
4 your resume when you started your testimony, but I
5 wanted to ask you your duties with the OCD.

6 A. My duties include being technical reviewer of
7 applications for authority to inject.

8 Q. That was exactly what I was going to ask. In
9 that capacity, do you use the GO-TECH site?

10 A. The GO-TECH site was developed with the PRRC
11 with the concept of compiling a clearinghouse of
12 information that comes in for both the operators, as
13 well as from public sources so that it could be used for
14 a variety of purposes. In such cases, it has been used
15 in applications for C-108s as a basis for both produced
16 water, as well as formation waters.

17 Q. And -- excuse me. Let me collect my thoughts
18 here.

19 Oh. Is the OCD's data coming in from the
20 C-115s where the operators report -- report injection
21 into wells, is that funneled into the GO-TECH site?

22 A. Not only C-115s, but results from hearing order
23 applications, as well as any type of sampling which is
24 done is forwarded to New Mexico Tech.

25 Q. To your knowledge, does the -- does the OCD

1 consider the GO-TECH site to be an authoritative site in
2 the use of permitting saltwater disposal wells?

3 A. Yes, sir. It has been endorsed by Director
4 Fesmire, Director Bailey and, currently, Dr. Catanach.

5 Q. Do you have any hesitation in using the GO-TECH
6 site as a practical reference?

7 A. It is an accepted database which we use.

8 Q. Now, this Exhibit 11 that was introduced by OWL
9 contains statements which OWL read into the record, and
10 I won't read them into the record again. But would your
11 understanding of that be consistent with the idea that
12 this is the kind of disclaimer that you find in a lot of
13 records, where they want to say: You've got this
14 information that we're giving you, but we don't want you
15 coming back at us about it?

16 A. That would be the endorsement that I
17 understand.

18 Q. And with that said, isn't it very similar to
19 what someone read into the record about one of the State
20 Land Office exhibits?

21 A. That is correct.

22 Q. Now, Mr. Goetze, is there anything else that
23 you would like to say responsive to the -- to the
24 rebuttal testimony we've heard from OWL's exhibits and
25 from OWL's witnesses?

1 A. Well, the only thing I would like to bring
2 attention to is that with the submittal of Exhibit 15,
3 which shows a preference for the model layer two at 20
4 years, projecting that onto the information that I have
5 available, between the figure I had using the
6 relocated -- or the area which was influenced by the
7 Capitan and opposed to this, doing a cursory review of
8 it, I estimate there are an additional 47 wells outside
9 of the one-half area of review that have currently --
10 that currently have been reviewed under the C-108.

11 **Q. Now, is that a result of moving the projected**
12 **area of influence to the west compared to your Exhibit**
13 **Number 13?**

14 A. That is correct, sir.

15 **Q. Okay. Are there not a number of additional**
16 **producing wells in the area close to this well to the**
17 **west?**

18 A. It would indicate that in Section 25, the wells
19 that are in the northwest quadrant are now within an
20 area of influence.

21 **Q. And those additional 47 wells -- the rest of**
22 **those 47 wells would be -- would be plugged-and-**
23 **abandoned wells?**

24 A. The majority of them would be plugged-and-
25 abandoned wells.

1 Q. Which would require consideration of whether or
2 not they were properly plugged?

3 A. Yes, sir.

4 Q. And the presence of additional producing wells
5 would require consideration of whether they would be
6 influenced?

7 A. Yes, sir.

8 Q. Thank you.

9 MR. BROOKS: Pass the witness.

10 MS. MOSS: I have no questions.

11 MR. NEWELL: At the risk of shocking
12 everybody, I don't have any questions.

13 (Laughter.)

14 CROSS-EXAMINATION

15 BY MR. MOELLENBERG:

16 Q. A couple of the questions, Mr. Goetze,
17 regarding the database and the GO-TECH site. When data
18 is added to that site, is it added just straight from
19 whatever comes in on the particular report, whether it's
20 a C-108 or a C-115 or anything else?

21 A. It is a clearinghouse, so the protocol is that
22 that information coming in would be accepted as
23 submitted.

24 Q. So it's taken as face value, and there is no
25 effort to validate the data or validate that it is what

1 **it says it is or anything like that?**

2 A. That's the way we operate in the Division.

3 **Q. Okay. I think that's all I have.**

4 BY EXAMINER JONES: Okay. I don't know
5 we've admitted your exhibits.

6 MR. MOELLENBERG: Oh, okay. So thank you
7 for that.

8 So I move Exhibits -- what are we at -- 11,
9 12, 13, 14, 15 and 16.

10 EXAMINER JONES: So Exhibits 12, 13, 14, 15
11 and 16 --

12 MR. MOELLENBERG: And 11, I think, as well.

13 EXAMINER JONES: I thought we did 11
14 earlier. I'm pretty sure we did.

15 MR. MOELLENBERG: It won't hurt to do it
16 twice.

17 EXAMINER JONES: Any objection?

18 MS. MOSS: No objection.

19 MR. BROOKS: No objection.

20 MR. NEWELL: No objection.

21 EXAMINER JONES: 11 through 16, as stated,
22 are admitted.

23 (OWL SWD Operating, LLC Exhibit Numbers 11
24 through 16 are offered and admitted into
25 evidence.)

1 MR. BROOKS: The Division closes.

2 EXAMINER JONES: Gabe, can you ask for
3 maybe a written --

4 EXAMINER WADE: Yeah. It had been
5 discussed informally and put on the record that parties
6 would have the opportunity to file legal briefs,
7 memorandum, I believe. I think we could also take
8 proposed conclusions of fact and law.

9 MR. BROOKS: And would this include written
10 closing statements, because I don't think anybody wants
11 to stay around for that?

12 EXAMINER WADE: And closing statements,
13 though I think we'll glean that information from the
14 proposed conclusions of fact and law.

15 MR. BROOKS: Exactly.

16 EXAMINER WADE: The easiest thing would
17 probably be to give a two-week window for those briefs
18 to be filed and a two-week response, something to that
19 effect.

20 MR. NEWELL: Can that be triggered off of
21 when we receive the transcript?

22 EXAMINER WADE: Do we have an idea when we
23 might receive the transcript?

24 (Discussion off the record with the court
25 reporter.)

1 EXAMINER WADE: So we'll say legal
2 briefs -- does anybody want to throw out a date that
3 briefs -- initial briefs would be due?

4 MR. BROOKS: I guess I would like to have
5 at least until a week from Tuesday, and I don't remember
6 what date that is.

7 EXAMINER WADE: Two weeks from today would
8 be the 18th. If I threw that out, would that --

9 EXAMINER DAWSON: Tuesday is the 8th.

10 MR. BROOKS: Yeah, because this is --
11 Thursday, the 18th --

12 MS. MOSS: Friday is the 18th.

13 MR. BROOKS: Yeah. That would be
14 acceptable.

15 EXAMINER WADE: Okay. So Friday, the 18th,
16 initial legal briefs will be due. All responses are due
17 two weeks from the 18th. That will be September 1st.
18 So all responses are due the 1st. And then when the
19 transcript's ready, people can submit their proposed
20 conclusions of law and findings of fact, I suppose,
21 whenever they have them available. I don't know that we
22 need a date necessary.

23 MR. MOELLENBERG: Well, I mean, if we're
24 going to -- you guys are going to, what, deliberate
25 after you get those? So it would be kind of nice to

1 have a date to --

2 EXAMINER WADE: Well, assuming we're going
3 to get the transcript the week of the 21st, but we're
4 not sure, let's kick it out two weeks from there and say
5 that on September 8th, findings of fact and conclusions
6 of law would be due.

7 MS. MOSS: Wait. That's very close.

8 EXAMINER WADE: Two weeks? This is after
9 you get the transcripts, which should be the week of the
10 21st.

11 MS. MOSS: Okay.

12 MR. BROOKS: Well, I thought that the court
13 reporter indicated it might be problematic about getting
14 the week of the 21st.

15 MR. MOELLENBERG: I would just suggest, if
16 that's case, we all ask for extensions.

17 EXAMINER WADE: I think the court reporter
18 said the week of the 21st, and then two weeks after we
19 get transcripts.

20 MS. MOSS: I'd be so cool with that.

21 EXAMINER WADE: Two weeks after
22 transcripts, findings of fact, conclusions of law.

23 MR. BROOKS: Well, that's the problem
24 because that's going to be the two weeks -- from the end
25 of the week of the 21st until the two weeks from then is

1 going to be the time when I'm going to be on vacation.

2 EXAMINER WADE: At that point, please ask
3 for an extension, and we will look at it then.

4 MR. BROOKS: I will.

5 MR. NEWELL: And I'll go ahead and state
6 for the record now, I would not oppose such as
7 extension, so he doesn't have to call and ask if I
8 oppose it.

9 EXAMINER WADE: Great.

10 We still have -- if there are no other
11 issues in this particular case, we still have the matter
12 of the other pending case.

13 EXAMINER JONES: Yeah. This case is
14 continued to August 31st.

15 MR. MOELLENBERG: There is just one other
16 issue, and that's the email on the notice. I mean,
17 we've told them the four sections and affected parties,
18 but I'd still appreciate an email.

19 EXAMINER JONES: We will.

20 MR. MOELLENBERG: Yeah. Appreciate that.

21 MS. MOSS: And the second case is extended
22 to the 31st?

23 EXAMINER JONES: No. This case we're on
24 now is continued till August 31st, which is a regular
25 hearing date. We'll just put it on that docket date

1 and --

2 MR. BROOKS: That'll be when I will be out
3 of town.

4 EXAMINER JONES: A week before that
5 happens, you'll know if somebody else made an appearance
6 in that case --

7 MS. MOSS: Got it. Thank you.

8 EXAMINER JONES: -- and so you'll know how
9 to prepare. Otherwise, he'll just turn in the Notice of
10 Affidavit, and we'll take it under advisement at that
11 time.

12 MR. BROOKS: You can do that without me.

13 EXAMINER JONES: Yes.

14 EXAMINER WADE: I think so. And I feel
15 like if people do crop up, it'll be a reset anyhow.

16 MR. BROOKS: I would assume so.

17 EXAMINER WADE: So I think we can take care
18 of that. We won't hear it that day.

19 MR. BROOKS: Now, as to the second case,
20 can we have that --

21 EXAMINER WADE: Can we have that case
22 number so we know what we're referring to?

23 EXAMINER JONES: Yeah. It's 15753.

24 That's the compliance case that you are the
25 Applicant on.

1 MR. BROOKS: That's the second case. And
 2 as to that case, I would have no objection to it being
 3 set for September 28th. It's a regular docket, I think.
 4 I would not really want it set the day after I come
 5 back, although I'm going to be here for the hearings
 6 that day. But I think September 28th would be -- but,
 7 of course -- well, no, we don't have -- yeah. We have
 8 hearings August the 18th, and the Division considers
 9 that case to be not a long case. We could present it on
 10 August the 18th, but I don't know what.

11 EXAMINER JONES: August 17th is a
 12 Thursday --

13 MR. BROOKS: 17th.

14 EXAMINER JONES: -- which is two weeks from
 15 yesterday.

16 MR. BROOKS: But that doesn't change what I
 17 said at all except changing the number.

18 MR. MOELLENBERG: So I guess speaking to
 19 that, I guess it's hard for me to predict yet whether
 20 it's a short case. I mean, I could agree, based on your
 21 application, it could be, but I could look at the
 22 intervention stuff and say it might not be.

23 MR. BROOKS: Well, I don't know what the
 24 State Land Office's position will be on it. Our
 25 position is simply that this well, as it's presently

1 constructed, does not comply with the formation
2 protection requirements.

3 MR. MOELLENBERG: And if all we're talking
4 about is the construction of the well and those issues,
5 I would tend to agree with you that it's a relatively
6 short case. But I think the pre-hearing statement from
7 the State Land Office indicates something else. I don't
8 know where that goes.

9 MS. MOSS: Let me just state what the big
10 picture is for the State Land Office. We do not want to
11 stop your client's business, but you have something
12 that's been in violation for some time, and you continue
13 to use it at a very high rate. Since there is a
14 concern -- if you look at 19.15.34 of your rules, the
15 OCD rules, within 60 days something needs to be done.
16 So I am not sufficiently really familiar with what the
17 violations are, and if I was, I don't know that I
18 sufficiently would understand them to be able to say
19 what should happen. But I think if you could contact me
20 or let me know -- I mean, if nothing is going to be done
21 and you're just going to continue to use it until we
22 have a hearing and a decision --

23 MR. MOELLENBERG: I mean, at this point in
24 time, there's -- there's an application that alleges
25 violations. We will be responding to those and get a

1 determination of whether, in fact, they are violations,
2 which we contest in the hearing.

3 MS. MOSS: So in your perspective, they're
4 actually not violations?

5 MR. MOELLENBERG: That's the risk with that
6 case. Sure. Yes. So we're talking about getting to
7 that -- to that case. I have a witness availability for
8 the 17th, so I don't know that I can speak to that. But
9 I think that's the first part of the case.

10 MR. BROOKS: Yeah. On the record, I
11 suggest that we reset it for September 17th as a parking
12 place and people can make motions for continuances.

13 EXAMINER WADE: Do you mean August 17th?

14 MR. BROOKS: August 17th.

15 EXAMINER JONES: Mr. Newell, do you plan on
16 participating in this case?

17 MR. NEWELL: Let's assume I do, unless I'm
18 instructed otherwise. I got the impression that I
19 would, but I haven't done anything to formally appear or
20 anything like that, and I haven't filed anything in that
21 other case.

22 EXAMINER WADE: But you will do that in
23 future cases?

24 MR. NEWELL: Yeah, absolutely.

25 And then I might make one suggestion for

1 everybody to consider, and that would be adoption of
2 these proceedings in that case to the extent that there
3 is duplicitous testimony. It doesn't have to be
4 repeated again, because it looks like, for example, the
5 State Land Office's evidence is a lot of the same
6 evidence.

7 MS. MOSS: Will it be the same hearing
8 officers?

9 EXAMINER JONES: Not necessarily.

10 MS. MOSS: That would -- what?

11 MR. MOELLENBERG: Not if you can get out of
12 it.

13 MS. MOSS: Maybe we should --

14 EXAMINER WADE: So let's set it for the
15 17th.

16 EXAMINER JONES: Okay. We'll set it.
17 Right now it's set for -- does anybody remember what
18 date it's set for in August?

19 MR. BROOKS: August 2nd, the day before
20 yesterday.

21 EXAMINER DAWSON: It was set for the 2nd.

22 MR. BROOKS: Wednesday, August the 2nd.

23 EXAMINER JONES: Oh, yeah. Okay, we'll
24 continue it to August the 17th, as just a beginning
25 place.

1 MR. BROOKS: Okay.

2 EXAMINER JONES: Which is the next -- two
3 weeks from yesterday.

4 EXAMINER WADE: I would just say there are
5 some issues that have popped up in this case that are
6 certainly issues in the other case, that some
7 communication between OWL and the State Land Office
8 would be appropriate, and maybe some issues could be
9 taken care of. So --

10 MR. MOELLENBERG: Sure.

11 EXAMINER WADE: -- I encourage the parties
12 to have discussion.

13 MS. MOSS: Would you at some time in that
14 discussion be able to answer my question whether it
15 would be the same hearing officer and you and -- how
16 will we know?

17 MR. BROOKS: Well, I would think the
18 Director might have something to say about that. It
19 hasn't been decided definitively.

20 MS. MOSS: If somebody hears something,
21 would you let me know and enlighten me, because -- in
22 other words, if you want to use information from this
23 hearing, I think that's a good suggestion, but I would
24 feel more comfortable if it was before the same group as
25 opposed to a different group.

1 EXAMINER WADE: Regardless, discussions
2 that OWL and the State Land Office and the OCD would
3 have would be with the parties that you see here
4 regardless of who the hearing officer is.

5 MS. MOSS: Irrespective of who hears the
6 case.

7 EXAMINER WADE: Yeah.

8 MS. MOSS: Okay. That's all I need to
9 hear. Thank you for the answer.

10 (Case Number 15723 concludes, 5:16 p.m.)

11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2017
Paul Baca Professional Court Reporters

25