

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF ROCKCLIFF OPERATING CASE NO. 15791
NEW MEXICO, LLC FOR APPROVAL OF A
SALTWATER DISPOSAL WELL, EDDY
COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

August 17, 2017

Santa Fe, New Mexico

BEFORE: MICHAEL McMILLAN, CHIEF EXAMINER
 SCOTT DAWSON, TECHNICAL EXAMINER
 DAVID K. BROOKS, LEGAL EXAMINER

This matter came on for hearing before the New Mexico Oil Conservation Division, Michael McMillan, Chief Examiner, Scott Dawson, Technical Examiner, and David K. Brooks, Legal Examiner, on Thursday, August 17, 2017, at the New Mexico Energy, Minerals and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
 New Mexico CCR #20
 Paul Baca Professional Court Reporters
 500 4th Street, Northwest, Suite 105
 Albuquerque, New Mexico 87102
 (505) 843-9241

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR APPLICANT ROCKCLIFF OPERATING NEW MEXICO, LLC:

JAMES G. BRUCE, ESQ.
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol.com

INDEX

PAGE

Case Number 15791 Called 3

Rockcliff Operating New Mexico, LLC's Case-in-Chief:

Witnesses:

Dustin Weatherly:

Direct Examination by Mr. Bruce	3
Cross-Examination by Examiner McMillan	10
Cross-Examination by Examiner Dawson	15
Cross-Examination by Examiner Brooks	16

Daniel Block:

Direct Examination by Mr. Bruce	17
Cross-Examination by Examiner McMillan	27
Cross-Examination by Examiner Dawson	32

Proceedings Conclude 34

Certificate of Court Reporter 35

EXHIBITS OFFERED AND ADMITTED

Rockcliff Operating New Mexico, LLC Exhibit
Letters H and I 9/10

Rockcliff Operating New Mexico, LLC Exhibit
Letters A through G 27

1 (8:39 a.m.)

2 EXAMINER McMILLAN: What I'd like to do now
3 is call Case Number 15791, application of Rockcliff
4 Operating New Mexico, LLC for approval of a saltwater
5 disposal well, Eddy County, New Mexico.

6 Call for appearances.

7 MR. BRUCE: Mr. Examiner, Jim Bruce of
8 Santa Fe representing the Applicant. I have two
9 witnesses.

10 EXAMINER McMILLAN: If the witnesses please
11 stand up and be sworn in at this time.

12 (Mr. Weatherly and Mr. Block sworn.)

13 EXAMINER McMILLAN: Any other appearances?
14 Please proceed.

15 DUSTIN WEATHERLY,
16 after having been first duly sworn under oath, was
17 questioned and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. BRUCE:

20 Q. Would you please state your name and city of
21 residence?

22 A. Dustin Weatherly. I live in Bixby, Oklahoma.

23 Q. And who do you work for and in what capacity?

24 A. I work for Rockcliff Energy as a completion
25 engineer.

1 **Q. And have you previously testified before the**
2 **Division?**

3 A. No, sir.

4 **Q. Would you please summarize your educational and**
5 **employment history for the Examiner?**

6 A. I have a bachelor's degree in industrial
7 technology. I have a master's degree in energy and
8 technology management from Oklahoma State University.

9 I've worked in the industry for over 20
10 years managing completions, production and operations
11 for companies like ConocoPhillips, Burlington Resources,
12 Petrohawk Energy. Recently, I've worked as an
13 operations manager and vice president of operations for
14 a couple of small companies in Tulsa, Oklahoma, Nemaha
15 Oil & Gas and Wagon Wheel Exploration.

16 (The court reporter requested the witness
17 speak louder and slower.)

18 A. And I'm currently working for Rockcliff taking
19 care of completions, production and operations with
20 them.

21 **Q. And are you familiar with the engineering and**
22 **operational matters related to the proposed SWD well?**

23 A. Yes, sir.

24 MR. BRUCE: Mr. Examiner, I submit
25 Mr. Weatherly as an expert operations engineer.

1 EXAMINER McMILLAN: So qualified.

2 MR. BRUCE: Our exhibits are kind of out of
3 order here, Mr. Examiner. We're starting with Exhibit
4 H, which I've handed you.

5 Q. (BY MR. BRUCE) Could you identify Exhibit H
6 briefly, Mr. Weatherly?

7 A. Exhibit H is a copy of the Form C-108 for this
8 project.

9 Q. And referring to page 11 -- let's go first to
10 page 11. Could you identify the proposed saltwater
11 disposal unit?

12 A. Yes, sir. The proposed disposal is noted on
13 page 11 as SCBU Number 1.

14 Q. And is the wellbore sketch at pages 3 and 4 of
15 the application?

16 A. Yes, sir. That's correct.

17 Q. Could you describe the history of this well?

18 A. The well was spud in 1977 -- November of 1977,
19 drilled -- let's see. It set about 418 feet of surface
20 casing, 3/8-inch casing, has a 9-5/8 intermediate
21 string, and then drill to 11,769 and set 7-inch casing
22 at 129 feet of open-hole section where it produced for
23 several years there.

24 In 2005, a cast-iron bridge plug was set at
25 9,500 feet, and the well was perforated in the 2nd Bone

1 Spring, and that's where it's produced since 2005.

2 Q. There is another sketch at page 14. Could you
3 describe its current status and how it will be
4 re-entered and completed as a saltwater disposal well?

5 A. Currently, the well has been shut in. The
6 tubing has been removed. The packer has been removed.
7 The 2nd Bone Spring perforations have been squeezed.
8 Going forward, we will remove the cast-iron bridge plug
9 at 9,500 feet, go in. There is some tubing left in the
10 hole at 11,750. We'll have to remove that with the
11 packer and clean out the open hole where we plan to
12 inject. We will clean out the 129 feet of open hole and
13 run 3-1/2-inch internally coated tubing.

14 Q. How many wells are in the area of review? And
15 what pages -- I think it starts at page 21, the
16 description of the wells in the area of review --

17 A. The area --

18 Q. -- the one-half mile area of review.

19 A. Yes, sir.

20 On page 16, there is a land map showing our
21 area of review on the half-mile radius. Within this
22 radius there would be 18 wells.

23 Q. That's shown on page 17, right?

24 A. Yes, sir. On page 17 is a list of those wells.

25 Q. And are all of those wells properly completed,

1 **and will they prevent the movement of fluid between**
2 **zones?**

3 A. Yes, sir, they will.

4 **Q. Are any of these wells P&A'd?**

5 A. No, sir. There are no P&A'd wells in this
6 area.

7 **Q. In turning to page -- I think it's on page --**
8 **starting on pages 7 and 8, would you summarize the**
9 **proposed injection operations?**

10 A. We propose to inject a rate of around 10,000
11 barrels of produced water per day, a maximum being about
12 20,000 barrels of water per day.

13 **Q. And what will be the injection pressure?**

14 A. We expect our injection pressure to run 2,000
15 pounds, not exceeding 2,350 pounds.

16 **Q. And if there will be any higher pressures, will**
17 **you do step-rate tests and submit those to the Division?**

18 A. Yes, sir. That's correct.

19 **Q. Is there a proposed stimulation program for the**
20 **injection well?**

21 A. If needed, we would propose pumping 2,800
22 gallons of 50 percent hydrochloric --

23 **Q. And it's an open-hole completion?**

24 A. Yes, sir. That's correct.

25 **Q. Are there any sources of fresh water in the**

1 **area?**

2 A. If you look at page 33, there is a list of 16
3 wells within a one-mile radius and five wells within a
4 half-mile radius, the deepest of which is 360 feet,
5 which gives us greater than two miles of separation.

6 **Q. And analyses of the water are mentioned or --**

7 A. Yes, sir. They are attached.

8 **Q. What is the -- what will be the source of your**
9 **injection water?**

10 A. The primary source of the injection will be the
11 Brushy Canyon, Bone Spring and Wolfcamp. There is
12 potential to inject other produced water from Permian
13 wells, maybe the Atoka or Morrow. Some of those
14 analyses of those formations we have included. We don't
15 see any compatibility problems.

16 **Q. Are these from Rockcliff's own wells?**

17 A. Yes, sir, they are.

18 **Q. There is not a commercial facility?**

19 A. No, sir.

20 **Q. Did Rockcliff examine land information to**
21 **determine which offset interest owners need to be**
22 **notified?**

23 A. Yes, sir, they did.

24 **Q. And is that at page 7 of Exhibit H?**

25 A. Yes, sir.

1 MR. BRUCE: Mr. Examiner, the very last
2 line shows one of the interest owners as Kerr-McGee. I
3 verified with Anadarko that they are the successor to
4 Kerr-McGee.

5 So we would submit -- Exhibit I is my
6 affidavit, the Affidavit of Notice to those parties.
7 The green card from Anadarko has not come back yet, so
8 as a result, I have to continue the case for two weeks
9 to get that information.

10 Q. (BY MR. BRUCE) Mr. Weatherly, if you were
11 granted this application, would it be in the interest of
12 conservation and the prevention of waste?

13 A. Yes, sir, it is.

14 Q. And was Exhibit H prepared by you or under your
15 supervision and direction?

16 A. Yes, sir, it was.

17 Q. And do we have a geologist here to further
18 discuss the technical aspects of this application?

19 A. Yes, sir. We have Dan Block here to discuss
20 that.

21 MR. BRUCE: Mr. Examiner, I would move into
22 admission Exhibits H and I.

23 EXAMINER McMILLAN: Exhibits H and I may
24 now be accepted as part of the record.

25 (Rockcliff Operating New Mexico, LLC

1 Exhibit Letters H and I are offered and
2 admitted into evidence.)

3 MR. BRUCE: And I have no further
4 questions.

5 EXAMINER McMILLAN: Okay.

6 CROSS-EXAMINATION

7 BY EXAMINER McMILLAN:

8 Q. Okay. Why was the Atoka abandoned? Was it
9 below abandonment pressure?

10 A. Yes, sir. The well was shut in at, basically,
11 zero pounds pressure for a very long time. It made not
12 hardly any gas or water.

13 Q. So basically it couldn't be -- there is nothing
14 there?

15 A. No, sir.

16 Q. So you couldn't get a compressor or anything
17 and --

18 A. Over the history of the well, it's made a lot
19 of gas, and there is just -- there is not much there.

20 Q. It's depleted?

21 A. Yes, sir, depleted.

22 Q. Okay. And here is my next question: Will you
23 agree to run a casing integrity log and go over the
24 results with Artesia?

25 A. Sure.

1 Q. Okay. And then you will -- you will provide a
2 summary of that with a sundry notice to Santa Fe and to
3 Artesia?

4 A. (Indicating.)

5 Q. Just for clarity purposes, I was concerned
6 because when I was going through the well file, it said
7 that Red Adair had to put the well out.

8 A. The well -- the initial drilling operation,
9 there was a blowout.

10 Q. Yes.

11 A. They produced it for a few months to get the
12 pressures down. They have re-entered, and it is
13 sidetracked. They put in 7-inch casing that was run
14 after all of the blowout operations and stuff were done.
15 So that -- that --

16 Q. So then I looked at that, and I got -- I got
17 concerned, because you're trying to inject a well that
18 Red Adair did a workover on. You can't -- it creates a
19 lot of questions. And then so what I did is I had the
20 Artesia District Office -- they have an engineer on
21 staff who is really good at looking at cement bond logs,
22 and he is concerned about the cement below 7,000 feet.

23 A. Okay.

24 Q. And the other -- okay. And after you run the
25 casing integrity log, assuming everything's okay, do you

1 agree to run a falloff test or just give it -- or
2 provide the pressure of the reservoir before you start
3 injecting?

4 A. Yes, sir. We can do that.

5 Q. And, once again, you'll be expected to supply
6 that to both Artesia and to Santa Fe.

7 A. Yes, sir.

8 Q. Okay?

9 Will the Applicant agree to make the SWD
10 for the operator only?

11 A. Yes, sir.

12 Q. If the Applicant is no longer the operator, do
13 you agree that this order will no longer be valid?

14 A. Yes, sir.

15 MR. BRUCE: To clarify, Mr. Examiner, but
16 just so we don't P&A a well that may be a good SWD well,
17 could the new owner --

18 EXAMINER McMILLAN: We're talking about
19 this well and this well only.

20 MR. BRUCE: Yeah, I know. But if a new
21 operator comes back and gets --

22 EXAMINER McMILLAN: For this well?

23 MR. BRUCE: Yeah.

24 EXAMINER McMILLAN: No. This application
25 will be for this well only, for this Applicant only.

1 MR. BRUCE: Yes. But I don't want a
2 requirement that if they sell it, they immediately have
3 to P&A it if the new operator wants to come and --

4 EXAMINER McMILLAN: Well, this application
5 will be for this --

6 MR. BRUCE: Okay.

7 EXAMINER McMILLAN: -- operator only. And
8 if they sell the well, they're going to lose the
9 injection rights.

10 MR. BRUCE: They will, yeah.

11 EXAMINER McMILLAN: But that needs to be
12 clearly stated as part of the record.

13 MR. BRUCE: Okay. Well, he stated that.

14 EXAMINER McMILLAN: Okay. I want that to
15 very clear.

16 Q. (BY EXAMINER McMILLAN) And will the Applicant
17 agree to run, say, another falloff test or some other
18 test two years afterwards?

19 A. Yes, sir.

20 Q. And then you will agree to come back to hearing
21 and provide the results?

22 A. Yes, sir.

23 Q. And will the Applicant agree that if it wants
24 to run a step-rate test, it will have to go to hearing
25 and provide proper notice?

1 A. To increase pressures?

2 Q. Yes.

3 A. Yes, sir.

4 Q. By the way, I thought there was one well that
5 actually penetrated and was recompleted in the Brushy
6 Canyon -- or the Delaware recompletion, right?

7 A. In the -- one Atoka penetration?

8 Q. Yeah, penetration.

9 A. There was one, yes, sir, that penetrated the
10 Atoka. It has been plugged back to the Brushy Canyon.
11 That's correct.

12 Q. Okay. And the other point that needs to be
13 clarified, technically Rockcliff is out of 5.9
14 compliance because they have three wells, but once you
15 bring this well back on line, you would be in
16 compliance.

17 Okay. The injection interval is 11,750 to
18 11,879, correct?

19 A. Yes, sir. That is correct.

20 Q. And, what, there is currently 25 feet of
21 porosity greater than 8 percent?

22 A. I believe that's correct, but I would defer
23 that to the geologist, Mr. Block.

24 Q. And just where are your water samples?

25 A. The produced water samples?

1 **Q. Yeah.**

2 MR. BRUCE: Almost at the end of the
3 exhibit, there's --

4 THE WITNESS: Yes, sir. They're listed
5 starting at page 21 in the table, pages 21 and 22.

6 **Q. (BY EXAMINER McMILLAN) Okay. So you've got**
7 **Delaware, Atoka.**

8 **Okay. I don't see a Wolfcamp water sample.**

9 A. I will provide you that.

10 **Q. Yeah. That will be required.**

11 **CROSS-EXAMINATION**

12 BY EXAMINER DAWSON:

13 **Q. Is that a 2nd Bone Spring producer?**

14 A. Yes, sir, it was.

15 **Q. I don't see a 2nd Bone Spring producer -- 2nd**
16 **Bone Spring sample on this one either.**

17 EXAMINER McMILLAN: They've got a Bone
18 Spring producer in here.

19 You'll provide that, right?

20 THE WITNESS: Yes, sir.

21 EXAMINER McMILLAN: Go ahead.

22 **Q. (BY EXAMINER DAWSON) Were you there when they**
23 **squeezed the 2nd Bone Spring?**

24 A. No, sir. I wasn't on-site, but I was over the
25 operation.

1 Q. Did they run a CBL after that and pressure-test
2 it?

3 A. We pressure-tested, 700 pounds pressure test.

4 Q. 700 pounds.

5 Are there any other producing Atoka wells
6 nearby?

7 A. No, sir.

8 MR. BRUCE: The geologist will testify as
9 to --

10 EXAMINER DAWSON: Okay. That's all the
11 questions I have.

12 CROSS-EXAMINATION

13 BY EXAMINER BROOKS:

14 Q. Okay. There was some testimony about Red Adair
15 having been involved in this well, or was it John Wayne?

16 (Laughter.)

17 A. I was reading some of those reports. It was
18 like a storybook. It's kind of interesting.

19 Q. I assume there was a blowout at some point?

20 A. Yes, sir. That's correct.

21 Q. When was that?

22 A. It was in early 1978, the initial -- the
23 initial --

24 Q. It's been quite a long time ago?

25 A. Yes, sir, it was.

1 **Q. Have you-all investigated the situation that**
2 **caused that? Are you familiar with that history?**

3 A. Right. They -- they took a kitic mat
4 [sic; phonetic] around 11,790, somewhere in that range,
5 and actually washed out a choke on the surface, and it
6 blew out their choke.

7 **Q. Are you satisfied that there are not any**
8 **dangerous pressures in that well now?**

9 A. Yes, sir, I am.

10 **Q. Okay. I guess that's all the questions I have.**

11 MR. BRUCE: Just another blown-out well, I
12 can add to my list. I think I've got more on my record
13 than anybody (laughter).

14 Do you have any more questions, any of you?

15 EXAMINER McMILLAN: No, I don't believe.

16 DANIEL BLOCK,

17 after having been previously sworn under oath, was
18 questioned and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. BRUCE:

21 **Q. Would you please state your name and city of**
22 **residence for the record?**

23 A. Daniel Block, McKinney, Texas.

24 **Q. Who do you work for and in what capacity?**

25 A. Rockcliff Energy, senior geologist.

1 **Q. Have you previously testified before the**
2 **Division?**

3 A. No, I have not.

4 **Q. Could you summarize your education and**
5 **employment background for the Examiners?**

6 A. I graduated in 1999 with a Bachelor of Science
7 honor in geology from the University of Saskatchewan,
8 Saskatchewan, Canada. So I've been in the industry 18
9 years.

10 I worked five years for a company called
11 Rackett [phonetic] Petroleum Consultants doing basin
12 analysis and hydrodynamics. I worked one year for
13 Intermarket Solutions doing A and B advising as a
14 geologist; then nine years with Encana Corp. up in
15 Canada, and then down here in Dallas, Encana USA, as a
16 geologist; one-and-a-half years at Matador Resources as
17 a geologist, team lead, and finished off as exploration
18 manager; and then two years with Rockcliff Energy as
19 senior geologist.

20 **Q. And did your experience at Matador and**
21 **Rockcliff include the Delaware Basin?**

22 A. Yes, it did.

23 **Q. And does your area of responsibility at**
24 **Rockcliff include this area of southeast New Mexico?**

25 A. Yes, it does.

1 Q. And are you familiar with the geological
2 matters involved in this case?

3 A. Yes, I am.

4 MR. BRUCE: Mr. Examiner, I tender
5 Mr. Block as an expert petroleum geologist.

6 EXAMINER McMILLAN: So qualified.

7 Q. (BY MR. BRUCE) Let's start off with the
8 8-and-a-half-by-11 exhibits, Mr. Block. What is Exhibit
9 A?

10 A. Exhibit A is a structure map on the top of the
11 Atoka Formation. That's the formation that Rockcliff is
12 applying to dispose saltwater into. Also included on
13 that page is a type log showing the log character of the
14 interval in question. We can go over that in more
15 detail on the larger cross section where you can see the
16 log character much better.

17 The data points on the map are subsea
18 structure depths for the top of the Atoka in black below
19 the well symbols, and then the publicly reported
20 cumulative gas for either Atoka or Morrow for each well
21 is bubbled and listed in red above the well symbol. And
22 the reason I included this as an exhibit is to show
23 there does not seem to be a direct correlation between
24 structure and cumulative gas produced, indicating that
25 the reservoirs are stratigraphic in nature.

1 Q. And there has been quite a bit of Atoka in the
2 area; has there not?

3 A. Yes, sir.

4 Q. And was it your understanding that one of the
5 reasons this matter had to go to hearing is because
6 there is Atoka production within two to three miles of
7 this proposal?

8 A. Yes.

9 Q. Could you summarize Rockcliff's reasons why
10 this application should be approved?

11 A. Yes. Upon detailed review of the wells
12 surrounding the SCBU #1 listed on that structure map,
13 even though they're labeled as Atoka producers, upon
14 review of the perforated interval, you can see some of
15 those are actually Strawn producers, and there are also
16 some others that are targeting different Atoka sands
17 than what was completed in the SCBU #1. So Rockcliff
18 would like to show the proposed disposal zone as
19 effectively depleted and that it will not adversely
20 affect any wells. Further disposal into the Atoka and
21 SCB 1 is most economical.

22 Q. And what is Exhibit B?

23 A. Exhibit B, if you turn to the next page in your
24 exhibit package, is a map highlighting the individual or
25 commingled zones that have been perforated in 61 wells

1 surrounding the SCB 1. Highlights for perforations
2 within the overlying Strawn Formations and underlying
3 Morrow Formation and five distinct Atoka members
4 informally labeled "A, B, C, D" and "Lower" are
5 provided.

6 Please note that the reds -- the wells
7 highlighted in a red circle are the ones -- these wells
8 are the ones that have been perforated in the same zone,
9 the Atoka C, as the SCB 1 well.

10 Some of those wells are commingled either
11 with Morrow or with other Atoka, either the A, B or D,
12 intervals. But the Atoka C Sand, the SCB 1, produced 15
13 bcf of gas just by itself out of -- out of that one
14 wellbore of that zone.

15 **Q. And that's the proposed injection well?**

16 **A.** That's correct.

17 **Q. Mr. Block, I've handed you Exhibit C. What**
18 **does that reflect?**

19 **A.** Exhibit C is a stratigraphic cross section
20 crossing through each of the wells within one mile of
21 the SCB #1 that penetrated the Atoka Formation,
22 including the SCB 1, which is in the middle of the cross
23 section.

24 And what is important to note is the
25 perforations are listed in magenta on the depth log.

1 And so if you -- if you point your attention to the
2 South Culebra Bluff #1 well in the cross section, you
3 can see the open-hole completion starting at 11,759
4 going down to 11,875. And then the nearby wells, the
5 perforations are predominantly in the Strawn Formation
6 overlying the Atoka, highlighted in blue, and you can
7 see the magenta cross -- magenta perf intervals in the
8 leftmost well, in Ingalls Gas #1, at 11,400; at the
9 South Culebra Bluff U #2, at 11,4- -- let's call it 490;
10 again in the South Culebra Bluff Unit #5, at 11,520; and
11 then over on the Donaldson Com A #1, 11,4- -- let's call
12 it 85; and then falling across the Pardue Farms,
13 11,4- -- let's call it 485 again, 490.

14 And then in the Williams Gas Com #1, there
15 is no perforation in the Strawn or the Atoka, and you
16 have to scroll down into the Morrow Formation to see the
17 four zones that are perforated there, from 12,500 down
18 to 12,775, roughly.

19 So within a mile of the SCB 1, the other
20 perforated -- oh, important to note -- excuse me -- in
21 the South Culebra Bluff Unit #5, there is a perforation
22 in the Atoka A, as well as the Strawn. That's the well
23 immediately to the left of the South Culebra Bluff #1.

24 So none of the wells within a mile have
25 been completed in the same interval.

1 **Q. What is Exhibit D, Mr. Block?**

2 A. Exhibit D is another stratigraphic cross
3 section. And now the wells on this cross section are
4 those wells within two miles that have been completed in
5 the same zone. The one exception on this cross section
6 to that is the Donaldson Com A #1, which I just simply
7 included to show that it is only 1,357 feet away from
8 the subject well, and yet the stratigraphic equivalent,
9 the yellow highlighted interval, is pinched out and has
10 lost much of its reservoir quality.

11 But if you look at the other wells, that
12 yellow interval, which I have informally labeled the
13 Atoka C, is thick, has porosity greater than 8 percent,
14 which, on the far-right log -- or log trace, greater
15 than 8 percent is highlighted in green shading. And
16 then to highlight the tight nature of some of the other
17 intervals, anything less than 5 percent is shaded in
18 black. So you see a lot of black in the interval, but
19 then the green stands out when you see the Atoka C as
20 prospective and where they perforated that interval.

21 **Q. And based on this, is it your belief that the**
22 **well will be capable of receiving the planned volumes**
23 **that Rockcliff plans to inject?**

24 A. Yeah. With having produced 15 bcf of gas, with
25 there being no other wells within a mile that are

1 completed in this interval and you have to go into a
2 two-mile radius to find wells that have been completed
3 in the same interval, the volumetrics allow for
4 significant amounts of water to be injected into this
5 interval given that, based on our calculations, anywhere
6 from 80 to 100 percent of the volume in our mapped
7 reservoir has been drained. Now, drainage polygons that
8 give you 100 percent drainage, you know that that's not
9 possible. So there has to be even a larger area that's
10 been drained, meaning -- you know, meaning that there is
11 more void space available to us than even what we can
12 just show in a two-mile drainage radius.

13 **Q. Let's move on to Exhibit E. Is the Atoka**
14 **reservoir continuous across this area?**

15 A. So the Atoka C map is a channel that trends
16 south-southeast -- it trends southeast from the
17 northwest, and it is as thin as one mile wide but as
18 long as, in this area, seven miles long.

19 The reason I provide that cross section
20 showing the well within two miles that have been
21 perforated in this interval, you can see that they track
22 along that channel, and net porosity feet, which is
23 greater than 10 percent on a limestone scale, are posted
24 in orange beside of the wells along Exhibit E. And
25 wells completed in the Atoka C center are highlighted

1 with the red circles.

2 So you can see with the one-mile radius
3 circle and the two-mile radius circles that no wells
4 have been perforated within that one mile, and only five
5 wells have been perforated within two miles. Four of
6 those wells, five including the SCB 1, have been plugged
7 at that interval. Only the Nymeyer #1 is still sort of
8 producing out of that interval, but it's at 2 Mcf a day
9 for the last 13 years. It is operated by Chevron, who
10 is our 50 percent partner in much of our produced
11 acreage, and they have not objected to our -- they're a
12 50 percent partner in this injection well, and they have
13 not objected to the disposal of water into this zone.

14 **Q. And is the Nymeyer production data shown on**
15 **Exhibits F and G?**

16 A. Yes. You can see, on Exhibit F, there is the
17 graph that shows the -- sort of the maintenance
18 production or -- and then it's tabulated on Exhibit G,
19 showing that this is monthly data, so it's in the 10 to
20 1923 Mcf a month of gas. So we do not think that we'll
21 adversely affect this well by injecting water into this
22 zone.

23 **Q. Are there any faults connecting any freshwater**
24 **zone with any other producing zones in this area?**

25 A. No, there are not.

1 Q. Were Exhibits A through G prepared by you or
2 under your direction?

3 A. Yes. They were prepared by me.

4 Q. And in your opinion, is the granting of this
5 application in the interest of conservation and the
6 prevention of waste?

7 A. Yes. The SCB 1 -- SCB #1 wellbore is an asset
8 already in place, and its conversion to an SWD well will
9 prevent unnecessary cost and the environmental risk of
10 drilling a new SWD well in this field.

11 MR. BRUCE: Mr. Examiner, I'd move the
12 admission of Exhibits A through G.

13 EXAMINER McMILLAN: Exhibits A through G
14 may now be accepted as part of the record.

15 EXAMINER BROOKS: Hold on a minute. I
16 notice on these exhibits there is a legend on the lower,
17 left-hand side that says "Proprietary and Highly
18 Confidential." I'm concerned about that because there
19 is a statute that requires this department to maintain
20 the confidentiality and correctly segregate and treat as
21 confidential information that which is submitted as
22 confidential.

23 And my question, before we admit this, is:
24 Is Rockcliff prepared to waive the confidentiality for
25 purposes of this hearing and allow this -- because our

1 normal procedure is to put all these exhibits -- post
2 all these exhibits on the OCD Web site. And if they're
3 going to be admitted under seal, we don't want to do
4 that, but we would, of course, prefer that we not be put
5 to those pains.

6 MR. BRUCE: No. I think Rockcliff will
7 waive that. As you can see, Exhibits F and G are known
8 as public data.

9 EXAMINER BROOKS: Okay. Well, this legend
10 is on all exhibits, A through G.

11 MR. BRUCE: Yes, I know. We'll waive it.

12 THE WITNESS: Yeah.

13 EXAMINER BROOKS: Okay. I will advise the
14 Examiner that this may be admitted and posted on the Web
15 site as other exhibits are.

16 EXAMINER McMILLAN: Exhibits A through G
17 may now be accepted as part of the record.

18 (Rockcliff Operating New Mexico, LLC
19 Exhibit Letters A through G are offered and
20 admitted into evidence.)

21 CROSS-EXAMINATION

22 BY EXAMINER McMILLAN:

23 Q. Okay. First question I've got is I'm looking
24 at -- okay. I'm essentially looking at Exhibit C, and
25 I'm looking at the #5 and the #1. Now, it's your

1 testimony that your injection interval is not present in
2 the #5; is that correct?

3 A. No, that it was not perforated in the #5. The
4 interval is present, but it wasn't of high enough
5 reservoir quality for the operator to perforate it.

6 Q. Now, I see that in the #5, within the Atoka,
7 you have perforated that, right?

8 A. They have perforated the Atoka A.

9 Q. But when you do an injection interval, you're
10 approving a formation, not necessarily -- you're
11 approving an interval. And is the #5 producing?

12 A. No. The #5 has been plugged.

13 Q. Okay. And the next question I have -- let's
14 just -- looking -- I guess the 5's, what, a quarter of a
15 mile away?

16 A. Three-quarters. It's -- at the top of the
17 cross section, you can see that it's 4,885 feet.

18 Q. Where is the well that's actually closest?

19 A. The Donaldson Com A #1, immediately to the
20 right.

21 Q. Looking at this log, where would be your
22 vertical barriers?

23 A. Well, because these wells are not fracked, you
24 can see that they're perforating each prospective zone
25 individually, because they do not feel like if they

1 perforate one zone, they're going to capture the
2 resource from the other zones. You can see that in some
3 of the other wells. On cross section D, D prime, for
4 example, the Yarbrow A Com #1, there were several zones
5 that they thought were prospective in the Atoka C, and
6 so they perforated each of the intervals. It was not
7 the practice to perforate one zone and frac up to
8 capture the rest of the resource. So we think that
9 there's -- that the shales that separate these wells
10 provide enough of a seal. If we stay below frac
11 pressure, we won't adversely affect --

12 **Q. So where are they on this? So tell me --**
13 **point -- I want you to point and tell me exactly where**
14 **the barriers -- exactly where the barriers are on the**
15 **Donaldson.**

16 **A.** Sure. You can see. The gamma ray on the
17 left-hand side is shaded in several colors, blue, yellow
18 and brown. The brown is showing the hot gamma ray,
19 which are the shales that are fairly contiguous across
20 the cross section. If you look at cross section D, in
21 the Donaldson Com A 1, the shale from 11,725 down to
22 11,750 is -- and that's a 25-foot thick shale that
23 actually stems across -- fairly consistently across the
24 cross section. Now, the gamma rays are not uniform, and
25 so the shading -- the color shading does change from

1 well to well, but you can see that that shale is a
2 consistent and thick shale across the cross section.

3 Q. Okay. So the base at 11,775 will prevent the
4 downward migration?

5 A. That -- so when we -- when we go into the SCB 1
6 and inject into the interval starting at 11,750, we do
7 not believe that there will be any upward migration of
8 our disposed water.

9 Q. So that lower shale at the base of 11,775, at
10 the Donaldson, will be a barrier, right? I'm just
11 picking it because it has a complete log package.

12 A. Yeah. Yeah. So in the Donaldson, the shale
13 you see at 11,760 --

14 Q. Okay. I just picked it. Yeah, that's fine.
15 Probably the same thing?

16 A. Yeah. That will --

17 Q. That will not be --

18 A. You can see in the porosity log to the right in
19 the Donaldson that below 11,750 -- well, let's say below
20 11,775, it's shaded black. It's all below 5 percent
21 porosity, and it's actually, you know, 2 to 3 percent
22 porosity, everything below that. So even the open-hole
23 portion of the SCB #1, there really is only that
24 porosity in the --

25 Q. The 20- --

1 A. -- 25 feet -- yeah, 23 feet.

2 Q. And so then you're saying that that shale at
3 11 -- the top at crudely 11,725, that'll provide --
4 that'll provide an upward barrier?

5 A. Yes. Yeah. That shale is thick and competent.

6 Q. Okay. So are there any wells within two miles
7 irrespective of whether or not it's your -- part of A, B
8 and C? Are there any wells producing from the Atoka?

9 A. Just the Nymeyer #1.

10 Q. And it is a producer?

11 A. It is producing 2 Mcf a day, on average, 9 Mcf
12 a month, and operated by our partner who has not
13 objected to the disposal.

14 There are some other Morrow wells.

15 Q. We're talking about the Atoka.

16 A. Yeah. So the issue is that they are often
17 publicly labeled as Atoka wells, but they're not, and so
18 I have to clarify that.

19 Q. Yeah. But like I said, you can't inject into
20 an active producing zone.

21 A. Yeah. So we think, in this situation, the
22 reservoir has been so effectively depleted and our
23 injection rates are not going to -- or our injection
24 volumes are not going to expand, you know, upwards of
25 two miles within the engineering future to adversely

1 affect the Nymeyer #1.

2 EXAMINER McMILLAN: Any questions?

3 EXAMINER DAWSON: I do.

4 CROSS-EXAMINATION

5 BY EXAMINER DAWSON:

6 Q. Have you talked to Chevron about their plans
7 for the Nymeyer #1? I mean, why would they want to keep
8 a well that produces that minimal production?

9 A. I'm not sure. They operate two 2nd Bone Spring
10 horizontals in that section, and so it could be that
11 they're trying to maintain their rights below the 2nd
12 Bone Spring for future Wolfcamp development, horizontal
13 development, but I don't want to speak for them.

14 Q. But you don't feel that this well will impact
15 that well whatsoever?

16 A. I do not. I do not think so. It certainly
17 won't -- it won't water -- it won't water that well out.

18 Q. On your Exhibit D --

19 A. Yes.

20 Q. -- your open-hole interval from 11,750 to
21 11,880 --

22 A. Yes.

23 Q. -- where would that 11,880, the bottom of your
24 open-hole interval that you're injecting into, where
25 would you correlate that lowermost perf to the Donaldson

1 **Com A #1 on your cross section?**

2 A. So that would correlate to the tight rock at
3 11,850 to 875, very similar depth.

4 **Q. And that's pretty much --**

5 A. It's a tight --

6 **Q. -- negative porosity?**

7 A. Tight carbonate, yeah, zero to 1 percent, 2
8 percent.

9 **Q. Okay.**

10 A. The porosity divisions are at 2 percent picks,
11 so they're, you know, 2 to 3 percent at most.

12 **Q. So you're feeling that less than 1 percent**
13 **would be a barrier for downward migration of the fluids?**

14 A. Correct.

15 **Q. Okay. That's all the questions I have.**

16 EXAMINER BROOKS: No questions.

17 EXAMINER McMILLAN: Okay. I've just got
18 one thing to tell you. If you want to come back to the
19 OCD, you need more professional attire. I'm serious. I
20 get up at 4:30 in the morning. I take Bill's
21 Boondoggle. I wore a tie. I assume you spent the night
22 in Santa Fe.

23 THE WITNESS: Yes.

24 EXAMINER DAWSON: When he says Bill's
25 Boondoggle, he's talking about the Railrunner.

1 EXAMINER McMILLAN: And if I have to get up
2 that early and wear a tie, I don't think it's out of the
3 realm for a professional to have on proper attire, and
4 if you come back, you will wear a suit and tie.

5 THE WITNESS: Yes, sir.

6 EXAMINER McMILLAN: Your attire is
7 inappropriate.

8 THE WITNESS: Yes, sir.

9 EXAMINER McMILLAN: Okay. Anything else?

10 EXAMINER BROOKS: Nothing from me.

11 EXAMINER McMILLAN: Okay. Therefore, Case
12 Number 15791 shall be continued until next week --
13 excuse me -- until the 31st.

14 Thank you.

15 Let's take a 15-minute break.

16 (Case Number 15791 concludes, 9:28 a.m.)

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2017
Paul Baca Professional Court Reporters

25