

STATE OF NEW MEXICO  
ENERGY, MINERAL AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF FORTY ACRES ENERGY, LLC      CASE NO 15792  
FOR STATUTORY UTILIZATION OF LEA COUNTY,  
NEW MEXICO

APPLICATION OF FORTY ACRES ENERGY, LLC      CASE NO 15793  
FOR APPROVAL OF SECONDARY RECOVERY  
PROJECT AND TO QUALIFY THE PROJECT FOR  
THE RECOVERED OIL TAX RATE, LEA COUNTY,  
NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

September 14, 2017

SANTA FE, NEW MEXICO

BEFORE:      WILLIAM V. JONES, CHIEF EXAMINER  
                 DAVID K. BROOKS, LEGAL EXAMINER  
                 MICHAEL McMILLAN, EXAMINER

This matter came on for hearing before the  
New Mexico Oil Conservation Division, William V. Jones,  
Chief Examiner, and David K. Brooks, Legal Examiner, on  
Thursday, September 14, 2017, 11:14 a.m., at the  
New Mexico Energy, Minerals and Natural Resources  
Department, Wendell Chino Building, 1220 South  
St. Francis Drive, Porter Hall, Room 102, Santa Fe,  
New Mexico

1     REPORTED BY:     Debra Ann Frietze  
                           New Mexico CCR #251  
 2                       Paul Baca Professional Court Reporters  
                           500 4th Street, Northwest, Suite 105  
 3                       Albuquerque, New Mexico   87102  
                           505.843.9241

4  
 5  
 6                                   APPEARANCES

7     FOR THE APPLICANT FORTY ACRES ENERGY, LLC:

8                       JAMES GARRETT BRUCE  
                           P.O. Box 1056  
 9                       Santa Fe, New Mexico 87504  
                           jamesbruce@aol.com  
 10                      505.982.2043

14	EXHIBIT	DESCRIPTION	ADMITTED
15	1.	Land Plat West Eumont Unit	18
16	2.	Unit Agreement for the Development and	
		Operation of the West Eumont Unit, Lea	
17		County, New Mexico	18
	3.	Unit Operating Agreement	18
18	4.	List of Company Names	18
	5.	List of Company Names	18
19	6.	Letter from Chris Fling, 1/11/16	18
	7.	Form Letter, Ballot, Ratification and	
20		Joinder of Unit Agreement and Unit	
		Operating Agreement	18
21	8.	Letter from Chris Fling, 7/5/17	18
	9.	Affidavit of Notice, Case No. 15792	18
22	10.	Affidavit of Publication, Legal Notice	18
	11.	Affidavit of Notice	18
23	12.	Structural Map	38
	13.	Isopach Map	38

1	EXHIBIT (Cont.)	DESCRIPTION	ADMITTED
2	14.	Cross-Section Map	38
	15.	Cross-Section Map	38
3	16.	Location Map	38
	17.	Well Log	38
4	18.	Legal Description of Eumont Pool	73
	19.	Cume Oil Bubble Map	73
5	20.	Charts of West Eumont Unit	73
	21.	Application for Authorization to	
6		Inject	73
7			
		CERTIFICATE OF REPORTER	84
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1                   EXAMINER JONES: We'll call Case Numbers  
2   15792 and 15793. 15792 is the application of Forty  
3   Acres Energy, LLC, for statutory unitization in Lea  
4   County, New Mexico.

5                   Case Number 15793 is application of Forty  
6   Acres Energy, LLC, for approval of secondary recovery  
7   project and to qualify the project for the recovered oil  
8   tax rate in Lea County, New Mexico.

9                   I'll invite appearances in these cases.

10                  MR. BRUCE: Mr. Examiner, Jim Bruce, of  
11   Santa Fe, representing the applicant. I have three  
12   witnesses.

13                  EXAMINER JONES: Okay. So any other  
14   appearances? I thought we had some on the record.

15                  MR. BRUCE: Yeah, Ms. Kessler entered an  
16   appearance for SCR Capital. But as our first witness  
17   can explain, they've been acquired by Forty Acres, so  
18   they're happy.

19                  And just for the record, Mr. Fling, our  
20   land witness and I have -- and I guess the Division,  
21   have received a bunch of phone calls about it, or  
22   emails, and we've explained what's going on. Nobody  
23   events any objection.

24                  EXAMINER JONES: Okay.

25                  MR. BRUCE: Oh, Holland and Hart also

1 originally entered appearances for ConocoPhillips and  
2 for OXY. But again, Mr. Fling can explain a bit later  
3 how they were accommodated.

4 EXAMINER JONES: So we still have those in  
5 our file also, but --

6 MR. BRUCE: Yeah.

7 EXAMINER JONES: Okay.

8 Will the witness please stand and the court  
9 reporter please swear in the witnesses?

10 [Whereupon, Chris Fling, Jennifer Lamarro  
11 and Huxley Song were sworn.]

12 CHRIS FLING  
13 after having been first duly sworn under oath,  
14 was questioned and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. BRUCE:

17 Q. Would you please state your name and city of  
18 residence?

19 A. My name is Chris Fling, F-l-i-n-g. I live in  
20 Tulsa.

21 Q. Who do you work for?

22 A. I work for Primary Fuels, and I'm on the Board  
23 of Directors of Forty Acres Energy.

24 Q. What is your profession?

25 A. I'm a landman.

1           Q.   And in this case, are you doing the land work  
2   on behalf of Forty Acres Energy?

3           A.   Yes, I am.

4           Q.   Have you previously testified before the  
5   Division?

6           A.   Yes, sir, I have.

7           Q.   And were your credentials as an expert  
8   petroleum landman accepted as a matter of record?

9           A.   They were.

10          Q.   And are you familiar with the land matters  
11   involved in these applications?

12          A.   Yes, sir.

13                   MR. BRUCE:   Mr. Examiner --

14          Q.   (By Mr. Bruce)   Maybe I should ask:   Are you  
15   excruciatingly familiar with the land matters?

16          A.   Yes.   It's been quite an experience.

17                   MR. BRUCE:   Mr. Examiner, I tender  
18   Mr. Fling as an expert petroleum landman.

19                   EXAMINER JONES:   He is so qualified.

20          Q.   (By Mr. Bruce)   Could you briefly summarize  
21   what Forty Acres seeks in these two cases?

22          A.   Yes.   We seek to statutorily unitize all the  
23   interest in the proposed West Eumont Unit, and to seek  
24   approval and institute a secondary recovery unit.

25          Q.   And what is the unitized interval?

1           A. The unitized interval is the Yates, Seven  
2 Rivers and Queen formations, often referred to as the  
3 Eumont pool, E-u-m-o-n-t.

4           Q. And is the unitized formation described on page  
5 5 of the Unit Agreement?

6           A. Yes, that's where it's described.

7           Q. And will the unitized formation include all  
8 subsurface points correlative to the depths in the  
9 description?

10          A. Yes.

11          Q. And let's run through this briefly. Is Exhibit  
12 1 a land plat of the proposed unit area, together with,  
13 on page 2, a legal description of the land within the  
14 unit?

15          A. That's correct.

16          Q. And what types of lands are included in the  
17 unit area?

18          A. There are state, federal and fee lands included  
19 in the unit.

20          Q. And what is exhibit -- well, let's go back into  
21 it. There are what, approximately 60-some tracts in the  
22 unit?

23          A. Sixty-two unit tracts, yes, sir.

24          Q. And currently, how many different operators of  
25 Eumont wells are within the proposed unit area?

1           A.   There are nine.

2           **Q.   And what is Forty Acres here to do today?**

3           A.   We're here as a relatively new company to get  
4 approval to form the waterflood unit and begin  
5 operations.

6           **Q.   And they made its acquisitions specifically**  
7 **with secondary recovery in mind, did they not?**

8           A.   Correct.

9           **Q.   And will a subsequent witness discuss the**  
10 **number of injection wells, producing wells and**  
11 **expenditures for the unit area?**

12          A.   Yes.

13          **Q.   Could you identify Exhibit 2 for the Examiner?**

14          A.   Exhibit 2 is a copy of the Unit Agreement for  
15 the proposed unit.

16          **Q.   And is this the standard form that is approved**  
17 **by the State Land Office?**

18          A.   The State Land Office and the BLM, yes.

19          **Q.   And it's similar to other secondary recovery**  
20 **unit agreements previously approved by the Division, is**  
21 **it not?**

22          A.   Correct.

23          **Q.   And is Forty Acres Energy the designated unit**  
24 **operator?**

25          A.   Yes.



1           Q.   What is Exhibit 3?

2           A.   Exhibit 3 is a copy of the Unit Operating  
3 Agreement.

4           Q.   And does this set forth the authorities and  
5 duties of the unit operator, as well as the  
6 apportionment of expenses between the working interest  
7 owners?

8           A.   It does.

9           Q.   Does the Unit Operating Agreement contain a  
10 provision for carrying working interest owners?

11          A.   It does, in Article 11.

12          Q.   And does it also provide for a penalty as  
13 provided in the statute against any nonconsenting  
14 working interest owners?

15          A.   Yes, it does.

16          Q.   And are the tract participation factors set  
17 forth in the Unit Agreement?

18          A.   In the Unit Agreement, on page 8.

19          Q.   And will the engineer discuss the tract  
20 participation factors?

21          A.   Yes.

22          Q.   Let's discuss the ownership of the tracts in  
23 the unit area. If you'll go back to Exhibit 2 and look  
24 at Exhibit B to Exhibit 2, could you describe how the  
25 tracts were formed?

1           A. All the tracts were formed based on mineral  
2 ownership and by working interest ownership.

3           Q. And does Exhibit 2 set forth the tracts on a  
4 tract-by-tract or a lease-by-lease listing?

5           A. It does.

6           Q. And were the names of all the interest owners  
7 in Exhibit B obtained from current title examination?

8           A. Current title examination, Internet searches,  
9 very in-depth.

10          Q. This is an old producing area?

11          A. Yes.

12          Q. Was title difficult --

13          A. There was a lot of title. Yeah, it was very  
14 difficult.

15          Q. And how many interest owners of all types are  
16 there in the proposed unit?

17          A. Oh, over 100.

18          Q. Let's talk first about working interest owners.  
19 Does Exhibit 4 contain a listing of working interest  
20 owners in the proposed unit?

21          A. Yes. Exhibit 4 is the working interest owners.

22          Q. What is the approximate current approval  
23 overall unit of working interest owners? What  
24 percentage interest have currently approved the unit?

25          A. Well in excess of 80 percent.

1           Q. And are you still receiving ratifications or  
2 people who say they are going to join in the unit?

3           A. We still receive some sort of correspondence in  
4 terms of ratification and joinder almost every day.

5           Q. And does Exhibit 5 contain a listing of all of  
6 the fee royalty and overriding royal -- fee royalty  
7 owners plus all overriding royalty owners?

8           A. Yes, it does. That, and some of these folks  
9 also own a working interest as well.

10          Q. Okay.

11          A. But they're captured on the working interest  
12 list, also.

13          Q. Okay. So when notice was given, they were  
14 given notice --

15          A. They got multiple notices, yes.

16          Q. And if you'll look at -- let's take a step  
17 back. Has the Unit Agreement and supporting data been  
18 submitted both to the State Land Office and to the BLM  
19 for preliminary approval?

20          A. Yes, sir, they have.

21          Q. Has Forty Acres obtained preliminary approval  
22 from the State Land Office?

23          A. Yes, we have.

24                 MR. BRUCE: And Mr. Examiner, I couldn't  
25 find that late last night, but we will submit it to you.

1 EXAMINER JONES: Okay.

2 Q. (By Mr. Bruce) What about the BLM; what have  
3 they said about the unit?

4 A. The BLM -- we've been in constant contact with  
5 the BLM. We've had both verbal and email correspondence  
6 with them where they have expressed no problems at all  
7 with what we're trying to do and in fact support.

8 Q. And they've actually emailed you saying that we  
9 haven't gotten to their preliminary approval phase, but  
10 they have no objection to --

11 A. That's correct.

12 Q. And if you assume that the State Land Office  
13 and the BLM approve the -- finally approve the unit,  
14 together with overrides and royalty owners who have also  
15 ratified the unit, what percentage are you looking at in  
16 that category of approval?

17 A. Virtually 100 percent.

18 Q. And at such time as final approval is sought to  
19 be obtained from the State Land Office and the BLM, will  
20 you submit all the ratifications or signatures to the  
21 agreement, also to the Division?

22 A. Yes.

23 Q. Let's discuss your effort to obtain the  
24 voluntary unitization among the parties to the unit.

25 Let's go over the unit timeline. And I'll refer you to

1     **Exhibit 6, which is a letter dated early -- actually, it**  
2     **says 2016. That's actually 2016, I believe, Mr. Fling;**  
3     **is that correct?**

4             A. Yes, that's correct.

5             **Q. Has Forty Acres been working on the unitization**  
6     **and the waterflood for what, approximately a year at**  
7     **this point?**

8             A. Yes. We originally acquired the properties in  
9     2016 and began -- the engineer will talk more about  
10    that, and geologist, but we began working on that and  
11    acquiring additional interest.

12            **Q. And it took up until January of this year to**  
13    **put forward a plan to the interest owners?**

14            A. Correct.

15            **Q. And what did this January 11th letter do?**

16            A. The January 11th letter, referred to as Exhibit  
17    6, is an invitation from us to all of the working  
18    interest owners to participate in a working interest  
19    owners' meeting wherein we could describe to all the  
20    working interest owners what our plans were.

21            **Q. And where was that meeting held?**

22            A. It was held in Midland, Texas.

23            **Q. In February of this year?**

24            A. Yes.

25            **Q. And was it fairly well-attended?**

1           A. There were a few attendees, but really not very  
2 many. I think seven or eight companies is all that  
3 chose to appear.

4           Q. But did you have contacts with virtually all  
5 the interest owners even if they did not show up?

6           A. Correct.

7           Q. Have you had multiple emails, phone calls,  
8 et cetera, with all the working interest parties?

9           A. Yes. All of the working interest owners that  
10 we can find.

11          Q. Some are unlocated?

12          A. Correct.

13          Q. Did you then send out formal offers to the  
14 working interest owners and to the overrides during the  
15 summer?

16          A. Formal offers to participate.

17          Q. Formal offers to participate.

18          A. That included copies of the Unit Agreement and  
19 Unit Operating Agreement, ratifications, joinders and  
20 the entire package.

21          Q. And was Exhibit 7 a form letter that was sent  
22 out to the working interest owners, along with the unit  
23 documents and --

24          A. Yes, it was.

25          Q. And was Exhibit 8 a similar letter sent out to

1 the overrides and fee royalty owners but with only the  
2 Unit Agreement, not the waterflood Application?

3 A. Correct.

4 Q. And not --

5 A. Not the Operating Agreement.

6 Q. Not the Operating Agreement.

7 In your opinion, has Forty Acres made a  
8 good faith effort to either locate the interest owners  
9 in the proposed unit or to secure voluntary unitization  
10 from these interest owners?

11 A. Yes.

12 Q. And was written notice of the unitization  
13 hearing sent to all persons with current addresses?

14 A. Correct.

15 Q. And is that reflected in Exhibit 9?

16 A. Yes.

17 EXAMINER JONES: And actually,  
18 Mr. Examiner, when I was putting this -- you'll see  
19 there are two notice letters; one went to the working  
20 interest owners, and one went to the override.

21 It was at this point, when I was finishing  
22 up, that I ran out of ink on my page.

23 EXAMINER JONES: So the second letter went  
24 to the mineral interest and the overrides?

25 MR. BRUCE: Yes. If you'll look at page 1

1 of -- I mean page 2 of Exhibit 9, that letter went up to  
2 the working interest owners.

3 EXAMINER JONES: Okay.

4 MR. BRUCE: Then turn a few pages back, and  
5 you will see the letter that went out to the fee royalty  
6 and the overriding royalty interest owners.

7 EXAMINER JONES: Okay.

8 MR. BRUCE: And I've included all the green  
9 cards, except what I've gotten on those, but that's when  
10 I ran out of ink. So we can handle this a couple of  
11 ways: I hope to resupply this afternoon and copy  
12 everything.

13 EXAMINER JONES: Well, mine looks printed.

14 MR. BRUCE: Well, there should be a bunch  
15 of green cards after the first part of the working  
16 interest owners.

17 EXAMINER JONES: Oh.

18 MR. BRUCE: If it's okay, if I can resupply  
19 and copy those and get them to you this afternoon, and I  
20 will also supply the court reporter.

21 EXAMINER JONES: That's sounds good. You  
22 don't have to do it this afternoon.

23 MR. BRUCE: Okay.

24 **Q. (By Mr. Bruce) Mr. Fling, you said you looked**  
25 **at Internet records, county records, whatever you could**



1 to find interest owners. There were still some you  
2 couldn't find?

3 A. That's correct.

4 Q. And plus, some people don't claim their  
5 Certified Mail?

6 A. We sent tremendous numbers of Certified Mail,  
7 and we never saw them again. No green card returned.  
8 Eventually the full package comes back as Unclaimed.

9 Q. And as a result, was notice published in the  
10 Hobbs newspaper, which covers all the people who we did  
11 not get green cards back from?

12 A. Yes.

13 Q. And that is marked Exhibit 10.

14 Look at Exhibit 11, Mr. Fling. Is this  
15 regarding notice of the initial stages of a waterflood  
16 unit?

17 A. Yes.

18 Q. If you'll look at the letter and the exhibit  
19 attached to that, does that reflect the surface owners  
20 of the injection wells, the proposed injection wells, as  
21 well as all offset operators within the area of review  
22 of the initial injection wells?

23 A. Yes, it does.

24 MR. BRUCE: And Mr. Examiner, believe it or  
25 not, we did notify all of those people. So Exhibit 11

1 reflects that proper notice was received by them.

2 Q. (By Mr. Bruce) I probably shouldn't ask this  
3 question because I don't know anything about it, but I  
4 didn't hear from any of the offset operators; did Forty  
5 Acres?

6 A. No one contacted us. Some of the offset  
7 operators, I assume, are inside the unit.

8 Q. In your opinion, will the granting of these  
9 applications be in the interest of conservation and the  
10 prevention of waste and the protection of correlative  
11 rights?

12 A. Yes.

13 Q. And were Exhibits 1 through 11 either prepared  
14 by you or under your direction or compiled from company  
15 business records?

16 A. Yes, they were.

17 MR. BRUCE: Mr. Examiner, I move the  
18 admission of Exhibits 1 through 11.

19 EXAMINER JONES: Exhibits 1 through 11 are  
20 admitted.

21 MR. BRUCE: I have no further questions for  
22 the witness.

23 MR. BROOKS: No questions.

24 MR. McMILLAN: I don't have any questions.

25 EXAMINER JONES: So this proposed -- now

1     this is the first use of the name West Eumont Unit; is  
2     that correct?

3                     THE WITNESS:   Yes.

4                     EXAMINER JONES:  So it straddles Townships  
5     2036 and 2135?

6                     THE WITNESS:   Correct.

7                     EXAMINER JONES:  And they're skewed  
8     townships?

9                     THE WITNESS:   Yes.  It's a correction  
10    boundary, right.

11                    EXAMINER JONES:  Okay.  So the negotiations  
12    for the meeting you had in Midland, you said not too  
13    many people in February -- not too many people showed  
14    up.  What kind of talks did you have about -- you talked  
15    about the parameters?

16                    THE WITNESS:   We gave a full presentation  
17    of what our idea was and why we thought it had merit and  
18    asked for their support, participation or comments.

19                    EXAMINER JONES:  So you've laid out the  
20    whole plan to the working interest owners?

21                    THE WITNESS:   Correct, we did.

22                    EXAMINER JONES:  And to whoever showed up?

23                    THE WITNESS:   Yes.

24                    EXAMINER JONES:  And what kind of comments  
25    did you get back?

1                   THE WITNESS: There were a couple of  
2 supporting comments. There were a couple of folks that  
3 were a little bit confused and, you know, decided that  
4 they wanted to, you know, go back and talk about it in  
5 their shop. And there was one party who didn't like our  
6 participation formula.

7                   EXAMINER JONES: Yeah. So the formula will  
8 be talked about later, right, with the engineer?

9                   MR. BRUCE: Correct.

10                  EXAMINER JONES: So you're expecting 100  
11 percent of the mineral interest to sign on, but 80  
12 percent right now of the working interest; is that  
13 correct?

14                  THE WITNESS: Over 80 percent.

15                  EXAMINER JONES: Because we got more than  
16 the statutory requirement, which is 70 percent?

17                  THE WITNESS: 75.

18                  EXAMINER JONES: I always forget that. I  
19 keep getting it mixed up.

20                  MR. BROOKS: Me too. We don't get enough  
21 statutory unitization cases to keep it in mind.

22                  MR. BRUCE: If I can clarify it with  
23 Mr. Fling?

24                  EXAMINER JONES: Sure.

25                  **Q. (By Mr. Bruce) There are multiple parties who**

1    **have ratified or will ratify the unit working interest**  
2    **owners?**

3           A.   Yes, working interest owners.   A couple of the  
4   working interest owners that came to the meeting have  
5   already ratified and support the project.

6                   EXAMINER JONES:   Okay.

7                   THE WITNESS:   A couple of them decided that  
8   they were more interested in working the deeper zones,  
9   and they assigned us their shallow rights.   And that  
10   includes the party that didn't really care too much for  
11   our formula.   They decided to sell us their interest, so  
12   there are no objections, no issues surrounding any of  
13   that at this time.

14                   EXAMINER JONES:   Okay.   So you would be  
15   basically taking over as operator within this proposed  
16   unit.   And a lot of those wells are really old wells; is  
17   that correct?

18                   THE WITNESS:   They really are.

19                   EXAMINER JONES:   So they've got -- did you  
20   obtain any environmental issues that might exist with --  
21   in other words, are you aware of any?

22                   THE WITNESS:   We aren't aware of any.   We  
23   did acquire a number of wells from Finley Resources to  
24   start the project, and there weren't really any issues  
25   with any of those.   You know, the typical, you know,

1 old-well issues, but no big problems anywhere.

2 And we have looked at all of the other  
3 wells that we'll be taking over. There's not a lot of  
4 them, there really aren't. I mean other than just that  
5 they've been out there since 1950, no significant  
6 problems on anything.

7 EXAMINER JONES: Okay.

8 THE WITNESS: And we have a good working  
9 relationship with both of the surface grazing lessees as  
10 well as surface owners, and they've shown us kind of  
11 everything as well.

12 EXAMINER JONES: Okay. So BLM and the  
13 State Land Office both own some surface lands out there  
14 also?

15 THE WITNESS: The State Land Office does on  
16 the surface lands that are all subject to grazing  
17 leases.

18 The BLM owns -- I believe they may own a  
19 little bit of surface up to the north. It's also  
20 subject to grazing leases.

21 EXAMINER JONES: Okay. So basically, you  
22 said you had state, federal and some fee lands?

23 THE WITNESS: Fee minerals.

24 EXAMINER JONES: Fee minerals. So unleased  
25 fee minerals? Everything is leased probably out there,

1 I would think.

2 THE WITNESS: There are a couple of fee  
3 interest owners that may still be unleased. We've been  
4 trying desperately to contact them. I think Scott Hall  
5 had filed an appearance on behalf of the Seth family.  
6 And obviously, he left. But we've shaken hands and  
7 we've solved that problem. They had some unleased  
8 minerals.

9 EXAMINER JONES: Okay. So under the Unit  
10 Agreement, how are unleased mineral owners? How are  
11 they treated?

12 THE WITNESS: They're treated as working  
13 interest owners.

14 MR. BRUCE: Well, working as to 7/8's, just  
15 like in the first pooling situation.

16 THE WITNESS: We think we will eventually  
17 find those folks because they're not -- we know they're  
18 alive, and we think we know where they are, which is a  
19 bonus. Because for a long time we couldn't find them.

20 EXAMINER JONES: Okay. So you had to do a  
21 lot of land work within the boundaries.

22 Did you adjust your boundaries as you went  
23 along because of the land issues that you basically  
24 could not deal with, or was it --

25 THE WITNESS: You mean boundaries of the

1 unit?

2 EXAMINER JONES: It was the boundaries of  
3 the unit defined by the land people, or was it defined  
4 by the geologists and engineers?

5 THE WITNESS: No, the unit boundaries are  
6 defined by the geology and the engineering.

7 EXAMINER JONES: So you didn't like tell  
8 them, hey, I can't deal with you people, or --

9 THE WITNESS: No.

10 Q. (By Mr. Bruce) And let me clarify, Mr. Fling.  
11 There was one State of New Mexico tract that had to be  
12 excluded from the unit because of an expired lease,  
13 correct?

14 A. That's correct. We did -- you're right, Jim.  
15 We did make an adjustment at that --

16 EXAMINER JONES: So you would have had to  
17 nominate that lease or something and try to lease it,  
18 or -- in other words, it would delay your operation  
19 here?

20 THE WITNESS: It hasn't, and it's on the  
21 edge of the unit. So at such time as it's nominated,  
22 you know, if we acquire it or someone else acquires it,  
23 we'll talk to them and decide whether it should be part  
24 of the unit or not.

25 EXAMINER JONES: Okay. As far as the



1 depth, your land work that you did out here laterally  
2 but vertically, was there a difference of ownership  
3 between the Yates, Seven Rivers, Queen inside those  
4 three formations? Were there differences?

5 THE WITNESS: There have been some, and we  
6 allocated appropriately for that within our formula.

7 EXAMINER JONES: Okay.

8 THE WITNESS: But most of the depth  
9 severances are below the base of the Queen.

10 EXAMINER JONES: Below the Queen?

11 THE WITNESS: But there are some unusual --  
12 I shouldn't say unusual. There were some depth  
13 severances from some old farmouts and some things like  
14 that that sort of carved up the Yates, Seven Rivers and  
15 Queen. But we've solved that problem internally by  
16 acquiring those interests. So we've been able to put it  
17 all back together.

18 EXAMINER JONES: Okay. So a lot of --

19 THE WITNESS: That was a lot of fun.

20 EXAMINER JONES: Yeah, I'll bet.

21 It sounds like a lot of the success out  
22 here of getting this project rolling is pretty much land  
23 work. You had to do the land work?

24 THE WITNESS: We had to do the land work  
25 before we could come see you guys. There's no doubt

1 about that.

2 EXAMINER JONES: Yeah.

3 MR. BRUCE: Quiet. The engineers and  
4 geologists don't like to hear that.

5 EXAMINER JONES: They don't like to hear  
6 that, but there's critical --

7 THE WITNESS: You'll give them a time to  
8 shine here in a minute.

9 EXAMINER JONES: Yeah. We had a statutory  
10 unit in the Queen, and I think it was -- was it  
11 Chesapeake that did one in the deep Queen about 5,000  
12 feet deep? It was west of Hobbs several years ago, the  
13 Quail Queen Unit.

14 MR. BRUCE: Yeah.

15 EXAMINER JONES: Was that you?

16 MR. BRUCE: No, I didn't do it. But I was  
17 representing someone who didn't like the participation  
18 formula.

19 EXAMINER JONES: There's always arguments  
20 over that.

21 MR. BRUCE: Yeah. I think that was five or  
22 six years ago.

23 EXAMINER JONES: It was a long time. And I  
24 don't know if -- since Chesapeake disappeared, I don't  
25 know who's got it, probably Chevron.

1 MR. BRUCE: Probably Chevron.

2 EXAMINER JONES: But there were some issues  
3 with the wells and the different pools involved. Do you  
4 get in touch with the pool situation, or do you leave  
5 that to --

6 THE WITNESS: We've examined it very  
7 carefully and everything -- one of the, I think, great  
8 things about this project is that all of the these wells  
9 are in what's called the Eumont pool. So we didn't  
10 have -- even if there were some unusual or kind of weird  
11 severances, they were all part of the same pool.

12 EXAMINER JONES: Okay.

13 THE WITNESS: So everything was  
14 homogenized in that way, if you'll allow me to use an  
15 agricultural term.

16 EXAMINER JONES: Okay. So 9 operators, 62  
17 different tracts. And that's divided up by differences  
18 in mineral and working interest ownership?

19 THE WITNESS: Uh-huh.

20 EXAMINER JONES: Wow. So you came up with  
21 parameters to divide 62 tracts up -- I mean to assign to  
22 62 different tracts --

23 THE WITNESS: Well, just based on the unit  
24 participation factors. So yeah, each tract has its own  
25 participation factor. And then each owner in that would

1 be subdivided out of that.

2 EXAMINER JONES: Can you tell us what -- I  
3 know you don't want to talk about it, but can you tell  
4 us whether it's Phase I/Phase II-type participation?

5 THE WITNESS: No, it's all one phase.

6 EXAMINER JONES: One phase?

7 THE WITNESS: Right. It's all one big  
8 happy unit.

9 EXAMINER JONES: Okay.

10 MR. BRUCE: Mr. Examiner, you mentioned 60  
11 tracts. Originally there was 62. But in the listing  
12 you'll see that Tract 44 was deleted. That's that State  
13 tract where the lease expired, so there are 61 tracts.

14 EXAMINER JONES: 61 tracts.

15 MR. BRUCE: It was easier to leave the  
16 numbering in place then edit all the unit documents.

17 EXAMINER JONES: Okay. Do you remember the  
18 names of all of those nine operators, or are they  
19 listed -- they're listed in one of your exhibits?

20 THE WITNESS: They are. Some of those nine  
21 operators are in the process of requiring them as we  
22 speak. So at the end of the day, I think there's  
23 probably going to be just a couple of other operators  
24 that we end up actually -- that actually end up as  
25 working interest owners that stay in.

1 EXAMINER JONES: Okay.

2 THE WITNESS: And we will of course take  
3 over their properties. They understand exactly what's  
4 going to go on there.

5 EXAMINER JONES: Okay. I'm all out. We've  
6 got five more minutes here.

7 MR. BROOKS: I have no questions.

8 EXAMINER JONES: We may think of more land  
9 questions later, though.

10 MR. BROOKS: We probably will.

11 THE WITNESS: I'm not hard to find, so I'd  
12 be delighted to answer whatever you have.

13 EXAMINER JONES: Thank you very much.

14 THE WITNESS: Sure, you bet.

15 [Recess taken from 11:44 a.m. to 1:34 p.m.]

16 MR. BRUCE: Let's go back on the record  
17 this afternoon of Case Number 15792 and 15793.

18 JESSICA LAMARRO

19 after having been first duly sworn under oath,  
20 was questioned and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. BRUCE:

23 Q. Would you please state your name and city of  
24 residence?

25 A. My name is Jessica Lamarro in Tombaugh, Texas.

1           Q.   Just for the Examiner, could you spell your  
2   last name?

3           A.   L-a-m-a-r-r-o.

4           Q.   Who do you work for and in what capacity?

5           A.   I work for Forty Acres Energy as a geologist.

6           Q.   Have you previously testified before the  
7   Division?

8           A.   No.

9           Q.   Could you please summarize your educational and  
10   employment background for the Examiner?

11          A.   All right. I received a Bachelor of Science in  
12   2000 from the University of North Carolina at Chapel  
13   Hill, and I received my Master's of Science -- in  
14   Geology, I should say, a Bachelor's in Geology and  
15   Geology Master's in 2014 from the University of Houston.

16          Q.   And who have you worked for?

17          A.   I've worked for Anadarko Petroleum Corporation  
18   for a little over 15 years, first as a geotech and then  
19   as a geologist. And I've been with Forty Acres for  
20   about a year and a half.

21          Q.   And does your area of responsibility with Forty  
22   Acres include this area of Southeast New Mexico?

23          A.   Yes, it does.

24          Q.   And are you familiar with the geology involved  
25   if these applications?

1           A.    Yes.

2                       MR. BRUCE:   Mr. Examiner, I tender  
3   Ms. Lamarro as an expert petroleum geologist.

4                       EXAMINER JONES:   I used to work with a  
5   geologist named Lamar, L-a-r --

6                       THE WITNESS:   First name?

7                       EXAMINER JONES:   Bob, Robert Lamar.   His  
8   wife was a geologist also.

9                       THE WITNESS:   Okay.

10                      EXAMINER JONES:   She is so qualified.

11                      MR. McMILLAN:   And that's a good school.  
12   My father graduated in geology years ago at UNC.

13                      THE WITNESS:   Oh, really?

14                      EXAMINER JONES:   Nice school.

15           **Q.    (By Mr. Bruce)    Lets start off, first of all,**  
16   **describing the structure.    Could you identify Exhibit 12**  
17   **for the Examiner and discuss its contents?**

18           A.    Exhibit 12 is a structural map on the top of  
19   the lower Yates, which is one of our intervals of  
20   interest.   Also, there's wells posted on there.   And on  
21   the small plats -- you probably can't see, but there are  
22   well productions for each of the wells within the unit  
23   posted below each well symbol.

24                      Also, the structure, I'd like to point out,  
25   is the sub CTVD.   It climbs from the west to the east,

1     so that gets -- yes.

2           **Q. It's not really a steep climb for the distance**  
3     **involved, is it?**

4           A. Not too much. It flattens out a little bit  
5     more on the western side and is slightly steeper on the  
6     eastern side as you approach the Central Basin Platform.

7           **Q. And let's digress for a moment. You said it's**  
8     **on top of the lower Yates, which was one of your zones**  
9     **of interest?**

10          A. Yes.

11          **Q. This is a fairly -- I mean the Eumont pool**  
12     **covers the Yates, Seven Rivers and Queen. Are there**  
13     **different zones of interest that Forty Acres is looking**  
14     **at in this unit?**

15          A. Yes. If you'll look at Exhibit 17 in your  
16     packet, I have a zoom-in, so a type log for our section.

17          **Q. Exhibit 17?**

18          A. Yes.

19          **Q. Okay.**

20          A. So it has -- excuse me -- just the basic  
21     resistivity log for the State WE D Number 1, and it's on  
22     the section that covers from the top of the Yates to  
23     pretty much the base of the Queen, our interval that  
24     we're wanting to unitize here.

25                     If you'll notice on the left-hand side of



1 the page, there's some units that are highlighted, like  
2 the lower Yates, Seven Rivers "C", Bowers, et cetera,  
3 and those are the multiple units we're interested in.  
4 So the structure map is on the top the lower Yates.

5 **Q. And what you're looking at when you say several**  
6 **zones of interest, several producable zones that are**  
7 **subject to flooding?**

8 A. Yes.

9 **Q. Now let's go to Exhibit 13, which consists of**  
10 **three pages. Could you identify these and discuss them**  
11 **for the Examiner?**

12 A. Okay. Exhibit 13 is three gross isopachs, one  
13 on the lower Yates section, our Bowers sand, and then  
14 the Queen Penrose sand. And so the first one is just  
15 showing -- between the three of these, it's just showing  
16 how the zones cover an entire interval.

17 The lower Yates is our shallowest interval  
18 of interest, and the reservoir itself thins as you go to  
19 the northeast. It also undergoes a facies change to the  
20 extreme northeast, where you lose reservoir and gain  
21 more anhydrite.

22 The second isopach, the Bowers sand, is  
23 part of the Seven Rivers, and it's thickest along the  
24 southern half of our unit. These reservoir sands are  
25 also thinning to the north and the east. They also

1     become increasingly gassy to the north and east.

2                     Finally, the third isopach is from the  
3     Queen Penrose. And the best section -- the thickest  
4     reservoir section is on the eastern -- northern/eastern  
5     half. And it thins -- the reservoir itself thins as you  
6     go to the south and west due to a facies change as it  
7     changes, I believe, into the Goat Seep reef complex.

8             **Q. Then let's move on to your cross-section, and**  
9     **there's a couple of sets of them. Let's first move to**  
10    **Exhibit 14, which contains two cross-sections.**

11                    **Could you identify and describe those for**  
12    **the Examiner?**

13             A. Yes. Two cross-sections in Exhibit 14, A-to-A  
14     prime and B-to-B prime, go from the west to the east  
15     across the unit. And you'll notice down in the  
16     right-hand corner of these two cross-sections there's a  
17     little location map that sort of highlights where on the  
18     map these cross-sections are.

19                    Basically, Exhibit 14 just wants to  
20     illustrate the rise in structure from west to east and  
21     the continuity of all our intervals between -- you know,  
22     within the Yates, Seven Rivers and Queen.

23                    On the western side of these  
24     cross-sections, there are not a lot of deep  
25     penetrations. Most of these wells were drilled in, you

1 know, the '50s, and they stopped at around 4,000 feet.  
2 So there aren't very many deeper penetrations, except  
3 for the newer wells that were looking for, say, the  
4 Morrow. Also, as you go from west to east and you  
5 approach the Central Basin Platform, some of these  
6 intervals are experiencing a facies change where you  
7 lose the reservoir sands and you begin to pick up more  
8 anhydrite dolomite. But they do that in a -- yes?

9 **Q. And what is Exhibit 15?**

10 A. Exhibit 15 consists of two more cross-sections,  
11 C-to-C prime and D-to-D prime. Once again, they also  
12 have a location map showing approximately where these  
13 cross-sections fall within our unit, and there are also  
14 structural cross-sections just to show the continuity of  
15 our intervals of interest from north to south, as well.

16 On the C-to-C prime cross-section, you'll  
17 notice most of these wells have TD'd in sort of the  
18 upper sections of the Seven Rivers, and this leads to  
19 how most of the wells didn't go deeper than 4,000 feet.  
20 The one deep well is sort of a recent Bone Spring or  
21 Morrow test, I believe. But once again, there is  
22 continuity within these sections all across, from north  
23 to south.

24 D-to-D prime, the same thing. But since  
25 it's a little bit -- has deeper penetration into the

1     formations due to the rise and structure, so you also  
2     have continuity across north to south for those deeper  
3     intervals of interest.

4           Q.   And again, the Eumont is comprised of the  
5     Yates, Seven Rivers and Queen, correct?

6           A.   Yes, sir.

7           Q.   So there's three subformations, if you want to  
8     call it that.  And although each one is a little  
9     different, is the Eumont continuous across the proposed  
10    unit area from west to east and north to south?

11          A.   Yes, sir.

12          Q.   And in your opinion, is the unit outline  
13    justified from a geologic standpoint?

14          A.   Yes.

15          Q.   Is there -- and looking at it from a geologic  
16    standpoint, is it a good geologic opportunity to be  
17    subjected to waterflooding for this unit?

18          A.   Yes.  We have some core data available, and you  
19    know, between core data and log data, we see that there  
20    are intervals of interest that have porosities of  
21    between, you know, we would have porosities of between  
22    10 to 30 percent and permeabilities of 1 to 20-plus  
23    millidarcies.  So we think those are floodable.

24          Q.   And is there a fresh water zone in this general  
25    area?

1           A. Yes. From information that I picked up from  
2 the State Engineering Office and USGS Groundwater Report  
3 6 from 1961, there is the Pleistocene Ogallala Unit and  
4 Triassic aged rocks of the Dockum Group. And those are  
5 approximately plus or minus 40 feet and plus or minus  
6 250 feet in depth respectively.

7           **Q. And are there any faults which could connect**  
8 **fresh water zones with the injection zones?**

9           A. No.

10          **Q. And then finally, you've already gone to**  
11 **Exhibit 17. But collectively, could you again go**  
12 **through Exhibits 16 and 17?**

13          A. Yes. Exhibit 16 is just a location map for  
14 approximately where our West Eumont Unit is within  
15 New Mexico. Also, that's -- let me start over.

16                 So Exhibit 17 is a zoom-in on the well log  
17 that is on Exhibit 16, which shows the entire interval  
18 from the Yates to the base of the Queen, which is  
19 approximately 1,200 feet.

20          **Q. So 1,200 feet, that's fairly thick solid?**

21          A. Yes.

22          **Q. Which leads to there are several waterflood**  
23 **objectives?**

24          A. Yes.

25          **Q. And were Exhibits 12 through 17 prepared by you**

1 or under your supervision?

2 A. Yes.

3 Q. And in your opinion, is the granting of these  
4 applications in the interest of conservation and the  
5 prevention of waste?

6 A. Yes.

7 MR. BRUCE: Mr. Examiner, I move to admit  
8 Exhibits 12 through 17.

9 EXAMINER JONES: Exhibits 12 through 17 are  
10 admitted.

11 MR. McMILLAN: Where is the closest  
12 waterflood to here?

13 THE WITNESS: It's right next door. It's  
14 the Eunice Monument waterflood.

15 MR. McMILLAN: And what's it flooding --

16 THE WITNESS: It is flooding the  
17 Grayburg/San Andres, and it is right along the edge of  
18 our eastern border.

19 MR. McMILLAN: What waterflood is  
20 geologically correlative to this?

21 THE WITNESS: There is one just to the  
22 north, the Reed-Sanderson waterflood. The  
23 Reed-Sanderson waterflood is just to the north, and it's  
24 flooding the Queen.

25 There are waterfloods farther to the south,

1 along the platform. The Cooper-Jal Unit is flooding  
2 some of the same zones.

3 MR. McMILLAN: And what is the reef --  
4 what's the reef or reefs? You said it's -- they're  
5 flooding the Queen. Is it based on -- I'm looking at  
6 Cross-Section D. Is it upper or middle toward the  
7 interval?

8 THE WITNESS: The Reed, I believe, is  
9 flooding more of the middle and lower, I believe.

10 MR. McMILLAN: And how do the porosities in  
11 your waterflood log, for instance, compare to theirs?

12 THE WITNESS: Looking at the some of the  
13 logs that they have, I've seen that they tend to put  
14 perfs where there's porosity. Pretty much any porosity  
15 over 10 percent I've seen perfs.

16 MR. McMILLAN: But how about the net -- I  
17 mean are the porosity values in your proposed waterflood  
18 similar to theirs?

19 THE WITNESS: Well, I've done more work on  
20 the Cooper-Jal. And yes, for what they're doing -- for  
21 what I've seen them perfing and flooding, yes.

22 MR. McMILLAN: So which one has more?

23 THE WITNESS: More?

24 MR. McMILLAN: Which one has higher  
25 porosity.

1 THE WITNESS: Oh, which has higher  
2 porosity?

3 MR. McMILLAN: Yes.

4 THE WITNESS: Which zone has higher  
5 porosity?

6 MR. McMILLAN: Yeah. I'm trying to figure  
7 out --

8 MR. BRUCE: On the correlative --

9 MR. McMILLAN: On the correlative zones, is  
10 your porosity similar to theirs?

11 THE WITNESS: Yes.

12 MR. McMILLAN: And again what, 10 to 30  
13 percent?

14 THE WITNESS: 10 to 30 percent porosity?

15 MR. McMILLAN: Yes.

16 THE WITNESS: Yes, sometimes higher.

17 MR. McMILLAN: And is the net isopach value  
18 similar?

19 THE WITNESS: I haven't done a net isopach  
20 specifically on those waterfloods, so I can't say 100  
21 percent yes or no.

22 MR. McMILLAN: In your comparison of the  
23 proposed waterflood with others, the porosity values are  
24 going to be similar?

25 THE WITNESS: Yes, I mean with variations.



1 I mean there's always going --

2 MR. McMILLAN: But it's going to be close  
3 enough?

4 THE WITNESS: Yes.

5 MR. McMILLAN: Have you looked at  
6 waterfloods in the Bowers and the Seven Rivers?

7 THE WITNESS: Along the -- I think the  
8 Cooper-Jal Unit has some -- there's several waterflooded  
9 units along the -- to the south, along the Central Basin  
10 Platform, and there are -- I can't remember. I know the  
11 Cooper-Jal is flooding in the Bowers, a little bit in  
12 the Bowers, but also in the Rocky Arroyo and the Upper  
13 Queen.

14 So it's sort of like a -- not just  
15 specific -- I don't have any that are specifically  
16 just -- I haven't looked at any that are specifically in  
17 that one interval.

18 MR. McMILLAN: Okay. But the porosity  
19 values in your proposed waterflood are similar to  
20 theirs?

21 THE WITNESS: Yes. Where it's thick, yes.  
22 So there are like four copies each of those things. So  
23 if you're looking for --

24 MR. McMILLAN: Go ahead, Will.

25 EXAMINER JONES: The main lithology is a

1 kind of sand?

2 THE WITNESS: So in the back reef, there's  
3 sands and dolomitic sands interbedded with tighter  
4 dolomites and anhydrites.

5 EXAMINER JONES: That's all mixed up?

6 THE WITNESS: Yeah.

7 EXAMINER JONES: Wow. And which interval  
8 would you flood first? I know this is an engineering  
9 question, but from your perspective?

10 THE WITNESS: Well ideally, we'd start at  
11 the bottom and make our way up.

12 EXAMINER JONES: Okay, that's a good  
13 answer. So from a geologic standpoint, how would you  
14 rate these targets? Which one is the best, and which --

15 THE WITNESS: Well, depending on -- some  
16 areas are better than others, but --

17 MR. BRUCE: Depending upon the subzone?

18 THE WITNESS: Depending on the subzone, but  
19 we really do like the Bowers and the Rocky Arroyo.  
20 Those are some of our favorites.

21 EXAMINER JONES: So those are basically  
22 Lower Seven Rivers; is that --

23 THE WITNESS: Yeah. But we also like the  
24 Upper Queen and this Middle Queen sand.

25 EXAMINER JONES: So basically, the Queen is

1 present here, and the reef is off to the west?

2 THE WITNESS: Yes.

3 EXAMINER JONES: How far away?

4 THE WITNESS: I guess you start seeing --  
5 you know, it starts to change over probably a few miles  
6 to the west, maybe like five, maybe. I mean you start  
7 to see -- it sort of kind of creeps up from the bottom  
8 and just becomes --

9 EXAMINER JONES: So the HIZ map, if you  
10 look down, the nearest reef would be how many miles to  
11 the west, do you think?

12 THE WITNESS: For the Queen, you'd probably  
13 be almost like a mile off of the --

14 EXAMINER JONES: The Queen goes away about  
15 a mile away?

16 THE WITNESS: Yes, off of the edge of the  
17 unit. I mean it starts becoming -- you can't pick any,  
18 you know, intervals that look similar to what's up on  
19 the platform by the time you get there.

20 Is that answering your question?

21 EXAMINER JONES: Oh, yeah. As good as I  
22 can understand, it does.

23 So basically, if you looked straight down  
24 and you drilled your wells on down, you definitely would  
25 not see a reef? You said something about a Goat Seep?

1                   THE WITNESS: As you go farther to the  
2 west, you start to -- you know, the interval starts to  
3 go away. So it gets thinner, and you start to lose  
4 that --

5                   EXAMINER JONES: The Queen goes away?

6                   THE WITNESS: The Queen starts to go away.

7                   EXAMINER JONES: Because they're the same  
8 age, right, the Capitan --

9                   THE WITNESS: Yeah. The facies -- well, I  
10 think the Queen facies change actually into the Goat  
11 Seep, and the Seven Rivers and the Yates and the Tansill  
12 go into the Capitan. But I think then it becomes like  
13 one big amalgamated like Capitan reef section --

14                  EXAMINER JONES: It's a ways away to the  
15 west?

16                  THE WITNESS: To the west. But you do  
17 start to see, not far off the edge of our unit, like a  
18 mile or two, you start to see them all changing over  
19 into the --

20                  EXAMINER JONES: Everything is changing?

21                  THE WITNESS: Yes.

22                  EXAMINER JONES: But you're not concerned  
23 with injection in here going way over into that reef,  
24 are you?

25                  THE WITNESS: No.

1 EXAMINER JONES: No?

2 THE WITNESS: No.

3 EXAMINER JONES: Okay. Has it got gas on  
4 the top of this --

5 THE WITNESS: If you look at, say, A-to-A  
6 prime on Exhibit 14, you can see that the structure does  
7 climb from west to east.

8 EXAMINER JONES: Okay. So some of the  
9 zones are more prospective towards the west, as far as  
10 the gas goes. You know, you wouldn't want to inject  
11 some of the upper zones. And conversely, some of the  
12 lower zones become more wet to the east --

13 EXAMINER JONES: Okay.

14 THE WITNESS: -- which is, you know --

15 EXAMINER JONES: To the west?

16 THE WITNESS: Yes.

17 EXAMINER JONES: Is this covered by  
18 different pools?

19 THE WITNESS: No. These are all one pool,  
20 the Eumont pool.

21 EXAMINER JONES: So you and Paul Kautz talk  
22 sometimes then, or you will be if --

23 THE WITNESS: I have not talked to him. I  
24 don't think I've talked to him.

25 EXAMINER JONES: A couple of words here and

1     there?

2                   THE WITNESS:   Yeah.

3                   EXAMINER JONES:   The Goat Seep is what?

4     That's on the bottom of the reef, right, of the Capitan;  
5     is that right?

6                   THE WITNESS:   If you look at Exhibit 16 --  
7     if you really want to look at it, at the base of Exhibit  
8     16, there's sort of a stratigraphic cross-section  
9     through sort of the northwest shelf.

10                  And you'll see down sort of at the bottom.  
11     Where there's a yellow kind of square, right at the  
12     bottom of that yellow square, the Goat is covered up by  
13     the yellow square.   It's a Goat Seep in blue.

14                  EXAMINER JONES:   Okay.   I'm sorry, I'm just  
15     trying to get oriented here.   The geology gets  
16     complicated out here.

17                  THE WITNESS:   I'm sorry.

18                  EXAMINER JONES:   The wells you looked at,  
19     did you look at all the wells in this area?

20                  THE WITNESS:   I have looked at all the  
21     wells.

22                  EXAMINER JONES:   So it wasn't just the  
23     landman that did the work here?

24                  THE WITNESS:   No, no.

25                  EXAMINER JONES:   So did you have to go get

1 logs from cert parties and all kinds of stuff that --

2 THE WITNESS: I did my best to get as many  
3 logs as possible. We have probably 99 percent of the  
4 logs within this, you know, proposed unit. There's a  
5 couple that didn't have logs ever, but for the most  
6 part, I was able to get all the logs that I could.

7 THE WITNESS: There are a few that were  
8 drilled in the '30s. There's no log. You know, there's  
9 like one that was drilled in the '50s, and there's no  
10 log. Like they didn't log it ever. I don't know why,  
11 but yes, I looked at all the logs.

12 EXAMINER JONES: Oh, wow. So talk about --  
13 on the OCD's Website, we have kind of a Don Quixote  
14 relationship between logs. We're trying to always get  
15 the logs, you know. And the rules say turn in the logs,  
16 but that didn't always happen over the years. So did  
17 you have to go get logs from third parties?

18 THE WITNESS: I used the OCD site when I  
19 could. I usually checked there first because I could  
20 download them for free, or I would try IHS Energy or the  
21 Midland log library or whoever else. Sometimes I'd find  
22 one. If we acquired some acreage or the wells, we'd get  
23 the well files. Wow, there's a well log, yes.

24 EXAMINER JONES: Okay. This is the type  
25 log -- is this going to be your type log for your unit?

1                   THE WITNESS: I believe this is what was in  
2 the documentation that was sent in.

3                   EXAMINER JONES: So that's in the Unit  
4 Agreement, this well?

5                   THE WITNESS: Yes.

6                   EXAMINER JONES: Is this log on the OCD  
7 Website?

8                   THE WITNESS: I do not know.

9                   EXAMINER JONES: Well, I guess it will be  
10 now, since you've got it here as an exhibit.

11                  THE WITNESS: The State W ED Number 1.

12                  EXAMINER JONES: So as far as the upper  
13 part of the unitized interval and the lower part of the  
14 unitized interval, you were in on the picks on that?

15                  THE WITNESS: Well, yes.

16                  EXAMINER JONES: It's easy to find, easy to  
17 locate those?

18                  THE WITNESS: The base of the interval  
19 is -- the upper interval and the base of the intervals  
20 are pretty easy to pick, usually. The top of the Yates  
21 is usually easy to pick. Within our area, yes, it's  
22 easy to pick.

23                  The base of the interval is on top of the  
24 Grayburg, the base of the Queen. That can be easy to  
25 pick, but I think some people -- I found that people



1 have picked it in all sorts of ways across the region.

2 EXAMINER JONES: Okay. That's kind of  
3 normal, I guess. But as far as on this log, this unit  
4 is going to go from the top of the Yates to the bottom  
5 of the Lower Queen Penrose, is that correct, or the  
6 bottom of the Queen?

7 THE WITNESS: The bottom of the Queen. So  
8 on Exhibit 16, I've got the whole interval on there  
9 with -- it has a little bit extra at the bottom. I was  
10 kind of just trying to zoom in.

11 EXAMINER JONES: Okay. That's the same  
12 log, too?

13 THE WITNESS: Yeah.

14 EXAMINER JONES: That is it, then. That's  
15 the top of and the bottom?

16 THE WITNESS: Yes.

17 EXAMINER JONES: Okay. What about cores  
18 out here? Do you have --

19 THE WITNESS: We have several, about -- let  
20 me see -- one, two, three, four cores. Not the actual  
21 core, but the core data from the cores that gave us  
22 porosity and permeability information and one other set  
23 of core data that just only had lithology data. But I  
24 know that when we drill, there's a plan to take some  
25 core.

1                   EXAMINER JONES:   Okay.   So you're going to  
2   do some coring, then?

3                   THE WITNESS:   That is my plan.

4                   EXAMINER JONES:   Well, if you can talk your  
5   manager into it, that sounds good.   He might be sitting  
6   right over here --

7                   THE WITNESS:   Yeah, he's right there.

8                   MR. Fling:   We'll take all the support we  
9   can get.

10                  MR. SONG:   We'll have to look at the cost.

11                  EXAMINER JONES:   But you were able to use  
12   whatever core data you found to kind of fine-tune your  
13   logs and see what --

14                  THE WITNESS:   Yeah.   There's a lot of older  
15   logs.   Most of them are your basic gamma neutron.   Some  
16   of the really older resistivities are not a lot of the  
17   new, fancy log sweeps within the area.   So when we start  
18   drilling injection wells --

19                  EXAMINER JONES:   So you're going to drill  
20   injection wells?   You're going to drill some in the  
21   fields' entire spacing for injection?

22                  THE WITNESS:   Yeah, which the engineer will  
23   talk about some more.   But we will be able to get better  
24   logs to do better calculations with.

25                  EXAMINER JONES:   Okay.   But the wells that

1 are out here are really old and are almost at the end of  
2 their life?

3 THE WITNESS: Yes, a lot of them. I know  
4 the engineer can talk a little bit more about the  
5 production, but a lot of them have been -- there's a lot  
6 of wells that have been P&As, I believe, over the field,  
7 and then there's wells that are just limping along.

8 EXAMINER JONES: Yeah. What about the  
9 salt? How far above the Yates is the Rustler and the  
10 Salado and all that?

11 THE WITNESS: I'm trying to visualize  
12 how -- if you'll look at Exhibit 14, I have the Tansill  
13 marked on that on sort of the very top formation, the  
14 top marked. So that's the top of the Tansill, the base  
15 of the -- I think the Salado.

16 EXAMINER JONES: So that might be at least  
17 150 feet up to the top of the Tansill?

18 THE WITNESS: Yes. And the upper part of  
19 the Yates is sort of all tight dolomite and anhydrite.  
20 So that is also kind of buffer to the salt, if you will.

21 EXAMINER JONES: Okay. Is this area a salt  
22 flow area? Did you see records of terrible salt flows  
23 in the past?

24 THE WITNESS: I have not seen those.

25 EXAMINER JONES: Okay. Thanks very much.

1 MR. BROOKS: No questions.

2 MR. McMILLAN: I don't have any questions.

3 EXAMINER JONES: Okay, thank you.

4 MR. BRUCE: I do have one history question,  
5 which I presume that Mr. Brooks will know. Who was the  
6 Queen Penrose Sand named after?

7 MR. BROOKS: I'm afraid I do not know.

8 MR. McMILLAN: A Texas Tech guy.

9 MR. BRUCE: Neville Penrose.

10 EXAMINER JONES: Who was Neville Penrose?

11 MR. BRUCE: He owned a lot of property in  
12 Southeast New Mexico in the '30s and '40s and made a lot  
13 of money.

14 MR. McMILLAN: And George Asquith was an  
15 Endowed Chair.

16 [Discussion off the record.]

17 HUXLEY SONG

18 having been previously duly sworn under oath,  
19 was questioned and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. BRUCE:

22 Q. Would you please state your name and city of  
23 residence?

24 A. Huxley Song. I live in Houston.

25 Q. And who do you work for, and in what capacity?

1           A.   Forty Acres Energy.   And I'm the CEO, but also  
2   the de facto engineer.

3           **Q.   Have you previously testified before the**  
4   **Division?**

5           A.   I have not.

6           **Q.   Could you please summarize your educational and**  
7   **employment history for the Examiner?**

8           A.   Sure.   I graduated from the University of Texas  
9   at Austin in 2003 in petroleum engineering and started  
10   working at OXY right out of school and worked at OXY for  
11   about ten years.

12                       In 2012, I joined a company called  
13   Midstates Petroleum.   I worked there for three years.  
14   And a couple of years ago, I started this company, Forty  
15   Acres Energy.

16           **Q.   And was Forty Acres formed to look for**  
17   **waterfront prospects in the Permian and other areas?**

18           A.   It was.

19           **Q.   And are you familiar -- obviously, you're the**  
20   **manager of the company.   Your area of responsibility**  
21   **covers everything that the company does?**

22           A.   Yes, sir.

23           **Q.   And are you familiar with the engineering**  
24   **related to this prospect?**

25           A.   Yes.

1                   MR. BRUCE: Mr. Examiner, I tender Mr. Song  
2 as an expert in petroleum.

3                   EXAMINER JONES: Yeah. With that OXY  
4 background, you're a waterflood person.

5                   THE WITNESS: I am.

6                   EXAMINER JONES: He's qualified.

7           **Q. (By Mr. Bruce) Have you made calculations for**  
8 **this project regarding the secondary recovery and**  
9 **economics of the project?**

10           A. Sure. Yes. As Jessica mentioned, we've looked  
11 at all of the logs that we could get out hands on from  
12 all sources that we know are available. And we've  
13 certainly looked at all of the production that's  
14 available, going back to the inception of the field.  
15 We've got monthly production data on every well. Most  
16 of the wells were drilled in the 1950s, so we've got  
17 monthly production going to back to then.

18                   And as far as from a waterflood feasibility  
19 standpoint, we've looked at it a couple of ways. We  
20 looked at it first from a standalone sort of theoretical  
21 standpoint.

22                   We looked at the drive mechanism of the  
23 field, the permeability of the field from the core data,  
24 the primary recoveries of the wells, and had a  
25 third-party waterflood engineering firm put that all

1 together. And they came up with a secondary to primary  
2 EUR ratio of about 1.5 from a pure sort of standalone  
3 technical or theoretical basis.

4 And the other way that we looked at it was  
5 there are about 30 other Yates, Seven Rivers, Queen  
6 waterfloods on the western edge of the Central Basin  
7 Platform, which is where we are. We looked at the  
8 analogies and the comparisons of, you know, the  
9 production per well, the production of the total unit,  
10 some of the individual logs from the unit, and compared  
11 that to what we have in our unit, as well as other  
12 things that may affect waterflood feasibility, like the  
13 mobility ratio, the water production, which could be  
14 inferred as being proportional to the water saturation.

15 We feel like the mobility ratios that we're  
16 seeing in all of these other successful older fields  
17 line up with ours with pretty much the same depth. The  
18 reservoir qualities are the same. So from an analogy  
19 standpoint, we feel like that really backs up the  
20 third-party engineering data, and we think we'll have a  
21 pretty good waterflood on our hands.

22 The average secondary-to-primary ratio of  
23 those floods that I'm talking about that have one  
24 producer and one injector per 40-acre tract is about  
25 1.5, which lines up with the third-party engineering

1 data. So when you put that through an economics package  
2 with the cost, we have about 4,000-foot wells, so the  
3 costs for the wells aren't very high.

4 When you put all that together, it's a  
5 pretty economic package, which we'll get into a little  
6 bit more detail.

7 Q. Okay. And just for an introductory matter,  
8 what is Exhibit 18? In looking at this, I probably put  
9 the exhibit sticker on the wrong place. But is this  
10 simply a legal description of what's in the Eumont pool?

11 A. Yes. And it shows, I think at the upper right,  
12 the formation, the date of the formation of the Eumont  
13 pool in 1983, just as you said, Jim.

14 Q. It's a large pool with -- besides looking at  
15 all the data in your proposed unit area, you obviously  
16 looked at other data in the Eumont pool?

17 A. Yeah, we looked at a lot of data. We looked at  
18 all the data that we could. This project has been about  
19 one year in the works, so we've had a lot of time to  
20 look at all the analogies and look at all the production  
21 in the area.

22 So I think from just a brief history of the  
23 Eumont pool and our unit specifically, I could probably  
24 point you to Exhibit 20. You know, we skipped 19, but  
25 we'll get back to that. So Exhibit 20 has a full



1 production history of the field on page 1. So the green  
2 line is oil, the red line is gas, and the blue line is  
3 water. So that's the full field production going back  
4 to the -- basically the 1950s, with a little bit of data  
5 before that.

6 And then the other page I'd like to point  
7 you to is page 3 of the same exhibit. And page 3 of  
8 that exhibit shows when wells were spud within the  
9 Eumont Unit, as far as Eumont pool wells, and also when  
10 wells were plugged and abandoned. You could see from  
11 this chart the blue bars are when wells were spud. 109  
12 wells of the approximately 140 wells were spud in the  
13 1950s. The vast majority of development was then.

14 You can see, in the last three decades, not  
15 a lot of activity. One well spud, and it looks like  
16 something like 45 wells have been plugged and abandoned  
17 in the last three decades.

18 **Q. The last three decades has been mainly P&A**  
19 **wells?**

20 **A.** Mainly P&A activity. I think before we took  
21 this area over, it was definitely trending towards wells  
22 becoming stripper wells and then being abandoned when  
23 they can no longer economically produce.

24 **Q. Well, let's move on to production, and it's a**  
25 **two-page exhibit, Exhibit 19. Could you briefly**

1     **describe what is reflected on that?**

2           A. Yes, sir. Exhibit 19 shows -- I know it's  
3     tough to read. We may have a larger version over there.  
4     But this is a cume oil bubble map of each of the  
5     individual wells on primary production in the unit. And  
6     I'll briefly describe the legend because it's also kind  
7     of hard to see. The cooler colors are lower cumes? And  
8     then we have, in increments of about 20,000 barrels, the  
9     different colors down to the red color, which is the  
10    hottest color on the map, which is everything over  
11    120,000 barrels.

12                   And when you look at all the wells in the  
13    unit, the average production of every well within the  
14    unit outline is about 80,000 barrels.

15           **Q. Now, was the secondary recovery project**  
16    **proposed as a method of extending the life of this**  
17    **declining reservoir?**

18           A. Absolutely.

19           **Q. And what is the drive mechanism of the pool?**

20           A. It's a solution gas drive.

21           **Q. And we'll get into this a little bit more with**  
22    **the C 108, which you'll go over, but let's go back to**  
23    **Exhibit 20. Go to page -- you've already described page**  
24    **1.**

25                   **Does page 20 contain information on the**

1 existing wells within the unit area?

2 A. Yes.

3 Q. And again, I think you mentioned it. How many  
4 wells were -- how many Eumont wells were within the  
5 proposed unit area at one point or another?

6 A. Approximately 140 wells have been drilled  
7 within the unit area in the Eumont pool. There are a  
8 handful of other deeper wells, which I'm not counting in  
9 that figure.

10 Q. How many are currently active?

11 A. Fifty-two.

12 Q. Now -- and again, we can get into this again.  
13 But when Forty Acres bought its interest, did it go in  
14 and redevelop some of the existing wells?

15 A. Yes, sir. So you could see on Exhibit 20, page  
16 1, the production profile and the trend of the  
17 production over time. In late 2014, when oil prices  
18 started coming down, you could see a proportional  
19 decrease in the production in this field, and that's  
20 because a lot of these wells are sort of at stripper  
21 state, one to three barrels a day. And with the sort of  
22 drop in revenue of roughly 50 percent in the last few  
23 years, the wells that failed would not -- have not been  
24 put back on.

25 And when Forty Acres acquired this area in

1 July of 2016, we came in and spent, between the  
2 acquisition and some workovers, about \$5 million  
3 reworking wells and doing some different projects to get  
4 production where it is today. When we took over the  
5 field, our operative production was about 30 barrels a  
6 day, and today it's about 80 barrels a day.

7 **Q. The Hearing Examiner asked about this. But at**  
8 **least in the vast majority of the initial stages of the**  
9 **unit, will you be using existing wells as producers?**

10 A. Yes. All of our existing wells will be  
11 producers, as they are today, and we will drill all new  
12 injectors. So we will not reenter a well to convert it  
13 to injection. The older wells, that presents a little  
14 bit of mechanical integrity risk. But also, we'd like  
15 to downspace to basically 40-acre five-spots all across  
16 the unit, and so we'd like to do that with brand new  
17 injectors.

18 **Q. How many additional barrels of oil do you**  
19 **anticipate recovering as a result of the secondary**  
20 **recovery project?**

21 A. We think a lot. So the two different ways that  
22 we looked at the study both kind of came to a  
23 secondary-to-primary ratio of 1.5, and this field is  
24 trending towards about a 10-million-barrel primary  
25 recovery. We think we've got some other opportunities

1 to deepen wells into zones that still have some primary  
2 recovery left, so we think ultimately we'll get about 12  
3 million barrels of primary recovery. And then if you  
4 put a 1.5 STP ratio on the 12 million barrels, you get  
5 something like 18 million barrels. I think I would  
6 guide you to something like 15 to 20 million barrels as  
7 a pretty reasonable range.

8 **Q. Okay, as a range. And you already got into**  
9 **this, but please discuss how you calculated reserves to**  
10 **be recovered by the waterflood project.**

11 A. Right. So we did that two different ways: One  
12 is we got just the standalone pure data from this area,  
13 including all the log and core data that we had. The  
14 third-party engineering firm put that into a simulator  
15 and came up with a secondary primary ratio of 1.5.

16 And then again, just repeating myself,  
17 we've looked at about 30 other Yates, Seven Rivers,  
18 Queen waterfloods all in the same area, along the  
19 western edge of the Central Basin Platform. And the  
20 average of the wells that are going to be -- that will  
21 have one producer and one injector per 40-acre tract has  
22 an STP of about 1.5, so that's how we came up with that.

23 **Q. So that's a pretty common factor in the various**  
24 **Yates, Seven Rivers, Queen waterfloods that you looked**  
25 **at?**

1           A. That's the average of all the wells that we  
2   looked at, that's right. Some were higher, some were  
3   lower.

4           **Q. And what do you estimate is the life of**  
5   **project?**

6           A. We think, based on analogy, looking at all of  
7   the fields that were unitized in the '60s and '70s,  
8   we're going to have about a 40-year life span. And  
9   that's compared to maybe a two-or-three-year life span  
10  if nothing were to happen in this field.

11          **Q. And again on page 2 of Exhibit 20, does this**  
12  **also discuss the cost of redevelopment of the field?**

13          A. Yes, sir. So on page 2 of Exhibit 20 -- let me  
14  just describe this exhibit. On the left, you have a map  
15  that has the existing producers in circles, and they're  
16  colored by the primary zone that were our interest in  
17  that area. So you have your Yates in kind of  
18  yellow/orange, the blue represents Seven Rivers  
19  producers, and then the purple represents Queen  
20  producers. And then in the triangles you have our  
21  proposed injectors.

22                 So we come right in the middle of those  
23  producers almost symmetrically throughout the field and  
24  form 40-acre five-spots, so that will be a map of full  
25  development. That's not how it looks today. And the

1 way I think we propose to do that is to do a few pilots.

2 An example of a pilot cost would be us  
3 putting in a central tank battery or a facility and then  
4 drilling some injectors and then deepening some  
5 producers. Because as I mentioned, we think we have  
6 some deeper potential primary production that hasn't  
7 been tapped that we'd like to waterflood.

8 One example of a pilot, which I think will  
9 be pretty close to most of the pilots we do, would be  
10 about \$7 million. We've got several pilots identified  
11 that we'd like to do. And from a full field development  
12 cost, if we one day end up getting the map to look like  
13 this, it'll be about \$117 million for full development,  
14 capital.

15 And then the economics are on the bottom  
16 right table of this exhibit. We think we'll generate,  
17 at \$50 WTI, about \$700 million if we use \$117 million in  
18 capital, and we have probably about \$300 million of LOE  
19 in taxes with, I think, reasonable assumptions, we'll  
20 make, you know, something like \$250 to \$300 million in  
21 total cash flow from this project.

22 **Q. Will this project be economical?**

23 **A. Yes.**

24 **Q. We're talking about injectors. You're not**  
25 **going to totally redevelop everything within the next**

1     **year; you're going to do the waterflood thing in phases?**

2           A. We're going to do them in different pilot areas  
3     so we see what's working first. I guess like a lot of  
4     people that come through here, we're a commercial  
5     company, and we want to put our capital to work in the  
6     best way that we can, so we'll do several pilot areas.  
7     And whichever ones are working better, we'll probably  
8     expand upon those areas before we expand upon the others  
9     and sort of sequentially go down.

10          **Q. And do you request permission to, when you**  
11     **develop new pilot areas, to do that administratively,**  
12     **rather than go to hearing?**

13          A. Yes, sir.

14          **Q. And is the project area -- the total project**  
15     **area is so depleted that it's prudent to apply an**  
16     **enhanced recovery program at this time?**

17          A. Yes.

18          **Q. And is the project economically and**  
19     **technologically feasible?**

20          A. Yes.

21          **Q. And will the value of the oil and gas recovered**  
22     **by unit operations exceed the unit cost plus a**  
23     **reasonable profit?**

24          A. Very much so.

25          **Q. Will enhanced recovery operations result in the**



1 recovery of substantially more hydrocarbons from this  
2 portion of the pool than would be recovered solely by  
3 primary?

4 A. Yes.

5 Q. Will unitization and secondary recovery benefit  
6 the working interest and royalty owners in the unit?

7 A. Yes.

8 Q. And is unitized management and operation of  
9 this reservoir reasonably necessary to effectively carry  
10 on enhanced recovery operations?

11 A. Yes.

12 Q. It would be difficult to do this without  
13 unitization?

14 A. I don't think you could.

15 Q. And because of the estimated additional  
16 production, do the wells in the proposed unit qualify  
17 for the recovered oil tax rate?

18 A. Yes.

19 Q. Now let's discuss the tract allocation formula.  
20 Could you describe what it is for the Examiners and  
21 describe why you chose these perimeters?

22 A. Sure. So the formula is 80 percent current  
23 rate. And we chose a timeframe when we were putting the  
24 unit together of October of 2016 to March of 2017 --  
25 that's a six-month timeframe -- because we thought we

1 would have all the production data through March when we  
2 did this hearing, so we chose that timeframe.

3 So it's 80 percent weighted by current  
4 production, 10 percent weighted by acreage, and 10  
5 percent weighted by cume oil. So I think that probably  
6 the best way for me to describe how we came to this  
7 equation is to just go back on what I touched on earlier  
8 and look at the field history.

9 Most of these wells were again drilled in  
10 the 1950s, with very little activity post 1950 as far as  
11 new wells drilled. And the operators in the last 30 to  
12 40 years have really just been milking the field for  
13 cash flow, not investing a lot into it. And that's why  
14 you see the production on Exhibit 20 being the way that  
15 it is over the last, you know, 20 or 30 years basically  
16 just declining on a natural decline because not a lot of  
17 capital investment has come into the area.

18 In July of last year, we came into the area  
19 and immediately put some capital to work. As far as we  
20 know, we're the only operator in the area that has put  
21 that amount of capital to work. So we thought we  
22 shouldn't be diluted immediately after spending millions  
23 of dollars after -- you know, over the past 30 years, no  
24 money has been put into the field. And we thought that  
25 could happen if the current production isn't weighted

1    how it is.

2                   So we basically took this field from no  
3    cash flow initially to making a significant amount of  
4    cash flow relative to us today. And then 10 percent for  
5    the acreage is just so that everybody within the unit  
6    outline that owns acreage gets a share of the unit. And  
7    then the cume oil list adjusts that by what we think are  
8    better areas in the unit. Higher cume oil areas will  
9    yield higher secondary recoveries than very lower cume  
10   oil areas.

11           **Q. And far as you can tell, over the last 30, 40**  
12 **years at least, no operator has come forth trying to**  
13 **unitize this pool -- this portion of the pool and**  
14 **subject it to enhanced recovery operations?**

15           A. That's exactly right.

16           **Q. Okay. Let's discuss the injection operations.**  
17 **Just briefly, what is Exhibit 21?**

18           A. Exhibit 21 is the C 108 packet and all of the  
19   auxiliary documents that relate to the C 108.

20                   MR. BRUCE: Okay. I had the foresight to  
21   number the pages in the C 108, Mr. Examiner.

22                   EXAMINER JONES: Say again.

23                   MR. BRUCE: I've had the foresight, due to  
24   other things I've done in front of another Hearing  
25   Examiner, to number the pages of the C 108.

1 MR. BROOKS: I congratulate you.

2 Q. (By Mr. Bruce) If you could start at page 36,  
3 actually, Mr. Song?

4 A. Sure.

5 Q. You've already mentioned that the injectors  
6 will be new wells. Pages 36 and 37 are simply the well  
7 information sheets.

8 Does page 38 represent -- I think there's  
9 actually two initial project areas. But are these the  
10 seven wells you intend at this point to initially -- you  
11 know, the injection wells you intend to initially drill?

12 A. Yes.

13 Q. And they're in what, the southeast part of the  
14 unit, roughly?

15 A. They are -- let's see if I can point to them on  
16 an exhibit. If you'll look at Exhibit 19 and look on  
17 page 2 of Exhibit 19, I'll briefly describe this exhibit  
18 for you.

19 The very small green circles are the  
20 existing producers in the unit. The larger blue circles  
21 will be the full development injectors. And then the  
22 red circles are the first seven injectors that Mr. Bruce  
23 just referenced, which will be our first two pilot  
24 areas.

25 Q. Well, then if you would refer to page 39 and

1     **describe how the new drill injectors will be drilling**  
2     **on --**

3           A.   Sure.  So the new well injectors, as we  
4     mentioned, will be brand new wells.  We'll have a  
5     surface casing stream and a production stream.  The  
6     surface casing will be set at about 1,650 feet to cover  
7     all of the fresh water zones, and then we'll circulate  
8     cement to surface.  We'll then run 5 1/2-inch casing to  
9     TD, which will be our production casing, although it  
10    will be injector, which will vary.  But in most cases,  
11    right around 4,000 feet is where we'll TD.

12                 And then we'll perforate the zones of  
13    interest.  Like Jessica mentioned, we'll probably start  
14    at the bottom on most injectors and work our way up.  
15    We'll generally acidize these wells, not frac them, for  
16    conformance and sweep efficiency purposes.

17           **Q.  And then if you'll turn back to page 6, does**  
18    **this page set forth information on the wells within the**  
19    **area of review of these initial seven injectors?**

20           A.  Yes, it does.

21           **Q.  And are any of these wells P&As?**

22           A.  Well -- sorry.  I'm trying to read this.

23           **Q.  And I refer you to page 15 forward.**

24           A.  Yes, some of these wells in the area of  
25    interest are plugged outside.  I was just trying to read

1 some of the well names here. But if you look on columns  
2 1, 2, 3, 4, 5, on page 6, you'll see the status of the  
3 wells. And the wells that say plug oil are the wells  
4 that are plugged. Those wells have well board diagrams  
5 within the C 108 packet starting at page 15. And there  
6 are, I believe, 14 wells that -- yes, there are 14 --

7 **Q. Pages 15 through 28, I believe?**

8 A. Yep, 14 wells. So pages 15 through 28  
9 represent one well per page, obviously, and shows each  
10 one of the wells plugged on the well board diagrams.

11 **Q. And this was from information taken from the**  
12 **ODC files and other files that you had access to?**

13 A. Yes, sir.

14 **Q. And are all of these wells preferably P&A'd, in**  
15 **your opinion?**

16 A. Yes.

17 **Q. And they will not be a conduit for fluids to**  
18 **move from one zone to another?**

19 A. That's right.

20 **Q. And as to the nonplugged wells, are they also**  
21 **properly drilled and completed so that they will not**  
22 **serve as a conduit, either?**

23 A. Yes.

24 **Q. Did you also contain or include in the C 108,**  
25 **starting at page 7, all wells within two miles of the**

1     **injectors?**

2             A.   Yes.   Starting on page 7 is a listing of the  
3     wells within a two-mile radius.

4             **Q.   And is that included for informational purposes**  
5     **for the Division?**

6             A.   Yes.

7             **Q.   Let's move to page 3 of the C 108.   Could you**  
8     **go over the -- summarize the proposed injection**  
9     **operation?**

10            A.   Sure.   So page 3, Roman Numeral VII, I guess,  
11     Section 7, spells out the proposed injection operations.  
12     But I think initially, with the current pressure in the  
13     reservoir, we'll be injecting at somewhere near vacuum,  
14     so the reservoir will need to fill up for some time.

15                         We won't have much reservoir pressure at  
16     the surface.   But of course, over time we'll increase  
17     pressure, and we'll obviously abide by the point -- the  
18     .2 psi per foot gradient to the top perf, which we don't  
19     expect to reach that pressure for a little while, at  
20     least a year, probably more.

21                         And we expect that the wells take 350 to  
22     500 barrels a day.   Certainly until we inject, we won't  
23     know that number exactly.   But that's our expectation,  
24     based on the analog fields that we looked at.

25            **Q.   And again, you said you'll acidize the wells**

1     **only?**

2           A.   Yes.   We'll acidize the injectors, probably  
3   perforate with something like 2 to 4 shots per foot, and  
4   acidize with 20 to 50 gallons per foot of acid.

5           **Q.   And what is the source of the injection water?**

6           A.   So we're talking to Rice Operating Company out  
7   of Hobbs to use their current disposal water as our  
8   supply water.   So within the last few years we've gotten  
9   water samples from their disposal system, compared them  
10   to water samples and mixed them in the lab with produced  
11   water from our system.   They're very compatible waters,  
12   and we'll be able to do that much capital efficiently  
13   than if we were to have to drill water supply wells.  
14   And we already have their infrastructure in our unit  
15   area, as we dispose of water through their system today.  
16   So we'll use our own produced water and make up from the  
17   Rice system.

18          **Q.   And is the recently acquired information of the**  
19   **water samples at pages 35-A through 35-A of the C 108?**

20          A.   35-A, yes.   That's an example of produced water  
21   within our build.

22          **Q.   And then starting at pages 29 through 35, is**  
23   **that data on various wells, fresh water wells, in the**  
24   **area acquired from the State Engineer Office?**

25          A.   Yes, it is.



1           Q. And again, the water that would be injected,  
2   there is no compatibility with formation --  
3   compatibility issues with formation water?

4           A. Surprisingly, very compatible waters. A good  
5   thing for us.

6           Q. Yes, considering Rice takes water from a lot  
7   of --

8           A. Rice takes water from basically the same zones  
9   all over sort of the Western Central Basin Platform.

10                   They also take water from the Blinbry and  
11   Drinkard and San Andres and various areas. But in our  
12   local area, a lot of the water comes from the same zones  
13   that we produce.

14           Q. In your opinion, is the granting of these  
15   applications in the interest of conservation and the  
16   prevention of waste?

17           A. Yes.

18           Q. And were Exhibits 18 through 21 either prepared  
19   by you, under your supervision, or compiled from company  
20   business records?

21           A. Yes.

22                   MR. BRUCE: Mr. Examiner, I'd move the  
23   admission of Exhibits 18 through 21.

24                   EXAMINER JONES: Exhibits 18 through 21 are  
25   admitted.

1 MR. BRUCE: I pass the witness.

2 MR. BROOKS: No questions.

3 EXAMINER JONES: So there's no barium or  
4 anything in their water?

5 THE WITNESS: There's no barium. That's  
6 the first thing we looked at. We definitely didn't want  
7 barium scale.

8 EXAMINER JONES: What kind of original  
9 pressure do you think they had out here?

10 THE WITNESS: They had about 1,500 psi  
11 original pressure at around 4,000 feet, so it's very  
12 slightly under pressure.

13 EXAMINER JONES: So it's slightly under,  
14 but real close?

15 THE WITNESS: Uh-huh.

16 EXAMINER JONES: And the peak rate that  
17 they produced?

18 THE WITNESS: The peak rate that they  
19 produced back in the '50s was about 2,500 a day, and all  
20 these wells were on allowables of about 30 barrels a  
21 day. Some of these produced 30 barrels a day for three  
22 years. So actually, the peak production could have been  
23 much higher, but everybody stuck to their allowable.

24 EXAMINER JONES: Do you expect to get back  
25 to the peak?

1                   THE WITNESS: No. I think that would  
2     probably be not as successful of a case for us. I  
3     actually think we could make than the peak production,  
4     and it really depends on our capital pace.

5                   We've got so many injector patterns that we  
6     could put into place. I think if we do that fairly  
7     quickly, we can get up to something like 5- to 8,000  
8     barrels a day.

9                   EXAMINER JONES: Are there any salt water  
10    disposals in this interval in the unit area?

11                  THE WITNESS: Not within the unit area.  
12    The Rice -- the closest Rice SWD is a couple of miles to  
13    the east.

14                  EXAMINER JONES: What zone is it in?

15                  THE WITNESS: I believe it's in the  
16    San Andres.

17                  EXAMINER JONES: Okay. So it's down below  
18    your unit?

19                  THE WITNESS: It's down below our unit, and  
20    it's far off to the east.

21                  EXAMINER JONES: Okay. So you'll be  
22    sending in some injection pressure increases if you need  
23    them later on, step rate tests and stuff?

24                  THE WITNESS: Yes.

25                  EXAMINER JONES: So this business about

1 reaching fill-up, that's always a question on these  
2 waterfloods, it seems?

3 THE WITNESS: It's always a question. But  
4 luckily, we do have a lot of waterfloods that we've  
5 looked at with similar reservoir parameters.

6 A lot of these floods -- some were at  
7 40-acre spacing. We're going to do our flood -- I don't  
8 want this term to be thought of in different -- but  
9 we'll be at sort of double that spacing. We'll be at  
10 20-acre spacing. We'll have 40-acre patterns and a  
11 producer and injector per 40-acre tract.

12 EXAMINER JONES: Okay. So 20-acre well  
13 density?

14 THE WITNESS: Well density, that's probably  
15 the right word. We'll be at a tighter spacing. So  
16 we'll have a smaller area to fill up per injector,  
17 versus a lot of the wells were at 40-acre density.  
18 That's the right word.

19 EXAMINER JONES: Our pressure limit, we can  
20 make that to where you go .2 to the top perf, instead of  
21 the top of the unitized interval. You know, that's what  
22 you would request, right?

23 THE WITNESS: I think so, yes.

24 EXAMINER JONES: So that way, if you want  
25 to just hit the lower zone first in a pilot area, you

1 would get your .2 down to that level, instead of the .2  
2 up to the top of the Yates or something?

3 THE WITNESS: Exactly. Yeah, that would  
4 give us sometimes 1,000 more feet to play with, so that  
5 would be good.

6 EXAMINER JONES: Are you going to plan on  
7 doing the bottom first on some of these pilots?

8 THE WITNESS: We are. We definitely are.  
9 So I've worked a lot of waterfloods, and I've had more  
10 sort of definite success when you focus on one zone and  
11 start at the bottom. If you start above the bottom  
12 zone, it's difficult to control your injection water to  
13 go into the bottom zone where you might want it to go  
14 later on down the road. So we're going to start from  
15 the bottom and come up to make sure that we hit all the  
16 zones.

17 EXAMINER JONES: You say it was solution  
18 gas drives pretty much in all these reservoirs that  
19 you're looking at?

20 THE WITNESS: Yes.

21 EXAMINER JONES: I think the water sat --  
22 the initial water saturation in these reservoirs, was  
23 some of them a lot higher than others? In other words,  
24 your mobility ratio should be kind of -- your success  
25 was sweeping oil. You know, there should be some kind

1 of relationship there.

2 I mean if you've got a -- you're not in an  
3 area that's marginally productive primarily -- primary  
4 production, correct? It was decent primary production  
5 through most of these?

6 THE WITNESS: About 80,000 barrels per well  
7 for 4,000-foot wells.

8 EXAMINER JONES: Okay.

9 THE WITNESS: Even back in the '50s, they  
10 were happy with the wells.

11 EXAMINER JONES: That was back -- do you  
12 remember the oil price back then?

13 THE WITNESS: I don't.

14 MR. BRUCE: Max \$3.

15 THE WITNESS: And they were still making  
16 money because they weren't producing much water. And  
17 actually, today we could handle a lot more water than  
18 they could back then.

19 EXAMINER JONES: Okay.

20 THE WITNESS: But to answer your water  
21 saturation question, initially the first few decades of  
22 the field was pretty low water production. So you could  
23 see on this graph maybe 2- to 3-, 400 barrels a day of  
24 water production versus, you know, initially a couple  
25 thousand barrels a day, kind of dropping down to 3-, 4-,

1 500 barrels a day of oil. There's always more oil  
2 production than water production in the field, so a  
3 little bit of connate water production.

4 The west side, as you kind of go down, dips  
5 a little bit more, produces a little bit more water than  
6 the east side, but generally, not that much water.

7 EXAMINER JONES: Okay, but you chose these  
8 pilots in a certain area for a reason. I guess it must  
9 have been around some of your best production?

10 THE WITNESS: It was around some of our  
11 best production. And some of our best looking logs -- I  
12 guess a combination of some of our best looking logs and  
13 some of our best cume primary production.

14 EXAMINER JONES: So did you do an oil in  
15 place and -- in other words, you calculated all the void  
16 space, and so you know the voidage that you need to fill  
17 up with water before you really reach one-to-one  
18 displacement?

19 THE WITNESS: Yeah. So we think that will  
20 happen -- the answer may be two things. One is the vast  
21 majority of these wells being drilled in the 1950s, we  
22 just had gamma ray and neutron, so we didn't have  
23 porosity logs for the vast majority of these wells.

24 There were some wells, when you go back and  
25 look at Exhibit 20, that were drilled in the '70s and

1 the '80s. So there were 10 wells drilled in the '70s  
2 and 12 wells drilled in the '80s near the center of the  
3 field where we did do those calculations because we had  
4 density logs.

5 EXAMINER JONES: Okay.

6 THE WITNESS: So then we had to extrapolate  
7 that sort of thinking for the rest of our field. And we  
8 think probably 12 months will fill our voidage and  
9 allows us to see our first response.

10 EXAMINER JONES: Yeah. I can't believe you  
11 did all this in one year. You think that's a lot of  
12 time, but it seems to me like it would have taken a lot  
13 longer to study this and put it together.

14 You must have been pushing your team pretty  
15 hard here.

16 THE WITNESS: Jessica did most of the work.  
17 She's working long hours.

18 EXAMINER JONES: Okay. Where's your  
19 nearest CO2 line from here?

20 THE WITNESS: I don't know. I'm not  
21 thinking that far ahead, but that certainly could be  
22 something that, in the future, could yield some more oil  
23 out of the field.

24 EXAMINER JONES: Okay. So what's your  
25 timing on getting started on this?



1                   THE WITNESS: We'd like to get started as  
2 soon as the unit is approved.

3                   EXAMINER JONES: Well, he's always bugging  
4 us to get our orders out soon.

5                   MR. BRUCE: Is Friday okay?

6                   EXAMINER JONES: Yeah, Friday.

7                   But this Eumont is not related to the  
8 Langley pool at all, is it, or is it? Did you guys look  
9 at that?

10                  THE WITNESS: I'm not familiar with the  
11 Langley pool at all.

12                  EXAMINER JONES: It's a different animal.

13                  MR. Fling: A different environment.

14                  EXAMINER JONES: There are other questions  
15 we were supposed to ask here, but I don't remember. I  
16 think I'm going to miss most of them.

17                  We have to go through this checklist when  
18 we approve injection wells -- we call them UIC permits  
19 also -- with the EPA. We got primacy on the Class 2s to  
20 do those also, so every one of these -- but you want to  
21 call this a waterflood, not a pressure maintenance  
22 project, right? It's a waterflood?

23                  **Q. (By Mr. Bruce) And I suppose I'll ask the**  
24 **question: This is strictly stripper production, right?**

25                  A. As it sits here today, it's strictly stripper

1 production, and we think the waterflood is what's going  
2 to create the value here.

3 EXAMINER JONES: Okay. So yeah, we have  
4 this strange rule in our --

5 MR. BRUCE: They're not quite stripper.

6 EXAMINER JONES: Okay. So by OCD rules, we  
7 would call it a waterflood because of what you just  
8 said, although the professors nowadays say that you  
9 should start your waterflood right off the bat, which  
10 is --

11 MR. BRUCE: Not easy.

12 EXAMINER JONES: -- different from what  
13 they said in the old days, I think.

14 MR. BROOKS: The authors of the OCD rule  
15 obviously didn't agree to that.

16 EXAMINER JONES: Yeah, they didn't, because  
17 it doesn't state that, does it?

18 MR. BROOKS: It requires that it be  
19 exclusively stripper production, but we have had to  
20 interpret that somewhat loosely recently.

21 EXAMINER JONES: And it's going to be  
22 called -- I guess you're going to have to rename these  
23 wells, I guess, once we --

24 THE WITNESS: We are.

25 EXAMINER JONES: -- permits.

1                   So what are we going to call this,  
2   Mr. Song's unit?

3                   THE WITNESS:  No.  We're going to call this  
4   the West Eumont Unit, and --

5                   EXAMINER JONES:  West Eumont Unit.  The  
6   project will be the West Eumont waterflood project, and  
7   it will be in the West Eumont Unit?

8                   MR. BRUCE:  Correct.

9                   EXAMINER JONES:  Okay.  We'll try to get  
10   this out as soon possible, and then you guys can  
11   proceed.

12                  THE WITNESS:  Thank you.  We appreciate it.

13                  EXAMINER JONES:  Thank you for all your  
14   work.

15                  That's Case Numbers 15792 and 15793, and  
16   we're taking those under advisement.

17                  The hearing is adjourned.

18                  [The proceedings concluded at 2:47 p.m.]

19  
20  
21  
22  
23  
24  
25

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO  
3  
4  
5

6 CERTIFICATE OF COURT REPORTER  
7

8 I, DEBRA ANN FRIETZE, Certified Court  
9 Reporter, New Mexico Certified Court Reporter No. 251,  
10 do hereby certify that I reported the foregoing  
11 proceedings in stenographic shorthand and that the  
12 foregoing pages are a true and correct transcript of  
13 those proceedings that were reduced to printed form by  
14 me to the best of my ability.

15 I FURTHER CERTIFY that the Reporter's  
16 Record of the proceedings truly and accurately reflects  
17 the exhibits, if any, offered by the respective parties.

18 I FURTHER CERTIFY that I am neither  
19 employed by nor related to any of the parties or  
20 attorneys in this case and that I have no interest in  
21 the final disposition of this case.  
22

23 DEBRA ANN FRIETZE.  
24 Certified Court Reporter  
25 New Mexico CCR No. 251  
Date of CCR Expiration: 12/31/2017