

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF CHISHOLM ENERGY	CASE NOS. 15865,
OPERATING, LLC FOR A NONSTANDARD	15866,
SPACING AND PRORATION UNIT AND	15867,
COMPULSORY POOLING, LEA COUNTY,	15868
NEW MEXICO.	

Consolidated with

APPLICATION OF GREAT WESTERN	CASE NOS. 15875,
DRILLING, LTD. FOR A NONSTANDARD	15876
OIL SPACING AND PRORATION UNIT	
AND COMPULSORY POOLING, LEA COUNTY,	
NEW MEXICO.	

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

December 13, 2017

Santa Fe, New Mexico

BEFORE: MICHAEL McMILLAN, CHIEF EXAMINER
WILLIAM V. JONES, TECHNICAL EXAMINER
DAVID K. BROOKS, LEGAL EXAMINER

This matter came on for hearing before the New Mexico Oil Conservation Division, Michael McMillan, Chief Examiner, William V. Jones, Technical Examiner, and David K. Brooks, Legal Examiner, on Wednesday, December 13, 2017, at the New Mexico Energy, Minerals and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102

1 APPEARANCES

2 FOR APPLICANT CHISHOLM ENERGY OPERATING, LLC:

3 ADAM G. RANKIN, ESQ.
JORDAN L. KESSLER, ESQ.
4 HOLLAND & HART, LLP
110 North Guadalupe, Suite 1
5 Santa Fe, New Mexico 87501
(505) 988-4421
6 agrankin@hollandhart.com
jlkessler@hollandhart.com

7
8 FOR APPLICANTS GREAT WESTERN DRILLING, LTD. AND ADVANCE
ENERGY PARTNERS:

9 J. SCOTT HALL, ESQ.
SETH C. McMILLAN, ESQ.
10 MONTGOMERY & ANDREWS LAW FIRM
325 Paseo de Peralta
11 Santa Fe, New Mexico 87501
(505) 982-3873
12 smcmillan@montand.com
shall@montand.com

13
14 FOR INTERESTED PARTY MEWBOURNE OIL COMPANY:

15 JAMES G. BRUCE, ESQ.
Post Office Box 1056
16 Santa Fe, New Mexico 87504
(505) 982-2043
17 jamesbruc@aol.com

18 FOR INTERESTED PARTIES TIM S. CASHON AND MARK STANGER/
ALLENCREST NM I, LLC (Overriding Royalty Interest
19 Owners):

20 TIM S. CASHON
4239 Bowser Avenue
21 Dallas, Texas 75219

22 MARK STANGER
5151 Beltline Road, Suite 360
23 Dallas, Texas 75254

24

25

1	INDEX	
2		PAGE
3	Case Numbers 15865, 15866, 15867, 15868 and 15875, 15876 Called	7
4		
5	Opening Statement by Ms. Kessler	10
6		
7	Chisholm Energy Operating, LLC's Case-in-Chief:	
8	Witnesses:	
9	Luke Shelton:	
10	Direct Examination by Ms. Kessler	13
	Cross-Examination by Mr. Hall	28
11	Cross-Examination by Examiner McMillan	32
	Cross-Examination by Examiner Brooks	32
12	Recross Examination by Examiner McMillan	36
	Recross Examination by Examiner Brooks	37
13	Recross Examination by Mr. Hall	37
	Recross Examination by Examiner Brooks	39
14	Redirect Examination by Ms. Kessler	40
	Recross Examination by Examiner Brooks	94
15		
16	Bill Francis:	
	Direct Examination by Ms. Kessler	42
17	Cross-Examination by Mr. Hall	59
	Cross-Examination by Mr. Stanger	61
18	Cross-Examination by Examiner McMillan	61
	Cross-Examination by Mr. Cashon	68
19		
20	Brad Burke:	
	Direct Examination by Ms. Kessler	69
21	Cross-Examination by Mr. Hall	76
	Cross-Examination by Mr. Bruce	82
22	Cross-Examination by Mr. Cashon	82
	Cross-Examination by Mr. Stanger	84
23	Recross Examination by Mr. Cashon	87
	Cross-Examination by Examiner McMillan	88,90
24	Cross-Examination by Examiner Brooks	89
	Recross Examination by Mr. Hall	90
25	Redirect Examination by Ms. Kessler	91

1	INDEX (Cont'd)	
2		PAGE
3	Great Western Drilling, Ltd.'s Case-in-Chief:	
4	Witnesses:	
5	Forest Carter Muire:	
6	Direct Examination by Mr. McMillan	95
	Cross-Examination by Mr. Rankin	118
7	Cross-Examination by Examiner McMillan	132
	Cross-Examination by Examiner Brooks	134
8	Redirect Examination by Mr. McMillan	138
9	Terry L. Williamson:	
10	Direct Examination by Mr. McMillan	140
	Cross-Examination by Mr. Rankin	149
11	Cross-Examination by Examiner McMillan	152
	Cross-Examination by Examiner Jones	155
12	Recross Examination by Examiner McMillan	161
13	David Scott:	
14	Direct Examination by Mr. Hall	162
	Cross-Examination by Mr. Rankin	170
15	Cross-Examination by Mr. Cashon	175
	Recross Examination by Mr. Rankin	177
16	David C. Harwell:	
17	Direct Examination by Mr. Hall	179
18	Cross-Examination by Mr. Rankin	193
	Cross-Examination by Mr. Stanger	214
19	Cross-Examination by Mr. Cashon	219
	Cross-Examination by Examiner Jones	220
20	Cross-Examination by Examiner McMillan	230
	Recross Examination by Mr. Rankin	231
21	Cross-Examination by Examiner Brooks	233
22		
23		
24		
25		

1	INDEX (Cont'd)	
2		PAGE
3	Chisholm Energy Operating, LLC's Rebuttal Case:	
4	Witnesses:	
5	James Huling:	
6	Direct Examination by Mr. Rankin	236
	Cross-Examination by Mr. McMillan	260
7	Cross-Examination by Examiner McMillan	276
	Cross-Examination by Examiner Jones	280
8		
9	Proceedings Conclude	289
10	Certificate of Court Reporter	290
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	EXHIBITS OFFERED AND ADMITTED	
2		PAGE
3	Chisholm Energy Operating, LLC Exhibit	
4	Numbers 1 through 9	27
5	Chisholm Energy Operating, LLC Exhibit	
6	Numbers 10 through 22	59
7	Chisholm Energy Operating, LLC Exhibit	
8	Number 23	76
9	Chisholm Energy Operating, LLC Exhibit	
10	Numbers 24, 25, 26	261
11	Great Western Drilling, Ltd. Exhibit	
12	Numbers 1 through 7	118
13	Great Western Drilling, Ltd. Exhibit	
14	Numbers 8 through 11	149
15	Great Western Drilling, Ltd. Exhibit	
16	Number 12	170
17	Great Western Drilling, Ltd. Exhibit	
18	Number 13	192
19	Great Western Drilling, Ltd. Exhibit	
20	Numbers 14 and 15	193
21		
22		
23		
24		
25		

1 (9:06 a.m.)

2 EXAMINER McMILLAN: Good morning. My name
3 is Michael McMillan. I would like to call the hearing
4 to order. Today's date is December 13th, 2017. This is
5 Docket 44-17. Today we will be hearing six cases.

6 What I'd like to do at this point is just
7 to inform everyone to please look at the court reporter
8 when you answer the questions.

9 What I'd like to do now is call Cases
10 15865, 15866, 15867, 15868, 15875 and 15876.

11 Are these cases going to be combined at
12 this point?

13 MR. HALL: Yes.

14 MS. KESSLER: Yes.

15 EXAMINER McMILLAN: Okay. With that mind,
16 I'm just going to go through the case numbers. Case
17 Number 15865, application of Chisholm Energy Operating,
18 LLC for a nonstandard spacing and proration unit and
19 compulsory pooling, Lea County, New Mexico. This will
20 be combined with Case Number 15866, application of
21 Chisholm Energy Operating, LLC for a nonstandard spacing
22 and proration unit and compulsory pooling, Lea County,
23 New Mexico; Case Number 15867, application of Chisolm
24 Energy Operating, LLC for a nonstandard spacing and
25 proration unit and compulsory pooling, Lea County, New

1 Mexico. This will be combined with Case Number 15868,
 2 application of Chisholm Energy Operating, LLC for a
 3 nonstandard spacing and proration unit and compulsory
 4 pooling. This will be combined with Case Number 15875,
 5 application of Great Western Drilling Limited for a
 6 nonstandard oil spacing and proration unit and
 7 compulsory pooling, Lea County, New Mexico. Lastly,
 8 this will be combined with Case Number 15876,
 9 application of Great Western Drilling Limited for a
 10 nonstandard oil spacing and proration unit and
 11 compulsory pooling, Lea County, New Mexico.

12 Call for appearances.

13 MS. KESSLER: Mr. Examiners, Jordan Kessler
 14 and Adam Rankin on behalf of the Applicant, Chisholm
 15 Energy.

16 EXAMINER McMILLAN: Any other appearances?

17 MR. HALL: Mr. Examiner, Scott Hall and
 18 Seth McMillan, Montgomery & Andrews Law Firm, Santa Fe,
 19 appearing on behalf of Great Western Drilling Limited
 20 and for Advance Energy Partners, LLC.

21 EXAMINER McMILLAN: Any other appearances?

22 MR. BRUCE: Mr. Examiner, Jim Bruce of
 23 Santa Fe, representing Mewbourne Oil Company.

24 EXAMINER McMILLAN: Okay. At this time the
 25 witnesses would please stand up and be sworn in.

1 (All witnesses sworn.)

2 MR. CASHON: Two more appearances here. My
3 name is Tim Cashon, representing myself.

4 MR. STANGER: And Mark Stanger. I
5 represent Allencrest NM I, LLC. We're an overriding
6 royalty interest owner in the south half of 320, Section
7 34.

8 MR. HALL: I thought he was your attorney.

9 MR. BRUCE: Flipped.

10 MR. FRANCIS: Bill Francis, F-R-A-N-C-I-S.

11 MR. HULING: James Huling, H-U-L-I-N-G.

12 MR. SHELTON: Luke Shelton.

13 MR. BURKE: Brad Burke, B-U-R-K E.

14 MR. HARWELL: David Harwell.

15 MR. MUIRE: Carter Muire, M-U-I-R-E.

16 MR. WILLIAMSON: Terry Williamson.

17 MR. SCOTT: David Scott. And it's Advance,
18 without the D on the end.

19 MR. HALL: Mr. Hearing Examiner, where
20 would you like the witnesses to sit?

21 EXAMINER McMILLAN: The witnesses will sit
22 next to Jordan.

23 Please proceed.

24 MS. KESSLER: Thank you. I'd like to make
25 an opening statement, if I may, Mr. Examiner.

1 EXAMINER McMILLAN: Okay.

2 OPENING STATEMENT

3 MS. KESSLER: As you are aware, this is a
4 competing operatorship in Section 34 case, and when
5 there are competing operatorship cases, the Division and
6 Commission look to Commission Order R10731-B, which has
7 been cited in a number of recent Division and Commission
8 cases for Commission -- for contested operatorship
9 cases.

10 The factors of the Division and Commission
11 review are primary geology. That's the first factor.
12 The second factor is percent control of the working
13 interest by a given party. Then the Division looks at
14 timing of proposal, cost of proposal, and the operator's
15 history in the area.

16 The evidence today, Mr. Examiners, will
17 show that the working interest is controlled by
18 Chisholm. 56.25 percent interest in Section 34 is
19 controlled by Chisholm. Chisholm's plan is for full
20 development of Section 34. So there are four wells that
21 are in front of you today, four pooling applications in
22 front of you today for each spacing unit. What Chisolm
23 plans to do in the future is develop the section of
24 eight wells in the Bone Spring. So full development,
25 which will prevent waste and, again, shows Chisholm's

1 commitment to drilling the section.

2 I'd like to contrast that to Great
3 Western's plan, which is to put two wells in the
4 section -- one east half-east half and west half-west
5 half.

6 The timeline here is that Chisholm proposed
7 these wells in June, negotiated for over six months with
8 various parties in the spacing unit. With the interest
9 owners, they obtained permits. Great Western knew about
10 Chisholm's plans for June, July, August, September, and
11 in October, they submitted well-proposal letters, and
12 that was only after Chisholm had filed pooling
13 applications in Section 34.

14 Chisholm's AFEs are substantially less
15 expensive to the tune of approximately, I believe, it's
16 \$1.9 million for AFEs.

17 And finally, it's a little bit unclear
18 what's going on here with Great Western's plans, whether
19 Advance or Great Western will be drilling the wells. We
20 know now that Mewbourne will not be drilling the wells,
21 whose proposals and AFEs are in front of the Division.

22 But this much is clear, Chisholm has four
23 applications, has three rigs going in New Mexico, and is
24 ready to drill and be done with Section 34. They're
25 committed to operating and have great results in other

1 areas, including in New Mexico.

2 And just to recap, you know, we're looking
3 at the factors: Chisholm has a higher working interest
4 percentage, they plan full-section development for
5 prevention of waste on the development of the resources,
6 they were the first to properly propose and diligently
7 prosecute this drilling plan, and they have cheaper AFEs
8 and wells drilled in New Mexico. All of the factors
9 here favor Chisholm.

10 So we would request that you would grant
11 Chisholm's applications and deny Great Western's and
12 Advance's application.

13 MR. HALL: I'll waive any opening.

14 EXAMINER McMILLAN: Jim?

15 MR. BRUCE: I have no opening.

16 EXAMINER McMILLAN: Any others?

17 MR. CASHON: We'll wait.

18 MS. KESSLER: May we call our first
19 witness?

20 EXAMINER McMILLAN: Yes. Please proceed.

21 LUKE SHELTON,
22 after having been previously sworn under oath, was
23 questioned and testified as follows:

24

25

1 DIRECT EXAMINATION

2 BY MS. KESSLER:

3 Q. Can you please state your name for the record,
4 and tell the Examiners by whom you're employed and in
5 what capacity?

6 A. Luke Shelton, Chisholm Energy, senior landman.

7 Q. Have you previously testified before the
8 Division?

9 A. No.

10 Q. Can you please review your educational
11 background?

12 A. I graduated from TCU in 2006 with a Bachelor's
13 of Science in Criminal Justice. I worked five years as
14 a contractor on the Barnett Shale as an independent
15 landman. Then I've worked two years contract in-house
16 at Range Resources working on Barnett Shale and the
17 Marcellus Shale from 2013 to 2017. I was employed with
18 Range Resources as a senior landman with a focus on the
19 Marcellus Shale, Utica Shale and Powder River Basin in
20 Wyoming, and then in June of 2017, with Chisholm.

21 Q. Do your current responsibilities include the
22 Permian Basin?

23 A. Yes.

24 Q. And are you a member of any professional
25 associations?

1 A. The AAPL and the Fort Worth APL.

2 Q. Are you familiar with the applications that
3 have been filled in these consolidated cases?

4 A. Yes.

5 Q. And are you familiar with the status of the
6 lands in the subject area?

7 A. Yes.

8 MS. KESSLER: Mr. Examiners, I would tender
9 Mr. Shelton as an expert in petroleum land matters.

10 EXAMINER McMILLAN: Any objections?

11 MR. HALL: No objection.

12 MR. BRUCE: No, sir.

13 MR. CASHON: No.

14 MR. STANGER: None.

15 EXAMINER McMILLAN: He is so qualified.

16 Q. (BY MS. KESSLER) Mr. Shelton, please turn to
17 Exhibit 1. Is this a plat showing the area of
18 Chisholm's interest in the wells drilled?

19 A. Yes, it is.

20 Q. Approximately how many wells are either drilled
21 or drilling in New Mexico?

22 A. Fifteen wells drilled and three drilling.

23 Q. And Chisholm has three rigs in New Mexico; is
24 that correct?

25 A. That's correct.

1 Q. What is Chisholm's development plan for Section
2 34?

3 A. Full-section development. We'd like to form
4 four 160-acre spacing units with eventually two wells
5 per spacing unit.

6 Q. And the full-section development is shown on
7 the second and third pages of Exhibit 1, correct?

8 A. Correct.

9 Q. This is just showing that there are four
10 planned wells in the 2nd Bone Spring and four planned
11 wells in the Lower 3rd Bone Spring?

12 A. Yes.

13 Q. Okay. Please explain what Chisholm seeks today
14 with these consolidated applications.

15 A. To form four nonstandard spacing units, to pool
16 the Bone Spring Formation, and for one initial well per
17 spacing unit, two in the 2nd Bone Spring and two in the
18 3rd Bone Spring.

19 Q. Let's turn to Exhibit 2. Does Exhibit 2
20 contain four approved C-102s for each of the proposed
21 wells?

22 A. Yes.

23 Q. Could you please review the spacing unit for
24 the Grama Ridge East 34 3BS No. 2H well?

25 A. West half-west half, Section 34.

1 Q. That would be in Township 21 South, Range 34
2 East in Lea County, correct?

3 A. Correct.

4 Q. Does this have an API number assigned to it?

5 A. Yes, 30-025-43825.

6 Q. Turning to the second page, can you please
7 identify the spacing unit for the Grama Ridge 34 3BS No.
8 3H well?

9 A. It's east half-west half Section 34, 21 South,
10 34 East.

11 Q. And this will be a 3rd Bone Spring well?

12 A. Yes.

13 Q. This also has an API number that's been
14 assigned to it?

15 A. 30-025-43826.

16 Q. All right. Turning to the third page, is this
17 the approved C-102 for the Grama Ridge East 34 State 2BS
18 No. 8H well?

19 A. Yes.

20 Q. What are the spacing units?

21 A. West half-east half, Section 34, 21 South,
22 34 East.

23 Q. This will be a 2nd Bone Spring well?

24 A. Yes.

25 Q. And it has an API number assigned to it?

1 A. 30-025-43823.

2 Q. All right. And finally looking at page 4 of
3 Exhibit 2, is this an approved C-102 for the Grama Ridge
4 East 34 State 2BS No. 9H well?

5 A. Yes.

6 Q. What is the spacing unit?

7 A. East half-east half, 34, Township 21, Range 34
8 East -- 21 South, 34 East. Sorry.

9 Q. And this is a 2nd Bone Spring well?

10 A. Yes.

11 Q. And it has an API number assigned to it?

12 A. 30-025-43824.

13 Q. Has the Division identified a pool and pool
14 code covering Section 34?

15 A. Yes. It's the Grama Ridge Bone Spring,
16 Northeast, Pool Code 28435.

17 Q. Is that pooling governed by Division statewide
18 rules?

19 A. Yes.

20 Q. Will each of the four completed intervals
21 comply with the 330-foot setback requirements?

22 A. Yes.

23 Q. And what type of land is Section 34?

24 A. State.

25 Q. Are there any depth severances in the Bone

1 **Spring Pool?**

2 A. No.

3 **Q. Are there pads built for these wells?**

4 A. Yes.

5 **Q. How many pads have you built?**

6 A. Two pads.

7 **Q. And is there a surface agreement in place?**

8 A. Yes.

9 **Q. Let's look now at Exhibit 3. Is this a lease**
10 **tract map showing Chisholm's interest and the parties**
11 **that you seek to pool?**

12 A. Yes.

13 **Q. Now I'd like to turn to the second page of this**
14 **exhibit. Looking at the second and third, is there a**
15 **unit recap for each of the four spacing units?**

16 A. Yes.

17 **Q. And if we can review these interests, it looks**
18 **like Chisholm owns 37.5 percent working interest,**
19 **correct?**

20 A. In the south half you mean --

21 **Q. I'm sorry. Yeah. They own approximately what?**

22 A. -- 39.

23 **Q. 39.827 percent in the total spacing unit?**

24 A. Yes.

25 **Q. Okay. And Continental Land & Fur owns**

1 approximately 16 percent?

2 A. Yes.

3 Q. Timothy R. MacDonald owns .015 percent?

4 A. Yes.

5 Q. And Great Western owns 43.75 percent?

6 A. Yes.

7 Q. Are all of these interests committed, except
8 for Great Western Drilling?

9 A. Yes.

10 Q. Have CL&F -- I'm sorry -- Continental Land &
11 Fur and Timothy R. MacDonald signed operating
12 agreements?

13 A. They have.

14 Q. And does CL&F -- have they -- have they created
15 a letter supporting Chisholm's plan of development in
16 their applications?

17 A. Yes, they have.

18 Q. So the committed interest total is 56.25
19 percent; is that correct?

20 A. That's correct.

21 Q. And that represents the interests signed on to
22 the plan, as well as Chisholm's interest?

23 A. Yes.

24 Q. Summing up, Chisholm controls 56.25 percent of
25 the section and Great Western controls 43.75 percent; is

1 that correct?

2 A. That's correct.

3 Q. Okay. Turning to Exhibit 4, is this a letter
4 from a Continental Land & Fur stating that they support
5 Chisholm's drilling plan for this section?

6 A. Yes.

7 Q. And, once again, they assigned the AFE and
8 signed the operating agreement with Chisholm?

9 A. That's correct.

10 Q. Was that after a technical review of data
11 provided by Chisholm's technical team?

12 A. Yes.

13 Q. Is Exhibit 5 a copy of each of the four
14 well-proposal letters that you sent for the four wells?

15 A. Yes.

16 Q. Now, this well-proposal letter is to
17 Continental Land & Fur, but an identical letter was sent
18 to Great Western; is that correct?

19 A. That's correct.

20 Q. What date was this letter sent?

21 A. July 26th.

22 Q. Did each of the letters include an AFE?

23 A. Yes.

24 Q. Did you also transmit technical data for
25 review?

1 A. Yes.

2 Q. It's not included on this letter, but was it
3 sent to all of the parties that you were attempting to
4 reach an agreement with?

5 A. Yes.

6 Q. Did it include a geologic memorandum as well as
7 a net pay map?

8 A. Yes.

9 Q. Is Exhibit 6 a copy of each of the AFEs sent
10 for the 2H, 3H, 8H and 9H wells?

11 A. Yes.

12 Q. Can you please identify the total costs of each
13 of these wells?

14 A. Okay. The 2H is 5,119,221. The 3H is
15 4,254,311. The 8H is 4,146,651. The 9H is 4,146,651.

16 Q. The 2H well includes a pilot hole; is that
17 correct?

18 A. That's correct.

19 Q. And you've brought an engineer who will review
20 the specific costs?

21 A. That's correct.

22 Q. Are the costs on these AFEs consistent with
23 what Chisholm has incurred for drilling similar
24 horizontal wells in the area?

25 A. Yes.

1 Q. What are your proposed overhead and drilling
2 costs?

3 A. 7,500; 750.

4 Q. Per well?

5 A. Yes.

6 Q. Are those overhead rates consistent with what
7 other operators in the area charge for similar wells?

8 A. Yes.

9 Q. Do you ask that those costs be incorporated
10 into any order resulting from this hearing?

11 A. Yes.

12 Q. Do you ask that the costs be adjusted in
13 accordance with COPAS accounting procedures?

14 A. Yes.

15 Q. When did Chisholm propose their plan?

16 A. In July.

17 Q. And when did Great Western send well-proposal
18 letters?

19 A. Um.

20 Q. Would October 3rd sound familiar?

21 A. That sounds right, yes.

22 Q. And that would be after Chisholm had negotiated
23 for approximately four months with various parties; is
24 that correct?

25 A. Yes.

1 Q. Is that also after Chisholm had filed for
2 compulsory pooling?

3 A. Yes.

4 Q. Is Exhibit 7 a correspondence log between
5 Chisholm and Great Western?

6 A. Yes.

7 Q. In addition to sending well-proposal letters to
8 Great Western, what other efforts did you undertake to
9 reach an agreement with them?

10 A. Offered an operating agreement and then a
11 modified operating agreement. We offered to purchase
12 their interest.

13 Q. Okay. Did you make multiple offers, in fact,
14 to purchase their interest?

15 A. Yes.

16 Q. What were Great Western's concerns with
17 Chisholm?

18 A. They were concerned about the number of wells
19 that were proposed. They were -- another concern was
20 they were familiar with Chisholm as an operator. They
21 didn't like the 2nd Bone Spring Formation, and they
22 wanted more money.

23 Q. Can you please explain how you arrived at the
24 amount per acre of money that you offered Great Western?

25 A. Yes. We used a comp from a December 2016

1 estate sale with Section 16 in the Township. Mewbourne
2 purchased 160 acres for \$7,000 per acre.

3 Q. So similar size tract within the same township
4 in December of 2016.

5 A. Yes.

6 Q. And remind me, you proposed these wells in July
7 of 2017; is that correct?

8 A. That's correct.

9 Q. Did you offer -- in response to Great Western's
10 concerns about eight wells, did you offer to drill only
11 four wells?

12 A. Yes.

13 Q. And that was to alleviate their concern?

14 A. Yes.

15 Q. And then there would be -- sorry -- four wells
16 in 2017, 2018, and then four wells in 2019?

17 A. Correct.

18 Q. Did you also offer to set up a technical
19 meeting to review the geology, as well as sending over a
20 geologic memo detailing the 2nd Bone Spring?

21 A. Yes.

22 Q. And it outlined Chisholm's geosteering plans
23 and was also for the purpose of getting familiar with
24 Chisholm's reputation?

25 A. That's correct.

1 Q. Finally, did you offer them more money?

2 A. Yes.

3 Q. At any point did Great Western make a
4 counteroffer?

5 A. No.

6 Q. Most recently, did Great Western ask to swap
7 out of Section 34 -- I'm sorry -- out of the east half
8 of Section 34?

9 A. Yes. It was "choose your half" swap, yes.

10 Q. Okay. So Chisholm would operate one-half of
11 the section and Great Western would operate another half
12 on the section?

13 A. That's correct.

14 Q. Okay. Why did -- what did Chisholm say?

15 A. We said no. We didn't want conflict in
16 development. We thought we'd save costs with facility
17 sharing on the surface. We thought we'd have better,
18 more efficient spacing within the section. We already
19 had a surface-use agreement in place throughout the
20 entirety of the section and we had both pads built.

21 Q. Primarily for technical reasons you said
22 though; is that correct?

23 A. Yes.

24 Q. And will there be technical witnesses to
25 address various of these concerns?

1 A. Yes.

2 Q. And now it appears that Great Western has sold
3 to Advance; is that correct?

4 A. Yes.

5 Q. When did you learn about that?

6 A. Getting onto the airplane on Monday.

7 Q. In your opinion, have you made a good-faith
8 effort to reach an agreement with Great Western?

9 A. Yes.

10 Q. You offered them a variety of the deals but
11 were simply unable to reach an agreement?

12 A. Yes.

13 Q. With respect to the uncommitted interest owner,
14 whether it be Great Western or Advance, do you request
15 the Division impose 200 percent risk penalty?

16 A. Yes.

17 Q. Were the parties that you seek to pooling Great
18 Western locatable? Did you have a functional address
19 for them?

20 A. Yes.

21 Q. And did you identify offset operators or
22 lessees of record in the 40-acre tract surrounding the
23 proposed nonstandard spacing units?

24 A. Yes.

25 Q. Were they included in notice of this hearing?

1 A. Yes.

2 Q. Is Exhibit 8 an affidavit prepared by my office
3 with attached letters providing notice of the hearing to
4 the parties that you seek to pool, as well as the
5 offsets?

6 A. Yes.

7 MS. KESSLER: And, Mr. Examiner, this
8 includes notice of the original application and the
9 amended -- the two amended applications.

10 Q. (BY MS. KESSLER) Does Exhibit 9 include
11 affidavits of publication for each of these cases?

12 A. Yes.

13 Q. Were Exhibits 1 through 7 prepared by you or
14 compiled under your direction and supervision?

15 A. Yes.

16 MS. KESSLER: Mr. Examiner, I'd move
17 admission of Exhibits 1 through 9, which include
18 affidavits.

19 MR. HALL: And we have no objection.

20 EXAMINER McMILLAN: Jim?

21 MR. BRUCE: No questions.

22 MR. CASHON: No questions.

23 MR. STANGER: No questions.

24 EXAMINER McMILLAN: Okay. Exhibits 1
25 through 9 may now be accepted as part of the record.

1 (Chisholm Energy Exhibit Numbers 1 through
2 9 are offered and admitted into evidence.)

3 MR. HALL: May I?

4 EXAMINER McMILLAN: Please proceed.

5 CROSS-EXAMINATION

6 BY MR. HALL:

7 Q. Mr. Shelton, do I understand correctly that a
8 lot of the personnel in Chisholm came over from Range
9 Resources?

10 A. Yes.

11 Q. I think that you explained most of your
12 experience and background is in the Barnett-Marcellus,
13 Utica?

14 A. My experience, yes.

15 Q. And how many wells in New Mexico have you been
16 involved in the drilling of?

17 A. The 15 and the current three.

18 Q. Okay. Okay. Do the wells that Chisholm
19 proposes here differ significantly from the company's
20 experience and practice in the Barnett-Marcellus?

21 A. I don't think I'm even fit to answer that
22 question. I'd defer it to engineering.

23 Q. Okay. You don't know that.

24 Did the completions that were proposed here
25 and shown on your AFE, were they influenced by the

1 company's experience in Barnett and Marcellus?

2 A. Again, I'd defer to engineering.

3 Q. Okay. In fact, Chisholm has eight wells
4 permitted on this acreage, correct?

5 A. Correct.

6 Q. Let me ask you about your well-proposal letter.
7 Exhibit 5, for example, is fine. We can look at that
8 one.

9 A. Uh-huh.

10 Q. First of all, you propose the wells be drilled
11 under a modified 1989 AAPL form of agreement. It is not
12 included with your exhibit, correct?

13 A. Correct.

14 Q. Tell me, you have one or more parties under
15 your JOA under the contract acreage?

16 A. Yes.

17 Q. Could you explain how your drilling commitment
18 will work for the eight wells under your JOA?

19 A. Yes. It's basically four wells are drilled in
20 a one-year period that's -- there must be a one-year
21 delay prior to the completion of the fourth well.

22 Q. So what are your actual plans?

23 A. I'm sorry. I said "prior to completion." I
24 mean after completion.

25 Q. I see. I see.

1 A. Our current plans are to drill our four this
2 year and then wait for one year and then drill the other
3 four in 2019.

4 Q. Okay. I'm sure you meant drill in 2018?

5 A. Yes.

6 Q. Okay. Let me ask you about some of the
7 provisions in the JOA you circulated. First, if you'll
8 look at your transmittal letter for that -- I'm looking
9 at Exhibit 5, the July 26, 2017, proposal for the 3BS 2H
10 -- and it proposes overhead and supervision rates of
11 \$10,000 and \$1,000.

12 A. Yes.

13 Q. How did you derive those rates?

14 A. That would be a question for accounting.

15 Q. Okay. But you are not asking for those
16 overhead rates at this proceeding, correct?

17 A. Correct.

18 Q. And you have indicated that you have two
19 surface locations already built; is that right?

20 A. Yes.

21 Q. And one is in the north. The other in the
22 south; is that correct?

23 A. I believe that's correct.

24 Q. And why are the wells oriented that way?

25 A. That's -- I defer to technical on that, okay?

1 Q. If a party signs your JOA and goes nonconsent
2 on a well, will you still give it well data?

3 A. I don't recall.

4 Q. For eight perspective wells on the section,
5 what arrangements are in place for water disposal?

6 A. That would be a question for technical,
7 engineering.

8 Q. Okay. Can you tell us anything about the
9 existing infrastructure out there?

10 A. Again, I would defer to engineering.

11 Q. Refer to your Exhibit 3. Who is Eau Rouge?

12 A. Eau Rouge was an entity that Nearburg had -- it
13 was another entity of Nearburg that we had acquired.

14 Q. All right. So Eau Rouge was an owner in this
15 acreage?

16 A. Yes.

17 Q. And is the Eau Rouge interest consolidated with
18 what you're showing for Chisholm on this exhibit?

19 A. Yes, and it has been filed of record.

20 Q. Okay.

21 MR. HALL: That's all I have, Mr. Examiner.

22 MR. BRUCE: No questions.

23 MR. CASHON: No questions.

24 MR. STANGER: No questions.

25

1 CROSS-EXAMINATION

2 BY EXAMINER McMILLAN:

3 Q. All right. My first question is: You said
4 you're going to drill four wells in 2018?

5 A. That is correct.

6 Q. Are those going to be the wells that are the
7 subject of this hearing?

8 A. That's correct.

9 Q. Okay. And for clarity purposes, there were no
10 unlocatable interests, right?

11 A. Correct.

12 Q. Now, on your -- which one is on your -- on your
13 AFE, how were the -- how were the title opinions? Were
14 the title opinions included in here?

15 A. Engineering put together the AFE, so I defer to
16 them.

17 CROSS-EXAMINATION

18 BY EXAMINER BROOKS:

19 Q. I'm sorry. I have forgotten your name already.

20 A. It's Luke Shelton.

21 Q. Mr. Shelton, I usually forget names. It's not
22 special for you.

23 A. That's okay.

24 Q. First of all, you said your background was --
25 your education was in criminal justice and then you went

1 into oil and gas land. You know, some of us have
2 suspected some connection between those two fields --

3 A. (Laughter.)

4 Q. -- that sequence --

5 Okay. I am guessing from these numbers
6 that you have in the well names that the No. 2 and No. 3
7 wells are 3rd Bone Spring and the No 8 and No. 9 wells
8 are 2nd Bone Spring; is that correct?

9 A. That's correct.

10 Q. Okay. The No. 2 and No. 3 are both in the west
11 half?

12 A. Yes, sir.

13 Q. And the No. 3 -- No. 8 and No. 9 are in the
14 east half?

15 A. Yes, sir.

16 Q. Okay. You've also affirmed that a 2nd Bone
17 Spring and 3rd Bone Spring wells in each of the units?

18 A. Yes.

19 Q. Okay. What is the spacing in this section, the
20 Grama Ridge? All of those wells are in the Grama Ridge
21 Bone pooling?

22 A. Yes.

23 Q. What is the spacing?

24 A. 160 acres.

25 Q. Well, you're asking for 160 acres, but what is

1 the standard spacing unit in that pool? Is that 40
2 acres?

3 A. Yes, I believe so.

4 Q. Okay. What type of land is it - federal?
5 state?

6 A. It's state.

7 Q. It's all state?

8 A. Yes, sir.

9 Q. The whole section?

10 A. Yes, sir.

11 Q. Is it one state lease?

12 A. I believe it's two.

13 Q. And do you know how that's divided, one of them
14 east half and one of them west?

15 A. One of them north half and the other south
16 half.

17 Q. So you're going to have a communitization
18 agreement?

19 A. Yes.

20 Q. But you usually don't do those until you drill
21 a well?

22 A. Yes.

23 Q. Okay. Are there any overrides? You don't list
24 any in your exhibits.

25 A. Yes.

1 Q. Okay. And you take the position, I take it,
2 since you don't list them, that the overrides are pooled
3 by virtue of what?

4 A. Pooled by virtue of what?

5 Q. Well, state leases do not have pooling clauses.

6 A. Yes.

7 Q. So are there pooling provisions in the
8 assignments to the overrides?

9 A. They'd be likely ratification of the com.

10 Q. Well, yeah, but override ratification of the
11 com is not required by the State Land Office, as I
12 understand it.

13 A. Uh-huh.

14 Q. In practice it's not anyway?

15 A. Right.

16 Q. Okay. But you didn't think it was necessary to
17 notice the overrides of hearing proceeding?

18 A. No, sir.

19 Q. Now, you gave notice to -- did you ever have a
20 joinder from -- from Continental Land & Fur?

21 A. Yes.

22 Q. And you gave notice to Timothy R. MacDonald?

23 A. Yes.

24 Q. Now, let's see. Is Mr. -- are you here
25 representing Mr. MacDonald?

1 MR. CASHON: No.

2 EXAMINER BROOKS: Who are you representing?

3 MR. CASHON: I'm representing myself as an
4 overriding owner as well.

5 MR. STANGER: I'm an overriding royalty
6 owner as well.

7 EXAMINER BROOKS: Okay. Very good.

8 Q. (BY EXAMINER BROOKS) And you got a green card
9 back from Mr. MacDonald?

10 A. Yes. He signed the JOA.

11 Q. So he's not being pooled. Only people you're
12 pooling are -- well, Continental -- is Continental Land
13 & Fur. They agreed to your proposal, but are they
14 participating, or did they sign the JOA?

15 A. They both have signed JOAs. Yes.

16 Q. So the only person you're trying to pool is
17 Great Western?

18 A. Yes.

19 Q. And, of course, they're here so we don't have
20 to worry about them being noticed.

21 Okay. I think that's all my questions.
22 Thank you.

23 RECROSS EXAMINATION

24 BY EXAMINER McMILLAN:

25 Q. Actually, for clarity purposes, you're drilling

1 the four wells that are going to be subjects to the
2 hearing. And then the four wells in 2019 are going to
3 be infill wells, correct?

4 A. Yes.

5 Q. And they would be subject to those terms?

6 A. Yes.

7 Q. Okay.

8 RECROSS EXAMINATION

9 BY EXAMINER BROOKS:

10 Q. They'll be technically infill in the sense it's
11 the same spacing unit, same pool, but actually they're
12 going to be offsets; are they not? Because you're
13 drilling two 2nd Bone Spring wells in the west half, and
14 you're drilling two 3rd Bone Spring wells in the east
15 half. And then in 2019, you're going to do the others.
16 Are you going to be offsetting the wells you drilled in
17 2018?

18 A. Yes. I think so. That's correct.

19 EXAMINER BROOKS: Go ahead.

20 RECROSS EXAMINATION

21 BY MR. HALL:

22 Q. If I could, Mr. Shelton, the AFE you provided
23 for the Examiners here today is under your Tab 6. Let
24 me ask -- but that -- why is this the only AFE you
25 brought today?

1 A. They're all there.

2 Q. They are?

3 Let me ask you about the one for -- this is
4 for the 3BS 2H -- I beg your pardon. They are all here.
5 The one on top, you have completed costs of just under
6 \$5 million?

7 A. Yes.

8 Q. And if we look at the others, they are
9 substantially lower. They're all each about a million
10 dollars lower than the top one; is that right?

11 A. Yes.

12 Q. Why is that?

13 A. I defer to engineering on that also.

14 Q. Is that your pilot-hole well?

15 A. I believe so, but I will let him verify that.

16 Q. Okay. I've been following your AFE numbers --
17 let me see. Let's look at the line items on page 2.
18 It's line item 165, 852165, acidizing and fracturing.
19 It shows 860,000. Are all of the wells carrying that
20 same cost for a frac job?

21 A. I defer to engineering on that also.

22 Q. Okay. You haven't reviewed these before?

23 A. I have. But he'd be best to explain them.

24 Q. Okay. All right. Mr. McMillan asked you a
25 question about title examination costs. He asked you a

1 related question about legal costs. These are -- title
2 examination costs go back to the working interest owners
3 under the JOA. Is that your understanding?

4 A. I believe -- I can't recall exactly what the
5 JOA says on that, but --

6 Q. Okay. Do Ms. Kessler's legal fees for
7 appearing here today go back to the interest owners?

8 A. I would defer to engineering on that also.

9 Q. Okay.

10 MR. HALL: That's all I have.

11 EXAMINER BROOKS: I have one more question
12 I forgot.

13 RECROSS EXAMINATION

14 BY EXAMINER BROOKS:

15 Q. You were asked, as I understood it, that
16 whether or not Chisholm would be willing to share the
17 downhole data with a nonconsenting pooled party. And
18 your answer was you didn't recall, which seemed rather
19 strange answer to a question what you were going to do
20 in the future. Did I misunderstand the question, or did
21 I misunderstand the answer?

22 A. It would be governed by the JOA.

23 Q. Okay. The -- the custom in the industry -- are
24 you aware of the custom in the industry that you do not
25 share --

1 A. Yes.

2 Q. -- nonpublic data with nonconsenting parties?

3 A. Yes. And I've also seen to the opposite.

4 Q. There are exceptions, of course.

5 A. Right.

6 Q. Generally -- generally, that isn't done in the
7 industry. There is an understanding that the custom is
8 otherwise although you can agree to anything you want
9 to.

10 A. Yes.

11 Q. Voluntary agreement?

12 A. Right.

13 Q. And people do.

14 A. Yes.

15 Q. Thank you.

16 MS. KESSLER: Couple of questions on
17 redirect.

18 EXAMINER McMILLAN: Please proceed.

19 REDIRECT EXAMINATION

20 BY MS. KESSLER:

21 Q. Let's go back for the discussion of the rates,
22 Mr. Shelton. You said you testified in your
23 cross-examination that your well proposals letters have
24 10,000 a month while drilling and 1,000 while producing?

25 A. Yes.

1 Q. Today you asked for 7,500 and 750?

2 A. Uh-huh.

3 Q. Are you lowering what you're asking for based
4 on your revised operating agreement with CL&F?

5 A. Yes.

6 Q. Did you discuss those rates with them, and did
7 they request that you lower them?

8 A. Yes.

9 Q. And as a concession, you did?

10 A. Yes.

11 Q. And also, final point, you intended to drill
12 four wells in 2017; is that correct?

13 A. Yes.

14 Q. And you were delayed by Great Western?

15 A. Yes. That's correct.

16 MS. KESSLER: That's all I have.

17 EXAMINER BROOKS: I'm through.

18 EXAMINER McMILLAN: Okay. Thank you.

19 We'll take a five-minute break.

20 (Recess, 9:56 a.m. to 10:05 a.m.)

21 EXAMINER McMILLAN: Everyone is here. I'd
22 like to call the hearing back to order.

23 Please proceed.

24 BILL FRANCIS,

25 after having been previously sworn under oath, was

1 questioned and testified as follows:

2 DIRECT EXAMINATION

3 BY MS. KESSLER:

4 **Q. Mr. Francis, can you please state your full**
5 **name for the record and tell the Examiners by whom**
6 **you're employed and in what capacity.**

7 A. Yes. Bill Francis, senior geologic advisor for
8 Chisolm Energy.

9 **Q. Have you previously testified before the**
10 **Division?**

11 A. I have not.

12 **Q. Can you please outline your educational**
13 **background.**

14 A. Yes. Bachelor of science in geology, Oklahoma
15 State University, 1983; master's in geology, University
16 of Tulsa, 1988.

17 **Q. What has your work experience been since that**
18 **time?**

19 A. I joined Mobile Oil Corporation out of graduate
20 school. Worked 12 years for Mobile as a development
21 geologist and an exploration geologist, working San
22 Joaquin, California and the Caspian Sea area. I left
23 Mobile at the ExxonMobil merger and went to work for
24 Kerr-McGee. I worked the Anadarko Basin for a couple
25 years for Kerr-McGee. In 2001, I joined Encore

1 Acquisition Company, which was a new company in Fort
2 Worth, Texas. I started out as a development geologist
3 drilling horizontal wells in Montana and North Dakota,
4 progressed to senior vice president of operations for
5 Encore, assets under my control in Texas, New Mexico,
6 Mississippi, Oklahoma, Louisiana. Mainly a lot of
7 horizontal drilling programs.

8 I left -- Encore was sold in 2010, at which
9 point I formed up with two or three colleagues from
10 Encore and we started a new company called Silver Oak
11 Energy. Silver Oak Energy was backed by EnCap
12 Investments and by Mack Energy of Artesia, New Mexico.
13 We actually officed with Mack's Fort Worth employees.
14 Silver Oak Energy sold in 2016, and in 2017, I joined
15 Chisholm, in February of 2017.

16 **Q. So for the past approximately ten years, has**
17 **your experience and your responsibilities included the**
18 **Permian Basin?**

19 A. They have.

20 **Q. Are you a member of any professional**
21 **associations?**

22 A. AAPG.

23 **Q. Are you familiar with the applications filed in**
24 **these consolidated cases?**

25 A. Yes.

1 Q. And have you conducted a geologic study of the
2 lands that are the subject of this application?

3 A. I have.

4 MS. KESSLER: Mr. Examiners, I would tender
5 Mr. Francis as an expert in petroleum geology.

6 EXAMINER McMILLAN: Objections?

7 MR. BRUCE: No objection.

8 MR. HALL: No objection.

9 MR. CASHON: No objection.

10 MR. STANGER: No objections.

11 EXAMINER McMILLAN: So qualified.

12 Q. (BY MS. KESSLER) Let's first turn to
13 Exhibit 10. Is this a locator map of the Northern
14 Delaware Basin and showing the area of interest?

15 A. Yes, it is.

16 Q. This also shows well control in the area; is
17 that correct?

18 A. Yes.

19 Q. Is there anything else you'd like to point out
20 with this exhibit?

21 A. No. It just shows our vertical well control
22 horizontal wells and wells being permitted.

23 Q. And as discussed by Mr. Shelton, Chisholm has
24 proposed three Bone Spring -- three 2nd Bone Spring
25 wells -- I'm sorry -- two 3rd Bone Spring wells, two 2nd

1 **Bone Spring wells; is that correct?**

2 A. That's correct.

3 **Q. Let's first discuss the geology of the 3rd Bone**
4 **Spring. Is Exhibit 11 a structure map of the 3rd Bone**
5 **Spring?**

6 A. Yes.

7 **Q. Can you please review this exhibit for the**
8 **Examiners?**

9 A. Yes. Exhibit 3 is a structural contour map
10 mapped on top of the Lower 3rd Bone Spring Sandstone.
11 The contour interval is 100 feet. The Section 34 is
12 highlighted in yellow. It shows all of the vertical and
13 horizontal wells and permitted wells nearby. It also
14 shows the locations of our two proposed 3rd Bone Spring
15 wells on the west half of Section 34. The purple dots
16 are data points that were used to construct the map, and
17 the blue dots are horizontal wells that were actually
18 drilled in the Lower 3rd Bone Spring Sand.

19 In addition, I've got posted what we call
20 our "max monthly rate of oil," which is green; and of
21 gas, which is red. And those, what we did is we take
22 the first 90 days of production and we look at the
23 highest monthly total and we call that our "maximum
24 30-day rate" in the beginning of a well. And for each
25 of the Lower 3rd Bone Spring wells, I have that posted.

1 Q. Okay. What do you see with respect to
2 structure and dip in this area?

3 A. Over our Section 34, it's very subtle a dip --
4 these wells -- we're thinking they're going to dip down
5 at about 4, 5 degrees.

6 Q. Based on the structure, have you identified --
7 do you see any hazards to drilling these horizontal
8 wells? Do you see any faulting or pinchouts?

9 A. No.

10 Q. Is Exhibit 12, a line of section marked B to B
11 prime reflecting the data points and logs used for your
12 cross-section exhibit for the 3rd Bone Spring?

13 A. Yes, it is.

14 Q. Do you consider these logs to be representative
15 of 3rd Bone Spring wells in the area?

16 A. I do.

17 Q. All right. Is Exhibit 13 your cross-section
18 exhibit for the 3rd Bone Spring Sand?

19 A. Yes, it is.

20 Q. Can you please review this for the Examiners?

21 A. Yes, it is a cross section from B to B prime,
22 north to south, showing the general gross thickness of
23 the Lower 3rd Bone Spring Sand. It's a stratigraphic
24 cross section hung at the top of the 3rd Bone Spring
25 Sand. That's denoted by the orange line at the top.

1 The dashed line in the middle is what we call the top of
2 the Lower 3rd Bone Spring Sandstone. The red line is
3 the base of the 3rd Bone Spring Sandstone, and the area
4 shaded in yellow is the gross interval of the 3rd Bone
5 Spring Sandstone in this area. It varies between 125 to
6 100 feet thick.

7 Q. And that would be your target interval,
8 correct?

9 A. Yes.

10 Q. What did you see with respect to continuity of
11 the formation across Section 34?

12 A. I see it being very comparable, very uniform in
13 thickness.

14 Q. Is Exhibit 14 a gross thickness isopach map on
15 the 3rd Bone Spring target?

16 A. Yes, it is.

17 Q. And, again, this is the target interval. This
18 is not the 3rd Bone Spring Sand that you've mapped,
19 correct?

20 A. That's correct. It's the target interval
21 that's actually shaded yellow in the cross section.

22 Q. Can you please review this exhibit for the
23 Examiners?

24 A. Yes. Gross -- isopach thickness contour
25 interval of 25 feet. Everything else is basically the

1 same as the first map. The purple dots are the data
2 points that are used to construct the map. The numbers
3 are the IP30 rates for the Lower 3rd Spring -- 3rd Bone
4 Spring horizontal wells, which are indicated by the blue
5 dots.

6 Q. Looks like you have good well control in this
7 area, correct?

8 A. Correct.

9 Q. Have you identified the gross thickness as
10 being relatively consistent throughout Section 34?

11 A. Yes.

12 Q. No major changes?

13 A. No major changes.

14 Q. Okay. I'd like to move to the geology now of
15 the 2nd Bone Spring. Is Exhibit 15 the structure map of
16 the Lower 2nd Bone Spring target interval?

17 A. Yes.

18 Q. Okay. And, again, you have Chisholm's
19 leasehold in yellow, Section 34, called out, correct?

20 A. Correct.

21 Q. What do you see with respect to structure in
22 Section 34 for the 2nd Bone Spring?

23 A. I see very similar structure as the 3rd. This
24 map is also contoured on a 100-foot contour interval.
25 It's very subtle over Section 34. Again, the data

1 points used are denoted by the purple dots. The Lower
2 2nd Bone Spring horizontal wells are highlighted in
3 blue, and the IP30 rates are also posted at the wells.

4 Q. And it looks like there is a handful of
5 2nd Bone Spring -- Lower 2nd Bone Spring producers in
6 the area, correct?

7 A. Correct.

8 Q. They're horizontal wells?

9 A. Yes.

10 Q. Are they commercial wells?

11 A. Yes.

12 Q. Is Exhibit 16 a line of section labeled "A to A
13 prime" that corresponds with your cross-section exhibit?

14 A. Yes.

15 Q. Did you have good well control to put together
16 your cross section and following gross isopach map?

17 A. Yes, we did.

18 Q. And do you consider the wells on A to A
19 prime -- the logs on A to A prime representative of 3rd
20 Bone Spring -- 2nd Bone Spring wells in the area?

21 A. I do.

22 Q. All right. Let's look at Exhibit 17. Is this
23 the cross section for the lower 2nd Bone Spring Sand?

24 A. Yes.

25 Q. Now, I'll call your attention to the fact that

1 you have target interval shaded in yellow and marked
2 with a dashed green line. Can you please explain the
3 difference between a target interval and the top of the
4 Lower Bone Spring Sand?

5 A. Yes. The target interval is our internal
6 target of the where we'd like to land the horizontal,
7 and that's something that we pay a lot of attention to,
8 and it varies between 40 and 50 feet thick in this area.

9 Q. So it's not the entire lower 2nd Bone Spring,
10 correct?

11 A. No.

12 Q. All right. Can you please walk us through the
13 remainder of this exhibit?

14 A. Yes. It's a stratigraphic cross section. The
15 orange line at the top is the top of the 2nd Bone Spring
16 Sand and that's what the cross section is hung on. As
17 you walk down, you get to -- the red line is what we are
18 calling the top of the Lower 2nd Bone Spring Sandstone.
19 Below that is the top of our target interval denoted by
20 the green-dashed line, and the black line at the bottom
21 is the base of or 2nd Bone Spring Sandstone or the base
22 of our target interval.

23 Q. Okay. Do you see this target interval as being
24 relatively consistent throughout Section 34?

25 A. Yes.

1 Q. Is Exhibit 18 the gross-thickness isopach map
2 of the Lower 2nd Bone Spring in Section 34 and the
3 surrounding area?

4 A. Yes, of the Lower 2nd Bone Spring target
5 interval.

6 Q. Okay. So once again, you've mapped the gross
7 thickness of the target rather than the gross thickness
8 of the Lower 2nd Bone Spring?

9 A. Yes.

10 Q. Can you please review this exhibit?

11 A. Yes. It's a gross-thickness map using a 10
12 percent contour interval. Again, the purple dots are
13 data control points that were used to construct the map.
14 The blue dots are Lower Bone Spring Sandstone horizontal
15 wells, and the IP30 rates are posted below the well
16 symbols.

17 Q. Okay. Do you see the gross interval as being
18 consistent throughout Section 34?

19 A. I do -- of the target interval of the 30, 40,
20 and 50 feet.

21 Q. Are you aware that Great Western expressed
22 concerns of development of the 2nd Bone Spring?

23 A. That's what my landman told me.

24 Q. You haven't specifically spoken to their
25 technical folks, have you?

1 A. I have not.

2 Q. Did you offer to set up a technical meeting to
3 explain your concerns?

4 A. Yes.

5 Q. And did you have a technical meeting with CL&F
6 and explain your technical program?

7 A. Yes, we did.

8 Q. What were their concerns as you understand
9 them?

10 A. Through Luke Shelton, the thickness of the
11 Lower 2nd Bone Spring.

12 Q. Okay. And what is the gross thickness of the
13 Lower 2nd Bone Spring?

14 A. In our area where we're -- it's like 70 to 80
15 feet thick.

16 Q. Okay. What is the -- did you also send to
17 Great Western a net pay isopach map?

18 A. Yes.

19 Q. And what was the net pay throughout Section 34?

20 A. It varied between 40 -- of the target interval,
21 if I remember -- 45. There was to 8 feet using an
22 8 percent porosity cutoff.

23 Q. Why did you use an 8 percent porosity cutoff?

24 A. That's what we use internally to high-grade our
25 landing zones. And the document that was sent was an

1 internal document to high-grade where we'd like to place
2 these laterals.

3 Q. Is that a conservative cutoff?

4 A. It is.

5 Q. Is 6 percent also a typical porosity cutoff?

6 A. Yes.

7 Q. What would the net pay be at 6 percent porosity
8 cutoff?

9 A. It would be -- in the well where we had 8
10 percent, it would have been 26 feet.

11 Q. 26 feet?

12 A. Yeah. And in the gross interval, it gets up to
13 55 feet.

14 Q. I believe that we've reviewed the fact that
15 there are a number of other 2nd Bone Spring producers in
16 the area, and you mentioned that these are commercial
17 wells, correct?

18 A. Yes.

19 Q. Is Exhibit 19 a mud log of a well located in
20 Section 34?

21 A. Yes.

22 Q. Okay. I'm going to ask you to hold your finger
23 on this exhibit and then turn back to Exhibit 18 and
24 point out where this vertical well is.

25 A. Yeah, this mud log comes from the vertical well

1 in the northeast quarter of Section 34.

2 Q. So if I'm looking at Exhibit 18, it looks like
3 this exhibit is smack in the middle of the 2nd Bone
4 Spring wells that you've proposed, correct?

5 A. Yes.

6 Q. Can you please review what you've marked as the
7 oil shows located in the 2nd -- Lower 2nd Bone Spring?

8 A. Yes. This -- copy of this mud log shows the
9 Lower 2nd Bone Spring target interval, which I have
10 noted by arrows. And the black bars just to the left of
11 the descriptions are -- indicate fluorescence and cut of
12 the oil shows that was logged by the mud logger, at the
13 time the well was drilled in 2003.

14 Q. So there are oil shows in the section in your
15 target interval where you intend to drill these wells;
16 is that correct?

17 A. Yes.

18 Q. Did you rely on this mud log to select and
19 pursue the 2nd Bone Spring target interval?

20 A. We did.

21 Q. And has Chisholm drilled successful wells with
22 less gross thickness?

23 A. Yes.

24 Q. Can you please turn to your Exhibit 20 and
25 review this exhibit for the Examiners?

1 A. Okay. Exhibit 20 is a -- is a view of our well
2 we drilled in the Lea South Federal, 2BS, 10H well.
3 It's in the yellow box up in Township 20 South, 34 East,
4 Section 27. It's approximately 7.5 miles from our
5 proposed Grama Lower 2nd Bone Spring well. The well is
6 landed in the same target interval. It was completed in
7 October of 2017, at a rate of over 1,600 barrels a day
8 of oil and 1.4 million cubic feet of gas per day.

9 **Q. What was the gross thickness in this section?**

10 A. Approximately 25 feet in the target interval.

11 **Q. Of gross thickness in the target interval?**

12 A. Yes.

13 **Q. And why were you able to successfully drill**
14 **with this relatively low gross thickness?**

15 A. We were able to keep the horizontal well in the
16 zone.

17 **Q. And how were you able to do that?**

18 A. With our geosteering.

19 **Q. Let's look at Exhibit 21. Is this a log**
20 **showing the gross thickness of the Lea South well?**

21 A. Yes.

22 **Q. Okay. And this shows that there is**
23 **approximately 25 feet of the gross thickness in the 2nd**
24 **Bone Spring -- Lower 2nd Bone Spring interval; is that**
25 **correct?**

1 A. Yes. The C well is the least vertical well
2 control well, and this well at the C prime is our Grama
3 well, control well. So you can see the -- it's a
4 stratigraphic cross section hung on the base of the
5 Lower 2nd Bone Spring Sand and I've highlighted our
6 target interval in yellow and the target interval that
7 was used in the Lea South well is also in yellow.

8 **Q. You mentioned you were able to stay in zone due**
9 **to geosteering. Can you please discuss that just a**
10 **little bit more?**

11 A. Yes.

12 **Q. And we can turn to Exhibit 22 for that**
13 **explanation.**

14 A. Exhibit 22 is just an example of our Lea South.
15 It was our postmortem study on our Lea South horizontal
16 well. And what you see here on the left side is the
17 geology, the surfaces that the geologist put into the
18 software. The blue up top, the base of the blue is the
19 base of the carbonate below the 1st Bone Spring Sand.
20 The next interval he put in was our 25-foot target
21 interval, which is highlighted in green. You've got our
22 directional drilling plan on there and our actual
23 drilling survey that's posted on the green target
24 interval. And then to the right, it shows how we
25 utilize our resistivity data, our gamma-ray data while

1 we're drilling, and we can correlate to our type log and
2 we know exactly where we are in zone. And I believe
3 that has been one of the reasons we've been successful
4 in placing our laterals out here.

5 Q. Is geosteering technology a focus for Chisholm?

6 A. Very much so.

7 Q. And you mentioned that the geology in this area
8 is similar; is that correct?

9 A. That's correct.

10 Q. So similar target Lower 2nd Bone Spring Sand,
11 similar geology, lower gross isopach thickness -- or
12 lower gross thickness. And you were able to
13 successfully drill and complete this well?

14 A. Yes.

15 Q. Based on your analysis and your geosteering
16 capabilities, will the 2nd Bone Spring, in your opinion,
17 be productive?

18 A. Yes.

19 Q. And are you as confident of your ability to
20 stay in zone?

21 A. Yes.

22 Q. Have you also requested seismic for the subject
23 area?

24 A. We have.

25 Q. And will you review that prior to drilling and

1 completion of the wells?

2 A. Yes.

3 Q. And the seismic will provide final confirmation
4 of your ability to stay in zone; is that correct?

5 A. Yes, it will.

6 Q. Based on your geologic study of this area, have
7 you identified any impediments to drilling horizontal
8 wells?

9 A. No.

10 Q. And do you believe that the area can be
11 efficiently and economically developed by horizontal
12 wells?

13 A. Yes.

14 Q. Do you believe that each of the proposed
15 nonstandard units will contribute on average more or
16 less equally for production in the well?

17 A. Yes.

18 Q. And in your opinion, is granting Chisholm's
19 applications in the best interest of conservation, for
20 the prevention of waste and the protection of
21 correlative rights?

22 A. Yes.

23 Q. Were Exhibits 10 through 22 prepared by you or
24 compiled under your direction and supervision?

25 A. Yes, they were.

1 MS. KESSLER: Mr. Examiner, I'd move
2 admission of the Exhibits 10 through 22.

3 MR. HALL: No objection.

4 MR. BRUCE: No objection.

5 MR. CASHON: No objection.

6 MR. STANGER: No objection.

7 EXAMINER McMILLAN: Exhibits 10 through 22
8 may now be accepted as part of the record.

9 (Chisholm Energy Exhibit Numbers 10
10 through 22 are offered and admitted into
11 evidence.)

12 EXAMINER McMILLAN: Cross-examination.

13 CROSS-EXAMINATION

14 BY MR. HALL:

15 Q. Mr. Francis, you were not saying, are you, that
16 drilling at Section 34 as Chisholm proposes is without
17 geologic risk?

18 A. That's correct.

19 Q. What constitutes the risk that you see?

20 A. Say that again. Restate the question so we're
21 both clear.

22 Q. Do you see geologic risk in drilling Section
23 34?

24 A. I see no more geologic risk in Section 34 than
25 I've ever seen drilling any horizontal well in my

1 career.

2 Q. All right. And is there any mechanical risk
3 that you foresee?

4 A. I will defer to our Operations Group.

5 Q. Okay. I hope you can help me understand your
6 nomenclature for your intervals. If you would turn to
7 -- it's Exhibit 11 and log wells you looked at -- you
8 identify them the attribute map wells. You have the 3rd
9 Bone Spring Lower, and then those are blue --

10 A. Yeah.

11 Q. -- and then the top Lower 3rd Bone Spring Sand.
12 Are those identifiable on Exhibit 13, your cross
13 section? Make sure I understand where --

14 A. Yeah. The -- let's see? So I'll -- I'll
15 explain my attributes. The blue dot is the Lower 3rd
16 Bone Spring horizontal producer, is noted by the blue.
17 And the purple is actually a well that I used data from
18 to construct the map.

19 Q. Okay. All right. That helps me. Thank you.

20 MR. HALL: I have no more questions.

21 MR. BRUCE: No questions.

22 MR. CASHON: No questions.

23 MR. STANGER: I have one question.

24

25

1 CROSS-EXAMINATION

2 BY MR. STANGER:

3 Q. In regards to -- I don't know whether
4 engineering is better to answer this. But how does the
5 proposed frac and completion that you-all are proposing
6 on this well compare to the offset wells that you cited
7 on the exhibits, your production rates --

8 A. Yeah.

9 Q. -- in regard to total volume, number of stages,
10 and stage separation?

11 A. Okay. I will refer to the operations engineer.

12 Q. Okay.

13 CROSS-EXAMINATION

14 BY EXAMINER McMILLAN:

15 Q. Okay. All right. The first question I've got
16 is: What were the parameters you used for the gross --
17 what parameters were used for the gross interval for the
18 3rd Bone Spring?

19 A. Gross interval for the 3rd Bone Spring. The
20 lower third?

21 Q. Yeah, whatever your target interval --

22 A. It's a -- we look at -- it's a carbonate above
23 it or a little -- using the resistivity and gamma ray
24 combination. We see carbonate marker that we lock into.

25 MS. KESSLER: Exhibit 14, Mr. Examiner.

1 **Q. (BY EXAMINER McMILLAN) So what signifies the**
2 **top, and what signifies the bottom?**

3 A. The top would be of the Lower 3rd Bone Spring
4 would be the dashed line.

5 **Q. Okay. And what is that?**

6 A. It's a -- it's a limey -- it's a little
7 carbonate we take our -- we've correlated that
8 throughout this localized area.

9 **Q. Okay. And then what's the base?**

10 A. The base is going to be that carbonate below,
11 the base of the 3rd Bone Spring Sand, that little
12 resistivity kick that you see on the red line.

13 **Q. And these are correlative markers throughout --**

14 A. Localized areas and you can take them --

15 **Q. -- within this area?**

16 A. -- oh, absolutely. Yes.

17 **Q. Okay. Same question for the 2nd Bone Spring.**

18 A. Sure.

19 **Q. Where am I?**

20 A. It would be Exhibit 17.

21 **Q. Yeah.**

22 A. So the red line is our -- what we call the top
23 -- of the lower 2nd Bone Spring. And, again, it bumps
24 up against the little limey carbonate zone. You see on
25 the resistivity logs and the gamma ray logs, the

1 green-dashed line is when we are identifying our target
2 interval. And it is even thinner carbonate, but we can
3 correlate throughout the area, the localized area. And
4 then the base of our target interval sits on another
5 carbonate, and it's noted by the black line.

6 Q. So both of these are correlative within the
7 area?

8 A. Yes.

9 Q. Now, the next question -- okay. I appreciate
10 that.

11 Here's -- the next question is: Looking at
12 your map, I don't see values for the wells. For
13 instance, I'm looking at Exhibit Number 11, and your
14 7400 contour comes through the well in the southeast
15 quarter of the southeast quarter of 22. How do we know
16 that's correct? Because this does not have the well log
17 values on it. So how are we assured these values are
18 correct?

19 A. I did not post those values on this map.

20 Q. So then you didn't -- how do we know these
21 values are correct?

22 A. I guess you have to trust me. I can get those
23 values. I just didn't post them to clutter up the map.

24 Q. We as Examiners don't know that these values
25 are correct if we don't see the log values.

1 A. Okay.

2 MS. KESSLER: We can supplement the record,
3 Mr. Examiner.

4 THE WITNESS: Yeah.

5 EXAMINER McMILLAN: Everyone has to agree
6 to that.

7 EXAMINER BROOKS: Well, I don't know. I
8 think you have the right to allow it if you think it's
9 necessary to get a complete record.

10 EXAMINER McMILLAN: Yeah. It has to be.

11 THE WITNESS: Okay.

12 MS. KESSLER: That would be on the
13 structure map or the --

14 EXAMINER McMILLAN: I want -- I picked this
15 one as an example, but then when I go to the isopachs, I
16 see the same thing.

17 THE WITNESS: Right. I can -- I can
18 certainly.

19 MR. HALL: What am I agreeing to?

20 EXAMINER BROOKS: Well, what I said was I
21 don't really think that it's necessarily required that
22 everybody agree to it to supplement the record. I think
23 the Examiner has the authority to order that. And the
24 question would be whether you object. If you object,
25 we'd make a ruling on it. But if not, then -- but it

1 doesn't -- I don't think it is something that can only
2 be done with the agreement of counsel. We would have to
3 consider any objections, but it is something the
4 Examiner can rule on.

5 MR. HALL: It's fine with us.

6 EXAMINER McMILLAN: Okay.

7 EXAMINER BROOKS: My understanding is the
8 issue was supplementing the record with additional log
9 data.

10 EXAMINER McMILLAN: Yes.

11 THE WITNESS: Or log values on the maps.

12 EXAMINER McMILLAN: Yes.

13 MS. KESSLER: What we'll do, Mr. Examiner,
14 is we'll simply resubmit these structure and isopach
15 maps with log values on them.

16 EXAMINER McMILLAN: Yes.

17 MR. HALL: Provided we would have leave to
18 see those and provide you with any response of a
19 rebuttal-type evidence that goes to the supplementation.

20 EXAMINER McMILLAN: Yes. So when can you
21 supply it to the -- to all affected parties?

22 THE WITNESS: I'll be in the office
23 tomorrow.

24 EXAMINER McMILLAN: Tuesday? Tuesday, all
25 affected parties, 4:00 p.m., Santa Fe time.

1 THE WITNESS: Okay.

2 MR. HALL: Well, so we want to see it and
3 respond to it.

4 EXAMINER McMILLAN: No. What I'm telling
5 you, you have to supply it to the affected parties.

6 MR. HALL: Right.

7 EXAMINER McMILLAN: We've got to get -- we
8 need to get the show on the road. The best way to do it
9 is set a definitive time where you will supply the data.

10 MR. HALL: And we'll be providing any
11 responses.

12 EXAMINER McMILLAN: Yeah. I'm just saying,
13 I want him to do that, and then we'll give you --

14 MR. HALL: I'm not working Christmas.

15 (Laughter.)

16 EXAMINER McMILLAN: We'll give you until --
17 I've got to think -- December 28th to respond? I mean,
18 or we can move -- we can be flexible on this.

19 MR. HALL: Okay. Sometime after New
20 Year's? I'm going to be gone.

21 EXAMINER McMILLAN: Until when?

22 MR. HALL: I should be back by the 3rd.

23 MS. KESSLER: Mr. Examiners, what if we
24 provided it Friday by 5:00 p.m., and then Mr. Hall will
25 have next week to review it?

1 MR. HALL: Next week is hard, Jordan. It's
2 an awful-looking docket.

3 EXAMINER BROOKS: Why don't we say January
4 6th?

5 MR. HALL: That's fine.

6 EXAMINER McMILLAN: Okay. January 6th.
7 That's fair.

8 EXAMINER BROOKS: That's on a Thursday.

9 **Q. (BY EXAMINER McMILLAN) Okay. The next question**
10 **I've got -- I'm going back to, I believe, Exhibit,**
11 **essentially, 13. How close is that interval to the**
12 **Wolfcamp -- target interval?**

13 A. The red line would sit just above the Wolfcamp.

14 **Q. So the base would be the Wolfcamp?**

15 A. Yes. That's what we call the -- really the
16 base of the 3rd Sand -- somewhere down there is the
17 Wolfcamp. It's very close to that red line.

18 **Q. Okay. Now, the question there becomes: Are**
19 **there any depth severances within the Wolfcamp? Through**
20 **the base of the Wolfcamp, are there depth severances?**

21 MR. SHELTON: I don't believe so. No.

22 EXAMINER McMILLAN: Okay. Just in case you
23 steer into it.

24 THE WITNESS: Right.

25 EXAMINER McMILLAN: We don't want to run

1 into that question of ownership.

2 Do you have any?

3 EXAMINER BROOKS: Not for this witness, no.

4 MR. CASHON: I have one more question.

5 EXAMINER BROOKS: I'm sorry. You have a
6 question?

7 MR. CASHON: I do have one more question.

8 EXAMINER BROOKS: Go ahead.

9 CROSS-EXAMINATION

10 BY MR. CASHON:

11 **Q. Mr. Francis, any other formations uphole or**
12 **downhole across 34 besides --**

13 A. Definitely potential. We're drilling a pilot
14 hole on that first well, and that's looking to be
15 through the Strawn. So that's why we want to get a
16 pilot.

17 **Q. Thank you.**

18 EXAMINER BROOKS: I said January 6th.
19 That's a Saturday. So that's wrong.

20 MR. HALL: Is that a Saturday? So say
21 January the 5th?

22 THE WITNESS: It's there. I've got to go
23 back and flip that button on in my programs.

24 MS. KESSLER: We'll call our next witness.

25 EXAMINER McMILLAN: Please proceed.

1 BRAD BURKE,

2 after having been previously sworn under oath, was
3 questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MS. KESSLER:

6 Q. Please state your name for the record, and tell
7 the Examiners by whom you're employed and in what
8 capacity.

9 A. Brad Burke, employed by Chisholm Energy.

10 Q. Have you previously testified before the
11 Division?

12 A. No.

13 Q. Can you please outline your educational
14 background?

15 A. I'm senior engineer.

16 Q. What is your educational background?

17 A. I graduated from Texas Tech University with a
18 Bachelor's of Science in petroleum engineering in 2009.

19 Q. What has your work history been since 2009?

20 A. After graduating with bachelor's degree, I
21 signed on with Range Resources, and I worked there until
22 March of this year in varying disciplines ranging from
23 reservoir engineering, completions, operations,
24 production, and drilling as well. Started out in
25 reservoir, worked varied basins Barnett-Marcellus,

1 Permian, Coalbed Methane in Virginia; switched to
2 Completion Productions, where I was sole engineer over
3 gang's field in the Permian Basin for completions and
4 production.

5 And then I have since switched to drilling,
6 drilled a couple of wells in that same field, as well as
7 in the Marcellus Mid-Continent area and the Powder River
8 Basin, and since then drilling completions for Chisholm
9 Energy in New Mexico.

10 Q. Approximately how many years of experience do
11 you have in the Permian Basin?

12 A. Three, four.

13 Q. Are you a member of any professional
14 associations?

15 A. Yes, I'm a member of Society of Petroleum
16 Engineers and ADE.

17 Q. And do you have any professional
18 certifications?

19 A. I passed Fundamentals exam.

20 Q. Are you familiar with the applications that
21 have been filed in these consolidated cases?

22 A. Yes.

23 Q. Have you conducted a study of the reservoir
24 basin operations that are the subject of this hearing?

25 A. Yes.

1 MS. KESSLER: Mr. Examiner, I tender
2 Mr. Burke as an expert in petroleum engineering.

3 MR. HALL: No objection.

4 MR. BRUCE: No objection.

5 MR. CASHON: No objection.

6 MR. STANGER: No objection.

7 EXAMINER McMILLAN: So qualified.

8 MS. KESSLER: Thank you.

9 Q. (BY MS. KESSLER) I'd like to turn to
10 Exhibit 23.

11 MS. KESSLER: It's very light in the
12 exhibit book. If you need a darker copy, Mr. Examiners
13 or Counsel, we have more legible copies.

14 Q. (BY MS. KESSLER) Mr. Burke, are you familiar
15 with the two AFES of Great Western?

16 A. Yes, ma'am.

17 Q. So they're included as Exhibit 23?

18 A. Yes.

19 Q. When were these received?

20 A. Um.

21 Q. Were they received with the well-proposal
22 letter of October 3rd, 2017?

23 A. As far as I'm aware, yes. They were supplied
24 to me by our land department.

25 Q. And it appears from the AFES that Great Western

1 intends to target the 3rd Bone Spring; is that correct?

2 A. That's correct.

3 Q. It's somewhat unclear, given that the name of
4 the 9H well is the Grama Ridge, East 32, State No. 9H
5 well; is that correct?

6 A. Yes, that was a little unclear.

7 Q. But you understand from their proposal letters
8 they are targeting the 3rd Bone Spring?

9 A. That's what I've been told, yes.

10 Q. What are the completed well costs to Chisholm's
11 four wells versus Great Western's two wells?

12 A. The totals for all four wells?

13 Q. Yes.

14 A. I have to flip back and get the exact totals.

15 Q. In Exhibit 6.

16 A. Okay. Starting out with the 3BS 2H, the total
17 well cost is at approximately \$5.1 million.

18 Q. Does that include the pilot hole?

19 A. Yes, ma'am, it does.

20 Moving over to the 3BS 3H, the total well
21 cost for that well is approximately \$4.3 million. The
22 2BS 8H is \$4.1 million total well cost, and the 2BS 9H
23 is a total of \$4.1 million, approximately.

24 Q. Okay. Now let's go to the Great Western
25 proposals.

1 A. Great Western's proposals for the 2BS 9H well,
2 the total proposal is for approximately \$6.1 million,
3 and for the 3BS 2H, it is approximately \$7.1 million.

4 **Q. Having reviewed the AFEs for Great Western's 2H**
5 **and 9H wells, what are the major differences in cost?**

6 A. Of course, there are always differences in how
7 we structure the AFEs, but the major ones that really
8 stood out to me were the acidizing fracture costs. For
9 example, on the 3BS 2H proposal, Great Western's
10 acidizing fracture or stimulation -- I believe, they
11 state it -- is approximately \$1.3 million higher.
12 Secondly, their coil tubing costs are AFE'd at \$445,000
13 higher. And their subsurface equipment, which they
14 call, I believe, liner, hanger, packer equipment -- I
15 believe is what they call it -- is about \$275,000 higher
16 on that well.

17 Flipping over to the 9H well, acidizing
18 fracture is about \$940,000 higher. Coil tubing cost was
19 \$357,000 higher, and subsurface equipment, about
20 \$240,000 higher.

21 **Q. So you have a \$1.9 million difference between**
22 **the two AFEs?**

23 A. Yes. And, obviously, they -- we are higher on
24 some areas, and they're higher on other areas. But that
25 is the difference I found.

1 Q. And you mentioned that the major difference is
2 in completions; is that correct?

3 A. Yes. All those things we file under
4 completion. That's correct.

5 Q. So as you understand it, Great Western has a
6 very different completion program than what Chisholm's
7 proposed, correct?

8 A. It's hard to say.

9 Q. You haven't spoken with Great Western regarding
10 their program?

11 A. No. I've not received any information from
12 Great Western regarding their stimulation.

13 Q. Are there cost savings associated with
14 simultaneously drilling four wells?

15 A. Absolutely. So there's two sides of it. So
16 one part of it is if you're pad drilling, you obviously
17 save money on rig moves, on your production equipment,
18 your tanks, et cetera. You save money on locations.
19 There's shared costs along wells whenever you do it that
20 way. And that's reflected in our AFE, as you can see.

21 Just as a quick example: Our roads and
22 locations, we have \$20,000 in there per well.
23 Originally, when we had, you know, multiple wells on
24 pads, those add up, versus the 90- -- I think,
25 98,000, I think is what I saw in the Great Western's,

1 where you're drilling one well, have to build a whole
2 pad for that one well. There's certain cost savings
3 like that that go along with it.

4 **Q. Are there cost savings associated with having a**
5 **single operator in whole sections?**

6 A. Yes. And several of those overlap into having
7 a single operator in the section. You're going to have
8 less wells -- or less pads to build because you don't
9 have two operators out there building pads, facilities
10 the same way. You have one set of facilities per pad,
11 and that's how we have it designed, versus setting the
12 facilities on each pad.

13 There is also a cost savings on rig moves.
14 So instead of moving a rig in and out -- two of us doing
15 that -- one of us brings it in, drills, moves over,
16 drills, and we see a significant cost savings there, as
17 well as having one gatherer come to the section. You
18 have one gas gatherer come pick up the gas at that
19 section. So there is cost savings there as well.

20 **Q. You mentioned cost savings associated with**
21 **savings and production.**

22 **Does Chisholm intend to seek approval for**
23 **commingled production in a single facility for each half**
24 **of the lease?**

25 A. Yes.

1 Q. You mentioned a single gas mine and that would
2 be another cost savings; is that correct?

3 A. Correct.

4 Q. In your opinion, are Chisholm's applications in
5 the best interest of conservation and prevention of
6 waste?

7 A. Yes, ma'am.

8 MS. KESSLER: Mr. Examiner, move admission
9 of Exhibit 23.

10 MR. HALL: No objection.

11 MR. BRUCE: No objection.

12 MR. CASHON: No objection.

13 MR. STANGER: No objection.

14 EXAMINER McMILLAN: Exhibit 23 may now be
15 accepted as part of our cross exam.

16 (Chisholm Energy Exhibit Number 23 is
17 offered and admitted into evidence.)

18 EXAMINER McMILLAN: Cross-examination?

19 CROSS-EXAMINATION

20 BY MR. HALL:

21 Q. Let's look at any of your Chisholm's AFEs. The
22 one for your pilot hole is fine.

23 Mr. Burke, please. And after the line
24 items, there is an approval page underlying each one and
25 -- well, I'll let you -- can you just summarize your

1 **plans for completing and stimulating these wells?**

2 A. Sure. So our plan is to case and cement a
3 5-1/2 inch string. We'll have that string run back to
4 the surface. We'll go in and do a typical plug-and-perf
5 completion, where you go in and perforate the casing,
6 stimulate it, and then set a plug over the top of that
7 and move to the stage -- perforate, stimulate, work your
8 way back.

9 **Q. All right. Could you elaborate on your**
10 **stimulation?**

11 A. What particularly are you --

12 **Q. Let's look at that approval page.**

13 A. Okay.

14 **Q. You're proposing a 315,000-pounds-per-stage**
15 **slickwater design resulting in a lateral treatment of**
16 **1,500 pounds per foot. Did I read that correctly?**

17 A. You did. Yes, sir.

18 **Q. Tell us what a slickwater design is.**

19 A. Slickwater simply means that it's going to be
20 fracked with water and then some friction reducer in
21 there, so the friction reducer makes it slick;
22 therefore, it's termed slickwater.

23 **Q. All right. And how did you arrive at 315,000**
24 **pounds per stage?**

25 A. That is based on experience in this basin, in

1 other areas. I mean, it's a number that we've pulled
2 based on looking at offset operators in this area,
3 offset data in this area, as well as past experience in
4 what an effective stimulation is.

5 **Q. And so you looked at offsets of other operators**
6 **drilled with --**

7 A. We looked -- essentially, what we've done is
8 taken the direct area. Typically, you know, we'll look
9 in Township and see what wells are drilled in that
10 formation, look at what other operators are doing and
11 use that as one data point in devising our stimulation.

12 **Q. Well, the stimulation technique was not the**
13 **same over time, was it? Did you encounter different**
14 **stimulation techniques, completion --**

15 A. Oh, sure, they're all over --

16 **Q. -- and what's the most recent comparable**
17 **slickwater frac of these sizes that you've seen in the**
18 **area?**

19 A. Well, I think that, you know, for me
20 personally, I'd point back to the wells we just recently
21 completed that Mr. Francis showed in the leased-out area
22 where we implemented the same exact technique on the 2nd
23 Bone Spring well.

24 **Q. Any others?**

25 A. Sure. There's a handful of them in the area,

1 and they range anywhere from 500 pounds a foot up to
2 2,000 -- 2,500 pounds per foot.

3 Q. All right. And in your capacity as the
4 engineer, you're seeing AFEs for well proposals by other
5 operators in the area on a regular basis; is that
6 correct?

7 A. I've seen a few.

8 Q. Okay. How many?

9 A. Three, maybe.

10 Q. Three. All right.

11 Of those three, are Chisholm's AFE costs in
12 line with what you're seeing from the other operators?

13 A. Again, AFE costs vary wildly. We've seen some
14 that are in line with us, and we've seen others that are
15 different.

16 Q. Is it accurate to say that Chisholm's AFE costs
17 are substantially lower than what you typically see?

18 A. Not always.

19 Q. Okay.

20 A. In this case, yes. I mean, we have Great
21 Western wells, and they're substantially higher.

22 Q. Okay. And did you undertake an analysis to see
23 why your AFE case deviated from what you've seen other
24 operators do?

25 A. I dove into the specific AFEs to see what major

1 differences there are and, again, you can only gather so
2 much from the one-line items on what people are lumping
3 into.

4 Q. All right. So you just compared the Great
5 Western and Chisholm AFEs. Any others?

6 A. I have not directly compared ours with anybody
7 else, no.

8 Q. In your response to a question from
9 Ms. Kessler, you indicated that there would be savings
10 from simultaneously drilling the four wells. What -- do
11 you plan to drill the four wells simultaneously?

12 A. Yes, simultaneously back to back. Not
13 simultaneously at the exact same time.

14 Q. Back-to-back. I understand.

15 A. Yeah.

16 Q. So will there be any period that will allow you
17 to evaluate the success of the first well before
18 starting another well?

19 A. No.

20 Q. Is that prudent?

21 A. Yes, I believe it is. With the data we have
22 in-house on geology, as well as the pilot hole we'll be
23 drilling and the data we receive off of that, I believe
24 it's prudent. I believe it's common practice.

25 Q. What situation could arise that would cause

1 **Chisholm to delay starting the second well based on the**
2 **results of the first well? What would you be looking**
3 **for?**

4 A. That would cause us to delay --

5 **Q. Yes.**

6 A. -- the drilling of the second well? I mean,
7 obviously, everything that we base our plans on is
8 geologically in what the formations look like, what our
9 logs look like. So that would be the biggest case, if
10 the log showed something other than what we expected or
11 detrimental to what we expected.

12 **Q. Anything specific?**

13 A. No. I'd have to let Bill answer that.

14 **Q. So all four wells are going to get drilled**
15 **back-to-back no matter what?**

16 A. That's the plan.

17 **Q. Okay. What about the other four wells you have**
18 **permitted out there?**

19 A. As Mr. Shelton stated, the plan is to drill
20 those in 2019 after a one-year delay, as we agreed with
21 CL&F.

22 **Q. Right. Right.**

23 **The completion and stimulation design that**
24 **you describe in the AFEs, is that something you brought**
25 **over from Range?**

1 A. No, sir. No, sir. I mean, this technique and
2 design has been developed since we got to Chisholm.

3 **Q. Okay. And you've employed it on how many**
4 **wells?**

5 A. We have completed nine wells.

6 **Q. Okay.**

7 A. All the same. Yes, sir.

8 **Q. All right.**

9 MR. HALL: Nothing further.

10 Thank you.

11 MR. BRUCE: Just one question.

12 CROSS-EXAMINATION

13 BY MR. BRUCE:

14 **Q. Are you going to drill all four wells and then**
15 **complete all four?**

16 A. Yes, sir.

17 **Q. Thanks.**

18 EXAMINER BROOKS: No questions.

19 CROSS-EXAMINATION

20 BY MR. CASHON:

21 **Q. Am I correct, Mr. Shelton, that your drilling**
22 **campaign begins July 2018?**

23 A. For these wells?

24 **Q. Yes.**

25 A. I believe on our latest schedule -- and this

1 shifts as rigs come off. The rigs and things, latest
2 schedule has them drilling in -- it's going to be
3 springtime. I think July is a little far back.

4 MR. SHELTON: They're sooner than that.
5 April, I believe.

6 THE WITNESS: Yeah.

7 Q. (BY MR. CASHON) I'm sorry. I couldn't hear
8 you.

9 A. April, I believe. Sometime in the springtime,
10 they'll be drilled.

11 Q. And then your follow-up fracking would happen
12 when?

13 A. It'll take us probably four months, roughly, to
14 drill them all, get everything off and bring completion
15 pretty quickly after that. So we'd be looking at early
16 fall. And obviously --

17 Q. To be finished --

18 A. Yes, sir, to complete drill-out, simultaneously
19 frac, drill and turn them on.

20 Q. What advantage is pad drilling? Is there less
21 surface disturbance?

22 A. Yes.

23 Q. So less impact?

24 A. The same with the pipeline as well.

25 Q. Right.

1 Who is your gas working for?

2 A. Who will be gas marketing?

3 Q. Gas marketing.

4 A. I don't know if we have an agreement in place
5 heading towards us. I'm just not sure if I'm at liberty
6 to say who it is.

7 Q. Very good.

8 But it's in the stages of planning right
9 now?

10 A. They're planning and actively working to get
11 our direction.

12 Q. Very good.

13 Are you responsible for running economics
14 on the wells?

15 A. No, sir.

16 Q. Okay. Thank you.

17 A. Thank you.

18 MR. STANGER: I had a question.

19 EXAMINER McMILLAN: Please proceed.

20 CROSS-EXAMINATION

21 BY MR. STANGER:

22 Q. You-all have a proposed frac and completion
23 design on these two 3rd Bone Spring wells. Can you
24 comment any on that, how that compares in total
25 volume -- volume per foot, number of stages, stage

1 separation, the total design as is compared to those
2 other 3rd Bone Spring wells that were cited on that
3 Exhibit 11 that you previously talked about?

4 A. Sure. So I don't have the data here right in
5 front of me, but based on what I've seen, there is a --
6 there is kind of a cluster of wells that are in the
7 1,000-pound-per-foot range. That is a cluster, 1,500
8 pounds per foot, and a smattering of wells above that
9 with higher pounds per footage. And I believe I would
10 say the majority of the wells have been drilled
11 1,500-foot -- pretty close between 1,000 pounds per foot
12 and 1,500 pounds per foot. We're not lumping them in
13 bins -- but most of them in those two bins are typically
14 in the 1,000-pounds-per-foot range and the
15 1,500-pound-per-foot range.

16 As far as number of stages, that's not
17 typically publicly released. So it's hard to say.
18 Typically what we get on the State Web site and top
19 perf, bottom perf, total volume of the fluid, total
20 volume -- other broken out 40, 47, whatever it is broken
21 out. Typically we see stages on offset wells. So I'm
22 not sure on that.

23 But I would say, overall, we fit pretty
24 well in the middle of where everybody's at or in that
25 1,500-pound-per-foot bin, where probably a majority of

1 people have been in the area.

2 Q. Well, on that Exhibit 11, there was a well in
3 Section 11 that you-all showed that its 30-day average
4 in the first 90 days was 66,000 barrels a month --

5 A. Yes, sir.

6 Q. -- as compared to -- there is another well in
7 the section, 32,000 barrels, and another one in Section
8 11 that was 14,000.

9 A. Yes, sir.

10 Q. To your knowledge, do you know whether the one
11 that was 66,000 barrels a month was completed any
12 differently than those other two?

13 A. I know as far as what their pounds per foot
14 was. And so the furthest east well, the one that's
15 14,000 barrels, 30-day IP, was completed with
16 approximately 1,500 pounds per foot. The next well
17 over, at 32,000 barrels of oil, that one was completed
18 at, I think, 655. It was in the 6- to
19 700-pounds-per-foot range, so quite a bit on the lower
20 range. The next one over is 66,000. The one you're
21 referencing was approximately 1,600 pounds per foot, and
22 then the furthest one to the west was around
23 2,000 pounds per foot. So it varies.

24 Q. Were they about -- were they approximately the
25 same in total volume? Total pounds?

1 A. No, because they're all the same length, so you
2 just take the pounds per foot, multiply it times --

3 **Q. Stimulated length wasn't the same --**

4 A. They were approximately. They were pretty
5 close.

6 (The court reporter requested the parties
7 speak one at a time.)

8 **Q. Never mind. Withdraw that question.**

9 MR. CASHON: I do have one other question,
10 though.

11 RE CROSS EXAMINATION

12 BY MR. CASHON:

13 **Q. Did you utilize any outside consultants or**
14 **anyone in coming up with the stimulation design or**
15 **anything, other than Chisholm personnel?**

16 A. Mr. Huling has been a part of that process as
17 well looking at offset wells. I mean, not in --

18 **Q. He works in-house as a --**

19 A. He is a consultant, so yes. I would think
20 that's the answer to the question.

21 **Q. And then just kind of a similar question: For**
22 **the 2nd Bone Spring -- that was on Exhibit 15 -- did**
23 **you-all also look at those offset wells in coming up**
24 **with your completion design there as well?**

25 A. Yes. And it's a similar story. You have a

1 grouping and in that 500 to 1,000 grouping and 1,500 and
2 2,000-plus wells. It's not a lot of variation across
3 those from what I've seen.

4 **Q. Okay. That's all the questions I have. Thank**
5 **you.**

6 A. Yes, sir.

7 CROSS-EXAMINATION

8 BY EXAMINER McMILLAN:

9 **Q. How did you figure out the cost for the title**
10 **for the wells on the AFE?**

11 A. How did we figure out how much it was going to
12 be?

13 **Q. Yes.**

14 A. So that's just based off of past experience and
15 past -- running title in the past. So that is in our
16 bond permits and inspections portion, line -- 8,500,
17 135. It's in there with --

18 **Q. Okay. So is it -- so what happens if you drill**
19 **the first well and then you don't drill the second well?**
20 **How would that cost affect -- how would that -- if you**
21 **drill the first well and you don't drill the second**
22 **well, then what happens to that line item in your AFE?**

23 A. To that particular one?

24 **Q. Yes.**

25 A. It will likely increase, as most of these will,

1 because, again, I split them out across the pad, across
2 the wells on the pad.

3 Q. So you are -- so you looked at 200,000 and you
4 estimate 250 to each?

5 A. Yes.

6 Q. Okay. And then so you're saying if you don't
7 drill the other wells, then you'll have -- then that
8 cost will proportionately go up --

9 A. Yes.

10 Q. -- for the undrilled wells?

11 Now, so you want to have -- you're going to
12 have one or two surface facilities?

13 A. We'll have -- we'll have one tank battery on
14 each location.

15 Q. Okay. And will you agree that each well will
16 be measured separately?

17 A. Yes. Each have their own test separator or
18 their own separation.

19 CROSS-EXAMINATION

20 BY EXAMINER BROOKS:

21 Q. I need you to clarify one thing. You said one
22 tank battery at each location, but you're going to have
23 only two pads --

24 A. Yes, sir.

25 Q. -- for four wells. So one tank battery on each

1 **pad or two tank batteries?**

2 A. Yes. One tank battery on each pad. Yes, sir.

3 Q. And that tank battery is going to be charged --
4 necessarily going to be charged to the first one you
5 complete, right?

6 A. It will be split out between the two wells.

7 Q. Okay. So the cost of it will be split out?

8 A. Correct.

9 CONTINUED CROSS-EXAMINATION

10 BY EXAMINER McMILLAN:

11 Q. And you're aware that for the, quote, infill
12 wells are going to be metered separately, also?

13 A. Yes, sir.

14 EXAMINER BROOKS: No questions.

15 EXAMINER McMILLAN: Okay. Thank you.

16 MR. HALL: Follow-up, if I might.

17 EXAMINER McMILLAN: Please proceed.

18 RE CROSS EXAMINATION

19 BY MR. HALL:

20 Q. Mr. Burke, I believe you said nine wells have
21 been completed. Did I have that right? Nine?

22 A. Yes, sir.

23 Q. Have those completions been reported to the
24 State by way of a sundry notice or anything?

25 A. Yes.

1 **Q. They're all available to us online?**

2 A. They've been submitted. Whether or not they're
3 online or not, I do not know.

4 **Q. Do you know when they might have been**
5 **submitted?**

6 A. I don't. That was done by regulatory
7 personnel.

8 **Q. I see. Okay.**

9 And then -- ask you about your well path
10 orientation. You have two going south, two going north.
11 Why is that?

12 A. I believe, originally, when we were looking at
13 developing this location, there is a road, and I don't
14 know which road it is. It cuts off the northwest
15 corner, so ideally, we would put them on the north side
16 just to save costs. Having them both in that -- with
17 that road coming through, it's not possible. So we
18 stuck one in the bottom corner.

19 **Q. Nothing further. Thank you.**

20 MS. KESSLER: Brief redirect.

21 EXAMINER McMILLAN: Please.

22 REDIRECT EXAMINATION

23 BY MS. KESSLER:

24 **Q. Mr. Burke, if you could turn to Exhibit 20.**

25 **Were you the -- this shows the Lea South Federal-Com 2BS**

1 **No. 2H well. Were you the billing and operations**
2 **engineer overseeing this well?**

3 A. Yes, ma'am.

4 Q. Did you prepare the AFE for that well?

5 A. Yes, ma'am.

6 Q. And did you hear, in Mr. Francis' testimony,
7 that the geology was similar and was also a 2nd -- Lower
8 2nd Bone Spring target?

9 A. Yes, ma'am.

10 Q. Did I hear you say earlier that you used the
11 exact same completion technique?

12 A. Yes, ma'am.

13 Q. What were -- do you remember what the actual --
14 what the AFE was on that well?

15 A. AFE on that well, and I'd have to give you an
16 approximate number, but it was approximately
17 \$4.2 million.

18 Q. And what were your actual costs on that well?

19 A. On that one in particular, we don't have all
20 the accounting costs back in, but we're estimating field
21 estimate costs of about \$4.4 million on those.

22 Q. So approximately 5 percent higher than your AFE
23 costs?

24 A. Yes.

25 Q. And that was an actual well that you were

1 **responsible for drilling, correct?**

2 A. Yes, ma'am.

3 Q. I think that you already said this, but for
4 Chisholm's well completion plan with -- did you say
5 315,000 pounds per stage?

6 A. That's correct.

7 Q. Does that fall within the range of completion
8 for immediate wells in this area?

9 A. Yes.

10 Q. And finally, I want to look back at Exhibit 1.
11 Does Chisholm have experience drilling multiple wells in
12 a particular area?

13 A. Yes.

14 Q. So the same technique of drilling
15 back-to-back-to-back and then completing?

16 A. Yes.

17 MS. KESSLER: Those are all the questions I
18 have. Thank you.

19 EXAMINER McMILLAN: Thank you very much.

20 MS. KESSLER: That is all of our direct.

21 EXAMINER BROOKS: Okay. You have no more
22 witnesses.

23 MS. KESSLER: We're reserving rebuttal.

24 EXAMINER BROOKS: Okay. Let's take a
25 recess then. I don't -- it's up to you or whoever wants

1 to weigh in on whether we take a lunch recess now or
2 brief recess to be followed by a lunch recess later.
3 But I would like to take a ten-minute recess.

4 EXAMINER McMILLAN: We're going to come
5 back at 12:30. That's the best way of doing things.

6 EXAMINER BROOKS: Well, I forgot. I have
7 one question -- I have one question of Mr. Chisholm --
8 not Mr. Chisholm -- Mr. Shelton.

9 (Laughter.)

10 LUKE SHELTON,
11 after having been previously sworn under oath, was
12 recalled, questioned and testified as follows:

13 RECROSS EXAMINATION

14 BY EXAMINER BROOKS:

15 Q. Are there any overrides in this title, other
16 than the gentlemen who are here present?

17 A. I believe so.

18 EXAMINER BROOKS: That's all.

19 MS. KESSLER: So you don't want to do any
20 of their witnesses before lunch?

21 MR. HALL: I prefer lunch.

22 EXAMINER McMILLAN: We have no idea how
23 long they're going to take. It makes more sense to do
24 them all in one shot.

25 MS. KESSLER: Okay.

1 (Recess, 11:15 a.m. to 12:40 p.m.)

2 MR. McMILLAN: Great Western would call its
3 first witness.

4 EXAMINER McMILLAN: Please proceed.

5 FOREST CARTER MUIRE,
6 after having been previously sworn under oath, was
7 questioned and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. McMILLAN:

10 Q. Good afternoon, sir. You've previously been
11 sworn in, correct?

12 A. Yes.

13 Q. Please state your full name and place of
14 residence.

15 A. My full name is Forest Carter Muire. I live in
16 Midland, Texas.

17 Q. And by whom are you employed and in what
18 capacity?

19 A. I'm employed by Great Western Drilling, Limited
20 as a land manager.

21 Q. Are you authorized to testify today on Great
22 Western's behalf?

23 A. Yes.

24 Q. Have you previously testified before the
25 Division or one of its examiners --

1 A. Yes.

2 Q. -- and had your credentials accepted and made a
3 matter of record?

4 A. Yes.

5 Q. Great.

6 Are you familiar with the applications
7 filed in these cases?

8 A. Yes, I am.

9 Q. And are you familiar with the land matters in
10 these cases?

11 A. Yes.

12 MR. McMILLAN: Mr. Examiner, I would tender
13 Carter Muir as an expert petroleum landman.

14 EXAMINER McMILLAN: Any objections?

15 MR. CASHON: No objections.

16 MR. STANGER: I don't think so. No
17 objections.

18 EXAMINER McMILLAN: So qualified.

19 MR. McMILLAN: Thank you.

20 Q. (BY MR. McMILLAN) Sir, would you briefly state
21 what Great Western seeks by the applications that it's
22 filed in these cases?

23 A. In Case Number 15875, Great Western seeks an
24 order approving a nonstandard oil spacing and proration
25 unit for the Bone Spring Formation comprised of the west

1 half-west half of Section 34, Township 21 South, 31
 2 East -- 34 East, New Mexico Prime Meridian, Lea County,
 3 New Mexico, and approving all mineral interests in the
 4 Bone Spring Formation underlying the nonstandard unit.
 5 The unit will be dedicated the to the Great Western's
 6 proposed Grama Ridge 34 State, 3rd Bone Spring No. 2H
 7 well.

8 In Case Number 15876, Great Western seeks
 9 an order approving a nonstandard oil spacing and
 10 proration unit in the Bone Spring Formation comprised of
 11 the east half-east half of Section 34, Township 21
 12 South, Range 34 East, New Mexico Prime Meridian, Lea
 13 County, New Mexico, including all mineral interest in
 14 the Bone Spring Formation underlying the nonstandard
 15 unit. The unit will be dedicated to Great Western's
 16 proposed Grama Ridge 34 State 2 Bone -- 2nd Bone Spring
 17 No. 9H well.

18 Q. Great. Thank you.

19 Have you prepared certain exhibits for
 20 introduction in this case?

21 A. Yes.

22 Q. Do you have those exhibits in front of you?

23 A. I do.

24 Q. Great. Let's take a look at Exhibit Number 1.

25 Are these the C-102s for the two wells that Great

1 **Western has proposed here?**

2 A. Yes.

3 **Q. And can you identify for us the surface and**
4 **bottom-hole locations for each of the proposed wells?**

5 A. For the Grama Ridge 34 State 2nd Bone Spring 9H
6 well, the surface location will be located 1,320 feet
7 from the east line, 275 feet from the south line.
8 Bottom-hole location will be 460 feet from the east line
9 and 330 feet from the north line of Section 34.

10 **Q. And how about for the other well?**

11 A. For the Grama Ridge East 34 State 3rd Bone
12 Spring 2H well, the surface location is 275 from the
13 north and 870 feet from the east -- west line, with a
14 bottom-hole location of 460 from the west and 330 from
15 the south line of Section 34.

16 **Q. And taking into account the landing points for**
17 **each of these wells -- let me take a step back.**

18 Do you know what the setbacks are for oil
19 wells in this pool?

20 A. It's 330 feet.

21 **Q. And keeping in mind or taking into account the**
22 **landing points for each of these wells, are the**
23 **locations proposed by Great Western within setbacks?**

24 A. Yes.

25 **Q. Can you briefly tell us what the primary**

1 **objective is for each of the proposed wells?**

2 A. The 34 State 3rd Bone Spring 2H well is a test
3 of a 3rd Bone Spring Formation located in the west
4 half-west half of Section 34.

5 The 34 State two 2nd Bone Spring 9H will be
6 a test of the 2nd Bone Spring in the east half-east half
7 of Section 34.

8 **Q. Okay. And are the proposed project areas**
9 **outlined in red in the C-102s in Exhibit 1?**

10 A. Yes.

11 **Q. And are project areas of this size established**
12 **for the Bone Spring Pool in this area?**

13 A. Yes.

14 **Q. Does Great Western own the right to drill on**
15 **each track that will be traversed by the wellbores?**

16 A. Yes.

17 **Q. Does Exhibit 2 -- turn to Exhibit 2 with me.**
18 **Is this an ownership breakdown for the subject acreage?**

19 A. It is.

20 **Q. And can you just review that for us?**

21 A. Currently, I guess prior to the recording of an
22 assignment from Eau Rouge into Chisholm, which I was
23 unaware about, Chisolm held 5.1 percent; Eau Rouge owned
24 37-1/2 percent; Great Western owned 43.75 percent;
25 Continental Land & Fur had 16.4 percent; and Timothy

1 MacDonald has a .015875 percent working interest in the
2 wells.

3 Q. And those are the same percentages for each of
4 the two project areas, correct?

5 A. Correct.

6 Q. When did Great Western first commence its
7 evaluation of the Bone Spring in this area?

8 A. Probably around 2013.

9 Q. Okay. Let's take a look at Exhibit 3. Do you
10 recognize this exhibit?

11 A. I do.

12 Q. And does this -- is this an area of the
13 development plat showing Bone Spring producers in the
14 vicinity of our subject acreage?

15 A. Yes, it is.

16 Q. Can you please describe for us the general
17 development pattern in the area?

18 A. Orientation of the horizontal wells on the plat
19 are in the north-south direction or south-north
20 direction, whichever you please. North-south.

21 Q. And is the stand-up orientation for Great
22 Western's wellbores consistent with the prevalent
23 development pattern in the area?

24 A. Yes.

25 Q. Does Great Western's development plan

1 potentially strand any acreage?

2 A. No.

3 Q. Is Great Western asking the Division to pool
4 any unjoined working interests and mineral interests
5 within the subject acreage?

6 A. Yes.

7 Q. In your -- in your work, did you find any
8 unleased mineral interest owners?

9 A. No.

10 Q. Okay. Did Great Western also seek the
11 imposition of 200 percent risk penalty against unjoined
12 working interests?

13 A. Yes.

14 Q. Do Great Western's applications seek to have
15 Great Western designated as the operator of these wells?

16 A. Yes. Of the wells that we've made application
17 for.

18 Q. Right.

19 A. Yes.

20 Q. Okay. Can you please discuss for us the
21 efforts that Great Western made to obtain the voluntary
22 participation of the unjoined working interest owners,
23 the mineral interest owners, in these proposed wells?

24 A. On October 3rd of 2017, we proposed two wells
25 that I previously described -- one in the east half-east

1 half, one in the west half-west half -- to test the 2nd
2 and 3rd Bone Spring formations. We also supplied a
3 joint operating agreement at the time and requested that
4 the parties review our joint operating agreement. And
5 that's basically what we did and made some calls, and
6 communications occurred between the parties.

7 Q. Okay. Let's look at Exhibit 4. Does this
8 appear to be a true and correct copy of the
9 well-proposal letter sent to the working interest owners
10 on October 3rd, 2017?

11 A. Yes.

12 Q. Okay. And in looking at Exhibit 4, am I
13 correct that there are two such letters, one for each of
14 the two proposed wells?

15 A. That's correct.

16 Q. And is there an AFE attached to each?

17 A. Yes.

18 Q. Were these letters sent to each of the working
19 interest owners listed in Exhibit 2?

20 A. Yes.

21 Q. And was there a correction that had to be made
22 to these letters subsequent to October 3rd?

23 A. Yes. On October 19th, we corrected the
24 description of the township. The original letter showed
25 the lands to be in 20 South. The correction then showed

1 the lands to be in 21 South.

2 Q. Do you recall hearing testimony this morning
3 from Chisholm's witnesses describing a certain confusion
4 as to whether these were 2nd Bone Spring or 3rd Bone
5 Spring wells based upon the well-proposal letters they
6 had received?

7 A. I do.

8 Q. Can you address these letters and explain,
9 perhaps, explain away that confusion?

10 A. The Grama Ridge 34 State 3rd Bone Spring No. 2H
11 well is proposed as a test of the 3rd Bone Spring
12 Formation. It was to have a bottom hole and a total
13 vertical depth of 12,070 feet, which was to be entered
14 and tested for the Bone Spring also. That was the
15 pilot-hole well location, which is somewhat similar to
16 what Chisholm proposed to do at that same location, was
17 to drill a pilot-hole well.

18 The second proposal is a test of the --
19 this is the 34 State 2nd Bone Spring 9H well. It was to
20 be located in the east half-east half. It's a test of
21 the 2nd Bone Spring Formation. It had a bottom hole --
22 or total vertical depth of 10,275 feet, which did enter
23 the 3rd Bone Spring test, and, in fact, probably went
24 into the top of the Wolfcamp. We felt it was necessary
25 to at least penetrate that zone for further information.

1 That was not a pilot-hole well, but it is a 2nd Bone
2 Spring test, as opposed to the confusion that certain
3 parties thought it was a 3rd Bone Spring test.

4 Q. So to be clear, the Grama Ridge 34 State 2nd
5 Bone Spring No. 9H well is a 2nd Bone Spring well?

6 A. Correct. That's the first line of the letter.

7 Q. Okay. In your opinion, has Great Western made
8 a good-faith effort to locate all unleased mineral
9 interest owners and working interest owners and
10 communicate with them in order to obtain their voluntary
11 participation in the proposed wells?

12 A. Yes.

13 Q. And you made mention of some -- in addition to
14 the well-proposal letters -- you made mention of some
15 telephonic communications. Can you just give us a gross
16 on those communications?

17 A. We had conversations with Chisholm. I don't
18 remember exactly when they started, but there were
19 conversations with Chisholm. We also had several
20 conversations with Continental Land & Fur -- they were
21 one of the working interest owners -- concerning --
22 largely concerning the development plan of Chisholm and
23 the difference of opinion that Great Western had in
24 relation to that plan.

25 Q. Now, did you hear testimony earlier this

1 morning which Chisholm essentially characterized Great
2 Western's conduct as having contributed to or having
3 caused some delay to their plans beginning the summer of
4 2017 to the present day? Do you remember that
5 testimony?

6 A. I do, yes.

7 Q. Do you think that's a fair characterization of
8 Great Western's conduct during that time period?

9 A. I certainly don't. We told them early on we
10 had some reservations about the 2nd Bone Spring
11 Formation in general. That was one of our issues. We
12 also felt that we were concerned about the proposal,
13 initially of eight wells, all to be drilled
14 back-to-back. We thought that was probably way too much
15 money without the benefit of having a period of time to
16 evaluate the wells following the initial drilling of
17 maybe one or two. We thought that was an excessive
18 risk. And as a result of that conversation, I feel like
19 they later modified the proposal to propose that they
20 drill four wells back-to-back, two 2nd Bone and two 3rd
21 Bone.

22 There were discussions about the operating
23 agreement at the time. We felt like our operating
24 agreement was much more fair to the working interest
25 owners. It had -- our operating agreement initially had

1 a lower overhead rate of 8,000 for drilling wells and
2 800 for producing wells. They later modified that in
3 their second proposal of the operating agreement that we
4 received on October 24th to reflect that they were
5 requesting that the drilling rate be 7,500 and the
6 producing rate be 7,000 -- or 750.

7 Do you have some more questions for me?

8 Q. I do. That's enough for that one, and we'll
9 talk a bit more about the JOAs later.

10 Let's take a look at Exhibit 5. And I
11 believe we've actually seen this as part of the
12 Chisholm's exhibit package, but are these Great
13 Western's AFEs?

14 A. These are, yes.

15 Q. Okay. In discussion with the other interest
16 owners, did any of the interest owners indicate that
17 Great Western's estimated well costs were out of line?

18 A. No.

19 Q. What is the total for each proposed completed
20 well?

21 A. Great Western's Grama Ridge 34 State 3rd Bone
22 Spring second horizontal well have a total AFE cost of
23 \$7,125,000. That's the pilot-hole location. The Grama
24 Ridge 34 State 2nd Bone 9H well has a total cost of
25 \$6,072,000.

1 Q. Now, these are -- in your experience, are these
2 costs in line with what is being charged by other
3 operators in the area for similar wells?

4 A. Yes.

5 Q. And did you hear testimony this morning as to
6 Chisholm's AFEs?

7 A. Yes, I did.

8 Q. Okay. Well, we'll look at those in a moment.

9 Has Great Western made an estimate of the
10 overhead and administrative costs while drilling and
11 producing the well?

12 A. Yes, we have.

13 Q. What are those estimates?

14 A. Our estimates for a producing well overhead
15 rate was 8,000 a month, and then the producing rate was
16 \$800 a month.

17 Q. Okay. And are these costs in line with what is
18 being charged with other operators in the area?

19 A. Based on our experience having participated in
20 large horizontal wells in New Mexico at this depth,
21 those are accurate.

22 Q. They are accurate?

23 A. They are in line, yes.

24 Q. In line. Okay.

25 You may want to speak up a little bit for

1 the court reporter.

2 A. Yes, they are.

3 Q. And does Great Western recommend that these
4 drilling and producing overhead rates be incorporated
5 into the order that results from this hearing?

6 A. Yes.

7 Q. Does Great Western request that the order to be
8 issued in this case provide for an adjustment of the
9 drilling and producing overhead rates in accordance with
10 the current COPAS bulletin in the area?

11 A. Yes.

12 Q. Now, in your opinion, has Great Western acted
13 diligently to develop these reserves?

14 A. Yes.

15 Q. And to the extent that there were suggestions
16 of delay with respect to Great Western's development of
17 these reserves, suggestions made this morning in
18 Chisholm's testimony, did you want to address those as
19 far as why Great Western took the steps it did when it
20 took them?

21 A. Well, we felt like at some point we might be
22 force pooled and we did not see a force pooling coming
23 down the line. We did not want to initiate the force
24 pooling. I don't believe we received the force pooling
25 ordinarily as soon as you might expect it. It came much

1 later than we expected it. That was one issue.

2 There were negotiations going on about the
3 joint operating agreement. And we had reservations
4 about their development plans and their proposals to
5 complete the zones and the amount of frac stimulation
6 methods that they were to use. There were issues and
7 real concern. And that was the subject of my evaluation
8 and discussions with other parties.

9 Q. Okay. Now, it's -- is it your understanding
10 that Chisholm Energy has proposed well units that are in
11 conflict with the units proposed by Great Western?

12 A. Yes.

13 Q. Did Chisholm send well proposals to Great
14 Western with respect to their proposed units?

15 A. Yes.

16 Q. And have you reviewed those?

17 A. Yes.

18 Q. Have you seen Chisholm's AFES?

19 A. Yes.

20 Q. In your position as landman at Great Western,
21 do you see a lot of well proposals and AFES?

22 A. Yes.

23 Q. And in your opinion, are Chisholm's proposed
24 costs in line with what is being charged by other
25 operators in the area for similar wells?

1 A. No.

2 **Q. And why not?**

3 A. Because they're substantially less than what we
4 would see for some of the wells that have been recently
5 drilled successful in this area in particular. We felt
6 that Chisholm's AFEs were low and light on the amount of
7 the money to be spent on the fracture and stimulation,
8 and we were concerned that some of the other elements of
9 their frac proposals were not going to be sufficient to
10 demonstrate an economic rate of return for the
11 production on the wells.

12 **Q. Is it fair to say that of all the line items**
13 **showing on Great Western's AFEs that the greatest**
14 **differential with Chisholm's AFEs really arises with**
15 **respect to completion?**

16 A. Yes, it is.

17 **Q. Okay. What is your current understanding of**
18 **Chisholm's development plan?**

19 A. As I understand it, right now they have an
20 operating agreement that says they will drill one well.
21 They verbally indicated that they intend to drill four
22 wells in 2018. They've also entered a provision into
23 the amended operating agreement that they presented
24 after the initial operating agreement that was presented
25 that would have proposed that they wait for a year after

1 the completion of the last of the four initial wells
2 before they commence drilling another round of four
3 wells or another well. So there was a lag time between
4 the four wells of a year before they would commence
5 drilling the next four wells, but, in fact, they do
6 intend to drill eight wells.

7 Q. Okay. Let's look at exhibit -- I guess it's
8 Exhibit 6. Is this a compilation of Chisholm's well
9 proposals and AFEs for all eight wells that they
10 proposed?

11 A. Yes.

12 Q. And you've -- I think you previously testified
13 that you've taken a look at all of these.

14 A. Yes.

15 Q. And what is the total of the AFEs for all eight
16 of Chisholm's completed wells?

17 A. 34 million, I believe.

18 Q. And in your opinion, is this total proposed
19 cost in line with other wells -- similar wells in the
20 area?

21 A. No, sir.

22 Q. Okay. Having testified that Chisholm's well
23 costs are out of line in that they seem to be low, what
24 issues do you see arising with respect to Chisholm's
25 AFEs and their intent to drill these -- drill and

1 **complete these wells at such a low cost?**

2 A. I don't know how they can complete them at an
3 economic rate and provide a rate of return that is
4 acceptable for the investment of the capital they're
5 requesting to be made. I think that's the major issue
6 we would have. They also propose to drill multiple
7 wells back-to-back, as I said, without allowing time to
8 evaluate the production of wells prior to committing
9 more capital to drill the remainder.

10 **Q. Does that seem to be prudent to you?**

11 A. In my view, it's not prudent to drill four
12 wells back-to-back without a period of time to evaluate
13 them.

14 **Q. You previously testified that you took a look**
15 **at Chisholm's initial JOA, correct?**

16 A. Yes.

17 **Q. And then there was a second JOA; is that**
18 **correct?**

19 A. Yes. That's correct.

20 **Q. What kind of concerns arose from your review of**
21 **the initial JOA?**

22 A. Well, the initial JOA as I've indicated, there
23 were -- nonconsenting parties were not to be permitted
24 to have any kind of information related to the wells
25 that were drilled but they had understood might be

1 drilled when they signed the JOA.

2 Chisholm has no firm obligation to market
3 the production on behalf of the nonoperating parties.
4 Their initial overhead rate was \$10,000 for drilling
5 wells and \$1,000 for producing wells. That also
6 included, under the COPAS, that in addition to the
7 overhead rates, the employee costs, consulting costs,
8 professional services, legal costs, administrative costs
9 were to be direct charges to the working interest owners
10 outside of the administrative overhead rate that was
11 provided. So you'd be paying the \$10,000 plus all these
12 costs, which are commonly associated with administrative
13 overhead rates.

14 **Q. Okay. Upon reviewing the second proposed JOA**
15 **from Chisholm, did you see that Chisholm had remedied**
16 **all of these issues?**

17 A. They had lowered their overhead rate, but all
18 of these charges I did describe -- the employee costs,
19 the consulting costs, professional services, and
20 administrative costs -- were still to be direct charges
21 to the joint account of the working interest owners.

22 **Q. Uh-huh. And, again, those are not commonly**
23 **charged back to the interest owners?**

24 A. Not in our usual -- we certainly attempt to
25 avoid being double-charged overhead plus direct charges

1 for the same costs that are usually covered by the
2 overhead rates.

3 Q. When did you receive that second proposed JOA
4 from Chisholm?

5 A. Great Western received the second proposed JOA
6 on October 24th.

7 Q. Was that somewhat late in the game to your --

8 A. I knew that it was being negotiated, and I knew
9 some of the key elements. But I did not personally
10 receive a copy of that thing until October 24th.

11 Q. Okay. And, of course, ultimately, Great
12 Western did not sign the JOAs?

13 A. We did not sign it.

14 Q. Okay. Did you hear this morning testimony
15 suggesting that one of the Great Western's reasons for
16 negotiating with Chisholm was simply because Great
17 Western wanted more money?

18 A. I did hear that, yes.

19 Q. And is that a fair characterization?

20 A. I certainly don't believe it is. They had made
21 an initial offer in the area and they supplemented it
22 with another offer. I don't think we actually responded
23 in any favorable manner. We certainly didn't
24 counterpropose any offer that they made.

25 Our main interest was avoiding being in any

1 wells that Chisholm was proposing to drill. One,
2 because of their experience in the area, their costs
3 seems to be out of line on the assessment. And their
4 costs for administrating and operating the wells and the
5 overhead was extremely unusual. So we wanted to avoid
6 that.

7 We had proposed in our negotiations that we
8 cross-assign interest. Great Western would have
9 assigned more acreage to Chisholm than it would have
10 taken in cross-assignment. They would have gained an
11 extra 12 acres in the cross-assignment, such that Great
12 Western would have ended up one 320-acre unit and
13 Chisholm would have ended up with the other 320-acre
14 unit.

15 We would have ended up with less than 83
16 percent of the one, and I think they would have had more
17 than that because we would have cross-assigned to them a
18 greater number of net acres. We thought that was a
19 reasonable thing to do, but they did not. That was our
20 effort to avoid being in a well that they would be
21 drilling.

22 **Q. So ultimately, that offer was rejected, and**
23 **here we are today, right?**

24 A. That's basically right.

25 **Q. Okay. Let's discuss the role of Advance Energy**

1 **Partners in all this. Advance recently intervened in**
2 **this case, correct?**

3 A. They did.

4 **Q. And to your understanding, why?**

5 A. Advance is interested in acquiring acres in the
6 area and they'd like to buy Great Western's position in
7 this section.

8 **Q. If you'll turn with me to Exhibit 7, does this**
9 **appear to be a true and correct, although redacted, copy**
10 **of a letter agreement with Advance?**

11 A. Yes.

12 **Q. When was this agreement entered into?**

13 A. Advance made an offer on December 6th or by
14 letter dated December 6th, and Great Western made
15 acceptance of that letter December 11th.

16 **Q. So very recently, correct?**

17 A. Very recently.

18 **Q. Broadly, what are the terms of the transaction?**

19 A. The terms are that they would -- they proposed
20 to buy Great Western's interest with an effective date
21 of the December 1 to be closed on or about February 2nd,
22 and they would then participate with Great Western in
23 this hearing in addition to doing normal due diligence.

24 **Q. So I guess the question we all have -- and**
25 **perhaps you've testified to this in some way previously**

1 -- but why did Great Western decide to sell its assets
2 here to Advance?

3 A. Largely, we were unable to finalize negotiation
4 with Chisholm to avoid being in the wells that they were
5 proposing to drill and complete we felt was not in our
6 economic best interest.

7 Q. Okay. And so what would Advance's role be
8 going forward should the provision grant Great Western's
9 application and deny Chisholm's?

10 A. Advance would assume operations. The permits
11 would be transferred to Advance, and then they would
12 propose to -- engage in their development operations.

13 Q. Okay. In your opinion, sir, would the granting
14 of Great Western's applications and the denial of the
15 Chisholm's competing applications be in the best
16 interest of conservation the prevention of waste and the
17 protection of correlative rights?

18 A. Yes.

19 Q. Were Exhibits 1 through 7 prepared or compiled
20 by you or at your direction and control?

21 A. Yes.

22 MR. McMILLAN: Mr. Examiner, at this time,
23 I would tender Exhibits 1 through 7 for admission.

24 MS. KESSLER: No objection.

25 MR. CASHON: No objection.

1 MR. STANGER: No objection.

2 EXAMINER McMILLAN: Exhibits 1 through 7
3 may now be accepted as part of the record.

4 (Great Western Exhibit Numbers 1 through 7
5 are offered and admitted into evidence.)

6 MR. McMILLAN: That concludes my direct
7 examination.

8 EXAMINER McMILLAN: Cross-examination?

9 MR. RANKIN: Thank you, Mr. Examiner.

10 CROSS-EXAMINATION

11 BY MR. RANKIN:

12 Q. Good afternoon, Mr. Muire. How are you today?

13 A. I'm good.

14 Q. I have a few questions for you. I want to step
15 through them one at a time. And forgive me if I take a
16 moment to get my thoughts in order as we walk through my
17 questions.

18 But first let's talk about -- I'd like to
19 address your testimony regarding your efforts to reach
20 agreement on your proposals and your AFEs --

21 A. Okay.

22 Q. -- to the parties in the spacing units.

23 A. Okay.

24 Q. If I understood correctly, you indicated that
25 your -- your efforts to reach agreement were based on

1 the proposal letters --

2 A. Correct.

3 Q. -- the AFEs, and calls and communications
4 between the parties; is that correct?

5 A. That's correct.

6 Q. Okay. And with respect to Chisholm, what were
7 your efforts subsequent to the issues of your proposal
8 letters?

9 A. I think most of our efforts probably occurred
10 prior to the issuance of our proposal letters and after
11 the issuance of our proposal letters largely to
12 negotiate a settlement of our differences.

13 Q. But did you during that time ever specifically
14 negotiate the terms of your well proposals or your AFEs?

15 A. I don't remember -- I think we definitely
16 talked about their low volume tracks and frac costs
17 being out of line and we felt like ours were in line
18 and, therefore, that justified the extra expense
19 associated with our --

20 Q. But with respect to your well proposal and your
21 AFEs, did you negotiate with Chisholm over those
22 proposals or just --

23 A. I didn't -- I didn't hear that they had any
24 large objections to our AFEs in the first place. There
25 was no grounds for -- or no reason to have negotiations

1 directly with them. They didn't have a problem with my
2 AFEs. At least there was nothing stated.

3 Q. But after you submitted the proposals -- let me
4 back up.

5 The date that you issued those proposals
6 was after the applications to pool was filed in this
7 case, correct?

8 A. Yes. That's correct.

9 Q. Okay. So what was the reason for issuing those
10 well-proposal letters at that point?

11 A. We felt like we needed to engage in a
12 competitive force pooling application to support our
13 claim that their method of the developing a section, we
14 didn't agree with it. We felt like we only needed
15 initially to propose the two wells we proposed under a
16 joint operating agreement that would then provide for
17 the subsequent drilling of additional wells at a later
18 time after allowing for a thorough evaluation on the
19 first two wells that had been drilled -- one east
20 half-east half and one in the west half-west half --
21 which is a means to delineate the development on the
22 section.

23 Q. So wait -- when you proposed those wells, did
24 you intend to drill them?

25 A. Yes. Eventually, we would have definitely

1 drilled them if we were successful in the force pooling,
2 or if we became the operator, we would have drilled
3 them.

4 Q. Okay. And has Great Western ever drilled a
5 horizontal well in the Bone Spring before?

6 A. Not Great Western.

7 Q. Okay. And has it ever -- so it's never drilled
8 a horizontal well in the 2nd Bone Spring?

9 A. No. It has not -- not -- or in the 3rd Bone
10 Spring.

11 Q. So the purpose of the well-proposal letters
12 after the filing of these applications was a defensive
13 posture, correct?

14 A. Yes, it was. We do -- we did intend to bring
15 another operator. We had discussions with Mewbourne,
16 and they were certainly behind our efforts, you know,
17 that we would have been assigned our permits to
18 Mewbourne. Mewbourne had made an offer to acquire our
19 interest in that section, which would have resulted in
20 Great Western retaining an interest in that section
21 under the proposed swap that I discussed a minute ago
22 where we would cross-assign interests.

23 We would have then removed ourselves from
24 Chisholm's operations, and it would have been under a
25 320-acre unit in that section and additional acres

1 operated by Mewbourne. We thought that was a better
2 position to be in with respect to the money we wanted to
3 spend.

4 Q. Okay. So going back to your proposal letters
5 though -- any contractor that you may have reached
6 agreement with to drill a well, would they have followed
7 your plans to drill, or would they have had their own
8 plans to drill?

9 A. Well, we filed AFEs. Mewbourne had more or
10 less reviewed our AFEs. They were willing to operate
11 under the AFEs that we used and proposed.

12 Q. Okay. But Mewbourne's not part of the AEP.

13 A. They are not. That is correct.

14 Q. Does AEP agree with your proposal to drill
15 these wells and the completions that you've proposed?

16 A. Yes, they do.

17 Q. So AEP's intent, if they were called to
18 testify, would be that they intend to follow the well
19 plans proposals that you've laid out in the exhibits?

20 A. That's correct.

21 Q. So are you -- Mr. Muire, you testified that you
22 are -- have been qualified previously as an expert in
23 petroleum land matters; is that correct?

24 A. Yes.

25 Q. But you have no expertise in planning well

1 **completions or well designs?**

2 A. I'm a landman. I'm not an engineer. I don't
3 profess to have that expertise necessary to design a
4 frac technique.

5 Q. Okay. So your testimony about -- your
6 **concerns on Chisholm's fracture and stimulation program**
7 **is not based on any expertise that you have?**

8 A. It's based on the information that was supplied
9 to me by Great Western's engineering staff and geologic
10 staff and Mewbourne's geologic and engineering staff.

11 Q. But you didn't independently evaluate
12 **Chisholm's fracture stimulation plan?**

13 A. I did notice that their costs were remarkably
14 less than what I normally have seen on a number of 3rd
15 Bone and 2nd Bone Spring that Great Western participated
16 in recently.

17 Q. Have you ever conducted a study to evaluate the
18 **effectiveness of the various types of completions**
19 **against production?**

20 A. No.

21 Q. So you have no idea whether or not those costs
22 **are --**

23 A. I would rely on the testimony of the
24 engineering staff.

25 Q. Let me finish my question. You have no idea

1 **whether or not those costs result -- those lower costs**
2 **result in poor performance?**

3 A. I personally am not capable of making that
4 analysis. I have to rely on the judgment of engineers
5 that work with the same company I do.

6 Q. **So your testimony wasn't based on that kind of**
7 **study. You didn't do that.**

8 A. I did not do the analysis, but I did look at
9 the cost.

10 Q. **Okay. So you think higher costs would be**
11 **better?**

12 A. I do.

13 Q. **Okay. Prior to Chisholm's proposals to develop**
14 **Section 34, what were Great Western's plans --**
15 **development plans for this section?**

16 A. Initially, we would drill the two wells that we
17 proposed. Wait a period of time following that,
18 conceivably a year or so, to determine what the
19 productivity of the initial tests would be --

20 Q. **Okay. I thought you told me --**

21 A. -- under a joint operating agreement.

22 Q. **-- I thought you told me that the well**
23 **proposals that you issued were sent after Chisholm had**
24 **proposed its wells?**

25 A. They were.

1 Q. On the application?

2 A. That's correct.

3 Q. So did Great Western have those plans to drill
4 those wells at some point before?

5 A. We -- I don't remember exactly when we drew up
6 our AFEs. There is a date on the AFEs that were drawn
7 up. There was a period of a few weeks in there where we
8 were discussing with other operators in the area to
9 develop the AFEs.

10 Q. Would you mind referencing -- pointing that out
11 to me in the exhibits where it was, where it was
12 referenced?

13 A. What do you want to know? I'm sorry.

14 Q. I asked -- the question is: When did Great
15 Western develop its plans -- come up with its plans to
16 develop Section 34? And I thought your testimony was
17 that the proposal letter went out of after Chisholm had
18 --

19 A. It did.

20 Q. -- filed its applications?

21 A. It did. It came.

22 MR. HALL: Hang on just a second.

23 EXAMINER McMILLAN: Excuse me. Please
24 speak to her. That's all I'm asking.

25 Q. (BY MR. RANKIN) So I just want to make clear:

1 **When did Great Western come up with its plans to develop**
2 **Section 34?**

3 A. Within -- after we received -- initially after
4 we received Chisholm's proposals to drill eight wells
5 back in July. In that time frame and prior to our well
6 proposals, we were reviewing quite a bit of the
7 different information in a very general manner, and then
8 toward the end of that, we narrowed down to what we want
9 to propose and use as AFEs.

10 Q. Okay. So prior to Chisholm's proposals, Great
11 Western didn't have any plans to develop Section 34?

12 A. Not at that time, no.

13 Q. You testified -- and correct me if I'm wrong --
14 that Great Western did not want to initiate forced
15 pooling for Section 34; is that correct?

16 A. That's correct.

17 Q. Okay. And is that because Great Western didn't
18 have any -- my understanding would be that it was
19 because Great Western didn't have any plans to develop
20 in this section; is that right?

21 A. We developed our plans after we received the
22 eight applications of Chisholm. That was in reaction to
23 Chisholm's proposal --

24 Q. And --

25 A. -- which we thought and I've discussed why we

1 didn't agree with the proposals.

2 Q. -- I think you also said that Great Western had
3 expected to be -- have an application for force pooling
4 or for a well proposal for that section; is that right?

5 A. I believe so.

6 Q. And I believe you testified that Great Western
7 -- that Chisholm's application of proposals came sooner
8 than Great Western had expected?

9 A. Their forced pooling applications -- no. They
10 came later than I expected them to. I would have
11 thought they'd come in much sooner.

12 Q. Sooner during the course of your negotiations?

13 A. Yes. Yes. After the 30-day period lapsed
14 where there were some negotiations. Yeah.

15 Q. Okay. And that was because they continued to
16 try to negotiate with Great Western to reach a deal; is
17 that correct?

18 A. That's correct.

19 Q. So assuming the total value -- total cost for
20 the eight wells that Chisholm was proposing --
21 originally proposed, you agree with me, don't you, that
22 they modified their proposal to eliminate four of those
23 wells from their proposals; is that correct?

24 A. Under the forced pooling, yes.

25 Q. And they did that in response to the

1 negotiations -- partly in response to the negotiations
2 with Great Western over your concerns; correct?

3 A. Yes. That's correct.

4 Q. Does Great Western have any rigs currently
5 running in the Permian Basin?

6 A. We do, yes. Most recently, we did not -- we
7 just TD'd one the other day. The rig's been removed.

8 Q. Is that a vertical well or --

9 A. It's a vertical well, correct.

10 Q. So Great Western has one rig running in the
11 Permian?

12 A. We're nonoperator in a large number of wells
13 drilled by a number of -- of other operators that we --
14 we do have our own operating program, but more than half
15 of our activity is nonoperating.

16 Q. And for those wells that you are operating, do
17 they tend to be vertical versus horizontal wells?

18 A. Most of our operations are vertical. We're
19 planning two horizontal wells in the next -- before --

20 Q. Separate from these?

21 A. Separate from these, correct, that we would
22 operate.

23 Q. Now, I want to just talk a little bit about
24 Chisholm's good-faith efforts to negotiate their
25 proposals and their AFEs. And just to be clear,

1 Chisholm originally proposed to drill eight wells
2 back-to-back-to-back within Section 34?

3 A. Right. Uh-huh.

4 Q. You initiated -- you expressed concerns that
5 that was too many.

6 A. Yes, we did.

7 Q. And as a result, they modified their proposal
8 to just four wells?

9 A. They also had objection to -- Continental Land
10 & Fur also had the same objection Great Western did to
11 the eight. And Continental was involved in some of the
12 same negotiations. So it was not simply Great Western
13 having the issues.

14 Q. As a result of those discussions, they conceded
15 and modified the plans just to drill four wells?

16 A. Correct.

17 Q. And on the cash deal, is it correct that
18 Chisholm made an offer of cash for Great Western's
19 interest in Section 34?

20 A. They did.

21 Q. And was your recollection that that offer was
22 for approximately \$500 an acre?

23 A. That was the first offer, yes.

24 Q. Did Great Western ever formally respond to that
25 offer?

1 A. Not initially, no.

2 **Q. Did it ever?**

3 A. We later got a second offer, and I asked if
4 that was their last offer, basically. And they said,
5 Basically, that's our last offer. And we did not
6 counter anyway.

7 **Q. At no time did you make a counter to their**
8 **offer?**

9 A. No, we did not. As I said, our main concern
10 was avoid being in drilling applications with Chisholm's
11 operator. We wanted to keep an interest, not sell.
12 That was what we were trying to accomplish.

13 **Q. Did you explain that to them?**

14 A. Yes, we did. They knew -- in fact, we made the
15 counterproposal to Chisholm to swap net acreage where we
16 would be the operator of one 320, and they would be the
17 operator of the other 320.

18 **Q. But now you've made a deal to sell your**
19 **interest in whole to AEP; is that correct?**

20 A. That is correct, largely due to our inability
21 to reach a negotiated settlement with Chisholm.

22 **Q. Okay. Now, on discussing their plans, you**
23 **expressed that you had concerns about the geology, as**
24 **well as the technical aspects of their experience; is**
25 **that correct?**

1 A. That's correct.

2 Q. Okay. And did -- you heard -- you were present
3 for the testimony of Mr. Shelton earlier this morning?

4 A. Yes.

5 Q. Did you hear Mr. Shelton testify that he had
6 made an offer to set up a meeting between Great Western
7 and Chisholm to discuss their technical plans and
8 technical abilities and experience?

9 A. Yes, I did.

10 Q. And did Great Western ever take them up on that
11 offer?

12 A. They did previously send us a PowerPoint that
13 laid out their entire development plan and their geology
14 and we reviewed that and had some phone conversations.
15 We really didn't think we needed to have a full-blown
16 meeting and we just didn't elect to do that. It was not
17 worth our time, I guess, basically.

18 Q. But did -- you continued to have questions
19 after they presented you with their full geology or
20 development plans?

21 A. Yes.

22 Q. But did you express those questions or concerns
23 to Chisholm at the time?

24 A. Yes, yes.

25 Q. And you don't think they would have been

1 **resolved through a meeting to review?**

2 A. Not necessarily, no. I mean, they did, you
3 know, come back with a full well proposal.

4 MR. RANKIN: All right. I think that's it,
5 Mr. Examiner, for my questions.

6 EXAMINER BROOKS: I think Mr. Bruce jumped
7 ship.

8 MR. HALL: Yeah. He said he had to go.

9 MR. STANGER: No questions right now.

10 MR. CASHON: No questions.

11 CROSS-EXAMINATION

12 BY EXAMINER McMILLAN:

13 Q. **Okay. My first question is: Your 8,000 and**
14 **800 for your operations and drilling costs, where are**
15 **you -- where are you getting that information from?**

16 A. We participate in a lot of the different
17 horizontal wells, and that's more or less in line with
18 many of the wells we're already in as a nonoperator.

19 Q. **Okay. Have you looked at any compulsory**
20 **poolings for one-mile horizontal Bone Spring wells in**
21 **New Mexico, what the rate is?**

22 A. No, not recently. I have not.

23 Q. **Okay. I just want to make sure I'm clear on**
24 **something. The 34 BS 2H, is that the pilot hole?**

25 A. Yes, sir, at a total vertical depth of 12,070

1 feet.

2 Q. Okay. I understand.

3 You have no objections -- so do you have
4 interest in the entire section?

5 A. Yes. It's undivided, 43.75 percent, in both
6 leases, whole section.

7 Q. So you have no objection to the compulsory
8 pooling in the east half of the west half and the west
9 half of the east half?

10 A. Our plan initially was to file a complaint of
11 forced pooling on the basis -- develop the unit. We
12 didn't want to file additional forced pooling on other
13 wells that we might not be willing to drill immediately.

14 Our proposal was to have parties in our
15 well sign the JOA that covered the whole section,
16 subsequent development in an orderly timely manner where
17 the parties make election under the provision of the
18 joint operating agreement with 300 percent nonconsent.
19 We didn't feel the need to force pool if we could make a
20 settlement under a joint operating agreement that would
21 later provide for the ordinary development of the unit
22 without causing four wells to be drilled immediately.
23 We thought that was inconsistent with our desire to see
24 the section developed in, you know, a little bit slower,
25 methodical manner.

1 **Q. So you have nothing of record of your objecting**
2 **to the two other project areas?**

3 A. We object to the notion that we're being forced
4 pooled under four units to drill four wells, but we
5 didn't file competitive applications. We did this in an
6 effort to negotiate a settlement of this.

7 MR. McMILLAN: Mr. Examiner, I may be able
8 to help here. Their pre-hearing statement does set
9 forth Great Western's objections to all four of
10 Chisholm's applications.

11 EXAMINER McMILLAN: Okay.

12 THE WITNESS: Sorry about that.

13 CROSS-EXAMINATION

14 BY EXAMINER BROOKS:

15 **Q. Like Chisholm, y'all did not give notice to the**
16 **overriding royalty owners; is that correct?**

17 A. I don't believe we did.

18 **Q. Okay. Well, I don't know the answer to that**
19 **question, but I intend to research it before I approve**
20 **an order in this case.**

21 MR. McMILLAN: That's clear.

22 MR. HALL: What is the question?

23 EXAMINER BROOKS: Pardon me?

24 MR. HALL: What is the question we would be
25 referencing?

1 EXAMINER BROOKS: State leases do not have
2 pooling costs. So the logic in one Texas case I'm
3 familiar with says that if there is a pooling clause in
4 the lease that there are royalty owners, it says that
5 the royalty -- whether the royalty owner gives the --
6 the working interest owner -- pool a lease, that the
7 override -- overrides under that lease are subject to
8 that pooling power.

9 Now, the question I have is: In a state of
10 New Mexico oil and gas lease, which does not have a
11 pooling clause, are overrides subject to that if there
12 is not a clause in the assignment? Now, if there is a
13 clause in the assignment, we don't have to worry about
14 it because I would assume if there is a pooling power
15 clause in the assignment, that -- there's a pooling
16 clause in the assignment, that they would cover the
17 overrides.

18 But I do not know about the other
19 situation. I've read one Wyoming case that sort of
20 touches on this issue. But it's a federal district
21 court case out of Wyoming, so it's not overwhelmingly
22 persuasive authority. So I really am curious about
23 that. And I've just gotten -- I admit I've been at this
24 business for years and I hadn't really thought about it
25 until recently, but that has become a source of concern

1 to me since I did think about it.

2 MR. HALL: Right. I would say just bear in
3 mind we're pooling for the right to drill.

4 EXAMINER BROOKS: Yes.

5 MR. HALL: Executive rights only.

6 EXAMINER BROOKS: And that can be settled
7 without -- I mean, we can decide who should have the
8 right to drill without deciding whether the overrides
9 need to be parties to it. But my concern is that I
10 don't see how we can write an order without doing that.
11 So -- or maybe we can. That's one position a person --
12 that could be argued, that he could write the order and
13 then leave it up to the operator's title attorney to
14 determine whether or not he's got the title to the
15 interest or not.

16 MR. HALL: I think that's what you do. You
17 still pool all unjoined interest, whatever they may be.
18 The interest you are pooling has the right to drill. In
19 this case, the overrides -- the overrides are interest
20 of record and it is up the operator to recognize them in
21 making distributions of proceeds. But in this case, the
22 overrides are here in the room.

23 EXAMINER BROOKS: Well, that's why I asked
24 the question if there were other overriding royalty
25 owners who are present, and I believe --

1 THE WITNESS: There are.

2 EXAMINER BROOKS: -- and I believe the
3 testimony was there. I believe that was Chisholm's
4 testimony, too.

5 MR. HALL: Well, that is an arguable
6 position, that it doesn't make any difference because
7 it's only a question of division of interest, and the
8 division of interest is an issue under the Payment
9 Proceeds Act --

10 EXAMINER McMILLAN: Right.

11 MR. HALL: -- which we do not administer.

12 EXAMINER BROOKS: So yeah, that's a good
13 point. But I will --

14 MR. HALL: I'll let you know if I need
15 breach briefing on this issue and we can continue the
16 cases and notify them.

17 EXAMINER BROOKS: Pardon me?

18 MR. HALL: I mean, we could continue the
19 cases and notify in them. That's where you land.

20 EXAMINER BROOKS: Well, if the parties
21 aren't in too much of a hurry to do that, yes. So I
22 will defer that until we get to the end of the case.

23 MR. HALL: Okay.

24 **Q. (BY EXAMINER BROOKS) I don't believe I have any**
25 **other questions for you. I have some questions about**

1 the AFEs, but I gather that while you expressed some
2 opinions on that, that is not your area of expertise; is
3 that correct?

4 A. When it comes to frac design, no. It's
5 definitely not my area of expertise.

6 Q. Well, frac design is the biggest difference
7 between the AFEs; is it not?

8 A. Yes.

9 Q. That was my understanding. Okay.
10 You're going to put on an engineering
11 witness, correct?

12 A. I believe they are.

13 MR. McMILLAN: Indeed.

14 EXAMINER BROOKS: Okay. So I will defer
15 any questions until we get to the engineering witness.

16 Thank you.

17 MR. McMILLAN: I have a little bit of
18 redirect. Is it my turn?

19 EXAMINER BROOKS: Oh. Yes, it's your turn.

20 REDIRECT EXAMINATION

21 BY MR. McMILLAN:

22 Q. Okay. Just a couple of quick questions here.
23 You were asked whether Great Western operates any
24 horizontal wells in the Permian Basin. The answer was
25 no.

1 A. We do operate some horizontal wells in the
2 Permian Basin; that is correct.

3 **Q. And is this in partnership with other**
4 **operators?**

5 A. No. We actually -- physically and we're named
6 operator of some horizontal wells in the Permian Basin
7 that we actually drilled, I think.

8 **Q. Approximately how many?**

9 A. About three.

10 **Q. Three. Okay.**

11 And while I think the timeline might have
12 gotten a little bit muddled, at least in my head, I just
13 want to make clear that -- did, in fact, Great Western
14 send its well-proposal letters prior to filing its force
15 pooling applications?

16 A. Yes.

17 **Q. Yes?**

18 A. Yes, sir.

19 **Q. That should do it for me.**

20 MR. HALL: May the witness be excused?

21 MR. McMILLAN: Right. May the witness be
22 excused?

23 Thanks. (Laughter.)

24 Great Western would call its next witness.

25 EXAMINER BROOKS: Could we take five

1 minutes?

2 EXAMINER McMILLAN: Let's take a
3 five-minute break.

4 (Recess, 1:38 p.m. to 2:01 p.m.; Examiner
5 Jones present.)

6 EXAMINER McMILLAN: Let's get started.

7 TERRY L. WILLIAMSON,
8 after having been previously sworn under oath, was
9 questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. McMILLAN:

12 Q. Sir, would you please state your name and place
13 of residence?

14 A. Terry Lamont Williamson, Midland, Texas.

15 Q. With whom are you employed and in what
16 capacity?

17 A. Great Western Drilling as a senior geologist.

18 Q. Are you authorized to testified today on Great
19 Western's behalf?

20 A. Yes.

21 Q. Have you previously testified before the
22 Division or one of its Examiners and had your
23 credentials accepted and made a matter of record?

24 A. No.

25 Q. Will you please give the Examiners your

1 **education and work experience?**

2 A. Basically, I graduated from Eastern New Mexico
3 University in December of 1980. Went to work in
4 Midland, Texas, February of 1981, and have been an
5 exploration geologist in Midland, Texas, ever since
6 then.

7 Q. And just for the record, what was your degree
8 in in 1980?

9 A. BS in geology.

10 Q. Good.

11 A. Sorry.

12 Q. You said you started in 1981. How many years
13 in the industry?

14 A. Well, 30 -- what is the math? 37.

15 Q. 36, 37 years?

16 A. Been in Midland the whole time, primarily
17 working the Permian Basin.

18 Q. Are you familiar with the applications filed in
19 this case?

20 A. Yes, sir.

21 Q. And are you familiar with the area of the
22 geology and the proposed wells?

23 A. Yes.

24 MR. McMILLAN: Mr. Examiner, I'd tender
25 Mr. Williamson as an expert petroleum geologist.

1 EXAMINER JONES: Did you know Fred Niles
2 [phonetic] or Dr. Pitt or Dr. Corbett [phonetic]?

3 THE WITNESS: I did, yes. They were my
4 professors. Dr. Corbett, too. It was more petroleum --
5 they were all consultants, too, for oil companies. It
6 was all petroleum-related. Yes. I was there when they
7 were there.

8 EXAMINER JONES: Any objections?

9 MS. KESSLER: No objections.

10 MR. CASHON: No objections.

11 MR. STANGER: No objections.

12 Q. (BY MR. McMILLAN) Mr. Williamson, have you
13 prepared exhibits in this case?

14 A. Yes, sir.

15 Q. Let's take a look at those exhibits. Turn in
16 the binder to Exhibit Number 8, please. Can you tell us
17 what we're looking at here?

18 A. Yes. This is a structure map on top of the 2nd
19 Bone Spring Sand. It's using 50-foot contour intervals,
20 basically showing it's kind of a pronounced ridge that
21 runs northeast-southwest with the acreage in question,
22 Section 34 being pretty much close to the crest of the
23 ridge. And the tags on there show Great Western
24 drilling the 3rd Bone Spring. The arrows are pointing
25 towards the surface locations. The 3rd Bone Spring well

1 is located in the west half of the west half of 34. The
2 2nd Bone Spring's location is located in the east half
3 of the east half of 34.

4 Q. And are those the corresponding project areas
5 for the two -- for the two wells what you just
6 described?

7 A. Yes, sir. Yes.

8 Q. To your understanding, is the completed
9 interval for the proposed wells located entirely within
10 the producing area of the project area for the wells --

11 A. Yes.

12 Q. -- project areas for the wells?

13 A. Yes, sir.

14 Q. To your understanding, can the completed
15 interval of the wells be produced in conformity with the
16 setbacks for the project areas?

17 A. Yes, sir.

18 Q. Is it your understanding that all of the
19 40-acre tracts contribute reserves to these wells?

20 A. Yes, sir.

21 Q. And are you aware of any geologic or structural
22 discontinuities across the project areas for the
23 proposed wells that would adversely affect development
24 by horizontal wells?

25 A. No, sir.

1 Q. Thus, in your opinion, is a horizontal well the
2 most economical method to producing each of the 40-acre
3 units comprising the project areas here?

4 A. Yes, sir.

5 Q. I see that on your Exhibit A -- 8, rather --
6 you have -- you show A to A prime cross-section line,
7 correct?

8 A. Yes, sir.

9 Q. And are the green circles -- what do those
10 represent?

11 A. They're the wells in the cross section.

12 Q. Okay. Great.

13 Let's turn now to Exhibit 9. And is this
14 the cross section you're referring to?

15 A. Yes, sir.

16 Q. Okay. And while the image in the exhibit
17 binder is a tad small, we were sure to bring a large
18 copy of this cross section for the Examiners' benefit.

19 EXAMINER JONES: He's the geologist
20 (indicating).

21 Q. (BY MR. McMILLAN) Okay. With reference to your
22 Exhibit Number 9, sir, can you identify for us what the
23 target intervals are for Great Western's proposed wells?

24 A. Well, the target intervals will be the 2nd Bone
25 Spring Sand and the 3rd Bone Spring Sand, but at the top

1 of the map horizon is the 2nd Bone Spring that's shown
2 SBSG at the top, which is there (indicating). You have
3 the 2nd Bone Spring Sand. If you look at that, you're
4 going to have -- there's a red color and there are green
5 colors.

6 What this is -- my isopach maps are going
7 to be isopach maps of under 10 ohms, and that's what --
8 they're colored red on the resistivity side. The green
9 is showing the separation in the resistivity logs, and,
10 again, the -- if you look real carefully, you can see
11 these little -- like, for example, take the first well
12 on the cross section, you see the arrow there in the 2nd
13 Bone Spring. That's suggesting there is a nearby well.
14 That's where they physically drilled the horizontal well
15 that's in close proximity to it. And the whole thing
16 says "horizontal target" into the COG wells, which is,
17 basically, the basal portion of the 2nd Bone Spring
18 Sand. That would be the primary objective from the 2nd
19 Bone Spring Sand.

20 And then a good example on the 3rd Bone
21 Spring Sand's objective would be down on the last two
22 wells of the cross section. You can see where Mewbourne
23 has drilled their horizontal wells, which they're in
24 red, which would be right there (indicating). That's
25 the target for them. And that's probably -- that's the

1 best place to drill here.

2 Q. Great. I think that answers the question as to
3 where the target intervals would be.

4 Does your cross section demonstrate that
5 the Bone Spring Formation -- and I would include both
6 the 2nd Bone Spring Sand and the 3rd Bone Spring Sand in
7 there. Does it demonstrate that the formation is
8 continuous across the project areas?

9 A. Yes, sir.

10 Q. Let's take a look at your Exhibit 10? Can you
11 tell us what we're looking at here?

12 A. Exhibit 10 is an isopach of the lower
13 two-thirds of the 2nd Bone Spring Sand and it's based on
14 resistivity deeper than 10 ohms -- I mean less than
15 10 ohms.

16 Q. That's the same cross section you're showing
17 there, A to A prime, that we just looked at?

18 A. Yes, sir. And if you look at those, the
19 numbers -- like, for example, the first well will have a
20 3 by it. That's telling you there's 3 feet there and
21 25 feet there, et cetera.

22 Q. Okay. So in broad strokes, what does this
23 exhibit tell us?

24 A. Basically, it tells us that the zone is still
25 across our zone, cross section 34, this might be a

1 little -- the reason I'm using two-thirds is, as you go
2 further west, the 2nd Bone Spring is extremely thick, so
3 if you frac the basal portion, you can't communicate
4 with the top. It's a little bit unfair and, usually,
5 it's a pretty good indication of where your best wells
6 are. Where you have trouble, that's when you get up to
7 the updip edge of it. That's where we are here.
8 Sometimes you get so much oil saturation that you read
9 over the 10 ohms. So -- and that's kind of -- and as
10 you come along the ridge, that's kind of where you start
11 to see the pinchout -- where you start losing a little
12 bit of the porosity.

13 **Q. Well, let's turn now to your Exhibit 11. Can**
14 **you tell us what we're looking at here?**

15 A. Here we're looking at the 3rd Bone Spring Sand.
16 Very similar, same thing as the 2nd Bone Spring Sand.
17 Again, it's -- we're looking at under 10 ohms, basically
18 showing a thick -- as you go to the west as you go
19 updip, it -- you know, we still have the 3rd Bone
20 Spring. It looks really good in the -- well, actually,
21 the southeast quarter to the southeast quarter, although
22 doesn't have much under 10 ohms, it's got a lot of
23 separation over here, resistivity curve suggesting
24 pretty good reservoir quality.

25 **Q. I see you've got the same A to A prime cross**

1 **section here, correct?**

2 A. Yes, sir.

3 **Q. And you've identified what looks like five**
4 **Mewbourne 3rd Bone Spring wells in Section 11 and 13,**
5 **below?**

6 A. Yes, sir.

7 **Q. Can you just explain why those are called out?**

8 A. Well, I initially -- we were -- to Mewbourne,
9 you know, we've been trying to make a deal with
10 Mewbourne, and I wanted to point out where their wells
11 were.

12 **Q. Okay.**

13 A. So they're probably more relative now than they
14 were then. But that's why I have them there.

15 **Q. So in sum, is it your opinion, as an expert**
16 **petroleum geologist, that both the 2nd and 3rd Bone**
17 **Spring Sands are continuous across Great Western's**
18 **proposed project areas?**

19 A. Yes, sir.

20 **Q. Great.**

21 In your opinion, would the granting of the
22 Great Western's application be in the best interest of
23 conservation and prevention of waste and the protection
24 of correlative rights?

25 A. Yes, sir.

1 **Q. And finally, were Exhibits 8 through 11**
2 **prepared by you or at your direction and control?**

3 A. Yes, they were.

4 **Q. Excellent.**

5 MR. McMILLAN: I'd like to tender at this
6 time Exhibits 8 through 11, Mr. Examiner.

7 MR. STANGER: No objections.

8 EXAMINER McMILLAN: No objections?

9 MR. CASHON: No objections.

10 EXAMINER McMILLAN: Exhibit 8 through 11
11 may now be accepted as part of the record.

12 (Great Western Exhibits Numbers 8 through
13 11 are offered and admitted into evidence.)

14 MR. McMILLAN: That's all I have for direct
15 examination.

16 CROSS-EXAMINATION

17 BY MR. RANKIN:

18 **Q. Mr. Williamson, I just have a quick question**
19 **for you on Exhibit 12, I think -- 11, my bad -- Exhibit**
20 **11, the exhibit where you showed me the 3rd Bone Spring**
21 **well in Section 11?**

22 A. Yes, sir. Right here (indicating).

23 **Q. Are you familiar with Mewbourne's frac**
24 **completion techniques on each of those wells?**

25 A. No, but I'm very familiar with Mewbourne

1 because, I mean, every day on drilling report five or
2 six Mewbourne wells. So we deal with operators, and I
3 know in my area what we have done, and I assume,
4 although I haven't studied, I imagine it would be
5 something very similar to theirs.

6 Q. Okay. So if Mewbourne -- whatever Mewbourne is
7 doing, you feel like they are a reputed operator and
8 have a fairly good handle on --

9 A. Oh, yes.

10 Q. But you don't know, for each of these wells,
11 how Mewbourne completed them or fracked them?

12 A. Not exactly.

13 Q. Okay. And you don't have any --

14 A. -- well, I'm not prepared to answer that. I
15 didn't --

16 Q. Did I ask you to speculate?

17 A. I'm more of a geologist. I'm more sticking to
18 that.

19 Q. That's fine.

20 You pointed them out. I just wanted to see
21 what your knowledge was about.

22 Then with respect to these wells, do you --
23 are you familiar with how they're producing?

24 A. Yes, sir. They're very good wells.

25 Q. Okay. So each of those wells --

1 A. The three of them are real dandies. I like the
2 3rd Bone Spring, yeah.

3 Q. Okay. And are any of these wells producing
4 better than any of the others in Section 11 that you're
5 aware of?

6 A. Yes, sir. Yes, sir.

7 I might tell you -- I don't want to tell
8 you a story, but I believe this one, right here is --
9 I've got my --

10 Q. And you're -- you're -- you're talking about
11 the well on the west half of the east half -- I'm
12 sorry -- the east half of the west half?

13 A. Yes, I believe so. I'd have to make sure by
14 checking my --

15 Q. I wouldn't want you to speculate. But in your
16 view, there were some differences in the production of
17 the wells?

18 A. Yes, sir. There's one really dandy, and
19 there's two real good, and then one that's kind of --
20 pretty good.

21 Q. You're not sure whether that's because of
22 completion techniques or --

23 A. Well, I think a portion of it -- if you -- I
24 don't want to go there. It's a good area. It's a good
25 spot.

1 **Q. Okay. No other questions.**

2 MR. STANGER: No questions.

3 MR. CASHON: No questions right now.

4 EXAMINER McMILLAN: I do.

5 CROSS-EXAMINATION

6 BY EXAMINER McMILLAN:

7 **Q. I'm just curious, going back on your cross**
8 **section, it -- does COG -- how does the COG Likey**
9 **[phonetic] compare to the Caza [phonetic] in the NMW**
10 **Slick Mesa wells?**

11 A. Just let me find -- I'm sorry. I'm looking at
12 the cross section?

13 **Q. Yeah. It looks like it landed in a slightly**
14 **different interval.**

15 A. Yeah, they did. They put one up there -- I
16 think the primary -- the best spot would be at the basal
17 portion of the 2nd Bone Spring. That's where you have
18 your best reservoir quality. But I did -- they did put
19 it there, and I did -- I did note it, but I think it was
20 a relatively poor well.

21 **Q. Okay. So I'm just curious. So it's not as**
22 **good as the --**

23 A. First one with a cross section is a great well.
24 I mean, that's a two-mile lateral. It was -- but it's
25 heading back towards the thick, but it's a little bit

1 downdip when you look at the structure map. So if you
2 wanted to, on the first well, you would -- where I have
3 that COG target, that's really where they drilled that
4 two-mile lateral on the first well on the cross section.

5 The second well, what I did is put the five
6 wells that are immediately in the section immediately
7 north of where we're -- Section 34. And then anytime I
8 had a horizontal well in close proximity to my datum
9 here, I'd stick it on there and show you where
10 everybody's -- where everybody else is putting the
11 horizontal wells.

12 And I personally like the basal portion of
13 the same place where COG is doing it there and same
14 place that -- over here where Mewbourne is doing it. In
15 other words, the best landing point is here where
16 Mewbourne's doing it and that fat guy right there where
17 COG is.

18 **Q. Oh, here (indicating)?**

19 A. Right in there (indicating), that's where --
20 usually -- a lot of that green color there.

21 EXAMINER JONES: What depth are you talking
22 about, just for the court reporter?

23 THE WITNESS: It's so fine print, I can't
24 see the --

25 EXAMINER JONES: Okay. What depth is it?

1 EXAMINER McMILLAN: Looks likes for the
2 Devon well, the COG 11 --

3 (The court reporter requests
4 clarification.)

5 EXAMINER McMILLAN: I'm sorry. 10,450 is
6 showing where the COG landed.

7 THE WITNESS: Yes.

8 Q. (BY EXAMINER McMILLAN) And you're generally
9 showing that the best zone would be -- looking at the
10 Nearburg well, would be 10,400? Is that what you said?

11 A. Right. This is the third and fourth well on
12 the cross section -- are wells that are on our acreage,
13 and it would be -- that red spot right there and right
14 there (indicating) would be where we would put the bit.

15 Q. Okay. Right here (indicating)?

16 A. Yes, those two guys.

17 Q. For purposes of the court reporter, we should
18 probably be more specific in our identification.
19 Nearburg producing Grama Ridge would be the best zone.
20 That's what you said, right?

21 A. That's what I am thinking, yes. I can't see
22 where that is. I can't see the --

23 Q. That's crudely right.

24 EXAMINER McMILLAN: Go ahead, Will.
25

1 CROSS-EXAMINATION

2 BY EXAMINER JONES:

3 Q. Looks like you're going -- they're proposing
4 the zone at 11,200 on the --

5 A. We'd have to look at these, too, guys. I don't
6 think there is a huge different in our geologic
7 interpretation, other than their map was -- original map
8 I saw was 8 percent porosity cutoff. This is using
9 resistivity as another tool, and I just thought that
10 that defined the production I saw out there a little
11 better. That's why I used it. Although I don't think
12 it's perfect, what I got is not perfect.

13 Q. Can you go in one more time and explain the
14 relationship between the lower resistivity and the
15 incidence of higher porosity? Is that what you've seen?

16 A. Yeah, usually if you have high porosities,
17 it'll be a little wetter looking. And all I know is --
18 say you take the four township area and do a study the
19 best map that I could come up with that would define why
20 you have good wells and bad wells would be trying to use
21 the resistivity, as opposed to the cutoff by using
22 neutron density. That's not to say neutron density is
23 not good to use. I don't think anything defines -- in
24 these resource plays, there is not one thing that you
25 can do. It's a combination of multiple things that you

1 do to define why you have better porosities areas and
2 not better porosity areas.

3 **Q. Is it also influenced by the amount of shale in**
4 **the sands, the resistivity -- deeper resistivity?**

5 A. Yeah. All I know is the better outstanding
6 well except save couple of the examples they're going to
7 have -- for example, Mewbourne's wells, I mean, the
8 resistivity there, see, they're under ten. And that's
9 normally what I'm seeing.

10 Having said that, you can get messed up
11 there because as you get to the updip edge where we're
12 at, you could get a high oil saturation and then
13 resistivity is going to be higher than ten. And one of
14 the best wells out here, probably COG's 3H Stratojet --
15 you-all probably heard that well here because it's like
16 the all-star well. It's way over ten, but it's got a
17 ton of neutron density cross-over and it's got, you
18 know, all kinds of spread and maybe the resistivity
19 curves that suggest it's not good reservoir quality.

20 So you can't nail anything on any
21 particular map. But this gives you a general idea of
22 where, you know -- I mean from an eye.

23 **Q. Yeah.**

24 A. As exploration geologist, that's the kind of
25 thing I'm looking for. I've got to define -- I have to

1 define production so --

2 **Q. Did you do the -- I'm going brain dead here --**
3 **the plot that actually shows you your institute water**
4 **resistivity --**

5 A. No, I didn't. I mean, I'm covering a lot --
6 big area over time.

7 **Q. Okay. How does it vary up and down in the Bone**
8 **Spring, the water resistivity?**

9 A. From what we understand, what is good about
10 this -- well, is that it has a lower -- has a higher oil
11 saturation than a lot of areas. In other words, when
12 you complete a horizontal well, it's going to have a
13 higher oil cut than a lot of the areas that we're used
14 to. So the good thing about being updip -- the bad
15 thing is your zone is thinning. It's thinning. Even
16 your gross zone is thinning. The good thing is kind of
17 the pinching and higher oil saturation. Having said
18 that, we just wanted to drill a single well before
19 drilling a bunch.

20 **Q. Is it the 10 ohms correlated to 8 percent --**

21 A. No, sir. It's just completely --

22 **Q. Okay. So it's just another indicator that**
23 **you're using?**

24 A. Yes, sir. Yes, sir.

25 **Q. Okay. And are the density logs available?**

1 A. Well, the best tool to use would be probably a
2 neutron density that shows crossover. That's what I
3 would prefer. However, you can't really do that in a
4 regional basis because there's not that many -- a lot of
5 these are Morrow wells, and they might not have ran
6 neutron density across this area and come up with
7 porosity logs. Once you start looking at mapping a
8 four-township area, you're going to have to try and find
9 something that you can understand the most wells as
10 possible. So that's why I chose this.

11 **Q. Is the lithology mainly sand, though? I mean,**
12 **you're not talking carbonates here, right?**

13 A. What you've got -- the two sands are separated
14 by carbonate. The 3rd Bone Spring limestone separates
15 the 3rd from the 2nd.

16 **Q. Okay. But it's kind of a shaley-sand type**
17 **situation?**

18 A. Yes, sir.

19 **Q. So density log would be -- probably be a good,**
20 **if you had it --**

21 A. The well has a big-time crossover, and the
22 density crosses over the neutron. I mean, all kinds of
23 separation in your resistivity logs. However, your --
24 your ohms are reading over 10. It was a rate of zero on
25 mine. That's why I'm saying --

1 Q. Oh, I see.

2 A. -- this isn't perfect. It's good, but once you
3 get up to the pinch-out line, you need to -- there are
4 other things that need to come in. So --

5 Q. Do you, as a geologist, help your engineer
6 determine where to perforate along your horizontal
7 wells?

8 A. Yeah. We help choose a landing point.

9 Q. Landing point?

10 A. Yes, sir.

11 Q. So you track the well as it's drilled?

12 A. Yes.

13 Q. And you -- how do you tell if it's portioning
14 up a little bit because, you know -- you just try to
15 keep the same gamma ray reading; is that right?

16 A. How we solve that problem -- Mewbourne operates
17 most of our wells, and they keep it steered in the right
18 place, and we have fantastic luck with them. And I
19 guess it's in who you do business with. It's nothing
20 against anybody else. It's just --

21 Q. Okay. So the primary target here is the 3rd
22 Bone Spring?

23 A. Well, we proposed both --

24 Q. Both.

25 A. -- both the 2nd and the 3rd. We wanted to just

1 drill one 2nd initially just to make sure because of the
2 fact that it is standing some. And so the oil in
3 place -- H, height, is one of the things oil in place
4 counts, just to be safe. And we're not saying anybody
5 else is wrong or anything. It's just different people
6 think a little different.

7 **Q. Are these the mostly deep Morrow wells that you**
8 **get these logs off of?**

9 A. Yes, most of them, right along this -- right
10 along ridge, there are a lot of Morrow wells, and most
11 of the activity is taken from the west so far.

12 **Q. So you talked about crossover on your -- on**
13 **your -- on your logs. I guess they're running a lime**
14 **matrix.**

15 A. Yes, sir. Yes, sir.

16 **Q. So that would be gassy zones?**

17 A. Yes. And plus the cleaner sands, you have a
18 little more crossover.

19 **Q. Okay.**

20 A. But I didn't map on that because there is not
21 enough for that.

22 **Q. There's no core data?**

23 A. No. There's no perfect way to look at these
24 unconventional reservoirs.

25 **Q. But you just try to stay consistent with**

1 **whatever method you're using, and then do your map that**
2 **way?**

3 A. Yes, sir.

4 **Q. So there's no core data at all?**

5 A. There might have been, but --

6 **Q. Not available?**

7 A. Yes, sir.

8 **Q. I notice that there is some test on this well.**
9 **Was that an old vertical well?**

10 A. Right. That's going to be -- it's something I
11 haven't actually -- to be honest with you, I hadn't paid
12 much attention to because it's below what we're looking
13 at right now.

14 **Q. Would it have been based on mud-log show**
15 **probably?**

16 A. Yes, sir. And there are mud logs. I didn't
17 put in any -- they put some in theirs.

18 **Q. Okay. Thanks.**

19 **RE CROSS EXAMINATION**

20 BY EXAMINER McMILLAN:

21 **Q. We need to see the different expiration ideas.**
22 **I haven't seen anybody create a map based on the ohms,**
23 **but it was a neat -- good idea.**

24 A. The job is to find something that defines
25 production. And even if it's -- you know, I don't -- if

1 you have a map and it doesn't define the production,
2 it's really not showing you much. So you've got to try
3 to generate a map, and it's hard to do in these
4 unconventional reservoirs at times. So --

5 EXAMINER BROOKS: I don't think I have any
6 questions for this witness.

7 MR. HALL: No further questions.

8 MR. McMILLAN: No further questions.

9 May the witness be excused?

10 EXAMINER McMILLAN: Yes.

11 MR. HALL: So at this time, Mr. Examiner,
12 we would call David Scott to testify.

13 EXAMINER McMILLAN: Please proceed.

14 DAVID SCOTT,
15 after having been previously sworn under oath, was
16 questioned and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. HALL:

19 **Q. For the record, state your name.**

20 A. David Allen Scott.

21 **Q. Mr. Scott, where do you live and by whom are**
22 **you employed?**

23 A. I'm employed by Advance Energy Partners, LLC
24 out of Houston, Texas.

25 **Q. All right. And in what capacity are you**

1 **employed by them?**

2 A. The vice president of land for Advance.

3 **Q. Okay. Now, I understand you have a land**
4 **background, correct?**

5 A. Yes.

6 **Q. And I understand you've previously been sworn**
7 **as a witness before the Oil Conservation Division and**
8 **had your credentials as an expert petroleum landman**
9 **accepted as a matter of record; is that so?**

10 A. Yes. A while back.

11 **Q. Been a while?**

12 A. Yes.

13 **Q. Why don't you give the Examiners a brief**
14 **summary of your educational background and work**
15 **experience?**

16 A. Okay. Graduated in 1976 from West Texas State
17 University with a BBA in marketing. Joined Conoco in
18 1985 for 21 years with them in various offices in the
19 land capacity and also business development, staff
20 level, and some first-line management positions.

21 In 2006 I joined Broad Oak Energy as a vice
22 president of land, and in 2012 I joined Laredo Petroleum
23 as VP of land. And then when we formed our company in
24 2014, I came on as vice president of land with Advance
25 Energy Partners.

1 Q. And does your experience include Permian Basin?

2 A. Yes.

3 Q. Are you familiar with the applications that
4 have been filed in these cases?

5 A. Yes.

6 Q. And are you familiar with the land matters that
7 are involved here?

8 A. Yes.

9 MR. HALL: Are the witness's credentials
10 acceptable?

11 MR. RANKIN: No objection.

12 MR. STANGER: No objection.

13 MR. CASHON: No objection.

14 EXAMINER McMILLAN: So qualified.

15 Q. (BY MR. HALL) Would you provide the Examiners
16 with some background on Advance Energy Partners, its
17 management and experience in-house?

18 A. Sure. So the company was formed in 2014,
19 September of 2014, by four former Conoco colleagues. We
20 each had 35-plus years of experience in the business.
21 We had worked together in the Permian Basin at various
22 times. Our CEO, Peter Lellis, was at Conoco for 30-plus
23 years himself as a chief geophysicist and -- well,
24 ranking -- going up through the ranks, of course.

25 Talked about myself.

1 David Harwell, who is here today, is our
2 vice president of engineering. He was at Conoco for
3 30-plus years, and then he retired from Conoco and went
4 over to a company he helped form called CIO C out of
5 Houston.

6 Ed Harwell is our vice president of the
7 geoscience. He's Conoco and Pioneer. What did I say --
8 Ed Caamano.

9 (The court reporter requests the spelling.)

10 A. C-A-A-M-A-N-O. And worked the Permian and
11 overseas in a number of things for Conoco and for
12 Pioneer.

13 We have a drilling engineer, Braden Harris,
14 12 years in the business -- petroleum manager -- excuse
15 me. He's drilled wells with Centennial, EOG,
16 Silverback. He's drilled over a hundred horizontal
17 wells in the Delaware Basin.

18 Marcos Briceno, B-R-I-C-E-N-O. 15 years --
19 he's our completions manager primarily in his -- well,
20 all with ConocoPhillips, and done a number of types of
21 work in the engineering world with Conoco in the Permian
22 Basin and elsewhere. But at his last job, before we got
23 him, he was the completions manager for Conoco.

24 We've got 18 full-time employees and
25 several contractors as well.

1 **Q. All right. Would you just briefly provide an**
2 **explanation of Advance Energy Partners' plans for**
3 **operating -- acquiring acreage in New Mexico and**
4 **specifically this immediate area.**

5 **And if you could turn to Exhibit 12, that**
6 **would be helpful.**

7 A. Yes. I put this Exhibit together, 12, just to
8 show where our property is and the proximity to the
9 property that Great Western and Chisholm, et al., own.
10 You can see on the map, over to the right, Section 34's
11 in red. The acreage in yellow represents acreage that
12 we own. The red dots and the sticks coming out of those
13 dots are the wells that we operate in the immediate
14 area. There are six horizontal wells that we operate
15 currently over there. We're within four to five miles
16 of this property.

17 **Q. Okay. Briefly explain the background on this**
18 **deal with Great Western for Section 34.**

19 A. Okay. We had bought other property from Great
20 Western in the area, and we were made known -- we found
21 out about this particular section, and Carter and I
22 started talking about it back in July of this year. We
23 didn't formally put an offer in front of them until
24 December, but we had talked about it and we were working
25 some other things and finally did put an offer in front

1 of them and they accepted our offer earlier this month.

2 Q. And when did you expect to close?

3 A. On or before February 1st of next year.

4 Q. All right. And have you had sufficient
5 opportunity to review Great Western's drilling proposals
6 and their AFEs?

7 A. Yes.

8 Q. And does AEP agree with them?

9 A. Yes.

10 Q. And does it intend to honor them?

11 A. Yes.

12 Q. Is AEP committed to drilling the 9H and 2H
13 wells?

14 A. Yeah, if -- if we own the property, yes. We
15 plan on having a drilling rig over to the property over
16 here next year starting in March for the full year, and
17 so we have the capability to do that.

18 Q. And taking on two additional wells is within
19 your budget?

20 A. Yes. It wouldn't be difficult.

21 Q. And AEP seeks to be designated as operator of
22 these two wells, correct?

23 A. That is correct.

24 Q. And does AEP have a rig available to it?

25 A. We don't -- we don't have a rig right now.

1 We're -- I'd say within our program, that will start in
2 March. We will.

3 Q. And do you have a surface-use agreement in
4 place with this surface owner out there?

5 A. We do on our property in the yellow.

6 Q. Is that Merchant?

7 A. Yes, the Merchant Livestock Company.

8 Q. All right. Has Advance made a comparative
9 analysis of the Great Western-Advance proposed
10 development and Chisholm's proposal for development?

11 A. Yes. We've seen both.

12 Q. Summarize what your company concludes about
13 them?

14 A. Well, David Harwell will go into more detail on
15 the cost side, but we felt like that the fracking design
16 was less than optimal for this area, and so it would
17 cost more money to complete these wells. So we felt
18 like the Great Western wells demonstrated at least a
19 greater frac poundage on the wells, and we like those
20 better. We may ultimately want to go a little stronger
21 on the completion than what Great Western has proposed.
22 But David will go into that.

23 Q. All right. Do you have an opinion whether the
24 Great Western-Advance plans for development would result
25 in the recovery of additional hydrocarbon resources that

1 **would go unrecovered if Chisholm's plans went forward?**

2 MR. RANKIN: Object to no expertise.

3 MR. HALL: I'm not asking him to quantify,
4 just whether he has an --

5 THE WITNESS: Yes. I believe our plan to
6 complete drilling and complete these wells will capture
7 more reserves than Chisholm's.

8 **Q. (BY MR. HALL) Are you asking the Division to**
9 **grant Great Western's application and deny the Chisholm**
10 **applications?**

11 A. Yes, I am.

12 **Q. And in your opinion, would granting Great**
13 **Western's applications and the denial of Chisholm's**
14 **applications be in the interest of conservation and**
15 **preventative of waste and the protection of correlative**
16 **rights?**

17 A. Yes.

18 **Q. Was Exhibit 12 prepared by you or at your**
19 **direction?**

20 A. Yes. Yes, it was.

21 **Q. That concludes my direct. Move the admission**
22 **of the Exhibit 12.**

23 MR. RANKIN: No objection.

24 MR. CASHON: No objection. I do have
25 questions, though.

1 MR. STANGER: No objection.

2 EXAMINER McMILLAN: Okay. Exhibit 12 may
3 now be accepted as part of the record.

4 (Great Western Exhibit Number 12 is offered
5 and admitted into evidence.)

6 EXAMINER McMILLAN: Cross?

7 CROSS-EXAMINATION

8 BY MR. RANKIN:

9 Q. Mr. Williamson -- I got your name all wrong.

10 A. Scott, Scott.

11 Q. Sorry about that.

12 So to date, looking at Exhibit 12, AEP
13 operates six more horizontal wells in the Permian Basin
14 in New Mexico?

15 A. Correct.

16 Q. Has AEP drilled any horizontal wells to date in
17 New Mexico?

18 A. We've drilled the furthest east well.

19 Q. Okay. That's the well that's identified in
20 Exhibit 12, going from Section 35 --

21 A. Oh, yes.

22 Q. -- to 2; is that correct?

23 A. That is correct.

24 Q. Okay. And when was that well drilled?

25 A. It was drilled in October of this year.

1 Q. October of this year?

2 A. Yes.

3 Q. Has that well been completed yet?

4 A. No. We're scheduled to complete that in
5 January.

6 Q. Okay. Are you familiar with the completion
7 plans for that well?

8 A. Not enough to -- I mean -- I mean, you just
9 mentioned earlier, I wasn't qualified to --

10 Q. Right. I'm just wondering if you're
11 familiar --

12 A. It's a strong completion, over 2,000 pounds per
13 foot.

14 Q. So the next witness, Mr. --

15 A. Harwell.

16 Q. -- will be able to answer that question?

17 A. Yes.

18 Q. Okay. And are you familiar with the AFE -- I
19 mean, was there an AFE at that well? Was that well
20 pooled?

21 A. Yeah. Well, it is -- it is included within the
22 Merchant state unit, so it was already part of the
23 existing unit from that vertical well shown on the map.

24 Q. I see.

25 Are you familiar with the well costs that

1 incurred to drill that well?

2 A. You would need to address that with Mr.
3 Harwell.

4 Q. Okay. And how many rigs -- you mentioned that
5 there are no rigs running currently. But do you have
6 plans to run rigs in 2018?

7 A. Yeah. We'll have one rig, maybe two for a
8 short period of time, because we have some Texas assets.

9 Q. So between New Mexico and Texas, you'll have
10 one rig operating in 2018, maybe two?

11 A. Well, again, maybe two. Yeah.

12 Q. And you indicated that you were -- I think,
13 looking at Exhibit 12, you said that AEP was looking at
14 obtaining some more property in that area, in the area
15 of Great Western's Section 34; is that right?

16 A. We're looking at acreage all throughout
17 Lea County and Eddy County, and so we have -- I mean,
18 we're constantly adding to our acreage within New Mexico
19 and Texas as well. So specifically right beside this
20 property, we don't have any -- anything as yet right
21 beside it. We're four miles away.

22 Q. All right. And I just want to go back to your
23 expertise. You testified about the costs and the frac
24 and completion program that Chisholm's proposing,
25 correct? Have you testified about whether or not you

1 thought it was an adequate or appropriate frac or
2 completion proposal?

3 A. Well, based on the information that I've
4 received from our engineering VP, the fracs that they
5 were planning on using seem to be not current with what
6 most people are using. It's starting to evolve.

7 Q. Okay. But you don't have any expertise in that
8 area?

9 A. No, I don't.

10 Q. You're not an engineer or a petroleum engineer
11 or a completions engineer?

12 A. No.

13 Q. Let's talk about the deal with Great Western to
14 acquire the interest.

15 A. Uh-huh.

16 Q. Looking at Exhibit 7, on the letter agreement
17 dated December 6th, if you look at paragraph seven, the
18 second page, in that first sentence where it says "Final
19 Agreement" --

20 A. Uh-huh.

21 Q. -- I'll read it to you so we have it on the
22 record. "The parties shall undertake the negotiation of
23 mutually agreeable closing documents which will include,
24 but not be limited to, the terms and conditions
25 contained herein, as well as other terms and conditions,

1 **representations, warranties and indemnities," and so on.**

2 **Did I read that correctly, the part that I read?**

3 A. Yes. Uh-huh.

4 **Q. What are the other conditions that would --**
5 **that are required for the closing to occur?**

6 A. Well, an acceptable form of assignment.

7 **Q. Okay.**

8 A. I don't know that we're going to have a formal
9 purchase-and-sale agreement in this case. We've done it
10 numerous ways. We've been buying property here in the
11 area. So probably it would be -- I mean, if we run
12 through our due diligence and everything looks the way
13 we believe it is, then we'll move forward just with
14 assignments, you know, that we would accept and have to
15 -- you know, there are state leases, so we'd have to
16 have the State approve those.

17 **Q. Now, is one of the conditions that AEP be**
18 **operator of the Section 34?**

19 A. No. We didn't include that.

20 **Q. All right. So if Chisholm is determined to be**
21 **the operator through the course of this proceeding, that**
22 **wouldn't impact -- that's not a condition of your**
23 **purchase?**

24 A. Of purchase? No.

25 MR. RANKIN: No other questions.

1 CROSS-EXAMINATION

2 BY MR. CASHON:

3 Q. So looking on Exhibit 12, I think you said the
4 only well AEP has drilled on that exhibit is the
5 horizontal lateral in 35 and 2?

6 A. Correct.

7 Q. And then there were other horizontals drilled
8 on the west side of the acreage. Who were those wells
9 drilled by?

10 A. Those were drilled by Amtex.

11 Q. And what -- the vintage of those wells, what
12 are those?

13 A. The well that traverses from 30 -- let's see --
14 Section 30 up into Section 15 was a 2016 -- late 2016
15 well, 2nd Bone. And the wells that were drilled down in
16 Section 6 and Section 31 were -- ask Mr. Harwell that
17 question. They're three years old, maybe.

18 Q. Okay. So right now -- as Mr. Hall pointed out,
19 right now you have the budget to drill two wells in 2018
20 if you're granted operatorship of these wells; is that
21 correct?

22 A. We have the budget to drill many more wells
23 than that. We have a rig to be running all year long.
24 So --

25 Q. In Section 34?

1 A. In this -- well, yeah. We have an overall
2 company budget of drilling dollars to spend for the
3 year. I'm not at liberty to share how much that is, but
4 the plan was to pick up a rig in March and drill through
5 the end of the year. And so we would probably
6 substitute a well or two to take -- you know, these two
7 wells here to take the place of those wells.

8 Q. So your testimony and by the testimony of the
9 land manager for Great Western, you-all are taking a
10 prudent approach, right, to drilling Section 34? You
11 want to drill one 2nd Bone Spring, one 3rd Bone Spring,
12 and watch the performance in those two wells?

13 A. Correct.

14 Q. Now, I'm just kind of spitballing here by
15 looking at the Web site. Your Web site says that
16 you-all plan on exiting in late 2018. So if you don't
17 drill the wells until summer and get completed until
18 fall, that's about the time you guys will be gearing up
19 to divest. So I'm just going by what's on your Web
20 site.

21 A. Uh-huh. So what's your question?

22 Q. My question is: How long do you have to watch
23 them perform if y'all are planning to divest in late
24 2018 like your Web site says? Two months? A month?

25 A. How long do we need to -- as far as -- how that

1 will affect the drilling program, or --

2 Q. In 34?

3 A. -- are you asking about our divest --

4 Q. I'm not concerned with anything else you've
5 got. I'm just concerned about 34.

6 A. Uh-huh. Okay.

7 Q. So how many months' production do you need to
8 see to justify perhaps drilling additional wells?

9 A. Beyond the two that we're talking about?

10 Q. Yes.

11 A. Yeah, that would probably be a better question
12 for our engineer --

13 Q. Very well.

14 A. -- to answer.

15 Q. Okay. That's all I have.

16 MR. STANGER: I don't have any questions.

17 MR. HALL: May the witness be excused?

18 MR. RANKIN: I have one follow-up, if I
19 might.

20 MR. HALL: I'm sorry.

21 MR. RANKIN: That's all right.

22 RECROSS EXAMINATION

23 BY MR. RANKIN:

24 Q. Mr. Scott, is it correct that AEP's plan is to
25 sell the New Mexico assets around the end of 2018?

1 A. We -- there's nothing set in stone on that. It
2 could be earlier. It could be later. I mean, it all
3 depends on market conditions and other things, but we're
4 committed to having a rig and drilling and trying to,
5 you know, enhance the properties we own.

6 Q. And by "enhancing," would that include looking
7 for additional commercial resources within the spacing
8 units that you're acquiring?

9 A. You mean maybe drilling wells in other
10 formations?

11 Q. Uh-huh. For fully developing the section.

12 A. Well, we believe over here -- Mr. Harwell will
13 address this better. But, you know, a 2nd Bone test and
14 3rd Bone test is prudent, and we'll look at it and see
15 what it looks like. We may not divest in 2018. So we
16 may be around a long time.

17 Q. And even though it may be more expensive to
18 drill each well that way, because of the cost savings
19 that would be realized by drilling them all at once, you
20 think it's more prudent to wait and spend more money on
21 each well, drilling them out over time?

22 A. Well, if you're going to recover fewer reserves
23 by pounding it all out early and you save a few dollars
24 for that, we feel like it's better to -- to get the most
25 reserves that you can out of the ground as a reasonably

1 prudent operator would do even at the cost of a little
2 bit more money -- spending a little bit more money, you
3 know, for some logistical things like moebing [sic;
4 phonetic] and whatnot, you know, bringing a rig and
5 moving it out versus having a rig there that drills two
6 wells and then skids, which I think is Chisholm's plan.
7 So --

8 **Q. Okay. No further questions.**

9 EXAMINER JONES: I don't have any
10 questions, unless David does.

11 EXAMINER BROOKS: I have no questions.

12 EXAMINER McMILLAN: Thank you very much.
13 You may be excused.

14 MR. McMILLAN: Mr. Examiner, we call Dave
15 Harwell.

16 DAVID C. HARWELL,
17 after having been previously sworn under oath, was
18 questioned and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. HALL:

21 **Q. For the record, please state your name.**

22 A. David Harwell -- David Craig Harwell.

23 **Q. Where do you live and by whom are you employed?**

24 A. I live in Fulshear, Texas, and employed by
25 Advance Energy Partners.

1 **Q. In what capacity?**

2 A. I'm vice president of engineering and
3 operations.

4 **Q. Okay. Have you previously testified before the**
5 **Division and had your credentials as an engineer --**
6 **expert engineer accepted as a --**

7 A. No, I have not.

8 **Q. Would you give the Hearing Examiners a brief**
9 **summary of your educational background and work**
10 **experience?**

11 A. Bachelor of science in petroleum engineering
12 from LSU, graduated in '82, went to work for
13 ConocoPhillips -- Conoco then, worked 29 years for
14 Conoco and ConocoPhillips, retired. Worked a start-up,
15 Canadian International Oil, and was the vice president
16 of engineering there, started their Calgary operations
17 and ran the Calgary office.

18 **Q. Are you familiar with the applications that**
19 **have been filed in these cases?**

20 A. Yes.

21 **Q. And you're familiar with the lands of the**
22 **subject application?**

23 A. Yes, I am.

24 MR. HALL: At this point, Mr. Examiner, we
25 offer Mr. Harwell as a qualified expert petroleum

1 engineer.

2 MR. RANKIN: No objection.

3 MR. CASHON: No objection.

4 MR. STANGER: No objection.

5 EXAMINER McMILLAN: So qualified.

6 Q. (BY MR. HALL) You are familiar with Chisholm's
7 proposal to develop Section 34 with four to eight
8 back-to-back wells?

9 A. Yes.

10 Q. These wells apparently will be drilled in rapid
11 succession?

12 A. As I understand, yes.

13 Q. Do you have an opinion whether developing
14 Section 34 in such a manner is prudent?

15 A. Yes, I do.

16 Q. What's that opinion?

17 A. As a purchaser, we want to see the property
18 developed, but as a prudent operator, we believe that
19 drilling a single 2nd Bone and a single 3rd Bone well
20 and waiting for production results is a better plan.

21 Q. Okay. And have you reviewed the Great Western
22 AFEs, which are our Exhibit 4, and the Chisholm AFEs,
23 which are our Exhibit 9?

24 A. Yes, I have.

25 Q. Are the Chisholm AFEs in line?

1 A. The Chisholm AFEs, for the most part, are in
2 line with what I normally see on AFEs with the exception
3 of completion section where they appeared to be light.

4 **Q. All right. Have you reviewed Chisholm's JOA?**

5 A. I have not reviewed their JOA in totality, no.

6 **Q. Okay. Are you aware of their plans for**
7 **installation of any infrastructure in Section 34?**

8 A. Just from being in the area, I know some of the
9 infrastructure going in and who is putting
10 infrastructure in. Yes.

11 **Q. Do you have an opinion whether Chisholm's**
12 **development plans is prudent and advisable?**

13 A. I think their plan is, as far as the two pads
14 and the batteries makes sense. Their development plan,
15 as I see it, with the exception of the small frac and
16 the rapid drilling of the wells, except for those two
17 things, I think it's prudent.

18 **Q. All right. And have you formed an opinion**
19 **whether Chisholm's plans would result in reduced EURs?**

20 A. Yes, I have an opinion.

21 **Q. What is that opinion?**

22 A. That as proposed with the fracs of the
23 1,500 pounds per foot that the four wells drilled,
24 basically four wells across the section at 1,500 pounds
25 per foot will leave significant oil behind.

1 **Q. All right. Let's turn to Exhibit 13.**

2 MR. HALL: And I'll note for the Examiners,
3 these pages in Exhibit 13 are numbered at the lower
4 right-hand corner, 1 through 6. And we'll be skipping
5 around in them just a little bit. So we'll keep you on
6 track here.

7 **Q. (BY MR. HALL) Let's look at page number 2.**
8 **Will you explain that to us?**

9 A. Page number 2 is an internal study that we've
10 done showing the effect of frac intensity versus
11 expected ultimate recovery on wells in Lea County.
12 Particularly, this -- as shown here, the diagram is set
13 up to show results from several operators: Concho, EOG,
14 Centennial, Marathon, Chisholm, and Advance Energy.

15 The map on the left shows the wells that we
16 have in the study area. Their wells are color-coded by
17 2nd Bone, 3rd Bone or what we see as the interface of
18 3rd Bone and Upper Wolfcamp A. So they're color-coded.
19 The study is only with using horizontal wells in the
20 area, and we estimate -- estimate -- we estimate
21 ultimate recovery for each of these wells. We also have
22 a database with public information on frac intensity on
23 the lateral length of the wells, and we use that to
24 determine the efficiency of the fracs.

25 The plot on the upper right-hand side is a

1 plot of frac intensity on the x-axis going from 400 to
2 3,400 pounds per foot, and the y-axis shows EUR and BOE
3 at 15 to 1 normalized on per thousand foot of lateral.
4 So we take a well that maybe is 10,000 foot long. We'll
5 take the BOE EUR for that 10,000 foot well, we'll divide
6 it by 10, and we'll get a number here that we'll use in
7 the plot.

8 The frac intensity is the sand used in the
9 completion divided by the lateral length -- the
10 perforated length of the lateral of the wells.

11 As you see in this plot, the wells in the
12 lower left corner have a reduced recovery per 1,000 feet
13 than the wells in the upper right-hand corner. The
14 wells in the upper right-hand corner are fracked with
15 higher intensity. You can see, at least for the red
16 dots, mostly in the upper right are EOG wells where
17 those are currently being fracked from 2,000 to
18 3,000 pounds per foot and showing significant results.

19 Generally, the smaller fracs are ending up
20 with less recovery in the area of 100- to 125,000 -- 125
21 MBOE per thousand for the lateral.

22 So you can see for the study area that the
23 higher frac intensities are having results and that on a
24 footage basis, that they're recovering more oil per foot
25 of lateral.

1 The plot on the bottom right is a
2 chronological plot for these wells showing frac
3 intensity on the y-axis going for 400 to 3400 and the
4 dates going from -- on the bottom -- from January of
5 2012 up through 2017. It shows that the industry has
6 gone from fracs of the 600 to 800 pounds per foot, that
7 were customary in 2013, '14 and some of '15, that now
8 we're seeing customarily fracs in the 2,000 to 3,000
9 pounds per foot.

10 So what we conclude from this is that the
11 wells currently being fracked are being done with, say,
12 2,000 to 3,000 pounds per foot, and we're seeing
13 significantly better results from those wells than we
14 saw from wells in the past -- even last year, we're
15 seeing much better results.

16 **Q. Okay. Let's turn to page 3. Explain that --**
17 **what that shows.**

18 A. Page 3 takes the same study area and then bends
19 the wells on the map. Where the gray is are wells
20 fracked with less than 1,000 pounds per foot and so on,
21 1,000 to 1,500, 1,500 to 2,000. And above 2,000 pounds
22 per foot are shown in green.

23 We show in the study area that, one -- the
24 study area -- it covers quite a bit of the area. Two,
25 that we have quite a diversity over the area, where it's

1 not just one area that is being fracked with a better --
2 with a bigger fracs. The whole area is seeing wells
3 that are -- that are having higher frac intensity.

4 If you look at the plot on the top right
5 corner, it shows the bending of the wells and the cum
6 oil per thousand foot of lateral. So the wells that are
7 recovering much more are in green. The ones that are
8 having much less recovery are in red, and even lower, in
9 orange. And so from this, at least on an average basis,
10 we clearly see an improvement as we are getting higher
11 intensities.

12 You say, well, maybe it's not so much in --
13 we're taking a few good wells and we're looking at it --
14 whitewashing it and not showing the whole picture. So I
15 show on the bottom right corner plot all of the wells in
16 the study area with cumulative recovery over time. You
17 see the older wells are in gray. Those are the ones
18 with smaller fracs. The gray wells, in general, plot
19 less than the red. The red, in general, plot less than
20 the green. And it's consistent with the graph we use on
21 the top showing that the recent fracs are of 2,000 to
22 3,000 pounds per foot are showing quite a bit of
23 results.

24 **Q. Let's skip now to page 5. And what did you do**
25 **here? What is this showing?**

1 A. Well, we've seen AFEs from several different
2 companies, and we've just gone back in and summarized
3 the -- what we see as the Great Western AFEs and the
4 Chisholm AFEs. And from my standpoint, you know,
5 looking at this as an engineer in the area, we work with
6 a lot of operators. We see a lot of AFEs. I'm
7 comfortable with the difference in the Great Western and
8 Chisholm's numbers. You know, for the pad drilling,
9 Chisholm is making some headway. It makes sense -- you
10 know, there's money on sharing location costs. They're
11 sharing, you know, some of the rig move costs. So the
12 lower numbers for the Chisholm drilling costs make sense
13 to me. They're in line with what we see in pad drilling
14 versus the Great Western, which are two one-off wells.

15 The part that bothers us, looking at this,
16 is the number for the stimulation, where we're looking
17 at 860,000 for a stimulation. We think that's light.
18 We're -- we're active with the vendors now. For a
19 10,000-foot well, we'll spend 5.3 million in this
20 category. Now, that's a 10,000-foot well. You say,
21 Well, what's the difference? We're going to run
22 2,500-pounds-per-foot frac. We're going to use a lot
23 more sand. But even if I scale it down and say -- you
24 know, based on what I would expect, I would expect a
25 number of 1.4 million per 1,500-pounds-per-foot frac.

1 These are being done in the area. We have other
2 operators that are running 1,500 pounds per foot, and
3 we're seeing the 1.4 million on the stimulation cost.

4 The Great Western numbers at 2.2, 1.8, I
5 think were probably current when they ran these numbers.
6 I'm seeing a little bit higher numbers now just with the
7 inflation and with the stimulation cost. I think
8 they're close. They were designed for 2,000 pounds per
9 foot. I still think that's light. I think it's going
10 to leave oil behind, and I think if we came back and had
11 a chance to revise this, as the operator, we would
12 probably push it up towards 2.4 million.

13 **Q. All right. Let's go back to page 4.**

14 **A. Okay.**

15 **Q. And explain to us what this exhibit shows?**

16 **A.** Page 4 gives our estimate on recovery's type
17 curve numbers for a 2nd Bone Spring well with 1,500
18 pounds per foot, 2,000 pounds per foot and 2,500 pounds
19 per foot. And then we also give estimated recoveries
20 for a 3rd Bone Spring Sand under the same conditions. I
21 think -- if you look at the numbers, our number for EUR
22 based on a 6-to-1 gas-oil ratio, the BOE number would be
23 581 for a 1,500-pound-per-foot frac. We think the BOE
24 would be 872 with 2,500 pounds per foot.

25 How did we get there? Well, you can go

1 back to the trends on page 2 of EUR per foot based on
2 the frac intensity, and we can draw a line -- you can
3 draw a line through there. We clearly see a trend on
4 the lower end. We see a trend on the upper end, which
5 gives us a trend line through the area. There's a lot
6 of the geology in this plot, but given the trend going
7 from 1,500 to 2,500, we think, at least on an oil basis
8 for the 2nd Bone, we can recover another 230,000 barrels
9 with a 2,500-pound-per-foot frac. So, you know, how
10 does that affect things? Well, obviously, there is a
11 higher recovery.

12 But from our standpoint, coming into a
13 position like this, where we have an operator that wants
14 to do a 1,500-pounds-per-foot frac and we're looking
15 at -- we think they can do something more, they can
16 recover more, to us coming in, it's somebody that
17 would -- can go forward with the 1,500-pounds-per-foot
18 frac, and we would not be able to recover reserves in
19 the future from that. We can't go back in and re-frac
20 an old well. We can, but we'd never get the original
21 conditions where we could additionally frac it. Maybe
22 we can get in small incremental by doing something else,
23 but we could never get back to the early position that
24 we are in now.

25 We have a choice. We can frac 1,500. We

1 can frac 2,000. We can frac 2,500. And so to us, it's
2 imperative that the decision's made early to frac it
3 with the highest intensity. That makes sense to us.
4 And from the industry, we're seeing sort of 2,500 pounds
5 per foot, and that makes sense.

6 **Q. So is it your opinion that development as AEP**
7 **proposes will result in the recovery of additional**
8 **hydrocarbon reserves that might otherwise go unrecovered**
9 **under Chisholm's?**

10 A. We think each individual well stands a chance
11 of recovering at least 200,000 barrels additional with
12 our plan. And, you know, given that, it would state a
13 position of about 15 percent royalties. You're talking
14 about \$1.5 million difference to the State for each well
15 between the two plans. So it's an incremental
16 1.5 million, I think, from the State side that is at
17 risk. And you say, Well, does the State ever come in
18 and tell us what to do, how to frac a well? The answer
19 is no. But I think it's imperative that we let you know
20 what our opinion is, what we think is at stake, and then
21 we're not just at risk. I think the State is at risk as
22 well.

23 **Q. All right. Let's turn to page 6 now, and if**
24 **you could just quickly address possibilities for further**
25 **development of the Section 34?**

1 A. We're active in 21 South, 33 East. As David
2 said, I think he probably gave an acreage number, but we
3 have maybe 6,500 acres in the area there that we're
4 operating net. We have 15 wells. We have an active
5 program. We're looking at all zones from the Delaware
6 Sands through the Avalon. We are very active in both
7 acquiring acreage and evaluating offset operators. So
8 we've looked at and evaluated the zones. We know what
9 our target zones are, which are the 2nd Bone primarily,
10 3rd Bone -- 2nd Bone and 3rd Bone Sandstones.

11 And in addition to that, we have Avalon.
12 We have 1st Bone Spring Sand that is being developed in
13 some of the area. We have some sections within the
14 3rd Bone Carbonate that are being looked at and then, of
15 course, the Wolfcamp A.

16 So for us, we look at a gun-barrel view
17 that looks like this, where we're starting a
18 development. The end result is something that looks
19 like all of those dots at a gun-barrel view. And then
20 where we're starting is with two wells, the 9H in the
21 2nd Bone and the 2H in the 3rd Bone.

22 **Q. All right. Mr. Harwell, in your opinion, would**
23 **the granting of the Great Western applications and the**
24 **denial of the Chisholm applications serve the best**
25 **interests of conservation, the prevention of waste, and**

1 **the protection of correlative rights?**

2 A. Yes.

3 **Q. And did you create Exhibit 13?**

4 A. Yes.

5 MR. HALL: That concludes my direct of this
6 witness.

7 We'd move the admission of the Exhibit 13.

8 MR. RANKIN: No objection.

9 MR. CASHON: No objection.

10 MR. STANGER: No objection.

11 EXAMINER McMILLAN: Exhibit 13 may now be
12 accepted as part of the record.

13 (Great Western Exhibit Number 13 is offered
14 and admitted into evidence.)

15 EXAMINER McMILLAN: Let's take a ten-minute
16 break.

17 MR. RANKIN: That's fine.

18 (Recess, 3:12 p.m. to 3:29 p.m.)

19 EXAMINER McMILLAN: Let's just get started
20 and if we have any legal questions, we'll stop and wait
21 for him.

22 This case shall be called back to order.
23 Please proceed.

24 MR. HALL: Before I pass the witness for
25 cross, I'd like to move the admission of the Exhibits 14

1 and 15. They are our notice affidavit with letters to
2 the working interest owners and the offset operators.
3 We got green cards back for all of them except from
4 Chisholm in Case 15876 for some reason. But they're
5 here. So we move their admission.

6 MR. RANKIN: No objection.

7 MR. CASHON: No objection.

8 MR. STANGER: No objection.

9 EXAMINER McMILLAN: Exhibits 14 and 15 may
10 now be accepted as part of the record.

11 (Great Western Exhibit Numbers 14 and 15
12 are offered and admitted into evidence.)

13 MR. HALL: And we will pass the witness.

14 EXAMINER McMILLAN: Please proceed.

15 CROSS-EXAMINATION

16 BY MR. RANKIN:

17 Q. Mr. Harwell, good afternoon. I'd like to turn
18 your attention to Exhibit 13, page number 2. It's the
19 first page that you addressed in your testimony. Will
20 you please recount for me what the source or how you
21 arrived at your EUR estimates for the information on
22 this page?

23 A. We -- we go through all horizontal wells in the
24 Delaware Basin monthly and do EUR estimates on all
25 horizontal wells by decline curve analysis.

1 Q. Okay. And did you do that unless or --

2 A. I have a staff person that does it. I've
3 actually probably done 4,000 a month for 18 months, but
4 now I have staff person that does it for me.

5 Q. Are you familiar with the assumptions that were
6 employed to come up with decline curves?

7 A. I am.

8 Q. And generally, what were they? How were they
9 done? How were they calculated?

10 A. Well, we take an individual well's production
11 from IHS and put them in PHDWin. It's typically what we
12 use. We'll run a decline with a default B-factor of
13 1.4. We'll use a tail of 6 percent. If the well
14 appears to be, you know, showing something or has more
15 history, shows something different than that, we'll use
16 something different. But, in general, we'll take a
17 decline curve and we'll use square stick [sic] and make
18 an estimate.

19 Q. So to your knowledge, the B-factor that was
20 used for these wells was the same for all the wells, or
21 do you know if there are different B-factors applied to
22 different wells?

23 A. The -- the -- the B-factor could be less if the
24 well is showing much more of an exponential decline. It
25 may be much -- much less than 1.4. We don't go more

1 than 1.4.

2 Q. Okay. And how about on terminal decline? Are
3 the -- are the values for terminal decline applied the
4 same for each of these estimates?

5 A. Most of these horizontal wells are way before
6 any terminal decline.

7 Q. Uh-huh.

8 A. And in some of the early wells, 2012, might be
9 seeing some kind of terminal decline. But, in general,
10 we'll take 6 percent as a default.

11 Q. Okay. Gotcha.

12 Now, for this analysis, you -- I think you
13 testified you used all wells in the area of review?

14 A. We use all wells, as far as our database that
15 we're looking at. We can do a subset. This is a subset
16 of all wells using specific operators that use Concho,
17 EOG, Centennial, Marathon, Chisholm and Advance.

18 Q. Okay. So the database doesn't include. This
19 exhibit is not all wells in the area. It's just the
20 wells -- a subset of the wells?

21 A. It is a subset of wells. But all that said,
22 it's a very big portion of the subset of wells just
23 shown by the number of wells represented here.

24 Q. Okay. So all the wells -- so on the legend --
25 on the key in the top right corner of page 2, does this

1 data represent all wells for each of those operators
2 identified in that --

3 A. It does in this area where we have data for
4 them. In about the past six months, we have data for
5 wells.

6 Q. Okay. But you left off Mewbourne. Was that
7 intentional, or did you decide not to use their data?

8 A. We have not -- we don't -- as far as watching
9 Mewbourne, we don't like some of the results of
10 Mewbourne's work. We think some of their practices
11 are -- are not up-to-date to some of the other
12 operators. The most up-to-date operators seem to be
13 Concho and EOG, although -- although all the operators
14 are testing jobs up to 2,500 pounds per foot.

15 Q. Okay. Are operators -- in addition to
16 increasing the pounds per foot or the fracking
17 intensity, are they making other adjustments to their
18 well completions and production that might impact the OP
19 EUR?

20 A. Yes, they are.

21 Q. Okay. So there are other variables that will
22 go into these more recent EUR results you are looking
23 at?

24 A. There are other elements of completion other
25 than frac intensity.

1 Q. Not just completion, but production as well?

2 A. I don't understand your question.

3 Q. Well, I mean, in other words, might there be
4 artificial lift that might impact the ultimate EUR?

5 A. That's true. But most of us are not in the
6 business to not make oil.

7 Q. Absolutely, right? Everyone's here to make oil
8 and as much as they can, correct?

9 A. That's correct.

10 Q. So in addition to the frac intensity, what
11 other factors are operators changing more recently to
12 get better results?

13 A. They're changing stage spacing is one. They're
14 changing cluster spacing. They're changing number of
15 holes per stage or per cluster. Most of that is
16 proprietary from each operator. We know from vendors a
17 little bit about what's going on. We have some, you
18 know, indications, but there is a secret recipe that
19 goes along with this. Yes.

20 Q. Okay. So all of those that you just -- all
21 those factors you just recited could play a role in
22 increasing or decreasing an estimated EUR for any given
23 well?

24 A. In some ways, most of those factors have an
25 effect on being able to keep sand within a well spacing,

1 as opposed to older frac methods that might have a wing
2 length that goes out 1,200 feet. The "secret sauce,"
3 now, is to have a big frac but not get it out farther
4 than your well spacing.

5 **Q. Okay.**

6 A. So in some ways, I say the frac intensity
7 itself, as shown here, is conclusive to me. The other
8 elements of the frac that really affect it -- or have an
9 effect on the total recovery in the section, not
10 necessarily one well. It's easy to go in and frac one
11 well 3,000 pounds per foot, and you'll get a good result
12 as long as you don't frac into something else, to water
13 or something else that's in the area. But the secret
14 sauce that each operator is using is allowing them to
15 place wells, either four or six or eight wells per
16 section, and get the ultimate recovery that they expect.

17 **Q. Okay. I want to continue on that vein a little**
18 **bit. But before I do, I want to ask you, going back to**
19 **the EURs here: Why did you decide to use EURs in this**
20 **presentation as opposed to IP numbers, initial**
21 **production? Why did you choose to use an estimate based**
22 **on a calculation or assumptions rather than just use**
23 **actual data?**

24 A. IP, in itself, is -- it's a worse number than
25 an EUR in its ability to gauge the performance of a

1 well. IP is subjected to what's going on with other
2 wells on the lease. It's subject to how the well was
3 fracked. It's subject to -- at what point in the well
4 flowback period that you're actually taking an IP. Is
5 it ten days after you frac? Is it 15? Is it 16? Is it
6 30 days? Is it a 30-day IP? And if you say, well,
7 okay, fine, I'll give it a 30-day IP, what does that
8 mean? How many days are in the month? Was it -- did it
9 flow for 15 days in the first month and then a full
10 month the following month? Or did it flow 29 days the
11 first month and then, you know, a full month the
12 following month?

13 So the IP itself is an interesting number.
14 We use it when we don't have anything else, but it is
15 terrible at giving a -- an indication of what the well
16 performance is going to do.

17 **Q. Okay. But to the same point, isn't an EUR**
18 **subject to whatever your assumptions are that go into**
19 **the estimate?**

20 **A.** An EUR -- you know, if you have six months of
21 production, it's always -- you know, you make
22 assumptions in everything. But as far as getting a
23 trend line on the vast majority of these wells that we
24 see in the basin, once you get a trend line on those
25 wells for a number of months, that number is vastly

1 superior in predicting performance of the well than an
2 IP is.

3 Q. Okay. Well, let me ask you a little bit about
4 these factors that you identified as influencing
5 ultimate -- or estimated recoveries -- estimating
6 ultimate recoveries. You mentioned stage spacing,
7 cluster fracking, numbers of holes per stage and -- did
8 I recount those correctly in terms of other -- other
9 completion factors that would --

10 A. I did -- I did mention stage spacing. I did
11 mention number of clusters per stage, and I did mention
12 number of holes per stage. Yes.

13 Q. Okay. And in your -- in this analysis, those
14 are unaccounted for; is that correct?

15 A. These are single well numbers, and so you are
16 correct in that those components in themselves are not
17 in these numbers. But I will say that we've looked at
18 what the effect of those are as far as performance goes.
19 And the operators that are optimizing those components
20 seem to be getting about 10 percent, maybe 15 percent,
21 in addition to what we're seeing on, you know, our
22 normal predictions. And I say our "normal predictions"
23 being an average of well performance in an area.

24 Q. So that 10 percent increase is relevant to the
25 stage space and cluster per stage and number of holes

1 per stage. Is that what you're saying?

2 A. I think that's right.

3 Q. That would optimize --

4 A. 10 percent, yes.

5 Q. Now, looking at your graph here on page 2 of
6 Exhibit 13, it depicts a cluster of frac -- staged --
7 frac intensity on the x-axis going left to right, right?

8 A. Yes.

9 Q. For each -- any given frac intensity, there is
10 a wide range of EURs.

11 A. There is.

12 Q. In fact, if you look at 1,500, 1,600 frac
13 intensity, it ranges anywhere from 50 EUR up to 350 EUR,
14 which is comparable to a frac intensity of, what, 2,800
15 and up to 3,000? Is that a fair reading of the -- of
16 your graph there?

17 A. I wouldn't -- I wouldn't read it the same way,
18 but if you want to read it that way, that's up to you.

19 Q. But I mean the numbers are there, right? I
20 mean that number for 1,600 frac intensity is at 350 EUR,
21 right? That's not a subjective reading.

22 A. This -- the range that goes from the lower side
23 of the cluster, call it 1,500 to 1,600, any kind of
24 binning that you want to look at, there is a range going
25 from poorer wells to better wells as you go along the

1 graph and bin it. So you can bin. And so we use
2 binning and then we take an analysis like that and we
3 try to say, well, I can't understand what the binning is
4 on this graph. So we go to another graph and the graph
5 on page 3 on the upper right is a binning of the
6 performance based on, you know, the different binning of
7 the frac intensities. And given that graph, the
8 conclusion's the same, that the higher frac intensity
9 for the wells that we're looking at here in this basin,
10 in this county, show better performance above 2,000
11 pounds per foot than the wells that are fracked at 1,000
12 to 1,500 pounds.

13 Q. Okay. We'll talk about the next graph in just
14 a bit.

15 But on page 2, the variability in each of
16 those -- we'll just call them "bins," to use your
17 language for each of these different frac intensity
18 examples. You can't, sitting here today, tell me what
19 the basis for that variability is based on your
20 analysis?

21 A. We know from -- that there are lots of studies
22 out on the fact of what is affecting EURs. And
23 primarily, it's geology. It's rock, and number one,
24 that affects the performance of a well. You can't drill
25 a well in cement and get very good recovery. It depends

1 where you drill it. So these are in the area that, you
2 know, of interest. These wells are in the basin, in the
3 area of close to Section 34 that we're talking about,
4 you know, in this discussion.

5 The variance that goes even within the --
6 the binning, typically, we account for as geology,
7 better rock. It gives you better results. Worse rock
8 gives you worse results. But the conclusion we come to
9 at the end of that is that even on poor rocks, we get
10 better recovery if we frac with a higher intensity. So
11 we agree that there is plenty of variability here, but
12 for areas especially like Section 34, where there is
13 some questions on geology how well -- how good are the
14 wells going to produce, we want to frac them with the
15 best chance that we can. And so even for the wells that
16 are in the lower portion of these bins, you can see as
17 you move from 1500 up to 2,000 up to 3,000 pounds per
18 foot, the lower end of these groupings continues to get
19 better.

20 **Q. But no well on your chart with a frac intensity**
21 **greater than 200 -- greater than 2,200 pounds has an EUR**
22 **higher than any of the wells -- the highest wells with a**
23 **frac intensity of 2,000 pounds?**

24 A. That's correct.

25 **Q. So it's not always true that a greater, larger**

1 **intensity frac results in a better EUR?**

2 A. Well, we didn't frac that same well with 2,500
3 or 3,000 pounds per foot. So you can come to that
4 assertion. I would not because --

5 **Q. But because of the rock.**

6 A. -- because when I look at this grouping of
7 points, the grouping continues to move upward as the
8 frac intensity goes -- gets higher.

9 **Q. But you agree with Chisholm's approach, which**
10 **is to identify the very best targets within the rock as**
11 **the best means, the principal means of getting a higher**
12 **EUR?**

13 A. That's exactly what we do. Yes. I do agree
14 with that.

15 **Q. Okay. And based on this chart, you can't say,**
16 **again, whether any of those other factors you identified**
17 **contributed to the higher EURs on any one of these bins**
18 **that you've discussed?**

19 A. No. This is -- I mean, there's no one chart
20 that's going to tell you everything, right? We're
21 trying to look at the effect of frac intensity, and we
22 believe that that chart gives us a good indication of
23 what the effect is of the --

24 **Q. No, I understand. But you looked at this chart**
25 **for frac intensity, but you didn't look at any other**

1 charts for stage spacing, cluster spacing, number of
2 holes per stage or quality of rock?

3 A. It's not public data.

4 Q. Gotcha. Gotcha.

5 Okay. Looking at this graph again, you've
6 included Chisholm as one of the operators in your data
7 point, correct?

8 A. Chisholm is the operator on those wells
9 although they're Mewbourne wells. So it is not fair to
10 say that those are current to -- to Chisholm.

11 Q. All right. And when you say that, you mean
12 that those are wells that were drilled by Mewbourne, not
13 Chisholm?

14 A. Correct.

15 Q. Okay. And those are the -- Chisholm wells are
16 the wells that are kind of in the beige circle color?

17 A. They are.

18 Q. And I don't see any -- I only see Chisholm's
19 wells basically to the left of 800-pound frac intensity;
20 is that right?

21 A. That's what I show here, yes.

22 Q. So I guess my question is: Are you aware that
23 Chisholm, for all its recent wells, is using a frac
24 intensity of 1,500 pounds per foot?

25 A. No, I'm not aware.

1 Q. Okay. So my next question --

2 A. Can I add?

3 Q. Yeah.

4 A. I will add that Chisholm hasn't reported in
5 FracFocus. They haven't reported any intensities to the
6 State. They haven't reported any of their completion
7 information in any of the normal sites.

8 Q. Okay.

9 A. So, no, I don't have access to them.

10 Q. Okay. All right. That was one of my questions
11 I should have asked first, the source of this frac
12 intensity data. You mentioned public sites. So what
13 are those?

14 A. FracFocus is one. IHS is one. The State
15 reporting site, the OCD is one. Drillinginfo is one.
16 And then we also have meeting rooms that we attend. We
17 have partners that we work with. So it's both
18 individual companies' information and -- but the primary
19 source is IHS, which gets most of their information from
20 FracFocus.

21 Q. Okay. All right. So just to be clear again,
22 this chart does not include all wells in the study area.
23 It just includes the ones that you chose, so it doesn't
24 have all operators, correct?

25 A. It does not have all operators. It has all the

1 wells for these operators.

2 Q. So we don't know if there are other wells that
3 used a frac intensity of less than 2,000 and higher EUR
4 based on this study. We have no idea.

5 A. Not from this chart. No, you don't.

6 Q. And you excluded those, so we don't know
7 whether you selectively excluded the higher EURs from
8 this chart. We have no way of knowing.

9 A. No, you don't know that, except I could tell
10 you that they don't show up up there.

11 Q. Okay. All right. I think the same goes for
12 the chart on the bottom right. The data that you used
13 for this chart is -- it's only -- it's good to the
14 extent you were able to obtain it from a public site.

15 A. We're very efficient. We find all wells, you
16 know, within the system with the exception of 20 wells,
17 30 wells that we don't find. We do a good job at
18 findings wells. What you will see is, you know, the
19 data here represented on the map, and it -- there is a
20 vast amount of data in the area that we're talking about
21 here.

22 Q. I just want to talk a little bit about AEP's
23 drilling plans since my other questions were deferred
24 from Mr. Scott. Does AEP have any plans over the next
25 year to drill more than one well per spacing unit in any

1 of the acreage that it holds at one time? In other
2 words, to do what Chisholm is proposing to do which is
3 to drill back-to-back wells?

4 A. We're going to drill back-to-back wells on
5 multiple pads -- on a single pad in a number of areas.
6 Now, are those multiple wells in the 2nd Bone Spring in,
7 you know, four wells across or six wells across? No.
8 But we were doing pad drilling with multiple wells in
9 multiple zones.

10 Q. Okay. And in those locations, are you doing
11 that back-to-back drilling in order to save costs as a
12 prudent operator?

13 A. Yes.

14 Q. Okay. So you're going to be drilling those
15 wells back-to-back without waiting to see what the
16 results are from the first well you drilled? You'll
17 complete both wells at the same time before you know
18 what the results are?

19 A. The 2nd Bone Spring well and the 3rd Bone
20 Spring well -- we'll -- the effect of the 2nd Bone
21 Spring is not going to affect the 3rd Bone Spring. And
22 so, yes, we'll complete them at the same time and move
23 forward.

24 Q. On page 3 of your Exhibit 13, there is a chart
25 showing cumulative BOE per -- as I understood it, you

1 normalized the data to 1,000-foot lateral?

2 A. Yes, per thousand foot of the lateral.

3 Q. Okay. Versus cumulative BOE, right?

4 A. Yes.

5 Q. But we don't know -- are these the same wells,
6 the same data that you used in the scatter plots on page
7 2?

8 A. It is.

9 Q. So the exact same data, same wells?

10 A. Yes. The wells plotted here should be the same
11 wells that show up here (indicating) on the map, so the
12 binning here for these wells is reflected in these
13 plots.

14 Q. Okay. So you're saying with respect to this
15 chart, the same issue as that -- and, you know, whether
16 or not the data was public and you had access to it,
17 this data set excludes Chisholm's completions at 1,500
18 pounds per foot?

19 A. It does, yes. I would be happy to add it if
20 they would post the data.

21 Q. Yeah. I'm sure. I'm sure.

22 All right. And then on the chart below,
23 this looks like -- I think it's a cumulative BOE using
24 that same 1,000-foot lateral by month of production; is
25 that right?

1 A. That's correct. Yes.

2 Q. Okay. On the x-axis.

3 I know that there are a lot of wells and a
4 lot of data in here, but it does seem a little bit
5 confusing because the well lines in green -- which are
6 the wells that completed with greater than
7 2,000-pounds-per-foot frac intensity, right?

8 A. Yes.

9 Q. -- they appear to be -- I mean, it's hard to
10 tell, but looks like they're covering up a lot of wells
11 in the 1,500 to 2,000 range. Is that -- I mean, I can't
12 tell how many other wells were -- that are colored red
13 in the 1,500 to 2,000 range that have cumulative BOE
14 that was over -- you know, that would cover over some of
15 those green lines. Do you understand what I'm saying?

16 A. I don't have any problems understanding this
17 plot.

18 Q. Okay.

19 A. Are you asking me whether I understand the
20 plot?

21 Q. No. I'm asking you -- it seems to me that some
22 of those green lines --

23 A. I can see green lines.

24 MR. HALL: Do you understand his question?

25 Q. (BY MR. RANKIN) Yes. Do you understand my

1 **question?**

2 A. I guess I don't. I don't know where you're
3 going with this.

4 Q. Okay. Well, I'm trying to understand. It just
5 **seems like the green lines, which represent the higher**
6 **intensity fracs, right?**

7 A. Are you asking: Are they covering up the red
8 lines?

9 Q. Yeah.

10 A. To me, no. I see green lines, you know, up the
11 upper side. I don't see any, you know, peeking through
12 except a couple, maybe two or three, green lines
13 underneath the red. But the red is posted on top of the
14 green, so the red has preference here. So --

15 Q. Okay. Well, I guess we'll just leave that as
16 **it is. It's a confusing plot and does not --**

17 A. It's a plot reservoir engineers use all the
18 time. So --

19 Q. Okay.

20 And so as with the first page of your
21 **exhibit, page 2, this page also does not account for**
22 **other factors you identified: the quality of the rock,**
23 **the location of the lateral, the clustering of the frac**
24 **stages or the spacing of the frac holes and so forth.**

25 A. This is raw data just showing the effect of the

1 frac intensity.

2 Q. And also on the top right on page 3, you don't
3 know whether or not there was artificial lift applied to
4 any of these wells that would account for the difference
5 in the BOE numbers?

6 A. I don't know the lifting methods of individual
7 wells. I know the standard pattern of moving wells from
8 test to early testing to early lift with, you know, ESP
9 or gas lift. The operators that we've talked to that
10 are involved here, my work in the field -- I'll work
11 either with Concho other EOG. They immediately moved to
12 -- after they flow for several months -- they moved the
13 gas lift and ESP and then moved to rod pump, which is
14 consistent with wells that Concho, EOG and Centennial
15 and Marathon operate.

16 Q. And if some of these wells were on an
17 artificial lift from the beginning of production, would
18 that result in significant change in what the cumulative
19 BOE is on this chart?

20 A. No. No? It makes -- it makes the forecast
21 easier.

22 Q. Okay. Sorry. Lastly -- couple more questions,
23 Mr. Harwell.

24 Looking at page 4 of your Exhibit 13, are
25 you looking at the section -- the township map down

1 there -- in where you've identified Section 34 in blue,
2 if you go south into the next township, do you see
3 Section 11? I believe Mr. Williamson testified that --
4 if I'm not mistaken, that those were Mewbourne wells in
5 that section there. Do you see that on the map?

6 A. I see the block. Yes.

7 Q. Are you familiar with the EURs for those
8 Mewbourne wells? I know that you told me that Mewbourne
9 was not included in your prior data set on the EURs, but
10 have you looked at both wells?

11 A. I have.

12 Q. Are you familiar with each of the wells?

13 A. I'm not familiar with -- you know, typically, I
14 would have a list of wells in front of me with EURs to
15 give you the details, and I don't have that in front of
16 me.

17 Q. So you've looked at it, but you -- did anything
18 stand out to you based on your study of those wells that
19 Mewbourne drilled?

20 A. Only that they appear to be in the basal part
21 of the 3rd Bone or the upper part of the Wolfcamp A and
22 that there is significant variability in the wells.

23 Q. Significant variability in the EURs of those
24 wells?

25 A. Yes.

1 Q. And are you familiar with how Mewbourne
2 completed those wells?

3 A. I know that they had some completions up to
4 2200 pounds per foot. They had some that were much
5 smaller.

6 Q. Did you see any correlation between the EUR --
7 higher EURs with the higher frac intensity completions?

8 A. I don't know the numbers themselves right now.

9 Q. All right. Now, on page 5, I just wanted to
10 ask you this, and I'm not an engineer, so I'm not
11 familiar myself, but I wanted to know if you could tell
12 me about it.

13 The Hubbert & Willis Equation, are you
14 familiar with that --

15 A. No.

16 Q. -- equation? No? Okay. I'm not either.

17 MR. RANKIN: I have no further questions,
18 Mr. Examiner. I pass the witness.

19 Appreciate your time. Thank you.

20 MR. STANGER: I have a couple of questions.

21 CROSS-EXAMINATION

22 BY MR. STANGER:

23 Q. You talk a little bit on page 2, the charts,
24 and you said you probably thought they were influenced
25 by some geological factors. Did you -- did you make an

1 attempt to try to normalize it for thickness of the Bone
2 Spring for any of those completions?

3 A. We've tried and couldn't find a correlation.

4 Q. So it was just kind of a scatter plot? You
5 didn't really see any kind of --

6 A. We didn't find a correlation.

7 Q. Okay. And then how about as far as depth in
8 the basin or anything like that, completion depth?

9 A. We don't have correlation.

10 Q. You didn't have any correlation there? Okay.

11 A. We did look at it. So, yes, we did look at it.
12 No, we didn't have a correlation.

13 Q. Okay. How about on page 3, did you observe any
14 relationships in regard to location? I look at the map
15 there and it looks like a predominant number of those
16 blue -- the blue dots -- the blue wells are in the
17 southern part of that map, it appears to me, and fewer
18 of them in the northern part. And I was just curious if
19 you tried to look at these same plots that are on page 3
20 by looking at -- comparing wells in the southern areas
21 compared to the wells in the northern areas at all?

22 A. We have. We've looked at, you know, trend
23 areas where primarily you have a 3rd Bone trend in the
24 north; you have a 2nd Bone trend in the south. But as
25 far as frac intensity, you know, the binning that we

1 show on page 3 -- was your question about page 3?

2 Q. Yeah. Like, if you just, say, took the wells
3 up in the northern area --

4 A. Right.

5 Q. -- as a group and did these two charts on the
6 side and then took the wells in Canada Southern area and
7 did these two charts on the side, did you make an
8 attempt of that and would it kind of give the same
9 indication that the -- higher frac intensity?

10 A. We do get the same -- the cluster of. If you
11 if you take the map on page 3 and cut it in half, look
12 at the southern area separately from the northern area,
13 you get the same trend. Now, the difference that -- you
14 know, the gray -- the gray, low-intensity wells are more
15 about when the area was developed. Was that area being
16 developed in 2012, or is it farther out from the early
17 development? And it is either getting infill, or is it
18 getting extension? And with newer wells -- and the
19 newer wells always seem to be higher frac intensity than
20 the older wells.

21 Q. Okay. And then the only other question I had
22 was: You had on page 6, you had that chart of what
23 you-all had identified as opportunities to drill in this
24 section?

25 A. Yes.

1 Q. Do you have an idea how much of this you expect
2 to develop or plan to develop before your stated exit of
3 late 2018?

4 A. I can address the budget year of 2018 that we
5 would be prepared to drill, you know, the two wells.
6 Would we be prepared to drill additional wells, we'll
7 continue our study. If it looks like we should do an
8 appraisal, either for our evaluation or if it looks like
9 we can raise the property value, we'll continue to do
10 those evaluations in these other zones in 2018.

11 So what we're talking about is a commitment
12 on two wells and evaluating all zones.

13 Q. So do you believe that you'll be the operator
14 that would be developing these wells that are on here on
15 chart --

16 A. We think --

17 Q. -- on page 6? I don't quite understand the
18 significance of it if you-all are exiting in late 2018?

19 MR. HALL: I'm going to object.

20 THE WITNESS: Should I answer that?

21 MR. HALL: It assumes evidence not in the
22 record.

23 But go ahead.

24 THE WITNESS: For our work, as we move
25 forward and we try to put value on property, and say

1 we're looking at an exit -- just assume we're looking at
2 an exit in 2018, we're not going to sell to 10,000 an
3 acre. We're going to sell for something significantly
4 more than that.

5 The companies that are looking to come in
6 and put high value on property are going to come with
7 the idea that they're going to develop. They can't come
8 in and sit and preserve their value. So for us, we want
9 to move reserves to PDP as a company. For the companies
10 that we see coming in, buying private-equity companies
11 like us or Chisholm or any of the private equity
12 companies, we see those companies coming in with a
13 rather large development plan, with a number of rigs,
14 and they're going to move through and they're going to
15 go through with the development.

16 Our plan ahead of that is to prove up zones
17 so that it is ready for them to move in with a large
18 development program. Now, if we don't get out in 2018,
19 we will continue to move production -- move reserves
20 into PDP. We'll drill wells and we'll turn them on. We
21 make money at doing that. We're happy doing it. We've
22 got EnCap as a backing. They're happy doing it. We
23 have plenty of support.

24 **Q. (BY MR. STANGER) But so far as it goes, you**
25 **only have plans for two wells in 2018?**

1 A. Two wells in 2018.

2 Q. And you don't really know about 2019 because
3 you don't know what the status of the company will be
4 after that.

5 A. I'll say I don't know about 2019 because we
6 haven't worked on budget for 2019.

7 Q. Okay. All right. Thank you.

8 MR. CASHON: I do have one question.

9 CROSS-EXAMINATION

10 BY MR. CASHON:

11 Q. Back to page 3 on your exhibit, the influence
12 of extended lateral being the two-mile lateral versus a
13 one-mile lateral, I assume in this chart you're
14 combining all --

15 A. We are, yes.

16 Q. -- lateral lengths, correct?

17 Is there any relevance to lateral length --
18 and given these different frac jobs and this graph, in
19 other words, if you just took that subset out and just
20 compared the sectional lateral, how would that affect
21 that graph?

22 A. We used to think we saw a 15 percent -- 10 or
23 15 percent reduction on the end of the well if we had a
24 10,000 foot lateral. So the overall well might be 5
25 percent less than a full-mile lateral. The wells that

1 we're looking at now, maybe -- maybe it's masked by the
2 high EURs that we're seeing and the frac intensity going
3 up, and it's overwhelming. The deduct that we might see
4 on the long lateral, we're not seeing the deduct like we
5 did before. So it goes 5 percent -- I can't tell you I
6 see 5 percent in a reduction in EURs on 10,000-foot
7 laterals like maybe we did two or three years ago.

8 Q. Given all the other variables with cluster
9 shots?

10 A. Right.

11 Q. Thank you.

12 CROSS-EXAMINATION

13 BY EXAMINER JONES:

14 Q. Good afternoon, Mr. Harwell. I'm at a bit of a
15 disadvantage here because I wasn't here for the previous
16 testimony. So I'll just try to continue building --
17 building a transcript and the Examiner can do what he
18 does.

19 So your design of your frac jobs, you guys
20 have a preferred vendor as far as service companies?

21 A. No, we don't.

22 Q. But --

23 A. We're -- at this point, I say a taker. We look
24 at four or five companies. We are takers at their
25 timing. We, typically, once we get to a frac timing

1 where we're bringing somebody in, we may have one or two
2 that can handle that date and what we're --

3 **Q. Who will be the -- who will sit on your job**
4 **after their -- to run your job? I mean, do you have**
5 **in-house people?**

6 A. We have in-house people combined with -- with
7 consultants that we use.

8 **Q. Like IPT or somebody -- just throwing out a**
9 **name here?**

10 A. I have a consultant Chris Hansen. He's fracked
11 probably 200 wells. He has good experience. He's with
12 Capital Petroleum Consultants. He works with us. My
13 engineering manager, Marcus Bersenue [phonetic], has
14 fracked a lot of wells in his career with Conoco. So
15 I've got two that are either consultant or in-house that
16 work with us.

17 **Q. Okay. And can you just describe -- just one of**
18 **the stages of the job? I assume they're pretty much**
19 **identical as you move from the end of the well to the**
20 **heel of the well. So --**

21 A. With the only difference being that the toe is
22 typically more conservative. We don't want to sand out
23 anything at the toe. We may be more conservative with
24 how much sand we put in the toe.

25 **Q. Okay. But do you pump a little pad and shut in**

1 **and get your closer pressures, and then you -- do you**
2 **design your frac on the fly there? Is that --**

3 A. We have the ability to change the frac, but
4 obviously, it goes with the schedule. You know, we pump
5 25 million pounds of the sand on a 10,000 foot well.

6 **Q. Okay.**

7 A. It's my schedule. Everything's -- everything's
8 worked out. We know the days, what's happening when.
9 We ramp up -- we start pumping water. We'll ramp up
10 rate. We'll -- we'll ramp up concentration on 100 mesh.
11 We'll then switch over to 47. We'll ramp up
12 concentration on 47.

13 **Q. Okay. So you don't get any larger than 40/70?**

14 A. No.

15 **Q. And do you put any sand control in?**

16 A. No, we don't.

17 **Q. Okay. You don't have trouble -- you don't**
18 **anticipate trouble with that?**

19 A. We haven't seen it in the wells that we operate
20 with Amtex. The last well that we worked with Amtex to
21 frac was the Dagger State 504. It was about 3,000
22 pounds per foot. It's still making good oil at about
23 1,900 barrels of fluid per day after eight months of
24 production.

25 **Q. Okay. Yeah. You saw a Dagger 504H.**

1 A. Yes.

2 Q. It's a really good well.

3 A. It's a good well. Uh-huh.

4 Q. And that one was high, 3 -- 3,400 pounds per
5 foot?

6 A. Yes.

7 Q. Just average size. That's -- is that mostly
8 100 mesh, or is that just a --

9 A. It's a combination --

10 Q. Combination?

11 A. -- of 100 mesh and --

12 Q. But you don't go less size than 100 mesh? Not
13 200 mesh?

14 A. No, we don't.

15 Q. The perfs -- you're using half-inch perfs?

16 A. Yes.

17 Q. So in order to get that much sand in your -- do
18 you have to gel up any, or you just increase your rate?

19 A. No. We increase the rate.

20 Q. Where do you get your sand nowadays? You
21 getting it from Kermit, Texas, like they're talking
22 about in the paper?

23 A. Wherever we can get it from.

24 Q. Wherever. Okay.

25 A. Right. We're a little bit at the mercy of the

1 vendors.

2 Q. Are you happy with the grade of the sand or the
3 quality of --

4 A. We have --

5 Q. -- the sand?

6 (The court reporter requested the parties
7 speak one at a time.)

8 (Laughter.)

9 Q. Are you happy with the quality of the sand they
10 bring to you?

11 A. Yeah.

12 Q. So what gel loading --

13 A. Now, when I say that, it's in reference to the
14 Amtex well, that we work with Amtex on, the 504. We're
15 still waiting. We haven't seen our sand on Merchant
16 State, which we're getting ready to frac in January.

17 EXAMINER BROOKS: Excuse me, sir. Just to
18 keep the court reporter happy, don't start your answer
19 until Mr. Jones finishes his question.

20 EXAMINER JONES: And Mr. Jones will try to
21 not start his question before the answer.

22 Q. (BY EXAMINER JONES) Okay. Would you like to
23 finish what you were saying on the sand quality?

24 A. We're happy with the sand quality that we've
25 seen, but then as far as what have we seen, it's

1 primarily been the 504. And the sand quality we haven't
2 seen yet is the Merchant State, which will be coming up
3 in January.

4 Q. So what gel loading do you use? What kind of
5 gel is it? 30-pound bore gel type system?

6 A. It hasn't been -- it hasn't been that. It's
7 been more of a 15-pound -- the job that's getting
8 designed now will be straight slick water on the
9 Merchant State.

10 Q. Definitely not crosslinked?

11 A. No, not crosslinked.

12 Q. So are you worried about any gel being left in
13 the -- in the tiny little --

14 A. No.

15 Q. And you're happy with the drill direction out
16 here? Was there a controversy about the direction of
17 the drill --

18 A. As a --

19 Q. -- of a well?

20 A. -- in regard to the discussion with Great
21 Western and Chisholm of the north-south, that's the
22 preferable orientation in the area.

23 Q. Do you know -- do you know anything about the
24 actual stress direction?

25 A. We do have some data, yes.

1 Q. Is that from, like, dipole-array sonics, they
2 call them nowadays?

3 A. We have an array sonic in several of the Amtex
4 wells just off to the west. We have also seen studies
5 in the area that are consistent with that trend.

6 Q. And the trend is not exactly east-west, is it?

7 A. No, it's not.

8 Q. But you're happy with drilling north-south
9 wells?

10 A. Yes, right. The wells running north-south seem
11 to have better performance than the wells running
12 east-west.

13 Q. You keep the land people happy and --

14 A. Yes.

15 Q. -- make an engineering adjustment.

16 Did you bring in any other knowledge from
17 any other basins, as far as your trend on improving your
18 fracs, or is it totally empirical from this Bone Spring
19 trend?

20 A. The industry itself has been changing since,
21 you know, 2008, 2009. I've watched that in a number of
22 different basins. We haven't had the data set until
23 recently with the activity in the Delaware Basin, the
24 increased activity, and the increase frac intensity. So
25 I'd say only recently have we had the data set in good

1 enough shape where we can put trends -- put a plot like
2 these together showing trends. Right.

3 Q. Okay. And so now you can go design your size
4 -- strength of your casing and your wellhead so you can
5 get this frac off with more sand per foot?

6 A. Yes.

7 Q. Do you use a 10,000-pound wellhead or no well
8 protector on your -- when you frac? Do you use a well
9 protectant?

10 A. I don't know.

11 Q. Okay.

12 A. I don't know what they're running.

13 Q. Let me ask you about the end of the well. You
14 know, horizontal wells being -- laying the pipe in a
15 hole that's -- the pipe kind of falls in the bottom of
16 the hole, and I assume it still does, even though
17 centralizers might be in there.

18 A. Uh-huh.

19 Q. When you cement it, are you actually isolating
20 the toe of the well adequately to keep your -- your
21 initial frac where you intend it to be?

22 A. We think we are. The only data that I have is
23 data from data rooms that we attend where we're seeing
24 microseismic data showing fracs -- frac performance with
25 something consistent in orientation and in general

1 nothing crossing into other perforations.

2 Q. Do you see any difference in your net pressure
3 plot on your -- on your initial frac versus the one as
4 you keep coming up the hole measured depth?

5 A. Not significant, no.

6 Q. You don't see it breaking into -- breaking down
7 on you or anything?

8 A. No, we don't.

9 Q. Okay. Just to continue the discussion brought
10 up in earlier questioning, you mentioned that you would
11 switch the well from flowing to maybe a submersible pump
12 to gas lift to maybe a pumping unit. That's a lot of
13 changes in the -- is that standard in the industry with
14 these horizontal wells?

15 A. Standard is to flow for a period of time and
16 then either go to gas lift or submersible pump and then
17 play that out until it's economic to go to a rod pump.

18 Q. And is there a risk of losing your submersible
19 pump in the hole with all that cable?

20 A. There is always a risk. Of the wells that
21 we've been watching, out of -- I don't know -- 100
22 horizontals that we have direct contact with, I've seen
23 where they've lost a submersible pump once.

24 Q. Okay. That's not bad.

25 A. No. I say "lost" as in lost, where they had to

1 go in and fish it out, not where submersible pump
2 stopped working, but when they physically shorted it out
3 and lost it in the well. They had to go fish it.

4 Q. The economic limit of these wells, are you --
5 do you have any idea on the pressure limit that you
6 could get this reservoir down to or even the rate limit
7 as far as total -- total liquids?

8 A. No. We pump these down to just above the
9 perforations --

10 Q. Okay.

11 A. -- with rod pump. So by the end of the well,
12 we do keep them pumped off. And so -- is it a question:
13 Do horizontal wells cost more to produce? The answer is
14 yes. Is it a question about pressure? We do have the
15 ability as long as the well's straight, you know, that
16 we can -- we can rod pump to near -- near the
17 perforations.

18 Q. So your pump would be actually down in the
19 curve?

20 A. No. Typically, we'll pump above -- above that.
21 We can put it in the curve if we need to a little bit,
22 but it's not where we want to pump from. We'll lose
23 more pumps than we'll gain on getting additional .5 psi
24 drawn out.

25 Q. Okay. And the additional water that -- is

1 **it -- do you make more water with these higher sand**
2 **concentrations in these wells?**

3 A. We do not make higher water cuts in wells with
4 the higher sand concentrations that we've seen. Now, do
5 we make more fluid? Yes, we do make more fluid. It
6 leads to more recovery. But is it a higher water cut?
7 We haven't seen it as a higher water cut.

8 **Q. Okay. Thank you very much.**

9 MR. RANKIN: Mr. Examiner, based on your
10 questions and his responses, I have a couple questions
11 on follow-up.

12 EXAMINER McMILLAN: Okay.

13 MR. RANKIN: I'm sorry.

14 CROSS-EXAMINATION

15 BY EXAMINER McMILLAN:

16 **Q. Mr. Harwell, what's the spacing going to be on**
17 **these wells?**

18 A. The State spacing? We're planning four wells
19 across on -- on development of the 2nd Bone Spring --
20 and perhaps moving to six wells across.

21 **Q. And how many clusters -- what is the cluster**
22 **spacing going to be for these wells?**

23 A. The cluster spacing --

24 MR. HALL: He's divulging proprietary
25 information here. That's what I need to know.

1 THE WITNESS: As far as cluster spacing, we
2 won't say. But as far as well spacing, we can talk well
3 spacing, but we're into proprietary design at that point
4 on cluster spacing.

5 MR. HALL: We would have to follow the
6 protocols for providing you with proprietary
7 confidential data.

8 EXAMINER BROOKS: We don't want that if
9 it's not critical. If it's critical -- let's slide over
10 it.

11 EXAMINER McMILLAN: Let's move on.
12 Okay. Go ahead.

13 MR. RANKIN: Thanks, Mr. Examiner. I just
14 have a couple of questions to follow up on.

15 RE CROSS EXAMINATION

16 BY MR. RANKIN:

17 Q. You mentioned that AEP was involved in the frac
18 end of the drilling and completion of the Dagger State
19 504?

20 A. We were involved in the completion but not the
21 drilling.

22 Q. Okay. Are you familiar with -- are you
23 familiar with what went on during the drilling of that
24 well? I mean, you're familiar with the background?

25 A. On the drill or the completion?

1 Q. On the drilling?

2 A. The drilling is before my time. I am familiar
3 with reports of what went on with the Dagger 504, but as
4 far as completion, I know more.

5 Q. Okay. So on the completion side, was that well
6 -- you talked about cementing the toe -- was that well
7 cemented at the toe?

8 A. It was not.

9 Q. And do you know why it wasn't?

10 A. They stuck casing about 1,000, 1,200 foot off
11 bottom.

12 Q. Okay. So that lateral wasn't cased at all?

13 A. No, it was not.

14 Q. And it wasn't cemented at all?

15 A. No, it was not.

16 Q. And stilled fracked?

17 A. Yes.

18 Q. Is that -- could that account -- account for
19 the difference in the production from that well?

20 A. I don't think it would. And my opinion might
21 hurt more than help. I think fracking uncontrolled in
22 an open-hole section is problematic.

23 Q. Okay. So why did they decide to frac it if
24 they got the casing stuck?

25 A. They decided that 1,200 foot of open hole was

1 too much to bypass, and so they opened it up and fracked
2 it in a single stage.

3 Q. Okay. Okay.

4 MR. RANKIN: That's it. No more questions
5 from me.

6 EXAMINER BROOKS: I've got a question, just
7 for my own education.

8 CROSS-EXAMINATION

9 BY EXAMINER BROOKS:

10 Q. You said something about comparing initial
11 production IP on wells. Is there a -- in the trade, is
12 there a rigorous definition of what IP is?

13 A. We call -- we use terms, as in 24-hour IP,
14 30-day IP, 90-day IP.

15 Q. Yeah?

16 A. And those are -- the 30-day IP is the reported
17 highest 30 days of production.

18 Is there a definition that's a standard
19 definition?

20 Q. Yeah?

21 A. The 90 days is the -- is the production over
22 the peak three months that is reported, so that's a
23 90-day IP. You can have a 180-day. You can have a 365.
24 But as far as a 24-hour IP, there's no standard of what
25 it means.

1 Q. Do you have any expertise in these fields
2 indicating if you want to compare wells? I've used the
3 rule of thumb of saying -- because I'm usually looking
4 at the OCD's records that say the first full month that
5 you've got 30 days' reporting production. Do you use
6 that datum to compare wells?

7 A. The 30-day IP is not as good as a 90-day IP, as
8 far as being able to tell performance. But if you only
9 have a 30-day IP, that's what we use. And we use
10 correlations to try to get us to do something that we
11 think is going to happen in a well.

12 Q. Of course, when you're comparing wells, you're
13 often comparing ones that have been on production for
14 different lengths of time.

15 A. Yes. Right.

16 Q. So you have to use a standard length of
17 comparison.

18 Thank you.

19 MR. HALL: That concludes our direct case.

20 MR. RANKIN: Mr. Examiner, no further
21 questions of their witness.

22 I would like to request we be permitted to
23 put on a rebuttal witness. Coming into this case, we
24 were under the impression that the issues Great Western
25 had with our proposals were related to the geology and

1 the development of the 2nd Bone Spring. And so we did
2 not understand, based on our correspondence with Great
3 Western, that the issues were really related to
4 completions more than anything. So we did not
5 anticipate that completions were going to be such an
6 issue in this case. So we would like to put on a
7 rebuttal witness to address the exhibits that
8 Mr. Harwell put together here so we can just run through
9 and make that a part of the record.

10 EXAMINER McMILLAN: Okay.

11 MR. RANKIN: Okay. Thank you.

12 EXAMINER BROOKS: Do the Examiners all
13 agree?

14 EXAMINER McMILLAN: Yes.

15 EXAMINER BROOKS: I think he has a right to
16 rebuttal anyway.

17 MR. HALL: The rules allow it.

18 EXAMINER BROOKS: Taking into consideration
19 it's 4:30 in the afternoon.

20 But rebuttal, you have a right to.

21 MR. McMILLAN: May this witness be
22 dismissed?

23 EXAMINER McMILLAN: Yes.

24 Thank you.

25 MR. RANKIN: Mr. Examiner, I'd like to call

1 Mr. James Huling as our witness.

2 JAMES HULING,

3 after having been previously sworn under oath, was
4 questioned and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. RANKIN:

7 Q. Mr. Huling, will you please state your full
8 name for the record?

9 A. James Huling, H-U-L-I-N-G.

10 Q. Have you previously been sworn in today?

11 A. I was sworn in today and I've previously
12 testified and been qualified in the state of New Mexico.

13 Q. Okay. And in what capacity were you qualified
14 as an expert witness?

15 A. As an expert witness in petroleum engineering.

16 Q. Okay. And just for the benefit of the
17 audience, would you mind just reviewing for the
18 Examiners your educational and work background in
19 petroleum engineering?

20 A. I graduated with a degree in petroleum
21 engineering in 1985 from the University of Oklahoma. I
22 worked for -- I interned with Kerr-McGee Corporation and
23 worked with Kerr-McGee a total of ten years. I
24 subsequently went to work for Riata Energy, was an
25 engineering manager for a couple of years during there.

1 Through the sale of their Pakenham field, Val Verde
2 Basin.

3 I should back up. My experience with
4 Kerr-McGee was in the Permian Basin. In my time with
5 Kerr-McGee, I worked in Midland part of that time, as
6 well as Amarillo and the Anadarko Basin.

7 After leaving Riata, I went to -- moved to
8 Fort Worth, Texas. I worked for Range Resources, worked
9 the Permian Basin. I then went to work for Encore
10 Acquisition Company as a start-up, which is a Warburg
11 Pincus NGP sponsor company that --

12 (The court reporter requested the witness
13 repeat the company name.)

14 A. An NGP-backed company that we took public
15 through an IPO and worked there. I worked in the
16 Williston Basin in the Permian Basin there as a
17 reservoir engineer and then, briefly, reservoir
18 engineering manager. And then I left and did two deals
19 with EnCap Investments, sold out of the second one in
20 2007, and have mostly been on my own since 2007 as an
21 independent and consulting petroleum engineer.

22 I started with Chisholm Energy in May of
23 2016 -- before they actually formed, and I run all of
24 their reserves.

25 **Q. When you say you "run their reserves," what do**

1 you mean by that?

2 A. I'm their -- overall, their reservoir engineer.

3 Q. Okay. And your responsibilities, obligations
4 at Chisholm, do they relate to its interest in the
5 Permian Basin in New Mexico?

6 A. Yes, sir.

7 MR. RANKIN: Mr. Examiner, with that, I
8 would tender Mr. Huling as an expert in petroleum
9 engineering.

10 MR. McMILLAN: No objection.

11 EXAMINER McMILLAN: So qualified.

12 Q. (BY MR. RANKIN) Mr. Huling, you were present
13 for the Great Western's testimony from Mr. Muire today?

14 A. Yes.

15 Q. And you heard him testify that they were --
16 I'll paraphrase -- dissatisfied with Chisholm's
17 experience and reputation in the Permian Basin. Is that
18 your understanding of his testimony?

19 A. In general, that was his testimony. Yes.

20 Q. Okay. Is it your understanding that Chisholm
21 offered to meet with Great Western to review your
22 management teams and your experience in the Permian?

23 A. Yes.

24 Q. And is it your understanding that they didn't
25 want to meet with you to discuss that?

1 A. Yes.

2 Q. And is it your understanding that you also --
3 Chisholm also made an offer to meet with Great Western
4 to review the technical approach that Chisholm had
5 developed to produce from the Section 34?

6 A. Yes, sir.

7 Q. Okay. And is it your understanding that they
8 also did not want to meet and discuss that issue?

9 A. That is correct.

10 Q. Now, you also were present for the testimony
11 from Mr. Harwell just a moment ago?

12 A. Yes.

13 Q. And do you have a copy of the exhibits that
14 Mr. Harwell -- Harwell, I'm sorry -- Harwell prepared?

15 A. Yes, yes.

16 Q. Will you please turn to that Exhibit Number 13?

17 A. Yes.

18 Q. And I'm just going to ask you, Mr. Huling, did
19 you have an opportunity to review the information that
20 was represented in these exhibits starting at page 2?

21 A. I did. Right before lunch, we were handed two
22 copies -- I guess you had a copy and we had a second
23 copy to look at.

24 Q. Before lunch?

25 A. I'm sorry. After lunch. Thank you. I stand

1 corrected.

2 Q. After lunch. Okay.

3 And looking at this page 2, what are your
4 -- what is your evaluation of the information he's
5 presented here and the conclusions that he's drawn based
6 on the data?

7 A. Well, one of the things that stands out to me
8 is the -- we have specific operators included here and
9 not necessarily all the operators. We also are lacking
10 some of the operators kind of in the immediate area that
11 drilled wells that I would say are relevant and
12 pertinent to recent practices and results in and around
13 the Grama Ridge section here.

14 Q. Okay. And so included among those wells that
15 are excluded are some of the more recent wells drilled
16 by Chisholm using 1,300 -- 1,500-pounds-per-foot frac
17 intensity; is that right?

18 A. That is correct.

19 Q. Okay. And Mr. Harwell testified that the data
20 that he used was based on the publicly available data
21 and the data for those wells that shows Chisholm had
22 produced with the higher frac intensity weren't
23 available?

24 A. That was his testimony, yes.

25 Q. Now, do you have a sense for where your wells

1 would fall on this graph if you had bought them with the
2 1,500-pounds-per-square-foot frac intensity?

3 A. Yes.

4 Q. And if you would for the Examiners explain to
5 them where, based on your data and your evaluation of
6 the quality of those wells, they would fall?

7 A. They would fall, again, as Mr. Burke testified
8 this morning, we see clusters, which I agree with Mr.
9 Harwell, there are definite clusters. We have the
10 cluster, as he has depicted here, between 6- and 800
11 pounds, we have another cluster here that's around 1,500
12 pounds, and then we're starting to see a cluster at
13 2,000 pounds.

14 The wells that Chisholm Energy have drilled
15 would be in the 1,500 pound, which would be on the
16 x-axis, and on the y-axis are going to be definitely at
17 the upper end of EURs per thousand foot.

18 And I would say that -- I can also say that
19 if -- we did not -- or we did prepare some other
20 relevant data in looking at all of this with EURs with
21 respect to proppant concentration for all the wells in
22 the area and really try specifically tie some of the
23 more recent completions in the 2nd and 3rd Bone Spring,
24 including all operators, not just the selected ones that
25 are represented here in Mr. Harwell's exhibit.

1 Q. Mr. Huling, I'm going to pass to you what's
2 been marked as Exhibit Number 24. And I'll -- I think
3 this may be what you're talking about.

4 A. Yes, sir.

5 MR. RANKIN: I hope I have enough for
6 everybody.

7 Q. (BY MR. RANKIN) Go ahead and review for the
8 Examiners. This is marked as Exhibit Number 24 and
9 explain what this depicts.

10 A. Okay. Very similar to what Mr. Harwell does,
11 we also maintain the database of 4,500 wells. EURs, we
12 update every month. We have frac parameters. We have a
13 significant amount of the proprietary data that we have
14 received working closely, trading with other operators.
15 And, you know, with that data, we have come to the
16 conclusion that we're seeing some not necessarily
17 improved results above 2,000 pounds. We're seeing some
18 diminishing returns above 1,500 pounds per foot. We
19 think there are other variables that definitely play
20 into this. Some of this, I think -- I don't want to get
21 into the exact specifics.

22 But very, very relevant to the results are
23 cluster spacing, stage spacing, and the proppant design
24 and placement. And, you know, again, go back to the
25 results of the Lea South well, which Mr. Burke and Mr.

1 Francis testified on this morning, and look at the rates
2 that we're seeing and the early EURs that we have
3 projected on that well that are far exceeding the older
4 wells in that section.

5 You know, again, we're very confident that
6 the 1,500 foot -- or 1,500-pound-per-foot concentration
7 is very -- maximizes net present value and in the
8 results of these wells.

9 **Q. Okay. And so this chart here is for the 2nd**
10 **Bone Spring?**

11 A. That is correct.

12 **Q. Okay. And what this reflects is, in fact,**
13 **1,500, 2,000 is, at least in terms of your analysis, is**
14 **at least good or better than the higher frac**
15 **intensities?**

16 A. Yes. I think we're splitting hairs between
17 1,500 and 2,000. I think 1,500 is very -- is necessary.
18 Above 2,000, I think we're definitely diminishing
19 returns, and we would probably just add cost to the well
20 by increasing much above or above 1,500 pounds.

21 **Q. Okay. You also represented other factors that**
22 **go into these higher EUR values. In addition to the**
23 **ones you just enumerated, would you also include the**
24 **quality on the rock and the reservoir?**

25 A. Absolutely. You know, Chisholm, a little bit

1 about Chisholm Energy that wasn't really discussed this
2 morning, Chisholm Energy is primarily the management
3 team primarily came out of Range Resources. Most of the
4 guys are 30 to 40 years' experience. The chief
5 operating officer is Mike Middlebrook. Mike has
6 published many papers on stimulation, was one of the
7 original parties at IPT. He worked extensively with
8 Fracpro and some of the early developments and
9 modifications of Fracpro. I know he's supervised
10 hundreds of frac jobs, and I know when Range was
11 involved with the Barnett Shale, there were many
12 operators that had underperforming wells. If you look
13 at the wells that Range drilled by improving the
14 stimulation techniques, not necessarily size of jobs or
15 proppant, but some of the other nuances -- perforating
16 scenarios and stage selection and specifically
17 geosteering and selecting intervals, they had wells that
18 performed in the upper portile [phonetic]. They took
19 that same approach to the Marcellus Shale and had very
20 good results early on developing there.

21 So one of the other individuals also is
22 Andrew Tullis, who runs engineering for Chisholm. He
23 had worked for Halliburton, worked for Matador
24 extensively in this area years ago, has drilled,
25 completed many wells out here. Again, he's been very

1 involved with the evolution of the frac technology here.

2 Thirdly, the manager of the geosciences is
3 a gentleman named Martin Emery, who has drilled many
4 wells in this area. In fact, you'll find mud logs and
5 open-hole logs with Martin Emery's name on it in this
6 township. So I digress.

7 **Q. No, it's all very helpful.**

8 Now, with some -- just so I'm clear -- I
9 can't remember if you specified or not, the data that
10 was used to create this graph, it comes from where?

11 A. The data from this graph -- the EURs are
12 projected using IHS data, and then we also pulled data
13 from the OCD site to get updated production.

14 **Q. Okay. And what wells are represented here?**

15 A. These are wells -- and unfortunately, I don't
16 recall the exact area, but it's going to be roughly a
17 15-section area around section -- around the Grama Ridge
18 section here.

19 **Q. Okay. So these are -- and were these wells**
20 **selected or --**

21 A. Go ahead.

22 **Q. -- my question -- so this 15-section area**
23 **around Section 34?**

24 A. Yes.

25 **Q. Which is the subject section for these**

1 **applications?**

2 A. Correct.

3 **Q. And were there -- were these wells selectively**
4 **chosen or was it all?**

5 A. Yes. Yes.

6 What we do is with every horizontal well,
7 we pulled a depth that the wells were completed --
8 whatever data we can on the steering. And we have very
9 tight correlations from the 2nd Bone Spring, 3rd Bone
10 Spring, 1st Bone Spring, and we delineate those. So all
11 of these wells have been very specific to the cross
12 sections that Mr. Francis testified on this morning when
13 he was explaining, you know, where his picks are on the
14 2nd Bone Spring and 3rd Bone Spring. So these are very
15 specific to those intervals.

16 **Q. So in other words, you picked wells that you**
17 **think represent the best rock. So this type of graph**
18 **that you presented here is reflective of some of the**
19 **other factors that you think reflects higher EURs?**

20 A. I wouldn't say "best rock." I would say that
21 these are specific -- these are very similar analogous
22 wells and stratigraphically equivalent rock.

23 **Q. Okay. So the wells that are being proposed by**
24 **Chisholm in this case?**

25 A. Correct.

1 Q. Okay. Thank you. That's what I wanted to
2 clarify.

3 For purposes I'm going to circulate -- for
4 completion -- to circulate another graph you prepared on
5 the 3rd Bone Spring, similar analysis. As I'm finishing
6 this, will you please review for the Examiners what this
7 chart depicts?

8 A. This -- this chart depicts on the y-axis the
9 EURs. These are calibrated per thousand lateral length
10 or gross perms. And then proppant on the x-axis and
11 this is, again, for the 3rd Bone Spring. And these are
12 specific to the stratigraphic intervals as delineated in
13 the cross sections that Mr. Francis testified this
14 morning.

15 Q. Okay. So are these the same wells that are
16 reflected in the -- not necessarily the same wells
17 reflected on the prior chart in the 2nd Bone Spring?

18 A. They are not the same wells. They are in the
19 same general area -- but 3rd Bone Spring versus 2nd.

20 Q. And so you chose these wells again because they
21 are representative of the same zone -- target zone --
22 you're targeting with the wells you're proposing today?

23 A. Yes, correct.

24 Q. And based on your assessment analysis of the
25 target intervals that you're targeting in this case and

1 with the proposed completion techniques that you're
2 proposing, do you have an opinion about the quality of
3 the well that you're looking to produce here in terms of
4 the ability to recover all of the reserves in place?

5 A. Well, again, we are -- you know, if you look at
6 this 3rd Bone Spring plot of proppant concentration,
7 they're definitely on the low side. I could say that we
8 are drawing practices that we have found successful in
9 the nine previous completions that we have in the
10 Northern Delaware Basin, as well as pulling from other
11 basins, other areas, and feel that that is the most
12 efficient way to develop and complete the 3rd Bone
13 Spring.

14 Q. Now, in your role as managing or reviewing
15 reserves for Chisholm, do you regularly track wells that
16 are drilled and produced in the area?

17 A. Absolutely. Yes.

18 Q. Can you reflect a little -- explain it to us a
19 little bit about what you do and what you track?

20 A. Very similar to what Mr. Harwell testified. We
21 include, you know, completion date. We have a maximum
22 30-day rate, a maximum 90-day rate. We record the IP
23 rate, as provided by the State. We record proppant. We
24 record lateral length. We take -- spend a significant
25 amount of the time on the mapping as Mr. Francis

1 testified. We have made extensive maps looking --
2 trying to high-grade the 2nd and 3rd Bone Spring. We
3 have flagged in our database where we think the better
4 areas are to exploit and potentially go after. We look
5 at total fluid volume. We look at, you know, water
6 recovery, GOR rates, so on and so forth.

7 Q. Okay. Now, based on your tracking of all that
8 data, have you drawn -- you've done studies about what
9 the impacts or how those play into the overall
10 production of a well, correct?

11 A. Yes.

12 Q. And based on your evaluation of that, do you
13 have an opinion on whether your proposal is a prudent
14 proposal?

15 A. Yes, sir.

16 Q. And what is that opinion?

17 A. That 1,500 pounds, we believe, per foot is an
18 optimum or very reasonable number. You could argue it
19 could be a little less. I can certainly point to cases
20 where some of the better wells were fracture-stimulated
21 with less than 1,000 pounds and wells that were
22 fracture-stimulated with over 2,000 pounds in this
23 immediate area didn't perform as well. But I still feel
24 like 1,500 pounds is a very reasonable number. Above
25 2,000, I think we're getting to the point on the

1 diminishing data I see in this area.

2 Q. So I think you heard in Mr. Harwell's testimony
3 that you did not include the Mewbourne wells in Section
4 11 Township to the south. Did you hear that testimony?

5 A. Yes, sir, I did.

6 Q. Okay. And you heard the testimony of Mr.
7 Williamson, the geologist for Great Western, testify
8 that he thought wells in Section 11 were very good
9 wells. Did you hear that testimony?

10 A. Yes.

11 Q. Okay. And have you reviewed those wells?

12 A. Yes, sir.

13 Q. And the completions that were employed for each
14 of those wells?

15 A. Yes, sir.

16 Q. Are you familiar with the way those wells have
17 produced?

18 A. Yes, sir. Yes.

19 Q. I'm going to pass out an exhibit that I think
20 will help you review your knowledge on those wells.
21 This is marked as Exhibit Number 26.

22 Will you please review for the Examiners
23 just what this shows in relation to Chisholm's levels
24 for Section 34?

25 A. Okay. As Mr. Francis had laid out this morning

1 in his testimony and as originally presented in well
2 proposals, ideally, we like to drill wells as soon as we
3 can back-to-back in a section. That's why four wells
4 were initially proposed in a section. And this is
5 technology, an idea that has been and results been drawn
6 from other areas. If you go and look at case studies in
7 the Barnett Shale in the Marcellus Shale, when you drill
8 a well, you come back later and you drill an offset,
9 many times there is lower pressure -- lower frac
10 pressure that could be communication. And the
11 subsequent well, even with a more robust stimulation,
12 may not perform as well. I'm not going to say in all
13 cases, but I'm going to say, in general, that's a trend.

14 So as a practice, we have seen very
15 successful implementation of drilling multiple wells
16 maximize recovery and minimize waste by completing the
17 wells close together so that the pore pressure is not
18 drawn down. And to this point, if you look down at
19 Section 11, which Mewbourne operates -- and, again, this
20 was not included in the presentation that Mr. Harwell
21 had. If you look at the wells there in Section 11,
22 you'll see at the top there's oil and gas peak rates for
23 the -- these are going to be the highest 30-day rate in
24 the first 90 days. Oil is on top. And you'll see that
25 the most current well we wrote the data in this morning,

1 which 30,458 barrels of oil would be the peak for that
2 well, which we would call slot one, which would be the
3 most western location. The gas would be 36,129. Again,
4 that's the last well drilled. That well, if you look
5 right above it, you'll see a number that says 2,057.
6 That is the pounds per foot that well was stimulated
7 with. That is the largest stimulation of the four wells
8 that were fracked in that -- or completed in that
9 section. If you move over, you'll see the well in what
10 we would call slot 2 has had a peak oil rate of 66,000;
11 and then you'll see the next well to the east, 32,780;
12 and then last well in the far east, 14,000.

13 And the -- one of the key things here is
14 the well that was completed with the smallest
15 stimulation, 655 pounds per foot, is -- had a higher
16 rate and potentially it's still very, very early data
17 but looks like may have a higher IP than the last well
18 drilled with the largest stimulation.

19 **Q. So based on your -- based on this one section,**
20 **I mean it's not -- it's a one-section representative,**
21 **but it's a -- within a mile approximately of your**
22 **proposed location?**

23 A. Correct.

24 **Q. It indicates that at least with respect to frac**
25 **intensity, it's not a foregone conclusion that a larger**

1 **stimulation will result in a higher initial production?**

2 A. Correct. I would say -- I'll caveat this --
3 if all of these wells were drilled at the same time, it
4 might be different. I do think that there is an impact
5 on the -- on the depletion and frac gradient. And if
6 you have similar stresses on all of the wells, I think
7 you've have a more effective stimulation. And when you
8 come back a year or two years later, even though you
9 don't see material drainage, you do see an impact on the
10 frac gradient. If you go back and you look at petroleum
11 engineering, we commonly look at a correlation of the
12 minimum stress plus two times the pore pressure or the
13 average reservoir pressure. That, divided by three,
14 gives you an approximate frac gradient.

15 And that is very, very significant. Very
16 material. Because as the reservoir pressure drops, the
17 frac gradient goes down. So when you frac a well at
18 virgin rock pressure, you tend to break more rock. If
19 you have a well that's somewhat depleted, you'll have --
20 you have to fill up that volume and build up in that
21 pressure and you may not get enough net pressure there
22 and you don't have to effectively crack that rock. I'm
23 not going to say "absolute," because we don't know
24 absolute. But my professional opinion, that's likely
25 why this well in slot one, the farthest western well

1 that was stimulated with three times the proppant as
2 this well in slot three, and why it's potentially not as
3 good a well.

4 **Q. Because the pore pressure at that point had**
5 **been reduced and it needed more pressure --**

6 A. And that plays into the ability to frac. So to
7 this point, I think it is important to come in and drill
8 multiple wells while the reservoir pressure is higher.
9 We have higher recovery and we minimize waste by taking
10 that approach.

11 **Q. So in your view Chisholm's proposal to drill**
12 **four wells back-to-back-to-back and then to complete**
13 **them simultaneously is a better, more prudent approach**
14 **to minimize waste?**

15 A. Yes.

16 **Q. Because you will be maintaining the pore**
17 **pressure before you start producing reserves?**

18 A. You'll be main -- you'll be fracking the well
19 while there is higher pore pressure, you'll have more
20 similar frac gradients and have a more effective frac.

21 **Q. So did you hear Mr. Harwell's testimony**
22 **regarding some of the other factors that more modern**
23 **completion technologies are employing in terms of**
24 **cluster fracs?**

25 A. Yes.

1 Q. So you do agree with him on that?

2 A. Absolutely. Absolutely.

3 Q. And with respect to his chart on page 2, do you
4 agree that it's not -- it's not possible to discern
5 which of those factors are in combination, which of
6 those factors have resulted in the higher EUR estimates
7 in the more recent well completions?

8 A. Yes. And I would agree also with Mr. Harwell
9 with the public data. It is very difficult to know
10 exactly what everyone's perf clusters, but we do know
11 that, in general, just looking at data rooms, looking at
12 industry information, that perforated -- excuse me --
13 frac intervals are tightening and perf clusters are also
14 tightening.

15 And that -- that change is not depicted
16 here. And with the public data, I agree with Mr.
17 Harwell. It's hard to see, but if you do take
18 case-by-case studies, you can see some results or
19 benefit with tighter spacing on more recent wells.

20 Q. Okay. And so in your opinion, what Chisholm
21 proposes to do with simultaneous completions and
22 optimizing those other factors that Mr. Harwell
23 testified about, you believe that you'll be able to
24 achieve at least comparable EURs with the wells you're
25 proposing today?

1 A. Yes.

2 Q. And you'll be doing that for less cost on the
3 frac stimulations?

4 A. Yes.

5 Q. Because if you thought that it was prudent to
6 spend more money on a frac, would you do it?

7 A. Absolutely. Again, we always look at net
8 present value. We take -- and oil and gas prices can
9 play into this. But we do look at - what is the frac
10 cost? What is the completion cost? What are the
11 operating costs? We schedule everything out and we --
12 and we did an optimization looking at what would be the
13 benefit of the 2,500 pounds, 2,000 pounds, 1,500 pounds,
14 1,000 pounds, and based on the data, the simulation work
15 we did, we feel like the optimum present value was 1,500
16 pounds per foot -- per lateral length.

17 Q. Now, I'm going to ask you to turn to page 5 of
18 Exhibit 13 in your exhibit packet, which lists the
19 comparison of the AFE costs.

20 I asked a question of Mr. Harwell, which I
21 didn't understand, regarding the Hubbert & Willis
22 Equation. And I'm wondering, if I ask you the same
23 question, do you give me a different answer?

24 A. Well, I looked into it. Actually, Mike
25 Middlebrook, who is the chief operating officer, has had

1 extensive experience with IPT and Andrew Tullis. They
2 both have educated -- schooled me on that equation.

3 And bottom line is because that pore
4 pressure -- when you draw down a reservoir, the pore
5 pressure goes down and that's why it's been so important
6 and why Range was so successful in places in the Barnett
7 Shale and the Marcellus Shale and other places and in
8 the Permian Basin, but -- and why we think our results
9 have been so stellar in the first nine wells we drilled
10 here is deploying that same technique of completing and
11 fracking wells while the reservoir pressure is not drawn
12 down. We get better impact of our frac job.

13 Q. So based on that determination and concern
14 about maintaining pore pressure, do you feel -- given
15 that concern, do you feel you have enough data in the
16 immediate vicinity on wells drilled and producing --
17 horizontal wells drilled and producing in the 3rd Bone
18 Spring and 2nd Bone Spring to know that you -- that it
19 would be prudent to go ahead and proceed with drilling
20 and completing all four wells at once?

21 A. Yes, sir.

22 Q. So in your view, would waiting to get data back
23 actually be a waste of resources?

24 A. Yes.

25 Q. And that's based on your view that the pore

1 **pressure would be depleted and you would be losing**
2 **reserves?**

3 A. And the results in Section 11, one mile to the
4 south here, we could also move up to Section 27, which
5 is just to the north, and you see similar results. I
6 don't have it depicted here, but I can tell you the best
7 3rd Bone Spring well in that section was stimulated with
8 983 pounds per foot based on my EUR data set. And the
9 worst well in the section, later -- completed later,
10 1,755 pounds of proppant per foot and had the lowest
11 EUR.

12 MS. KESSLER: Are you looking at Exhibit 11
13 of Chisholm's Exhibits?

14 THE WITNESS: I can, yes.

15 Q. **(BY MR. RANKIN) So you were talking about**
16 **Exhibit 26, but if you turn to Exhibit Number 11 in**
17 **Chisholm's Exhibit packet, does that depict Section 27?**

18 A. Yes.

19 Q. **Does it have the numbers you're talking about?**

20 A. It just has the IP rates. But I --

21 Q. **Yeah. Okay. So it's not what you were --**

22 A. Yeah, I mean, I have the data, but I -- that
23 was another section that was looked at in terms of
24 depletion. But again, I admit I was not fully prepared
25 to deal with all this. But I'm very familiar with this

1 area.

2 Q. All right. Now I think I covered everything
3 that I wanted to cover.

4 Mr. Huling, did you have any other comments
5 you wanted to share with Mr. -- on Mr. Harwell's
6 presentation on any of the other pages that we didn't
7 discuss, pages 3 or 4?

8 A. I think you covered a good bit of it. But I
9 will say Chisholm Energy is -- having worked for two
10 EnCap companies, I knew that we had about two- or
11 three-year window that we were trying to deploy capital.
12 After that, the rate of return for the management team
13 went down. Warburg Pincus is backing Chisholm Energy.
14 We are looking at other vehicles that will likely keep
15 us around longer more similar to what Encore Acquisition
16 Company did in the early 2000s. And so our approach is
17 definitely drill, develop more wells, you know. Hence,
18 we have dollars budgeted. You know, we originally
19 looking at eight wells out here. So we are aggressively
20 looking to -- want to develop and fully develop and
21 because we see very attractive economics and rates of
22 return on drilling wells here in the 2nd and 3rd Bone
23 Spring.

24 Q. So if you're awarded operatorship in this
25 section, will you proceed to drill these wells and get

1 **them into production as you propose?**

2 A. Yes. As previously stated, we have three rigs
3 under contract. We have a dedicated frac crew, also.
4 So, yes.

5 **Q. Read to go?**

6 A. Yes.

7 **Q. And that's all the questions I have.**

8 MR. McMILLAN: All right. We've got a bit
9 of cross here.

10 EXAMINER McMILLAN: We're taking a
11 five-minute break.

12 MR. McMILLAN: Sure. Sounds great.

13 (Recess, 5:05 p.m. to 5:14 p.m.)

14 EXAMINER McMILLAN: Call this hearing back
15 to order.

16 CROSS-EXAMINATION

17 BY MR. McMILLAN:

18 **Q. Good after- -- good evening, sir. Just a few**
19 **follow-up questions -- cross-examination questions with**
20 **respect to your testimony here.**

21 **Just to refresh your recollection, let's**
22 **take a look -- sorry. Go ahead.**

23 EXAMINER McMILLAN: 25 and 26?

24 MS. KESSLER: Mr. Examiners, we would move
25 that Exhibits 24, 25 and 26 be included as part of the

1 record.

2 MR. McMILLAN: Sure. No objection.

3 EXAMINER McMILLAN: Okay. Exhibits 24, 25
4 and 26 may now be accepted as part of the record.

5 (Chisholm Energy Exhibit Numbers 24, 25 and
6 26 are offered and admitted into evidence.)

7 Q. (BY MR. McMILLAN) Let's just flip back to page
8 2 of Great Western and Advance's Exhibit Number 13. You
9 had -- I believe in your testimony you were asked if you
10 were to plot Chisholm's recent wells fracked at, I
11 guess, within the 1,500-pounds-per-foot bin, you
12 testified that those would land very high on the EUR
13 scale, right? Whereabouts -- I think you used a vague
14 descriptor, but can you give us a more specific sense
15 within the 1,500-foot -- 1,500-pounds-per-foot bin these
16 wells would be landing with respect to EUR?

17 A. Based on the results, at least south, we would
18 be north of the 300 EUR line.

19 Q. Okay. How many Chisholm wells are you
20 representing you have EURs for?

21 A. Specifically there, I'm going to have just two.

22 Q. Okay. And how are these EURs calculated?

23 A. Those are calculated with daily data using our
24 type curve analysis for shape of the -- of the curves.
25 We do have enough early data to where they are falling

1 in line. And with a reasonable degree of confidence, we
2 feel like they will be north of 300.

3 Q. You said you had daily data?

4 A. Yes.

5 Q. How many months of production data do you have?

6 A. I don't remember the exact number of days, but
7 we're getting out -- outside of 30 days on those.

8 Q. And you'll represent to us that that's enough
9 data to be able to forecast these EURs within a
10 reasonable degree of confidence?

11 A. Yes. We're -- on those particular wells we're
12 seeing -- we're over -- we're almost at 4,000 BOE per
13 day on those wells, so very, very high IPs.

14 Q. Is this the data that you previously described
15 as stellar for these wells?

16 A. Yes. They would be included in that.

17 Q. Okay. And would you agree with me none of this
18 data that you're representing to us today has, in fact,
19 been publicly provided?

20 A. To the best of my knowledge, it has been
21 publicly provided. It has been to the best of my
22 knowledge. I -- I was surprised that it hasn't been
23 posted yet because to the best of my knowledge, it has
24 been provided to the State.

25 Q. Are you the individual who submits that data?

1 A. No, sir.

2 Q. Okay.

3 A. And that will be an immediate follow-up when I
4 go back, but to the best of my knowledge, it was filed.

5 Q. So it would be surprising to you to learn, as
6 you did today, that it's not appearing in places it
7 should be?

8 A. Yes. I was surprised to hear that.

9 Q. Now, would you agree or disagree with me that
10 the 2nd Bone Spring and the 3rd Bone Spring should
11 really be tested in Section 34?

12 A. I would agree they should be tested.

13 Q. You would agree they should be tested?

14 A. Yes, sir.

15 Q. Yet it's my understanding that Chisholm is
16 going all-in with four wells to be drilled
17 simultaneously -- back-to-back, not simultaneously.
18 That's impossible. Back-to-back.

19 A. You and I share the same view on
20 back-to-back-to-back.

21 Q. Okay. Our question is: Has Chisholm ever done
22 this in the Permian Basin, gone in and drilled multiple
23 back-to-back without testing?

24 A. Yes. Well, we drilled two, completed two,
25 drilled two, immediate offset and completing those two.

1 Yes. In New Mexico.

2 Q. In New Mexico?

3 A. Here, in the Northern Delaware Basin.

4 Q. Okay. Close to Section 34?

5 A. Not immediately there. Over in Eddy County.

6 Q. Okay. So different county.

7 Let's see. There was -- testimony about
8 the Hubbert & Willis Equation, and Mr. Rankin and I,
9 we're just lawyers. We're not familiar with the
10 equation. But is this something that you would
11 represent to us as being used industrywide?

12 A. Yes.

13 Q. And okay. Go ahead.

14 A. It was -- when I went to petroleum engineering
15 school, it was definitely covered in fracture completion
16 practices. I believe I also saw that equation in
17 various modern completion and stimulation classes. I
18 know that it is used as an algorithm in some of the frac
19 modeling programs.

20 Q. Okay.

21 A. So I know that Mfrac -- I can't speak now, but
22 I know years ago -- I don't do much frac modeling now,
23 but years ago, that algorithm was used in Mfrac.

24 Q. From -- okay. But it's a model that's been
25 used for quite some time?

1 A. Yes.

2 Q. And has it, to your understanding, has it been
3 updated for really modern, really up-to-the-minute
4 completion techniques?

5 A. Well, it's kind of a -- it's an empirically
6 derived equation, and I don't think that it really needs
7 to be updated. I don't think we need to update the laws
8 of physics, per se, on that.

9 Q. We don't need to go down that road this
10 evening. That's fine (laughter). I mean, we've done
11 enough today. Where did you get the reservoir pressures
12 that you use in the Hubbert-Willis work?

13 A. Well, you have normal pore pressure gradients.
14 You can see from completions when you complete a well --
15 I mean from the drilling side. You can stop and check
16 weights, pressures, flows. Then after a well is
17 drilled, completed, shut in, you can get an estimate of
18 the pressure. So there is a number of ways.

19 Q. Going back to my previous question about
20 Chisholm's experience drilling back-to-back wells, it
21 doesn't sound to me -- correct me if I'm wrong. It
22 doesn't sound to me that Chisholm has ever drilled or
23 completed four wells back-to-back in the same zone; is
24 that correct?

25 A. To date, no.

1 **Q. Okay.**

2 A. Two -- two -- as I said, two back-to-back and
3 then with plans to very quickly come back and drill the
4 next two.

5 **Q. Same zone?**

6 A. Yes.

7 **Q. Okay.**

8 A. We have that scheduled in a number of places.

9 **Q. How quickly?**

10 A. Within a year.

11 **Q. Within a year. So we're talking about a**
12 **12-month gap?**

13 A. Yes.

14 MS. KESSLER: Objection. I think there is
15 some confusion there.

16 THE WITNESS: Okay. Did I --

17 MS. KESSLER: When you say "back-to-back,"
18 you don't mean that you're drilling one well, waiting
19 12 months, and then drilling the other well. That's
20 what -- I understand the question.

21 **Q. (BY MR. McMILLAN) Clarify?**

22 A. I didn't mean to say that. I apologize.

23 I mean drill one well, drill a second well,
24 complete immediately, you know, move the drilling rig
25 off, come back and complete one and two, wait within 12

1 months or within 12 months, come back, drill three and
2 four, move the rig off, complete three and four. So you
3 would effectively have four wells drilled in probably a
4 little more than a year's time.

5 **Q. Why take the year? Why wait the year?**

6 A. Ideally, we'd like to go four. It just depends
7 on the area. But some of it has been lease -- you know,
8 trying to optimize, you know, proven up leases and
9 holding leases, and there are some of these -- there are
10 a number of sections out here that are held by marginal
11 vertical producers and we think it's prudent to get in
12 and establish those and eliminate the leasehold, you
13 know, with acreage costs out here.

14 **Q. Okay. Is one reason to wait the 12 months also**
15 **to see what the results are on the first two wells?**

16 A. Not necessarily, unless you're in an area where
17 there is geologic risk, which I could say there would be
18 some areas, maybe on the fringe, or yes, that would be
19 the case. In Section 34 here, where, you know, as
20 Mr. Francis testified, less than 1 degree or half a
21 degree of dip, we have 3D seismic here. You know, I
22 just do not see much geologic risk here at all.

23 **Q. But there is geologic -- there's always**
24 **geologic risk.**

25 A. Very, very low.

1 Q. Does the proximity of the ridge play into your
2 analysis of geologic ridge -- geologic risk?

3 MS. KESSLER: I would object just on the
4 basis that he's an engineer, not a geologist.

5 THE WITNESS: I was going to defer to
6 Mr. Bill Francis on that if counsel hadn't objected.
7 So, yeah.

8 Q. (BY MR. McMILLAN) Okay. Let's move to do your
9 Exhibit 24.

10 Now, it's my understanding -- correct me if
11 I'm wrong -- that Chisholm is committed to fracking
12 these wells at 1,500 pounds per foot, right?

13 A. That is the plan, yes.

14 Q. That's what the AFEs reflect?

15 A. Yes.

16 Q. Looking at your Exhibit 24 -- again, I'm just a
17 lawyer, not a statistician or anything, but I'm looking
18 at what we can fairly characterize as the, say, 500- to
19 1,000-pounds-per-foot bin?

20 A. Okay. You're on the 2nd Bone Spring.

21 Q. I'm sorry. This is Exhibit 24.

22 A. I didn't number mine.

23 Q. Oh, it is the 2nd Bone Spring.

24 A. Yes.

25 Q. Okay. So just looking at the trends here, if

1 we can lump together those data points kind of between
2 500 and 1,000 and call that a bin, and then those data
3 points around 1,500-pounds-per-foot range, call that a
4 bin. And then looking at the 2,000-pounds-per-foot
5 range -- again, I'm not a statistician. But does it not
6 appear -- well, first of all, is the highest EUR --
7 highest-producing well not in the 2,000-pound-per-foot
8 bin?

9 A. Yes.

10 Q. That's my first question.

11 A. It is.

12 Q. And the other data points, and there are just a
13 few of them, but aren't those in the 2,000-foot bin
14 generally higher than those in the 1,500-foot bin?

15 A. There are one, two, three, four, five that look
16 like -- there are five of them that are going to be --
17 let's just say the top six in the 2,000 pound are higher
18 than top six in the 1,500. I would say that. Am I
19 answering your question?

20 Q. I think you are. I think you are.

21 So when we move from the 1,500-foot bin to
22 the 2,000-foot bin, we're losing quite a few of these
23 lower-producing hundred, 150 EUR wells, right?

24 Does that make sense?

25 A. Yes. And some of those, I do not have denoted

1 here. I have larger spacing intervals, so that is not
2 factored in here, so --

3 Q. Right. Right. Understood.

4 And then moving to the right, to the
5 2,500-foot bin, I'm just seeing two data points there,
6 correct?

7 A. Yes.

8 Q. And just one there at the 3,000-foot mark --
9 pounds per foot. I keep saying --

10 A. Yes, which are lower than the 1,500-pound bins.
11 Yes.

12 Q. Right, right, right. But my point is there's
13 just three data points --

14 A. Yes. Correct.

15 Q. -- higher than -- we're talking over each
16 other. She's going to kill us.

17 Let's try one more time. There are three
18 data points greater than 2,000 pounds per foot, correct?

19 A. Correct. There are three data points with
20 greater frac intensity, let's say 2,500 pounds per
21 square foot, and the EURs are lower than the 2,000.

22 Q. Sure. Sure.

23 Looking back at page 2 to our Exhibit 13 --

24 A. Yes.

25 Q. -- you see how many data points Advance has

1 managed to find above -- at the 2,000-pounds-per-foot
2 mark and higher?

3 A. Yes.

4 Q. Why do you only have the three data points?

5 A. Because I'm looking at a more concentrated
6 area.

7 Q. Uh-huh.

8 A. And I'm looking at very zone-specific
9 stratigraphic equivalent in the immediate area.

10 Q. Why are you looking smaller?

11 A. It's a small area.

12 Q. Okay. They are representing to us three data
13 points is enough to decide within a reasonable -- to a
14 reasonable degree that higher proppant levels show
15 diminishing returns?

16 A. I would say that the data in the immediate area
17 of the Grama Ridge planned development, that's the data
18 available in the immediate area. And is that enough
19 data to conclude? You know, that's up for
20 interpretation, but that's the data available in the
21 immediate area. Of all operators, you know, not just
22 selective operators and not just a larger basin as
23 compiled in Exhibit 2.

24 Q. Okay. But you've made decisions in developing
25 your Exhibits 24 and 25 -- you've made decisions about

1 **how to select the wells that you're going to use for**
2 **data points, correct?**

3 A. We also have looked, as I testified earlier, we
4 have looked at proppant concentration in our database,
5 similar to Mr. Harwell, all across the basin. We've
6 also taken a look -- a very close look with where we
7 have data on perf -- you know, perf design, cluster
8 spacing, that factors into this.

9 So there are certainly data and results
10 we're pulling from specifically looking at the results
11 Lea South, look at the Buffalo West, other areas we
12 drilled that were on Exhibit 1 this morning, where over
13 and over we're seeing, you know, very favorable results.
14 And, again, with the data we have from the data rooms,
15 with sharing with other operators, with the frac
16 modeling we've done, we are looking in general at data
17 throughout the basin as well.

18 But specific to this area, again we were
19 not -- we did not think this testimony was going to go
20 this direction. And so as I was headed out the door on
21 Monday, I said, "Let's go grab these wells, plot them
22 up, just to have it, just in case." That's how this was
23 developed.

24 **Q. Fortuitous. Prescient, perhaps.**

25 **However, you're also describing to me**

1 basin-wide data. That basin-wide data is not a matter
2 of the record here today, correct?

3 A. That's correct.

4 Q. And, again, looking at your Exhibit Number 25,
5 in terms of the quantity of data, looks like you only
6 have one data point greater than 200-pounds-per-foot
7 proppant; is that correct?

8 A. 2,000.

9 Q. In the 2,000 to 2,500 range?

10 A. Yes.

11 Q. And is it not true that the best performing
12 well -- strike the question.

13 Moving to Exhibit 26. Let's see. A couple
14 of things arising from your testimony concerning
15 Mewbourne wells in Section 11?

16 A. Yes.

17 Q. Would you agree with me that even at about
18 1,500 pounds per foot, and it looks like going west to
19 east the second and fourth well -- do you have the
20 exhibit in front of you?

21 A. Yes, but I was also -- can I see our exhibit
22 from this morning, please.

23 Go ahead.

24 Q. Okay. Looks like you've got two wells here at
25 1,495 pounds per foot and one at -- well, one well at

1 1495 and another well at 1490 with, would you agree with
2 me, very different EURs?

3 A. Yeah, I did. These are just IPs.

4 Q. I'm sorry. I didn't mean EURs.

5 A. Maximum 30-day production rates.

6 Q. Right, right.

7 Those production rates are very different,
8 correct?

9 A. Correct.

10 Q. So there's great variation even at 1,500?

11 A. Correct.

12 Q. And you called out that 655-pounds-per-foot
13 completion as being -- well, would you describe that
14 production rate as being fairly remarkable for that
15 proppant -- for that amount of proppant?

16 A. I would say there are cases all over where
17 we're -- I continue to be shocked sometimes when I see
18 wells that have high EURs with low and what I would
19 consider, poor completion practice. Be it 500 pounds
20 per square foot -- again, if you're in a very productive
21 area, it doesn't matter -- I mean, if you have -- to
22 Mr. Harwell's testimony earlier, if you have an area
23 that is poor reservoir rock or good reservoir rock,
24 sometimes it doesn't matter as much what it is. A lot
25 of it's driven by the geology. Okay.

1 Q. Okay. Okay. But you're not telling us, based
2 on Mewbourne numbers, the smallest frac jobs are
3 necessarily the best, are you?

4 A. I'm saying that the 2,000-pound-per-square-foot
5 frac job that was performed in the last well drilled is
6 not performing as well as the frac job with 655 pounds
7 per square foot.

8 Q. Right.

9 A. In this case.

10 Q. Right. I think you testified to the -- I'm
11 losing the word. I believe you testified essentially
12 that if these four Mewbourne wells had been drilled at
13 the same time, the results would be very different; is
14 that correct?

15 A. Potentially, yes.

16 Q. Potentially?

17 A. Absolutely.

18 Q. Is that just a hypothesis or do you have some
19 data to support that?

20 A. I do not have pore pressure data. But I can
21 say over and over, we see throughout that subsequent
22 wells drilled, even with larger frac jobs, many times
23 don't perform as well as the first well of the section.

24 Q. Okay. Let's see. Do you recall testimony
25 earlier today -- you've been here all day, correct?

1 A. Yes, sir.

2 Q. Do you recall testimony concerning an offer
3 that Great Western made, essentially an acreage swap so
4 that Chisholm, I believe -- I believe the offer was that
5 Chisholm would take the west half of Section 34 and
6 Great Western would take the east half and go our
7 separate ways. That offer -- do you understand that
8 offer was rejected by Chisholm?

9 A. I was not directly involved, but that's my
10 understanding listening to the testimony today.

11 Q. Okay. Okay. And is it -- isn't it true that
12 the reason that Chisholm would have rejected that offer
13 would be because Chisholm wanted a risk partner in these
14 wells?

15 A. I can't answer that. I don't know.

16 Q. You don't know.

17 Okay. I think that's all -- all I have.

18 CROSS-EXAMINATION

19 BY EXAMINER McMILLAN:

20 Q. Okay. I'm not clear on what is your quote,
21 "immediate area," for 24, -5 and -6.

22 A. And that's an excellent question, because I
23 don't remember exactly. What I did is, on the way out,
24 I circled. But I can absolutely provide you that area.

25 Q. Yeah. You're going to have to provide it to

1 **everybody.**

2 A. Be happy to. Not a problem. Again, as I was
3 headed out the door --

4 **Q. I understand.**

5 A. Yeah.

6 **Q. But let's make it Friday, 4:00, provide the**
7 **information.**

8 A. Absolutely. Not a problem. I can have it for
9 you tomorrow by 5:00.

10 **Q. As long as it's provided to all affected**
11 **parties. That's what I care about.**

12 A. Not a problem. Happy to do it.

13 **Q. Okay. Going back to the Mewbourne section, do**
14 **you know what -- I'm looking at -- I'm looking at**
15 **Exhibit 26.**

16 A. 26. Right here. Okay.

17 **Q. Do you have any idea what the sequence of wells**
18 **that --**

19 A. I had it written down here over here. And I
20 apologize. I can tell you that I think it was --

21 **Q. Well, I'm not interested in what you think. I**
22 **want to know the answers.**

23 A. Okay. I had it -- well, I had it in my exhibit
24 book, but I left it over there.

25 So here we go. Yes. I have the sequence

1 of wells. The furthest well to the west was spud
2 July 10th, 2017. Second well to the west, which I would
3 call slot two, spud August 9th, 2016. The third well,
4 in slot three, spud August 31, 2014. The fourth well,
5 in the fourth slot, July 14 --

6 MS. KESSLER: Can you slow down?

7 THE WITNESS: I'm sorry.

8 Q. (BY EXAMINER McMILLAN) July 14.

9 A. -- 2015.

10 Q. Okay. Well, then, are all the Mewbourne wells
11 producing from the same zone?

12 A. Yes.

13 Q. So if the first well drilled had 655 pounds of
14 proppant --

15 A. Yeah, the second well, 1490; the third well,
16 1495; and the fourth well, 2,057.

17 Q. So the well, the third well --

18 A. Has the highest 30-day IP.

19 Q. -- exceeds number two?

20 A. Correct.

21 Q. Why is that?

22 A. Potentially in better rock, better zone.

23 Q. But you're not a geologist?

24 A. That's -- absolutely, I'm not.

25 Q. Okay. So can you draw any inferences based on

1 the timing and the max 30-day IP rate -- what you just
2 described?

3 A. Well, the fourth well that was, you know --
4 let's just -- let's just infer, and I'm -- that the
5 reservoir quality is improving to the west. If the
6 reservoir quality is improving to the west, the wells
7 would have -- the quality would have continued to
8 improve. It is possible that the performance of well
9 number three could be impacting the fourth well drilled,
10 hence the lower IP, even though the stimulation was
11 larger.

12 Q. Okay. But there are two years' difference
13 between one and three, and based on what you're telling
14 me, three's better than one.

15 A. Three is better than one. Yes, sir.

16 Q. But there's two years. How does that relate --

17 A. You're absolutely right. I mean, there is, you
18 know -- there is an inconsistency there.

19 Q. Yeah. Okay.

20 A. And at the same time, well number four, which
21 was stimulated with a larger frac than well number
22 three, you know, is not as good. Is some of that driven
23 by exact steering? Is it depletion? There are a number
24 of variables here, no question.

25 EXAMINER McMILLAN: Do you have any

1 questions?

2 EXAMINER JONES: Yeah. I always have
3 questions.

4 EXAMINER McMILLAN: Go.

5 CROSS-EXAMINATION

6 BY EXAMINER JONES:

7 Q. First of all, I guess I should ask about the
8 Hubbert & Willis Equation. Was that the minimum stress
9 plus two times the pore pressure divided by three?

10 A. Correct.

11 Q. Okay. The spacing for these four wells, this
12 Section 34, if the -- I have seen instances where people
13 are putting their wells even 50 feet apart or so. But
14 yours -- can you talk about that versus this spacing
15 that you're doing here?

16 A. I'm sorry. 50 feet --

17 Q. Actually, 50 feet, maybe -- maybe a little
18 bit --

19 A. Oh, okay. You're saying vertically like a wine
20 rack.

21 Q. Yeah. Yeah. And you --

22 A. I cannot -- I don't know off the top of my head
23 on the geological exact interval, you know, where they
24 exactly fit, but I believe they are very, very close in
25 the same parallel --

1 **Q. Same zone.**

2 **A. -- stretch. So to the best of my knowledge,**
3 these were not spaced up or down. But yes, in the
4 particular zones we're looking at with the thickness of
5 them, I don't think we're really looking at much
6 vertical spacing up and down at least. We've talked
7 about it. It's more: What is the best geologic target
8 that we can find in that interval? And we want to make
9 every effort to diligently steer into that.

10 **Q. Okay. So the pore pressure drawdown would**
11 **still be a factor even if spaced out to this -- the**
12 **distance you've got here if you don't complete them**
13 **relatively simultaneously?**

14 **A. Right.**

15 And if you go back to, I mean, in other
16 basins, in other areas where simulfrac is done, which we
17 utilize, where you frac Stage 1 in this well, Stage 1 in
18 this well, Stage 2, Stage 2, Stage 3, Stage 3, you build
19 up net pressure in that reservoir. And by building up
20 more net pressure, you get more complex fracturing. And
21 so that plays into it as well.

22 **Q. Does your -- speaking of that, your winged**
23 **models like Fracpro and Gopher, whatever they are**
24 **nowadays -- I don't know what you're using**
25 **nowadays -- are they actually -- are they accurately**

1 **telling you what's going on down there?**

2 A. I'm a bit agnostic on some of those models.

3 **Q. Is that a no? That's a no, isn't it?**

4 A. No. I mean, we -- we need to use them in terms
5 of our best estimates, but I think it's very difficult
6 to predictively say, How do we measure that? I mean,
7 yes, there is microseismic. Yes, there's -- we can look
8 at pressure drawdown and try to estimate half lengths,
9 but with the contribution of flow and slug flow and, you
10 know, buildup of fluids, I think it's very difficult.

11 I will say that, you know, I have looked at
12 recovery of wells drilled, not necessarily -- here's
13 four wells here, but I've looked at other areas where
14 six wells, eight wells have been drilled and try to look
15 at the performance of those, and I will say as a general
16 rule, not all the time, when the first two wells are
17 drilled are generally better than the subsequent wells
18 -- or the first -- you know, when wells -- when an
19 operator comes back and drills four, five, or six, they
20 tend not to be as good.

21 **Q. Okay. Okay. So even -- even Mr. Harwell was**
22 **saying that the trend is to try to pack more sand into**
23 **but not necessarily increase your frac link. So he was**
24 **-- he did say that. I remember him saying that.**

25 So with that in mind, the concentrations

1 that are increasing, are they increasing -- the people
2 that are trying to pack more sand in, are they doing it
3 with a 30, 40 sand or doing it with a 100 mesh or what?

4 A. I can't speak for all operators, and there
5 certainly have been -- seems like there were -- and I'm
6 just talking very generic, very general here. Seems
7 like there were many operators that were using just 100
8 mesh. Then operators started to use, you know, larger
9 proppant, tailing in with larger proppant.

10 And so I would say the trend in recent
11 years has been using some 100 mesh more on the front end
12 and larger proppant on the tail end.

13 **Q. So you're a believer in propping your wellbore?**

14 A. Yes. And I'm a believer that -- here's an area
15 where five or six years ago, I thought you could drill a
16 horizontal into a zone and you can frac into whatever,
17 and you were going to -- the wells were going to be
18 similar. I'm a firm believer that geology dictates it.
19 Finding the best interval and penetrating your lateral
20 into that best rock and fracking that best rock, you get
21 the best well.

22 **Q. Isn't it true that you sometimes aren't going**
23 **to know that until you begin your frac jobs and see how**
24 **the pressures may have on your frac job?**

25 A. You're not going to know it, but it is -- I

1 think we are making -- as an industry I think we're
2 making a lot more effort in 2017 and will in 2018 to
3 high-grade placements of laterals.

4 **Q. Oh. Okay.**

5 A. And specific in our case here, where we're
6 using 3D seismic also to try to define the best
7 intervals, and as Mr. Francis testified this morning,
8 our first location in the 2nd Bone Spring was driven on
9 a mud log where we had a very strong show. So we, you
10 know, that's definitely an indicator of, you know, where
11 to go. And we have an in-house geosteerer that steers
12 all of our wells.

13 **Q. Okay. So try to steer the straightest well**
14 **possible?**

15 A. And into those zones. And, you know, we
16 identify those zones with electric log parameters. And
17 try to stay in those same zones, correlate, and there's
18 not much dip here. It is very flat.

19 So it's -- it's not a difficult thing to
20 steer in that if you're -- if you're paying attention to
21 those log parameters while drilling.

22 **Q. Is the spacing between clusters an empirical**
23 **thing that you learn by doing it to keep your fracs from**
24 **interfering with each other, or are you guys doing some**
25 **science on that?**

1 A. We have done science. Actually, we, you know,
2 kind of back it up on the geological side. We didn't
3 talk about this, but we have a vertical well planned
4 here. We'll gather data, which we have done in other
5 areas where we've run complete set of logs including
6 FMI, the sidewall cores. We also tagged our early frac
7 jobs to verify some of our interpretations of the best
8 methods to frac.

9 **Q. Are you tagging with chemical tracers?**

10 A. Yes.

11 **Q. So you're tagging different -- different stages**
12 **so you can tell where maybe your production is coming**
13 **from in the well?**

14 A. Correct.

15 **Q. What about -- just a wild question here. What**
16 **about sand crushing? Is that a factor at all at this**
17 **depth?**

18 A. It certainly can be over time.

19 **Q. Can that affect your effectiveness of your frac**
20 **job?**

21 A. It can, but again, I think the most important
22 thing is if you're in good rock and you have good perm
23 and good porosity in your wellbore and the proppant pack
24 you have is still going to generally have better
25 permeability than the rock you're immediately producing

1 from. So there is enough permeability contrast there
2 that I do not think that's the choke, the restricted
3 flow on the fluids coming into the wellbore.

4 Q. Okay.

5 A. I will say we do have -- I don't want to get
6 into it for proprietary reasons, but we have some very,
7 very specific design parameters we use on or proppant
8 selection.

9 Q. Okay. Okay. So you mentioned a minute ago
10 that you're going to do some sidewall cores or you've
11 already done some?

12 A. We have.

13 Q. So you pulled some rock that you're figuring
14 out the clays, the types. Is that information helping
15 you at all figuring out what fluids to put in your
16 reservoir?

17 A. Not really fluids. You know, better
18 understanding of the geology --

19 Q. Okay.

20 A. -- and some of the log calculations and --
21 but, yes, it does play into some of rock mechanics we're
22 looking at.

23 Q. Okay. Speaking of that, your pore pressure --
24 you said you really didn't have a handle on the pore
25 pressure versus time, is that correct, as these wells

1 **produce?**

2 A. On these particular wells. These are Mewbourne
3 wells. So my testimony was with respect to Section 11.

4 **Q. Oh, okay.**

5 A. I would say on the wells that we have drilled,
6 you know, we will have and do have opportunities to
7 gather pressure data.

8 **Q. Okay. So you will be able to maybe set up a**
9 **model that you can see if the predictions are matching**
10 **what you think it should do?**

11 A. Yes. So far, I will say this, that our
12 performance to date is exceeding our type curves.

13 **Q. Okay. Okay. Thanks very much.**

14 EXAMINER BROOKS: Nothing.

15 EXAMINER McMILLAN: No redirect to the
16 redirect?

17 MR. McMILLAN: Nothing more from us.

18 EXAMINER McMILLAN: Okay.

19 EXAMINER JONES: Is that it for the case?

20 MS. KESSLER: Mr. Examiners, I would
21 propose submit written closing statements given the
22 time.

23 EXAMINER McMILLAN: That would be great.

24 EXAMINER BROOKS: Okay. I wanted to say,
25 with regard to the question notice to the overrides, I

1 think this is not the case in which to research it. I
2 think that if you -- rather than taking it under
3 advisement, let's see, what's the first hearing next
4 week -- next year?

5 EXAMINER JONES: The 11th, I think.

6 EXAMINER BROOKS: We can take it under --
7 if we can just delay it to January the 11th, that'll
8 give plenty of time to notice the overrides.

9 Actually, it is very unlikely that there
10 would be any overrides that are not uniform. But it
11 seems to me, when I think about it, one state lease,
12 whole working interest -- so any overrides aren't
13 uniform so they probably uniform. So if they're not
14 effectively pooled, it wouldn't make any difference.
15 But I just hate to leave things that untidy. And that's
16 a real easy fix, if it's not a schedule problems for
17 anybody.

18 EXAMINER McMILLAN: Okay.

19 EXAMINER BROOKS: And Mike can have the
20 draft all ready (laughter).

21 EXAMINER McMILLAN: Oh, sure, whatever you
22 want.

23 MS. KESSLER: Mr. Examiners, I understand
24 we'll be providing data on the sections included in
25 the -- in Mr. Huling's graph and then also provide data

1 points for the geologic maps by Tuesday at 4:00?

2 EXAMINER McMILLAN: Yeah. Give everyone a
3 chance to take -- give all the affected parties a chance
4 to evaluate it.

5 Okay. Then Case Number 15865, Case Number
6 15866, Case Number 15867, Case Number 15868, Case
7 Numbers 15875 and 15876 shall be continued until January
8 11th, 2018.

9 EXAMINER BROOKS: Good.

10 EXAMINER McMILLAN: Thank you very much.

11 (The proceedings conclude, 5:58 p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2018
Paul Baca Professional Court Reporters

24

25