

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF HILCORP ENERGY	CASE NOS. 15934 and
COMPANY FOR AN EXCEPTION TO THE	15936, 15937,
WELL DENSITY REQUIREMENTS OF	15938, 15939,
THE SPECIAL RULES AND REGULATIONS	15940, 15941,
OF THE BLANCO-MESAVERDE GAS POOL,	15942, 15943,
RIO ARriba COUNTY, NEW MEXICO.	15944, 15945

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

January 11, 2018

Santa Fe, New Mexico

BEFORE: MICHAEL McMILLAN, CHIEF EXAMINER  
WILLIAM V. JONES, TECHNICAL EXAMINER  
DAVID K. BROOKS, LEGAL EXAMINER  
GABRIEL WADE, LEGAL EXAMINER

This matter came on for hearing before the New Mexico Oil Conservation Division, Michael McMillan, Chief Examiner, William V. Jones, Technical Examiner, and David K. Brooks and Gabriel Wade, Legal Examiners, on Thursday, January 11, 2018, at the New Mexico Energy, Minerals and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR  
New Mexico CCR #20  
Paul Baca Professional Court Reporters  
500 4th Street, Northwest, Suite 105  
Albuquerque, New Mexico 87102  
(505) 843-9241

1 APPEARANCES  
 2 FOR APPLICANT HILCORP ENERGY COMPANY:

3 ADAM G. RANKIN, ESQ.  
 4 MICHAEL H. FELDEWERT, ESQ.  
 5 HOLLAND & HART, LLP  
 6 110 North Guadalupe, Suite 1  
 7 Santa Fe, New Mexico 87501  
 8 (505) 988-4421  
 9 agrankin@hollandhart.com  
 10 mfeldewert@hollandhart.com

11 INDEX

	PAGE
12 Case Numbers 15934 and 15936 through 15945 Called	5
13 Opening Statement by Mr. Rankin	6
14 Hilcorp Energy Company's Case-in-Chief:	
15 Witnesses:	
16 Charles E. "Chuck" Creekmore:	
17 Direct Examination by Mr. Rankin	9
18 Cross-Examination by Examiner Jones	25
19 Eddie A. Pippin:	
20 Direct Examination by Mr. Rankin	30
21 Cross-Examination by Examiner McMillan	45
22 Cross-Examination by Examiner Jones	47
23 Michelle M. Sivadon:	
24 Direct Examination by Ms. Sivadon	57
25 Cross-Examination by Examiner Jones	72

1	INDEX (Cont'd)	
2		PAGE
3	Hilcorp Energy Company's Case-in-Chief (Cont'd):	
4	Witnesses (Cont'd):	
5	Wyn E. McCubbin:	
6	Direct Examination by Mr. Rankin	77
	Cross-Examination by Examiner Jones	86
7	Cross-Examination by Examiner Wade	88
	Redirect Examination by Mr. Rankin	89
8		
	Bradley W. Pearson:	
9	Direct Examination by Mr. Rankin	93
10	Cross-Examination by Examiner Wade	99
	Redirect Examination by Mr. Rankin	101
11	Cross-Examination by Examiner Jones	102
12	Proceedings Conclude	109
13	Certificate of Court Reporter	109
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	EXHIBITS OFFERED AND ADMITTED	
2		PAGE
3	Case Numbers 15934 and 15936 through 15945:	
4	Hilcorp Energy Company Exhibit Numbers 1 and 1A	24
5	Hilcorp Energy Company Exhibit Number 2 (attached)	
6	Hilcorp Energy Company Exhibit Numbers 3 through 8 and Exhibit Number 10	45
7		
8	Hilcorp Energy Company Exhibit Numbers 9 and 11, 12, 13 and 14	72
9		
10	Case Numbers 15938 and 15940 through 15945:	
11	Hilcorp Energy Company Exhibit Numbers 15, 16 and 17	86
12		
13	Case Numbers 15934 and 15936, 15937, 15939:	
14	Hilcorp Energy Company Exhibit Numbers 15, 16, 17	99
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (2:15 p.m.)

2 EXAMINER McMILLAN: I'd like to call this  
3 hearing back to order.

4 The question I have is which cases are  
5 going to be consolidated?

6 MR. RANKIN: Mr. Examiner, we are  
7 requesting for hearing purposes that we consolidate Case  
8 Numbers 15934 and 15936 through 15945, 11 cases  
9 altogether.

10 EXAMINER McMILLAN: Okay. Case Number  
11 15934, application of Hilcorp Energy Company for an  
12 exception to the well density requirements of the  
13 special rules and regulations of the Blanco-Mesaverde  
14 Gas Pool, Rio Arriba County, New Mexico. That case  
15 shall be combined with Case Number 15936, application of  
16 Hilcorp Energy Company for an exception to the well  
17 density requirements of the special rules and  
18 regulations of the Blanco-Mesaverde Gas Pool, Rio Arriba  
19 County, New Mexico;

20 Further combined with Case Number 15937,  
21 application of Hilcorp Energy Company for an exception  
22 to the well density requirements of the special rules  
23 and regulations of the Blanco-Mesaverde Gas Pool, Rio  
24 Arriba County, New Mexico, combined with Case Number  
25 15938, application of Hilcorp Energy Company for an

1 exception to the well density requirements of the  
 2 special rules and regulations of the Blanco-Mesaverde  
 3 Gas Pool, Rio Arriba County, New Mexico, combined with  
 4 Case Number 15939, application of Hilcorp Energy Company  
 5 for an exception to the well density requirements of the  
 6 special rules and regulations of the Blanco-Mesaverde  
 7 Gas Pool, Rio Arriba County, New Mexico;

8 Combined Case Number 15940, application of  
 9 Hilcorp Energy Company for an exception to the well  
 10 density requirements of the special rules and  
 11 regulations of the Blanco-Mesaverde Gas Pool, and Case  
 12 Numbers --

13 EXAMINER JONES: They're all the same.

14 EXAMINER McMILLAN: -- 15941, 15942, 15943  
 15 and 15944 and 45, all combined together, and all have  
 16 the same name combined.

17 And let's move on.

18 MR. RANKIN: Mr. Examiner, I'm entering my  
 19 appearance. Adam Rankin, on behalf of Holland & Hart  
 20 with the Santa Fe office, on behalf of Hilcorp Energy  
 21 Company. With me today second chair is Mr. Mike  
 22 Feldewert. And I have five witnesses.

23 But, first, if I might make some brief  
 24 introductory remarks just to set the context for the  
 25 presentation, I think it might help and also to explain

1     our exhibit packet that you have before you today.

2                     Mr. Examiner, we will have five witnesses  
3     today reviewing exhibits for each of these 11 cases.  
4     The purpose of the applications here is that Hilcorp  
5     identified a number of Dakota wells that are ideally  
6     located for completions uphole in the Mesaverde  
7     Formation in proration units where their analysis has  
8     shown that the existing well density and spacing pattern  
9     permitted by the special pool rules are not sufficiently  
10    accommodating the spacing units in the Mesaverde.

11                    And so Hilcorp is, therefore, asking for  
12    exceptions to the special pool rules to permit them to  
13    recomplete Dakota wells in the Mesaverde Formation so  
14    they may have five wells in a spacing unit and three  
15    wells in a quarter section.

16                    All the cases before you today are included  
17    in townships where the Division has already previously  
18    approved exceptions to the well-density limitations in  
19    the special pool rules. So these are not foreign cases  
20    to the Division. They've been before you in the past,  
21    and in each case, the Division has approved what we're  
22    asking for today in the same townships.

23                    So we have five witnesses. Mr. Creekmore  
24    will be introducing Hilcorp to the Division and will  
25    give a little bit of a background summary of the

1 Mesaverde Formation, as well as some -- for context and  
2 some background on the procedure. Mr. Eddie Pippin will  
3 be presenting an overview of the geology in the  
4 Mesaverde and their analytical approach to identifying  
5 their target wells. Ms. Michelle Sivadon is a reservoir  
6 engineer, and she'll be explaining the basis for the  
7 request to -- for the exceptions with respect to each of  
8 the wells. And then Ms. Wyn McCubbin and Mr. Brad  
9 Pearson are landmen, and they'll be providing specific  
10 notice details for each of the cases.

11 On a procedural note, I just want to review  
12 for you so you can easily flip around in this exhibit  
13 binder in front of you. Each binder has all 11 cases --  
14 exhibits for all 11 cases. They're ordered by case  
15 number from lowest to highest. Each case has 17  
16 exhibits, and in each case, the exhibits are identical  
17 but for -- except for the technical engineering exhibits  
18 and the notice exhibits, they're specific to each case.  
19 So the format and the sequence of the exhibits is the  
20 same for each case. So while we may reference Exhibit 8  
21 in one case, it will be the same format and sequence for  
22 each case subsequent. Okay?

23 With that, if you have any questions, let  
24 me know, but if you want -- if you have specific  
25 questions. We may be addressing one or two cases, and



1 then I'll be asking my witnesses to confirm if they've  
2 done the same analysis, have the same conclusions and  
3 same opinions for each of the other cases. But if you  
4 have questions for any one case, let me know, and we can  
5 go into the details of any one.

6 EXAMINER JONES: That's good.

7 MR. RANKIN: With that, I'd call my first  
8 witness. I think we need to swear them in.

9 EXAMINER JONES: Would the witnesses please  
10 stand and the court reporter swear the witnesses?

11 (Mr. Creekmore, Mr. Pippin, Ms. Sivadon,  
12 Ms. McCubbin and Mr. Pearson sworn.)

13 MR. RANKIN: Mr. Examiner, I would call my  
14 first witness, Mr. Charles Creekmore.

15 CHARLES E. "CHUCK" CREEKMORE  
16 after having been first duly sworn under oath, was  
17 questioned and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. RANKIN:

20 Q. Mr. Creekmore, how are you today?

21 A. Fine.

22 Q. Will you please state your full name for the  
23 record?

24 A. Charles E. Creekmore, and I go by Chuck.

25 Q. And by whom are you employed?

1           A.     Hilcorp Energy Company.

2           Q.     And have you -- what is your job with Hilcorp?

3           A.     I'm a landman. I'm a division landman.

4           Q.     And have you previously testified before the  
5 Division and had your credentials as an expert in  
6 petroleum land matters made a matter of record?

7           A.     Yes, I have.

8           Q.     Are you familiar with the 11 applications that  
9 were filed in this case?

10          A.     Yes, I am.

11                   MR. RANKIN: And with that, Mr. Examiner, I  
12 would tender Mr. Creekmore as an expert in petroleum  
13 land matters.

14                   EXAMINER JONES: He's once more qualified  
15 as an expert in petroleum land matters.

16                   EXAMINER BROOKS: As I recall, you're also  
17 an attorney.

18                   THE WITNESS: Yes, I am. I'm licensed in  
19 the state of Oklahoma.

20                   MR. RANKIN: So we hold him to a higher  
21 standard on the stand.

22                   (Laughter.)

23                   THE WITNESS: But I'm also a registered  
24 landman with the AAPL.

25                   EXAMINER BROOKS: And you're warming up to

1     testify in the horizontal well rule hearings here.

2                   MR. FELDEWERT:   I thought the Division was  
3     offering testimony.

4                   EXAMINER BROOKS:   Pardon me?

5                   MR. FELDEWERT:   I thought the Division  
6     would be offering testimony.

7                   EXAMINER BROOKS:   Not if you want the rule  
8     adopted.

9                   (Laughter.)

10            Q.     (BY MR. RANKIN) Mr. Creekmore, you've appeared  
11     before the Division many times before but never on  
12     behalf of Hilcorp; is that correct?

13            A.     That is correct.

14            Q.     This is the first time Hilcorp's had the  
15     opportunity to be before the Division for a hearing?

16            A.     Yes, it is.

17            Q.     Will you just take a moment to review for the  
18     Examiners a little bit about Hilcorp's background, how  
19     they came to be in the San Juan Basin and a little about  
20     the company?

21            A.     Well, Hilcorp was established in 1989.  It's  
22     one of the largest independently owned oil and gas --  
23     oil and natural gas exploration production companies in  
24     the United States.  It acquired 1.7 million acres in the  
25     San Juan Basin recently, and it goes after conventional

1 assets and tries to enhance them.

2 It's headquartered in Houston, Texas, and  
3 they have operations in the Gulf Coast, Texas,  
4 Louisiana, New Mexico now, Wyoming, northeast U.S. and  
5 in the Cook Inlet -- Cook Inlet and North Slope of  
6 Alaska.

7 They acquired ConocoPhillips and  
8 Burlington's operations in the San Juan Basin. And I  
9 haven't seen -- in the past, I've seen where  
10 ConocoPhillips and Burlington were the one -- number one  
11 and number two gas producers in the state. I'm not  
12 sure -- they didn't acquire the southeast  
13 ConocoPhillips' acreage, but I'm sure that we'll be the  
14 largest gas producer in the state once those  
15 calculations are made again.

16 The company is generally very aggressive on  
17 their development plans. Since acquiring  
18 ConocoPhillips' and Burlington's interest, this is one  
19 of the first stages. They recognized that there is real  
20 opportunity in some of the areas with the  
21 Blanco-Mesaverde not being fully developed on a  
22 drill-block basis, and they -- at least initially, this  
23 is one of their focal points.

24 The Basin -- ConocoPhillips and Burlington  
25 had approximately 5,100 completions in the

1 Blanco-Mesaverde. Numerous of them were commingled with  
2 the Basin-Dakota and the Blanco-Mesaverde because  
3 stand-alone economically, it wasn't always feasible to  
4 drill a well, but when you combined them and commingled  
5 them, it made a great deal of sense.

6 **Q. Okay. So speaking of the opportunity that**  
7 **Hilcorp has identified here, what is it that Hilcorp is**  
8 **seeking? If you can summarize for the Examiners, what**  
9 **is it Hilcorp is seeking with these 11 limitations?**

10 A. Well, as I said, this has always been a  
11 priority, since I've been with ConocoPhillips and  
12 Burlington ten years ago, to -- to have these combined  
13 Dakota-Mesaverde wells. Here, closer examination -- we  
14 do have geological and engineering testimony. Closer  
15 examination of some of these drill blocks, which allowed  
16 for four-well density, not all -- we feel like not all  
17 of the Mesaverde was adequately drained. So -- and  
18 we've identified Dakota wells that aren't commingled in  
19 those areas where the Mesaverde wasn't adequately  
20 drained. Consequently, we're wanting to use those  
21 wellbores to go uphole and develop the Mesaverde.

22 **Q. But the problem you have, Mr. Creekmore, is**  
23 **that there are special pool rules in place; is that**  
24 **correct?**

25 A. Yes. I'm sorry. Yes. And we have been

1 prohibited by a variety of reasons, by the  
2 Blanco-Mesaverde pool rules, which only allow for four  
3 wells per 320-acre spacing unit, two wells per quarter  
4 section and one well per quarter-quarter section.

5 MR. RANKIN: So I'm just going to -- if  
6 it's okay that I approach -- hand out a copy of the  
7 order that lays out the special pool rules, and I'll ask  
8 that the Examiner take this under administrative  
9 consideration so that it can be part of the record.

10 Q. (BY MR. RANKIN) But it is Case Number 123 --  
11 I'm sorry -- 12837, Order Number R-10987-A(1).  
12 Mr. Creekmore, you're familiar with this order?

13 A. Yes, I am.

14 Q. And will you just -- I think it starts on page  
15 6 in the ordering language where the order addresses the  
16 well-density limitations applicable to the  
17 Blanco-Mesaverde pool rules; is that right?

18 A. Yes.

19 Q. All right. So if you look at page 6 where it  
20 identifies the limitations on well density, under  
21 subparagraph one, it states that up to four wells may be  
22 drilled on a standard gas proration unit; is that  
23 correct?

24 A. Correct.

25 Q. So one of the limitations here is that the

1 additional Dakota completion in the Mesaverde would put  
2 you at five wells --

3 A. Yes.

4 Q. -- in almost every case before the Division  
5 today; is that correct?

6 A. That is correct.

7 Q. And then one of the other limitations is that,  
8 under subparagraph 1E, no more than two wells shall be  
9 located within either quarter section in a gas proration  
10 unit?

11 A. That is correct. Yes.

12 Q. So many of these applications are seeking to  
13 have three wells in a quarter section; is that correct?

14 A. Yes.

15 Q. So with that -- in addition, there are  
16 limitations on locations for the infill wells, is that  
17 correct, that same ordering language?

18 A. Yes.

19 Q. So you're seeking the approval of your wells as  
20 requested in the locations requested for each case?

21 A. Yes.

22 Q. So for that reason, you're seeking those  
23 exceptions from the special pool rules?

24 A. From the pool rules, yes.

25 Q. And the reason that you're here today is

1     because these special pool rules require any deviation  
2     from those rules go to hearing, right?

3           A.     Yes, under the B(1)(F).

4           Q.     Now, you've indicated that there will be  
5     geology and reservoir engineering testimony that they'll  
6     be addressing they've identified in their analysis that  
7     there are unrecovered reserves at risk of -- in place --

8           A.     Yes.

9           Q.     -- unless these additional wells are completed  
10    to increase the density?

11          A.     Yes.

12          Q.     Okay. Now, there are 11 cases here today, but  
13    Hilcorp has identified other opportunities as well?  
14    There are more situations that would apply?

15          A.     Well, there are numerous cases where we  
16    wouldn't be involved with a density violation, where it  
17    would be the fourth well in the spacing unit. And  
18    then -- so we wouldn't have to go to hearing on those.  
19    And then we have some that are scheduled for a later  
20    hearing.

21          Q.     Okay. But I guess the point is that in your  
22    opinion or in Hilcorp's opinion, is there an opportunity  
23    to make a poolwide change to permit perhaps  
24    administrative approvals of a fifth well and a third  
25    well in a quarter section?



1           A.    That is correct.

2           Q.    And these wells that you're seeking today will  
3   help, will they not, provide the data necessary to make  
4   that presentation to the Division at a later time?

5           A.    Yes.  That is the direction we want to go.

6           Q.    So for now -- at some point in the future,  
7   Hilcorp intends to come back to the Division with a  
8   request to make a poolwide change to permit  
9   administrative approvals?

10          A.    That is correct.

11          Q.    Okay.  Now, real quickly, I want to just ask  
12   you a little bit about the history so we can review the  
13   context.  I mentioned in my opening remarks that there  
14   were prior cases that had been before the Division  
15   seeking exceptions to these special pool rules in the  
16   same townships.

17          A.    Yes.

18          Q.    And I'll ask you to refer -- and,  
19   Mr. Creekmore, I've neglected to direct you to indicate  
20   to the Examiners -- you were talking about the acreage  
21   that Hilcorp has acquired in the San Juan Basin, and I  
22   neglected to direct you to review for the Examiners  
23   Exhibit 1, and if we could look at the first case in the  
24   packet, which is Case Number 15934, Exhibit Number 1,  
25   just to take a moment to step back.  Is this first

1     exhibit a depiction of Hilcorp's acreage in the  
2     Mesaverde in the San Juan Basin? Is that right?

3           A.     Yes, it is.

4           Q.     And what do the red stars indicate?

5           A.     The red stars are the cases that are before the  
6     Division today.

7           Q.     Okay. So each of those stars represents one  
8     well location for which you're seeking a density  
9     exception?

10          A.     Yes.

11          Q.     And these are existing Dakota wells, right?

12          A.     Yes.

13          Q.     Okay. And those are identified in that table  
14     on the top right corner of the map?

15          A.     Yes.

16          Q.     Okay. Thank you.

17                     Now, getting back to where I was where the  
18     Division had previously approved well-density exceptions  
19     in the same townships, is Exhibit 1A on the next tab a  
20     copy of a list of those cases and orders in which the  
21     Division approved those exceptions?

22          A.     Yes. These are some of the cases that you-all  
23     have previously approved on the Division level.

24          Q.     And these are just -- just those in which the  
25     same townships are at issue for these cases, right?

1           A.    Yes, in the townships where the wells here  
2   today are located.

3           Q.    So in addition to individual exceptions, were  
4   there also at least one or two pilot projects in which  
5   the Applicant -- I believe in both cases it was  
6   Burlington -- sought either a section or a larger pilot  
7   project to establish the basis for proper well density  
8   and spacing?

9           A.    Yes.

10          Q.    Okay.  So some of this effort has already been  
11   developed for the last 10 or 12 years?

12          A.    Yes.  ConocoPhillips and Burlington, Mesaverde  
13   is one of their targets and more prolific formations  
14   they've been after for years.

15          Q.    And based on your experience, are you aware of  
16   any instance where the Division has disapproved a  
17   request for exception to the well density --

18          A.    Not --

19          Q.    -- limitations?

20          A.    Not to my knowledge.

21          Q.    Moving on, I just want to talk a little bit  
22   about these prior cases in which the exceptions to these  
23   pool rules were granted for increased well density.  Did  
24   the Division require notice to all of the surrounding  
25   offsetting 320-acre spacing units?

1           A.    Yes, they did.

2           Q.    And that was the notice procedure that was  
3 employed in all those cases that you're aware of?

4           A.    Yes.

5           Q.    Is that the same notice procedure that Hilcorp  
6 has employed for these cases?

7           A.    Yes.

8           Q.    And there will be separate witnesses who will  
9 address specific notice procedures for each of these  
10 cases?

11          A.    Yes. We have additional witnesses.

12          Q.    Now, these wells are all within federal units;  
13 is that correct?

14          A.    They're within federal units and within  
15 participating areas, both the Dakota Formation and the  
16 Mesaverde Formation.

17          Q.    If you flip, Mr. Creekmore, to that first case,  
18 15934, Exhibit 15, flipping ahead, there is a map there  
19 that shows red outlines. Is that the federal units in  
20 this area?

21          A.    Yes.

22          Q.    Okay. And what is identified in green? Are  
23 those the spacing units at issue in these cases?

24          A.    Yes, in the green.

25          Q.    So there are 11 spacing units, and those

1     represent each of the spacing units in which we're  
2     seeking the well-density exceptions for these 11 cases,  
3     correct?

4           A.     Yes, that's correct.

5           Q.     So you can see by this map that all the wells  
6     are located in federal units and -- with no exception,  
7     right? They're all in the federal units?

8           A.     Right.

9           Q.     So did you have any discussions with the BLM in  
10    preparation for this hearing, these cases?

11          A.     Yes. I spoke with BLM representatives, both  
12    Joe Hewitt and Dave Mackevich, and explained to them  
13    what we're attempting to do, and both of them expressed  
14    no reservations about this and understood the process,  
15    and so they gave me verbal approval.

16          Q.     Okay. And then some of these lands, these  
17    include federal trust lands as well, right?

18          A.     Yes.

19          Q.     And you've had discussions with the State Land  
20    Office for the proposal of these wells?

21          A.     I also discussed this, our program, with Ed  
22    Martin, and he was encouraging us to go ahead with this  
23    also.

24          Q.     Now, in every case, for each of these -- or in  
25    these federal units, you have already, through Division

1    **orders, preapproval for commingling the Dakota with the**  
2    **Mesaverde; is that correct?**

3           A.    Yes.  We have preapproval.  We've brought cases  
4    and had reference cases on all of these units giving us  
5    preapproval for downhole commingling with the  
6    Blanco-Mesaverde and the Basin-Dakota.

7                   MR. RANKIN:  And, Mr. Examiner, we can  
8    provide those to you at another time or read them into  
9    the record.

10                   EXAMINER JONES:  Did you say you've already  
11   done that?

12                   THE WITNESS:  Yes.  I think --

13                   MR. RANKIN:  Prior cases already have  
14   established it.

15                   THE WITNESS:  Oh, prior cases.  Years, I  
16   think.

17                   MR. RANKIN:  '99, 2000 time frame.

18                   EXAMINER JONES:  Dakota-Mesaverde.

19                   MR. RANKIN:  If you'd like, we can read  
20   that into the record, or we can provide them to you  
21   later.

22                   THE WITNESS:  I can give you the case  
23   numbers real quick if you like.

24                   EXAMINER JONES:  No, that's fine, because  
25   they're listed in our rules, actually.

1                   THE WITNESS: I mean rule number. They're  
2 sequential.

3                   EXAMINER JONES: So it's still requiring  
4 submittal to the Aztec Office, just a little submittal  
5 to the Aztec Office.

6                   MR. RANKIN: Right. Right.

7                   THE WITNESS: But you don't have to send  
8 out notice to all owners.

9                   EXAMINER JONES: Okay. Yeah. So these  
10 were the ones that actually not only preapproved it, but  
11 they also -- these units, they preapproved all the  
12 notice issues.

13                  THE WITNESS: Yes. We sent out notice to  
14 all of them and had the hearing and got the approval  
15 from the Division.

16                  EXAMINER JONES: Sorry to interrupt.

17                  MR. RANKIN: Not at all. We wanted to make  
18 sure that question was addressed if it came up so you  
19 were aware of it.

20                  EXAMINER JONES: Okay.

21                  MR. RANKIN: With that, Mr. Examiner, I  
22 would tender the admission of Exhibits 1 and 1A for each  
23 of the consolidated cases, and I would pass the witness.

24                  EXAMINER JONES: Exhibits 1 and 1A for all  
25 11 cases are admitted.

1                   (Hilcorp Energy Co. Exhibit Numbers 1 and  
2                   1A are offered and admitted into evidence.)

3                   EXAMINER JONES: There was -- I seem to  
4 remember a huge hearing where one of these -- maybe one  
5 of these whole units was approved for increased density  
6 as sort of a pilot situation where one density would be  
7 a well per quarter-quarter, but that must have been the  
8 Dakota. That must have been a Dakota, because you're  
9 listing one pilot project here, and it's a Mesaverde,  
10 and it's one section.

11                  MR. RANKIN: Right. It's one section.  
12 There is one other pilot project that includes, I think,  
13 four sections or more, but it's -- it's a Mesaverde as  
14 well, but just not in the area we're looking at.

15                  EXAMINER McMILLAN: Okay.

16                  EXAMINER JONES: Okay. That's what I could  
17 be thinking.

18                  MR. RANKIN: I don't think it was an entire  
19 unit. It was a number of sections, but I don't think it  
20 was an entire unit.

21                  EXAMINER JONES: Carved out four or five  
22 sections and did that.

23                  Okay. So basically what you're asking for  
24 here are five wells per spacing unit and three wells per  
25 quarter section?



1                   MR. RANKIN: There are some variations.  
2     Some of the cases are only asking for three wells per  
3     quarter because there is only one in the quarter-quarter  
4     section. So there is some variation. It's in the  
5     application -- each application, but --

6                   EXAMINER JONES: I'll find it. Yeah.  
7     Okay.

8                   MR. RANKIN: Yeah. But we can provide you  
9     those findings for each case to further assist you.

10                  EXAMINER JONES: Okay. I appreciate that.  
11     They are in here, though? They're in the application  
12     itself, actually?

13                  THE WITNESS: Yes.

14                  MR. RANKIN: Yes.

15                               CROSS-EXAMINATION

16     BY EXAMINER JONES:

17               Q.     You went to a lot of trouble do all this, and I  
18     do appreciate it. So hopefully we can kind of go from  
19     transferring the stuff that you've already QC'd directly  
20     in, and we'll check it again.

21                       So this is just -- so your testimony is  
22     just to provide the background and the reasoning -- the  
23     overall scope of -- so part of it is for increased  
24     production and prevention of waste but also to gather  
25     data; is that correct?

1           A.     Correct. But also to make money.

2                     (Laughter.)

3           Q.     And make money. Make money (laughter).

4                     And there are no issues about -- because  
5     it's -- maybe there wouldn't even be an issue of  
6     drilling new wells nowadays with the EIS -- I don't even  
7     know if you say EIS nowadays, but the Environmental --

8                     MR. RANKIN: Impact statement.

9                     EXAMINER JONES: -- Impact Statement.

10    There is -- they used to talk about, well, when is it  
11    going to get kicked off to form -- make the whole San  
12    Juan Basin come up with a new one, but --

13                     THE WITNESS: This will lessen our  
14    footprint because we're on an existing pad, and so it  
15    is -- you have facilities in place and a wellbore in  
16    place, so it makes sense from that standpoint. Yes.

17           Q.     (BY EXAMINER JONES) Okay. Well, why didn't  
18    ConocoPhillips do this before now? I mean, Hilcorp took  
19    over, and is it just -- just a strategic difference in  
20    the companies, I guess.

21           A.     Right. Many of these were in place to be done  
22    before --

23           Q.     Oh, okay.

24           A.     -- before ConocoPhillips curtailed investments  
25    in the San Juan Basin. I don't know when they decided,

1     you know, to sell the asset, but some of these are  
2     brand-new.

3           **Q.     Okay.**

4           A.     And as I said, this is our transition, and we  
5     have a lot more operations that we plan on doing. But  
6     these are -- right now, we felt like we could start in  
7     this area. And there are a lot of new people working  
8     the San Juan Basin. ConocoPhillips kept a lot of  
9     people, and a lot of people took early retirement and  
10    things like that. So this is our initial -- one of our  
11    initial projects, and we also wanted to introduce the  
12    Division to who Hilcorp is and that they are wanting to  
13    put money into the Basin --

14          **Q.     Okay.**

15          A.     -- and are wanting to be real active in the  
16    area.

17          **Q.     Okay. In the old days, it seems the San Juan**  
18    **had a big problem with trying to get the gas out of**  
19    **there. But the pipelines are there now, and are the --**  
20    **so it's not such a lower price there than it is in other**  
21    **parts of the country?**

22          A.     There's still a lot of infrastructure there,  
23    and that's also another good reason for using an  
24    existing well pad that has a gathering system tied to  
25    that well. Yes.

1 Q. Okay.

2 A. It is still difficult to get right away out  
3 there, and there are delays and things like that. But  
4 does that answer your question or --

5 Q. Yeah, just the gas prices -- you know, the  
6 differential between gas prices in the San Juan versus,  
7 you know, Opal [phonetic] or some of the -- especially  
8 back East. You know, they always had 40 cents Mcf  
9 higher gas prices, it seemed. But San Juan is better  
10 now in that respect?

11 A. I don't know that I can answer that.

12 Q. Okay. Now, Burlington and ConocoPhillips  
13 stayed -- even though they might have been the same  
14 company, they stayed in separate entities in the San  
15 Juan?

16 A. Right. For several reasons, they -- Burlington  
17 was a wholly owned subsidiary.

18 Q. Okay. For several reasons. So now -- but the  
19 new Hilcorp Energy Corp is one --

20 A. One company.

21 Q. -- for both of them? So that's going to add  
22 some advantages.

23 A. Yeah.

24 Q. And is there still people on the ground there  
25 in the San Juan Basin, the same -- what kind of

1     **consolidation of buildings and people has occurred?**

2           A.     Right now, the 30th Street building is vacant,  
3     but we've consolidated operations in the Highway 64  
4     building -- the one in between Bloomfield and Farmington  
5     or near the fairgrounds.

6           Q.     Okay. Has there been -- I guess this is a  
7     question for the engineer, but has there been -- are you  
8     aware of a big initiative to lower -- lower the wellhead  
9     pressure -- compression, in other words, added  
10    compression?

11          A.     I think you'll have to wait for the engineer  
12    testimony.

13          Q.     Okay. Okay. I better pass it on to these  
14    guys.

15                   EXAMINER McMILLAN: I don't have any  
16    questions.

17                   EXAMINER BROOKS: I'll save all my  
18    questions for the horizontal well rule.

19                   EXAMINER JONES: Sorry to let you go so  
20    early here. Thank you very much.

21                   THE WITNESS: Okay.

22                   MR. RANKIN: Thank you, Mr. Examiner. I  
23    have no more questions.

24                   I'd like to call my second witness,  
25    Mr. Eddie Pippin.

1 EDDIE A. PIPPIN,  
2 after having been previously sworn under oath, was  
3 questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. RANKIN:

6 Q. Mr. Pippin, good afternoon. Will you please  
7 state your full name for the record?

8 A. Eddie Anthony Pippin.

9 Q. By whom are you employed?

10 A. Hilcorp Energy Company.

11 Q. And what is your job with Hilcorp?

12 A. I'm a senior geologist.

13 Q. And have you previously had the opportunity to  
14 testify before the Oil Conservation Division?

15 A. Yes, I have.

16 Q. And in that testimony, did you have your  
17 expertise as a petroleum geologist made a matter of  
18 record and accepted?

19 A. Yes.

20 MR. RANKIN: Mr. Examiner, I would tender  
21 Mr. Pippin as an expert in --

22 EXAMINER JONES: Are you related to Mike  
23 Pippin (laughter)?

24 THE WITNESS: I hate when people recognize  
25 that. He's my much older brother (laughter).

1 EXAMINER JONES: Oh, okay.

2 So qualified.

3 MR. RANKIN: Thank you.

4 Q. (BY MR. RANKIN) Mr. Pippin, are you familiar  
5 with the 11 applications that were filed in these cases?

6 A. Yes, I am.

7 Q. And have you conducted a study of the lands  
8 underlying -- the lands that are subject to these  
9 applications?

10 A. Yes, sir.

11 Q. Okay. Let's talk about what you have  
12 investigated. Just to be clear, Hilcorp is proposing to  
13 recomplete existing Dakota wells within the Mesaverde  
14 Formation, right?

15 A. Yes.

16 Q. So the Mesaverde is the target formation well  
17 for all of these consolidated cases?

18 A. Right.

19 Q. Can you just give us a brief overview of the  
20 geologic history and background for the Mesaverde?

21 A. Sure. You want me to start by going through  
22 the exhibits?

23 Q. Yeah. Let's do that. Let's start with first  
24 case in the packet, Case 15934. And I think your first  
25 exhibit is Exhibit Number 2. What does that show?

1           A.    So this is just a schematic cross section of  
2   the Basin from the west to east.  The Basin is a  
3   basin-centered gas play with water on the edges holding  
4   in the gas through the center, thus the name.  It is a  
5   stacked pay basin where we have conventional horizons,  
6   the Dakota and the Mesaverde, which are, as  
7   Mr. Creekmore already mentioned, commonly commingled.  
8   We also have a conventional Picture Cliff Sandstone,  
9   which is commonly, at least in some parts of the Basin,  
10   commingled with the unconventional Fruitland coal.  We  
11   also have the Mancos Shale, very unconventional and a  
12   popular target of late.

13           **Q.    So all those comprise the Mesaverde Formation?**

14           A.    So the Mesaverde Formation is comprised of the  
15   Cliff House, Menefee and Point Lookout.

16           **Q.    All right.  Do you have a type log that depicts**  
17   **the formations that comprise the Mesaverde Group?**

18           A.    Exhibit 3 is from the 29-7 #129M located in the  
19   29-7 Unit, just a few miles away from a number of our  
20   cases.  It shows the Mesaverde Group being made up of  
21   the Cliff House, Menefee and Point Lookout, but also the  
22   bounding shales of the Lewis and Mancos above and below.  
23   The shales represent a period of higher relative sea  
24   level.  The Mesaverde, as a whole, is a much lower  
25   sea-level period.  So as we move up-section from the



1 Mancos, we tend to grade into the Point Lookout, and it  
2 becomes more sandy, less shaley. And so you hit the top  
3 of the Point Lookout, which tends to have a relatively  
4 clean, blocky-looking sand on the log here. The log, by  
5 the way, has gamma ray on the left and resistivity on  
6 the right.

7                   The Point Lookout is a combination of kind  
8 of a blocky sand rock substance, represents a shoreface  
9 sand, as does the Cliff House Sandstone at the top of  
10 the Mesaverde Group. There it is -- instead of a  
11 declining sea level, we have a rising sea level from the  
12 Cliff House until we get into the Lewis time. The only  
13 difference there -- or one thing to note is the Cliff  
14 House was actually deposited in those times where sea  
15 level had a short drop in an otherwise increasing cycle.  
16 The Menefee Formation is in between those. The Menefee  
17 is more of coastal plain deposit, consisting of  
18 laminated fluvial sands, shales and silts.

19           **Q. We'll talk about this just a little later in**  
20 **your testimony, but you evaluated the consistency -- the**  
21 **geologic consistency of this formation, which is**  
22 **basically --**

23           A. Correct.

24           **Q. Okay. We'll talk about that in just a moment.**

25                   I want to jump over to Hilcorp's analytical

1 approach to how it identified the subject wells in each  
2 of these cases and in terms of what -- what review  
3 analysis did you employ to identify your ideal,  
4 basically, Dakota wells and determine that there were  
5 unrecovered reserves -- or risks of unrecovered reserves  
6 in the subject spacing units.

7 A. Sure. So in order to understand if you're  
8 recovering everything that's there, you have to  
9 understand what you started off with. So we started off  
10 with a study that identified what we had, gas in place  
11 originally, subtracted from that cum production. So  
12 it's kind of a simple math formula. One minus the other  
13 gives you what is remaining in the formation today.

14 Q. So, essentially, you used your original  
15 calculations for original gas in place, you subtracted  
16 the cumulative production across the area, and from  
17 that, you determined that there was gas remaining in  
18 place more than you would expect; is that right?

19 A. Certainly. Yes.

20 Q. And that is an indication to you that there was  
21 less effective drainage in certain areas?

22 A. Yes, sir.

23 Q. And those are the areas you look to target with  
24 your Mesaverde completions?

25 A. Correct.

1           Q.    All right.  So let's look at that.  I think you  
2   created some slides that depict that analysis visually,  
3   right?

4           A.    Correct.

5           Q.    So in that same -- in the same case, 15934,  
6   will you turn to Exhibit Number 4 and review for the  
7   Examiners what that shows?

8           A.    Yes.  So this is original gas in place for the  
9   Mesaverde map.  Before we talk about how we got to the  
10   gas-in-place numbers, there are a few things I'd like to  
11   point out.

12                   The outline of the contours on here is all  
13   of the Mesaverde production, not just the  
14   Blanco-Mesaverde Pool, but all of the pools for the  
15   Mesaverde in the Basin.  We also have a -- kind of a  
16   blue squiggly line through almost the center of this map  
17   that represents the fairly good line that demarks where  
18   the Cliff House gets wet to the southwest and stays dry  
19   primarily to the northeast.  There is also a dashed red  
20   line, which is where we believe the Mesaverde is a  
21   little more fractured than other areas.  The stars on  
22   here represent the cases we are discussing today.

23                   So to get back to the gas in place, the  
24   contours -- the warmer-colored contours indicate higher  
25   gas in place.  The cooler colors, the blues and greens,

1 indicate less gas in place. So how we came up with  
2 these numbers, we started by just kind of going through  
3 the Basin and recognizing where we had a pretty full  
4 suite -- logging suites. So we have gamma ray  
5 resistivity porosities curves to work with. Then we  
6 normalize those logs to account for different vendors,  
7 different technology over the various decades. So we  
8 were comparing kind of the same thing from location to  
9 location.

10 So from that, then, we calculated water  
11 saturation, which allowed us to get gas saturation. We  
12 also -- gosh. I went blank for a second. Sorry. So we  
13 also calculated effective porosity from that as well,  
14 combined that with net pay from well to well with a  
15 formation factor and then an acreage. Whether you're  
16 looking at a quarter section or a section, whatever,  
17 that allows you to do the calculation for gas in place.

18 **Q. Before I move on to the next exhibit, you**  
19 **talked about the area within that red-dashed outline**  
20 **within the -- within the formation, and you described it**  
21 **as the fractured area, right?**

22 A. Yes, sir.

23 **Q. What effect has that higher-fracture zone --**  
24 **the rock is more fractured in that zone, correct?**

25 A. Correct. It is more fractured there, we

1 believe. And you'll see kind of the effect of that  
2 couple of exhibits. You can see somewhat that it  
3 compares somewhat favorably with the higher gas-in-place  
4 numbers, but as we start talking about what is produced,  
5 what is left in formation, you'll see a much better  
6 correlation then.

7 Q. Okay. So that's naturally occurring fractures  
8 in that rock area?

9 A. Correct.

10 Q. And those natural fractures contribute to  
11 better drainage, as you will talk about in a moment,  
12 right?

13 A. Yes, sir.

14 Q. Okay. So let's move on to your next exhibit,  
15 5.

16 A. Exhibit 5 is simply publicly available  
17 cumulative gas production for the Mesaverde. And you  
18 can see through the center that we have produced a  
19 pretty fair amount of gas in the middle of the pool  
20 there. Along the edges and outside, basically the  
21 fracture trend, we have not done so well with  
22 production. And, again, the 11 stars represent the  
23 cases we're discussing today.

24 Q. Okay. And so your next exhibit, Exhibit 6,  
25 what does that show?

1           A.    So that is remaining gas.  So, again, the kind  
2   of simple math formula.  You start off with all the gas  
3   that's in formation originally, subtract out what you  
4   have produced, gives you see the remainder -- or  
5   remaining gas in place.  And from the colors, you can  
6   see there are some areas that -- particularly where the  
7   Mesaverde fracture trend is, we have probably produced  
8   fairly well.  Those wells are still producing, but we  
9   probably don't have a great need for additional spacing  
10  or additional well completions through there.

11                   Beyond that, where you have all the  
12  coloring and the contours, we have not done so well in  
13  producing the gas that's in formation.

14           **Q.    Okay.  And so based on your analysis, you see**  
15 **that in the zones where these stars are, that there is**  
16 **still opportunities for gas recovery, and that existing**  
17 **spacing pattern is not likely draining the reserves in**  
18 **place?**

19           A.    That is correct.  We believe there is quite a  
20  bit of gas still in place.

21           **Q.    Okay.  Working with a reservoir engineer, you**  
22 **prepared a similar analysis with respect to each of the**  
23 **cases before the Division today, correct?**

24           A.    Yes.  Each of the other cases will have the  
25  same map, but then with one star on them for the case

1     that is being discussed there.

2           Q.     And your overall conclusion is the same for  
3     each proposed well in each of the 11 cases in terms of  
4     that there is gas remaining in place and that increased  
5     density either in the quarter section or in the -- going  
6     up to five wells in the entire spacing unit is necessary  
7     to effectively drain that area?

8           A.     That is correct.

9           Q.     Now, I want to move on to your next exhibit.  
10    This, I think, represents an idealized representation of  
11    the existing spacing under the special pool rules and  
12    what Hilcorp essentially is proposing in its  
13    application; is that right?

14          A.     That is correct. So this diagram has kind of a  
15    before-and-after part to it. In each case, it's a  
16    320-acre drill block divided into two quarter sections.  
17    The left-hand side represents what the current rules  
18    have, which is four wells per drill block or spacing  
19    unit or two wells per quarter section, and how that  
20    tends to work out as a parent well and infill well in  
21    each quarter section. The parent well being much older,  
22    with much higher reservoir pressure at the time, has  
23    greater production.

24                   And if you look at the circles drawn in  
25    here, on the left-hand side, look at maybe 1 and 3,

1     Number 1 being the parent well, which has a much larger  
2     radius of drainage, Number 3 being an infill well with a  
3     much smaller drainage area. This probably works fairly  
4     well through the fracture trend area, but if you get  
5     away from that fracture trend area, particularly in the  
6     areas that we're looking at, and we're just not  
7     effectively draining anymore.

8                     So what we're asking, if you go to the  
9     right-side diagram, in Number 5 there, is for isolated  
10    or specific instances allowing us to have an additional  
11    Mesaverde completion.

12           **Q.    So your next exhibit is sort of a -- if you're**  
13    **taking that concept and applying it to an actual spacing**  
14    **unit, this is a representation of what a calculated**  
15    **drainage area looks like in the spacing unit; is that**  
16    **right?**

17           A.    That's right. This site is actually from a  
18    well that you will see in a future case, in another  
19    hearing. Again, the circles here, production in this  
20    case. Size [sic] is though they are drainage area  
21    and -- I won't say ellipse because they're obviously  
22    drawn in circles. But this is just for Mesaverde. The  
23    dark blue wagon wheels are Mesaverde wells. The light  
24    blue squares are Dakota wells. The red outline is a  
25    320-acre, again, with a dashed line dividing it into a



1 quarter.

2 If you look at the southeast quarter, you  
3 have your typical parent and infill well, same as the  
4 northeast quarter, parent and infill. Here, however,  
5 the two wells were drilled only about 300 feet apart.  
6 This was an early test of what should the correct  
7 spacing be for the Mesaverde. So they were actually  
8 drilled on what would have been 20-acre spacing.

9 I don't think I have to stretch very far to  
10 say that those two wells are probably not draining that  
11 quarter section very effectively. We do, however, have  
12 that 138F Dakota well more towards the northeast, which  
13 we believe would be an ideal location for an additional  
14 Mesaverde completion.

15 Likewise, you don't have to stretch very  
16 far in the southeast quarter. You could probably make a  
17 case for another completion there. We don't, however,  
18 have an existing wellbore to use there. So that would  
19 be something we have to go through a new drill process  
20 for.

21 **Q. So this is sort of the overall analytical**  
22 **approach that Hilcorp took to identify, first, what the**  
23 **drainage is in the Mesaverde, and then to see if there**  
24 **was an existing Dakota well that would allow you to**  
25 **access a portion of the spacing unit that appeared to be**

1 not getting adequately drained; is that fair?

2 A. That is correct.

3 Q. Okay. Great.

4 Now, how many of these opportunities have  
5 you identified so far with this existing Dakota well  
6 that you might be able to access the Mesaverde  
7 completion?

8 A. At present there are about 36 Dakota wells out  
9 there that are ideally located for an additional  
10 Mesaverde completion. There may be more, but we've not  
11 done a truly exhaustive review of the entire area that  
12 we have acreage yet. There very well may be more.

13 Q. So some of the data that you'll be obtaining  
14 and acquiring through -- hopefully once these wells are  
15 approved, you'll be looking to apply to a potentially  
16 pool-rule change to demonstrate the need for increased  
17 density in cases -- in certain cases?

18 A. Certainly I think the data we gather from these  
19 examples of these wells will definitely provide some  
20 support for that eventual rule change.

21 Q. Now, one other thing I wanted to just touch on,  
22 we talked earlier about the type log in the Mesaverde,  
23 and you indicated that you looked at the consistency --  
24 geologic consistency of the Mesaverde Formation in the  
25 spacing units.

1           A.     Yes.

2           Q.     And I guess, I think -- if I'm not mistaken,  
3     for this particular case, 15934, is Exhibit Number 10;  
4     is that right?

5           A.     Yes, sir.

6           Q.     And is that a copy of the cross section for the  
7     spacing unit?

8           A.     Yeah. For 27-5 163, we've got a three-well  
9     cross section. For each of the cases today, you'll have  
10    pretty much the same setup. We tried to provide gamma  
11    ray resistivity where available. Sometimes we did not  
12    have those curves available. Sometimes we had to  
13    settle, as in this case, for a bond log, which also had  
14    a gamma ray, something that we could correlate at least  
15    the tops to.

16                    So in each of the cases, you will see a  
17    three-well cross section with little index map in the  
18    upper right. In each case we have the two wells beside  
19    subject well within the same section, so it kind of  
20    covers the immediate area of concern in each case.

21                    And you can see from the cross section that  
22    there isn't much change in thickness for the Cliff  
23    House, Menefee or even Point Lookout, although we do not  
24    have a base for the Point Lookout. You can also then  
25    look at the signature of the curves. You've got the

1    rather laminated Menefee between.  You've got a  
2    better-developed Point Lookout below and a better  
3    developed Cliff House above, but no significant change  
4    across the shorter area of this cross section.

5           Q.    And you conduct the same analysis using  
6    available well data -- cross section for each of the  
7    cases in this exhibit -- in this exhibit packet,  
8    correct?

9           A.    Yes, sir.

10          Q.    And with respect to Case Number 15934, which  
11    we're looking at, and 15936 through 15945, you've  
12    prepared a cross section and come to the same conclusion  
13    that the geologic formation is consistent across each of  
14    those spacing units for each case?

15          A.    Yes, sir.

16          Q.    And that's the same exhibit, Exhibit 10, for  
17    each of the remaining cases, correct?

18          A.    Yes.

19          Q.    And the prior exhibits that we reviewed, 3  
20    through 8 are all the same exhibits for all the other  
21    cases as well, correct?

22          A.    Yes, sir.

23                   MR. RANKIN:  With that, Mr. Examiner, I  
24    would --

25          Q.    (BY MR. RANKIN) And your testimony is the same

1     **for all the exhibits for every case, correct?**

2           A.     That is correct.

3                   MR. RANKIN:   With that, Mr. Examiner, I  
4     would tender the admission of Exhibits 3 through 8 and  
5     Exhibit 10 in each of the consolidated cases, Case  
6     Numbers 15934 and 15936 through 15945.

7                   EXAMINER JONES:   Exhibits 3 through 8 and  
8     Exhibit 10 are admitted in all 11 cases.

9                   MR. RANKIN:   Thank you, Mr. Examiner.

10                  With that, I pass the witness.

11                   (Hilcorp Energy Co. Exhibit Numbers 3  
12                   through 8 and Exhibit Number 10 are offered  
13                   and admitted into evidence.)

14                   EXAMINER JONES:   Michael, you want to go  
15     first?   I'm looking at you.

16                   CROSS-EXAMINATION

17     BY EXAMINER McMILLAN:

18           Q.     **First of all, I'm glad you know the importance**  
19     **of a geologist over the engineer.**

20                   (Laughter.)

21           A.     Obviously it starts with the geology, doesn't  
22     it?

23           Q.     **It does.**

24                   All I remember from Point Lookout was a  
25     long time ago.   Was it in Cabezon, just out here north

1 of San Ysidro? I went to those outcrops when I was in  
2 school. Those are some great outcrops. I had a  
3 professor who did a study out there.

4 A. We've also got a real good Point Lookout  
5 outcrop up in Durango, just an hour from our field  
6 office. You can walk through the entire section from  
7 the Mancos up through where the sand of the Point  
8 Lookout is starting to push down into the shales all the  
9 way up into and through the Menefee.

10 Q. I'm pretty ignorant of geology. It's been a  
11 while.

12 A. Okay.

13 Q. So is the Menefee prospective, by the way?

14 A. It is. It is not as good, obviously, as the  
15 bigger, thicker Cliff House or Point Lookout, but there  
16 are a lot of little sands within the Menefee. And when  
17 we frac these, we always try to put perfs in there. We  
18 sometimes handle it a little bit differently because the  
19 small sands aren't going to take the frac nearly as well  
20 as the thicker Cliff House and Point Lookout. But  
21 Menefee, of course, is both a source and a reservoir  
22 rock. The shales and certain coals within the Menefee  
23 have supplied gas, as well as the Cliff House and Point  
24 Lookout, but there is still some in there to go after.

25 Q. Is there just one sand, or is this a series of

11 CROSS-EXAMINATION

13 Q. So you've got a coarsening upward from the base  
14 of the Point Lookout up to the -- up to the -- close --  
15 near the Menefee --

17 Q. -- and --

22 Q. I wondered how you could do that.

24 Q. It didn't seem possible to me.

PAUL BACA PROFESSIONAL COURT REPORTERS  
500 FOURTH STREET NW - SUITE 105, ALBUQUERQUE, NM 87102

1 I tend to pick kind of the lowest point where you run  
2 out of those sands or silty areas completely and it all  
3 looks like more of a -- a more purer shale. That seems  
4 to be the easiest way that I've seen to pick it.

5 Q. Sometimes those lower shales below the coarser  
6 rocks are more fractured. Is that the case in the Point  
7 Lookout?

8 A. I'm not sure I've seen any evidence that we  
9 have of that. You know, they're not going to be as  
10 solid and structurally sound, so I could believe that.  
11 I don't know I've seen evidence of that.

12 Q. Okay. You mentioned basin-centered gas. The  
13 geologist I use to work with -- that was a big buzzword  
14 back in the, I think, '80s or early '90s. And based  
15 on --

16 A. Am I showing my age again?

17 Q. I think you might have there --

18 A. Okay.

19 Q. -- because based on something up in -- some  
20 tight section up in Canada that had a basin where it had  
21 some -- even almost conglomerate in the middle, where  
22 the gas was -- just extremely conductivity of gas  
23 through that.

24 A. Yeah. You can picture the San Juan Basin as  
25 almost an odd-shaped bowl somewhat that's had the top



1 cut off of it. And an outcrop, you have atmospheric  
2 water coming in and kind of holding in whatever is  
3 there. And, of course, the formations themselves have a  
4 lot of hydrocarbon in them. So in the center, again,  
5 you have that gas almost trapped in there, and it  
6 doesn't percolate out very well through the water in  
7 some cases.

8 Q. So it's hydrodynamic, then?

9 A. Pardon me?

10 Q. Hydrodynamic trap, sort of?

11 A. Yes, sir.

12 Q. So this sweet-spot area, you say it's more  
13 fractured. So that corresponds with the sweet spot in  
14 the Fruitland, too; is that correct?

15 A. No. It doesn't line up that well.

16 Q. It doesn't line up.

17 A. And it's not just fracturing. If you look on  
18 the one gas-in-place slide, there is a more fractured  
19 area, the outside of those warmer-colored contours. I  
20 think what the warmer contours represent is better  
21 porosity, permeability, so better reservoir parameters  
22 kind of through that, I'll say, fairway area.

23 Q. Okay. So better reservoir parameters --  
24 better -- better gas storage --

25 A. Yeah. So if you have better porosity, you've

1 got more space there for gas to reside in.

2 Q. Is it deeper also?

3 A. It does tend to be a little bit deeper in some  
4 of those areas.

5 Q. Higher pressure? So a little bit higher  
6 pressure, then, too?

7 A. I'm trying to think. So all I've seen lately  
8 is a current pressure map, which really mimics the  
9 Mesaverde -- or the fracture trend area. We have much  
10 lower pressure. I don't recall offhand a great  
11 difference in pressure originally.

12 Q. Now, your database, you have all your logs  
13 digitized; is that correct? And so --

14 A. We have a lot digitized. Certainly not all.

15 Q. Okay. And you have a series of cores through  
16 the Basin that you can take the porosity from the cores,  
17 porosity from the logs, from the clean sands and have a  
18 plot of log porosity, core porosity? Is that what you  
19 used --

20 A. Yes, we have done.

21 Q. -- in this study?

22 A. We do have some cores. We would love to have  
23 more cores so we can make more of a correlation, but --

24 Q. Geologists always want more cores.

25 A. Absolutely. The more data, the better.

1           Q.    The better.

2                       And these workovers -- workovers are  
3   definitely cheaper than drilling new wells, but you're  
4   not worried about losing your Dakota -- last remaining  
5   Dakota production in these wells?

6           A.    No.  We'll commingle the formations afterwards.  
7   So we'll set a plug above the Dakota to protect it while  
8   we're doing our stimulation in the Mesaverde, get that  
9   cleaned out well, get the sand not running or kind of  
10  blow off some of the nitrogen from the frac, and then  
11  we'll drill out that plug and have commingled -- for the  
12  Dakota again.

13          Q.    Okay.  Are you going to do workovers in the  
14  Dakota like a re-frac before you do all that, or are you  
15  just going to --

16          A.    We currently don't have plans for that.  If  
17  anything, we'll clean out that wellbore, which may help  
18  the Dakota.

19          Q.    Which may help.

20                       And the waters, are they similar in the --  
21  you say just north of this line, in the Cliff House, is  
22  lower than a certain water saturation.  What water  
23  saturation do you --

24          A.    So north of that line, you have -- it's fairly  
25  dry.  We don't tend to make a lot of water in the

1 Mesaverde there. And then, of course, south of the line  
2 it's wet, so we don't complete it. So it's not an issue  
3 of commingling those waters at all. And we have so  
4 little water production to the north that we don't have  
5 an issue, again, with scaling or anything there, which I  
6 think is why we got the preapprovals.

7 Q. Okay. That was going to be my next question.

8 You're basically -- so what about the  
9 Lewis? This is -- I won't waste too much time here.  
10 But the Lewis -- I know Phillips was doing some Lewis  
11 workovers at one point in the San Juan, and you've got  
12 the Lewis right above you. I noticed on your cross  
13 section -- one of your cross sections, you actually  
14 split it out in the two separate --

15 A. So in the northeast part of the Basin, the  
16 Lewis is part of the Mesaverde. That is correct.

17 Q. Okay. Okay.

18 A. To the southwest, it's Chakra. So you draw a  
19 magic line in the same formation, but it's Chakra to the  
20 south, Lewis to the north.

21 Q. Okay?

22 A. We are about half and half of the cases we have  
23 here.

24 Q. Okay.

25 A. So yes, we have Lewis there. Phillips, Conoco,

1 Burlington all have done some testing of Lewis with,  
2 I'll say, limited success.

3 Q. Okay.

4 A. It does actually cause us some operational  
5 issues later on.

6 Q. Oh.

7 A. So our intent at this point does not include  
8 the Lewis. I'm not sure we actually get our money back  
9 on the money we spend on the Lewis.

10 Q. Okay. Okay. Now -- so basically -- can you  
11 use, basically, the same RW in the whole Mesaverde --

12 A. Pretty well.

13 Q. -- on your log calculations?

14 A. It varies somewhat.

15 Q. Okay.

16 A. But we've used roughly the same RW within a  
17 small range across the Basin.

18 Q. And are you looking for -- did you split out  
19 your gas in place -- you don't have to -- basically  
20 between the Cliff House and the Point Lookout here,  
21 you're not giving much to the Menefee, right, in these  
22 predictions?

23 A. No. In the Menefee, we're really looking to  
24 calculate out a whole lot partly because there is just  
25 not that much net pay there.

1           **Q.     Okay.**

2           A.     So if anything else, that's going to wipe out  
3 much of that thicker section, because the Menefee can be  
4 3-, 4-or-so-hundred feet thick --

5           **Q.     Yeah.**

6           A.     -- versus maybe the 40, 50 feet that you'd have  
7 in the Point Lookout and the Cliff House. So if you  
8 went by just thickness, the Menefee would be incredible,  
9 but, again, you're just focusing on those little  
10 laminated sands in there instead of a big, thicker one.  
11 And then the sands, because they are so thin, tend not  
12 to have the greatest properties as well. So you don't  
13 have the porosity and permeability.

14           **Q.     Okay. So your capacity and your gas storage in**  
15 **your Cliff House versus Point Lookout, is the Cliff**  
16 **House a little bit less than most of these?**

17           A.     Yeah. From what I've seen, Point Lookout tends  
18 to be a little bit better. And certainly  
19 production-wise, we've seen that. It contributes, I  
20 think, more than the Cliff House does. We've seen that  
21 on after-frac logs. And, of course, you can look at  
22 where the Cliff House is wet. You still have pretty  
23 good production from just the Point Lookout.

24           **Q.     Okay. So you'll look at each one of these**  
25 **separately, and you'll just -- you won't run any more**

1     **logs. You've already got your logs run.**

2           A.     That is correct. We -- we should have at least  
3     a bond log in each of these. If we don't, we'll go  
4     ahead and run a bond log to make sure we've got cement  
5     across the Mesaverde, and we'll use that to actually  
6     pick our perms. But generally -- well, again, we've got  
7     Dakota below us, so we had to run some sort of log, even  
8     if it's just a plain ol' gamma ray, so we could pick  
9     perms there. And more often than not, we'll run that  
10    log all the way up.

11          Q.     Okay. So in your studies, did you -- when you  
12    draw, you know, a direct -- let's say from a --  
13    geologically, a drainage radius around this -- let's say  
14    the Point Lookout in these wells. Is it going to be  
15    oblong, or is it going to be facing north, going from  
16    Seattle to Houston or --

17          A.     Good question and sometimes a point of  
18    argument. So, first, we don't separate out Point  
19    Lookout from Menefee or Cliff House as far as drainage.  
20    We do it all as a Mesaverde Group as a whole.

21          Q.     Okay.

22          A.     My opinion is we certainly start off with more  
23    of an ellipse, kind of a northeast-southwest pattern  
24    just because you're following the fracture trends there,  
25    and that's the direction of the fracture. So you

1     probably drain those fractures first. So you have more  
2     of an elongate drainage area to begin with. But once  
3     you drain those fractures, then you're relying on your  
4     stimulation to have gotten into the matrix, and then  
5     you're drawing from the matrix. So the elongate  
6     drainage starts to kind of shrink down, become a really  
7     stubby-looking ellipse. And some would argue that  
8     ultimately you're going to get more of a circular  
9     pattern, which is how I represented some of the wells on  
10    here.

11           **Q.     Okay. Thank you very much.**

12                   EXAMINER BROOKS: No questions.

13                   EXAMINER JONES: Thank you, Mr. Pippin.

14                   MR. RANKIN: Thank you, Mr. Pippin.

15                   I'd like to call our third witness,  
16    Michelle Sivadon.

17                   EXAMINER BROOKS: Well, I'm going to be  
18    leaving in ten minutes, so it's up to the people who are  
19    going to be staying --

20                   EXAMINER JONES: Ten minutes will be more  
21    than your presentation, though, so we better take a  
22    break and try to chase Gabe down.

23                   (Recess, 3:21 p.m. to 3:34 p.m.; Examiner  
24    Brooks not present; Examiner Wade  
25    present.)



1 EXAMINER JONES: Okay. Let's go back on  
2 the record and continue.

3 MR. RANKIN: Thank you very much,  
4 Mr. Examiner.

5 I'd like to call our third witness,  
6 Ms. Michelle Sivadon.

7 MICHELLE M. SIVADON,  
8 after having been previously sworn under oath, was  
9 questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. RANKIN:

12 Q. Ms. Sivadon, state your full name for the  
13 record.

14 A. Yes, sir. Michelle Marie Sivadon.

15 Q. By whom are you employed?

16 A. Hilcorp Energy Company.

17 Q. What is your job description with Hilcorp?

18 A. Senior reservoir engineer.

19 Q. Have you ever had the opportunity to testify  
20 before the Oil Conservation Division here in New Mexico?

21 A. No, sir, I have not.

22 Q. Will you please review for the Examiners your  
23 background and education?

24 A. Yes, sir. I received my Bachelor of Science in  
25 petroleum engineering from Texas A & M University in

1 August of 1993.

2 Q. And will you please also review for the  
3 Examiners here your relevant work experience as a  
4 petroleum engineer?

5 A. Yes, sir. I spent approximately seven years  
6 with Union Oil Company of California. From there, I  
7 went to Anadarko Petroleum and spent four years with  
8 them. From there, I went and joined Burlington  
9 Resources, who subsequently was acquired by  
10 ConocoPhillips, spending an entire time of about  
11 two-and-a-half years with them. And I've been with  
12 Hilcorp Energy Company for the last 11 years.

13 Q. Do you have any certifications or professional  
14 memberships that you're a part of?

15 A. Yes, sir. I am a member of the Society of  
16 Petroleum Engineers since 1990. I am also a registered  
17 professional engineer both in the states of Texas and  
18 Louisiana, where I've done all of my engineering work up  
19 until about the last six months.

20 Q. And are you familiar with each of the 11  
21 applications that are before the Division today?

22 A. Yes, sir, I am.

23 Q. And have you conducted an engineering study  
24 that supports your conclusions for each of these 11  
25 cases?

1           A.     Yes, I have.

2                       MR. RANKIN:   Mr. Examiner, I tender  
3   Ms. Sivadon as an expert petroleum reservoir engineer.

4                       EXAMINER JONES:   Can you spell your last  
5   name.

6                       THE WITNESS:   Yes, sir.   S-I-V-A-D-O-N.

7                       EXAMINER JONES:   Okay.   She is so  
8   qualified.

9                       Thank you.

10           Q.     (BY MR. RANKIN) Mr. Pippin gave us overview of  
11   the geology in the area and within each of the spacing  
12   units, and he also gave us a brief analytical review of  
13   Hilcorp's analytical approach to identifying targets,  
14   Dakota wells, for recompletion in the Mesaverde.  You  
15   conducted an analysis for each of these specific well  
16   locations; is that right?

17           A.     Yes, sir.

18           Q.     So let's go ahead and take a look at one.  And  
19   I think, unless you have a different preference, I will  
20   start with the first case in the exhibit packet for  
21   15934.  Is that okay?

22           A.     Yes, sir.

23           Q.     All right.  Let's turn to your first exhibit,  
24   which is marked in that exhibit packet as Exhibit Number  
25   9.

1           A.    Yes, sir.

2           **Q.    And will you please review for the Examiners**  
3 **what this map shows?**

4           A.    Yes, sir. To the left on this exhibit is a map  
5 of nine sections, with the section with the proposed  
6 well, the 27-5 Unit 163E, in the middle of this  
7 nine-section square. What we have denoted on here is  
8 something that Mr. Pippin discussed previously. The  
9 blue wagon wheels represent Mesaverde completions that  
10 have produced with corresponding brown circles being in  
11 the drainage areas or calculated for each of these  
12 producers.

13                       The light blue squares are Dakota producers  
14 where we may have potential to go back and add the  
15 Mesaverde and commingle it with the Dakota. And in  
16 particular, in Section 18, the red circle denotes where  
17 this specific well is, the San Juan 27-5 Unit 163E.

18                       Over here on the right, we have some  
19 details with the specific well. This well is located in  
20 the southwest quarter of Section 18. It was drilled in  
21 2007 and drilled specifically for the Mesaverde and  
22 Dakota. This would be the third Mesaverde completion in  
23 this particular quarter section. It is 1,100 feet away  
24 from its nearest offset, which that equates to about 87  
25 acres as far as spacing. We are proposing this

1 particular well to help drain largely the area mostly to  
2 the east where you see the white and we're calculating  
3 that we are not effectively draining.

4 We would propose to complete the entire  
5 Mesaverde interval here in two stages -- in two frac  
6 stages. And this particular well is near the center of  
7 Section 18.

8 Q. So this is -- this is a map you would use to  
9 identify the Dakota well, and then you applied your  
10 original gas-in-place analysis to confirm that there was  
11 remaining gas reserves that were not being accessed by  
12 the existing well spacing?

13 A. Yes, sir.

14 Q. And is that depicted in your next exhibit,  
15 Exhibit 11? This is similar to what the one that  
16 Mr. Pippin used for each of the cases; is that right?

17 A. This is correct. This is the same map that  
18 Mr. Pippin went through. This particular map has a red  
19 star for the subject well.

20 Q. Okay. Can you review for the Examiners how you  
21 conducted your specific analysis for this specific well  
22 here?

23 A. Sure. So this map is original gas in place, as  
24 Mr. Pippin described, using the petrophysical properties  
25 that we have across the entire Basin. Again, warmer

1 colors suggesting the higher original gas in place. So  
2 you can see with this red star, we are in a location of  
3 higher gas in place.

4 Q. And then the next step in your analysis was to  
5 review the cumulative production; is that right?

6 A. Yes, sir.

7 Q. And that's your next exhibit, Exhibit 11 -- I'm  
8 sorry -- 12?

9 A. Correct, Exhibit 12.

10 Q. Sorry. Exhibit 12.

11 A. Yes, sir.

12 Q. Will you review for the Examiners your analysis  
13 here?

14 A. Sure. So as Mr. Pippin described earlier, this  
15 is a map showing the cumulative gas that's been produced  
16 out of the Mesaverde across the entire Basin. As you  
17 can see here, where we have the red star located for the  
18 subject well, it is in the lighter or cooler colors,  
19 which denotes that there has not been much gas produced  
20 in this area, and that would lend itself towards there  
21 being a fair amount of remaining gas in place, and an  
22 additional take point would be needed to drain that  
23 area.

24 Q. Okay. And then that's your Exhibit Number 13;  
25 is that right?

1           A.    Yes, sir.

2           Q.    Okay.  So review for the Examiners what that  
3 shows.

4           A.    Yes, sir.  So this map, again one that  
5 Mr. Pippin has discussed, is remaining gas in place for  
6 the Mesaverde interval.  The entire interval, which you  
7 can see here with our red star denoting the location of  
8 the subject well, it is in the warmer colors, again  
9 suggesting that there is a significant amount of  
10 remaining gas in place and that we need additional  
11 Mesaverde take points to drain that gas.

12          Q.    And it's a little bit hard to read, I guess,  
13 but that star is over, I guess, a larger or warmer area,  
14 right?

15          A.    Yes, sir.

16          Q.    So that's an indication to you that there is  
17 opportunity there for developing incremental reserves,  
18 right?

19          A.    Yes, sir.

20          Q.    Okay.  Now, based on your analysis, then, did  
21 you also calculate the recovery factor for the existing  
22 wells' spacing pattern for the proration unit?

23          A.    Yes, I did.

24          Q.    And is that depicted in the next exhibit,  
25 Exhibit 14?

1           A.    Yes, it is.

2           **Q.    Will you review for the Examiners what your**  
3           **analysis shows there with respect to the recovery**  
4           **factors?**

5           A.    Yes, sir.  This is a table showing original gas  
6           in place and recovery factors for the area surrounding  
7           the subject well, the San Juan 27-5 Unit 163E.  At the  
8           top of this exhibit is a table.  In the first column are  
9           various areas that we looked at to calculate original  
10          gas in place and recovered areas.  We chose to look at  
11          it by quarter section and then the entire section and  
12          then the nine-section square that we saw in another  
13          previous exhibit.  This was all to give us some recovery  
14          factors and prove within our own minds that we had  
15          enough gas remaining in place that we needed to put in  
16          additional take point.

17                       The second column, "Volumetric Original Gas  
18          in Place" is what we calculated for each of these  
19          respective areas.  So for this particular well, we are  
20          showing 7 Bcf original in place in the quarter section,  
21          20 Bcf in the entire section.  And for the nine-section  
22          square area, we're looking at a total of 222.4 Bcf being  
23          original in place.

24                       In the next column is what we call the  
25          "Section Equivalent Original Gas in Place."  This is



1 simply, in the case of a quarter section, taking what we  
2 calculated to be original gas in place for that and  
3 multiplying it by four. For the case of the  
4 nine-section square, it was taking the original gas in  
5 place for that and dividing it by nine just to come up  
6 with the section equivalent just to show that we have  
7 about the same volumes any way that we look at it.

8 In the fourth column, we have the  
9 cumulative gas produced to date and, of course, finding  
10 recovery factor or recovery efficiency for that  
11 cumulative production. So in the case of the quarter  
12 section, to date, we have recovered 1.7 Bcf, and that  
13 equates to a 24 percent recovery efficiency or recovery  
14 factor. That's much lower than the 80 to 85 percent  
15 recovery efficiency that we would expect for a depletion  
16 drive gas reservoir, suggesting that we have plenty of  
17 gas in place to put in an additional take point.

18 For the section, cum to date is 6.1 Bcf,  
19 with approximately a third of that being recovered, or  
20 31 percent. In the nine section, the cum is 56.1 Bcf,  
21 equating to only a 25 percent recovery efficiency.

22 So any way we can look at this, the quarter  
23 section or the section or the nine-section square, it  
24 clearly demonstrates it has not been overproduced, and  
25 there's plenty of gas in place to add additional take

1 points.

2 For the fifth column, "Remaining Gas in  
3 Place," this is a simple subtraction of the biometric  
4 oil-gas -- original gas in place and subtracting the cum  
5 to date, again just proving that we have enough in place  
6 to chase after. So for the quarter section, we're  
7 showing 5.3 Bcf. For the section, we're showing 13.9,  
8 and for the nine-section square, we're showing 166.3 Bcf  
9 remaining.

10 In the last column to the right, we are  
11 showing the estimated ultimate recovery and its  
12 corresponding recovery efficiency or recovery factor.  
13 These EURs are decline curves performed on the current  
14 producers. So this is looking at a semi-log plot of  
15 production over time and applying hyperbolic declines --  
16 hyperbolic to an exponential terminal decline.

17 Again, for each of the corresponding  
18 areas -- so for the quarter section, what we're saying  
19 is all the current producers, we're estimating we will  
20 get to an ultimate recovery of 2.2 Bcf. So that would  
21 be with not having any other additional take points in  
22 that quarter section. And with that, we're showing  
23 we're only going to recover a little less than a third  
24 of what's original in place of 31 percent, again  
25 significantly lower than the 80 to 85 percent that

1 ultimately we think we can attain with a depletion drive  
2 gas reservoir.

3 For the section, we're forecasting to  
4 recover a total of 9.6 Bcf, which is a 48 percent  
5 recovery efficiency. And for the nine-section square,  
6 we're showing that we're going to recover 90.4 Bcf for  
7 the current producers, which would give us a 41 percent  
8 recovery efficiency.

9 So any way we look at this, by the quarter  
10 section, section or nine-section square, our recovery  
11 efficiencies are fairly low, and, again, we think this  
12 warrants putting in additional take points and spacing.

13 Q. Now, to reiterate what we've reviewed so far,  
14 Exhibits 9, 11 through 14. And you can conduct that  
15 same analysis for each of these cases, correct?

16 A. Yes, sir.

17 Q. And Exhibit 9 and 11 through 14 follow the same  
18 format and sequence with respect to each of the cases  
19 that are before the Division today?

20 A. Yes, that's correct.

21 Q. And based on your calculated recovery factors  
22 in each of these cases, it's your opinion that there are  
23 incremental reserves that remain under-recovered and  
24 will be unrecovered unless an exception is granted for  
25 this well and/or a third well per quarter section?

1           A.    That is correct.

2           Q.    And that's your same opinion and your same  
3 conclusion with respect to each of the 11 cases before  
4 the Division, right?

5           A.    Yes, sir.

6           Q.    Okay. Now, the addition of a fifth well, in  
7 your opinion, would it negatively impair or affect --  
8 adversely affect the energy reservoir, in your opinion?

9           A.    No, sir. It will not.

10          Q.    And that's your opinion for each of the 11  
11 cases?

12          A.    That is correct.

13          Q.    Now, just to -- just to be clear, there is some  
14 variation in the recovery factors you've calculated for  
15 each of these cases. There is some range of terms of  
16 what you've calculated the existing well spacing pattern  
17 you'll be able to recover; is that right?

18          A.    Yes, sir.

19          Q.    And that range is variable. But despite the  
20 variation, you're of the opinion that a fifth well  
21 and/or a third well in the quarter section is necessary  
22 to access those incremental reserves?

23          A.    Yes, sir.

24          Q.    And that's your opinion with respect to every  
25 case that is before the Division?

1           A.     That is correct.

2           Q.     All right.  Now, I want to just talk a little  
3     bit about the potential issue of correlative rights.  
4     And I'm going to ask you to flip ahead to the next  
5     exhibit, Number 15, in this case, and that is a map that  
6     was previously reviewed for the Examiners.  But since we  
7     have a new Examiner here, I would just like for you to  
8     identify and confirm for me that the -- the red outline  
9     are the units that are operated by Hilcorp; is that  
10    right?

11          A.     Correct.

12          Q.     Did I say red?  I meant blue.

13                   EXAMINER JONES:  You said red.

14                   MR. RANKIN:  I was throwing you a curve  
15    ball.

16          Q.     (BY MR. RANKIN) The blue line represents the  
17    outline for each of the units that are operated by  
18    Hilcorp, correct?

19          A.     That is correct.

20          Q.     And the green outline -- I'm not really color  
21    blind.  The green outlines are the spacing units that  
22    are the subject of these 11 cases -- these 11  
23    applications, right?

24          A.     Yes, sir.

25          Q.     And so that indicates that each of the spacing

1 units at issue are within -- wholly within the units  
2 that are operated by Hilcorp, right?

3 A. Yes, sir.

4 Q. And so in your opinion, is there any  
5 impairment -- or risk of impairment to the correlative  
6 rights -- correlative rights in the offsetting spacing  
7 units for each of these subject spacing units in these  
8 cases?

9 A. No, sir.

10 Q. Is that your opinion because the ownership is  
11 common between the subject spacing unit and the  
12 offsetting spacing units?

13 A. Yes, sir.

14 Q. And where -- in some instances, your spacing  
15 units are bordering neighboring units?

16 A. Uh-huh.

17 Q. Or, in the case of the 28 North, 7 West unit,  
18 you're bordering in the northwest there in some  
19 nine-unit acreage as well, right?

20 A. Right.

21 Q. With respect to those spacing units in which  
22 you're bordering another unit where there is a different  
23 or noncommon ownership or you're bordering a nonunit  
24 where there is also noncommon ownership, is it your  
25 opinion that the correlative rights are not being

1     impaired because those spacing units are not being  
2     effectively drained?

3             A.     That's correct.

4             Q.     And so an additional fifth well or third well  
5     in a quarter section, in your opinion, is not going to  
6     risk impairing any of the correlative rights for the  
7     units offsetting noncommon ownership spacing units?

8             A.     That is correct.

9             Q.     And that's your opinion with respect to each of  
10    these 11 cases, for all the spacing units and for all  
11    the offsetting spacing units in every case, right?

12            A.     Yes, sir.

13            Q.     Okay. Now, I think that's all I wanted to hit  
14    on. You touched on everything.

15                   MR. RANKIN: And with that, Mr. Examiner, I  
16    would move the admission of Exhibits 9 and 11 through 14  
17    in each of the cases before the Division, Case Numbers  
18    15934 and 15936 through 15945.

19                   EXAMINER JONES: Exhibit 9 and Exhibits 11  
20    through 14 are admitted in all cases.

21                             (Hilcorp Energy Co. Exhibit Numbers 9 and  
22                             11 through 14 are offered and admitted into  
23                             evidence.)

24                   MR. RANKIN: Pass the witness.

25

1 CROSS-EXAMINATION

2 BY EXAMINER JONES:

3 Q. Okay. So you're going to do one frac job for  
4 the -- like a nitrogen frac job for the Point Lookout  
5 and then one for the Cliff House?

6 A. What we've been doing most recently is we are  
7 doing some fracs and doing them in two or three stages.  
8 In some cases we'll do Point Lookout and Lower Menefee  
9 together and Upper Menefee and Cliff House together.

10 Q. Oh, really?

11 A. We have also done some Point Lookout as one  
12 stage, Menefee as one stage, and Cliff House as a third  
13 stage.

14 Q. So it just depends on what the well looks like?

15 A. Yes, sir, very much. It depends on what the  
16 rock quality and reservoir quality looks like in the  
17 Menefee and the Cliff House. The Cliff House is what --  
18 of course we don't fracture it there.

19 Q. Okay. There has been a few of these done,  
20 increased density, in the past. Did you look at any of  
21 those, or did you have time to look at any of those  
22 when --

23 A. No, sir. I have not had time to look at them  
24 yet. It's something we will be looking at going  
25 forward.



1           Q.    The explanation to us is hopefully, you know,  
2   not anymore rigorous, and you have to show to your  
3   management --

4           A.    Right.

5           Q.    Do you have to do the economics also?

6           A.    Yes, sir. Yes, sir. But you're right. Some  
7   of the work that we did for this hearing is the same  
8   exact work that we would do in terms of trying to get it  
9   approved.

10          Q.    Okay. And the difference between the remaining  
11   reserves, you know, some -- we used to look at that as  
12   the difference between the BGI and the BGL, the final --  
13   in other words, your abandonment pressure versus your  
14   pressure you've got now.

15          A.    Right.

16          Q.    So is that kind of the way you -- you could  
17   look at it like that also, right?

18          A.    We could. ConocoPhillips didn't get a whole  
19   lot of pressure data in most recent time. Again, it's  
20   something we're fairly new to, so we're trying to get  
21   our arms around that pressure data and get a better feel  
22   for what that abandonment pressure would be. So in lieu  
23   of that, we're using kind of the rules of thumb for  
24   recovery efficiencies as expected for depletion drive  
25   gas reservoir.

1           Q.    Okay.  And so if you do -- the wells that  
2   you're offsetting, some of those may be downhole  
3   commingled, so it's going to complicate your efforts to  
4   compare pressures between that well and the new  
5   pressure?

6           A.    Yes, sir.  Yes, sir.  It does complicate  
7   things.

8           Q.    Are you going to do any pressure gathering on  
9   the --

10          A.    We're still in discussions about that as far as  
11   which wells we want to get pressures in and how do we  
12   want to go about doing that, where does it make the most  
13   sense to get that information.  Because of the nature of  
14   the permit here, it can take a significant period of  
15   time to get realistic pressure data points.

16          Q.    Yeah.

17          A.    So we are in discussions about what's the best  
18   way to do that.

19          Q.    That's the Rocky Mountains for you, I guess.

20          A.    Right.  Right.

21          Q.    Do you use Dr. Crafton's software, where you  
22   analyze the production decline to -- it's kind of --  
23   he's out of the Colorado School of Mines, and he wrote  
24   some -- he has some software and wrote some books on  
25   basically not having to do a pressure test, you know,

1     **basically coming up with a lot of your data from --**

2           A.     Surface.

3           **Q.     -- just the decline.**

4           A.     Are you talking about rate transient analysis,  
5     where we can use the surface pressure?

6           **Q.     It's rate transient analysis to kind of use**  
7     **with the same equations and --**

8           A.     Yes, sir. We do use Fekete Harmony software,  
9     which does the rate transient analysis. We have used  
10    that on some of these wells, and we will continue doing  
11    that going forward because we do have limited downhole  
12    pressures.

13          **Q.     Okay. What about the decline characteristics**  
14    **of these? What are you expecting, like a hyperbolic --**

15          A.     Hyperbolic with an exponential -- going into an  
16    exponential decline with a terminal decline rate, they  
17    end up being fairly flat. Out in the future, I'd say  
18    between 3 and 5 percent, maybe up to 7 percent terminal  
19    decline rate.

20          **Q.     But hardly any water so --**

21          A.     Correct.

22          **Q.     -- so it's a good situation.**

23          A.     Yes, sir. Yes, sir.

24          **Q.     Okay. Okay. Well, are you going to do any**  
25    **re-fracs on these? That kind of was the buzzword**

1     **several years ago, you know.**

2           A.     Right. Right. So in recent history, Hilcorp  
3     has attempted two Mesaverde re-fracs. We've just pumped  
4     those jobs in December, so we're still monitoring the  
5     production from those to get a feel to what our success  
6     rate is on those. In the San Juan east side, which is  
7     the team that I'm on, we are looking at a re-frac of  
8     Dakota well as well, and we will continue to look for  
9     re-frac candidates going forward.

10          **Q.     Okay. I don't have any more questions. I wish**  
11     **you luck in your venture.**

12          A.     Thank you.

13                     And can I --

14          **Q.     Yeah.**

15          A.     I know you asked the geologist -- or you asked  
16     Chuck a question about compression, which is near and  
17     dear to my heart.

18          **Q.     Yeah. I forgot to ask you.**

19          A.     So yes, sir. We are doing work to lower system  
20     pressures. As the reservoir pressure has gotten lower,  
21     wells are much more sensitive to the pressure at the  
22     surface. And we've been very fortunate in that our  
23     gas-gatherers work us really closely and well on helping  
24     us put in additional compression to address that. So  
25     it's being very actively worked.

1           **Q.    Okay.  And that looks -- maybe it's economic to**  
2           **do that?**

3           A.    Yes, sir.  Yes, sir.  We are still able to make  
4           money at it, and Hilcorp's goal is to lower operating  
5           expense significantly from what ConocoPhillips has so  
6           that we can make more money at it.

7           **Q.    Okay.  Thanks for reminding me about that.  I**  
8           **forgot to ask that.**

9                         EXAMINER JONES:  Questions?

10                        EXAMINER WADE:  Definitely not.  Thanks,  
11           though.

12                        (Laughter.)

13                        MR. RANKIN:  Thank you very much,  
14           Ms. Sivadon.

15                        I'd like to call our next witness,  
16           Ms. Wyn McCubbin.

17                                 WYN E. McCUBBIN,  
18           after having been previously sworn under oath, was  
19           questioned and testified as follows:

20                                 DIRECT EXAMINATION

21           BY MR. RANKIN:

22           **Q.    Good afternoon.  Will you please state your**  
23           **full name for the record?**

24           A.    Wyn Emerson McCubbin.

25           **Q.    And by whom are you employed?**

1           A.    Hilcorp Energy Company.

2           **Q.    And what is your job with Hilcorp?**

3           A.    I'm a senior landman on the San Juan South  
4 team.

5           **Q.    What are your -- have you previously testified**  
6 **before the Oil Conservation Division?**

7           A.    I have not.

8           **Q.    And what are your job duties in that role?**

9           A.    I work any aspect of a subsurface landman.

10          **Q.    And so since you haven't yet been qualified as**  
11 **an expert in petroleum land matters, will you review for**  
12 **the Examiners your educational background?**

13          A.    Sure. I graduated from Texas Tech University  
14 in December of 2000 with a degree in petroleum land  
15 management, went to work for Marathon Oil straight out  
16 of college and worked with them for 13 years, and then  
17 took a three-year hiatus, and then started with Hilcorp  
18 in January of last year.

19          **Q.    And are you a member of any associations, or do**  
20 **you have any other certifications within your land**  
21 **profession?**

22          A.    Yes. I'm a certified professional landman with  
23 the American Association of Professional Landmen.

24          **Q.    And are you familiar with the 11 applications**  
25 **filed in this case?**

1           A.     I am.

2           Q.     And are you familiar with the status of the  
3     lands? Have you done some work on the lands to identify  
4     the parties requiring notice?

5           A.     I have.

6                     MR. RANKIN: And with that, Mr. Examiner, I  
7     would ask that -- we tender Ms. McCubbin as an expert  
8     petroleum landman.

9                     EXAMINER JONES: She is so qualified.

10                    THE WITNESS: Thank you.

11                    MR. RANKIN: Thank you very much.

12           Q.     (BY MR. RANKIN) Ms. McCubbin, Hilcorp divides  
13     its work internally based on the geologic area; is that  
14     right?

15           A.     That's correct.

16           Q.     And so I'm going to ask -- we're going to start  
17     for you with a more interesting land case. It's Case  
18     Number 15942. So I'll give the Examiners a moment to  
19     turn to that exhibit packet in the binder.

20                     Within that exhibit packet, will you please  
21     turn to Exhibit 15, Tab Number 15. And this is the map  
22     that we looked at before that shows the Hilcorp-operated  
23     federal units and identifies in the green outline the  
24     subject spacing units for these applications, correct?

25           A.     That's correct.

1           Q.    On this map, can you identify which wells your  
2 obligations fall under?

3           A.    My area includes Township 29 North, 7 West and  
4 Township 28 North, 7 West.

5           Q.    Okay. So let's talk about one of those spacing  
6 units of wells in detail. And for all those wells, are  
7 the wells that you identified the interested parties and  
8 the parties requiring notice?

9           A.    Yes.

10          Q.    And looking at Exhibit 15, it appears that  
11 Hilcorp is the operator of all the offsetting 220-acre  
12 spacing units with the exception of the spacing units in  
13 the northwest quarter of 28 North, 7 West unit; is that  
14 right?

15          A.    That's correct.

16          Q.    Okay. Let's take a look at that one because  
17 the others are a little more straightforward in the  
18 sense they're identifying all your working interest  
19 owners either in the same unit or in the neighboring  
20 unit; is that right?

21          A.    That's correct.

22          Q.    Okay. So let's look at that one. The next  
23 page is a blow-up of that spacing unit; is that correct?

24          A.    That's correct.

25          Q.    And is the -- will you just review for the



1     **Examiners what the red outline depicts and explain for**  
2     **them how you identify the notice parties?**

3           A.     Sure.  The red outline is the corresponding --  
4     or the 320-acre spacing units that are contiguous to our  
5     spacing unit that we want to add the fifth well.

6           Q.     Okay.  So in the -- to the southwest, all the  
7     offsetting spacing units are -- the working interest  
8     owners are in the 28 North, 7 West unit, correct?

9           A.     Yes.

10          Q.     And then to the northeast there, the working  
11     interest owners are in the 29 North, 7 West unit,  
12     correct?

13          A.     Yes.

14          Q.     And then to the southwest -- in the spacing  
15     unit to the southwest, outside of the unit area, is  
16     that -- the spacing unit operated by BP?

17          A.     That's operated by BP, correct.

18          Q.     And then the spacing units to the west and to  
19     the northwest, outside of the unit boundaries, those are  
20     operated by Hilcorp?

21          A.     Yes.

22          Q.     And so in those -- those spacing units -- you  
23     noticed the working interest owners in those spacing  
24     units?

25          A.     We did.

1           Q.    Now, looking at your next exhibit, is that a  
2   copy of a list of all the parties who you identified as  
3   requiring notice in each of those offsetting 320-acre  
4   spacing units?

5           A.    That's correct.

6           Q.    And highlighted in bold in the third row is BP  
7   American Production Company?

8           A.    That's correct.

9           Q.    And you identified them in bold because they  
10   are the operator of that one spacing unit to the  
11   southwest of the subject spacing unit in your notice  
12   area?

13          A.    That's correct.

14          Q.    Okay. And did you receive any comments back  
15   from BP as a result of your giving them notice?

16          A.    I did.

17          Q.    And what was their response?

18          A.    I reached out to the corresponding landman at  
19   BP, and he stated that BP has no problem with our  
20   applications.

21          Q.    And did he memorialize that position in an  
22   email to you as identified in Exhibit 17A?

23          A.    He did.

24          Q.    And that's the email you received from  
25   Mr. Craig Ferguson?

1           A.     That is correct.

2           Q.     Now, with respect to all the other interest  
3 parties, the next page on your exhibit behind that list,  
4 is that a letter that you sent to all the working  
5 interest owners in each of those offsetting 320-acre  
6 spacing units?

7           A.     Yes, it is.

8           Q.     And the next letter is a letter that you sent  
9 to BP as the offsetting operator?

10          A.     Yes, that's correct.

11          Q.     And then the next page, is that a copy of the  
12 United States Postal Service tracking sheet for each of  
13 the individuals that you identified on the prior list?

14          A.     It is.

15          Q.     And based on the data from the postal service,  
16 did you receive any of these letters back and -- notice  
17 letters back as being undelivered?

18          A.     I did not.

19          Q.     Now, we chose this case because it was a little  
20 bit different than the others because you had a  
21 different operator offsetting, but did you go through  
22 the same process of identifying all the working interest  
23 owners in each of the 320-acre spacing units surrounding  
24 each of the subject spacing units for each of these  
25 cases?

1           A.     I did.

2           Q.     And for Case Number 159 -- we'll identify which  
3 cases it was that you were responsible for first. You  
4 handled the notice process for Case Numbers 15938 and  
5 15940 through 15945, is that correct?

6           A.     That's correct.

7           Q.     So with respect to each of those cases, you  
8 filed the same notice procedure where you identified,  
9 for each of the surrounding 320-acre spacing units, the  
10 working interest owners in each of those units?

11          A.     I did.

12          Q.     And you sent them the notice letters that we  
13 identified in Exhibit 17 giving them notice of the  
14 application and what Hilcorp was proposing?

15          A.     Yes. Sure did.

16          Q.     And in each of those cases, did you receive any  
17 indication -- notification from the post office that  
18 your certified mailings were undeliverable?

19          A.     No, I have not.

20          Q.     So for the cases you're responsible for, there  
21 were no notices of undeliverability?

22          A.     That's correct.

23          Q.     And the only offsetting spacing unit that's not  
24 operated by Hilcorp was that one by BP, correct?

25          A.     That's correct.

1           Q.    So for every other case, it was always the case  
2   that offsets were operated by Hilcorp and you were  
3   noticing the working interest owners?

4           A.    That's correct.

5           Q.    And that's the same procedure that you  
6   understand that the Division had approved and required  
7   for the prior cases in which they approved the increase  
8   well-density exceptions for the Blanco-Mesaverde special  
9   pool rules?

10          A.    Yes.

11          Q.    In your opinion, in every case for which you  
12   undertook identifying the affected parties, did you  
13   undertake a good-faith effort to identify all the  
14   affected parties?

15          A.    I did.

16          Q.    And have you received any objections from any  
17   party that you notified in this case or any of the cases  
18   you were responsible for identifying the notice parties?

19          A.    I have not.

20          Q.    I think that's all I needed to address.

21                   MR. RANKIN:  Mr. Examiner, for Case Numbers  
22   15938, 15940 through 15945, I would move the admission  
23   of Exhibits 15, 16 and 17 into the record.  And I would  
24   just point out those are the same -- same sequence and  
25   format for each of the cases I just identified and

1 consistent for each of those cases. The only difference  
2 is that Case Number 15942 has an Exhibit 17A, which is  
3 the letter that we received -- email from BP.

4 EXAMINER JONES: From BP.

5 MR. RANKIN: Yeah otherwise the same  
6 sequence in numbering is the same for each of those  
7 cases.

8 EXAMINER JONES: Okay. So Exhibit Numbers  
9 15, 16 and 17 are admitted for Cases 15938, 15940, 41,  
10 42, 43, 44 and 45.

11 MR. RANKIN: That's right.

12 EXAMINER JONES: So you're responsible for  
13 seven cases --

14 THE WITNESS: Yes, sir.

15 EXAMINER JONES: -- not 11.

16 (Hilcorp Energy Co. Exhibit Numbers 15, 16  
17 and 17 in Cases 15938 and 15940 through  
18 15945 are offered and admitted into  
19 evidence.)

20 CROSS-EXAMINATION

21 BY EXAMINER JONES:

22 Q. Did you talk to these people besides just  
23 getting that letter back from BP? Did you have  
24 conversations with people about whether they would  
25 object to this kind of infill drilling or not?

1           A.    No.  The only people -- the only company I had  
2   any contact with was the email to Craig Ferguson at BP.

3           Q.    Okay.  Okay.  Yeah.  I can guess as -- from an  
4   engineering background, I can guess because reservoir  
5   pressure or the production life of the history of the  
6   pool has moved forward, then the concern over increased  
7   density has lessened between operators.  So I was  
8   concerned -- I was wondering whether you had that -- you  
9   had -- you or anybody else in the company had talked  
10   to -- and, unfortunately, I forgot to ask the geologist  
11   and the engineer about that.  But it's logical that that  
12   would be probably less of a concern now than it was  
13   originally when everybody was very concerned about  
14   playing by the same rules and having the same number of  
15   wells.

16                   MR. RANKIN:  Yeah.  I think, looking at the  
17   orders, over time, the cases have -- there was a concern  
18   about having the same number of wells, and it seems to  
19   be the case over time.  As I understand the difference  
20   in the geology between the different areas, that concern  
21   has been lessened, it seems.

22                   EXAMINER JONES:  Seems like because of  
23   the -- the same logic seems to apply with the downhole  
24   commingling, that -- you know, it used to be almost  
25   forbiden to do that and then to have these packers

1 between zones and do the fresh packer test, and then  
2 all -- then it became: Let's just pull all the packers  
3 and put in all -- (laughter). So --so -- and those were  
4 different interests between owners also.

5 CROSS-EXAMINATION

6 BY EXAMINER WADE:

7 Q. And I apologize, but can you walk me through  
8 Exhibit 17 only? And I understand the (A) portion of  
9 it. I think I missed the earlier.

10 A. Sure. The first page on 17 is the list of all  
11 the working interest owners within the Mesaverde  
12 participating area inside the federal unit with the  
13 wells located or that is surrounding.

14 BP, on that one page for the 15942, they're  
15 highlighted in bold because they are also the offset  
16 operator. So they are noticed as a working interest  
17 partner and also as the offset operator.

18 Q. Okay. And I understand the letter to the  
19 working interest owners, the offset operator, which is  
20 BP.

21 A. BP.

22 Q. And then there is a list after that. It looks  
23 like a certified mail tracking list; is that correct?

24 A. That's correct. So instead of getting the  
25 physical green cards back, the USPS now dumps all the



1 data into the Internet, and we can go out, pull our data  
2 and actually see when the letter was delivered. So we  
3 do not actually receive the physical green cards  
4 anymore.

5 Q. Okay. So when it says "signature pending," you  
6 might have a signature, but unless you got the  
7 electronic information --

8 A. We can -- I believe there is a spot somewhere  
9 in the system where you can actually see the signature,  
10 but we don't actually pull that data. We just know that  
11 if it says "delivered," we know that somebody received  
12 it at that address.

13 Q. I see a couple that don't say "delivered."

14 A. Correct. Some of them are pending delivery.  
15 They have not been sent back to Hilcorp.

16 Q. So they're saying that they are undeliverable?

17 A. Right. We have not received any of those.

18 Q. So we just don't know what the status is?

19 A. Correct.

20 MR. RANKIN: If I might, I think this may  
21 help a little bit, Mr. Examiner.

22 REDIRECT EXAMINATION

23 BY MR. RANKIN:

24 Q. The basis for these addresses -- these are all  
25 working interest owners in the units, correct?

1           A.     Correct.

2           Q.     So these are the addresses that are on record  
3     for payments and so forth. So these are all updated,  
4     valid addresses for each of the working interests in  
5     each of the units?

6           A.     Correct. We update addresses in our system as  
7     soon as we are notified by the working interest owner  
8     that their address changed.

9           Q.     Right.  
10                   So there is no reason that any of addresses  
11     would be invalid or incorrect because they're based on,  
12     basically, your working pay decks, correct?

13          A.     That's correct.

14          Q.     But sometimes is there a lag between when the  
15     post office gets the green cards back and when they're  
16     updated on the tracking sheet, as you understand?

17          A.     It should be pretty automatic. As soon as it's  
18     signed for, it should be dumped into the system.

19                   EXAMINER WADE: I guess this would be kind  
20     of a question for you (indicating) as an aside, since I  
21     haven't been doing these hearings lately. Is this what  
22     is presented in the -- for notice at this point? The  
23     post office has changed over to this system?

24                   MR. RANKIN: I think it depends. We  
25     ourselves didn't do the notice. Hilcorp did. And when

1 we're doing the green card notifications, we still will  
2 get them back, but they take a long time to return to us  
3 through the mail, and sometimes it can be two, three  
4 weeks from the time they're signed for to the time we  
5 get them back. So I anticipate that this may be a more  
6 updated, faster system.

7 MR. FELDEWERT: I think, to answer your  
8 question, if you'll recall when we were doing those big  
9 units up in San Juan, we had thousands of people that,  
10 instead of having green cards, there was this thick  
11 sheets like this. Yes.

12 EXAMINER WADE: And I'll have to think this  
13 one through, but the only difference that I see between  
14 the presentation done for notice is that your firm would  
15 have a signed affidavit --

16 MR. RANKIN: Right.

17 EXAMINER WADE: -- which may be appropriate  
18 in this case.

19 MR. RANKIN: Well, we didn't do the notice.

20 EXAMINER WADE: Right. I'm not saying you,  
21 just an affidavit of sort.

22 MR. FELDEWERT: Well, I would suggest,  
23 Mr. Examiner, these are certified as  
24 self-authenticating. These are government -- these are  
25 certified mail tracking and digital retrieval sheets

1 issued by the agency that does the certified mailing.

2 EXAMINER WADE: Yeah. I don't have a  
3 question that the information on this particular exhibit  
4 is inaccurate. It's the implication on some of it where  
5 you're missing signatures.

6 MR. FELDEWERT: Yeah. And that's where I  
7 think it's important. Unlike pooling cases, what we  
8 have here is a circumstance where we are communicating  
9 with working interest owners, okay, who we have regular  
10 contact with as a unit operator, who get paid on a  
11 monthly basis and are billed on a monthly basis, have  
12 the same addresses. So there should be no question that  
13 these are valid addresses.

14 Now, maybe they haven't picked up the  
15 certified mailing yet and signed for it. But in terms  
16 of the addresses that are used, there should be no  
17 question that these are valid addresses for purposes of  
18 mail.

19 MR. RANKIN: I think, to address your  
20 question about the affidavit, you know, the reason our  
21 office will provide an affidavit is because we were the  
22 ones that have done and filed the notice procedure as  
23 opposed to the testifying witness. So we provide an  
24 affidavit to indicate we were the ones who did it. In  
25 this instance, we have a live witness who is testifying

1     that she went through that process and procedure.

2                   EXAMINER WADE:   Okay.   And then the only --  
3     because I haven't done these in a while, what's the time  
4     limit applicable?   These were sent on the 20th.   Today  
5     is the -- 12th --

6                   MR. FELDEWERT:   20 days.   20 days.   They're  
7     subject to the same 20-day rule.

8                   EXAMINER WADE:   All right.   I don't have  
9     any other questions for now.

10                  EXAMINER McMILLAN:   I don't have any  
11     questions.

12                  EXAMINER JONES:   Thank you.

13                  MR. RANKIN:   So that leaves a few more  
14     cases for notice purpose.   I'd like to call our last  
15     witness, Mr. Brad Pearson, to run through those.

16                         BRADLEY W. PEARSON,  
17             after having been previously sworn under oath, was  
18             questioned and testified as follows:

19                                 DIRECT EXAMINATION

20     BY MR. RANKIN:

21             **Q.   Mr. Pearson, would you please state your full**  
22     **name for the record?**

23             A.   Bradley W. Pearson.

24             **Q.   And by whom are you employed?**

25             A.   Hilcorp Energy Company.

1 Q. And what is your job duty with Hilcorp?

2 A. All duties of a subsurface landman.

3 Q. Okay. Have you had the opportunity to come to  
4 New Mexico and testify before the Oil Conservation  
5 Division?

6 A. I have not.

7 Q. Would you please review for the Examiners your  
8 educational background first?

9 A. I graduated in 2015 from Texas Tech University  
10 with a Bachelor of Business Administration in Energy  
11 Commerce, and in 2016, with a Master's in Finance from  
12 Texas Tech University.

13 Q. And in your role as a -- as a landman with  
14 Hilcorp, what sort of duties do you do? What does your  
15 job duty entail?

16 A. I research private and public records for  
17 record title ownership, and I negotiate and draft and  
18 amend oil and gas agreements and proposals.

19 Q. And are you a member of any professional  
20 associations, or do you have any professional  
21 certifications?

22 A. I'm a member of the American Association of  
23 Petroleum Landmen.

24 Q. And are you familiar with the applications  
25 filed in these 11 cases?

1           A.    I am.

2           Q.    And you had certain obligations where you  
3   oversaw a certain number of these cases in detail?

4           A.    Yes, I did.

5           Q.    And are those Case Numbers 15934, 15936, 15937  
6   and 15939?

7           A.    That's correct.

8           Q.    And are you familiar with the status of the  
9   lands in each of those cases I just recited?

10          A.    Yes, I am.

11                   MR. RANKIN:  Mr. Examiner, I would tender  
12   Mr. Pearson as an expert in petroleum land matters.

13                   EXAMINER JONES:  He is so qualified.

14                   MR. RANKIN:  Thank you very much.

15          Q.    (BY MR. RANKIN) Mr. Pearson, I just recited  
16   some of the cases you were responsible for, but I think  
17   we should pick out one of the ones that's more  
18   interesting.  So will you please turn to in your exhibit  
19   binder Case Number 15937.  I'll give everybody a moment  
20   to get there.

21                   So looking at Exhibit 16 in that case,  
22   15937, will you please review for the Examiners what  
23   this exhibit shows?

24          A.    Yes.  This is the spacing unit, outlined in  
25   green, of the San Juan 28-6 Unit 136F, and outlined in

1 red is the half-mile buffer for all the affected offset  
2 spacing units.

3 Q. So effectively the area outlined in red is  
4 essentially the notice area. You noticed all the  
5 320-acre spacing units within that area outlined in red?

6 A. That's correct.

7 Q. So you identified, in your land work, each of  
8 the working interest owners because Hilcorp is the  
9 operator of each of those offsetting spacing units?

10 A. That's correct.

11 Q. And the list of the working interest owners  
12 that you identified is on the next exhibit, 17, is that  
13 right --

14 A. Yes.

15 Q. -- for this case?

16 And each of those working interest owners  
17 were given notification of Hilcorp's applications and  
18 what it proposed?

19 A. Correct.

20 Q. And the next page is a copy of that letter that  
21 you sent out, Hilcorp, to each of those parties you  
22 identified?

23 A. Yes.

24 Q. And then the next page is that postal service  
25 tracking issue, which indicates that you sent out notice



1 letters to each of those working interest owners on  
2 December 20th of 2017?

3 A. Correct.

4 Q. And did you receive any of those notice packets  
5 as undeliverable?

6 A. I did not.

7 Q. Okay. And as the Examiner pointed out, some of  
8 those indicate that the signature is still pending; is  
9 that right?

10 A. Correct.

11 Q. But as before, these interest owners were  
12 identified through Hilcorp's business records as working  
13 interest owners who receive frequent payments and chip  
14 [sic] statements, of that nature?

15 A. That's correct.

16 Q. And so these addresses are updated in the  
17 normal course of business by notification for each of  
18 these parties?

19 A. Correct.

20 Q. Now, with respect to each of the cases that you  
21 had responsibility for, Case Numbers 15934, 15936,  
22 15937, 15939, did you follow the same notice procedure  
23 with respect to each of those cases?

24 A. I did.

25 Q. You identified the working interest owners in

1 each of the offsetting 320-acre spacing units around the  
2 subject spacing units?

3 A. I did.

4 Q. And in every case that I just recited, was  
5 Hilcorp the offsetting operator?

6 A. Yes, it is.

7 Q. So you went down the next level to the working  
8 interest owners?

9 A. Correct.

10 Q. And in any of those cases that I recited, did  
11 you receive any notice that your notice packets were  
12 undeliverable to any of those parties?

13 A. I did not.

14 Q. And to each of the cases that I recited, you  
15 undertook a good-faith effort to identify all those  
16 working interest owners and all the offsetting spacing  
17 units?

18 A. I did.

19 Q. And you didn't receive an objection from any of  
20 the parties you noticed at any time for any of the cases  
21 I listed?

22 A. I did not.

23 Q. And none of the application packets were  
24 returned undeliverable for any of those cases?

25 A. That's correct.

1           **Q.    I think I asked that question.**

2                   MR. FELDEWERT:   You did.

3                   MR. RANKIN:   With that, Mr. Examiner, I  
4 would tender the admission of Exhibits 15, 16 and 17.

5                   EXAMINER JONES:   For those four cases?

6                   MR. RANKIN:   For those four cases.

7                   EXAMINER JONES:   Exhibits 15, 16, 17 are  
8 admitted in Cases 15934, 936, 937 and 939.

9                   (Hilcorp Energy Co. Exhibit Numbers 15, 16  
10 and 17 in Case Numbers 15934 and 15936,  
11 15937 and 15939 are offered and admitted  
12 into evidence.)

13                   MR. RANKIN:   With that, I would pass the  
14 witness.

15                                   CROSS-EXAMINATION

16                   BY EXAMINER WADE:

17                   **Q.    So in Exhibit 17, back to that transit [sic]**  
18 **list, what is "remind to schedule redelivery"?**

19                   A.    Well, we haven't received the undeliverable.  
20 So in this case, it's still pending.

21                   MR. RANKIN:   Which row is that?

22                   EXAMINER WADE:   Five.

23                   MR. RANKIN:   Row five.

24                   MR. FELDEWERT:   Second from the bottom.

25                   **Q.    (BY EXAMINER WADE) So the second up on the far**

1     **right, "unable to deliver"?**

2           A.     "Reminder to reschedule delivery of your item"?

3           **Q.     No. The second from the bottom on the far**  
4     **right.**

5                   MR. RANKIN: The first page of the tracking  
6     sheet?

7                   EXAMINER WADE: Second page. Sorry.

8                   MR. RANKIN: All right. It indicates --  
9     yeah. It says --

10                  EXAMINER WADE: So there is at least one,  
11     right?

12                  MR. FELDEWERT: That's what it looks like.

13                  THE WITNESS: We haven't received any  
14     undeliverables at this point.

15                  EXAMINER WADE: How about the ninth one up  
16     on the far right on that same page, "departed USPS  
17     January 8th."

18                  MR. RANKIN: Well, it was sent -- it was  
19     mailed on 12/20.

20                  EXAMINER WADE: But it doesn't say  
21     "delivered" or "in transit."

22                  MR. RANKIN: No. And to address your  
23     question, Mr. Examiner, I guess that would be an issue  
24     with the postal service, but it was mailed -- it was  
25     certified mailed on the 20th, you know.

1 EXAMINER WADE: So you don't see a notice  
2 issue there?

3 MR. RANKIN: Well, the rule requires that  
4 we provide notice by certified mail, you know, in  
5 advance of the hearing, 20 days. That's what was done  
6 based on the postal service data.

7 EXAMINER JONES: And the actual addresses  
8 are from the pay decks or the pay records?

9 MR. RANKIN: Yeah. 500 Marquette is a big  
10 building. I definitely know where that is.

11 EXAMINER JONES: These are all working  
12 interest owners.

13 MR. RANKIN: Yeah. Yeah.

14 EXAMINER JONES: The pay records, are they  
15 sent directly into somebody's bank? Is that how they're  
16 done? You don't mail checks out, right?

17 THE WITNESS: Correct. It's all done by  
18 direct deposit now.

19 EXAMINER JONES: Direct deposit. So that  
20 means addresses might sometimes get lapsed a little bit.

21 REDIRECT EXAMINATION

22 BY MR. RANKIN:

23 Q. The JIBs are by -- Mr. Pearson, the JIBs would  
24 be by hard copy, by mail; is that right?

25 A. Correct.

1           Q.    And by JIB, I mean a joint interest billing  
2   statement?

3           A.    Correct.

4                               CROSS-EXAMINATION

5   BY EXAMINER JONES:

6           Q.    That's if you ask them to pay the operator back  
7   for work done, right?

8           A.    Right.

9           Q.    So those have to be -- those should be up to  
10   date, those JIB addresses?

11          A.    Correct.

12          Q.    If not, they're continuously being worked on, I  
13   guess.

14          A.    (Indicating.)

15                       EXAMINER JONES:  The rules in this case  
16   require notice to be provided.  Does it require  
17   certified receipt, because some of the stuff that we  
18   actually do administratively, we don't get a receipt  
19   back.  We don't wait for the receipt.  We say provide  
20   notice.  But if you provide notice to the wrong address  
21   and it's a record here of the wrong address, then it's  
22   not provided.

23                       EXAMINER McMILLAN:  The problem is you get  
24   JIBs over the Internet.  And the address may be wrong,  
25   and they may be paying anyway.  That's the problem,

1     because I've gotten one that I'm not sure if the address  
2     is correct, but my email is correct.

3                   EXAMINER WADE:   Well, I mean without --  
4     without going through every single notice here, we have  
5     a problem with at least one.

6                   MR. FELDEWERT:   I'm with you on one.   Yeah.

7                   MR. RANKIN:    I think what we can propose,  
8     and, you know, if this would -- with the one you've  
9     identified, we could supplement the Division by  
10    following up with that one working interest owner to  
11    identify the correct address, if this is not the correct  
12    address.   That would be one.

13                  EXAMINER WADE:   And notice?

14                  MR. RANKIN:    And notice, right.

15                  EXAMINER WADE:   So maybe a more thorough  
16    going-through each of these cases again to make sure  
17    there are no other mistakes like that?

18                  MR. FELDEWERT:   Yeah.   I think -- I agree  
19    with your observation that this particular case I need  
20    to deliver proper address.   Okay.   It raises some  
21    question.   So it seems to me that if you have similar  
22    circumstances, we probably should follow up.

23                  EXAMINER WADE:   Just to go through these.

24                  Now, to address the -- can you address,  
25    again, the idea that notice needs to be sent but not

1 necessarily received? Can you point to that portion of  
2 the rule in particular?

3 MR. FELDEWERT: Yes, I can. And let's  
4 think about this for a minute from a conceptual  
5 standpoint. I think we all know that there are people  
6 out there that we send certified mail to and they do not  
7 pick up. Okay? So it's not received. It is: Have you  
8 sent to a valid address of record? That's the  
9 obligation, and it's to be by certified mail. Beyond  
10 that, it's out of our control as to whether they pick it  
11 up, as to whether USPS delivers it and when they get  
12 around to delivering it. The Division set the best  
13 system possible. So we're always worked within that  
14 confines.

15 EXAMINER WADE: Well, what I'm looking at,  
16 at least part of the rule, is 19.15.4.12. That's notice  
17 for specific adjudications.

18 MR. RANKIN: The Division has followed the  
19 encroachment procedure notice requirements for  
20 unorthodox well locations in the prior cases, with the  
21 exception that they've noticed the entire surrounding  
22 320-acre spacing unit. It's not just the spacing unit  
23 administrator that the proposed well encroaches. It's  
24 noticing every well in the surrounding 320 acres. So I  
25 think Mike may be looking up the --



1 EXAMINER WADE: Yes. I understand the  
2 concept. Give me the rule to hang my hat on.

3 MR. FELDEWERT: .4.12, right.

4 EXAMINER WADE: 4.12.

5 MR. FELDEWERT: Go to B. Type in "content  
6 of notice." I'm looking at the first full sentence.

7 EXAMINER WADE: 4.12(B).

8 MR. FELDEWERT: B, as in boy. Type in  
9 "content of notice," the heading.

10 EXAMINER WADE: Ah.

11 MR. FELDEWERT: "The applicant shall."

12 EXAMINER WADE: All right. "When an  
13 applicant has been unable to locate persons entitled to  
14 notice." Now, I'm hearing you haven't gotten an  
15 affirmative "not able to locate," and but there are  
16 question marks, right?

17 MR. FELDEWERT: Well, they're the working  
18 interest owners who we locate almost monthly.

19 EXAMINER WADE: So it sounds like it's very  
20 likely they're going to be locatable.

21 MR. FELDEWERT: We have located them. We  
22 have an address. And our obligation is to send that by  
23 certified mail to the last known address. That's our  
24 obligation. With the exception of this one -- I agree  
25 with this one. This notation seems to indicate it may

1 not be a valid address.

2 EXAMINER WADE: So let's just take a step  
3 back and just focus on that one. What would you propose  
4 to do for this one or potential others?

5 MR. FELDEWERT: What I would propose to do  
6 on a notation like that, for that particular case, give  
7 us a period of time to investigate this, because nobody  
8 noticed it before now. Investigate this, ascertain what  
9 the status is of that particular notice, okay, and that  
10 particular address, and then inform the Division whether  
11 this case, this case 14937, needs to be continued for  
12 two weeks to address this particular issue.

13 EXAMINER WADE: I have a little more  
14 concern on that. Unless I want to dig through every one  
15 of these right now at this hearing, we don't know if  
16 other mistakes have been made. So it would be better if  
17 all the cases were addressed, just see if there is any  
18 other notice.

19 MR. FELDEWERT: We'll commit that we will  
20 go through all the sheets to see if there is a similar  
21 notation and deal with it in the same fashion, if that  
22 works for you.

23 EXAMINER WADE: Yeah. And then that would  
24 give me a little bit of time to think about this issue.  
25 I understand the arguments regarding some of these

1 things that have not come back, and maybe in the  
2 meantime, we'll have some updated information.

3 MR. RANKIN: Yeah. I understand.

4 MR. FELDEWERT: Okay.

5 EXAMINER WADE: That's all I have.

6 EXAMINER JONES: So those were the last  
7 four cases. First there were seven and this four.  
8 That's 11. And one got continued. And there's a whole  
9 bunch more coming on the next docket, on February the  
10 8th, I saw.

11 MR. RANKIN: Yeah. Right. So there were  
12 three that were continued to the 25th. And we're in  
13 discussions about whether we'll proceed with that  
14 hearing on the 25th or just put them all together on the  
15 8th. So there will be 13 on the 8th, in which case we  
16 will do a very similar procedure as this.

17 EXAMINER JONES: Similar deal.

18 MR. FELDEWERT: Maybe we could go off the  
19 record and talk about what we're going to do on February  
20 8th.

21 MR. RANKIN: With that request,  
22 Mr. Examiners, we ask you take these cases under  
23 advisement while we -- take it under advisement while we  
24 investigate the notice issues for each of the cases.

25 EXAMINER JONES: With the provision that --

1                   EXAMINER WADE: Yeah. I don't see a  
2 problem. If there is going to be a problem later on  
3 down the road, we'll just re-open the case.

4                   MR. RANKIN: Right.

5                   EXAMINER JONES: Okay. Let's take it under  
6 advisement, and then we'll go off the record.

7                   You guys okay with that, these cases, take  
8 them under advisement right now?

9                   EXAMINER WADE: Yes.

10                  EXAMINER JONES: Okay. We're going to take  
11 Cases 15934 and 15936 through 15945 under advisement.

12                  Thank you-all, and let's go off the record.

13                  (Case Numbers 15934 and 15936 through 15945  
14 conclude, 4:35 p.m.)

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court  
6 Reporter, New Mexico Certified Court Reporter No. 20,  
7 and Registered Professional Reporter, do hereby certify  
8 that I reported the foregoing proceedings in  
9 stenographic shorthand and that the foregoing pages are  
10 a true and correct transcript of those proceedings that  
11 were reduced to printed form by me to the best of my  
12 ability.

13 I FURTHER CERTIFY that the Reporter's  
14 Record of the proceedings truly and accurately reflects  
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither  
17 employed by nor related to any of the parties or  
18 attorneys in this case and that I have no interest in  
19 the final disposition of this case.

20 DATED THIS 26th day of January 2018.

21

22 MARY C. HANKINS, CCR, RPR  
23 Certified Court Reporter  
24 New Mexico CCR No. 20  
25 Date of CCR Expiration: 12/31/2018  
Paul Baca Professional Court Reporters

24

25