

1                   STATE OF NEW MEXICO  
2           ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3                   OIL CONSERVATION DIVISION

4   IN THE MATTER OF THE HEARING CALLED  
5   BY THE OIL CONSERVATION DIVISION FOR  
6   THE PURPOSE OF CONSIDERING:

7   APPLICATION OF OXY USA, INC. FOR                   CASE NO. 15956  
8   A NONSTANDARD SPACING AND PRORATION  
9   UNIT AND COMPULSORY POOLING, EDDY  
10   COUNTY, NEW MEXICO.

11                   REPORTER'S TRANSCRIPT OF PROCEEDINGS

12                   EXAMINER HEARING

13                   January 25, 2018

14                   Santa Fe, New Mexico

15  
16  
17   BEFORE:   WILLIAM V. JONES, CHIEF EXAMINER  
18                   DAVID K. BROOKS, LEGAL EXAMINER

19  
20   This matter came on for hearing before the  
21   New Mexico Oil Conservation Division, William V. Jones,  
22   Chief Examiner, and David K. Brooks, Legal Examiner, on  
23   Thursday, January 25, 2018, at the New Mexico Energy,  
24   Minerals and Natural Resources Department, Wendell Chino  
25   Building, 1220 South St. Francis Drive, Porter Hall,  
26   Room 102, Santa Fe, New Mexico.

27  
28   REPORTED BY:   Mary C. Hankins, CCR, RPR  
29                   New Mexico CCR #20

0125180CDCase15956Final.txt  
23 Paul Baca Professional Court Reporters  
500 4th Street, Northwest, Suite 105  
24 Albuquerque, New Mexico 87102  
(505) 843-9241  
25

↑

2

1 APPEARANCES

2 FOR APPLICANT OXY USA, INC.:

3 JORDAN L. KESSLER, ESQ.  
HOLLAND & HART, LLP  
4 110 North Guadalupe, Suite 1  
Santa Fe, New Mexico 87501  
5 (505) 988-4421  
jlkessler@hollandhart.com  
6

7 INDEX

8 PAGE

9	Case Number 15956 Called	3
10	OXY USA, Inc.'s Case-in-Chief:	
11	Witnesses:	
12	Jeremy Murphrey:	
13	Direct Examination by Ms. Kessler	3
14	Cross-Examination by Examiner Jones	9
15	Tony Troutman:	
16	Direct Examination by Ms. Kessler	9
17	Cross-Examination by Examiner Jones	13
18	Proceedings Conclude	14
19	Certificate of Court Reporter	15

20 EXHIBITS OFFERED AND ADMITTED

21 OXY USA, Inc. Exhibit Numbers 1 through 4 8

22 OXY USA, Inc. Exhibit Numbers 5 through 7 13

23

24

25

↑

3

1 (4:11 p.m.)

2 EXAMINER JONES: Okay. Let's call Case

3 Number 15956, application of OXY USA Inc. for a

4 nonstandard spacing and proration unit and compulsory

5 pooling in Eddy County, New Mexico.

6 Call for appearances.

7 MS. KESSLER: Jordan Kessler, from the

8 Santa Fe office of Holland & Hart, on behalf of the

9 Applicant. We have two witnesses today.

10 EXAMINER JONES: Will the witnesses please

11 stand?

12 Are they the same witnesses?

13 MS. KESSLER: They've been previously

14 sworn.

15 EXAMINER JONES: Let the record show the

16 witnesses were previously sworn in Case Number 15955 and

17 qualified.

18 JEREMY MURPHREY,  
19 after having been previously sworn under oath, was  
20 questioned and testified as follows:  
21 DIRECT EXAMINATION  
22 BY MS. KESSLER:  
23 Q. Can you please state your name for the record  
24 and the tell the Examiners by whom you're employed and  
25 in what capacity?

↑

4

1 A. Jeremy Murphrey. I'm employed by OXY USA, Inc.  
2 as a landman.  
3 Q. Were your qualifications as a petroleum -- as  
4 an expert in petroleum land matters previously accepted  
5 today and made a matter of record?  
6 A. Yes, they were.  
7 MS. KESSLER: Mr. Examiners, I would ask  
8 that Mr. Murphrey again be qualified as an expert.  
9 EXAMINER JONES: He is qualified as an  
10 expert in petroleum land matters.  
11 Q. (BY MS. KESSLER) Let's look at Exhibit 1,  
12 Mr. Murphrey. And can you please identify this exhibit  
13 and explain what OXY seeks under this application?  
14 A. Yes. We're seeking -- we're seeking to --  
15 approval to form a 320-acre nonstandard spacing unit.

16 This unit will be comprised of the west half of the east  
17 half of Sections 25 and 36 of Township 24 South, Range  
18 29 East. The dedication -- or the well to be drilled in  
19 this spacing will be the Corral Canyon 36-25 Fed Com  
20 24H. And Exhibit 1 is a C-102 for that well.

21 Q. Okay. Are you also seeking to pool the  
22 uncommitted interest owners in the Bone Spring Formation  
23 underlying the spacing unit?

24 A. Yes, we are.

25 Q. Is the pool involved in this spacing unit also

↑

5

1 the Pierce Cross; Bone Spring, East Pool?

2 A. Yes, ma'am.

3 Q. And that's Pool Code 96473?

4 A. Yes, it is.

5 Q. Do you know if that pool is governed by  
6 Division statewide rules?

7 A. It is.

8 Q. Will the completed interval for this well  
9 comply with the 330-foot setback requirements?

10 A. It will.

11 Q. And is the proposed spacing unit comprised of  
12 federal and state lands?

13 A. Yes, ma'am, it is.

14 Q. Is Exhibit 2 a lease tract map showing  
15 ownership of working interest owners in the proposed  
16 nonstandard spacing unit?

17 A. Yes, ma'am, it is.

18 Q. Who does OXY seek to pool?

19 A. We seek to pool XTO Energy, Inc. Their  
20 interest is located in the southwest quarter of the  
21 northeast quarter of Section 36, Township 24 South,  
22 Range 29 East.

23 Q. They're highlighted in pink there; is that  
24 correct?

25 A. Yes, ma'am.

↑

6

1 Q. They're a working interest owner?

2 A. That's correct.

3 Q. Is Exhibit 3 a copy of the well-proposal letter  
4 that you sent to XTO?

5 A. Yes, ma'am, it is.

6 Q. When did you send this letter?

7 A. The letter would have been mailed October 20th  
8 of 2017.

9 Q. And can you please describe what efforts  
10 besides sending this well-proposal letter you undertook

11 to reach an agreement with XTO?

12 A. Yes. We've actually spoken with them about  
13 entering into a JOA or allowing them to go nonconsent  
14 under the operating agreement and not participate. We  
15 have some loose discussions about trades, but it seems  
16 at this point possibly the operating agreement will  
17 probably be the option that works out for them.

18 Q. Are you going to continue to negotiate with  
19 them?

20 A. Yes, ma'am, we will.

21 Q. And in the event you reach an agreement with  
22 XTO, will you inform the Division?

23 A. Yes, we will.

24 Q. Did the well-proposal letter that you sent to  
25 XTO include an AFE?

↑

7

1 A. Yes, ma'am, it did.

2 Q. Are the costs of this AFE consistent with what  
3 OXY has incurred for drilling similar Bone Spring wells  
4 in the area?

5 A. Yes, ma'am.

6 Q. Have you estimated overhead and administrative  
7 costs for drilling and completing this well?

8 A. Yes, ma'am.

9 Q. What are those costs?

10 A. \$7,500 per day for -- I'm sorry -- for drilling  
11 and \$750 for a producing well.

12 Q. Are these costs -- are these rates consistent  
13 with what other operators in the area charge for similar  
14 two-mile Bone Spring wells?

15 A. Yes, ma'am.

16 Q. Do you request that the cost be incorporated to  
17 any order resulting from this hearing?

18 A. Yes, ma'am.

19 Q. And that the cost be periodically adjusted  
20 according to the COPAS accounting procedures?

21 A. Yes, we do.

22 Q. For the uncommitted interest owner, does XTO  
23 request the Division impose a 200 percent risk charge?

24 A. Yes, we do.

25 Q. And were you able to locate a valid address for

↑

8

1 XTO?

2 A. Yes, we were.

3 Q. Is Exhibit 4 an affidavit prepared by my office  
4 providing notice of this hearing to the parties that you  
5 seek to pool, as well as the offsets in the 40-acre

6 tract surrounding the proposed nonstandard unit?

7 A. Yes, it is.

8 Q. And it looks like you received a green card  
9 back from OXY, correct?

10 A. Did you say from OXY or XTO?

11 Q. I'm sorry. XTO.

12 A. Yes, we did. We received one back from XTO.

13 Q. Were Exhibits 1 through 3 prepared by you or  
14 compiled under your direction or supervision?

15 A. Yes, they were.

16 MS. KESSLER: Mr. Examiners, I move  
17 admission of Exhibits 1 through 4, which include my  
18 notice exhibit.

19 EXAMINER JONES: Exhibits 1 through 4 are  
20 admitted.

21 (XTO Energy, Inc. Exhibit Numbers 1 through  
22 4 are offered and admitted into evidence.)

23 EXAMINER BROOKS: No questions.

24 EXAMINER JONES: I don't think I have any  
25 questions either.

↑

9

1 EXAMINER BROOKS: It's just too late in the  
2 day to ask questions.

3 CROSS-EXAMINATION

4 BY EXAMINER JONES:

5 Q. Yeah. I guess one off-the-wall question here.  
6 When you release the rig -- when you stop the drilling  
7 COPAS -- or the drilling overhead rate and -- so from  
8 that date, do you start charging a monthly rate even  
9 though the well is not producing yet, or do you -- if it  
10 takes several months to complete, do you wait and start  
11 charging immediately after that, or do you know?

12 A. I could check with our joint interest billing  
13 group to get a proper answer. I wouldn't be able to  
14 answer that one.

15 Q. You don't need to do that. I'll bug somebody  
16 else about it.

17 A. (Laughter.)

18 Q. Thanks a lot.

19 MS. KESSLER: We'll call our next witness.

20 TONY TROUTMAN,

21 after having been previously sworn under oath, was  
22 questioned and testified as follows:

23 DIRECT EXAMINATION

24 BY MS. KESSLER:

25 Q. Can you please state your name for the record

↑

1 and tell the Examiners by whom you're employed and in  
2 what capacity?

3 A. I'm Tony Troutman. I'm employed by Occidental  
4 Petroleum, and I'm a senior geologist.

5 Q. Earlier today were your credentials as an  
6 expert in petroleum geology accepted and made a matter  
7 of record?

8 A. Yes.

9 MS. KESSLER: Mr. Examiners, once again,  
10 I'd tender Mr. Troutman as an expert in petroleum  
11 geology.

12 EXAMINER JONES: He is so qualified.

13 Q. (BY MS. KESSLER) Let's turn to Exhibit 5, Mr.  
14 Troutman. Can you identify this exhibit for the  
15 Examiners?

16 A. This is a structure map of the 2nd Bone Spring  
17 Sand. It's generally dipping in an easterly direction.  
18 It shows the location of two cross sections and the well  
19 that's the subject of this.

20 Q. Have you identified any hazards or impediments  
21 to drilling horizontal wells in this area?

22 A. No, I have not.

23 Q. And you mentioned there are two lines marked  
24 north-south and east-west. Are these the cross-section

25 lines?

↑

11

1 A. Correct. These are the next two exhibits.

2 Q. Let's turn to Exhibit 6, please, and identify  
3 the exhibit for the Examiners.

4 A. This is the north-south cross section showing  
5 the 2nd Bone Spring Sand. The two blue lines delineate  
6 the top and the bottom of the 2nd Bone Spring Sand. Our  
7 log tracks -- the first one on the left is gamma ray.  
8 The middle one is resistivity, and the right-hand track  
9 is the porosity curves.

10 Q. And where approximately are you intending to  
11 land the 24H well?

12 A. We will land the horizontal near the base of  
13 the 2nd Bone Spring.

14 Q. Have you identified, based on this cross  
15 section, the 2nd Bone Spring as being fairly continuous  
16 throughout the proposed nonstandard unit?

17 A. I have.

18 Q. What is Exhibit 7?

19 A. Exhibit 7 is a west-to-east cross section of  
20 the 2nd Bone Spring Sand. The same log tracks were  
21 used, and the same two lines delineate the top and the

22 base of the 2nd Bone Spring Sand. It's fairly  
23 consistent across the area we'll be drilling in  
24 thickness and in geologic character.

25 Q. No major thickening or thinning of the 2nd Bone

↑

12

1 Spring in this area?

2 A. No.

3 Q. Based on your study of the area, have you  
4 identified any geologic impediments to drilling two-mile  
5 horizontal wells?

6 A. No.

7 Q. Do you believe that the area can be efficiently  
8 and economically developed by two-mile wells?

9 A. Yes.

10 Q. And do you believe that the proposed  
11 nonstandard unit in each of the tracts in the proposed  
12 nonstandard unit will contribute more or less equally to  
13 production of the well?

14 A. Yes, I do.

15 Q. And will the completed interval for the 24H  
16 well comply with the Division's 330-foot setbacks?

17 A. Yes, it will.

18 Q. In your opinion, will granting OXY's  
19 application be in the best interest of conservation, for

20 the prevention of waste and the protection of  
21 correlative rights?

22 A. Yes.

23 MS. KESSLER: Mr. Examiners, I move -- I'm  
24 sorry.

25 Q. (BY MS. KESSLER) Were Exhibits 5 through 7

13

1 prepared by you or compiled under your direction and  
2 supervision?

3 A. Yes, they were.

4 MS. KESSLER: Mr. Examiner, I move  
5 admission of Exhibits 5 through 7.

6 EXAMINER JONES: Exhibits 5 through 7 are  
7 admitted.

8 (XTO Energy, Inc. Exhibit Numbers 5 through  
9 7 are offered and admitted into evidence.)

10 EXAMINER JONES: Mr. Brooks?

11 EXAMINER BROOKS: No questions.

12 CROSS-EXAMINATION

13 BY EXAMINER JONES:

14 Q. I had a question. The pool here has got a  
15 special pool rule for increased -- increased -- limiting  
16 GOR up to 5,000 and no other special pool rule, but it's

17 got that one. And I was wondering -- and several of  
18 these Bone Spring pools seem to be more gassy than the  
19 black hole reservoir would indicate. So is there a  
20 reason geologically? The different maturity or what?

21 A. I believe it's different maturity. As you move  
22 west in the Basin, you're getting into a more mature  
23 area. So yeah, as you get further west from this Cedar  
24 Canyon area, you're correct, it gets gassier.

25 Q. We've seen a lot those, so I was always

↑

14

1 wondering why.

2 A. Yeah.

3 Q. Okay. Thanks very much.

4 EXAMINER JONES: Does that end this case?

5 MS. KESSLER: Yes, sir.

6 EXAMINER JONES: Case Number 15956 is taken  
7 under advisement.

8 (Case Number 15956 concludes, 4:24 p.m.)

9

10

11

12

13

14

15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



15

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO  
3  
4 CERTIFICATE OF COURT REPORTER  
5 I, MARY C. HANKINS, Certified Court  
6 Reporter, New Mexico Certified Court Reporter No. 20,  
7 and Registered Professional Reporter, do hereby certify  
8 that I reported the foregoing proceedings in  
9 stenographic shorthand and that the foregoing pages are  
10 a true and correct transcript of those proceedings that  
11 were reduced to printed form by me to the best of my

12 ability.

13 I FURTHER CERTIFY that the Reporter's  
14 Record of the proceedings truly and accurately reflects  
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither  
17 employed by nor related to any of the parties or  
18 attorneys in this case and that I have no interest in  
19 the final disposition of this case.

20 DATED THIS 13th day of February 2018.

21

22

23 MARY C. HANKINS, CCR, RPR  
24 Certified Court Reporter  
25 New Mexico CCR No. 20  
Date of CCR Expiration: 12/31/2018  
Paul Baca Professional Court Reporters

25