

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

AMENDED APPLICATION OF BTA OIL PRODUCERS, LLC FOR A NONSTANDARD SPACING AND PRORATION UNIT AND COMPULSORY POOLING, EDDY COUNTY, NEW MEXICO. CASE NOS. 16024, 16161, 16162

APPLICATION OF MARATHON OIL PERMIAN, LLC FOR COMPULSORY POOLING, EDDY COUNTY, NEW MEXICO. CASE NO. 16076

APPLICATION OF MARATHON OIL PERMIAN, LLC FOR A NONSTANDARD SPACING AND PRORATION UNIT AND COMPULSORY POOLING, EDDY COUNTY, NEW MEXICO. CASE NOS. 16077, 16300

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

July 13, 2018

Santa Fe, New Mexico

BEFORE: WILLIAM V. JONES, CHIEF EXAMINER
DAVID K. BROOKS, LEGAL EXAMINER

This matter came on for hearing before the New Mexico Oil Conservation Division, William V. Jones, Chief Examiner, and David K. Brooks, Legal Examiner, on Friday, July 13, 2018, at the New Mexico Energy, Minerals and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR APPLICANT BTA OIL PRODUCERS, LLC:

MICHAEL H. FELDEWERT, ESQ.
HOLLAND & HART, LLP
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505) 988-4421
mfeldewert@hollandhart.com

FOR APPLICANT MARATHON OIL PERMIAN, LLC:

JENNIFER L. BRADFUTE, ESQ.
MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.A.
500 4th Street, Northwest, Suite 1000
Albuquerque, New Mexico 87102
(505) 848-1800
jlb@modrall.com

FOR INTERESTED PARTY LYNN CHARUK:

JAMES G. BRUCE, ESQ.
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol.com

1	INDEX	
2		PAGE
3	Case Numbers 16024, 16161, 16162, 16076, 16077 and 16300 Called	6
4		
5	BTA Oil Producers, LLC's Case-in-Chief:	
6	Witnesses:	
7	Ashley Beal:	
8	Direct Examination by Mr. Feldewert	10
9	Cross-Examination by Mr. Bruce	42
10	Cross-Examination by Ms. Bradfute	44
11	Cross-Examination by Examiner Brooks	61
12	Cross-Examination by Examiner Jones	69
13	Recross Examination by Examiner Brooks	76, 88
14	Recross Examination by Ms. Bradfute	79
15	Redirect Examination by Mr. Feldewert	84
16	Recross Examination by Examiner Jones	89
17		
18	Rajendra Eti:	
19	Direct Examination by Mr. Feldewert	89
20	Cross-Examination by Ms. Bradfute	110
21	Cross-Examination by Examiner Brooks	129
22	Cross-Examination by Examiner Jones	133
23	Recross Examination by Ms. Bradfute	142
24		
25	Britton McQuien:	
26	Direct Examination by Mr. Feldewert	144, 148
27	Cross-Examination by Examiner Brooks	147
28	Cross-Examination by Mr. Bruce	170
29	Cross-Examination by Ms. Bradfute	174
30	Cross-Examination by Examiner Brooks	192
31	Cross-Examination by Examiner Jones	194
32	Recross Examination by Examiner Brooks	197
33		
34	BTA Oil Producers, LLC Rests	201
35		
36		
37		
38		

1	INDEX (Cont'd)	
2		PAGE
3	Case Numbers 16024, 16161, 16162, 16076, 16077 and 16300 (Cont'd)	
4		
5	Lynn S. Charuk's Case-in-Chief:	
6	Lynn S. Charuk:	
7	Direct Examination by Mr. Bruce	202
	Cross-Examination by Ms. Bradfute	227
8	Cross-Examination by Mr. Feldewert	233
	Cross-Examination by Examiner Brooks	235
9	Cross-Examination by Examiner Jones	236
10	Marathon Oil Permian, LLC's Case-in-Chief:	
11	Witnesses:	
12	Chase F. Rice:	
13	Direct Examination by Ms. Bradfute	239
	Cross-Examination by Mr. Feldewert	265
14	Cross-Examination by Mr. Bruce	271
	Cross-Examination by Examiner Jones	272
15	Tucker Keren:	
16	Direct Examination by Ms. Bradfute	276
17	Cross-Examination by Mr. Feldewert	299
	Cross-Examination by Examiner Brooks	320
18	Cross-Examination by Examiner Jones	327
	Redirect Examination by Ms. Bradfute	329
19	Cross-Examination by Mr. Bruce	332
20	Mikhail Alekseenko:	
21	Direct Examination by Ms. Bradfute	334
	Cross-Examination by Mr. Feldewert	373, 388
22	Cross-Examination by Mr. Bruce	400
	Cross-Examination by Examiner Jones	407
23	Redirect Examination by Ms. Bradfute	410
	Cross-Examination by Examiner Brooks	420
24	Proceedings Conclude	424
25	Certificate of Court Reporter	425

	EXHIBITS OFFERED AND ADMITTED	
		PAGE
1		
2		
3	BTA Oil Producers, LLC Exhibit Numbers 21 through 30	42
4		
5	BTA Oil Producers, LLC Exhibit Numbers 32 through 35	109
6	BTA Oil Producers, LLC Exhibit Numbers 36 through 38	170
7		
8	Lynn S. Charuk Exhibit Numbers 1 through 5	227
9		
10	Marathon Oil Permian, LLC Exhibit Letters R through X	265
11		
12	Marathon Oil Permian, LLC Exhibit Letters Y through DD	299
13	Marathon Oil Permian, LLC Exhibit Letters DD through FF	372
14		
15	Marathon Oil Permian, LLC Exhibit Letter EE	383
16	Marathon Oil Permian, LLC Exhibit Letter FF, Pages 1 - 5 and 7 - 8	384
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (8:22 a.m.)

2 EXAMINER JONES: Let's go back on the
3 record this morning. This is a continuation of
4 yesterday's docket, but it's also a continuation of the
5 special hearing that was begun on April 24th, BTA and
6 Marathon. And I want to call the cases because I think
7 we have another case or more, and I want to make sure I
8 have them all and make sure all the new parties are on
9 the record.

10 For BTA, I have Cases 16024, 16161, 16162.
11 Those are all involving the Ogden wells. And 16024 is
12 application of BTA for a nonstandard spacing and
13 proration unit and compulsory pooling in Eddy County,
14 New Mexico. I think the other two cases are styled
15 exactly the same.

16 I'll call for appearances on those three
17 cases.

18 MR. FELDEWERT: May it please the Examiner,
19 Michael Feldewert, with the Santa Fe office of Holland &
20 Hart, appearing for the Applicant, BTA Oil Producers,
21 LLC. We have three witnesses here today.

22 MR. BRUCE: Mr. Examiner, Jim Bruce
23 appearing on behalf of Lynn Charuk. That's C-H-A-R-U-K.
24 And I have one witness.

25 EXAMINER JONES: Not Tom -- Tom Ragsdale is

1 not in on this one?

2 MS. BRADFUTE: It's a different case.

3 MR. BRUCE: Yeah.

4 EXAMINER JONES: Okay.

5 MS. BRADFUTE: Mr. Examiner, Jennifer
6 Bradfute, from the Modrall Sperlberg Law Firm, on behalf
7 of Marathon Oil Permian, LLC. And we have three
8 witnesses.

9 And if it pleases the Examiner, we would
10 just like to put our witnesses on in Marathon's cases --
11 put our witnesses on at once and have them testify as to
12 both matters.

13 EXAMINER JONES: Okay.

14 Mr. Bruce, did you say you had one witness?

15 MR. BRUCE: One witness.

16 EXAMINER JONES: Okay. And let's also call
17 what I understand to be the Marathon cases, Cases Number
18 16076, 16077 and 16300.

19 Application of Marathon Oil Permian, LLC
20 for a compulsory pooling, Eddy County, New Mexico is
21 16076.

22 16077 is application of Marathon Oil
23 Permian, LLC for a nonstandard spacing and proration
24 unit and compulsory pooling, Eddy County, New Mexico.

25 And 16300 is application of Marathon Oil

1 Permian, LLC for a nonstandard spacing and proration
2 unit and compulsory pooling, Eddy County, New Mexico.

3 Call for appearances in those cases.

4 MS. BRADFUTE: Mr. Examiner, Jennifer
5 Bradfute on behalf of the Applicant, Marathon Oil
6 Permian, LLC.

7 I have filed amended applications in Case
8 Numbers 16076 and 16077.

9 EXAMINER JONES: They don't say "amended"
10 on here, but I guess you can talk about that later.

11 MS. BRADFUTE: Yes. They're amendments.

12 EXAMINER JONES: Any other appearances in
13 those cases?

14 MR. BRUCE: Jim Bruce on behalf of Lynn
15 Charuk, again.

16 MR. FELDEWERT: Mr. Examiner, Michael
17 Feldewert, with the Santa Fe office of Holland & Hart,
18 on behalf of BTA Oil Producers.

19 EXAMINER JONES: Let's have the witnesses
20 all stand, all seven witnesses, and the court reporter
21 swear the witnesses.

22 (Ms. Beal, Mr. Eti, Mr. McQuien,
23 Mr. Charuk, Mr. Rice, Mr. Keren and
24 Mr. Alekseenko sworn.)

25 EXAMINER JONES: I understand we're going

1 to start again with the BTA presentation.

2 MR. FELDEWERT: That's fine.

3 EXAMINER JONES: Is there any preamble to
4 this, or do you want to begin?

5 MR. FELDEWERT: That's fine with me, get
6 the cases done.

7 MS. BRADFUTE: Mr. Examiner, if I could, I
8 would just like briefly to explain the amendments in
9 Marathon's applications, clarify things as we move
10 throughout the hearing today.

11 Two of these cases were heard on April
12 24th, 16076 and 16024, and those cases both related to
13 the Wolfcamp Formation. These cases were continued
14 after the April 24th hearing for notice purposes, but
15 following that continuance, Mr. Charuk entered an
16 appearance in the case and desired to offer testimony
17 and exhibits, and Marathon did not oppose that request
18 but, likewise, wanted an opportunity to present rebuttal
19 evidence.

20 Following that time period, other override
21 interest owners sent in letters stating a preference for
22 mile-and-a-half-long laterals, so Marathon thought, as
23 an attempt to resolve the dispute, that they would make
24 a proposal for mile-and-a-half-long laterals at their
25 density plan. So the density is still a major issue for

1 Marathon, and waste is still a major issue for Marathon.
2 But it has filed amended applications that say Marathon
3 will be happy with a mile-long lateral or a
4 mile-and-a-half-long lateral, and they propose
5 mile-and-a-half-long laterals, along with AFEs and
6 well-proposal letters to the parties.

7 EXAMINER JONES: How long ago were
8 these -- let's see.

9 MS. BRADFUTE: It was around June 4th, so
10 it's been over 30 days.

11 EXAMINER JONES: Okay.

12 EXAMINER BROOKS: So here we go on Friday,
13 the 13th.

14 MS. BRADFUTE: Yes.

15 Thank you.

16 EXAMINER JONES: Okay. Mr. Feldewert.

17 MR. FELDEWERT: We'll call our first
18 witness.

19 EXAMINER JONES: Okay.

20 ASHLEY BEAL,
21 after having been previously sworn under oath, was
22 questioned and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. FELDEWERT:

25 Q. Would you please state your name, identify by

1 whom you're employed and in what capacity?

2 A. My name is Ashley Beal. I'm employed by BTA
3 Oil Producers, LLC, and I am a landman with BTA.

4 Q. And, Ms. Beal, you have previously testified
5 before this Division. In fact, didn't you testify
6 before this Division in April as an expert witness in
7 petroleum land matters?

8 A. Yes, sir.

9 Q. Are you familiar with the applications and even
10 the amended applications that were filed by Marathon in
11 these consolidated cases?

12 A. Yes, sir.

13 Q. And are you familiar with the status of the
14 lands in the subject area?

15 A. Yes, sir.

16 MR. FELDEWERT: I would retender Ms. Beal
17 as an expert witness in petroleum land matters.

18 EXAMINER JONES: Any objection?

19 MR. BRUCE: No objection.

20 MS. BRADFUTE: No objection.

21 EXAMINER JONES: She's so qualified.

22 Q. (BY MR. FELDEWERT) Ms. Beal, in trying to keep
23 all these cases and these amendments all sorted out, I
24 want you to turn to what's been marked as BTA Exhibit
25 21, in part because I found this very helpful as I was

1 **trying to keep all this straight.**

2 MR. FELDEWERT: So if the Examiners have
3 any confusion on what's involved in each case, I think
4 BTA 21 is very helpful.

5 **Q. (BY MR. FELDEWERT) Would you -- Ms. Beal, does**
6 **this Exhibit 21 -- does this identify, on the left, the**
7 **target zone and the location for the initial four Ogden**
8 **wells listed in BTA's pooling applications?**

9 A. Yes, sir.

10 **Q. And are these the initial wells that BTA**
11 **proposed now some time ago to form both, first, the**
12 **Wolfbone spacing unit and also two Bone Spring spacing**
13 **units?**

14 A. Yes, sir.

15 **Q. Okay. Would you explain to us -- if I look at**
16 **the 5H and the 6H, what do those wells entail?**

17 A. The 5H and the 6H are the initial wells that we
18 proposed, and these are in the Wolfcamp Sand Formation.

19 **Q. And what spacing unit have you sought to have**
20 **dedicated to the 5H and the 6H?**

21 A. So the spacing unit would be 480 acres, and
22 that would comprise of the west half of Section 29 and
23 the northwest quarter of Section 32.

24 **Q. And is that reflected in the upper, left-hand**
25 **corner of this exhibit?**

1 A. Yes, sir.

2 Q. Okay. Then when I -- I see two wells here, the
3 9H and the 10H.

4 A. Yes, sir.

5 Q. Those have been proposed by BTA?

6 A. Yes, sir.

7 Q. What's the purpose of those?

8 A. Those are to form two different Bone Spring
9 pooling -- pooling units.

10 Q. So they'd be spacing units?

11 A. Yes, spacing units.

12 Q. And because we have an oil pool here involved
13 with the Bone Spring Formation, we have two spacing
14 units rather than just one, right?

15 A. Rather than just one, yes, sir.

16 Q. And then what acreage is going to be dedicated
17 to the 9H?

18 A. The west half of the west half of Section 29
19 and the west half of the northwest quarter of Section
20 32.

21 Q. Okay. And then what would be dedicated to the
22 10H?

23 A. The east half of the west half of Section 29
24 and the east half of the northwest quarter of Section
25 32.

1 Q. Okay. Now, I see two additional wells shown on
2 here on the left-hand side, the 7H and the 8H. What's
3 that all about?

4 A. Those are the two Wolfcamp D wells to save deep
5 rights in BTA and Marathon's leases.

6 Q. So would these be Wolfcamp wells?

7 A. Yes, sir, Wolfcamp D.

8 Q. Wolfcamp D.

9 Okay. You said that's to address the lease
10 issues involved --

11 A. Yes, sir.

12 Q. -- for both BTA and Marathon?

13 A. Yes, sir.

14 Q. These would essentially then be infill wells in
15 the same spacing unit that's formed for the 5H and the
16 6H?

17 A. Yes, sir.

18 Q. Okay. All right. Now, if you look on the
19 right of this exhibit, does this show all of the wells
20 listed in Marathon's pooling applications?

21 A. Yes, sir.

22 Q. And does it show their locations and their
23 targeted interval as proposed?

24 A. Yes, sir.

25 Q. At the April hearing, did Marathon identify the

1 wells that it initially intends to drill out of these
2 numerous wells?

3 A. Yes, sir.

4 Q. These were called their phase one wells?

5 A. Yes, sir.

6 Q. And did you take the liberty yesterday, when we
7 were looking at this, of circling what Marathon had
8 identified as their phase one wells?

9 A. Yes, sir.

10 Q. And that would be the 15H, the 12H, the 17H and
11 the 16H?

12 A. Yes, sir.

13 Q. That's their Zeus wells?

14 A. Yes, sir.

15 Q. All right. And if I look at the 15H, has that
16 been subsequently proposed by Marathon in the same
17 correlative Bone Spring zone as the Ogden 9H and 10H?

18 A. Yes, sir.

19 Q. And their Zeus 12H and 17H, was that
20 subsequently proposed in the same correlative zone as
21 the 5H and 6H?

22 A. Yes, sir.

23 Q. And then there is the Zeus 16H, which is the
24 other well that they had in their phase one. That's in
25 the same correlative Lower Wolfcamp zone --

1 A. Yes, sir.

2 Q. -- as the 7H and the 8H?

3 A. Yes, sir.

4 Q. Okay. Now, you heard Marathon's attorney
5 indicate that since the April hearing, that they have
6 now amended their applications to mimic the spacing
7 units that BTA initially proposed?

8 A. Yes, sir.

9 Q. Okay. So we have -- if I look at this, we have
10 the same spacing units for the Wolfcamp?

11 A. Yes, sir.

12 Q. And the same spacing units for the Bone
13 Spring --

14 A. Yes, sir.

15 Q. -- between Marathon and BTA?

16 We have the same well orientation, correct,
17 stand-up wells?

18 A. Yes, sir.

19 Q. We have the same well length that's involved?

20 A. Yes, sir.

21 Q. And we have essentially the same target zones
22 for the initial drilling?

23 A. Yes, sir.

24 Q. All right. With that, I want to briefly turn,
25 kind of give a refresher from April, to the pooling

1 application for the spacing unit in the Wolfcamp.

2 That's that 480-acre spacing unit. Okay?

3 A. Okay.

4 MR. FELDEWERT: That involves Case 16024,
5 Mr. Examiner.

6 Q. (BY MR. FELDEWERT) If I look at BTA Exhibit 22,
7 the next exhibit, are these the approved federal permits
8 for the 5H and the 6H in that Wolfcamp Formation?

9 A. Yes, sir. It's just sundries for APDs.

10 Q. I'm sorry. We have approved APDs, right?

11 A. Yes, sir.

12 Q. Okay. And you have since sundried those APDs
13 to reflect the correct acreage allocation --

14 A. Yes, sir.

15 Q. -- for the Wolfcamp?

16 A. Yes, sir.

17 Q. All right. And the correct depth, right?

18 A. Yes, sir.

19 Q. All right. And that's contained now in Exhibit
20 22?

21 A. Yes, sir.

22 Q. So at this point in time, the company could go
23 out and drill these wells if they get a pooling order?

24 A. Yes, sir.

25 Q. You've got everything you need from the federal

1 government?

2 A. Yes, sir.

3 Q. And that would save everybody's lease?

4 A. Yes, sir.

5 Q. Okay. When we talk about the Wolfcamp, what
6 pool is involved?

7 A. The Purple Sage; Wolfcamp Pool.

8 Q. And is that a gas pool?

9 A. Yes, sir.

10 Q. So the Wolfcamp in Eddy County is not an oil
11 pool like it is in Lea County?

12 A. Sorry. Can you repeat that?

13 Q. The Wolfcamp in Eddy County is not an oil pool
14 like it is in Lea County?

15 A. No, sir.

16 Q. And, for example, over here in Eddy County
17 where these wells are located, there is no such thing as
18 a Wolfbone Pool like we see in Lea County?

19 A. No, sir.

20 Q. And are you aware that following a hearing, the
21 Division actually created a separate gas pool for the
22 Wolfcamp Formation in the Eddy County?

23 A. Yes, sir.

24 Q. All right. So when we get over here to Eddy
25 County, the Division does not treat the Bone Spring

1 Formation -- or the lower part of the Bone Spring
2 Formation and the upper part of the Wolfcamp Formation
3 as the same pool like they do over in Lea County with
4 the Wolfbone?

5 A. No, sir.

6 Q. They treat it as two separate sources of
7 supply?

8 A. Yes, sir.

9 Q. All right. Now, if I go to Exhibit Number 2 in
10 our volume, BTA Exhibit Number 2 in the first volume,
11 does this contain a breakdown of the ownership for the
12 acreage that's involved in all of these applications?

13 A. Yes, sir.

14 Q. Okay. I'll call this the west-half acreage,
15 right, the west half of 29 and the west half of the
16 northwest quarter of 32.

17 How many tracts of land are involved in
18 this acreage that's at issue here?

19 A. There are eight tracts.

20 Q. And if I look at the subsequent pages, it
21 provides the ownership breakdown for each tract of this
22 acreage?

23 A. Yes, sir.

24 Q. And if I go to the last page, does this
25 reflect, in the acreage that's involved here in all

1 these consolidated applications, that BTA owns over 70
2 percent of the working interest?

3 A. Yes.

4 Q. And Marathon owns less than 30 percent?

5 A. Yes, sir.

6 Q. Okay. Now, when we turn to the pooling
7 applications for the Bone Spring Formation, it involves
8 this same acreage, but instead of one spacing unit, we
9 have two, right?

10 A. Yes, sir.

11 Q. Because we're dealing with an oil pool in the
12 Bone Spring?

13 A. Yes, sir.

14 MR. FELDEWERT: That involves,
15 Mr. Examiner, Cases 16161 and 16162. That's the Bone
16 Spring cases.

17 Q. (BY MR. FELDEWERT) That involves the 9H and the
18 10H wells; is that right?

19 A. Yes, sir.

20 Q. Those would be the initial wells to form those
21 spacing units?

22 A. Yes, sir.

23 Q. If I go to Exhibit 23 in the other volume, are
24 these the well-proposal letters that were sent out for
25 the 9H and the 10H for these Bone Spring spacing units?

1 A. Yes, sir.

2 **Q. And I guess for the record, what does the**
3 **company seek under each of these applications?**

4 A. To pool the west half of the west half of
5 Section 29 and the west half of the northwest quarter of
6 Section 32 and then the east half of the west half of
7 Section 29 and the east half of the northwest quarter of
8 Section 32.

9 **Q. Okay. Now, we have the same acreage involved**
10 **as we did for the Wolfcamp but a different pool. Did**
11 **you look up the pool for the Bone Spring Formation --**

12 A. Yes.

13 **Q. -- in this area?**

14 A. It's the Culebra Bluff: Bone Spring, South
15 Pool.

16 MR. FELDEWERT: And, Mr. Examiner, that's
17 Pool Code 15011.

18 EXAMINER JONES: Thank you.

19 **Q. (BY MR. FELDEWERT) That's an oil pool, not a**
20 **gas pool?**

21 A. Yes, sir.

22 **Q. Okay. Will the proposed wells comply with the**
23 **setback requirements?**

24 A. Yes, sir.

25 **Q. Has the company actually amended its plans to**

1 take advantage of the passage of the recent horizontal
2 well rules?

3 A. Yes, sir.

4 Q. And will 9 and 10 locate the first take point
5 and the last take point of each of those Bone Spring
6 wells 100 feet off the perpendicular line?

7 A. Yes, sir.

8 Q. Okay. Now, we have the same acreage involved
9 here, but the ownership does shift slightly, correct --

10 A. Yes, sir.

11 Q. -- with these Bone Spring spacing units?

12 A. Yes, sir.

13 Q. And if we look at the west half-west half
14 unit -- so that would be the west half of -- west half
15 of 29 and the west half of the northwest quarter of 32.
16 For that Bone Spring spacing unit, what is BTA's
17 ownership percentage?

18 A. Over 83 percent.

19 Q. Okay. And if we look at the east half of the
20 west half of the Bone Spring spacing units, what's your
21 ownership percentage?

22 A. Over 57 percent.

23 Q. So no matter what spacing unit you're looking
24 at, you have the majority working interest?

25 A. Yes, sir.

1 EXAMINER BROOKS: Could you repeat those
2 percentages, please?

3 MR. FELDEWERT: Sure. For the Wolfcamp
4 spacing unit, it would be over 70 percent.

5 EXAMINER BROOKS: I got the Wolfcamp.

6 MR. FELDEWERT: West half-west half unit?

7 EXAMINER BROOKS: Yeah.

8 Q. (BY MR. FELDEWERT) That would be -- BTA owns
9 over 83 percent; is that right?

10 A. Yes, sir.

11 EXAMINER BROOKS: 83 percent. Okay.

12 Q. (BY MR. FELDEWERT) And then the east half of
13 the west half unit, they would own over 57 percent?

14 A. Yes, sir.

15 EXAMINER BROOKS: 50- --

16 MR. FELDEWERT: -7 percent.

17 EXAMINER BROOKS: Go ahead.

18 Q. (BY MR. FELDEWERT) Now, you seek to pool
19 Marathon's minority interest in this acreage, correct?

20 A. Yes, sir.

21 Q. Are there also other mineral interests that you
22 seek to pool here?

23 A. Override royalty owners.

24 Q. And have you been able to locate addresses for
25 those overrides?

1 A. Yes, sir.

2 Q. And why is that?

3 A. Because we have wells where they have ownership
4 currently.

5 Q. So you have current pay decks?

6 A. Yes, sir.

7 Q. Covering all these overrides?

8 A. Yes, sir.

9 Q. And we'll see later that we provided notice of
10 this hearing to all the overrides?

11 A. Yes, sir.

12 Q. Including some who are here today?

13 A. Yes, sir.

14 Q. And do you anticipate that they will sign the
15 communitization agreement that would be necessary for
16 these spacing units?

17 A. Yes, sir.

18 Q. Now, the well-proposal letters for the Bone
19 Spring units that you sent back in April, they contain
20 an AFE for each of these wells?

21 A. Yes, sir.

22 Q. And are the costs reflected on this AFE
23 consistent with what other operators have incurred for
24 drilling similar Bone Spring wells?

25 A. Yes, sir.

1 Q. With respect to the overhead rates, what does
2 the company request while drilling and also while
3 producing?

4 A. It's 800 and 8,000.

5 Q. And is that consistent with what other
6 operators are charging for these wells in this area?

7 A. Yes, sir.

8 Q. And, in fact, Mewbourne operates wells in the
9 acreage in the south half of Section 32, correct?

10 A. Yes, sir.

11 Q. So if I go back to Exhibit 21, if I move to the
12 south half of 32, that would be acreage where Mewbourne
13 is developing its minerals?

14 A. Yes, sir.

15 Q. And are you partners with Mewbourne down there?

16 A. Yes, sir.

17 Q. And these overhead rates that you have
18 proposed, are they the same overhead rates that
19 Mewbourne is charging for its operations down there
20 where you're a partial interest owner?

21 A. Yes, sir.

22 Q. Now, in April, you discussed the timeline of
23 the efforts that were undertaken by the company to
24 develop its minerals here in Section 29 and in the north
25 half of 32, right?

1 A. Yes, sir.

2 Q. And if you turn to BTA Exhibit 6, does that
3 contain the timeline that we entered into evidence based
4 on your testimony back in April?

5 A. Yes, sir.

6 Q. And that timeline was supported by the emails
7 that are reflected in Exhibit Number 5?

8 A. Yes, sir.

9 Q. Now, we see the first trade discussions with
10 Marathon started in June, right --

11 A. Yes, sir.

12 Q. -- of last year?

13 A. Yes, sir.

14 Q. Prior to that, had the company engaged in
15 efforts to reach an agreement on development of the
16 minerals with Marathon's predecessor?

17 A. Yes, sir.

18 Q. And who was that?

19 A. BC.

20 Q. And when did the company -- when the company
21 approached BC Operating, Marathon's predecessor, about
22 development of the acreage and their plans, what was
23 BC's response?

24 A. They didn't have any issues with the
25 development plan, and they told us to go ahead and move

1 forward.

2 Q. Okay. And at that time, then, did you initiate
3 your permitting for the Wolfcamp wells?

4 A. Yes, sir.

5 Q. And that's why you have federal permits today?

6 A. Yes, sir.

7 Q. And then Marathon acquired the acreage from BC
8 sometime last year. Do you recall when that was?

9 A. I think it was announced in March, and then
10 everything closed in May, I believe.

11 Q. All right. And then you approached Marathon
12 about your development plan, and there was some trade
13 discussions that commenced, correct?

14 A. Yes, sir.

15 Q. And I don't need to go through this again, but
16 I think it's important to remind the Examiners here.

17 What did Marathon tell you after BTA
18 proposed its Wolfcamp wells to them, like they had to BC
19 Operating, back in October of 2017?

20 A. They said that they would either trade acreage
21 or participate in the wells and that we shouldn't have
22 any issues.

23 Q. And that you wouldn't have to go seek a pooling
24 order?

25 A. No, sir.

1 Q. Did you then send them, as this timeline
2 reflects, the joint operating agreement?

3 A. Yes, sir.

4 Q. And did you get any response to your joint
5 operating agreement?

6 A. No, sir.

7 Q. Okay. So what did you do?

8 A. I kept reaching out and asking if they had
9 reviewed the JOA.

10 Q. And did they get back to you on January 9th?

11 A. Yes, sir.

12 Q. And your timeline says, "Marathon represents it
13 will provide an election on the Ogden wells without the
14 need for compulsory pooling"?

15 A. Yes, sir.

16 Q. I want you to go to BTA Exhibit 5, and I want
17 you to go to page 2. At the bottom, I see a January 9th
18 email?

19 A. Yes, sir.

20 Q. All right. And that is from Tate Matthews at
21 Mewbourne?

22 A. Matt Tate, yes.

23 Q. I'm sorry. Matt Tate at Marathon to you,
24 correct?

25 A. Yes, sir.

1 Q. And he indicates he forwarded your email and
2 JOA to Chase Rice?

3 A. Yes, sir.

4 Q. And then he goes on to represent, "We would
5 like to proceed, provide our election prior to BTA
6 having to file an application for compulsory pooling"?

7 A. Yes, sir.

8 Q. And then if I go to the next page, page 3 of
9 Exhibit 5, in the middle, there is an email from
10 Mr. Rice to you?

11 A. Yes, sir.

12 Q. He says he's now handling this area?

13 A. Yes, sir.

14 Q. And he says, I quote, "JOA is out for review,
15 and I hope to have some feedback by the end of the
16 week."

17 A. Yes, sir.

18 Q. Okay. Did you get any feedback by the end of
19 the week?

20 A. No, sir.

21 Q. Next page. I'm sorry. Page 5 of Exhibit 5,
22 did you reach out to them again in February to determine
23 the status of their election and the JOA?

24 A. Yes, sir.

25 Q. And if I look at the bottom of page 5, is there

1 another email from Mr. Rice to you saying that they
2 should have feedback for you sometime today?

3 A. Yes, sir.

4 Q. And that was on February 12th?

5 A. Yes, sir.

6 Q. Did they provide feedback on February 12th?

7 A. No, sir.

8 Q. Did they provide feedback the next day?

9 A. No, sir.

10 Q. What did they do instead of providing feedback
11 on your JOA?

12 A. They sent competing well proposals to us.

13 Q. Okay. And that initiated all these
14 applications and now amended applications by Marathon
15 that are before the Division today?

16 A. Yes, sir.

17 Q. So you started trying to develop your acreage.
18 With Marathon, you started in June of last year --

19 A. Yes, sir.

20 Q. -- over a year ago?

21 And prior to that, you had started with
22 BC Operating?

23 A. Yes, sir.

24 Q. And you had been moving forward with your
25 federal permits, and then Marathon stepped in, and now

1 we've got this matter before the Division?

2 A. Yes, sir.

3 Q. Okay. All right. If I look at this, the last
4 thing on your timeline -- if I look at this timeline,
5 Ms. Beal, BTA is the one that initiated development of
6 its acreage with Marathon's predecessor, right?

7 A. Yes, sir.

8 Q. Was BTA the first to initiate discussions with
9 Marathon about the development of your acreage?

10 A. Yes, sir.

11 Q. And is BTA the first one to formally propose
12 wells to develop on your acreage?

13 A. Yes, sir.

14 EXAMINER BROOKS: Mr. Feldewert, what
15 exhibit is that timeline?

16 MR. FELDEWERT: 6.

17 EXAMINER BROOKS: Thank you.

18 Q. (BY MR. FELDEWERT) And is BTA the first one,
19 then, to file your pooling applications once they
20 proposed the competing well proposals to you?

21 A. Yes, sir.

22 Q. And it's for acreage in which you hold over 70
23 percent of the working interest?

24 A. Yes, sir.

25 Q. Now, if I look at Exhibit 24 -- BTA Exhibit 24,

1 does this organize by case number for the Examiners the
2 wells involved under each case and the spacing unit
3 that's involved?

4 A. Yes, sir.

5 Q. All right. So in other words, on the first
6 page, we have the Wolfcamp wells, your initial
7 development wells, to form that spacing unit?

8 A. Yes, sir.

9 Q. And the second page would contain the spacing
10 unit for the 10H?

11 A. Yes, sir.

12 Q. Which would be the initial well to develop the
13 Bone spacing unit on the east half-east-half acreage?

14 A. Yes, sir.

15 Q. East half-west half acreage. I'm sorry.

16 And then the --

17 MS. BRADFUTE: Michael, I apologize. Which
18 exhibit are you looking at?

19 MR. FELDEWERT: 24.

20 MS. BRADFUTE: 24. Okay. Thank you.

21 Q. (BY MR. FELDEWERT) And then the last page of
22 that exhibit would be the 9H well, which would be the
23 initial proposed well to develop and form the west
24 half-west half Bone Spring spacing unit, right?

25 A. Yes, sir.

1 Q. Okay. Does the company have facilities in
2 place for drilling and completing the proposed well?

3 A. Yes, sir.

4 Q. What's the status with respect to the Wolfcamp
5 wells shown on the first page, the 5H and 6H?

6 A. We have a pad built currently, and we have gas
7 connections, so we are ready to drill today.

8 Q. And you have your permits?

9 A. Yes. And we have our federal permits.

10 Q. Now, with respect to the Bone Spring wells,
11 what's the status on those with respect to your
12 locations?

13 A. We have staked our location, and we have a
14 surface-use agreement currently with the surface owner
15 for the 9 and the 10.

16 Q. And when this pooling order is entered, you
17 will complete your permitting and be able to move
18 forward with the Bone Spring wells?

19 A. Yes, sir.

20 Q. You mention that in addition to the initial
21 wells to develop your Wolfcamp spacing unit and to
22 develop your Bone spacing unit, that you had also
23 proposed infill wells to deal with what you called lease
24 depth-severance issues?

25 A. Yes, sir.

1 Q. What's going on there? What's that all about?

2 A. We proposed those wells so that we could save
3 all of the leases as to, you know, depths to the
4 Wolfcamp D Formation, and we have currently amended our
5 APDs to reflect the right depths and acreage.

6 Q. Okay. Now, if I look at Exhibit 2 -- that's
7 the one that shows all the tracts -- where's the
8 depth-severance issues? What -- what tracts are
9 involved? Or what leases are involved for what tracts
10 that contain these depth-severance concerns?

11 A. It's Tracts 2, 3 and 5, and I believe maybe 4.

12 Q. And these are tracts in which, in some cases,
13 BTA owns all the interests and some cases, Marathon has
14 an ownership?

15 A. Yes, sir.

16 Q. And currently there is no depth severance,
17 right?

18 A. No, sir.

19 Q. But the concern would be -- what could cause a
20 depth severance?

21 A. The lease is expiring without continuances --

22 EXAMINER BROOKS: I'm sorry?

23 THE WITNESS: The lease is expiring without
24 continuous development.

25 Q. (BY MR. FELDEWERT) And is there some 100-foot

1 provision or something?

2 A. Yes, sir, 100 feet below the deepest producing
3 depth.

4 Q. I see.

5 So the 7H and the 8H deeper Wolfcamp wells,
6 they will allow you to hold the -- they are deep enough
7 to allow you to hold the entire Wolfcamp?

8 A. Just 100 feet below the producing depth --

9 Q. Okay.

10 A. -- yes, sir.

11 Q. All right. And that would deal with both BTA
12 and Marathon's lease issues?

13 A. Yes, sir.

14 Q. And if I then go to BTA Exhibit 25 -- so now
15 I'm going to go to BTA Exhibit 25. Does this contain
16 the well-proposal letters for these deeper Wolfcamp
17 wells?

18 A. Yes, sir.

19 Q. And they were sent out, looks like, in April,
20 the same time you sent out your proposals for the Bone
21 Spring wells?

22 A. Yes, sir.

23 Q. And has BTA -- as part of its permitting
24 process, do you have the permits in place to timely
25 drill these wells?

1 A. Yes, sir.

2 Q. And be able to deal with the depth-severance
3 issues?

4 A. Yes, sir.

5 Q. And if I look at -- let's see -- I think
6 Exhibit 26, does that contain the C-102s and then the
7 sundries for the 7H and 8H to allow you to timely
8 develop the Lower Wolfcamp zone?

9 A. Yes, sir. The sundries have been submitted but
10 not approved.

11 Q. Okay. You're waiting on approval for those?

12 A. Yes, sir. But it generally takes two days for
13 a sundry to be approved.

14 Q. For a sundry to be approved?

15 A. Yes, sir.

16 Q. And these will be additional infill wells,
17 then, in the spacing unit that's formed by the 5H and
18 the 6H wells?

19 A. Yes, sir.

20 Q. When does BTA's lease expire?

21 A. BTA's leases expire in April of 2019.

22 Q. Is that before the Marathon leases expire?

23 A. Yes, sir.

24 Q. So BTA has more incentive than Marathon does to
25 get these timely drilled, right?

1 A. Yes, sir.

2 Q. Okay. Given that we're sitting here in July,
3 are you concerned about Marathon's ability to meet your
4 lease obligations if the Division names them the
5 operator of your acreage rather than you-all?

6 A. Yes, sir.

7 Q. What's the concern?

8 A. I do not believe that they can get federal
9 permits in time.

10 Q. How long is it taking now to get federal
11 permits?

12 A. It can take anywhere from nine to 12 months.

13 Q. Okay. But fortunately you got the permits in
14 place to get this done?

15 A. Yes, sir.

16 Q. On acreage in which you own 70 percent?

17 A. Yes, sir.

18 Q. Okay. One other point: We've been dealing
19 with what we'll call the west-half acreage of Section 29
20 and the northwest of 32. Okay?

21 A. Yes, sir.

22 Q. You mention, in April, that BTA is also
23 developing the east half of this acreage?

24 A. Yes, sir.

25 Q. So it would be the east half of 29 and the east

1 half of 32?

2 A. Yes, sir.

3 Q. And I think at the time you testified that you
4 were waiting on approval of a nonstandard spacing unit
5 to allow you to form a 480 Wolfcamp on that east side?

6 A. Yes, sir.

7 Q. Have you received that administrative order?

8 A. Yes, sir.

9 Q. Is that marked as BTA Exhibit 27?

10 A. Yes, sir.

11 Q. And does Exhibit 27 contain Administrative
12 Order NSP 2101?

13 A. Yes, sir.

14 Q. And that, therefore, has allowed you to form a
15 Wolfcamp spacing unit on the east half of this acreage
16 that mirrors the spacing unit you seek to form with your
17 pooling orders for the west half?

18 A. Yes, sir.

19 Q. It references two wells here, the 1H and the
20 2H?

21 A. Yes, sir.

22 Q. What's the -- if I turn to Exhibit 28, is this
23 a plat of that east-half-acreage development?

24 A. Yes, sir.

25 Q. Okay. So this is right next door to the

1 **acreage that's involved for pooling?**

2 A. Yes, sir.

3 **Q. Okay. And what's the status -- does this**
4 **reflect the status the 1H -- the drilling of the 1H and**
5 **the 2H?**

6 A. Yes, sir.

7 **Q. What's the status of that?**

8 A. We have begun drilling both the 1H and the 2H.

9 EXAMINER BROOKS: You say you have or you
10 haven't?

11 THE WITNESS: We have, yes. We spud the 2H
12 on June 23rd, and we spud the 1H on July 7th.

13 **Q. (BY MR. FELDEWERT) So the company is actually**
14 **drilling on this east-half acreage in a Wolfcamp spacing**
15 **unit that mirrors the spacing unit you seek to be pooled**
16 **here today?**

17 A. Yes, sir.

18 **Q. And like the west-half acreage, does BTA own a**
19 **majority interest in the east-half acreage?**

20 A. Yes, sir.

21 **Q. But do you own 100 percent?**

22 A. No, sir.

23 **Q. Is there another interest owner involved?**

24 A. Yes, sir.

25 **Q. Who is that?**

1 A. MRC Permian.

2 Q. Okay. And are they participating in your
3 development plan?

4 A. Yes, sir.

5 Q. And did MRC raise any objection to developing,
6 for example, the Wolfcamp gas pool independent of the
7 Bone Spring oil pool?

8 A. No, sir.

9 Q. Now, just to make it clear, why has BTA
10 commenced development of this acreage with
11 one-and-a-half-mile wells? Why not two-mile wells?

12 A. Because Mewbourne owns the acreage in the south
13 half of Section 32, and they are developing it. And
14 they have already drilled one-mile wells going
15 east-west, and so the only length we could drill was a
16 mile-and-a-half.

17 Q. Okay. And under your plan now with complete
18 development then -- or that'll -- that'll allow to form
19 the spacing units necessary for further development in
20 29 and 32?

21 A. Yes, sir.

22 Q. And not leave any acreage out of the spacing
23 unit?

24 A. Yes, sir.

25 Q. Okay. How many rigs does the company have

1 running in the Delaware in New Mexico?

2 A. Two rigs.

3 Q. And are they going to be available over the
4 next six months to drill the 5H and the 6H wells to
5 initially form the Wolfcamp spacing unit?

6 A. Yes, sir.

7 Q. And will they be available to develop the 7H
8 and the 8H as infill wells and Wolfcamp spacing unit to
9 hold those leases?

10 A. Yes, sir.

11 Q. Okay. If I turn to BTA Exhibit 29, is this an
12 affidavit prepared by my office with the attached letter
13 providing notice of this hearing to Marathon?

14 A. Yes, sir.

15 Q. And did it also -- does it also reflect that
16 you provide notice of this hearing to the overriding
17 interest owners?

18 A. Yes, sir.

19 Q. And all of those overriding royalty interest
20 owners received notice, and we did have a valid address?

21 A. (Indicating.)

22 Q. Finally, I know we have at least one overriding
23 royalty interest owner here today, but if I turn to BTA
24 Exhibit 30, is this a letter that was sent to the
25 Division by a group of overriding royalty interest

1 owners in the acreage where you own 70 percent?

2 A. Yes, sir.

3 Q. And do they support BTA's initial development
4 plans?

5 A. Yes, sir.

6 MR. FELDEWERT: Mr. Examiner, I would move
7 the admission into evidence of BTA Exhibits 21 through
8 30.

9 MS. BRADFUTE: No objection.

10 MR. BRUCE: No objection.

11 MR. FELDEWERT: And that completes my
12 examination of this witness.

13 EXAMINER JONES: Exhibits 21 through 30 for
14 BTA are admitted.

15 And these are for all three cases?

16 MR. FELDEWERT: Yes, sir.

17 (BTA Oil Producers, LLC Exhibit Numbers 21
18 through 30 are offered and admitted into
19 evidence.)

20 MS. BRADFUTE: I'll let Jim go.

21 MR. BRUCE: Couple of questions.

22 CROSS-EXAMINATION

23 BY MR. BRUCE:

24 Q. I notice the wells are Fed Com. Is there both
25 federal and fee minerals in these well units?

1 A. Yes, sir. There is also state.

2 Q. And also state.

3 A. Yes, sir.

4 Q. And I notice that you said you had some
5 surface-use agreements. Is there a similar mix of
6 surface ownership, or is it all fee surface land?

7 A. It's also a mix.

8 Q. Okay.

9 A. Yes, sir.

10 EXAMINER BROOKS: I'm sorry. I didn't
11 hear.

12 THE WITNESS: It's a mix between fee and
13 state.

14 EXAMINER BROOKS: Thank you.

15 THE WITNESS: Yes, sir.

16 Q. (BY MR. BRUCE) So besides the BLM permitting
17 process, you've had to go out and obtain surface-use
18 agreements from the surface owners out there?

19 A. Yes, sir.

20 Q. And that's time-consuming also, isn't it?

21 A. Yes, sir.

22 Q. Too time-consuming?

23 A. Yes, sir.

24 Q. And then somewhere in your exhibits, I thought
25 I saw a lease from Pardue. Was that in this, or was it

1 **somewhere else?**

2 A. I'm not sure which exhibit it is, but there is
3 a lease, yes, the Marathon lease.

4 **Q. And that's one of the leases -- Pardue is a**
5 **well-known mineral owner down there, aren't they?**

6 A. Yes.

7 **Q. And they always have two clauses in their**
8 **leases?**

9 A. Yes, sir.

10 **Q. And that's where the future depth severance may**
11 **arise?**

12 A. Yes, sir.

13 **Q. And so you have to have continuous drilling.**
14 **Otherwise, a lot of your acreage -- certain depths would**
15 **lapse, correct?**

16 A. Yes, sir.

17 **Q. Thank you. That's all I have.**

18 MR. FELDEWERT: I think that was Exhibit
19 18.

20 MR. BRUCE: 18.

21 CROSS-EXAMINATION

22 BY MS. BRADFUTE:

23 **Q. Good morning, Ms. Beal. How are you?**

24 A. I'm good. How are you?

25 **Q. I'm doing good. Thanks.**

1 I'm going to turn to your lease tract map.

2 A. It's 23.

3 Q. Thank you. I'm dealing with two notebooks.

4 Ms. Beal, is it correct that Marathon owns
5 100 percent of the working interest in Tracts 4 and 5 in
6 your lease tract map?

7 A. Yes, ma'am.

8 Q. I believe that's consistent with your prior
9 testimony.

10 I want to briefly -- I'll come back to that
11 issue. But I want to briefly talk about your timeline
12 in Exhibit Number 6, and I want to focus on the January
13 22nd, 2018 date. BTA was contacted by Marathon on
14 January 22nd or around January 22nd indicating that
15 Marathon had concerns about the proposed AFE costs for
16 the 5H and the 6H wells, correct?

17 A. Yes, ma'am.

18 Q. Okay. And so BTA was aware in January of 2018
19 that Marathon was still evaluating the proposals and
20 did, in fact, have questions about those proposals and
21 had not yet decided to elect to participate?

22 A. Yes, ma'am.

23 Q. In fact, didn't BTA, following this January
24 22nd date, have a phone call with Marathon to discuss
25 some of those concerns?

1 A. Yes, ma'am.

2 Q. And did Willis Price from BTA then meet with
3 Marathon to further discuss some development options?

4 A. Yes, ma'am.

5 Q. So BTA was aware of the fact that Marathon was
6 expressing concerns and that the well proposals were
7 still under review within the Marathon system, correct?

8 A. Yes, ma'am.

9 Q. Had BTA entered into any sort of written
10 agreement with BC Operating for the development of the
11 acreage?

12 A. No, ma'am.

13 Q. So it had not entered into any sort of joint
14 operating agreement with BC Operating?

15 A. No, ma'am.

16 Q. And it had not entered into any sort of
17 execution agreement for the development of the acreage;
18 is that correct?

19 A. That would not be possible unless the well was
20 producing, so no.

21 Q. Exactly. Good point of clarification.

22 And BC Operating similarly has not -- I'm
23 sorry. BTA has similarly not entered into any sort of
24 written agreement with Marathon for the development of
25 the acreage, correct?

1 A. No, ma'am.

2 Q. So Marathon's interest within Tracts 4 and 5
3 have not been voluntarily committed to the development
4 plan?

5 A. No, ma'am.

6 Q. And that's why we're here today, right?

7 A. Yes, ma'am.

8 Q. If you could now -- I want to flip to Exhibit
9 Number 22 in BTA's binder -- new exhibits binder. And
10 this exhibit contains both an approved sundry for the 5H
11 well, as well as -- and the 6H well, as well as some
12 C-102 plans, correct?

13 A. Yes, ma'am.

14 Q. Okay. And for the 5H well, it looks like a
15 C-102 was submitted on the 22nd or at least signed by
16 surveyor on the 22nd of January -- February 2017,
17 correct?

18 A. Yes, ma'am.

19 Q. On the C-102 form, there is an operator
20 certification provision, correct?

21 A. Yes, ma'am.

22 Q. Can you read what that certification provides?

23 A. The "I hereby certify"?

24 Q. Yeah.

25 A. "I hereby certify that the information herein

1 is true and complete to the best of my knowledge and
2 belief, and that this organization either owns a working
3 interest or unleased mineral interest in the land
4 including the proposed bottom hole location or has a
5 right to drill this well at this location pursuant to a
6 contract with an owner of such mineral or working
7 interest, or to a voluntary pooling agreement or a
8 compulsory pooling order heretofore entered by the
9 division."

10 Q. Okay. So at the time this C-102 form was
11 submitted to the Division, BTA did not have any sort of
12 voluntary agreement in place to drill its lateral
13 through Tracts 4 and 5, correct?

14 MR. FELDEWERT: Object to the form of the
15 question.

16 This is February of 2017?

17 MS. BRADFUTE: Yeah, February 2017. Yes.

18 Q. (BY MS. BRADFUTE) When this was submitted, you
19 didn't have a voluntary agreement with Marathon, right,
20 in place before you submitted --

21 MR. FELDEWERT: With Marathon or BC?

22 MS. BRADFUTE: With BC.

23 THE WITNESS: No, ma'am.

24 Q. (BY MS. BRADFUTE) Okay. And if you turn two
25 further pages in, there is a C-102 form for the 6H well,

1 correct?

2 A. Yes, ma'am.

3 Q. And it looks like it's executed, signed by
4 Kathy Reynold?

5 A. Katy Reddell.

6 Q. Thank you. Katy Reddell.

7 And it looks like the date the surveyor
8 certification was made is February 19th, 2018; is that
9 correct?

10 A. Yes, ma'am.

11 Q. Okay. And at that point in time, you did not
12 have an agreement in place with Marathon, correct?

13 A. No, ma'am.

14 Q. Okay. To voluntarily commit the tracts?

15 EXAMINER BROOKS: Which is this one you're
16 looking at?

17 MS. BRADFUTE: It is in the same exhibit,
18 David. It's two pages in, if you flip two pages.

19 EXAMINER BROOKS: Okay. It's part of
20 Exhibit 22. I see it.

21 It appears -- that operator certification
22 appears to be signed on this one. It does not appear to
23 be signed on the one of the 5H; is that correct?

24 MS. BRADFUTE: That -- well, it looks like
25 an electronic signature on 5H, but the witness can

1 answer.

2 EXAMINER BROOKS: Oh, maybe it is. Those
3 are things that came into being after I got too old to
4 learn new things.

5 (Laughter.)

6 Q. (BY MS. BRADFUTE) And, Ms. Beal, that's a good
7 point of clarification. The C-102 for the 5H well was
8 submitted to the district office, correct?

9 A. Yes, ma'am.

10 Q. So BTA Operating moved forward with submitting
11 the C-102s before it had voluntary agreements in place
12 for the development of the acreage, correct?

13 A. BTA Oil, yes.

14 Q. BTA Oil. I apologize. BC and BTA, I'm
15 confusing them in my questions.

16 But BTA did -- did proceed with filing
17 C-102s, starting to move forward in the development
18 process before it had any voluntary commitment for
19 Tracts 4 and 5?

20 A. Any written, yes.

21 Q. Any written.

22 And as everyone knows, you don't have the
23 commitment that you need to drill a well until you get a
24 written voluntary agreement in place with the other
25 operators, working interests within the proposed area,

1 correct?

2 A. Yes, ma'am.

3 Q. I want to turn to Exhibit Number 24 and talk
4 about the order that you're going to be completing these
5 wells in. You kind of walked through with Mr. Feldewert
6 the order that these wells are going to be drilled, so I
7 want to look at the first page. And this diagram in the
8 first page of Exhibit 24 shows the 6H well and the 5H
9 well, correct?

10 A. Yes, ma'am.

11 Q. Okay. And these are going to be BTA's Upper
12 Wolfcamp wells?

13 A. Wolfcamp Sand wells, yes, ma'am.

14 Q. Okay. Wolfcamp Sand wells.

15 And I believe the prior testimony was that
16 these are X-Y wells?

17 A. Yes, ma'am. We call it A-B, but yes, ma'am.

18 Q. Okay. When will these wells be drilled?

19 A. As soon as this is decided, that's when we
20 would drill.

21 Q. So you'd go ahead and drill.

22 And when will these two wells be completed?

23 A. I could not tell you that.

24 Q. Okay. So you don't know when they're going to
25 be completed?

1 A. No, ma'am. I do not make those decisions.

2 Q. Okay. Previously, I believe your testimony was
3 that BTA is requesting additional time to conduct its
4 completion operations for these wells?

5 A. Yes, ma'am.

6 Q. And it had requested 180 days?

7 A. Yes, ma'am.

8 Q. Okay. But you don't know when these wells will
9 be completed, but you definitely need at least 180 days
10 after -- after an order is approved to complete -- or
11 after the wells are drilled to complete them?

12 A. That is also not my decision.

13 Q. Okay. So let's flip to the next page of this
14 exhibit and --

15 EXAMINER BROOKS: Are you talking about
16 Exhibit 24?

17 MS. BRADFUTE: Yes, the second page of
18 Exhibit 24.

19 EXAMINER BROOKS: Okay. Thank you.

20 Q. (BY MS. BRADFUTE) And the top of this page is
21 entitled "Case Number 16162," correct?

22 A. Yes, ma'am.

23 Q. And it shows the diagram for the 10H well?

24 A. Yes, ma'am.

25 Q. This is going to be a 3rd Bone Spring Sand

1 well, correct?

2 A. Yes, ma'am.

3 Q. And when will this well be drilled?

4 A. I do not know.

5 Q. You don't know?

6 A. No.

7 Q. Okay. Do you know when this well will be
8 completed?

9 A. I do not know.

10 Q. Okay. Has BTA discussed any completion
11 operations for these 3rd Bone Spring Sand wells that
12 you've been involved in?

13 A. I do not know.

14 Q. Okay. So you have not been involved in any
15 completion discussions for the 10H well?

16 A. No.

17 Q. As far as the timing goes?

18 A. No.

19 Q. If you could turn to the next page of this
20 exhibit, and the caption on this diagram is "Case Number
21 16161." Is this document a diagram for the 9H well?

22 A. Yes, ma'am.

23 Q. And the 9H well is also going to be a 3rd Bone
24 Spring Sand well, correct?

25 A. Yes.

1 Q. And do you know when this well will be drilled?

2 A. I do not know.

3 Q. Okay. And, likewise, do you know when this
4 well will be completed?

5 A. No, ma'am.

6 Q. Have you been involved in any discussions as to
7 when the 3rd Bone Spring Sand wells will actually be
8 drilled?

9 A. It's dependent on the outcome of the cases, and
10 we have a year to drill them after that. So I would
11 assume that's when we would drill them, within that
12 period.

13 Q. Okay. So it would be within a year after you
14 receive an order from the Division on the 9H and the 10H
15 wells?

16 A. Yes.

17 Q. Okay. But your intent is to drill the 5H and
18 the 6H as soon as possible?

19 A. Yes, ma'am.

20 Q. Where are you in the permitting process for
21 these 3rd Bone Spring Sand wells, the 10H and the 9H
22 wells?

23 A. We have started putting together the
24 documentation, but we have not submitted anything.

25 Q. Okay. You haven't submitted anything yet to

1 **the BLM?**

2 A. No, because we cannot. So -- we would like to
3 submit these the correct way, until this case is decided
4 on.

5 **Q. And what do you mean you cannot submit these**
6 **APDs yet?**

7 A. We have to wait until this hearing is over and
8 a decision made before we will submit them.

9 **Q. Okay. And that's pursuant to the Division's**
10 **requirements?**

11 A. I don't know.

12 **Q. You don't know.**

13 **Okay. But you did submit APDs for the**
14 **Wolfcamp wells, right?**

15 A. Yes.

16 **Q. Okay. And the indication there is that you did**
17 **that incorrectly and kind of jumped the gun?**

18 MR. FELDEWERT: Object to the form of the
19 question.

20 MS. BRADFUTE: Okay. Well, the witness
21 testified that submitting the APDs for the Bone Spring
22 wells would be incorrect at this point in time because
23 they need a pooling order.

24 MR. FELDEWERT: Because Marathon has
25 objected.

1 MS. BRADFUTE: Well, yes, but there was no
2 signed agreement to the other one.

3 MR. FELDEWERT: Didn't have a signed
4 agreement, but BC said move forward, so they did.

5 EXAMINER BROOKS: I think we understand the
6 point that is being made. The witness can testify --
7 the witness' testimony should be limited to the form in
8 which they were submitted and not a judgment to whether
9 it's incorrect or correct because that's a judgment for
10 the decision-maker.

11 MS. BRADFUTE: Understood.

12 Q. (BY MS. BRADFUTE) So, Ms. Beal, what
13 information has BTA selected for the APDs that will
14 eventually be submitted for the 9H and the 10H wells?

15 A. All the information that's in the well
16 proposals and on the AFEs.

17 Q. Okay. Have you done any further analysis or
18 started to compile your APD forms --

19 A. Yes.

20 Q. -- to prepare this submission?

21 A. Yes.

22 Q. Okay. What have you done?

23 A. I don't personally put them together, so that
24 would be a question for a regulatory person.

25 Q. Okay. And do you specifically -- do you have

1 any personal knowledge as to what has been done to put
2 those APD applications together?

3 A. No. I just know that we have started the
4 process because I have sent the information to our
5 regulatory employee, and she has started working on
6 putting the information together.

7 Q. Okay. So based on your prior testimony, is it
8 your understanding it's taking the BLM at least nine
9 months to approve APDs?

10 A. Yes, ma'am.

11 Q. So it would -- is it your opinion that it would
12 take the BLM approximately nine months to approve the
13 APDs for 9H and 10H wells?

14 A. Yes, ma'am.

15 Q. You testified earlier this morning that MRC
16 Permian owns a percentage within the east half of
17 Section 29 and the east half of -- or within the
18 northeast quarter of Section 32, correct?

19 A. They just own an interest in Section 29.

20 Q. Okay. What is -- what is their percentage of
21 interest?

22 A. They own 80 net acres within the unit.

23 Q. 80 net acres.

24 And what percentage of interest would they
25 have in BTA's proposed spacing unit for the east half of

1 **29 and the northeast quarter of 32?**

2 A. I would have to calculate that, but I think
3 it's around -- I don't know. I would have to -- but
4 it's much -- I don't know.

5 **Q. Do you know approximately?**

6 A. I don't know.

7 **Q. Okay. But it's just 80 net acres?**

8 A. Yes, within the 480.

9 **Q. So it's a fairly small interest?**

10 A. Yes, ma'am.

11 **Q. Ms. Beal, would you have any knowledge about**
12 **well disposal agreements that are in place for the**
13 **wells?**

14 A. Well disposals?

15 **Q. Yeah. Whether you have any --**

16 A. Of saltwater?

17 **Q. -- saltwater disposal, wastewater disposal**
18 **agreements in place.**

19 A. Yes, ma'am.

20 **Q. You do?**

21 A. Yes, ma'am.

22 **Q. Okay. And when were those entered into?**

23 A. I'm not sure of the exact date, but it was
24 before I started working at BTA, so over a year and a
25 half ago.

1 **Q. Okay. Okay. And are you aware of any**
2 **transportation agreements for oil production that BTA**
3 **has entered into for this acreage?**

4 A. I do not know.

5 **Q. Okay. I want to briefly talk about the**
6 **timeline for the Bone Spring well proposals.**

7 EXAMINER BROOKS: And that is exhibit what?

8 MS. BRADFUTE: You know, I don't think that
9 BTA entered an exhibit for the timeline on the --

10 EXAMINER BROOKS: 6?

11 MS. BRADFUTE: -- Bone Spring proposals.

12 EXAMINER BROOKS: Oh, the Bone Spring.

13 MS. BRADFUTE: Yeah.

14 MR. FELDEWERT: I think it's on the
15 timeline.

16 THE WITNESS: It is on the timeline.

17 MS. BRADFUTE: Okay. So we can look at
18 Exhibit 6.

19 **Q. (BY MS. BRADFUTE) Ms. Beal, when did BTA**
20 **propose -- first propose its 9H and 10H wells?**

21 A. April 10th.

22 **Q. Okay. And when did Marathon propose its 1st**
23 **Bone Spring well to BTA that's going located within this**
24 **acreage?**

25 A. Its 1st Bone Spring well?

1 Q. Yeah.

2 A. February 19th.

3 Q. Okay. So Marathon was the first operator to
4 the proposed Bone Spring development within the spacing
5 unit, correct?

6 A. Yes, ma'am.

7 Q. Okay. And following the receipt of Marathon's
8 well proposal for the Bone Spring Formation in February
9 of 2018, how did BTA respond to that proposal?

10 A. To Marathon's initial proposal?

11 Q. Yes.

12 A. We filed for a compulsory pooling.

13 Q. Okay. So the response was to file for pooling?

14 A. Yes.

15 Q. Okay. So did BTA engage in any sort of
16 negotiations concerning Marathon's development plans for
17 the Bone Spring Formation before it filed for pooling?

18 A. I know that when Willis met with Marathon,
19 there was a discussion of letting Marathon develop the
20 Bone Spring and we develop the Wolfcamp.

21 Q. So is the Bone Spring Formation BTA's primary
22 target within these spacing units within the development
23 area?

24 A. It will not be our initial wells.

25 Q. Okay. Thank you, Ms. Beal. I think that

1 concludes my questions.

2 EXAMINER JONES: Mr. Brooks?

3 EXAMINER BROOKS: You want me to go first?

4 CROSS-EXAMINATION

5 BY EXAMINER BROOKS:

6 Q. Let me see what I can do here.

7 Good morning, Ms. Beal.

8 A. Good morning.

9 Q. Did you have a chance to mention my name to
10 your grandfather?

11 A. I did.

12 Q. Does he remember me?

13 A. He does.

14 Q. Well --

15 MR. FELDEWERT: You don't want to know what
16 he said.

17 (Laughter.)

18 EXAMINER BROOKS: I don't want to know what
19 he said (laughter). It's like the hearing examiner for
20 the Water -- no -- for the State Engineer who was asked
21 at the seminar about how he wanted the attorneys to
22 address him. And he said, "I don't care so much what
23 they call me at the hearing as I do what they call me
24 after the hearing."

25 (Laughter.)

1 Q. (BY EXAMINER BROOKS) Okay. Well, I don't know
2 that I followed all of that, but -- let's see. The
3 first wells you're going to drill are the #5 and the #6
4 that are in the Wolfcamp; is that right?

5 A. Yes, sir.

6 Q. And then what is the schedule after that, or do
7 you know?

8 A. We would want to save the deep rights.

9 Q. Pardon me?

10 A. We would want to save the deep rights. So I'm
11 not sure, but my assumption would be that we would drill
12 the 7H and the 8H next.

13 Q. Okay. So the 7H and the 8H would be on the
14 schedule early, but you don't know when they would be
15 drilled --

16 A. No, sir.

17 Q. -- or you don't know in what order?

18 Would they be the next after the 5 and 6,
19 or do you think that's just a possibility?

20 A. I would think so, but I'm not sure. I don't --
21 I don't set the drilling schedule, so --

22 Q. You're not the person who sets the drilling
23 schedule.

24 A. And it changes frequently.

25 Q. Yeah. Okay.

1 Let me go to the tract map. That's what I
2 need to ask you about. And that was Exhibit 2, I
3 believe, in BTA's notebook.

4 MR. FELDEWERT: Yes, sir.

5 Q. (BY EXAMINER BROOKS) Now, the second exhibit
6 page of Exhibit 2 has an ownership breakdown by tract?

7 A. Yes, sir.

8 Q. And is that for both the Wolfcamp and the Bone
9 Spring, or are there differences?

10 A. There are no differences.

11 Q. There are no differences. Okay.

12 A. No, sir.

13 Q. And this has not changed since the prior
14 hearing?

15 A. No, sir.

16 Q. So BTA owns 100 percent in Tracts 1 and 2 and
17 also in Tracts 6, 7 and 8. Marathon owns 100 percent in
18 4, and BTA and -- 4 and 5, right?

19 A. Marathon in 4 and 5, yes, sir.

20 Q. And BTA and Marathon are co-owners in Tract 3?

21 A. Yes, sir.

22 Q. Now, explain this depth severance issue to me
23 because I didn't follow it in the direct testimony, and
24 I don't remember what was said at the previous hearing.

25 A. In both our leases and at least one of

1 Marathon's larger lease, there is a Pugh clause as to
2 depths, and the depths 100 feet below the producing
3 depth will expire if there is not continuous development
4 after the expiration of the primary term of the lease.

5 **Q. And this is in the Wolfcamp?**

6 A. It's anywhere. So if we -- whatever depth we
7 drill to, 100 feet below that, if we don't drill those
8 depths, they will expire. So if we drilled just the
9 Bone Spring, everything else will expire.

10 **Q. But if you drill through the Bone Spring into**
11 **the Wolfcamp, you get to keep the Bone Spring even**
12 **though --**

13 A. Yes, sir.

14 **Q. -- even if you don't complete the Bone Spring?**

15 A. Yes, sir.

16 **Q. Okay. Now, this applies to what tracts?**

17 A. So this is Tracts 2, 3 and 5 and maybe 4.
18 I can't remember.

19 **Q. Okay. And that would probably influence your**
20 **schedule of drilling Wolfcamp first, right?**

21 A. Yes, sir.

22 **Q. And of course also playing into that, 5 and 6**
23 **are where in your depth picture? You had that -- you**
24 **had that on Exhibit 2 -- on Exhibit 21, I believe.**

25 A. Yes, sir. It's in between --

1 Q. Yeah. They are shallow because they're only --
2 I mean shallow compared to the -- they're in the shallow
3 part of the Wolfcamp?

4 A. Yes, sir.

5 Q. Okay. So the 7 and 8 are the wells you're
6 going to be relying on to develop all -- to earn all
7 your acreage?

8 A. Yes, sir.

9 Q. Okay. And you don't know when those will be
10 drilled?

11 A. No, sir. I just know that we will drill them
12 to save our depth and our leases.

13 Q. Okay. When does the -- when does your right to
14 drill those expire?

15 A. Our right to drill?

16 Q. Well, your right to the acreage.

17 A. So our leases expire in April of 2019.

18 Q. April.

19 And you have a right to earn the bottom of
20 the -- to the bottom of the Wolfcamp anytime up to the
21 expiration of the leases in April?

22 A. Yes. There is also a continuous development
23 with that. So if we continuously develop this acreage,
24 it extends that as long as we are drilling wells.

25 Q. And what is the time period on the continuing

1 development clause?

2 A. I think it's 120 days.

3 Q. From the -- from the completion or from what
4 stage?

5 A. I would have to look back at the clause. I
6 can't remember exactly.

7 Q. Those schedules have kind of gotten confusing
8 to me because unlike was the custom in horizontal -- in
9 vertical wells and some of these horizontal wells, there
10 are often long delays between drilling and completion.
11 But that's a whole other issue. I'm just trying to
12 flesh out what you know about it.

13 Okay. Now, there was some talk about
14 federal permits. All of these wells are permitted as
15 federal wells, right?

16 A. Yes, sir.

17 Q. And you have the permits on 5, 6, 7 and H
18 [sic]?

19 A. 7H and 8H.

20 Q. 7 and 8H.

21 A. Yes, sir.

22 Q. The question then would be if those permits
23 have been approved by OCD. And I don't know that OCD
24 does anything specific to approve them, although I'm not
25 really aware of the procedure, but we have always been

1 very jealous of our claim to a right to do that.
2 Whether we have it or not maybe is something Judge
3 Kavanaugh could address.

4 MR. FELDEWERT: That's right.

5 (Laughter.)

6 Q. (BY EXAMINER BROOKS) But do you know if there
7 has been any actual approval of these permits by the
8 OCD?

9 A. By the OCD? I know that the permits have been
10 submitted to the OCD and they've been stamped. It
11 takes, I think, a little while for the BLM to get the
12 sundries to the OCD for those to get stamped.

13 Q. Okay. Yeah. Have there been API numbers
14 issued for those wells?

15 A. Yes, sir. I believe so.

16 Q. Okay. I think that's usually -- the district
17 office considers that they've approved them when they
18 issue an API number, but there is no -- there is no rule
19 on that. But apparently the issue -- the technical
20 issue was raised that some of these APDs were filed when
21 you did not have permission, as you probably still do
22 not from Marathon, to drill across their acreage, right?

23 A. Yes, sir.

24 Q. But if this Division grants a compulsory
25 pooling order, you will have that permission --

1 A. Yes, sir.

2 Q. -- from us?

3 Okay. Can a federal APD be transferred to
4 another operator?

5 A. I do not know that.

6 Q. Neither do I.

7 A. But I think it can be.

8 Q. Well, I will attempt to find that out from
9 someone who knows at some point in time, but perhaps if
10 any of the witnesses know a person who knows that they
11 know, I can ask them the question, because I know not
12 and I know that I know not.

13 Now, there was some talk about surface-use
14 agreements, which I'm in the habit of calling SUCAs
15 [sic], as are some other people. For which wells do you
16 have SUCAs?

17 A. So for everything that we're drilling from the
18 south is on state lands, so we have approval to build
19 pads. And then on the 9 and the 10H that we're drilling
20 from the north, we have a surface-use agreement in place
21 for both of those wells as well.

22 Q. Okay. So that's all the wells you're planning
23 to drill in the initial phase?

24 A. Yes, sir.

25 Q. Now, you said something about -- testified to

1 something that you cannot have -- you can get a com
2 agreement unless you have a producing well? Is that
3 your understanding?

4 A. Yes, sir, from the BLM.

5 Q. Oh, from the BLM.

6 A. Yes, sir.

7 Q. Not necessarily from the SLO?

8 A. I'm not sure about the SLO.

9 Q. I wasn't sure about it either, frankly. But
10 that's something that is giving us some headaches
11 presently with the new horizontal well rule. But that's
12 not involved in this. I just wanted to know what you
13 know about it, so thank you.

14 I think that's all I have.

15 CROSS-EXAMINATION

16 BY EXAMINER JONES:

17 Q. I was thinking the same thing Mr. Brooks was,
18 that I know I don't know a lot of stuff here. I'm
19 trying to remember it from April 24th, but I was in a
20 meeting all day yesterday, and it's hard to do. I'll
21 just try to blurt out a few things here.

22 The new horizontal well rules allows you to
23 do the 100 feet from the end line of the toe and the
24 heel. Are you planning on doing that with your wells?

25 A. Yes, sir, for the Bone Spring wells.

1 Q. For the Bone Spring?

2 A. Bone Spring. I think that's -- I think that's
3 where you can do it, for the Bone Spring wells.

4 Q. Okay. Because Purple Sage, we've got it
5 excluded from the -- they wanted it to be excluded, for
6 some reason, from the rule. Now I'm getting phone calls
7 (laughter).

8 MR. FELDEWERT: Yup. Yup.

9 EXAMINER JONES: That's interesting.

10 Q. (BY EXAMINER JONES) So you would be faced with
11 getting a nonstandard location if you wanted to actually
12 apply for a closer -- on the Wolfcamp in this area.

13 Why did you drill from the north on the
14 Bone Spring?

15 A. Why are we drilling from the north? You know,
16 I'm not really sure, honestly, why we are.

17 Q. Does it have to do with how many previously
18 approved surface-use agreements that were limited in
19 size that you can't expand them to drill another well
20 and so you -- because that's federal acreage on the
21 south; is that correct?

22 A. So it's state acreage. Where we're drilling
23 from is our two state leases.

24 Q. Two state leases, yeah.

25 A. Yes, sir.

1 Q. Oh, they have their commercial lease
2 agreements, though, but I guess you're drilling into
3 state minerals --

4 A. Yes, sir.

5 Q. -- so I thought they forgave you on that.

6 MR. FELDEWERT: Mr. Examiner, I know we're
7 going to have another witness. I just checked with him
8 on that. It's pretty tight down there.

9 THE WITNESS: Yeah. So I think what -- I
10 think what happened, essentially, is there is just
11 issues with surface locations because there is an
12 irrigation ditch in the south. And so --

13 Q. (BY EXAMINER JONES) Yeah, I saw that. I was
14 going to ask you. Thanks for reminding me, this
15 Carlsbad Irrigation Ditch. And that seems to be the
16 boundary between Tract 4 and Tract 3, is that right, the
17 irrigation ditch -- the current position of the
18 irrigation ditch?

19 A. Yes, sir. I assume there is an irrigation
20 ditch up there, too, and then I think there is one in
21 the north half of Section 32, which limits surface
22 locations to drill wells, and I think why we're not
23 drilling everything from the south.

24 Q. Oh, maybe that had an influence on it.

25 Would that -- so you're pretty sure of the

1 acreages in all these tracts? That wouldn't change if
2 that -- I guess nothing's going to happen to that ditch.

3 A. No, sir.

4 Q. And that might not be a reason your tracts are
5 defined for -- that five acres is what I'm kind of
6 wondering about.

7 A. Generally a tract is defined by a deed and then
8 it carries through time. That way.

9 Q. Okay. The depth severance, Mr. Brooks has
10 hashed it out quite a bit. But I know there was some
11 testimony from Marathon's engineer about the lower part
12 of the Wolfcamp being pretty -- maybe more gassy, but
13 pretty decent as far as potential. So -- but you're
14 planning these two infill wells on the Wolfcamp to go
15 down deeper to save some acreage that is going to expire
16 due to a vertical Pugh clause?

17 A. Yes, sir.

18 Q. And you had to pick a depth, and so you
19 didn't -- how did you decide -- I guess I can talk to
20 the other witnesses about that. But when you pick that
21 depth, does that mean that Pugh clause is actually going
22 to move down and it's going to expire below that?

23 A. Yes, sir. It will expire below that.

24 Q. Okay. At what time will that happen? Years
25 later, or is it pretty quick here?

1 A. I think after the expiration of the continuous
2 development.

3 Q. Okay.

4 A. So if we continuously develop, it extends it
5 out. Yes.

6 Q. Okay. So before I forget to ask, the 7H and
7 8H, I don't see them as part of your advertisement on
8 Case 16024 as being compulsory pooled wells here. Are
9 you satisfied that they would be infill wells under the
10 compulsory pooling?

11 MR. FELDEWERT: You know, Mr. Examiner, the
12 5H and 6H will go on in the spacing unit. Once those
13 are drilled and completed -- one of those is drilled and
14 completed, that'll form the spacing unit, and then you
15 can drill the infill wells, as they've already proposed.

16 EXAMINER JONES: But the 5 and 6 are both
17 proposed as initial wells --

18 MR. FELDEWERT: To form the spacing unit.

19 EXAMINER JONES: -- to form the Wolfcamp
20 spacing unit?

21 MR. FELDEWERT: Yeah. Because you don't
22 need to propose eight wells to form a unit. You just
23 need one.

24 EXAMINER BROOKS: That's the defining well.

25 MR. FELDEWERT: That's the --

1 Q. (BY EXAMINER JONES) Concho, are they -- are
2 they one of your owners that you are pooling, or are
3 they just here today in the background because they are
4 a surrounding owner that got notice? Do you know
5 anything about that?

6 A. They are not in the unit, and I am not sure why
7 they're here.

8 MS. RYAN: We're just spectators today.

9 EXAMINER JONES: As Mr. Bruce would say,
10 "Lurking in the background today."

11 Q. (BY EXAMINER JONES) So the two Bone Spring
12 cases got proposed actually after -- they were actually
13 entered after April 24th, but it was an agreement
14 between BTA and Marathon that would -- and the Division,
15 I guess, to allow the competing cases to be entered? Is
16 that the way you understand it?

17 A. Yes.

18 Q. Okay. So you've got rigs working in the east
19 half, and they'll be available to move over. And you'll
20 pretty much drill your Wolfcamp first, it sounds like
21 here, and your Bone Spring will be later because of land
22 issues; is that correct?

23 A. Yes, sir.

24 Q. Now, as far as completing at the same time as
25 some of these wells in the lower part of the Bone Spring

1 that may be affected by the Wolfcamp, is that a
2 consideration in your drilling schedule at all?

3 A. So that would probably be a better question for
4 the engineer, but I think it is our belief that there
5 really isn't any interference between the Bone Spring
6 and the Wolfcamp.

7 Q. Okay. So we'll wait. If I remember to ask,
8 we'll wait and ask them later on that.

9 So your State Land Office com agreements,
10 have you already got those two agreements in place -- or
11 three, I guess? There would be three, right?

12 A. No. We do not have those in place.

13 Q. They would be pending this compulsory pooling
14 application?

15 A. Yes, sir.

16 Q. Because you wouldn't be able to get Marathon to
17 sign on to it, would you?

18 A. No, sir.

19 Q. Okay. I think I better be quiet then and see
20 if there is any redirect.

21 EXAMINER BROOKS: I had one question.
22 Maybe I didn't clarify as well as I should have. I
23 think I understand the answer but just to make clear.

24

25

RE CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER BROOKS:

Q. Your depth severance would come into effect as to -- what is it? -- 100 feet below deepest depth drilled?

A. Produced -- producing depth, yes, sir.

Q. That would be the deepest perforation in effect?

A. Yes, sir.

Q. 100 feet below the deepest perforation.

And it would come into effect in April of 2019 if you hadn't drilled all the way to the bottom -- basement -- not to the basement, but to the bottom of the Wolfcamp? It would come into effect on that date as to any residual depth below the deepest depth produced?

A. So if we aren't continuously drilling, then yes.

Q. Yeah.

A. Yes, sir.

Q. Well, now, at the end of the primary term, you would -- oh, you would continue to have the option -- the option to drill into that after the primary term, and it would come into effect only if you had not drilled -- drilled -- well, let's see. Even if you had not drilled to a certain depth before the end of the

1 primary term -- April 2019 is the end of the primary
2 term of your leases?

3 A. Yes, sir.

4 Q. And if you have not drilled to a certain depth
5 below that, you would still have the option to do so as
6 long as you had not allowed six months to expire on your
7 drilling schedule from one well to another?

8 A. Yes. Whatever the time frame is, yes, sir,
9 between completion and drilling of another well.

10 Q. Yeah.

11 So if on March 30th, 2019, you've completed
12 a deep Wolfcamp well -- or no. If you've completed a
13 well on March 30, 2019, you would have until September
14 30 -- but it didn't go all the way to the base of the
15 Wolfcamp, you would have until September 30, 2019 to
16 start the next well. And if you started another well
17 and drilled deeper, then you would earn farther down.

18 A. Yes, sir.

19 Q. Okay. I thought I understood it, but I wanted
20 to be sure.

21 EXAMINER JONES: Before we turn you back
22 over to the friends and the foes here, this notice --
23 did you complete notice for the formation of the
24 nonstandard proration unit and the nonstandard spacing
25 in the southwest of Section 32? So do you have -- is

1 that part of this?

2 MR. FELDEWERT: We were -- if you'll
3 recall, before the new horizontal well rule --

4 EXAMINER JONES: Okay.

5 MR. FELDEWERT: -- we did come back and
6 provide evidence of notice to form that. Now that the
7 horizontal well rule is in effect --

8 EXAMINER BROOKS: It is no longer required.

9 MR. FELDEWERT: -- it is no longer
10 required.

11 EXAMINER JONES: So the Purple Sage is
12 excluded as far as the spacing rules that were in place
13 for the Purple Sage, but it's actually participating in
14 the formation of horizontal spacing units here.

15 MR. FELDEWERT: That's a way of looking at
16 it, yeah. Yeah. The Purple Sage really deals with
17 setbacks.

18 EXAMINER JONES: Setbacks -- 330 setbacks.
19 Okay. Thank you.

20 MS. BRADFUTE: Mr. Examiner, I have a
21 couple more questions.

22 MR. FELDEWERT: Go.

23 MS. BRADFUTE: Do you want me to go first?

24 MR. FELDEWERT: Sure.

25 MS. BRADFUTE: I apologize. I just came up

1 with a couple pursuant to your questioning.

2 MR. FELDEWERT: You get two.

3 MS. BRADFUTE: That's it.

4 RECROSS EXAMINATION

5 BY MS. BRADFUTE:

6 Q. Ms. Beal, I want to represent to you that
7 Regulation 19.15.13.9 governs the drilling of infill
8 wells -- the proposal, not just the drilling but the
9 proposal of infill wells -- under a compulsory pooling
10 order. And that provision states that when an
11 applicable pool order authorizes one or more infill
12 wells within a proration or spacing unit pooled by the
13 division, then an infill well can only be proposed --
14 proposed after the completion of an initial well.

15 Under that provision, BTA cannot even
16 propose the deep Wolfcamp wells, the 7H and the 8H
17 wells, until after it completes the first Wolfcamp well
18 under the order, if an order has been entered by the
19 Division, correct?

20 MR. FELDEWERT: Let me object. Calls for a
21 legal conclusion, number one. And number two, a lot of
22 that is going to be impacted by the horizontal well
23 rule.

24 EXAMINER BROOKS: I would have to -- I
25 would think it appropriate to sustain both of those

1 objections because I haven't figured those issues out
2 myself yet, but I will look at it.

3 MS. BRADFUTE: Okay. And we'll raise the
4 legal issue.

5 Q. (BY MS. BRADFUTE) And then the other question I
6 had relates to the Pardue oil and gas leases, which
7 contains the depth severance, Purdue [sic].

8 A. Yes.

9 Q. BTA's depth severance issue is also under
10 Purdue [sic] leases, correct?

11 A. Under the Pardue leases?

12 Q. Yeah, Pardue leases. Is that where the depth
13 severance is?

14 A. Not for us, no.

15 Q. Not for you-all?

16 A. No. We have separate leases.

17 Q. Separate leases.

18 And is it with a different lessor?

19 A. Yes, ma'am.

20 Q. Okay. So it's not a Pardue lease?

21 A. No, ma'am.

22 Q. Okay. And do you have any idea what the time
23 period is under that lease for the continuance drilling
24 provision?

25 A. I honestly can't remember.

1 Q. You can't remember?

2 A. No.

3 Q. Do you remember if it contains a provision
4 which requires no cessation of more than 60 consecutive
5 days for operations under the continuous drilling
6 provision?

7 A. No, I cannot recall.

8 Q. You just can't recall?

9 A. No.

10 Q. And Marathon has searched the county records
11 for a copy of those leases and only found memorandums
12 filed. Do you know if recorded leases have been filed
13 in the county records that would show that information?

14 A. If there's only memorandums, then that's
15 probably what it is.

16 Q. Okay. So really we have no way of knowing
17 today, as you sit here, whether or not BTA can act in a
18 timely manner to protect those deep leasehold rights?

19 MR. FELDEWERT: Object to the form of the
20 question.

21 Q. (BY MS. BRADFUTE) I mean, we don't know the
22 time frame, right?

23 EXAMINER BROOKS: Well, if the witness
24 would has an opinion, she can state it and state the
25 basis of it, because she's testifying as an expert

1 petroleum land negotiator. So I will overrule the
2 objection. If she doesn't know, she can say she doesn't
3 know.

4 THE WITNESS: Thank you.

5 Please repeat the question.

6 Q. (BY MS. BRADFUTE) So do you know, as you sit
7 here today, the timing involved in the consecutive
8 drilling provision?

9 A. In our leases?

10 Q. In your leases, in BTA's leases.

11 A. I cannot recall today.

12 Q. You can't recall today?

13 A. I can make an educated guess based on reading
14 it prior, but --

15 Q. Okay. And what is that educated guess for the
16 timing provision?

17 A. For the cessation --

18 Q. For the continuous drilling. How many days do
19 you have to start drilling the next well under your
20 continuous drilling provision?

21 A. I believe it's between 120 and 160 days.

22 Q. 160 days.

23 And do you recall if there is a cessation
24 provision of more than 60 days, more than 90 days
25 included --

1 A. I don't know the cessation.

2 Q. Okay. Do you remember seeing a cessation
3 clause within these leases?

4 A. I don't remember.

5 Q. Okay. Previously entered into evidence by
6 BTA's attorney during the April 24th hearing was Exhibit
7 Number 18. I don't know if you have a copy in front of
8 you. I only have my copy, so I apologize.

9 MR. FELDEWERT: Exhibit 18 is the Marathon
10 lease that expires in August -- August of next year?

11 MS. BRADFUTE: Yes, that's correct.

12 EXAMINER BROOKS: Well, I'm certainly glad
13 we don't have a lease that expires in August of this
14 year.

15 (Laughter.)

16 MR. FELDEWERT: I actually thought it
17 expired in August of this year.

18 Q. (BY MS. BRADFUTE) If you could please look at
19 the second page of that lease agreement and I want to
20 focus on paragraph six.

21 EXAMINER BROOKS: What paragraph?

22 MS. BRADFUTE: Paragraph six.

23 Q. (BY MS. BRADFUTE) Ms. Beal, does this paragraph
24 state that Marathon's lease will not terminate if
25 continuous additional drilling is started within 60

1 **days?**

2 A. Yes.

3 **Q. And it has a no cessation of those drilling**
4 **operations of more than 60 consecutive days, correct?**

5 A. Yes.

6 **Q. Okay. That concludes my questions. Thank you.**

7 MR. FELDEWERT: Finished?

8 MS. BRADFUTE: I am.

9 REDIRECT EXAMINATION

10 BY MR. FELDEWERT:

11 **Q. The Pugh clause for that is -- part of Exhibit**
12 **18 is on the next page, right?**

13 A. Yes, ma'am -- I mean yes, sir. Sorry.

14 **Q. Okay. So that would govern that**
15 **depth-severance concern?**

16 A. Yes, sir.

17 **Q. All right. And certainly BTA's leases -- this**
18 **lease doesn't expire until August of next year?**

19 A. Yes, sir.

20 **Q. When does BTA's lease expire?**

21 A. April.

22 **Q. April.**

23 **So you've got every incentive to get this**
24 **moving forward?**

25 A. Yes, sir.

1 Q. In fact, you've been working to get this moving
2 forward starting with BC Operating prior to June of last
3 year, the company has, correct?

4 A. Yes, sir.

5 Q. And I want to remind the Examiners, when you
6 approached BC Operating and you said you wanted to move
7 forward with developing the Wolfcamp, what did the
8 company tell you?

9 A. They said they had no problem with our
10 development plan and to go ahead and move forward.

11 Q. So you may not have had a written agreement,
12 but they had said to move in forward, right?

13 A. Yes, sir.

14 Q. So you filed your federal APDs?

15 A. Yes, sir.

16 Q. And thank goodness because now we have them in
17 hand?

18 A. Yes, sir.

19 Q. Okay. And you guys can get these Wolfcamp
20 wells drilled to deal with these leases?

21 A. Yes, sir.

22 Q. And just so I understand, if I look at Exhibit
23 21, when you drill the 5H and the 6H, which is your --
24 you have the APDs ready to go -- those wells are going
25 to hold the lease down below 100 feet below those wells,

1 correct?

2 A. Yes, sir.

3 Q. And when you move down to drill the 7 and the
4 8H, either under infill or new horizontal well rules,
5 that will then -- once those are drilled, will hold the
6 lease down to 100 feet below those depths?

7 A. Yes, sir.

8 Q. And that satisfies everybody's concerns?

9 A. Yes, sir.

10 Q. In fact, we confirmed that at the last hearing,
11 right?

12 A. Yes, sir.

13 Q. Okay. So you don't need the Bone Spring wells
14 to hold the leases?

15 A. No, sir.

16 Q. Now, they mentioned the timeline here and the
17 fact that you-all filed pooling applications. So if I
18 go to Exhibit Number 6, you had been discussing this
19 with Marathon for -- starting in June?

20 A. Yes, sir.

21 Q. And as late as February of -- or January -- I'm
22 sorry -- February 12th, they were going to provide you
23 feedback on a JOA?

24 A. Yes, sir.

25 Q. Now, this was after -- this was after you had

1 already dealt with the AFE costs, right?

2 A. Yes, sir.

3 Q. Look at the timeline. They questioned your AFE
4 costs, and you submitted new AFE costs for the 5H and
5 the 6H?

6 A. Yes, sir.

7 Q. And even after that, they said, We'll give you
8 feedback on your JOA?

9 A. Yes, sir.

10 Q. And at no point during that period of time did
11 they say, Oh, you're going to have to go get pooling?

12 A. No, sir.

13 Q. Okay. And you didn't know that until they
14 filed their competing well proposals in February of
15 2018?

16 A. Yes, sir.

17 Q. So this is June, July, August, September,
18 October, November, December, January, February. Nine
19 months later, they file their competing well proposals?

20 A. Yes, sir.

21 Q. So you had had nine months of discussions, nine
22 months of them stringing you along --

23 A. Yes, sir.

24 MS. BRADFUTE: Object to form.

25 Q. (BY MR. FELDEWERT) -- and then you get their

1 competing well proposals; is that correct?

2 A. Yes, sir.

3 Q. So at that point in time, was it pretty clear
4 that they were going to want to operate even though they
5 only owned less than 30 percent?

6 A. Yes, sir.

7 Q. Is that why you then filed the well proposals
8 and pooling applications necessary to get this moving
9 forward so that we could get these wells drilled and
10 save the leases?

11 A. Yes, sir.

12 MR. FELDEWERT: That's all I have.

13 EXAMINER JONES: Mr. Bruce, did you have
14 anything?

15 MR. BRUCE: (Indicating.)

16 EXAMINER BROOKS: I have one, which is
17 irrelevant, but I'll ask it anyway.

18 RE CROSS EXAMINATION

19 BY EXAMINER BROOKS:

20 Q. The Pardue lease, do you know if that's the
21 same family as Ashley Pardue?

22 A. I do not.

23 Q. Neither do I.

24

25

1 RE CROSS EXAMINATION

2 BY EXAMINER JONES:

3 Q. What about the Ogdens? Where did that name
4 come from?

5 A. It's -- it's actually a family that's in the
6 east-half unit, and some of the leases are the Ogdens'.

7 Q. Okay.

8 A. Yes, sir.

9 Q. Okay. Thanks very much.

10 EXAMINER JONES: Let's take ten at least.

11 (Recess, 9:56 a.m. to 10:17 a.m.)

12 EXAMINER JONES: Let's go back on the
13 record and continue with the BTA cases.

14 MR. FELDEWERT: We will call our next
15 witness.

16 RAJENDRA ETI,

17 after having been previously sworn under oath, was
18 questioned and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. FELDEWERT:

21 Q. Would you please state your name, identify by
22 whom you're employed and in what capacity?

23 A. I'm Rajendra Eti. I'm employed by BTA Oil
24 Producers, LLC. I'm working as a geoscientist.

25 Q. Mr. Eti, did you previously testify before this

1 Division in April as an expert witness in petroleum
2 geology and geoscience?

3 A. Yes, sir.

4 Q. In fact, don't you hold a master's degree in
5 geophysics?

6 A. Yes, sir.

7 Q. Are you familiar with the applications filed in
8 these consolidated cases?

9 A. Yes, sir.

10 Q. Have you conducted a study of the lands that
11 are the subject of this hearing?

12 A. Yes, sir.

13 MR. FELDEWERT: I would retender Mr. Eti as
14 an expert witness in petroleum geology and geoscience.

15 EXAMINER JONES: Any objection?

16 MR. BRUCE: No objection.

17 MS. BRADFUTE: No objection.

18 EXAMINER JONES: So qualified.

19 Q. (BY MR. FELDEWERT) Now, what's the -- if I look
20 at BTA Exhibit 21 -- Exhibit 21 --

21 A. 21, right.

22 Q. -- so the next volume --

23 A. Oh.

24 Q. -- we've talked about the 5H and 6H and the 7H
25 and the 8H. I want to talk about the 9H and the 10H on

1 the left-hand side, the Ogden 9H and 10H. What's the
2 target formation for those initial wells in the two
3 proposed 240-acre spacing unit?

4 A. 3rd Bone Spring.

5 Q. Okay. And have you prepared a structure map
6 and a cross section for this targeted interval?

7 A. Yes, sir.

8 Q. All right. If I go to Exhibit 31 in that same
9 notebook, is this a structure map that you have created?

10 A. Yes, sir.

11 Q. And does it identify the acreage at issue in
12 yellow?

13 A. Yes, sir, it does.

14 Q. Okay. What do you observe with respect to the
15 structure across this area?

16 A. I don't see any impediment to horizontal
17 drilling in this, and I don't see any faulting in this
18 structure map.

19 Q. Now, has there been much development in the 3rd
20 Bone Spring in this area?

21 A. No, sir, not much development.

22 Q. Okay. The extent to which there's been
23 development, has it been stand-up or lay-down?

24 A. It's basically both. Yeah.

25 Q. Do you see any appreciable differences whether

1 you drill stand-up or lay-down wells in the Bone Spring
2 in this area?

3 A. No, sir.

4 Q. Is there an advantage to utilizing stand-up
5 wells?

6 A. Yes, sir. We'll have fewer geosteering issues
7 if we do stand-up.

8 Q. Okay. Now, I see a -- it looks like a
9 cross-section line on here in blue; is that correct?

10 A. Yes, sir.

11 Q. And how many wells did you utilize for your
12 cross section?

13 A. Three wells.

14 Q. Two of which --

15 A. Two of which are in the acreage of question.

16 Q. Okay. So is that one of the reasons you chose
17 these particular wells?

18 A. Yes, sir.

19 Q. What about the logs for these wells? Were they
20 sufficient to do the analysis?

21 A. Yes, sir, they're sufficient.

22 Q. All right. Then if I turn to what's been
23 marked as BTA Exhibit Number 32, is this the
24 stratigraphic cross section associated with the three
25 wells identified in the prior exhibit?

1 A. Yes, sir.

2 **Q. Okay. Would you kind of identify for us how**
3 **you note the tops and the bottoms of the formations at**
4 **issue?**

5 A. Yes, sir.

6 So in this cross section here, you can
7 basically see an orange-colored horizon, which is
8 labeled as the 3rd Bone Spring Sand. And then there is
9 a Wolfcamp top, which is labeled -- it's brown in color.
10 And then you also see a Wolfcamp A Sand top, which is
11 like a gray color, and I also picked a Wolfcamp A Sand
12 base, which is a blue color. And the light pink color
13 is the Wolfcamp B Sand top, and the Upper Wolfcamp is
14 the purple color.

15 And the Wolfcamp landing zone will be
16 between the Wolfcamp B Sand top and the Upper Wolfcamp.
17 And the 3rd Bone Spring Sand landing zone is between the
18 3rd Bone Spring Sand top and the Wolfcamp Sand top --
19 Wolfcamp top.

20 **Q. Last time you were here, you talked about the**
21 **Wolfcamp landing zone. But what do you observe with**
22 **respect to the 3rd Bone Spring landing zone?**

23 A. What I basically see is that it's pretty
24 continuous for the area, and I don't see any -- any
25 faulting based on the log correlations. That's what I

1 see.

2 Q. And what do you observe with respect to the
3 nature of the reservoir? Is it fairly continuous?

4 A. It's fairly continuous over the area.

5 Q. In your opinion, is this an area that can be
6 efficiently and economically developed by horizontal
7 wells?

8 A. Yes, sir.

9 Q. And in your opinion, will the proposed acreage
10 for each spacing unit contribute more or less equally to
11 production from the dedicated well?

12 A. Yes, sir.

13 Q. Now, in this particular area, we have a Wolf --
14 I'm sorry. We have a Bone Spring oil pool; is that
15 right?

16 A. Yes, sir.

17 Q. And then after hearing, the Division created a
18 Wolfcamp gas pool?

19 A. Yes, sir.

20 Q. Now, over in Lea County --

21 A. Yes, sir.

22 Q. -- are you aware over there that there is -- is
23 the geology different over there in Lea County?

24 A. A little bit.

25 Q. Okay. In fact, isn't there portions of Lea

1 County where they have -- the Division has analyzed the
2 data and created what they call a Wolfbone Pool?

3 A. Yes, sir.

4 Q. In which they take the Lower Bone Spring and
5 combine it with the Upper Wolfcamp zones?

6 A. Yes, sir.

7 Q. Now, that pool does not exist in Eddy County?

8 A. It does not exist in Eddy County.

9 Q. And in Eddy County, am I correct that the
10 Division, having analyzed the data, treats the Lower
11 Bone Spring and the Upper Wolfcamp as separate pools?

12 A. Yes, sir.

13 Q. As separate sources of supply?

14 A. Yes, sir.

15 Q. Do you agree with the Division that the Lower
16 Bone Spring and the Upper Wolfcamp are separate sources
17 of supply?

18 A. Yes, sir.

19 Q. Have you examined whether any mechanical
20 barrier exists between the Bone Spring and the Wolfcamp
21 Formations in this area of Eddy County?

22 A. Yes, sir, we did.

23 Q. And have you -- and what have you found?

24 A. We found that there is a barrier that exists
25 between the 3rd Bone Spring Sand and the Wolfcamp

1 Sand -- and the Wolfcamp Sand. And any completion in
2 the Wolfcamp wouldn't go into the 3rd Bone Spring, and
3 any completion in the 3rd Bone Spring would not
4 influence the Wolfcamp Sand.

5 Q. Okay. And have you prepared exhibits to
6 support your conclusions?

7 A. Yes, sir, we did.

8 Q. All right. I want to turn to what's been
9 marked as BTA Exhibit Number 33. You have to pull it
10 down a little bit. Does this show a cross section you
11 put together?

12 A. Yes, sir.

13 Q. Of the wells that were utilized for the cross
14 section, right?

15 A. Pardon me?

16 Q. This shows the wells that were utilized for the
17 cross section?

18 A. Yes, sir.

19 Q. How many wells did you use?

20 A. Three wells.

21 Q. Where on this particular map is the acreage at
22 issue?

23 A. The acreage at issue is HSN [sic] to the
24 northernmost well in the cross section with API Number
25 3001534572, and it's a white elation [sic] color. The

1 acreage is marked with -- yellow in color.

2 Q. All right. So I want you to put your finger
3 right here, and I want you to go back to Exhibit 31.
4 Can you identify for us where that first data point is
5 on Exhibit 31?

6 A. Yes, sir. This is -- that's in the
7 northernmost well in Section 30.

8 Q. So get me an orien- -- oriented. If I look at
9 the shaded acreage and I go to the left, west of that,
10 we see Section 30?

11 A. Yes, sir.

12 Q. And there is a well up there in the north
13 half-north half of 30?

14 A. Yes, sir.

15 Q. And that corresponds with -- that's the well
16 that was utilized in your first data point for Exhibit
17 Number 33?

18 A. Yes, sir.

19 Q. All right. Then where are the remaining data
20 points here?

21 A. The remaining data points are like -- the last
22 well in the cross section is where we have the frac
23 model. That's in the area called Tetris, in Texas. And
24 I chose another well in the middle so that we'll -- so
25 to demonstrate the continuity of the stratigraphic.

1 And, also, it's basically the major axis -- the axis
2 where you find the whole production of the Wolfcamp Sand
3 along this cross section.

4 Q. Okay. Now, so the data point down here at the
5 bottom that we see with that number that ends 1,000
6 with --

7 A. Yes, sir.

8 Q. -- that is what you call the Tetris acreage?

9 A. Yes, sir.

10 Q. How do you spell it?

11 A. T-E-T-R-I-S.

12 Q. Okay. And that's in Reeves County?

13 A. Yes, sir.

14 Q. Texas?

15 A. Yes, sir.

16 Q. Okay. Why did you choose a data point here in
17 Reeves County, Texas?

18 A. You know, we have carried the frac modeling
19 over this area like a year and a half ago and --

20 Q. You did it a year and a half ago?

21 A. Year and a half ago.

22 Q. Long before this case?

23 A. Long before this case.

24 Q. Go ahead.

25 A. Because we wanted to understand everything

1 that's going on here, and so that's the reason I had to
2 choose this well, because we have this history. For
3 one-and-a-half year we have drilled wells in the
4 Wolfcamp. We have a history of production. So you can
5 correlate the model with the production. And
6 geologically, if you see all the production of the
7 Wolfcamp Sand-drilled wells, the axis pretty much goes
8 along this cross section that I put together. So you
9 see a lot of drilling happening south of Ogden, along
10 this axis. And you see these Wolfcamp wells even in the
11 Tetris area going up north to this well.

12 Q. Who did this study that you --

13 A. The frac model was carried out by Schlumberger.

14 Q. Schlumberger. Okay.

15 All right. And if I go then to the next
16 exhibit, which is Exhibit Number 34, I see this Tetris
17 area on the right-hand side; is that right?

18 A. Yes, sir.

19 Q. I don't want to get to that yet.

20 But that well -- we see, then, three well
21 logs on the left-hand side?

22 A. Yes, sir.

23 Q. The well on the far left, is that the first
24 data point that we talked about, our three acres next to
25 the acres that are at issue?

1 A. Yes, sir.

2 Q. Okay. And then you have the well in between
3 the Tetris area on the right?

4 A. Yes, sir.

5 Q. Then we see the well logs. What is the inset
6 there that's labeled "Tetris 2H"? Underneath that, I
7 see a bunch of colors. What is that?

8 A. That inset is the frac modeling that was
9 carried out by Schlumberger, which would help us in
10 determining how the frac behaves.

11 Q. Now, when you -- when you put this -- when you
12 put together -- and we looked at it yesterday. It was
13 kind of difficult to read, right?

14 A. Yes.

15 Q. So if I go to the second page of this exhibit,
16 does it provide a more readable version of the inset
17 that we see on the first page on the right-hand side?

18 A. Yes, sir.

19 Q. All right. So let's go to that first. And
20 this is the analysis that was done by Schlumberger?

21 A. Yes, sir.

22 Q. What is on the left-hand side of this?

23 A. On the left-hand side of this particular
24 display is the logs that have been collected by
25 Schlumberger for BTA Oil.

1 Q. And then when I move to the right, I see some
2 pink, I see some orange, I see some red, looks like
3 hives?

4 A. Yes, sir.

5 Q. What is that?

6 A. If we concentrate on the last two columns,
7 like -- and especially if we concentrate on the one
8 which has this orange color and the pink color, that's
9 basically the frac model. And the third column from the
10 right, you see a horizontal line. That corresponds to a
11 modeling study for a landing point of 10,494, which is
12 labeled -- so this model tells how the frac propagates
13 if a landing point was placed at that particular depth.

14 Q. Okay. Let me stop you right there. So I'm
15 looking at -- kind of a greenish horizontal line in the
16 third column from the right?

17 A. Yes, sir.

18 Q. Right where that orange is?

19 A. Yes, sir.

20 Q. Okay. And what zone -- what correlative zone
21 is that in?

22 A. That would be a 3rd Bone Spring.

23 Q. All right. And then -- so that would be the
24 modeling point, correct?

25 A. Yes, sir.

1 Q. All right. Then -- and Schlumberger did this?

2 A. Yes, sir.

3 Q. All right. When they did the analysis, what
4 does the oranges and the pinks mean?

5 A. The orange and the pink -- the height basically
6 displays like how high the frac is going and if there
7 are any barriers. The orange means that that's where
8 the proppant is going, and the pink means that the water
9 is going there. So the extent of the orange is
10 basically where the proppant is going, and that's where
11 the production will be coming from.

12 Q. Okay. So the important part of the analysis
13 here is the orange area?

14 A. Yes, sir.

15 Q. Because that's where the proppant is?

16 A. Yes, sir.

17 Q. And what did Schlumberger find when they did
18 the analysis?

19 A. When Schlumberger did the analysis, they
20 noticed that any frac -- any frac that was initiated in
21 the Bone Spring would not propagate into the Wolfcamp.

22 Q. Okay. And that's reflected with the orange
23 area?

24 A. Yes, sir. So if you see the orange area, the
25 orange area pretty much stops at 10,550 in the lower

1 part. So the bottom part where the frac stops is
2 10,550. And if I go back to the earlier page where we
3 have the wells, you can see I have labeled what is
4 called the barrier. That's where the orange is
5 stopping, and that barrier kind of corresponds to the
6 Wolfcamp A Sand top. And you can see the
7 correlations -- very good correlation all the way into
8 the study area.

9 Q. Okay. Let me stop you right there. I'm on the
10 first page of this exhibit. I see on the right-hand
11 side a box that says "Barrier," and you've got an arrow
12 pointing to it?

13 A. Yes, sir.

14 Q. And I see a dashed line?

15 A. Yes, sir.

16 Q. Okay. Then did you, with your cross section,
17 take the location of that dashed-line area and correlate
18 it to the area in question?

19 A. Yes, sir.

20 Q. And that would be on the left-hand side of that
21 wellbore line?

22 A. Yes, sir.

23 Q. And when you extend that barrier into the area
24 at issue, we see it corresponding when you say top of
25 the Wolfcamp Sand?

1 A. Yeah. A Sand, yeah.

2 Q. A Sand.

3 All right. Now, the other thing that you
4 can either observe on this page or on the other page is
5 the last -- very last column --

6 A. Yes, sir.

7 Q. -- do you see those -- they look like hives to
8 me.

9 A. Yes, sir.

10 Q. Okay? What does that represent? What is
11 Schlumberger showing there?

12 A. What Schlumberger is showing that fracture
13 along -- along which the fracture propagates, and you
14 can see the thick and the thin. The thick corresponds
15 to the orange blob in the second, last figure, and you
16 can see, as you kind of come to where the orange blob
17 ends, the fracture is narrowing. So that's the reason
18 why the proppant is unable to propagate down below that
19 particular point. And also the same thing when you
20 think about upper hole [sic]. Yeah.

21 Q. All right. Then having looked at this data and
22 analyzed the logs, in your opinion, does the barrier
23 that Schlumberger observed in the Tetriss area extend
24 into the acreage in question?

25 A. Yes, sir, it does.

1 Q. Okay. So we have a similar geologic setting?

2 A. Yes, sir.

3 Q. In your opinion, will a horizontal well
4 developing the 3rd Bone Spring Sand develop the upper
5 part of the Wolfcamp?

6 A. No.

7 Q. If I then go to Exhibit 35, is this the same
8 type of analysis but looking at it from a different
9 perspective?

10 A. Yes, sir.

11 Q. And what's the difference here?

12 A. The difference here from the earlier picture,
13 in the earlier picture, the modeling point was placed in
14 the 3rd Bone Spring, and in this particular picture, the
15 modeling point is in the Wolfcamp Sand.

16 Q. Okay. So let's go to Exhibit 35, the second
17 page, where we can see it a little easier. And if I'm
18 looking at the third column from the right --

19 A. Yes, sir.

20 Q. -- I see that same little kind of greenish bar?

21 A. Yes, sir.

22 Q. Right where the orange and the yellow come
23 together?

24 A. Yes, sir.

25 Q. That is the modeling point?

1 A. That's the modeling point.

2 (Examiner Brooks exits the room.)

3 **Q. And that is located in what correlative zone?**

4 A. It's in the Wolfcamp B Sand.

5 **Q. All right. Do we see the same observations by**
6 **Schlumberger about a frac barrier?**

7 A. Yes, sir. Even in this figure, what we -- even
8 in this modeling, what we see is there is a frac barrier
9 that is stopping the proppant from going up above the
10 Wolfcamp Sand B and into the Bone Spring. And you can
11 also see that in the frac aperture -- like, there is a
12 frac aperture, and that is done right at the top of the
13 Wolfcamp B Sand.

14 **Q. Okay. So if I keep that in mind and I go to**
15 **the first page of this exhibit, did you identify, as you**
16 **did in the prior exhibit, the location of this barrier?**

17 (Examiner Brooks enters the room.)

18 A. Yes, sir. The barrier is labeled in this
19 figure, and as you trace, you can see that the barrier
20 is close to the Wolfcamp B Sand top, and that top can be
21 correlated all the way into the Ogden area.

22 **Q. So when you look at this, in your opinion, if**
23 **you complete a well in the Upper Wolfcamp Sand for a**
24 **horizontal well, is there a barrier that prevents the**
25 **development of the Lower Bone Spring Sand?**

1 A. Yes, sir.

2 Q. Now, this was a study done by Schlumberger?

3 A. Yes, sir.

4 Q. With data checked by Schlumberger?

5 A. Yes, sir.

6 Q. In your opinion, did Schlumberger's analysis
7 examine a geologic setting similar to the acreage at
8 issue?

9 A. Yes, sir.

10 Q. Do you see any evidence to indicate that the
11 Lower Bone Spring and the Upper Wolfcamp comprises the
12 same pool or the same source of supply in this part of
13 Eddy County?

14 A. No, sir.

15 Q. And what I mean by "this part," I'm talking
16 about the acreage at issue.

17 A. Yes, sir.

18 Q. Do you agree that the Division properly treats
19 these zones, the Lower Bone Spring and the Upper
20 Wolfcamp, as separate pools in Eddy County --

21 A. Yes, sir.

22 Q. -- as separate sources of supply?

23 A. Yes, sir.

24 Q. Do you believe that a mechanical barrier exists
25 between the Lower Bone Spring and the Upper Wolfcamp in

1 Eddy County?

2 A. Yes, sir.

3 Q. And do you believe that that barrier is
4 sufficient to prevent communication between horizontal
5 wells completed in these two different pools?

6 A. Yes, sir.

7 Q. Do you see any evidence to indicate that the
8 Division should require operators in this area to
9 develop these separate zones simultaneously?

10 A. No.

11 Q. And finally, do you believe that waste will
12 occur if BTA develops the Upper Wolfcamp in the Lower
13 Bone Spring zones independently as separate sources of
14 supply?

15 A. No.

16 Q. In your opinion, will BTA's development plan
17 for the acreage where it owns over 70 percent cause
18 waste?

19 A. No.

20 Q. And in your opinion, is the granting of BTA's
21 application to pool a 480-acre Wolfcamp spacing unit in
22 the best interest of conservation, the prevention of
23 waste and the protection of correlative rights?

24 A. Yes, sir.

25 Q. And in your opinion, is the granting of BTA's

1 **separate applications to pool 240-acre spacing units in**
2 **the Bone Spring oil pool in the best interest of**
3 **conservation, the prevention of waste and the protection**
4 **of correlative rights?**

5 A. Yes, sir.

6 **Q. Were BTA's Exhibits 33 through 35 prepared by**
7 **you or compiled under your direction and supervision?**

8 A. Yes, sir.

9 MR. FELDEWERT: Mr. Examiner, I would move
10 the admission into evidence of BTA Exhibits 32, 33, 34
11 and 35.

12 EXAMINER JONES: Any objection?

13 MR. BRUCE: No objection.

14 MS. BRADFUTE: No objection.

15 EXAMINER JONES: Exhibits 32, 33, 34 and 35
16 are admitted.

17 (BTA Oil Producers, LLC Exhibit Numbers 32
18 through 35 are offered and admitted into
19 evidence.)

20 MR. FELDEWERT: That concludes my
21 examination of this witness.

22 MR. BRUCE: No questions.

23 MS. BRADFUTE: I have a few questions.

24

25

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MS. BRADFUTE:

Q. Good morning, Mr. Eti.

A. Good morning.

Q. How are you?

A. Good.

Q. You testified earlier that you did not observe any faulting of the Bone Spring Formation, correct?

A. Yeah. Yeah.

Q. Okay. And what information did you look at when you came to the conclusion that there was no faulting in the area?

A. Well logs.

Q. Okay. You looked at well logs?

A. Yes.

Q. Did you review any seismic data?

A. No, I did not.

Q. Okay. So that corresponds with your earlier testimony in these cases related to the Wolfcamp Formation. Do you remember, likewise, testifying on April 24th that you did not observe any impediments or faulting within the Wolfcamp Formation?

A. That's true.

Q. Okay. Mr. Eti, I briefly covered this with Ms. Beal, but I'm just trying to pin down when these

1 wells will be drilled and completed. Let me go back to
2 BTA Exhibit Number 28 -- no, I apologize, not 28.

3 MR. FELDEWERT: 21?

4 Q. (BY MS. BRADFUTE) 24. And were you present for
5 Ms. Beal's testimony earlier this morning?

6 A. Yeah.

7 Q. And Ms. Beal testified this exhibit outlined
8 the order in which BTA's proposed wells would be
9 drilled, correct?

10 A. Okay. Yeah.

11 MR. FELDEWERT: Well, objection. She
12 didn't testify to that. She didn't testify that this
13 was the order. She testified that these are the spacing
14 units that are involved for each initial well.

15 MS. BRADFUTE: Okay. Well, I remember her
16 stating it represented the order that they were going
17 down, but it may not be.

18 EXAMINER BROOKS: Is this 24?

19 MS. BRADFUTE: Yeah, Exhibit Number 24.
20 And we'll go through. This is the point of the
21 question, is to confirm the order, and I have some
22 confusion with that.

23 EXAMINER BROOKS: Okay.

24 Q. (BY MS. BRADFUTE) If you could look at the
25 first page of Exhibit 24, does this document contain a

1 **diagram on the wells that will be drilled under Case**
2 **Number 16024, the spacing unit for the 6H and the 5H**
3 **wells?**

4 A. Yes.

5 **Q. These are the Upper Wolfcamp wells, correct?**

6 A. Yes.

7 **Q. And those wells have a proposed TVD of 9,450**
8 **feet?**

9 A. Uh-huh.

10 **Q. Okay. When will these wells be drilled?**

11 A. I guess -- my basic job is trying to see if
12 there are any faulting and giving a geological opinion
13 on whether they should be drilled or whether there are
14 any faults or there are not. When it comes to when they
15 are going to be drilled, there are many other issues
16 that I'm not really involved in, and I think it's better
17 for the management to address the issue of the land and
18 the supervisor to address the issue as to when.

19 **Q. Okay. So the correct witness would be the land**
20 **witness to say when the wells are going to be drilled?**

21 A. I'm not saying the land department would be,
22 but they may know more than me as far as the timing of
23 those wells because there are another host of issues.
24 So my -- my responsibility is basically trying to get
25 the geology of the area rather than the timing.

1 **Q. Okay. So you're not involved in the timing of**
2 **when these wells will be drilled; is that correct?**

3 A. They will -- what happens is they'll inform me.
4 They will be informing me at some point in time as to
5 when, but I believe, like, you know, the best person to
6 address is not me.

7 **Q. Okay. So you have not yet been informed as to**
8 **when the 5H and the 6H wells will be drilled, correct?**

9 A. The exact date? Because the schedule keeps --
10 it depends on the availability. We will be drilling.
11 It's there I think -- we will be drilling, but it
12 depends on how this case goes or things like that, but
13 not an exact date. I don't know the exact date.

14 **Q. Okay. Will these be the first two wells that**
15 **BTA drills within the proposed spacing units?**

16 A. I believe so.

17 **Q. And do you know -- in comparison to when these**
18 **wells are drilled, do you know when they'll be**
19 **completed? Have you been involved in discussions within**
20 **BTA's team about when these will be completed after**
21 **they're drilled?**

22 A. I guess these things keep changing as the
23 availability of the rig and when these things come up,
24 so I think it's -- again, I would defer this question to
25 the people who can better address this question.

1 Q. Okay. Likewise, do you not have any knowledge
2 concerning when the Bone Spring wells will be drilled
3 and completed, the 9H and the 10H wells?

4 A. Once again, I will defer this question to
5 somebody who can address this question better than me.

6 Q. Okay. And do you know when the Lower Wolfcamp
7 wells will be drilled and completed, the 7H and the 8H
8 wells?

9 A. I think it's the same thing. Like, you know,
10 when it comes to timing and drilling, I will defer this
11 question to them.

12 Q. Okay. And the second set of wells that
13 Ms. Beal testified about being drilled were the Lower
14 Wolfcamp wells, correct, the 7H and the 8H wells?

15 MR. FELDEWERT: I think her testimony
16 speaks for itself.

17 Q. (BY MS. BRADFUTE) Okay. I just want to confirm
18 that that's your understanding from the geology --
19 within BTA's team.

20 MR. FELDEWERT: He just testified what his
21 understanding is.

22 Q. (BY MS. BRADFUTE) Okay. To summarize, you
23 don't have an understanding of a current time when these
24 wells will be drilled?

25 A. Yeah. I'm only concerned -- I'm mainly

1 concerned with the geological aspects of the project,
2 and I would basically leave these questions mainly to
3 the better judgment of the management and the land,
4 depending how all the issues are going because I'm
5 concentrating more on the geology.

6 Q. Okay. And you have no current understanding of
7 the order in which these wells will be drilled, like
8 which wells will be drilled first, second, third, the
9 stages of development, correct?

10 A. Yeah. Once again, I would defer those
11 questions to the people who are in charge of that. Yes.

12 Q. Okay. I want to turn to your Exhibit 33. And
13 this is a map which shows the wells listed in your cross
14 section for the Schlumberger analysis that was
15 performed; is that correct?

16 A. Uh-huh. Yes.

17 Q. Did you study any 3rd Bone Spring Sand wells
18 that would be drilled within the vicinity of the Ogden
19 spacing units?

20 A. Yeah. I looked at the production. Yeah.
21 There were two wells. In fact, in one of the earlier
22 exhibits, you will see the wells -- the horizontal wells
23 that have been drilled and completed. I believe they're
24 by OXY. If you go to Exhibit Number 31, they have two
25 wells not of the proposed -- not of the current --

1 Section 18 and Section 8, one stand-up and one lay-down
2 well.

3 Q. But the logs for those wells aren't included in
4 Schlumberger's analysis in Exhibit 34, correct?

5 A. Correct. The logs for those two wells -- I
6 don't think we have those logs available.

7 Q. So it might be due to the availability of those
8 logs?

9 A. Yeah.

10 Q. Have you studied any other 3rd Bone Spring
11 wells related to potential mechanical barriers within
12 the vicinity of the Ogden spacing units?

13 A. There are not that many wells drilled there.
14 As you can see, I guess Marathon proposed to drill a few
15 wells. Those are the only two wells. There is not much
16 activity in the Bone Spring in that area.

17 Q. We might hear Marathon's witnesses differ from
18 that later on.

19 A. Okay.

20 Q. I want to talk about the Schlumberger models,
21 and I want to discuss the inputs that were used for
22 these models.

23 A. Okay.

24 Q. Could you please turn to Exhibit Number 34?

25 A. 34.

1 Q. If you could look at Schlumberger's analysis, I
2 realize this is hard to read, and there might be a more
3 clear picture on the second page of this exhibit.

4 A. Uh-huh.

5 Q. So let's look at the second page, since it's a
6 little more legible. Could you walk me through what the
7 inputs are in the different charts that are shown here?

8 A. Yeah. So the inputs here -- as you can see in
9 this, the gamma ray is the leftmost one.

10 Q. On. And what information was used to get that
11 gamma ray information? I mean what data was used?

12 A. That's the data collected. You basically send
13 a -- and collect the information. So that's collected
14 data.

15 Q. Where was that collected data taken from?

16 A. That was taken from the Tetris well that's
17 present in the section.

18 Q. That's just the gamma ray from the Tetris?

19 A. Yeah.

20 Q. What's the next one?

21 A. Affected porosity.

22 Q. Is that porosity just for the Tetris well?

23 A. Yes.

24 Q. Solely from the Tetris well down in Reeves
25 County?

1 A. Yes.

2 Q. And the next column, what does that show?

3 A. It shows the permeability.

4 Q. That's the permeability from the Tetris well?

5 A. From the Tetris well.

6 Q. Okay. Where is the pressure? Is there
7 pressure shown?

8 A. The stress, as you can see -- I don't exactly
9 see the pressure here, but you see the stresses in the
10 fourth one from the right.

11 Q. And the fourth one from the right, that's the
12 next column over. And where -- you said you don't see
13 pressure, but you see stresses. So how does stress show
14 you the pressure?

15 A. Yeah. So the pressure is basically -- was
16 collected like from the -- Schlumberger has a lot of
17 information in this particular area.

18 Q. And Reeves County?

19 A. Yeah, in this area. And then we have some
20 present data in our wells, so Schlumberger uses the
21 information provided by BTA.

22 Q. And is the pressure data similar to what it
23 would be within the Ogden spacing unit?

24 A. Yeah, I believe so.

25 Q. And why do you believe so?

1 A. Because -- because the way the wells are being
2 drilled there, as you can see, the pressures would
3 pretty much behave the same because there is no casing
4 point or five point where you enter these areas where
5 the pressure appreciably changes.

6 Q. And here we're looking, at the top of this
7 page, at the landing point of 10,494 feet?

8 A. Yes.

9 Q. But you just testified earlier that the TVD for
10 the Ogden wells, at least in the Upper Wolfcamp wells,
11 was 9,450 feet, right?

12 A. Yes.

13 Q. And the TVD for the 3rd Bone Spring Sand wells,
14 is that approximately 9,290 feet that's been proposed?

15 A. Pardon me?

16 MR. FELDEWERT: Are you talking about the
17 3rd Bone Spring?

18 THE WITNESS: 3rd Bone Spring.

19 MS. BRADFUTE: Yeah.

20 THE WITNESS: It would be in that area.

21 Q. (BY MS. BRADFUTE) There would be 200 feet
22 difference between those two zones, those two TVDs?

23 A. Uh-huh. Uh-huh.

24 Q. I want to turn back to the chart. The yellow
25 graph, what is the --

1 A. Pardon me. Which one?

2 **Q. Kind of this yellow bar right there.**

3 A. Yeah. That's basically from the gamma ray log
4 and the porosity -- the gamma ray log and the spectral
5 gamma ray log.

6 **Q. Next column over, what is the input?**

7 A. Poisson's ratio -- particular well to get that
8 value.

9 **Q. And it's in that particular well, meaning the
10 Tetris well?**

11 A. Yes.

12 **Q. Next column over, what's the input for that?**

13 A. The input is also basically from the previous
14 curves you see in here, so that's basically calculated
15 from the earlier -- that's basically the calculated
16 value based on the other log data we have, like the
17 sonic data.

18 **Q. And what do you mean it's basically calculated?
19 Is there some or -- of the sum? Does it go into an
20 equation?**

21 A. Yes. It goes into an equation.

22 **Q. Okay. What does that equation evaluate? What
23 does this chart tell you?**

24 A. This basically gives us an idea on basically
25 how the stresses would be particular -- of the rock and

1 stuff. That's what this curve will help with. This
2 curve helps us in determining the stresses that's going
3 into the input of the next one.

4 **Q. Let's move to the next one. What is the input**
5 **there?**

6 A. The input into this one -- model and other --
7 you have in there that you have collected.

8 **Q. And do you know what that underlying data would**
9 **be? The logs for the Tetris well, correct?**

10 A. Yes.

11 **Q. And then finally, there is column labeled**
12 **"Stress."**

13 A. Yes.

14 **Q. And that is the stress results that are**
15 **generated?**

16 A. That are generated based on the calculations
17 that were done in the previous columns.

18 **Q. Okay. And did you complete off of these same**
19 **inputs for the Ogden area?**

20 A. In the Ogden area, no. We don't have the data
21 there.

22 **Q. Okay. And you don't have any data from wells**
23 **within the same vicinity, correct?**

24 A. Yeah. We don't have.

25 **Q. You testified earlier that you believe there is**

1 a mechanical barrier in between the 3rd Bone Spring Sand
2 and the Upper Wolfcamp zone, right?

3 A. Yes. Yes.

4 Q. What do you mean by mechanical barrier?

5 A. What I mean is the frac is not going to break
6 through that particular layer.

7 Q. Okay. So you don't see -- you don't foresee
8 the frac actually extending that 200 feet up into the
9 next --

10 A. So like based on the model that we have here in
11 Tetris, a well that has been landed in the Wolfcamp B
12 Sand is not going to go into the Bone Spring Sand. So
13 the layers which are stopping the proppant, that's what
14 I'm calling the mechanical barrier. It's stopping the
15 proppant from propagating up. Any layer that is
16 stopping, that is what I meant by mechanical barrier.

17 Q. Okay. I want to briefly switch topics into
18 well spacing.

19 A. Uh-huh.

20 Q. Previously, during the April 24th hearing,
21 BTA's testimony was that it was using spacing of four
22 wells per section so four-well-per-section spacing. Is
23 that still currently BTA's plan for development for this
24 area?

25 A. Yeah, I believe so.

1 Q. Okay. And it may help if we look at Exhibit
2 21. So if we focus on the upper, left-hand side of this
3 exhibit, it looks like there's going to be two wells in
4 each zone proposed by BTA which would then result in
5 four wells per section being drilled in each zone,
6 correct?

7 A. Yes.

8 Q. Okay. I want to kind of see what the
9 difference is or what your understanding of the
10 difference is between some of these different geologic
11 formations. Does the Wolfcamp Sand have different
12 petrophysical properties from the Wolfcamp Formation?

13 A. From the Lower Wolfcamp?

14 Q. Yeah.

15 A. Yeah. Yes.

16 Q. How do they differ?

17 A. The Lower Wolfcamp is predominantly shale. The
18 Bone Spring is sand.

19 Q. Okay. So do they have different permeabilities
20 and different porosities?

21 A. They could have. Yeah, they could have.

22 Q. They could have.

23 Do you know if they have?

24 A. I don't remember right now.

25 Q. Okay.

1 A. Yeah.

2 Q. Would it help to look back at your Wolfcamp
3 exhibits?

4 A. Yeah.

5 Q. Your exhibits in the Wolfcamp case, starting
6 with your cross section, is located under Exhibit 13.
7 Does this document help you determine if there are
8 different permeabilities and porosities between the
9 Upper and Lower Wolfcamp?

10 A. So in 13 -- I'm looking at 13, Wolfcamp, Bone
11 Spring landing zone. I'm looking at the porosities
12 here.

13 Q. Okay. And there is another cross section in 14
14 as well.

15 A. In 14? Okay.

16 Q. And, again, we're looking to see if these
17 exhibits tell you anything -- inform you about the
18 differences in the porosity or the permeability between
19 the Upper Wolfcamp Sand and the Upper Wolfcamp
20 Formation.

21 A. Yeah. I'm looking at these two exhibits, which
22 has the -- these are showing -- these are not showing
23 the Lower Wolfcamp in here. What I'm showing is the
24 Upper Wolfcamp Sand.

25 Q. Did you prepare any exhibits studying the

1 geology of the Lower Wolfcamp Formation?

2 A. I don't remember.

3 Q. Okay. I looked through and I haven't seen the
4 Lower Wolfcamp right now as I'm asking these questions.
5 So would you agree that there are not any logs or cross
6 sections that have been presented by BTA concerning the
7 Lower Wolfcamp Formation?

8 A. I don't remember if we have presented them or
9 not.

10 Q. Okay. Could you flip through your exhibits and
11 confirm?

12 A. Yeah.

13 I don't see any in the presentation of
14 having any Wolfcamp -- Lower Wolfcamp.

15 Q. Yeah, Lower Wolfcamp. We refer to it as D, as
16 in David. In your professional experience, have you
17 seen different permeability and porosity rates between
18 the Wolfcamp and the Lower Wolfcamp Formation?

19 A. Between?

20 Q. Yeah. Are there differences in the
21 permeability rates in the Upper Wolfcamp and the Lower
22 Wolfcamp?

23 A. Yes, between those two and also laterally
24 between the same formation, too.

25 Q. And laterally. Okay.

1 **Generally, is there lower permeability in**
2 **the lower portions of the Wolfcamp?**

3 A. I can't generalize this one here. I need to
4 look at the log and say, Okay, there is a difference.
5 That's what I would like to do.

6 **Q. At this point, you don't know?**

7 A. At this point in time, yeah. I always like to
8 see the evidence before saying one way or the other.

9 **Q. To your knowledge, you cannot -- conducted that**
10 **study that you can remember today?**

11 A. Yeah. I don't remember kind of the exact
12 numbers as to how different they are.

13 **Q. Okay. Did you study permeability and porosity**
14 **differences between the planned -- the well spacing for**
15 **these wells?**

16 A. In this particular area?

17 **Q. Yes. Yeah.**

18 A. Yeah. Yeah. We look at pretty much, like,
19 what, you know, the numbers are saying, and that's how
20 we come up. And frac models are basically there to do
21 that. Like, you know, your frac designs would actually
22 help in -- like, you know, with those things.

23 **Q. Okay. But you haven't presented any**
24 **information that would confirm that as to the Lower**
25 **Wolfcamp anyway, correct?**

1 A. Yeah.

2 Q. And just for my own benefit, when there are low
3 permeability rates, there is kind of more of a C and D
4 Formation; is that correct?

5 A. It's hard for fluid to move through. I mean,
6 that's the reason we are all fracking here, just to get
7 over that.

8 Q. Okay.

9 A. So the fracking, most of the time, takes care
10 of all these issues that -- about these permeability
11 issues.

12 Q. Okay. But when there is higher -- higher
13 permeability, then there is more flow, right?

14 A. Yes.

15 Q. So the fluids can flow into the well from
16 further away, correct?

17 A. Yes.

18 Q. Is that your understanding?

19 A. Yes.

20 Q. So understanding those permeability differences
21 can be important when you're spacing your wells, right?

22 A. Yes.

23 Q. Okay. I want to look back at Exhibit 1 for
24 BTA. Maybe you can help explain to me why all of BTA's
25 wells are spaced essentially the same regardless what

1 **formation they are in.**

2 A. Well, when it comes to Lower Wolfcamp, BTA has
3 drilled three Lower Wolfcamp wells, and we have a
4 history of producing in the Lower Wolfcamp in this
5 trend.

6 **Q. And I apologize, but you have a history in**
7 **which you've drilled three Lower Wolfcamp wells?**

8 A. Yeah, three Lower Wolfcamp wells in the area a
9 little farther west, so BTA could probably use that
10 information.

11 **Q. Where is that area?**

12 A. It's called Herron Ranch.

13 **Q. And where is that located?**

14 A. It's east -- east of Ogden.

15 **Q. East of the Ogden in Eddy County still?**

16 A. Yeah.

17 **Q. And did it drill three Lower Wolfcamp wells**
18 **within the same half section?**

19 A. No, not three.

20 **Q. You said that BTA had a drilled three Lower**
21 **Wolfcamp wells.**

22 A. I'm talking the number of wells.

23 **Q. Oh, total?**

24 A. Yeah, total number of wells.

25 **Q. For New Mexico?**

1 A. Yeah.

2 Q. Okay. I think that concludes my questions.

3 EXAMINER JONES: Mr. Brooks?

4 CROSS-EXAMINATION

5 BY EXAMINER BROOKS:

6 Q. I have very little. On Exhibit 33, that covers
7 a pretty large area. Where's the state line on that
8 exhibit?

9 A. The state line would be basically like along
10 the right, where the second well in the cross section
11 is.

12 Q. Okay. Yeah. That's what I thought.

13 Now, where is the subject area of this
14 township and range? It's too small for me to read on
15 this copy.

16 A. Yeah. So the -- it's right next to the first
17 well in the cross section.

18 Q. Okay. So is the first well in the cross
19 section -- is that east or west?

20 A. East of the cross section.

21 Q. Okay. So it's east of the cross section.

22 The cross section is the next township to
23 the west -- I mean the subject area. Where is the
24 subject area?

25 A. Yeah. The subject area is like the light

1 yellow in color kind of like in the southeastern --
2 southeastern quadrant of the well location symbol.

3 Q. Okay. If you're looking at the well location
4 symbol, it's --

5 A. Right above the 7. So you see the 3001534572?
6 It's right above the 7.

7 Q. That's the subject area?

8 A. Yeah, that's the subject area.

9 MR. FELDEWERT: Mr. Brooks? David --

10 EXAMINER BROOKS: Yes.

11 MR. FELDEWERT: -- I think he testified --
12 if you look at Exhibit 31 --

13 EXAMINER BROOKS: Oh, Exhibit 31.

14 MR. FELDEWERT: If you look at Exhibit 31,
15 I believe the witness testified where it's located on
16 Exhibit 31.

17 THE WITNESS: Yes.

18 EXAMINER BROOKS: Yeah, he did. What I was
19 concerned with was getting it located on Exhibit 33.

20 MR. FELDEWERT: I gotcha.

21 Q. (BY EXAMINER BROOKS) So on Exhibit 33, Sections
22 29 and 32 of 23 South, 28 East would be in the
23 section -- in the township -- would that be in the
24 township immediately west of Number 34572, or would they
25 be in the same township as Number 34572?

1 A. So that well is in Section 30, and the acreage
2 is Section 29 right next to it on the eastern side.

3 **Q. It's the same township?**

4 A. Yeah, same township.

5 MR. FELDEWERT: It's the adjacent section,
6 David.

7 EXAMINER BROOKS: Okay. I'm okay with that
8 now.

9 **Q. (BY EXAMINER BROOKS) Okay. Also, on Exhibit**
10 **34, the area that you testified about represents the**
11 **area you testified represents the frac dispersal area?**

12 A. Uh-huh.

13 **Q. This is -- the vertical axis on here is the**
14 **depth shown in the far left log column; is that right?**

15 A. Yes, sir. Yes, sir.

16 **Q. And the horizontal distance is -- the**
17 **horizontal dimension is what?**

18 A. You mean the distance between these wells?

19 **Q. No, the -- the horizontal -- what is being**
20 **measured on the horizontal axis?**

21 A. Between the wells or on the frac model?

22 **Q. In the second-to-the-right column on the**
23 **model -- on the -- yeah, on the graph that's the last**
24 **page of Exhibit -- well, it's a blowup on the last page.**

25 A. Yeah. The second one is showing the porosity.

1 Q. Okay. Well, I'm talking second from the right.

2 A. Oh, second from the right. Yes. The scale --
3 like, the scale, as you can see, the zero -- the color
4 scale is from zero to 100.

5 Q. I see it's marked, but what does that
6 represent?

7 A. So that represents the average conductivity of
8 the proppant.

9 Q. Okay. Okay. Now, why is there that little box
10 in the upper, left-hand of the -- it's not colored in.
11 What does that mean?

12 A. In the same one, from zero to 1,000?

13 Q. Yes.

14 A. That's basically the frac length.

15 Q. Okay. So frac length is what is being measured
16 along the -- along the horizontal axis?

17 A. Yes, sir.

18 Q. And the depth is on the vertical axis?

19 A. Yes, sir.

20 Q. Okay. Then that goes -- that gets back to my
21 question: Why is there that -- the pink comes out from
22 the lands up at the top right around the 10,500 foot,
23 and then there is a big, white area, and then the pink
24 resumes a little bit further on, and there is another --

25 A. Yeah. So like what's happening here is, like,

1 you know, as the fracture width changes, the water can
2 go in but not the proppant.

3 Q. Now, you explained -- actually, I don't think I
4 have to understand this. I think I'm wasting time here
5 as the person who does not understand -- I understand
6 the concept you're mentioning, but it doesn't answer my
7 question, but my question may be a dumb one. I'm going
8 to pass on it.

9 EXAMINER JONES: No, it's not dumb.

10 CROSS-EXAMINATION

11 BY EXAMINER JONES:

12 Q. I guess I'll just start by what I remember
13 here. So you're not planning on drilling the 2nd Bone
14 Spring Sand?

15 A. 2nd Bone Spring? Yes, we will in the future.

16 Q. In the future?

17 A. Because once we drill the Wolfcamp, we have the
18 rights.

19 Q. Okay. The development comparison that's on, I
20 think, three or two, one of them, the density -- the
21 well density is quite a bit different between what is
22 shown by BTA versus Marathon. Is that -- is that
23 significant? Do you have anything to say about that and
24 exactly what targets you're going for here versus what
25 they're going for?

1 A. Yeah. For us, our well spacing has been based
2 on what's happening all around us and based on the
3 production data we have seen in this area -- so like,
4 for example, the cross section that is -- and a lot of
5 wells have been drilled in this area in the Upper
6 Wolfcamp and the Lower Wolfcamp in this particular area.
7 That's the reason -- that was taken into consideration
8 in this spacing. The history of the production has been
9 taken into consideration. That's the main thing. The
10 history of production has been taken into consideration.

11 **Q. Okay. What exhibit is that?**

12 MR. FELDEWERT: Exhibit 21.

13 THE WITNESS: Exhibit 21.

14 **Q. (BY EXAMINER JONES) Okay. So Marathon's**
15 **proposing a well in the Upper Wolfcamp, but you don't**
16 **have one proposed. Is that -- is that -- that's about**
17 **100 feet difference. So is that significant at all?**

18 A. Yeah. It's significant in the sense -- sir,
19 could you rephrase the question?

20 **Q. In the sense that it would influence who should**
21 **be the operator here. I mean, why should -- in your**
22 **opinion, should BTA be the operator in this area?**

23 A. I mean, like if you see the production trend in
24 this particular area, we are following the production
25 trend in the area, and we have shown the analysis as to

1 how the frac model is behaving from what we have here.
2 And I have tied this one all the way to what we have
3 here. But to go for this density and stuff, we haven't
4 seen any geological evidence as to why they should have
5 this. Whereas, we have in evidence as to -- we are
6 showing the frac model as to where the frac is going,
7 and we have a -- of production by all the surrounding
8 operators in the area, and we have demonstrated
9 ourselves by drilling wells in the Lower Wolfcamp. So
10 we have a history of drilling Lower Wolfcamp in this
11 area. And we are showing the data to prove that we are
12 using the science in here.

13 **Q. Okay. Are you drilling in the east half the**
14 **Lower Wolfcamp?**

15 A. Yes. As of now the well is being drilled, I
16 think as of this morning, or TVD is 5,000 feet.

17 **Q. Are you going to drill a pilot hole anywhere in**
18 **this area?**

19 A. We are going to drill it, we will log it and
20 get all the suites of logs in this area, so that will
21 help in the analysis.

22 **Q. Will there be stress logs?**

23 A. We are planning to do a good study in this
24 particular area from this particular well. So we are
25 demonstrating that we are using our science to develop

1 this area rather than just putting the numbers.

2 **Q. So a pilot hole to go down through the Bone**
3 **Spring, log the whole Wolfcamp, Bone Spring?**

4 A. Not a pilot hole. Whole drilling to the
5 Wolfcamp and Bone Spring log, the whole -- Upper
6 Wolfcamp and the Bone Spring Sand. So we'll have a good
7 idea on what this area is. And, you know, we also have,
8 like, partnerships with other people where they are
9 having logs. So we are using all the data to come up
10 with this model as to the number of wells that are being
11 drilled.

12 **Q. Okay. So just because you don't have some**
13 **wells spotted here doesn't mean you don't have any plans**
14 **for the future?**

15 A. Yeah. Basically, we will look at the data. If
16 anybody provides us the evidence -- that's what we're
17 looking for. We're searching for evidence. If there is
18 evidence, let's see it. For us, what we have to do
19 here, we will do it.

20 **Q. Okay. Your wells down in Reeves County that**
21 **you've -- that Schlumberger did the data on, that's**
22 **about 1,000 feet deeper, right?**

23 A. Yes, sir.

24 **Q. So is that significant?**

25 A. Like, when you think about the depletion model

1 when deposited, they're pretty much flat, and depending
2 on the logs, pretty much continuous. And if you do not
3 hit any high pressures before you get to do -- constant
4 rise in pressure until you get to somewhere in the
5 Wolfcamp. So we believe, like, in the lack of the
6 options in the data -- for example, if we logged in
7 logged this well welcomed it could be different based on
8 analysis no hard pressures hypotheticals in this area.
9 Thick compared these logs in here. So it's a gradual
10 change, but at the time of the depletion pretty much the
11 same barriers deposited at the same time, so probably
12 behave the same way. So that's the reason. That's the
13 reason I included this well. And we have production
14 with the proven Wolfcamp in this. We will know it is
15 holding true in this area.

16 **Q. So you're basically not expecting the higher**
17 **pressures -- the Wolfcamp higher pressures in this area**
18 **until you get down to the lower part of the Wolfcamp?**

19 A. And we did not, because we already drilled the
20 #2H. We already drilled the #2H into the Sand.

21 **Q. What mud weight did you use?**

22 A. Pardon me?

23 **Q. What mud weight did you use?**

24 A. I don't exactly remember the numbers. I don't
25 have hard numbers.

1 Q. You didn't have to change mud weights or
2 anything like that?

3 A. Not much difference, nothing to explain
4 drilling there. So nothing -- yeah.

5 Q. Okay. This perm barrier is related to your
6 unconformity between the Wolfcamp and the Bone Spring
7 geologically? Is that some sort of -- you don't see
8 anhydrites in there, do you?

9 A. No, I didn't see any anhydrites. That is where
10 the pressure is changing a little bit, if at all, and
11 it's a carbonate. It's mainly --

12 Q. Oh, it's carbonate?

13 A. It's carbonate. The extent of the carbonate --
14 it's the Wolfcamp, so we know even if it changes, all
15 the changes are not significant until you get to the
16 Middle Wolfcamp.

17 Q. Okay. Thanks for that.

18 And you're drilling the east half right
19 now. When the Purple Sage was proposed and then also
20 before that, when Cimarex was drilling, it showed a
21 stress direction I think north-southeast. Frac's go like
22 that along the well. Is that -- this data that you're
23 showing here, did it -- how many orientation or stress
24 directions?

25 A. No. This doesn't have any orientation of

1 stress direction in this area. Yeah.

2 Q. So the stresses might have an orientation, but
3 the two horizontal stresses are pretty close to equal;
4 is that correct?

5 A. It's, you know, based on generally published
6 articles, trending northwest to southeast. If you drill
7 lay-down or stand-up, you are getting that.

8 Q. Pretty good wells anyway?

9 A. Yeah. Yeah.

10 Q. But stand-up is -- generally most of the wells
11 you see nowadays are stand-up wells?

12 A. Because of the structure, if you're going down,
13 you have to geosteer them continuously. Whereas, if you
14 strike -- depending on the strike, you don't need to
15 steer them.

16 Q. You had a spectral gamma ray?

17 A. Yes. Yes.

18 Q. Do you run that routinely if you run logs in
19 this area?

20 A. For every -- try to get that -- develop that
21 well without any waste.

22 Q. Is that a company decision, to drill a pilot
23 hole in every section?

24 A. Not a pilot hole but collecting logs in the
25 deepest well, locate the logs, so analyze the whole

1 thing. And we're already in the process in this area.

2 Q. Okay. Your application says "330 setbacks."
3 Are you going to -- this is Bone Spring. So are you
4 going to expect to change those?

5 A. About those displacement and things, I think
6 the land could answer those questions better than me.

7 Q. Your regulatory person would probably be the
8 one for that.

9 Okay. And just for my benefit, do you have
10 a frac model on your desk that you play with, or are you
11 using Schlumberger's? This was a tagged well? It was
12 tagged with radioactive sand?

13 A. This was done by Schlumberger, and we use
14 Schlumberger.

15 Q. Okay. But your engineers would be the ones who
16 have the frac model on their desk, right? They would be
17 the ones that would do the -- unless you have an
18 in-house Schlumberger or Baker person that takes care of
19 your frac modeling.

20 A. We don't have an in-house. We basically go to
21 Schlumberger because they have good operators, and they
22 have -- they have a good idea on the whole basin because
23 they do a lot of work for a lot of different companies,
24 and their knowledge base is much more than an in-house
25 person.

1 Q. Yeah. Yeah.

2 EXAMINER BROOKS: If Gary were here, he
3 would say, "Here, here."

4 EXAMINER JONES: He would. He would.

5 Q. (BY EXAMINER JONES) I think that's about it.
6 The depth -- the well you show here, you just show these
7 tracts off to the right as being on depth, but you're
8 pretty confident they are on depth with the new well
9 that is fracked?

10 A. Yes. Yes. Yes.

11 Q. Okay.

12 A. Yeah. You can correlate those green colors in
13 the second column in the frac model. They kind of
14 correspond to where the sands are.

15 Q. Okay. Yeah. Your Exhibit 34 is dramatically
16 showing -- is it correct to say it's dramatically
17 showing -- the 3rd Bone Spring Sand has got high stress
18 barriers above and below it?

19 A. Yes, sir.

20 Q. Okay. But your Wolfcamp is a little more
21 complicated, it looks like.

22 A. Yeah.

23 Q. It looks like it's a different rock entirely
24 down there. It looks like -- so it's not really a sand.
25 Would you describe it as a sand?

1 A. In the Lower Wolfcamp --

2 Q. This is Upper Wolfcamp.

3 A. Yeah. It's going down the Upper Wolfcamp
4 Shale.

5 Q. Like shaley sand?

6 A. Yeah. It's more like a shale.

7 Q. Okay. That's all I've got.

8 EXAMINER JONES: Redirect?

9 MS. BRADFUTE: Mike, I have one
10 point-of-clarification question.

11 RE CROSS EXAMINATION

12 BY MS. BRADFUTE:

13 Q. Mr. Eti, in the east half, which well is the
14 Wolfcamp D well that you guys have drilled?

15 A. East half? 1H.

16 Q. The One Hitch or One Hedge?

17 A. 1H.

18 Q. And I guess I misunderstood your testimony. So
19 has BTA drilled a deep Wolfcamp well in the east half of
20 Section 29 and the northeast quarter of Section 34, if
21 you look at Exhibit 28?

22 A. Yes.

23 Q. Do you know which well it is?

24 A. Yeah. 1H is the --

25 Q. The 1H?

1 A. Yeah.

2 Q. Sorry. I apologize.

3 Do you know what the TVD for that well was?
4 I tried to pull up the well permit to confirm, see if I
5 could answer the question, but --

6 A. TVD is maybe 10,500. I don't exactly remember
7 from the top of my head.

8 Q. And this is just looking at the production
9 casing. It says, "Setting depth at 9,800."

10 A. That would be a casing, but that's not the TVD,
11 not lateral length point.

12 Q. I can't find the TVD listed.

13 Okay. That clarifies. Thank you.

14 A. Okay. Thank you.

15 MR. FELDEWERT: I have no questions.

16 EXAMINER JONES: Okay. Thank you.

17 (Recess, 11:36 a.m. to 12:32 p.m.)

18 EXAMINER JONES: Let's go back on the
19 record and continue with BTA's case.

20 MR. FELDEWERT: Call our next witness.

21 EXAMINER JONES: Yes.

22 BRITTON McQUIEN,

23 after having been previously sworn under oath, was
24 questioned and testified as follows:

25

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. FELDEWERT:

Q. Would you please state your name, identify by whom you're employed and in what capacity?

A. Britton McQuien. I work for BTA Oil Producers, LLC as a reservoir engineer.

Q. How long have you been with BTA as a reservoir engineer, Mr. McQuien?

A. Nearly 14 years now.

Q. And have your responsibilities included the Delaware Basin of New Mexico and Texas?

A. Yes.

Q. Did you testify in April -- at the April hearing as an expert in petroleum engineering and petroleum reservoirs?

A. Yes.

Q. Are you familiar with the applications filed in these consolidated cases?

A. Yes.

Q. Including the competing well proposals and amended pooling applications filed by Marathon?

A. Yes.

MR. FELDEWERT: I would retender Mr. McQuien as an expert witness in petroleum engineering and petroleum reservoirs.

1 MR. BRUCE: No objection.

2 MS. BRADFUTE: No objection.

3 EXAMINER JONES: He's so qualified.

4 Q. (BY MR. FELDEWERT) Mr. McQuien, if you look at
5 Exhibit 21 --

6 A. Yes, sir.

7 Q. -- did you supervise the creation of this very
8 helpful schematic?

9 A. Yes.

10 Q. And does it accurately reflect the location and
11 target zones for the wells that are depicted?

12 A. Yes.

13 Q. And is it your understanding that based on
14 Marathon's exhibits that you have properly circled the
15 four wells that they identified as their phase one
16 drilling to their plan?

17 A. Yes.

18 Q. There's been questions about this. Okay? So
19 would you explain for Marathon and the Examiners the
20 drilling plan for the -- and we're just talking about
21 the initial wells that form the spacing unit, right?

22 A. Yes, sir.

23 Q. Would you talk about the drilling plan for
24 those initial wells?

25 A. So for the Wolfcamp, the initial wells will be

1 the Ogden, on the cross-section view denoted as the 5H
2 and the 6H. They will be targeting the Wolfcamp Sand.
3 They will be drilled -- the surface location or pad will
4 be just barely in Unit F of Section 32. The wells will
5 be laterally drilled and landed at -- the 6H will be 660
6 feet from the west line of the unit, and then the 5H
7 will be 1,980 feet from the west line of the unit. The
8 wells will be drilled approximately a mile and a half
9 from south to north, and we will try to get the setbacks
10 to where we can have the take points exposed to the
11 maximum amount of reservoir in the wells.

12 **Q. Okay. Now, these would be the wells that would**
13 **initially form the Wolfcamp spacing unit?**

14 A. That's correct.

15 **Q. In which we've got the federal permits?**

16 A. That's correct.

17 **Q. Does the company then -- what's the next --**
18 **after they get that Wolfcamp spacing unit formed, what**
19 **would be the next drilling?**

20 A. So at this point, there are -- some of the
21 timing issues come into play here. We have the 7H --
22 the 7H and the 8H are -- needed to earn some deep rights
23 due to the Pugh clauses written into the lease. Those
24 will be the next wells drilled in order to earn those
25 deep rights. And they will be drilled from a pad

1 location located over in Unit E, I believe, Section 32,
2 drilled south-north with 1,320 feet spaced in between
3 them.

4 Q. Okay. So the Wolfcamp wells are going to be
5 drilled south to north?

6 A. Yes.

7 Q. Okay. And you have your pad, the 5H and 6H?

8 A. Yes. We do have a pad built for the 5H and 6H.

9 Q. And you've got your permits -- federal permits
10 for these wells?

11 A. That's correct.

12 Q. And then once you form that spacing unit and
13 you save the deep rights, what's the next step?

14 EXAMINER BROOKS: Okay. Let me interrupt
15 you --

16 MR. FELDEWERT: Sure.

17 EXAMINER BROOKS: -- because I don't want
18 anybody to be mistaken when they read the transcript.

19 CROSS-EXAMINATION

20 BY EXAMINER BROOKS:

21 Q. You said the Wolfcamp wells would be drilled
22 from south to north, and that's true of the 7 and 8H.
23 But it looks like -- no, wait. Yeah. Oh, I'm sorry.
24 I'm wrong. I'm the one that's wrong. No. I'm confused
25 here. It looks like we have a surface location up in

1 **the north end of 30. That's for the 9 and 10, right?**

2 A. Yes, sir.

3 **Q. Which are Bone Spring?**

4 A. Right.

5 EXAMINER BROOKS: So I'm wrong.

6 Mr. Feldewert, you're right, not that
7 that's an unusual situation.

8 (Laughter.)

9 MR. FELDEWERT: I'm glad we got that on the
10 record.

11 MR. BRUCE: A matter of fact for future
12 cases.

13 (Laughter.)

14 CONTINUED DIRECT EXAMINATION

15 BY MR. FELDEWERT:

16 **Q. So let me get back to Mr. Brooks' question.**
17 **The 9H and the 10H, where are you planning on drilling**
18 **that?**

19 A. Those will be in the northwest corner of this
20 480 potential Wolfcamp unit now. These will be 240-acre
21 Bone Spring units drilled from a pad location. The 9H,
22 330 feet off the west line, and then the 10H will be
23 1,320 feet east of that well to sit at 1,650 -- well,
24 actually, it will be 1,330 feet off its unit line. We
25 will construct the wells to best take advantage of

1 Mewbourne's oil wells where we've got 100-foot offsets
2 for take points -- first and last take points.

3 Q. Okay. Now, are there -- now, with respect to
4 the 5H and the 6H, do you intend to simultaneously drill
5 and then complete those wells?

6 A. Yes.

7 Q. And when you get to the spacing unit for the
8 wells of the 9H and the 10H, will you -- since they're
9 from the same pad, do you intend to drill and
10 simultaneously complete those?

11 A. Yes.

12 Q. Okay. Why do you do that?

13 A. There's a cost -- cost savings and just an
14 overall efficiency to doing the pad drilling and
15 zipper-fracking.

16 Q. And you're aware, under the standard pooling
17 order, it usually provides 120 days between the
18 commencement of drilling and the time in which you would
19 have to complete at least one of the wells, right?

20 A. Yes.

21 Q. Okay. I think at the last hearing, you
22 suggested -- asked the Division to give you 180 days to
23 do that?

24 A. Yes.

25 Q. Okay. Do you think that would work as well for

1 the Bone Spring wells?

2 A. Yes.

3 Q. Okay. You may not need 180 days?

4 A. No.

5 Q. It's just out of an abundance of caution?

6 A. That's correct.

7 Q. And that would be the period of time, after the
8 commencement of drilling, until you have to complete at
9 least one of the wells to form the spacing unit?

10 A. From the commencement of drilling --

11 Q. To the completion to form the spacing unit.

12 A. Okay.

13 Q. All right. Now, you testified in April why
14 mile-and-a-half laterals are more effective than
15 one-mile laterals in this area. Do you remember that?

16 A. Yes.

17 Q. And does that testimony apply equally for the
18 Bone Spring Formation?

19 A. Yes.

20 Q. So I think we can skip that now because based
21 on the amended application, Marathon agrees with your
22 analysis, right?

23 A. Apparently so.

24 Q. Okay. What has been the primary zone of
25 development to date in the area surrounding these

1 **proposed spacing units?**

2 A. So the primary zone has been the Lower Wolfcamp
3 Shale and the Wolfcamp Sand intervals. We've seen a lot
4 of development in this area.

5 Q. Okay. Let's go to what's been marked as BTA
6 Exhibit 36. And this is comprised of three pages,
7 correct --

8 A. Yes.

9 Q. -- pull-out pages?

10 And each one of these pages deals with a
11 different zone?

12 A. That is correct.

13 Q. All right. And it looks like your first page
14 addresses the Lower Wolfcamp horizontals?

15 A. That's correct.

16 Q. All right. The wells that you show on here,
17 what's the status of those wells? What have you
18 included?

19 A. So the wells shown on here are -- have been
20 completed. There is actually -- on the legend, you can
21 see the status of this, open-circle permits. There is a
22 waiting-on-completion symbol, and then predominantly all
23 of these, since they're in the Purple Sage field, are
24 gas wells and actually showing one pilot hole up in 15.

25 Q. That's that red circle?

1 A. Yes.

2 Q. Okay. Go ahead.

3 A. And the colors reference different operators
4 that drilled all of these wells.

5 Q. Okay. So who -- who's been the primary
6 operators out there in this area?

7 A. Matador and Mewbourne have drilled the lion's
8 share.

9 Q. And if we go, then, to the second page of this
10 exhibit, is this a similar exhibit for the Wolfcamp --
11 Upper Wolfcamp Sand horizontal?

12 A. Yes.

13 Q. It's just called the Upper Wolfcamp Sand?

14 A. Yes, the Wolfcamp Sand, Upper Wolfcamp Sand.

15 Q. And similarly do you show all the wells that
16 have been drilled?

17 A. Yes.

18 Q. And by the same token, you show the colors
19 representing different operators?

20 A. That's correct.

21 Q. And then the third page, does this reflect the
22 development of the 3rd Bone Spring in this area?

23 A. Yes.

24 Q. Hasn't been a whole lot, right?

25 A. No.

1 **Q. I see that there's only been two operators so**
2 **far that have drilled in the 3rd Bone Spring?**

3 A. Yes.

4 **Q. And they are whom?**

5 A. There are a couple of wells with green
6 attributes. Those were drilled by OXY. And then
7 several wells in kind of a purple color, those on
8 Marathon's wells. You know, none of them are showing to
9 be completed wells at this point.

10 **Q. They have not?**

11 A. Have not reported a completion.

12 **Q. Okay. All right. Now, last time we were here,**
13 **Marathon seemed to indicate that you need to**
14 **simultaneously complete the Lower Bone Spring with the**
15 **Upper Wolfcamp?**

16 A. Yes.

17 **Q. Has any operator in this area seen the need to**
18 **codevelop the Lower Bone Spring with the Upper Wolfcamp?**

19 A. Well, looking at the second and third pages of
20 this exhibit, so far the only completed 3rd Bone Spring
21 wells are in Sections 8 and 17 by OXY. There are no
22 Wolfcamp Sand wells in those sections. Marathon, in the
23 sections adjacent to us, has done it, but like I said,
24 there is -- no completions results have been reported
25 yet.

1 Q. All right. So let's go back a little bit here.
2 If I take a look at the OXY wells on the last page in
3 green, that would be the third -- the lower third -- the
4 Lower Bone Spring, right, 3rd Bone Spring?

5 A. Yes, 3rd Bone Spring.

6 Q. If you look on the previous page for the
7 Wolfcamp Sand, there are no wells drilled by OXY, right?

8 A. No.

9 Q. In this -- in that area where we see the 3rd
10 Bone Spring?

11 EXAMINER BROOKS: Was the "no" responding
12 to "there are no wells," or was it responding to the
13 "correct"? I need to get clear what yes and no means.

14 MR. FELDEWERT: Let me start over. That
15 would be better.

16 EXAMINER BROOKS: Okay.

17 Q. (BY MR. FELDEWERT) Last page, green dots,
18 that's OXY?

19 A. Yes.

20 Q. 3rd Bone Spring Sand?

21 A. Yes.

22 Q. Okay. If I look at the second page and I go to
23 that same area --

24 A. Yes.

25 Q. -- we don't see any OXY ones?

1 A. Yes. Correct.

2 Q. So OXY didn't see a need to simultaneously
3 complete the 3rd Bone Spring with the Upper Wolfcamp
4 Sand?

5 A. That is correct.

6 Q. And as -- and when I look at all the operators
7 here on the second-to-the-last page of this exhibit,
8 there's a number of them, right?

9 A. Yes.

10 Q. Have any of these operators saw a need to
11 simultaneously complete the Lower Bone Spring with the
12 Upper Wolfcamp?

13 A. No, none of them.

14 Q. Okay. And if we focus in at the acreage
15 surrounding our proposed spacing unit and we go to the
16 south half of 32 --

17 A. Yes.

18 Q. -- I see a blue dot there.

19 A. Yes.

20 Q. What does that represent?

21 A. That blue dot is a well that is operated by
22 Mewbourne targeting the Wolfcamp Sand interval. I'll
23 say BTA has a working interest in this well. The well
24 has been completed, flowing back, post-frac at this
25 point.

1 Q. Okay. And you're involved in that development
2 with Mewbourne?

3 A. Yes.

4 Q. Did Mewbourne see any reason to codevelop the
5 3rd Bone Spring Sand with the Upper Wolfcamp?

6 A. No.

7 Q. Okay. If I go over to Section 31 right next
8 door, there's another operator there. Who is that?

9 A. That's Matador, MRC as they've been referred to
10 previously in this hearing.

11 Q. And it shows that they have drilled two
12 Wolfcamp Sand wells?

13 A. That's correct.

14 Q. Have they seen any reason to codevelop with the
15 3rd Bone Spring Sand in this area?

16 A. No.

17 Q. In your opinion as a reservoir engineer, do you
18 see any evidence to indicate that the Lower Bone Spring
19 and the Upper Wolfcamp comprise the same pool or the
20 same source of supply in this area of Eddy County?

21 A. No.

22 Q. Do you agree that the Division properly treats
23 these zones as separate pools in Eddy County?

24 A. I agree.

25 Q. And do you see sufficient evidence to suggest

1 that the Division should require operators to develop
2 these new zones simultaneously?

3 A. Would you rephrase that question?

4 Q. Do you see sufficient evidence to suggest that
5 the Division should require operators to develop these
6 separate zones simultaneously?

7 A. No.

8 Q. And do you believe that waste will occur if BTA
9 develops the Upper Wolfcamp in the Lower Bone Spring
10 zones independently as separate sources of supply?

11 A. No.

12 Q. Is the spacing for BTA's initial development of
13 the Bone Spring and the Wolfcamp Formations consistent
14 with what other operators have done in this area?

15 A. For the Wolfcamp, it is consistent with what
16 other operators have done in the area.

17 Q. And the Bone Spring -- 3rd Bone Spring, we
18 don't have much to go on, right?

19 A. Exactly.

20 Q. And what has generally been that spacing by
21 other parties?

22 A. Four wells per section.

23 Q. Okay. And if I go to Exhibit 21, which is this
24 nice handy map that somebody in your office put
25 together, does BTA's proposed initial wells allow for

1 **infill drilling that's later deemed to be necessary?**

2 A. Yes. There is potential to drill a third well
3 in between the 5H and 6H.

4 **Q. So I'm looking at Exhibit 21 on the left-hand**
5 **side --**

6 A. Yes.

7 **Q. -- right?**

8 A. That's correct.

9 **Q. And what about the -- the 3rd Bone Spring?**

10 A. Same. We do have the opportunity to drill into
11 a well if deemed necessary.

12 **Q. Okay. All right. Now, at this point, the**
13 **company doesn't see a need for that, right?**

14 A. That's correct.

15 **Q. Has Matador recently experimented with**
16 **increasing their density or increased spacing in the**
17 **Upper Wolfcamp in this area?**

18 A. Yes.

19 **Q. If I go to probably Exhibit 37, is that a good**
20 **exhibit to go to?**

21 A. I think so.

22 **Q. Exhibit 37, is that a close-up of the acreage**
23 **that we were just looking at in the prior exhibit?**

24 A. Yes.

25 **Q. Okay. And is this -- what wells are shown on**

1 **here?**

2 A. So the wells shown on here -- of course the
3 unit is -- has a red outline and yellow crosshatch. The
4 wells shown on here are the Wolfcamp Sand completions
5 that are in this vicinity.

6 Q. Okay. Now, just to the west of the acreage at
7 issue here, I see Section 25?

8 A. Yes.

9 Q. Is that operated by Matador?

10 A. Yes.

11 Q. And is that an area where it appears that they
12 have experimented with some tighter spacing?

13 A. Yes.

14 Q. And just to the north -- and that's with
15 stand-up wells?

16 A. Yes.

17 Q. And just to the north of that, Section 24, who
18 operates that acreage?

19 A. I believe Matador does as well.

20 Q. And is that acreage where they've also
21 experimented there with tighter spacing?

22 A. Yes.

23 Q. On a lay-down manner?

24 A. Yes.

25 Q. Have you examined the results of that tighter

1 **spacing, for example, as compared to Section 13?**

2 A. Yes.

3 **Q. Okay. And what have you found?**

4 A. These tighter spacings in 25, you know, it's
5 just the two-well development, but the spacing is
6 consistent with an eight-well-per-section development.
7 Section 24, the spacing is consistent with a
8 six-well-per-section development.

9 **Q. And how is that shown based on the results as**
10 **compared to four wells per section?**

11 A. So they have underperformed pretty
12 significantly in this area.

13 **Q. Okay. Let's go to the second page of this**
14 **exhibit.**

15 EXAMINER BROOKS: Both stand-up and
16 lay-down?

17 THE WITNESS: Yes.

18 **Q. (BY MR. FELDEWERT) If I go to the second page**
19 **of this exhibit, is this a graphic of what you found?**

20 A. Yes.

21 **Q. Okay. Why don't you explain to us the colors**
22 **and what this shows?**

23 A. Okay? So all the wells on the -- in the
24 previous map -- or the previous part of this exhibit
25 plotted the cumulative production. I believe I created

1 this exhibit in June, so maybe through April is when the
2 production was current through. And so the green wells
3 are wells that were either drilled by themselves -- or
4 stand-alones or drilled on that four-well-per-section
5 spacing. And you can see the name of the wells there.
6 There is typically a number before the well number,
7 which that -- that number in the legend represents the
8 section that that well is in. So if you want to compare
9 back to the map to see which wells are where, the
10 section numbers are typically involved.

11 But the green wells are all wells drilled,
12 either stand-alones or three-well-per-section spacing.
13 There is a heavy green line that is the average of those
14 wells. And then a couple of blue wells in Section 24,
15 those are the wells drilled at a six-well-per-section
16 spacing, with the heavy blue line being the average of
17 those two. And then there is the pink, couple wells
18 with a red line being the average of those, and the
19 Warren 25s, and those are eight-well-per-section
20 spacing.

21 You can see -- I mean, I have ten months of
22 data on those wells. You know, looks like they were
23 just under 70,000 barrels' cum, on average, for those
24 two. You compare that to the stand-alone wells which
25 are in excess of 140,000 at month ten.

1 Q. I'm going to interrupt you. On those Warren 25
2 wells in orange --

3 A. Yes, sir.

4 Q. -- if I look at the timeline there --

5 A. Uh-huh.

6 Q. -- does that indicate how they were drilled and
7 completed?

8 A. They were completed, looks like, concurrent
9 completion or simultaneous completion.

10 Q. Simultaneous completion. Okay.

11 A. Yes.

12 Q. And then the blue line would indicate that
13 there was a lag time between the drilling of the first
14 well and the second well?

15 A. Yes.

16 Q. Okay. And yet when you do it simultaneously or
17 you had a lag time, it's showing the same lack of
18 performance?

19 A. That's correct.

20 Q. And what do you observe about the curves that
21 you see here, if you extend those curves out?

22 A. Oh. Especially you can see in the blue, there
23 appears to be flattening, so the rates -- those have
24 gotten down to a pretty low rate at the 20-month period
25 and continue to flatten. The slope of the line on the

1 green wells -- the stand-alone wells are
2 four-per-section wells. The slope of that line is still
3 higher. So the rates we're seeing at that point in time
4 are still quite a bit better than what we're seeing in
5 these other wells. So it's not like these more densely
6 spaced wells are going to catch up with more time.
7 They're getting farther and farther away with more time.

8 **Q. Now, when we look at the previous page, these**
9 **are wells within, what, a mile, mile and a half of the**
10 **acreage at issue?**

11 A. Yeah.

12 **Q. Same correlative zone?**

13 A. Yes.

14 **Q. And were you here in April when we asked**
15 **Marathon's witnesses if they had examined these results?**

16 A. Yes.

17 **Q. And what was their response?**

18 A. The engineer said that he had looked at all the
19 wells that were completed since 2010. The well in
20 Section 25 did not show up in his analysis. And you
21 pressed him on that, and his response was it must have
22 been completed prior to 2010.

23 **Q. When were they completed?**

24 A. May of 2017.

25 **Q. So these are recent?**

1 A. Yes.

2 Q. Okay. All right. In your opinion as the -- as
3 a reservoir engineer, do these results support more
4 dense development than the four-well-per-section pattern
5 used by long-time operators in this area?

6 A. No.

7 Q. Are there other studies out there done by other
8 people that demonstrate the same thing?

9 A. Yes.

10 Q. If I turn to what's been marked as BTA Exhibit
11 38 --

12 A. Yes.

13 Q. -- what's this?

14 A. I believe this was a presentation made by some
15 engineers with Shell at the Unconventional Resources
16 Technology Conference in 2016.

17 Q. And what areas -- what formations did they
18 examine?

19 A. You know, you can see in the summary it says,
20 "Optimum well spacing is one of the main development
21 decisions in the" Wolfcamp -- or the "Delaware Basin
22 Wolfcamp shale assets."

23 Q. That's what we're dealing with here, right?

24 A. Yes, sir.

25 Q. And have you looked at their conclusions?

1 A. Yes.

2 **Q. And if I go to the next page of this exhibit,**
3 **what conclusions do you see that are important to you in**
4 **trying to ascertain how your company should proceed with**
5 **developing acreage where it owns 70 percent?**

6 A. Well, you know, bullet point number two,
7 "Decreased productivity at eight-wells-per-section
8 spacing relative to four wells per section." And then
9 they confirm that they were seeing interference with
10 some microseismic observations, so the production and
11 the microseismic said that should be the case.

12 **Q. Interference of four wells per section?**

13 A. That was bullet two.

14 Bullet three is -- they were seeing -- they
15 had some surface- and bottom-hole pressure data, and
16 even at four wells per section, they were seeing some
17 interference between those. So it's going -- you know,
18 if you go any denser than that -- at four wells per
19 section, the wells are already talking to each other,
20 was their conclusion.

21 **Q. Okay. So when you sit here and you look at the**
22 **results of the tighter spacing in the wells drilled by**
23 **Marathon -- or MRC Permian on their acreage --**

24 A. Yes.

25 **Q. -- and you look at studies that are done by**

1 engineers at Shell --

2 A. Yes.

3 Q. -- and when you look at what other active
4 operators are doing in this area, do you believe that
5 the Division should award operatorship of your acreage
6 to Marathon so it can experiment with tighter density
7 and different spacing?

8 A. No.

9 Q. And isn't it true, Mr. McQuien, that your
10 company owns 70 percent of this acreage?

11 A. Yes.

12 Q. Which means you're footing the bill for 70
13 percent of the cost, right?

14 A. Yes.

15 Q. Okay. And I don't know about you, but if you
16 own 70 percent of something, you kind of want to have
17 control of it when you're paying the bill, right?

18 A. Yes.

19 Q. Does Marathon have other acreage on which they
20 can conduct their experiments on tighter spacing or
21 simultaneous development?

22 A. Yes.

23 Q. Including acreage nearby?

24 A. Yes.

25 Q. Okay. We've seen maps where they've got

1 acreage to the west of you, correct?

2 A. They've got acreage all over.

3 Q. So they've got plenty of areas where they're
4 going to foot the bill, where they can experiment,
5 right?

6 A. Yes.

7 Q. If I go back to Exhibit 21, this comparison
8 map -- okay?

9 A. Okay.

10 Q. Now, what we're looking at here is the initial
11 development to form the spacing units, correct?

12 A. Correct.

13 Q. Okay. And what people do down the road will be
14 influenced by what happens around them and what they see
15 with that initial development?

16 A. Correct.

17 Q. Now, when I look at the wells that are -- have
18 been proposed for the initial development of the spacing
19 unit, correct me if I'm wrong, BTA is going to use the
20 9H and the 10H for the Bone Spring?

21 A. Yes.

22 Q. At that spacing and at those depths?

23 A. Yes.

24 Q. You're going to use the 6H and the 5H to form
25 the Wolfcamp spacing unit at that spacing and at that

1 depth?

2 A. Yes.

3 Q. And then if there are infill wells or as
4 independent spacing units under the horizontal well
5 rules, you're going to drill the 7H and the 8H at those
6 depths, at that spacing to at least hold the deep
7 rights?

8 A. Correct.

9 Q. When we go over to the right side and we look
10 at the initial wells they have proposed in their spacing
11 unit --

12 A. Right.

13 Q. -- we've circled them, right?

14 A. Yes.

15 Q. It's the 15H?

16 A. Uh-huh.

17 Q. The 12H?

18 A. Uh-huh.

19 Q. The 17H and the 16H?

20 A. (Indicating.)

21 Q. Do you see any major differences between what
22 BTA has proposed as the initial development wells and
23 what Marathon has proposed as their first phase of
24 wells?

25 A. We're drilling more.

1 Q. Okay. And does the spacing of BTA's initial
2 development wells follow what other operators are using
3 to efficiently develop their acreage in this part of
4 Eddy County?

5 A. Yes.

6 Q. And in your opinion, is the granting of BTA's
7 application for pooling here, is that going to cause
8 waste?

9 A. No.

10 Q. And in your opinion, is the granting of BTA's
11 application in the best interest of conservation, the
12 prevention of waste and the protection of correlative
13 rights?

14 A. Yes.

15 Q. Particularly for acreage you own 70 percent of?

16 A. Yes.

17 Q. Were BTA Exhibits 36 through 38 prepared by you
18 or compiled under your supervision?

19 A. Yes.

20 MR. FELDEWERT: I would move the admission
21 into evidence of BTA Exhibits 36, 37 and 38.

22 MR. BRUCE: No objection.

23 MS. BRADFUTE: No objection.

24 MR. FELDEWERT: And that concludes my
25 examination of this witness.

1 EXAMINER JONES: Exhibits 36, 37 and 38 are
2 admitted.

3 (BTA Oil Producers, LLC Exhibit Numbers 36
4 through 38 are offered and admitted into
5 evidence.)

6 CROSS-EXAMINATION

7 BY MR. BRUCE:

8 Q. Mr. McQuien, I don't know if you know the
9 Secretary of Energy, Minerals and Natural Resources
10 Department, but his last name is McQueen.

11 A. I was not aware of that.

12 Q. So you're not related?

13 A. Not to my knowledge. I have an irregular
14 spelling, too.

15 Q. I was just going to say shucks.

16 (Laughter.)

17 Q. Let's turn to the first page of Exhibit 36 --
18 second page of Exhibit 36. Mr. Feldewert asked you --
19 going over to 23-27, where Matador drilled closely
20 spaced wells.

21 A. Right.

22 Q. And they were looking for data, don't you
23 think, to see the correct spacing?

24 A. I suspect this was a pilot. I don't know. I
25 assume they're trying to drill wells that make money.

1 Q. Yeah. Don't you expect that of every prudent
2 operator?

3 A. That's what we try to do. I'm not going to --

4 Q. It's to make money, plus investors and
5 royalty -- overriding royalty owners expect that. So
6 they've already done some of the science out here that
7 you can rely on?

8 A. Yes.

9 Q. And as you said, in looking at this area,
10 Matador and Mewbourne have been a couple of really
11 active companies out here going back a number of years?

12 A. That's correct.

13 Q. And do you think they're prudent operators?

14 A. I do.

15 Q. And so when you turn to your next -- comparing
16 page 2 of Exhibit 35 with page 3, whether you are
17 looking at any of these townships, Mewbourne and Matador
18 saw no problem with drilling the Wolfcamp between --
19 before drilling any Bone Spring wells whatsoever?

20 A. Yes.

21 Q. They apparently see no issue with that?

22 A. That's correct.

23 Q. And even in 24 South, 28 East, Marathon saw no
24 problem with that in 24-28?

25 A. Matter of fact, yeah, they have drilled some --

1 Q. They've drilled -- they've drilled --

2 A. Some Wolfcamp.

3 Q. -- some Wolfcamp Sand wells --

4 A. Right.

5 Q. -- without drilling next door to their
6 next-door neighbors in the Bone Spring?

7 A. That's correct.

8 Q. And I think in this -- when you're looking at
9 23 South, 28 East, 24 South, 28 East, those are about as
10 busy as you get out here in the Wolfcamp in southeast
11 New Mexico?

12 A. It's pretty hot right here.

13 Q. And -- and I call it Matador. The interest
14 owners usually are MRC, but they might have been
15 responsible for the first really huge well in this area?

16 A. They were very early on --

17 Q. Very early on.

18 A. -- in this play.

19 Q. So they spent a lot of time looking at it?

20 A. Yes.

21 Q. And kind of following up on what Mr. Feldewert
22 asked you, you have to go out here and drill the wells
23 to find out what's going on before you can really just
24 go out and propose eight wells per section or even six
25 wells per section?

1 A. Right.

2 Q. Then when you look at Exhibit 37, this really
3 is the summary that proves your point, doesn't it?

4 A. This is what --

5 Q. You'd have to have more than one or two wells
6 per half section --

7 A. Yes.

8 Q. -- or per section, but can't overdo it?

9 A. Yes. And I think there's been tests for
10 several different scenarios here that are pretty clear.

11 Q. And when you look at the green wells, my only
12 comment is if you go from the Jim Town Lontos to the
13 Loving Townsite wells, I represented Matador and
14 Kaiser-Francis in this area, and so you're giving
15 validation to my existence here.

16 (Laughter.)

17 EXAMINER JONES: I knew he was leading
18 towards something.

19 EXAMINER BROOKS: Well, I was going to say
20 I had forgotten when you represented -- but I think it's
21 somebody on BTA's side.

22 (Laughter.)

23 MR. BRUCE: That's all I have.

24 Thank you, Mr. McQuien.

25 EXAMINER JONES: Ms. Bradfute.

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MS. BRADFUTE:

Q. Good afternoon.

A. Good afternoon.

Q. I have some follow-up questions about the drilling plans for the Ogden wells.

A. Okay.

Q. And I just want to make sure that I have the phases of development down correctly, so going back to BTA's Exhibit 21 --

A. We always return there, don't we?

Q. We do. We do. It's a helpful exhibit.

So looking at this exhibit and going through what you just outlined with Mr. Feldewert, the first phase -- the first two wells that will be drilled under BTA's plan are the Ogden 5H and 6H wells, correct?

A. That is correct.

Q. And that is the first phase of development for this stage of BTA's development?

A. That is -- those will be the first two wells we drill.

Q. Okay. And when will those wells be completed?

A. I won't know when they'll be completed until we drill them.

Q. Okay. So after -- you know, I know you don't

1 have a drill date, but how long after they drill --
2 after they're drilled before completions operations will
3 begin, approximately, do you estimate?

4 A. Estimating from other areas, we typically are
5 three to four months after drilling whenever we begin
6 completions.

7 Q. Okay. So approximately three to four months
8 after they're drilled, you're going to complete the 5H
9 and the 6H wells, correct?

10 A. That's my guess as to the time.

11 Q. Okay. Okay. That's the most concrete answer
12 I've been able to get today about the plan.

13 And then in your second stage of
14 development, you're going to then drill the 7H and the
15 8H wells, correct?

16 A. Yes.

17 Q. Okay. And when will those wells be completed
18 in correlation to when they're drilled? Is it going to
19 be, again, three to four months after they're drilled?

20 A. That's the most likely time frame that I can
21 give you.

22 Q. Okay. Okay. And do you have any idea about
23 what sort of gap of time will occur between the drilling
24 of the Upper Wolfcamp and the Lower Wolfcamp wells?

25 A. Without going back through the drilling

1 schedule -- there are -- until -- I can't give a time
2 frame for the Lower Wolfcamp until we have a time frame
3 for the Wolfcamp Sand wells because then we have to go
4 back through, look at the continuous development
5 provisions, and see how much time we really have to work
6 with. Then we will fit them into the drilling schedule
7 in order to satisfy all of the -- all of the lease
8 obligations and Pugh clauses.

9 **Q. But as we sit here today, you still have not**
10 **done that yet?**

11 A. We can't do that until we have a pooling order
12 and our assigned operations can get these on the
13 drilling schedule. We ran into this back in the winter
14 when we put these on our drilling schedule and then ran
15 into the -- the issues, couldn't work anything out with
16 Marathon, and we were scrambling at the last, you know,
17 couple weeks before we were supposed to move the rig out
18 here.

19 **Q. And I understand not knowing the initial well**
20 **date, but that window, right, it's really important to**
21 **analyze that window, and you can get an idea of your**
22 **continuous drilling provision and --**

23 A. Well, you can't because the continuous
24 development -- you know, depending on the lease -- rig
25 release, or is it from completion date, and then

1 knowing, okay, when does that completion date happen;
2 then we go into continuous development. We have a
3 timeline there.

4 Q. So do you know the days and the continuous --
5 in the continuous provisions, do you know how many days
6 are afforded under BTA's leases for that continuous
7 development provision?

8 A. Not off the top of my head.

9 Q. Okay. And I asked Ms. Beal the same question.
10 Did anyone go and look at that information before
11 today's hearing?

12 A. I'm sure someone's looked at it. I -- I don't
13 know.

14 Q. Okay. So the answer is you don't know.

15 Have you looked at Marathon's leases, which
16 are subject to the same Pugh clause concerns, to see how
17 long their continuous development provisions allow for?

18 A. I have not.

19 Q. You have not. Okay.

20 That seems like a pretty important deadline
21 to pinpoint.

22 MR. FELDEWERT: Well, I disagree with that.
23 I object to the form of the question.

24 EXAMINER BROOKS: Well, like most of the
25 questions that's been asked by the attorneys in this

1 case, it's a leading question.

2 Do you want to restate it as a proper
3 question?

4 MS. BRADFUTE: I'll withdraw it. It was
5 more of a statement than --

6 EXAMINER BROOKS: Yeah. Well, that's the
7 reason I -- that's the reason I said that, which I
8 generally don't pay any attention to whether a question
9 is leading or not.

10 Q. (BY MS. BRADFUTE) And just to confirm, the 7H
11 and the 8H wells are going to be drilled as infill wells
12 under the proposed Wolfcamp spacing unit?

13 A. That's correct.

14 Q. And then the third stage of the development
15 plan, as I understand it, that was outlined earlier, is
16 drilling the 9H and the 10H wells, correct?

17 A. Yes.

18 Q. Okay. So that's the last stage?

19 A. Yes.

20 Q. When will the 9H and the 10H wells be drilled
21 in comparison to when you finish the Wolfcamp wells? Is
22 there any correlation there?

23 A. I'm not understanding what you're --

24 Q. Okay. So after BTA finishes drilling the
25 Wolfcamp wells --

1 A. Which Wolfcamp wells?

2 Q. The 7H and the 8H, as I understand it, the
3 second stage of development.

4 A. Okay.

5 Q. After you finish drilling the 7H and the 8H
6 wells, how long will it take BTA to drill the 9H and the
7 10H wells, the Bone Spring wells?

8 A. I can't answer that question until we -- we
9 have a federal APD to be able to drill the 9H and the
10 10H.

11 Q. Okay. So how long after BTA obtains an
12 approved permit will it take for the company to drill
13 the 9H and the 10H wells?

14 A. I mean, it could -- that's just too
15 speculative. We could be in there immediately, or, you
16 know, if we have -- it depends on the -- you know, the
17 pooling order and what other factors we have to satisfy.

18 Q. Okay. So best-case scenario, it sounds like
19 you could be in there immediately after you get your
20 permits; is that correct?

21 A. We could.

22 Q. Okay. Worst-case scenario -- in your opinion,
23 what is the worst-case scenario to get those wells
24 drilled?

25 MR. FELDEWERT: I'm going to object to the

1 form of the question.

2 THE WITNESS: I don't know how -- there are
3 so many factors. I can't evaluate that many potential
4 issues.

5 MR. FELDEWERT: Let me stop you.

6 I've objected to the form of the question.
7 I don't know what that has to do with the new pooling
8 cases here.

9 EXAMINER BROOKS: So you're objecting --

10 MS. BRADFUTE: It has to do with the cases.

11 EXAMINER BROOKS: -- to the form of the
12 question and to the relevance?

13 MR. FELDEWERT: Correct.

14 MS. BRADFUTE: The relevance relates to
15 waste and information that's going to be presented later
16 in Marathon's case.

17 EXAMINER BROOKS: Okay. Well, I will
18 overrule the objection to the relevance and ask you to
19 restate the question in a way that makes it easier to
20 answer.

21 Q. (BY MS. BRADFUTE) Based on your experience in
22 performing drilling operations within the state of New
23 Mexico, after a federal permit is approved by the BLM,
24 what is the longest amount of time that it's taken BTA
25 to drill a well?

1 A. The longest amount of time we've taken -- a
2 federal APD is good for two years, and I believe you can
3 file for an extension of one year.

4 **Q. Uh-huh.**

5 A. We have taken up to three years when we had no
6 obligations or other issues to drill wells where we have
7 an APD. I wouldn't call that a worst-case scenario.
8 That was just --

9 **Q. Yeah. That gives a time range. It could be**
10 **immediate to three years that those wells could be**
11 **drilled after a permit's approved, correct?**

12 A. That's correct. That would be the range.

13 **Q. Okay. Now, is there -- is that three- to**
14 **four-month completion time frame before you drill a well**
15 **and complete a well an average that BTA sees in its**
16 **completion operations?**

17 A. I can't -- I have not gone through and analyzed
18 the time frame on our wells, so I couldn't say it's an
19 average.

20 **Q. Okay.**

21 A. That's a rough guess looking -- from reading
22 our daily drilling reports and summarizing them in my
23 head on the spot.

24 **Q. Okay. Fair enough. Fair enough.**

25 **And just to confirm, BTA is asking for an**

1 additional 180 days after the wells are drilled to
2 complete them, correct?

3 A. Yes.

4 Q. Yeah. So a total of 180 days, not additional,
5 versus the usual 120?

6 A. Yes.

7 Q. I wanted to next take a look at your Exhibit
8 36.

9 A. Okay.

10 Q. And these are the maps that you prepared.

11 A. Okay.

12 Q. What did you use -- what data did you use to
13 make these maps?

14 A. So this map was generated from -- I'm going to
15 take just a second here so we can get everyone on the
16 page.

17 EXAMINER JONES: We're on now.

18 EXAMINER BROOKS: Go ahead.

19 THE WITNESS: This was generated with our
20 geologic software. It's called Petra. Petra is
21 populated from his, and then his -- I believe they get
22 all of their data from the State of New Mexico or the
23 OCD and populates, you know, TVDs, surveys, operators
24 and that type of data.

25 Q. (BY MR. BRADFUTE) Okay. Is it manually entered

1 when you're preparing the maps and diagrams, or do you
2 have something that automates --

3 A. We have -- we can -- the program can do some
4 searches based on some specific criteria -- or
5 criterion.

6 Q. Is it your opinion, based on your study of the
7 area, that there are no mechanical barriers between the
8 3rd Bone Spring and the Upper Wolfcamp Sand?

9 A. Would you restate that question?

10 Q. Yeah. Is it your opinion, based on your study
11 of the area, that there is not a mechanical barrier
12 between the 3rd Bone Spring Sand Formation and the Upper
13 Wolfcamp Formation?

14 A. That is not my opinion.

15 Q. That there is not a mechanical barrier -- that
16 there is a mechanical barrier?

17 A. Yes, that is my opinion.

18 Q. Thank you.

19 So your testimony is clearly that there is
20 a mechanical barrier between the 3rd Bone Spring Sand
21 and the Upper Wolfcamp?

22 A. Yes.

23 Q. And based on your analysis of the area, you
24 have not seen any impact on production when Upper
25 Wolfcamp wells are drilled when a 3rd Bone Spring well

1 **is drilled?**

2 A. For this study area, there is not an example to
3 point to.

4 Q. Okay. Have you looked at other areas to see if
5 there is any sort of impact when the 3rd Bone Spring
6 Sand and the Upper Wolfcamp zones aren't codeveloped?

7 A. I examined other areas.

8 Q. Okay. And what areas have you looked at?

9 A. Down over in Lea County and leases through
10 Loving County and Reeves County where we have other
11 acreage positions.

12 Q. Okay. And did you observe any impacts there?

13 A. What do you mean by impacts?

14 Q. Did you observe that the 3rd Bone Spring Sand
15 and Upper Wolfcamp Formations should, in certain
16 instances, be codeveloped together?

17 A. I can't make a statement to that, because
18 without having a, you know, model along those areas --
19 I've looked at production data, but to say that that's
20 due to parent-child relationships, I just haven't
21 evaluated it in that light.

22 Q. Okay. Did you observe a mechanical barrier in
23 these areas, or what you believe to be a mechanical
24 barrier between the 3rd Bone Spring Sand and the Upper
25 Wolfcamp?

1 A. Yes. Okay. I'm sorry. My mind was thinking
2 Lea County.

3 Down in the Reeves County area and through
4 Loving County where our frac model came from, you know,
5 the 3rd Bone Spring was -- you know, that was where the
6 start -- or, you know, it really got started back --
7 even back in 2010, 2011, very active area through there.
8 Many operators are coming back now and drilling lots of
9 Wolfcamp wells underneath -- having some very good
10 performance down there.

11 **Q. And would you agree that sometimes development**
12 **patterns change over time as operators learn more about**
13 **the formations they're developing?**

14 A. That's fair.

15 **Q. Have you conducted any studies on infill well**
16 **performance when infill wells are drilled after an**
17 **initial well is drilled within -- within this area of**
18 **New Mexico?**

19 A. I'm sorry. I'm trying to go through and figure
20 out exactly. A study -- let me see if I can rephrase
21 the question.

22 **Q. Sure.**

23 A. A study of the impact of a -- of a parent-child
24 relationship?

25 **Q. Sure.**

1 A. Is that what you're asking me?

2 Q. That might be easier.

3 A. Specifically for this area?

4 Q. Yes.

5 A. No. I have not done a specific statistical
6 analysis comparing -- or seeing if I can quantify a
7 change in production.

8 Q. Okay. Okay. I want to look at the spacing
9 patterns. Let's see. You pointed to Matador's -- MRC's
10 spacing patterns in Sections 24 and 25. And I
11 apologize. Is it on the second map?

12 A. Yeah. So Exhibit 37, page 2 -- or 36. I'm
13 sorry.

14 Q. 36. Okay.

15 Do you know how closely the wells are
16 spaced together in Sections 24 and 25?

17 A. 24 -- yes. I have measured those. They're --
18 24 -- depending on where you pick on the lateral,
19 they're between 900 and 1,000 feet apart. And the ones
20 in 25, approximately 600 feet. You know, it changes
21 just where exactly along the lateral you pick it. But I
22 would say they're representative of a six well per
23 section in 24 and an eight well per section in 25.

24 Q. And are the wells in Section 25 shown in your
25 map drilled into the same subformation like the Wolfcamp

1 Upper Sand? They're both Upper Sand wells?

2 A. Yes.

3 Q. Okay. Are they -- do you know if they're both
4 X-Y wells?

5 A. Yes. They are definitely X-Y wells. That's
6 the -- how we're cataloging them. We call it the
7 Wolfcamp Sand in this, but that's how we correlate these
8 wells.

9 Q. And in Section 24, are both of those wells Y
10 wells as well?

11 A. Yes.

12 Q. I wanted to turn back to Exhibit 21. I just
13 have, I think, one or two more questions. I wanted to
14 look at the spacing patterns in the Wolfcamp Sand --

15 A. Okay.

16 Q. -- that BTA has proposed and that Marathon has
17 proposed.

18 A. Okay.

19 Q. When I'm focusing on these charts, I'm looking
20 at the diagram at the bottom of the page that's shaded
21 in different colors: orange, yellow, green, blue,
22 purple, pink.

23 A. Okay.

24 Q. And it looks like in between these two
25 diagrams, you have the footages listed or the depths

1 listed for the formations, correct?

2 A. Correct.

3 Q. So when I look at the third depth listed, it's
4 the Wolfcamp Sand, 9,400 feet to 9,500 feet; is that
5 correct?

6 A. That's correct.

7 Q. So it looks like BTA has its 6H and its 5H
8 wells planned within that targeted zone; is that
9 correct?

10 A. That's correct.

11 Q. And that's two wells, correct?

12 A. Yes.

13 Q. And they're spaced, I believe you testified,
14 about 1,320 feet apart?

15 A. Yes.

16 Q. So when you look right next to it, you have
17 Marathon's X-Y Sand wells shown, correct?

18 A. Uh-huh.

19 Q. And it's the 12H and the 17H wells, right?

20 A. Yes.

21 Q. Okay. And the spacing between those two wells
22 appears to be even further apart, right?

23 A. Yes.

24 Q. Okay. So Marathon's proposed spacing does not
25 mirror the spacing that we just observed in Sections 24

1 or 25 that Matador drilled under in those sections,
2 correct?

3 A. Correct.

4 Q. So it's not comparing apples to apples or
5 oranges to oranges?

6 A. This is not an ultra-dense spacing -- or
7 proposal that Marathon has made to us.

8 Q. Okay. And looking at the other formations
9 that -- that we've discussed today -- I want to flip
10 back to Exhibit 37, which is your bar chart, and it says
11 "Wolfcamp Sand Completions."

12 A. Okay.

13 Q. What studies have you undertaken to look at the
14 3rd Bone Spring completions in other similar areas where
15 you looked at well performance and well spacing?

16 A. Similar areas -- I mean, there is not enough
17 data. You know, the 3rd Bone Spring, you have the two
18 OXY wells from 2014 and 2015. Marathon's drilled a few
19 around us. We, you know, have not even seen a
20 completion report. I can't do the study.

21 Q. Have you looked at anything from Reeves County?

22 A. From -- yes. In Reeves County -- oh, there's
23 really not much 3rd Bone Spring in Reeves County. It's
24 predominantly Loving and Ward Counties where you have a
25 lot of 3rd Bone Spring typically drilled on four wells

1 per section.

2 Q. Okay.

3 A. Not very many tight spacing tests.

4 Q. Okay. So not a lot of tight spacing within the
5 3rd Bone Spring.

6 And have you looked at the deeper Wolfcamp
7 Formations within this area to see how wells are being
8 spaced?

9 A. Yes.

10 Q. Okay. And did you conduct an empirical
11 analysis compared to what you did on the Wolfcamp Sand?

12 A. I have not built this chart for the Lower
13 Wolfcamp --

14 Q. Okay.

15 A. -- to look at spacing.

16 Q. What studies did you do before proposing your
17 Lower Wolfcamp wells?

18 A. Studies, you know, forecasted a lot of wells
19 out, projected EURs, you know, using standard arch
20 declines, looked at the development patterns in the
21 area, and, you know, did something consistent with what
22 appeared to be working in this area.

23 You know -- you know, there was a question,
24 I know, with one of the previous witnesses about the --
25 you know, the permeability of the sands being greater

1 than the shale, but you'll remember from -- back in
2 April when I presented some data on the Lower Wolfcamp
3 Shale, I had to present it in BOEs because the gas, you
4 know, portion is so much more in the Lower Wolfcamp.
5 So, you know, while the permeability of the rock itself
6 may be lower, since it's a gas phase, you know, you
7 don't need as many wells to recover it.

8 **Q. Okay. So your testimony is that BTA did**
9 **perform studies before proposing the spacing for the 7H**
10 **and the 8H wells?**

11 A. Yes.

12 **Q. Okay. And we don't have copies of those**
13 **studies today?**

14 A. No.

15 **Q. Do you know what type of --**

16 A. Oh, and we performed studies to estimate the
17 reserves on the Lower Wolfcamp wells. Spacing was
18 determined looking at what operators in this area --
19 basically looking at a map and seeing how other
20 operators are developing out here.

21 **Q. Okay. But BTA has not conducted any of its own**
22 **studies --**

23 A. No.

24 **Q. -- to determine a proper --**

25 A. A statistical study, no.

1 (The court reporter requested the parties
2 speak one at a time.)

3 Q. Okay. That concludes my questions. Thank you.

4 EXAMINER JONES: Mr. Brooks?

5 CROSS-EXAMINATION

6 BY EXAMINER BROOKS:

7 Q. Okay. I don't know enough about this to ask
8 very many questions, so this will be brief.

9 Do you know if -- I asked another witness
10 this, and the answer was doesn't know. I don't know.
11 Can you -- is it possible to assign -- for an operator
12 to assign an approved federal APD to another operator
13 without having to do the full APD review by BLM?

14 A. I don't know.

15 Q. Neither do I.

16 A. Let me say, Marathon bought BC and I assume is
17 drilling on some of BC's permits -- federal permits that
18 they obtained. Obviously, there's got to be a way,
19 so --

20 Q. Well, I know. I'm sure there is a way to do
21 it. I'm just wondering what the time frame is, since it
22 might be relevant in this case if -- you know, if
23 Marathon loses, they could assign their permits to you,
24 then it's less of a consideration. If it'll take six
25 months to a year to get that approved, that fortifies --

1 A. I don't know if there -- or even what the
2 process is. I assume there is, but it may be one of
3 those that's easier to get a new one.

4 **Q. Okay. This business of well density is very**
5 **important; is it not?**

6 A. Yes.

7 **Q. I have heard engineers testify that it's not**
8 **really very practical to drill infill wells if you get**
9 **your wells too far apart because the wells you've**
10 **drilled have messed up the possibility of infilling.**
11 **Would you agree with that testimony?**

12 A. Not -- not necessarily.

13 **Q. Not necessarily, but it might be?**

14 A. Drilling an infill well -- I'll say in our
15 experience when you drill infill wells between two
16 existing wells --

17 **Q. That's what I'm talking about.**

18 A. -- that have a history of production, they will
19 underperform the parent wells, but they may still be,
20 you know, economic to drill.

21 **Q. If you make your density decision and you get**
22 **your wells, you don't -- you drill too many wells, then**
23 **you may get less production, and you've spent**
24 **\$10 million a well to drill wells that reduce your**
25 **production instead of increasing it. That's a very**

1 **expensive mistake.**

2 A. It is.

3 Q. But if you drill infill wells -- if you drill
4 too few wells, then you have to deal with the problem of
5 drilling infills in between existing horizontals. That
6 could be an expensive mistake also, right?

7 A. Or you don't drill the infill well and you take
8 longer to recover the oil --

9 Q. Right.

10 A. -- from the parent wells.

11 Q. Right.

12 **And either one of those could be an**
13 **expensive mistake?**

14 A. Yeah. We certainly don't -- in year 40, it's
15 not worth very much today.

16 Q. Thank you. I think that's all I have.

17 EXAMINER JONES: Okay. I might think of
18 something in a minute.

19 CROSS-EXAMINATION

20 BY EXAMINER JONES:

21 Q. Are you still planning on your 3rd Bone Spring
22 Sand, to drill in the bottom of the 3rd Bone Spring
23 Sand?

24 A. Yes.

25 Q. Okay. So if you do that, you're really close

1 vertically to your Upper Wolfcamp?

2 A. Yes.

3 Q. But you're not worried about that?

4 A. We obtained a model that showed that there was
5 a barrier -- I mean, they're not going to be stacked
6 immediately on top of each other. You have to remember
7 there is some lateral offset as well here, too.

8 Q. Okay. Okay. So -- but that model is based on
9 the sand travel or placement in that particular well,
10 and if you increase it -- your pressures a little bit
11 higher, maybe you might break through that barrier or
12 drains pressure --

13 A. That's possible. We can -- you know, frac
14 design -- you know, that was a pump schedule that was
15 applied to those different zones. We can adjust that.
16 We can potentially dial one back of the child well if we
17 think there is an issue.

18 Q. Okay. Is there -- but the major
19 stress-determining method -- or on your deep Wolfcamp
20 well that you drill, are you going to do some kind of
21 array sonic or something? Are you going to do a di- --

22 A. Or dipole.

23 Q. Do they call it dipole still?

24 A. Schlumberger is now calling it the sonic
25 scanner tool, which is what our model was based off of.

1 It was a sonic scanner that generated the stress data,
2 and the stress was fed into the model.

3 Q. Okay. Okay. Well, that's state of the art.

4 Is there a way to do actual reservoir
5 engineering out here? I mean, you've actually done some
6 empirical decline curve stuff, but can you actually do
7 any kind of volumetrics or match your declines and try
8 to figure out if you -- what your reservoir actually is
9 out here?

10 A. I use -- I don't know if you're familiar with
11 Fekete's -- their rate transient analysis program,
12 which, you know, you're basically building a model and
13 you're history matching a calculated bottom-hole
14 pressure and then building a forecast off of that.

15 Q. Okay.

16 A. I use that quite a bit. Call it a very, very
17 crude simulator.

18 Q. Okay. Okay. Well --

19 A. It's simple to use.

20 Q. Analytical type?

21 A. Yes.

22 Q. And what about your gas gathering out here?
23 Was there any differences in these wells that you got
24 graphed here between your draw-down surface pressures,
25 you think, that had anything to with this?

1 A. I don't know, but if you go back, most of these
2 are Matador wells --

3 **Q. Okay.**

4 A. -- you know, all across these. So unless they
5 intentionally hit these two harder --

6 **Q. Okay.**

7 A. Yeah. I believe the Loving Townsite's a
8 Mewbourne well, and all the rest of them may be Matador.

9 **Q. Okay. What about your 2nd Bone Spring Sand?**
10 **Are you still --**

11 A. You know -- yeah. We'll get to it at some
12 point.

13 **Q. Okay. Well, that's all the questions I've got.**

14 EXAMINER BROOKS: I do have one more I
15 forgot. I don't know if you're the right witness to ask
16 it.

17 RE CROSS EXAMINATION

18 BY EXAMINER BROOKS:

19 **Q. Under the rules as I read them and as I'm**
20 **inclined to infer -- and I'm not sure that -- I'm not**
21 **sure at this point, since there are no well rules -- the**
22 **compulsory pooling rule, but I would assume that if you**
23 **want to drill infills without waiting until after you've**
24 **completed the first well, that you're going to have to**
25 **get them mentioned in the order as initial wells. At**

1 least that would be the prudent way to do it.

2 Have you, in your applications that we are
3 considering, specifically identified all the wells that
4 you want to be drilling prior to completion of your
5 first wells?

6 A. I can't speak to that. I'm sorry.

7 Q. Okay. I wasn't clear on what -- I have not
8 looked at the applications to see what's in each case,
9 but I just want to be sure that you're alerted to that.

10 Thank you. That's all I have.

11 EXAMINER JONES: Any cross, torture this
12 guy a bit more?

13 MR. FELDEWERT: No. I don't have any more
14 questions.

15 I will say, Mr. Brooks, I mean, you know,
16 they did not -- the 7H and the 8H is not listed in the
17 pooling application principally because, number one, the
18 list of wells that are going to initially develop your
19 spacing unit.

20 EXAMINER BROOKS: Well, if you're going --
21 if you know you're going to complete the 5H and the 6H
22 before you drill the 7H and the 8H, then that would not
23 matter as long as you have time to -- 30 days to
24 propose. So that's really the only consideration. I'm
25 just trying to make sure you're aware of that.

1 MR. FELDEWERT: And the other thing is I
2 know the horizontal well rules do not require that to
3 some extent --

4 EXAMINER BROOKS: You know, I know they do
5 affect it, but I don't know exactly how, and I don't
6 have a copy of the horizontal well rules with me. This
7 is one of the first times in months that I haven't,
8 but --

9 MR. FELDEWERT: And my assumption would be
10 that neither party would want to take the position that
11 would prevent the drilling of the wells that are
12 necessary to keep the deep rights from being --

13 EXAMINER BROOKS: That sounds like a
14 reasonable assumption. I'll let you advise your client
15 on its rights and read --

16 MS. BRADFUTE: Mr. Examiner, if I could, I
17 have one point that might help further this. We don't
18 have any geologic data from BTA on the Lower Wolfcamp,
19 so there was no geology testimony, which is typically
20 needed if those wells are going to be added to the Lower
21 Wolfcamp. There is no cross section.

22 MR. FELDEWERT: Well, then perhaps I'm
23 wrong about the parties' equal incentive to get the
24 Wolfcamp drilled.

25 MS. BRADFUTE: Well, no. We would like

1 to -- you know, we want to have everybody in a position
2 to not have lease rights expire, but if we have someone
3 on the record --

4 MR. BRUCE: I don't recall anything in the
5 rules that you need geology to propose any well.

6 EXAMINER BROOKS: Well, I think you're
7 right. It's only on a compulsory pooling case that that
8 might be the understanding.

9 MR. BRUCE: That's for the initial well.

10 EXAMINER BROOKS: But I don't think we -- I
11 think I'm remiss in having gone there this afternoon
12 because I think I'm -- I think I would say: You filed
13 the papers, you sent your notices, all of you, and
14 that's what we have to go by.

15 EXAMINER JONES: Any more questions for
16 this witness?

17 Is that it for BTA's case?

18 MR. FELDEWERT: Yes, sir.

19 EXAMINER JONES: Okay. Let's take a
20 ten-minute break.

21 (Recess, 1:42 p.m. to 1:56 p.m.)

22 EXAMINER JONES: Let's get back on the
23 record. Who wants to present the next --

24 MS. BRADFUTE: Jim, do you want to go
25 ahead, since --

1 EXAMINER BROOKS: Did you rest,
2 Mr. Feldewert?

3 MR. FELDEWERT: I did.

4 EXAMINER BROOKS: Okay. Go ahead.

5 MR. BRUCE: I suppose -- I mean, we're
6 willing to do it either way. We're here to support BTA.
7 On the other end, my client wasn't at the first hearing,
8 so we didn't see what Marathon --

9 EXAMINER BROOKS: I was going to save some
10 questions for the last witness that I will rule on the
11 motion to equalize challenges. I will certainly make
12 you --

13 MR. BRUCE: We'll go forward.

14 EXAMINER JONES: I didn't know you were
15 going to show us a book.

16 (Laughter.)

17 MR. BRUCE: Mr. Charuk decided he could
18 make it readable.

19 EXAMINER JONES: Okay. We are getting
20 older.

21 THE WITNESS: As I get older, my maps get
22 bigger.

23 EXAMINER JONES: Someday we'll have
24 televised or at least broadcast hearings.

25 EXAMINER BROOKS: Well, we have the

1 equipment. We just don't have the know-how, except for
2 Phillip and I. We don't get along, so we have clashes.

3 EXAMINER JONES: Do you want to open yours
4 and I'll look at --

5 EXAMINER BROOKS: If you want to. I was
6 trying to get away from the stuff I already had spread
7 out.

8 MR. BRUCE: I always like the sound of
9 opening maps and paper rustling.

10 EXAMINER BROOKS: Which one are you going
11 to talk about first?

12 MR. BRUCE: Exhibit 1, believe it or not.

13 EXAMINER BROOKS: All right. We'll open
14 Exhibit 1.

15 LYNN S. CHARUK,
16 after having been previously sworn under oath, was
17 questioned and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. BRUCE:

20 **Q. Would you please state your name and city of**
21 **residence for the record?**

22 A. Lynn Charuk. I live in Midland, Texas.

23 **Q. And by trade, what is your profession?**

24 A. I'm a petroleum geologist.

25 **Q. Are you currently a consulting petroleum**

1 **geologist?**

2 A. No. I'm not really consulting. I'm an
3 independent. I generate prospects. I invest in my
4 prospects, and I take pieces of other people's prospects
5 in that scenario.

6 **Q. Let's go back to your education and employment**
7 **background. You've testified up here before?**

8 A. Yes.

9 **Q. It's been quite a while?**

10 A. About 15 years.

11 **Q. Well, let's talk about your educational and**
12 **employment background. Could you outline that for the**
13 **Examiner?**

14 A. I went to Penn State University and have a BS
15 in petroleum geology, and I graduated in 1969. And I
16 came to Midland in 1980, and I worked for -- first I did
17 a year and a half or so of mud logging, and then I
18 worked for J.C. Williamson, who was a pioneer back in
19 the '40s. And he was sort of my mentor and several
20 other pretty important geologists in Midland in the '60s
21 and, you know, big wildcatters. And I learned a lot
22 about samples. I do a lot of my own sample work. I
23 look at all the mud log shows. When I drill a well, I
24 make sure I'm out there for all the DSTs, coring. We
25 were out, my son and I, coring a well just the other

1 night in Dawson County.

2 Then I went to work for -- opened a company
3 office for Carey Petroleum out of New York City and ran
4 a Midland office until -- oh, when was that? -- about
5 2001, when I went totally independent on my own.

6 And then I became, in 2009, vice president
7 of exploration for Atlantic Exploration in Midland, and
8 we were one of the first companies to start buying
9 acreage in Reeves County, around Pecos, and drilled some
10 of the earliest Bone Spring-Wolfcamp horizontal wells
11 around Pecos, along the river in Ward County, offsetting
12 Anadarko's work out there.

13 And I retired from that in 2013, and I went
14 high tech or I tried to. I got, you know, a Petra
15 program of my own and my own geotech, and I started
16 doing what I do best, generating prospects in Eddy and
17 Lea Counties. I've spent probably 38 years focused on
18 Eddy and Lea Counties alone. I have other assets in
19 other counties, but 98 percent of my properties and my
20 production come from Eddy and Lea Counties.

21 I worked with companies -- I have interests
22 with COG, EOG, CAZA, Marshall & Winston, Mewbourne, XTO.
23 And I used to have a few more, but Concho keeps buying
24 all the companies that I have interests in, so I'm kind
25 of down to about, you know, half a dozen or so.

1 And I have a royalty interest in these two
2 sections here. I represent -- I actually put this deal
3 together back in maybe 1998. It was a Delaware Sand,
4 vertical sand prospect, for Lower Brushy Canyon. And
5 over the years -- SDX was the original operator of these
6 two sections, and we had about -- at that time, about
7 2,300 acres under lease, but over the years, we've lost
8 some of that acreage due to, you know, wells being
9 plugged.

10 BTA bought those wells back in -- I want to
11 say 2002 -- 2005, and they actually drilled one of the
12 first Avalon horizontal wells way further north of where
13 the Avalon trend started down in southern Eddy County.
14 It wasn't a very good well because the completions back
15 in those days are not quite what they are today. But
16 they've been holding the acreage together for that long
17 since then, and the wells have been producing.

18 So I represent about 8 percent of the
19 royalty interest in these two sections.

20 **Q. And BTA has done a pretty good job of keeping**
21 **the leases alive and keeping them available for future**
22 **development?**

23 A. Yeah. Absolutely.

24 **Q. And have you conducted over the years -- let's**
25 **take a step back. As you said, this originally started**

1 **as a Lower Brushy Canyon prospect?**

2 A. Uh-huh.

3 **Q. So you've looked at a lot of formations out**
4 **here and the most recent are, of course, the Bone**
5 **Spring?**

6 A. I've spent the last, you know, five years
7 focused on just Eddy and Lea Counties for the Avalon
8 Shale, the cutoff shale, 2nd Bone Spring Sand, 3rd Bone
9 Spring Sand and the Upper Wolfcamp as well, and now
10 these Lower Wolfcamp zones that are starting to be
11 developed primarily in Eddy County.

12 **Q. And have you conducted a geologic study insofar**
13 **as it applies to these applications?**

14 A. In general. I haven't just focused on these
15 two sections. I've looked over all -- the whole area
16 because I have interests in -- in this area, I have
17 interests in 25-29 just to the south with XTO, and then
18 I have a lot of interests in 26-20 and 26-28 right on
19 the state line with Concho, the Cabo Wabo wells. And
20 I'm familiar with what's being developed out there.
21 Yes. Uh-huh.

22 **Q. And you're constantly updating your knowledge**
23 **insofar as the Bone Spring --**

24 A. Yes. I try to, yeah.

25 **Q. -- and the Wolfcamp?**

1 A. We just completed two wells over in Lea County
2 with CAZA in the Lower 3rd Bone Sand, and they're --
3 they're like fantastic wells. They're probably like one
4 or two in the top five wells in Lea County right now.
5 The first well has made 300,000 barrels in the first six
6 months in the Lower 3rd Bone Sand. And primarily the
7 two reasons for that is the longer length laterals,
8 going from the mile to the mile-and-a-half. And even
9 the two-mile laterals are really working well for Devon
10 and Mewbourne. And we just drilled two Mewbourne wells
11 down in 26-33, in the Braswell area, that we're waiting
12 on frac pits to be filled that Mewbourne drilled in the
13 Upper Wolfcamp.

14 And the other -- the other really big
15 development has been the fracking -- going from gel-type
16 fracs to slickwater fracs and also increasing the amount
17 of pounds of sand per lateral foot. You know, like five
18 years ago, a typical frac had 500 pounds of sand per
19 lateral foot. Now we're talking like 2,500 pounds per
20 lateral foot, and we get much better results like that.

21 And I've heard some excellent questions
22 from you guys today regarding spacing. Spacing is
23 really -- everybody has a different opinion on it, you
24 know. As a royalty owner, I want spacing to be optimal,
25 but I also don't want it to be overdeveloped because,

1 like you said, you're going to spend millions of dollars
2 drilling wells that you don't need to drill.

3 And I know -- I've been involved with EOG
4 who thinks they should drill 12 wells per section in the
5 same zone, but when you're talking about the same zone,
6 you know, sometimes do you a wine rack kind of interval
7 where you raise and lower that lateral where it hits, so
8 you're not really interfering with each lateral. But
9 you can still get to the point where it's overkill,
10 where you're -- we saw a lot of communication.

11 We drilled three wells down in the Braswell
12 area, excellent wells, and within four months, they had
13 already made 300,000, 400,000 barrels cumulative. And
14 EOG drilled three more right next to them and fracked
15 them, and now the six wells are doing half of what the
16 first three were doing. And so that was not a good
17 investment, wisely spent dollars.

18 MR. BRUCE: Mr. Examiner, I tender
19 Mr. Charuk as an expert petroleum geologist.

20 MR. FELDEWERT: No objections.

21 MS. BRADFUTE: No objections.

22 EXAMINER JONES: So qualified.

23 **Q. (BY MR. BRUCE) Mr. Charuk, let's start out off**
24 **with Exhibit 1 titled "Marathon Current Horizontal**
25 **Activity."**

1 A. Yes. That was just a little quick survey I
2 wanted to do, I had my tech run. This is just to see
3 where Marathon's activity is in the area, and it
4 shows -- it shows basically -- here is the city of
5 Loving, Eddy County. Here's the two sections we're
6 talking about. These are Marathon's stakes, locations,
7 permitted locations. Like Brent [sic] was saying, they
8 pretty much have this acreage surrounded. As you can
9 see, they're doing two-mile laterals, mostly
10 mile-and-a-half laterals, mostly north-south like
11 everyone else, which makes sense. So that's just
12 exhibit -- this exhibit here, what it's showing.

13 **Q. Okay. Let's move on to Exhibit 2, which is the**
14 **map -- the one you have on the floor there.**

15 A. Yes.

16 **Q. And discuss this briefly, kind of expand.**

17 A. This is just kind of -- it's self-explanatory
18 really. It's nothing complicated.

19 The big one on the top left -- this one up
20 here just shows all the longer-than-one-mile laterals
21 being drilled now versus all the one-mile laterals that
22 were drilled in the last six or seven years on the top
23 right. And this is just to show that the trend is going
24 towards longer -- longer-length wells.

25 The bottom three maps just really show --

1 the bottom one on the bottom right is just the structure
2 map on the top of the Strawn, which lies right below the
3 Wolfcamp. I just wanted to see if there were any big
4 indications of any kind of faulting or anything. And
5 like Raj testified, you can see, most of the dip is --
6 in the Delaware Basin is kind of like on the east side.
7 It's real steep down, but as you go to the west side,
8 into Eddy County, it's a gentle updip as you go west
9 towards Roswell.

10 And the strike is, kind of generally
11 speaking in this area, running north-south. So that's
12 why you want to drill north-south so you don't have to
13 steer updip or downdip. You can pretty much stay flat
14 along strike.

15 **Q. And do you see any evidence of faulting in the**
16 **Strawn?**

17 A. Well, no. I don't see any evidence of
18 faulting. I -- I don't know -- I know there could be
19 deep faulting in the Mississippian. And in the
20 Devonian, there's always that kind of faulting. But by
21 the time you get through the Strawn and into the younger
22 Permian beds, you know, Cisco Canyon and Wolfcamp, a lot
23 of the tectonics did not reach up that high. There may
24 be some slump block faulting, but just minor things,
25 nothing that would really, you know, hurt a horizontal

1 well going north-south.

2 **Q. It wouldn't prevent the drilling of a decent**
3 **horizontal well?**

4 A. I wouldn't think so.

5 **Q. Do you have anything else you want to say on**
6 **this map?**

7 A. The only thing I would say is, like, I don't
8 see -- most of the 3rd Bone development is occurring in
9 Lea County and up to the -- this is the Eddy-Lea County
10 line here. Most of the 3rd Bone Spring has to date been
11 mostly in Lea County. There is some Devonian -- I mean
12 3rd Bone development southeast of our lease. And, like,
13 everyone's been talking about the OXY wells, and
14 Marathon has been drilling some 3rd Bone. But mostly in
15 this area, I would say it's mostly 2nd Bone and the
16 Wolfcamp X-Y Sand like we've been talking about this
17 afternoon.

18 **Q. And Exhibit 3 is a pretty simple chart, isn't**
19 **it?**

20 A. Yeah. It just shows the length by year. Every
21 year, the wells keep getting longer. It's this one here
22 (indicating). It's just showing, you know, starting out
23 with that length. And, you know, over the years, the
24 trend has been for longer laterals, increasing EURs,
25 recoveries.

1 And it's much more efficient the longer you
2 can drill because then you don't leave any waste behind,
3 especially on section-line boundaries, you know. If you
4 can cut through a section and get another half a mile,
5 you drain a lot more rock than if you have to stop at
6 one mile and then start a new one, because you've got
7 the curve to deal with and all that. So you are wasting
8 reserves when you're doing shorter laterals, in my
9 opinion.

10 **Q. And when you first saw Marathon's proposal,**
11 **they were for one-mile laterals?**

12 A. Yeah. That's what kind of got me spooked and
13 why I replied to BTA and wanted to come up here and
14 testify, because, you know, I know what's going on, and
15 I was worried that one-mile laterals were not going to
16 be sufficient enough. And as a royalty owner, I'm
17 concerned about correlative rights. I'm concerned about
18 drainage and making the best well possible to maximize
19 my interest and my partners and you guys, too, really.

20 **Q. Let's go on to Exhibit 4. What is this**
21 **briefly?**

22 A. Okay. This is just kind of a little cross
23 section. This kind of shows in bigger -- wait. Which
24 one are we talking about? That's the type log.

25 **Q. The type log.**

1 A. The type log is the old BTA State JB Com well.
2 That's the old vertical well that was on Section 29, I
3 believe. No. 32. It was in Section 32. And this is
4 showing all the potential pays that are in this area
5 that's worth, you know, hundreds of millions of dollars.

6 Starting at the top, I believe we have --
7 the very top one are the Lower Brushy Canyon sands.
8 Since we did make oil out of the Lower Brushy here, we
9 probably have some -- multiple locations in what I would
10 call the Lower Brushy C and E Sand, which is a big
11 development that XTO's doing over in the Big Eddy Unit
12 and places like that.

13 The dark green one is your Avalon Shale,
14 which was probably the first horizontal target that
15 started this whole thing off back in, you know, 2007.
16 Marbob was doing a lot of work down on southern Eddy in
17 this green one.

18 And then the 1st Bone Spring Sand, which
19 has kind of been a stepchild lately. It hasn't been
20 targeted, but I know over in Lea County, over in the Lea
21 Unit, Legacy just made some fantastic wells in this
22 light blue one here. And then the 2nd Bone Sand, which
23 is a lot of production around us, it's very well proven,
24 and most of the spacing is four wells per section.

25 And then you go to what I call this

1 little -- who was it that did the study on this one?
2 Oh, I can't remember now. But it's the BOPCO sand, I
3 call it. It's kind of in between the 2nd Bone and the
4 3rd Bone Sand, and it's been -- it's kind of a minor
5 zone in the area, but it did have a good mud log show in
6 this well.

7 And your 3rd Bone Sand is in purple down
8 there, and it sits right on top of the Wolfcamp
9 Carbonate. And that's kind of what we've been focusing
10 on today, that little area right there between the
11 purple and the yellow and the green. And the yellow and
12 the green are what I call the X-Y sands in the upper
13 part of the Wolfcamp.

14 And then as you go deeper, you get into the
15 orange zone, which is what I call the Upper Wolfcamp
16 Shale -- Upper Wolfcamp Shale.

17 Yellow is your Wolfcamp B.

18 And then Wolfcamp C, a lot of the
19 operators, like we were talking about earlier, Matador
20 and Mewbourne, are targeting that -- that zone around
21 10,5, 10,4, the Wolfcamp B Shale. Some are calling it
22 the Lower Wolfcamp.

23 We don't really have a really good
24 nomenclature around the Permian Basin, and different
25 operators have different names for all these zones. So

1 it can be really confusing for people that don't work
2 with them all day, you know, because I have people who
3 call me and say, Oh, they just made a well in the
4 Wolfcamp C. And I look at it and I say, No, that's in
5 the A, you know. And it's just very confusing. We
6 should have some kind of a convention where we set up a
7 nomenclature and have a type log that sets all this out
8 so we can avoid a lot of this confusion, because there
9 is a lot of confusion. I've heard a lot of confusion
10 today. And it's no one's fault. It's that things have
11 changed so fast in the last five or eight years, you can
12 hardly keep up with it.

13 And, you know, the fracs are another
14 example. Every six, eight months, there are new
15 techniques being developed in the frac jobs that are
16 enhancing these zones unbelievably. They're coming out
17 with this nanotechnology. Companies like EOG, they only
18 frac with 300 mesh sand now because all the oil is in
19 nanofractures. And if you use like a 40/70 sand or
20 something, it's like trying to get a bowling ball
21 through a garden hose. It's not going to go. You've
22 got to get this really fine, fine -- it's like
23 talcum-powder sand, even finer, to go through and get
24 into these and open these nanofractures.

25 Plus, with the slick water, the slick water

1 does not carry heavy load very far. So you need that
2 lighter sand, and it's getting into the fractures. And
3 they put some surfactant in there to break the oil
4 molecules into smaller parts so they can flow faster
5 through there, and, hence, you're getting, you know,
6 2,000-barrel IP type wells.

7 **Q. And let's talk about that, especially the**
8 **difference between the Upper Wolfcamp and the Lower**
9 **Wolfcamp, however you define that. Now, are the phases,**
10 **oil or gas, different between the Lower Wolfcamp and the**
11 **Wolfcamp Sand?**

12 A. Yes. We can move to the next display if you
13 like. But the Lower Wolfcamp is much more gassier, and
14 its GORs are probably, I would say, 10,000, almost
15 20,000-to-1 GORs in the Lower Wolfcamp where they're
16 targeting, like, a 10,235, 10,375.

17 And I'm talking right where your hand is
18 there, Mr. Examiner. That's kind of where we're
19 looking, right here in this yellow (indicating). This
20 is kind of the type section across the BTA acreage,
21 right here (indicating).

22 EXAMINER BROOKS: Mr. Bruce likes to hear
23 the sound of unfurling maps, so I'm --

24 (Laughter.)

25 EXAMINER BROOKS: Okay. Now you may go

1 ahead.

2 THE WITNESS: Okay. So right where your
3 left hand is, this is the BTA-Marathon acreage right
4 there. And those are probably -- breaking it down, I
5 would say right now there's three targets -- main
6 targets in this area, and it's what I would have as the
7 Wolfcamp B or the yellow area. And this is really
8 gassy. And it really -- it's just -- think of it as a
9 high GOR gas well. You don't really need to drill those
10 on 40 acres. You can do those on 160s or 320s. And
11 that's what I think the development should be for these
12 areas, for these Wolfcamp B.

13 If you go up to the X-Y sands, now the X-Y
14 sands are sitting right on top of the very top of the
15 Upper Wolfcamp, but right below that little -- where I
16 don't have any color. Between there and then the
17 purple, that's what everyone's been talking about as the
18 mechanical boundary. Some call it a mystical thing like
19 that.

20 EXAMINER JONES: (Indicating.)

21 THE WITNESS: Yes.

22 All it is is you're changing from tighter
23 shale rock in the Wolfcamp and going into -- and the
24 shale rock has lower porosity, lower permeability. And
25 you're going from that into this Lower 3rd Bone Sand,

1 which is more siltier, sandier, less clay, so it has a
2 little better porosity, permeability. And like everyone
3 knows, if you come in here and land a target in this
4 green zone and just go horizontal, that frac is going to
5 be -- all these fracs go always in the path of least
6 resistance, so they're going to follow the lowest
7 pressure gradient that they can find. And they're going
8 to stay within that green zone. They may break
9 through -- a slickwater frac may break through into a
10 yellow sand, but in my opinion -- and I've talked to a
11 lot of petrophysicists, really good ones, at
12 Schlumberger and Halliburton. In my opinion, we're not
13 fracking more than 100 feet up or down together because
14 the slick water just won't go that -- won't generate
15 that much frac height.

16 And, therefore, I think that we're fine as
17 far as, you know, draining the Wolfcamp sands
18 independently of drilling 3rd Bone Spring wells at the
19 bottom. I don't see a big problem there. As a working
20 interest owner or a royalty owner, I have no problem
21 with that.

22 **Q. (BY MR. BRUCE) So you'd agree with BTA's**
23 **witnesses that you can drill 3rd Bone Spring and Upper**
24 **Wolfcamp wells independently of each other and still**
25 **recover decent reserves?**

1 A. Yes, because they're separated by a change in
2 lithology, is what it is, and that's the frac boundary.
3 It's the change of going from tighter rock in the upper
4 part of that Wolfcamp to more porous, permeable rock in
5 the lower part of the 3rd Bone Sand.

6 As an example -- well, I just completed
7 these wells over here on the right side of the cross
8 section (indicating) that were offsetting some Concho
9 wells that were drilled in 2013, 2014 and 2014. And
10 these wells cumed -- and this is a little older map.
11 But these wells cumed -- the original well, the parent
12 well, cumed 300,000 barrels from the Lower Bone Spring.
13 And you can see I put the TVDs there in bright red where
14 they're at. The next two wells that are right there on
15 four-well-per-section spacing have cumed so far -- and
16 they were drilled a year later -- have cumed 175,000 and
17 just slightly under 190- -- 200,000 barrels out of the
18 exact same reservoir.

19 But the difference is we don't have the 3rd
20 Sand anymore. They pinch out. And these two areas are
21 43 miles apart. You can see on the map there at the
22 bottom right. But we don't have the sands, so we're
23 sitting right on top of Wolfcamp Shale right here.

24 And then the CAZA well, which was drilled
25 in 2017 which offsets these three wells (indicating) has

1 already -- and this map is only a couple months old.
2 But this CAZA well that I have an interest in it has
3 already made 300,000? So it's made as much as -- what
4 the original COG well did in five years, it's made in
5 six months. It also is a mile-and-a-half length.

6 **Q. Mile-and-a-half, plus --**

7 A. Nanofrac technology --

8 **Q. -- better technology.**

9 A. -- newer frac.

10 I guarantee, every company in the Permian
11 Basin would like to re-frac about half of their wells
12 with what we know today. I mean, they would like to
13 have a free frac, you know, but it's not possible.

14 **Q. Yeah.**

15 **But getting back to the Wolfcamp over in**
16 **the subject area, you know, if you're down in the Lower**
17 **Wolfcamp and the phase is gas, which it usually is in**
18 **the Lower Wolfcamp --**

19 A. Yes. It's much gassier down here.

20 **Q. The gas is more mobile than oil?**

21 A. Yes. It moves through the rock faster.

22 **Q. And so with the proper frac, you can produce --**
23 **you can produce a lot of gas at lower perms than at the**
24 **higher perms?**

25 A. Yes.

1 **Q. I mean --**

2 A. Tighter rock.

3 **Q. -- with sand?**

4 A. Yes. It's tighter rock. Yes.

5 **Q. So a lot of these -- you know, there are**
6 **particularities to almost every Wolfcamp zone?**

7 A. Yes. Every zone is a little different, and you
8 have to tailor and design your frac jobs for the zone
9 you're in. Typically, everyone likes to pump as much
10 proppant as fast as they can. And in the case of the
11 Lower Wolfcamp, I mean, you're like 1,000 feet from the
12 3rd Bone or the Upper Wolfcamp X-Y sands. You're never
13 going to see any interference from these wells with any
14 of this (indicating) going on up here. It's never going
15 to happen. There is too much rock distance between --
16 thicknesses between there.

17 **Q. And would it also go that when you're dealing**
18 **with the Wolfcamp gas wells, you might not need as many**
19 **wells to recover reserves in a section or a half**
20 **section?**

21 A. Yeah. And I think Matador and Mewbourne have
22 probably led the way in this area. As far as companies
23 that do a lot of science, they have probably done
24 microseismic and all the research, and they've concluded
25 that four-well spacing per section for this Lower

1 Wolfcamp is adequate, and it's a good drainage. It
2 doesn't leave any waste behind.

3 Q. Before we close up, I want to ask you: You
4 were sitting here listening to the testimony today,
5 correct --

6 A. (Indicating.)

7 Q. -- and about questions about the timing of
8 drilling?

9 And you've been in the business for 38
10 years. You're not an operations guy, but you've been
11 involved in drilling -- commencement, drilling,
12 completion of many wells; have you not?

13 A. Yes.

14 Q. Is it difficult to predict today when you're
15 going to commence a well and when you're going to
16 complete it?

17 A. The hardest thing to predict is -- I mean, I
18 know the Beals. I've known them for a long time. They
19 don't -- they don't want to sit on a 400 -- or
20 \$4 million or \$5 million well that's not completed.
21 They want to get it fracked as soon as they can.

22 But the bottleneck things are filling the
23 frac pits. I mean, it takes millions of gallons of the
24 water to fill a frac pit. Some areas have better water
25 supply than others. I've waited numerous -- sometimes

1 three or four months to fill a frac pit, to get enough
2 water to begin the frac. I've also had delays because
3 of prairie chicken season, where we couldn't go in and
4 bring in trucks or anything. I've had to wait on some
5 wells up to six months. But nobody wants to wait any
6 longer than they have to.

7 Sometimes the frac crews -- we have a
8 shortage of frac crews. Sometimes that will affect
9 when -- when the completion date starts. So those are
10 the big factors.

11 Yeah, lining up -- I mean, the fracs are so
12 huge. You've got all this sand. And, I mean, if you've
13 ever been out on a frac job now versus 20 years ago,
14 it's like -- it's like a small city out there. I mean,
15 you've got all the, you know, logistics of getting
16 everybody together, getting tested, the pipelines. I
17 mean, you're pumping at 6- to 8,000 pounds. You've got
18 to make sure that it's safe out there for people to go
19 out there. So yeah, I've seen probably average -- I
20 agree -- three to four months between the date of a rig
21 moving off location and getting a frac crew out there.
22 Sometimes it's faster, but no one can really set that
23 date. Marathon can't even do that, unless they own
24 their own frac crews. Maybe they do. I'm not sure.
25 But it's a moving number.

1 Q. And plus that doesn't take into account getting
2 your APD, getting your surface-use agreement, getting
3 your pooling orders?

4 A. Right.

5 Q. But as you said, operators don't want to sit
6 there and not have --

7 A. No water coming out of the well. Right.
8 Neither do the royalty owners.

9 And that's why I've been so frustrated,
10 because BTA told me they were going to spud these wells
11 last fall, you know, and here it is, we're almost a year
12 later and we're still kind of arguing about who's going
13 to be the operator.

14 Personally, I've been in so many deals that
15 usually the people with the most money and skin in the
16 game, they ought to be the operator, unless they're
17 totally incompetent. And the Beals, they've been in
18 business for -- they're third generation here in
19 Midland. I've known them for a long time.
20 J.C. Williamson was friends with Carty Beal. And I've
21 been on a board of directors with Spencer and Karen
22 Beal, and I know how they think. They want -- they have
23 their own money invested in this project, you know.
24 So -- and I can see the frustration, but it's kind of --
25 to me it's like the tail is trying to wag the dog here.

1 We've got a 30 percent interest owner who
2 wants to do all this science, and they want the 80
3 percent or 70 percent owner to pay for the well, for
4 most of it, you know. I would say if Marathon wants to
5 really do all the work they want to do, they should
6 go -- they have plenty of leases they bought from BC
7 last year. They should go and do it where they own 100
8 percent. That way they don't have to share any of the
9 proprietary data with anyone else.

10 **Q. And in short, you favor BTA's development plan**
11 **and their application?**

12 A. I favor -- I favor BTA because I've known them
13 for a long time, and I know that they're a prudent
14 operator, and they're a good operator. They've drilled
15 all over Eddy and Lea Counties for 60 years now.

16 I know Marathon has operated the Yates
17 field down on the Central Basin, edge of the basin
18 platform down there. And they bought all this acreage
19 from my friends, Lee and Mike Black over at BC
20 Operating, and they're probably trying to ramp up their
21 operations and get more -- get more -- more wells that
22 they control and get going, so I --

23 **Q. And you don't have a problem as such with**
24 **Marathon?**

25 A. No, nothing. Nothing at all. No. I just want

1 to get wells drilled, and I want to start before leases
2 start expiring and I lose my overrides and my partners
3 lose their overrides. That's my biggest motivating
4 factor.

5 **Q. And two conclusions -- the main conclusions are**
6 **you favor the longer laterals versus, say, one-mile**
7 **laterals?**

8 A. Absolutely.

9 **Q. And secondly, you see no need to develop the**
10 **3rd Bone Spring simultaneously with the Upper Wolfcamp?**

11 A. No. I think that the X-Y sands -- pretty much
12 the frac stays in that zone, because they are sands.
13 And these two little -- these two little guys here
14 (indicating), they have a lot more perm and porosity
15 than the rock above and below them. So they're not
16 going to go into harder, tighter rock that's harder to
17 break into. They're going to stay in the path of least
18 resistance. They're going to stay in zone. And that's
19 what you want to do. That's the whole idea of these
20 fracs. You don't want to grow them. You want to stay
21 in the zone that you landed in.

22 **Q. In your opinion, should the Division grant**
23 **BTA's applications and deny Marathon's applications?**

24 A. As soon as possible for me. It couldn't happen
25 fast enough.

1 **Q. And in your opinion, would that be in the**
2 **interest of conservation and the prevention of waste?**

3 A. I think so.

4 **Q. And were Exhibits 1 through 5 prepared by you**
5 **or under your supervision?**

6 A. Yes.

7 MR. BRUCE: Mr. Examiner, I move the
8 admission of Charuk Exhibits 1 through 5.

9 EXAMINER JONES: Objections?

10 MS. BRADFUTE: No objections.

11 MR. FELDEWERT: No objections.

12 MR. BRUCE: And I pass the witness.

13 EXAMINER JONES: Charuk's Exhibits 1
14 through 5 are admitted.

15 (Lynn S. Charuk Exhibit Numbers 1 through 5
16 are offered and admitted into evidence.)

17 MS. BRADFUTE: I'll let Mr. Feldewert go
18 ahead.

19 MR. FELDEWERT: Go ahead.

20 CROSS-EXAMINATION

21 BY MS. BRADFUTE:

22 **Q. Mr. Charuk, I didn't write this down. How long**
23 **has BTA had these leases, in your experience?**

24 A. 2005, they've been operating the Delaware wells
25 that are holding these leases. We've lost a few leases

1 in the interim because I think we plugged one well, and
2 so my royalty has kind of shrunk -- or all my partners
3 have shrunk over the last ten years, but we still have a
4 substantial amount, like 8 percent total.

5 **Q. Okay. But it's been since 2005 that BTA --**

6 **A. Uh-huh.**

7 **Q. -- has at least had some leasehold within the**
8 **spacing units?**

9 **A. Yes. And they drilled the horizontal, the**
10 **Ogden 1H, which was an Avalon horizontal, in 2005,**
11 **2000- -- somewhere in there. It's on the east half of**
12 **29, and it goes into the east half of 32 as well,**
13 **northeast quarter.**

14 **Q. Since 2005, to your knowledge, has BTA engaged**
15 **in any development on the west half of Section 29 and**
16 **the northwest quarter of Section 32?**

17 **A. No.**

18 **Q. You testified earlier -- and correct me if I'm**
19 **mischaracterizing your testimony. You testified earlier**
20 **that gas wells typically need larger well spacing; is**
21 **that correct?**

22 **A. Well, you don't need to downsize them on a**
23 **tighter -- too tight of a spacing because the gas**
24 **expansion of the reservoir will -- will cover a bigger**
25 **area and recover more oil without having to drill that**

1 many more wells. Do you see what I'm saying?

2 **Q. Okay. In your opinion, is BTA's plan for the**
3 **Lower Wolfcamp Formation adequate for the spacing plan?**

4 A. I think it's -- I think it's a prudent plan. I
5 don't think -- I've known BTA for a long time. I've
6 never known them to get ahead of their headlights. I
7 think it is a good plan. I think you need to -- like
8 Raj was saying, you need to core -- or -- or run, you
9 know, all the new logs that they have, sonic scanners,
10 litho scanners, CMRs. You know, you need to analyze
11 this entire section, and that way you can decide where
12 your best rock is, and that's where -- that will
13 determine where you land your laterals in the future.

14 If you go out there and just start
15 drilling, you're going to kind of like be a little ahead
16 of yourself. You should really do your analysis and
17 your science first, and the first well is usually the
18 best one to do that with.

19 **Q. Now, in your experience, operators have**
20 **typically drilled the first well and gotten all of the**
21 **information they need to then later run those analyses?**

22 A. Some operators do. Some -- you know, you can
23 save -- by not doing that, you can save a million
24 dollars by just going into a curve. I mean, the beauty
25 about Eddy and Lea Counties is we have so many old

1 well-control wells, you know, from the Morrow and all
2 the drilling over the last 50 years that we have -- a
3 lot of these sections have, you know, logs that go
4 through the whole section already. So it's not like we
5 don't know where the oil is or where we think it's best
6 at -- looks the best, you know. But it's always good to
7 get your perms and your TOCs and your brittleness. You
8 want to stay in the brittle rock, not the ductile rock.
9 And a lot of times, the logs don't tell you that. They
10 don't tell you the perm or the TOC. You really need to
11 use more modern technology, and that's usually -- with
12 the modern logs, you get a lot of that information.

13 **Q. Okay. Great.**

14 **How does BTA's plan compare to other recent**
15 **well proposals that you have seen from COG and EOG?**

16 A. EOG, they kind of like -- they have a different
17 philosophy. They -- they just want to drill as many
18 wells as they can because their employees' incentives
19 are based on how much production they increase for the
20 company by year. So I feel like EOG tends to overdrill
21 a little too much. I mean, I think 12 wells in a
22 section is overkill. But they're not using their own
23 money.

24 BTA's philosophy and companies like
25 Mewbourne who are family-owned companies, they're more

1 conservative. And I've talked to the engineers at
2 Mewbourne, and they really feel like, you know, four
3 wells per section is a good conservative approach to
4 drainage. They don't want to drill more wells than they
5 necessarily have to. And, like, there's been a lot of
6 talk about the parent and the child wells, you know.
7 People have been trying to tinker with that kind of
8 relationship, where maybe they shut the parent well in
9 for a period of three weeks or so and let the pressure
10 build up, and that kind of tends to keep the frac from
11 breaking too far over into that wellbore, and then also
12 downsize the child frac a little bit.

13 There is also the other technology of the
14 zipper fracs, where everybody just goes -- you know, if
15 they have a half a billion dollars to spend, they go in
16 and go 12 wells or eight wells across and do them all at
17 once. It's just depends on the company really.

18 **Q. So in your opinion, is EOG getting it wrong by**
19 **downspacing too much?**

20 A. I thought so. I had a working interest in that
21 project, and yeah, we spent a lot more money than I
22 thought we needed to. I mean, we had three wells
23 making -- I want to say 3,500 barrels a day. And then
24 we drilled 30 more million dollars to get three more
25 wells, and now we're making 1,800 barrels a day. So, I

1 mean, maybe in 40 years everybody will know that answer.
2 But, you know, the drainage -- they feel like connecting
3 more and more rock in the long run, like 40 years from
4 now, they're going to get more reserves out.

5 But like you were saying earlier,
6 Mr. Examiner, you're trying to get a handle on oil in
7 place. It's really hard to do that with these wells.
8 We're not going to know because it's almost impossible
9 to calculate oil in place in these kind of rocks because
10 it's so -- it's so -- it's such a delicate calculation.
11 It's not like the old days where we could have a finite
12 tank, a reservoir, a sand, you know, that pinches out,
13 and we can calculate the area of drainage and how big,
14 you know, the reservoir is.

15 Now, we've got these things that cover two
16 counties, five counties. You know, it's really hard to
17 come up with oil in place, and, therefore, it's really
18 hard to come up -- almost impossible with ultimate
19 recovery per well, you know.

20 And so, you know, the parent wells may
21 recover more oil faster, but the child wells might take
22 longer, but in the end, it's made the same amount. We
23 won't know until you have grandkids or something, you
24 know.

25 **Q. Thank you. That concludes my questions.**

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. FELDEWERT:

Q. Mr. Charuk, that EOG project you thought there was some overkill, et cetera --

A. Uh-huh.

Q. -- what project was that?

A. Well, it was the Braswell lease that we drilled. And it's a perfect example, because EOG owns the west half of Section 16, 26-33.

Q. And do you remember the name of the wells?

A. Well, we just call it -- I think they're the Braswell 1 through 6.

And Mewbourne owns the east half of 16. Okay? That's the other half of the same section. EOG drilled six wells in the west half. Mewbourne has drilled -- just drilled two two-milers in the east half, and they're filling the frac pits right now on those, waiting on frac. So they have a totally different philosophy. They're going to probably end up doing four wells in the east half. Whereas, EOG did six wells in the west half. So they have a different opinion.

Q. And you were here for the testimony from BTA's witnesses where they have a lot of data that exists from other wells in this area, right, in formulating where they want to land their wells?

1 A. Uh-huh.

2 Q. You were also here for the testimony where
3 they're drilling a Wolfcamp D well or a Lower Wolfcamp
4 on the east half --

5 A. Uh-huh.

6 Q. -- and logging that well?

7 A. Uh-huh.

8 Q. And I want to make sure I understand. In your
9 opinion, do you see that there is going to be waste from
10 BTA's initial drilling plans in this area?

11 A. No. I don't see any -- any indication of that.

12 Q. One of the things I got from your Exhibit
13 Number 1 was that Marathon's got a lot of other acreage
14 that they can do their thing in, right?

15 A. Yes, they do. Yeah. Well, at least it shows
16 up on the map. I don't know if they own 100 percent of
17 that acreage or what their interest is or if they're
18 maybe, you know, trying to do this with another -- I
19 don't know.

20 Q. In your expert opinion and as an overriding
21 royalty interest owner, are you better off going with
22 BTA's plan that follows the spacing and development
23 that's been used by other operators, or are you better
24 off going with a science experiment here on the west
25 half of the acreage, as you put it?

1 A. I'm ready to drill right now, and if BTA has
2 approved permits, I think that that is the best course
3 of action for the royalty owners, is to drill as soon as
4 possible. I mean, you can argue all day long about how
5 many zones you want to drill all at once, but, you know,
6 a prudent operator doesn't do that. A prudent operator
7 looks at the initial results, tries several other
8 different zones and then does the final development
9 stage. And that could take -- I mean, projects I've
10 been in take five years to develop completely. It's
11 just -- it's a longer process, you know.

12 **Q. Yup. Okay.**

13 MR. FELDEWERT: I don't have any other
14 questions.

15 CROSS-EXAMINATION

16 BY EXAMINER BROOKS:

17 **Q. When COG bought up the companies you had**
18 **interests in, did you laugh all the way to the bank?**

19 **(Laughter.)**

20 A. No. Actually, it wasn't. No, it wasn't like
21 that. It was a little more adversarial because they
22 didn't -- they increased the -- I had working interests
23 and overrides, and when COG bought them out -- and I
24 don't mean like anything bad about it. They just
25 operate -- they're more expensive operators than Marbob

1 was. And so really it hurts the ultimate recoveries of
2 the wells because the expenses went up.

3 Q. Okay. Well, that's my only question.

4 (Laughter.)

5 CROSS-EXAMINATION

6 BY EXAMINER JONES:

7 Q. You went to Penn State. I just wondered if you
8 knew "Slip Slider," the petroleum professor there.

9 A. No. No. But I'm sure -- my roommate, he was a
10 petroleum engineer. He went there. I went -- Penn
11 State's more noted for geochem and metamorphic rock, and
12 I could never figure out why nobody wanted to study
13 sedimentary rocks and get in the oil business.

14 Q. They have the Marcellus there now.

15 A. Yeah, really they do. That's the biggest gas
16 field in the world now.

17 Q. Uh-huh.

18 I like your maps.

19 EXAMINER BROOKS: Go ahead and move my
20 stuff as necessary.

21 Q. (BY EXAMINER JONES) Well, I'm trying to get an
22 idea of the scale from where the subject wells are over
23 to this pinch-out.

24 A. Okay. Well, that's -- that's -- well,
25 here's -- if you look at the corner bottom, that's the

1 area from where all these wells are, and then I just had
2 my tech just kind of schematically pinch it out.

3 Q. Okay.

4 A. And then it goes over into Lea County. And
5 this is 43 miles between the right half of this and the
6 west half.

7 Q. Okay.

8 A. It's a big, big change. But where it actually
9 pinches out, I haven't done that much of a study to tell
10 you. All I can tell you is most of the 3rd Bone wells
11 are in this area of Lea County (indicating). That's
12 like 3rd Bone central over here, and 20-34 -- I'm
13 sorry -- 20-35, yes, in this area and kind of west of
14 the Hobbs area. And they're on four-wells-per-section
15 spacing as well.

16 And what happens is -- you know, the
17 sandstones, they are more permeable and have more
18 porosity, so you need less wells. Now, when you get
19 into the tighter rock and maybe -- maybe this Upper
20 Wolfcamp shale, where you don't have such a high GOR,
21 you might need to do eight wells per section because
22 it's tighter. So you can get closer. But you do
23 eventually reach a point where you're just
24 communicating, and that's what happened with the EO- --
25 they all went off line, the first three, you know, and

1 they were all making water for three weeks before they
2 came back, and they never came back as good as they
3 were. So you've got to -- and that's a big dilemma for
4 operators, and it's very important to know where -- you
5 know, the spacing is very important.

6 **Q. I don't have any more questions.**

7 EXAMINER JONES: Any redirect for this
8 witness?

9 MS. BRADFUTE: No.

10 MR. BRUCE: No, not me.

11 EXAMINER JONES: Thank you very much.

12 THE WITNESS: You're welcome.

13 EXAMINER BROOKS: I think it would be a
14 prudent investment this late in the afternoon to take a
15 15-minute recess, for me.

16 EXAMINER JONES: Okay. Let's do that.

17 (Recess, 2:49 p.m. to 3:07 p.m.)

18 EXAMINER JONES: Ms. Bradfute, would you
19 like to present Marathon's case?

20 MS. BRADFUTE: Yes. Thank you very much.
21 Mr. Examiner, I have three witnesses to present today,
22 and I'd like to proceed and call my first witness,
23 Mr. Chase Rice.

24

25

1 CHASE F. RICE,
2 after having been previously sworn under oath, was
3 questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MS. BRADFUTE:

6 Q. Good afternoon.

7 A. Hi.

8 Q. Could you please state your name for the
9 record?

10 A. Chase Rice.

11 Q. And, Mr. Rice, who do you work for?

12 A. Marathon Oil.

13 Q. And what is your position with Marathon?

14 A. Landman.

15 Q. And what are your responsibilities as a landman
16 at Marathon?

17 A. Mineral title, acquisition investment,
18 operational end work.

19 Q. And have you previously testified before the
20 Division?

21 A. Yes.

22 Q. And were your credentials accepted and made
23 part of the record?

24 A. Yes.

25 Q. Does your area of responsibility at Marathon

1 include Eddy County in southeastern New Mexico?

2 A. Yes.

3 Q. And are you familiar with the applications
4 filed by Marathon in Case Numbers 16076, 16077 and
5 16300?

6 A. Yes.

7 Q. Are you also familiar with the applications
8 filed by BTA in Case Numbers 16024 and 16161 and 16162?

9 A. Yes.

10 Q. Are you familiar with the status of the lands
11 that are the subject matter of these applications?

12 A. Yes.

13 Q. And, Mr. Rice, for the record, have you
14 previously presented testimony in Cases 16024 and 16076
15 on April 24th, 2018?

16 A. Yes.

17 MS. BRADFUTE: I would like to tender
18 Mr. Rice as an expert witness in petroleum land matters.

19 EXAMINER JONES: Any objections?

20 MR. FELDEWERT: No objection.

21 MR. BRUCE: No objection.

22 EXAMINER BROOKS: How do you spell your
23 last name?

24 THE WITNESS: Rice, R-I-C-E.

25 EXAMINER BROOKS: That's easy. I wasn't

1 sure if it could be R-E-I-C-H or R-I-E-C-H.

2 THE WITNESS: Just like the food.

3 EXAMINER BROOKS: Go ahead.

4 Q. (BY MS. BRADFUTE) Could you please turn --
5 everyone should have a new exhibit packet in front of
6 them, which starts at Exhibit R. Could you please turn
7 to what has been marked as Exhibit Letter R within this
8 packet? And is this document a map which denotes the
9 spacing units which are at issue here today?

10 A. Yes.

11 Q. And could you please help orient the hearing
12 examiner and explain where the spacing units are located
13 and where other Marathon operations are taking place
14 within this area?

15 A. The spacing unit for the Zeus Federal, Marathon
16 proposal, is the west half of 29 and the northwest
17 quarter of the 32, 23 South, 28 East, Eddy County. And
18 that's colored orange.

19 The activity around -- Marathon is drilling
20 around that spacing unit in Section 30, 19-20, Section
21 18, Section 2 down in 22 -- 24-27. Sorry.

22 Q. And then is Marathon also conducting operations
23 in Section 9 and Section 16 in Township 23 South, Range
24 27 East?

25 A. Yes.

1 Q. And the wells that Marathon is -- has drilled
2 are shown as blue and red lines on this map, correct?

3 A. Correct.

4 Q. Okay. And those are wells that have been
5 drilled?

6 A. Wells that have been drilled, yes.

7 Q. Okay. And we're going to have a geologist who
8 is more familiar and actually put this map together
9 testify later in the hearing, correct?

10 A. Correct.

11 Q. Okay. On April 24th, did you testify about
12 Marathon's development plans for the Wolfcamp Formation
13 within the west half of Section 29?

14 A. Yes.

15 Q. Since that hearing, has Marathon updated its
16 proposed development plans for the Wolfcamp Formation?

17 A. Yes.

18 Q. How so?

19 A. We extended our laterals to be 1.5-mile
20 laterals.

21 Q. And in those amended applications, did Marathon
22 maintain its request for mile-long laterals but then
23 also say, alternatively, if the Division finds that
24 one-and-a-half-mile laterals are preferable that
25 Marathon will drill mile-and-a-half-long laterals?

1 A. Correct. We wanted to give the Commission an
2 alternative to a decision if they wanted, and that was
3 the reason for that.

4 **Q. And why were those updates made?**

5 A. To accommodate some issues that were brought up
6 with the override owners and then also our understanding
7 of BTA's desire to drill in the east half of Section 29
8 and the northeast quarter of 32.

9 **Q. Okay. And did Marathon offer that alternative**
10 **in hopes that it could help resolve the dispute between**
11 **the operators here today?**

12 A. Marathon proposed those plans to BTA hoping
13 that it would elicit a conversation about Marathon
14 operating one-and-a-half mile.

15 **Q. Okay. And so Marathon at all times has been**
16 **okay with the development on a mile-and-a-half basis**
17 **within this area, correct?**

18 A. Correct.

19 **Q. But Marathon's -- one of Marathon's objections**
20 **to BTA's development plan has been the well placement**
21 **and the number of wells that BTA has proposed to develop**
22 **the area, correct?**

23 A. Correct.

24 **Q. And we'll get more into those spacing and**
25 **well-placement concerns with later witnesses. Is that**

1 your understanding as well?

2 A. Yes.

3 Q. Okay. In addition to amending the application
4 in Case Number 16076 to allow for longer laterals, did
5 Marathon also update its application to request pooling
6 for all of the Wolfcamp wells which were discussed
7 during the April 24th hearing?

8 A. Yes.

9 Q. Okay. So all of the wells that Marathon
10 currently plans on drilling within the proposed spacing
11 units have been specifically listed in its pooling
12 applications, correct?

13 A. Correct.

14 Q. In total, how many Wolfcamp wells are now
15 listed in Case Number 16076?

16 A. Seven.

17 Q. Seven.

18 And do those wells include the 11H well,
19 the 12H well, the 14H well, the 16H well, the 17H well,
20 the 18H well and the 20H well?

21 A. Yes.

22 Q. Okay. Marathon is also seeking pooling for
23 several Bone Spring wells in Case Number 16077 and
24 16300, correct?

25 A. Correct.

1 Q. And Marathon is similarly seeking an
2 alternative for mile-and-a-half development in its Bone
3 Spring applications, right?

4 A. Correct.

5 Q. If you could please turn to what has been
6 marked as Exhibit S, as in Sam, in the packet in front
7 of you, I wanted to look at this exhibit to help provide
8 a visual aid as to where the wells are located. Could
9 you please explain to the hearing examiners where
10 Marathon's wells are going to locate within the proposed
11 spacing units?

12 A. Marathon wells are depicted -- the Wolfcamp
13 spacing unit will be in that yellowish-colored band, and
14 the Bone Spring be in the green. It's also in the
15 development state -- or phase on what we're going to
16 drill. So we're going to drill the four-well pad first.
17 That will eliminate all the depth-severance concerns and
18 also Marathon's concern about codevelopment in Bone
19 Spring and Wolfcamp.

20 We'll do the second -- second development
21 phase, which we'll infill in the Wolfcamp, and then the
22 third development stage is the Upper -- the 2nd Bone
23 Spring wells.

24 Q. And what are the Bone Spring wells listed on
25 this diagram in the proposed spacing units?

1 A. They are the 13H, the 19H and the 15H.

2 Q. And does Exhibit A list all of the wells that
3 Marathon has put into its applications?

4 A. Yes.

5 Q. Could you please turn to the next exhibit,
6 Exhibit T, as in Tom? And this exhibit contains several
7 different pages. If you could please look at the first
8 page of this exhibit and identify what this document is.

9 A. This is a preliminary C-102 plat for the Zeus
10 Federal 11H -- WD 11H.

11 Q. And is the pool and a pool code identified for
12 this well?

13 A. Yes.

14 Q. And is this the same pool and pool code that
15 was discussed during the April 24th hearing?

16 A. Yes.

17 Q. Has this preliminary C-102 been updated in
18 order to reflect the alternative spacing unit that's
19 been proposed by Marathon?

20 A. Yes.

21 Q. And if you could please turn to the second page
22 of this exhibit, is this similarly a C-102 for the 12H
23 well, which reflects increased spacing unit to contain
24 480 acres more or less?

25 A. Yes.

1 Q. And can you please turn to the next page? Is
2 this document a preliminary C-102 for the 14H well,
3 which likewise reflects the alternative proposed spacing
4 unit for that well?

5 A. Yes.

6 Q. And, again, the pool and pool code information
7 for these wells has not changed since the prior hearing?

8 A. No.

9 Q. And if you could turn to the next page, is this
10 the preliminary C-102 for the 16H well?

11 A. Yes.

12 Q. Okay. And, likewise, updates were made to this
13 plat in order to show the different spacing unit,
14 correct?

15 A. Correct.

16 Q. And if you could turn to the next page, is this
17 the updated C-102 for the 17H well?

18 A. Yes.

19 Q. And, again, this C-102 has been updated to show
20 the changes made to the proposed spacing unit?

21 A. Correct.

22 Q. If you could turn to the next page, does this
23 contain a C-102 for the 18H well?

24 A. Yes.

25 Q. And similar changes were made to this document?

1 A. Correct.

2 Q. And could you please turn to the next page, is
3 this the preliminary C-102 for the 20H well?

4 A. Yes.

5 Q. And were similar changes made on this diagram?

6 A. Yes.

7 Q. And that concludes these C-102s. Are these all
8 of the revised preliminary C-102s for the Wolfcamp
9 wells?

10 A. Yes.

11 Q. Okay. If you could turn to the next exhibit,
12 Exhibit U, as in umbrella, and I want to focus on the
13 first page of this exhibit. Could you please identify
14 what this document is?

15 A. This is a preliminary C-102 for the Zeus
16 Federal SB 13H.

17 Q. Okay. And does this C-102 identify a pool code
18 and a pool name that the well will develop?

19 A. Yes.

20 Q. And what is that?

21 A. It is the Culebra Bluff, South; Bone Spring.
22 It is Pool Code 15011.

23 Q. And does this preliminary C-102 reflect
24 proposed footages for this well?

25 A. Yes.

1 Q. And this is a preliminary C-102 that has not
2 yet been filed with the district office, correct?

3 A. Correct.

4 Q. Right here, the first take point -- I want you
5 to look at the first take point and the last take point
6 shown on this preliminary C-102. Is it Marathon's
7 intent to change these first and last take points to
8 reflect the new setback requirements in the horizontal
9 well rule?

10 A. Yes.

11 Q. Okay. So Marathon is going to amend these take
12 points before it files the C-102 so it can take
13 advantage of the 100-foot setbacks?

14 A. Yes.

15 EXAMINER BROOKS: Which apply to the Bone
16 Spring?

17 MS. BRADFUTE: Yes, which apply only to the
18 Bone Spring.

19 Q. (BY MS. BRADFUTE) And this C-102 is for the 13H
20 well, which is in the Culebra Bluff, South; Bone Spring,
21 correct?

22 A. Correct.

23 Q. Would you please turn to the next page within
24 this exhibit and identify what this document is?

25 A. This is the preliminary C-102 for the Zeus

1 Federal TB 15H.

2 Q. And, likewise, is this well located within the
3 same Bone Spring Pool?

4 A. Yes.

5 Q. And does Marathon intend to amend the first and
6 last take points before filing this C-102 so that the
7 setback requirements for those points are 100 feet from
8 the boundary?

9 A. Yes.

10 Q. And if you could turn to the next page, is this
11 a preliminary C-102 for the 19H well?

12 A. Yes.

13 Q. And is this well going to be drilled within the
14 same Bone Spring Pool?

15 A. Yes.

16 Q. And does Marathon likewise intend to modify the
17 footage for the first and last take points for this well
18 before it files the C-102?

19 A. Yes.

20 Q. Mr. Rice, if you could please turn to
21 Exhibit B --

22 EXAMINER BROOKS: How many total Bone
23 Spring wells do you plan to --

24 THE WITNESS: We have three proposed right
25 now.

1 EXAMINER BROOKS: Okay. And those are
2 which wells?

3 THE WITNESS: Go to Exhibit S. It would be
4 the 13H, the 19H and the 15H.

5 EXAMINER BROOKS: 13H, 19H and the 15H.

6 THE WITNESS: Yes, sir.

7 EXAMINER BROOKS: Thank you.

8 Q. (BY MS. BRADFUTE) So, Mr. Rice, in total,
9 Marathon has proposed to drill three Bone Spring wells,
10 correct?

11 A. Correct.

12 Q. And seven Wolfcamp wells, correct?

13 A. Correct.

14 Q. But all of these wells will be drilled in
15 various subformations within the Bone Spring and the
16 Wolfcamp?

17 A. Correct.

18 Q. Okay. If you could please now look at Exhibit
19 V, as in Victor. Mr. Rice, what does this document
20 contain?

21 A. This is a lease tract map for the west of half
22 of 29 and the northwest quarter of 32 depicting the fee,
23 state and federal tracts that would be in this pool.

24 Q. Okay. And we heard testimony this morning from
25 BTA that BTA does own the majority of the interest

1 within this proposed spacing unit, correct?

2 A. That is correct.

3 Q. And Marathon does not dispute the fact that BTA
4 owns the majority of the interest in this matter?

5 A. Does not dispute that.

6 Q. Okay. Marathon nonetheless is interested in
7 pursuing development plans within this acreage even
8 though it owns less of the working interest, right?

9 A. Yes.

10 Q. So it's willing to take on the risk to pay for
11 operations in the event the majority working interest
12 owner goes nonconsent --

13 A. Correct.

14 Q. -- and develop a plan?

15 A. (Indicating.)

16 Q. If you could please turn to the next page
17 within this exhibit and identify what this document is.

18 A. This is a lease tract map for the west
19 half-west half of the Bone Spring pool depicting the
20 fee, federal and state tracts within that pool.

21 Q. Okay. And could you please -- and this lease
22 tract map applies to the 15H well?

23 A. Yes.

24 Q. Could you please turn to the next page and
25 identify what this diagram shows?

1 A. It's a lease tract map. It shows the east half
2 of the west half of 29 and the east half of the
3 northwest quarter of 32. It would be the other Bone
4 pool showing the fee, federal and state tracts within
5 that pool.

6 Q. Okay. And this will be the proposed spacing
7 unit for the 15H well?

8 A. The 15H? 19.

9 Q. The 19H. Thank you.

10 A. Or 15H, whichever.

11 Q. 19H and 15H. There are two wells within this
12 proposed spacing unit? We may have it -- it's been a
13 long day.

14 MR. FELDEWERT: Go to --

15 MS. BRADFUTE: Yeah. It is.

16 Q. (BY MS. BRADFUTE) This is the proposed spacing
17 unit for the 19H and the 15H, correct?

18 A. Correct.

19 Q. And, likewise, for each of the proposed Bone
20 Spring spacing and proration units, Marathon does not
21 own a majority of the working interest, correct?

22 A. That is correct.

23 Q. But it's willing to take on the risk of
24 operating within these sections because it feels it has
25 a superior development plan?

1 A. Correct.

2 Q. If you could please turn to Exhibit W, and
3 before we look at this exhibit, I have a few questions.

4 Mr. Rice, what interests do you seek to
5 pool under your applications?

6 A. All uncommitted interests.

7 Q. And are the parties who you are seeking to pool
8 in the Bone Spring Formation -- who are those parties,
9 actually?

10 A. The only uncommitted interest is BTA.

11 Q. Okay. So the only other working interest owner
12 in the proposed spacing units is BTA?

13 A. Correct.

14 Q. And is Marathon also seeking to pool overriding
15 royalty interest owners?

16 A. Yes.

17 Q. And what efforts has Marathon made to obtain
18 voluntary joinder within the Bone Spring spacing units
19 that have been proposed?

20 A. BTA and Marathon have been communicating about
21 this project for quite a while.

22 Q. And who was the first operator to propose wells
23 within the Bone Spring Formation?

24 A. Marathon.

25 Q. And you were here earlier for testimony and

1 heard testimony from BTA's landman Ashley Beal?

2 A. Uh-huh.

3 Q. Do you recall Ms. Beal testifying that after
4 Marathon submitted its well proposals to BTA, BTA's
5 response was to file compulsory pooling applications for
6 the Bone Spring Formation?

7 A. Yes.

8 Q. Is that also your recollection of what
9 occurred?

10 A. I believe we started some negotiations, but
11 more or less, yes, I believe so, some trade
12 negotiations, more or less.

13 Q. In your opinion, has Marathon engaged in a
14 good-faith effort to try to obtain voluntary joinder
15 within the proposed Bone Spring spacing units?

16 A. I believe we've made a good-faith effort to
17 work with BTA and initiate some trade-outs, but
18 ultimately they did not come to fruition, so that's why
19 we're here.

20 Q. And during the April 24th hearing, there were
21 many different trade offers and purchase offers and
22 attempts to resolve this dispute that Marathon made to
23 BTA, correct?

24 A. Correct.

25 MS. BRADFUTE: And I would like to just

1 incorporate that testimony into the record since it has
2 been talked about today.

3 Q. (BY MS. BRADFUTE) Mr. Rice, if you could look
4 at Exhibit W, is this a copy of a well-proposal letter
5 sent on June 4th, 2018 to BTA which reflects all of the
6 wells that Marathon has now proposed in its amended
7 applications?

8 A. Yes.

9 Q. And in this well proposal, did Marathon provide
10 the ability to either elect or not elect in each one of
11 the -- in each well that's being proposed?

12 A. Yes.

13 Q. And along with this well-proposal letter, did
14 Marathon submit a separate AFE for each of the wells
15 that are being proposed?

16 A. It did.

17 Q. Okay. Could you please turn to Exhibit W1? Is
18 this document the AFE for the Zeus Federal 23-28-29 WB
19 11H well?

20 A. Yes.

21 Q. And could you please identify the costs
22 provided within this AFE for completing, equipping and
23 drilling the well?

24 A. The total cost for this well is \$4,800,000, and
25 the completion costs are 4 million -- \$4,479,000.

1 Q. And could you please turn to the second tab in
2 this exhibit? This the AFE for the 12H well?

3 A. Yes.

4 Q. Could you please identify the estimated costs
5 for completing -- for drilling, completing and equipping
6 this well?

7 A. The total cost, 8,400,000; completion cost,
8 4,974,000.

9 Q. Could you please turn to Tab 3 of this exhibit?
10 Is this the AFE for the 13H well?

11 A. Yes.

12 Q. Could you please identify what the estimated
13 costs are for drilling, completing and equipping this
14 well?

15 A. Total cost, 8,163,000; completion costs,
16 4,974,000.

17 Q. And could you please turn to Tab 4 of this
18 exhibit? Is this the AFE that Marathon sent out for the
19 14H well?

20 A. Yes.

21 Q. And within this AFE, did Marathon propose costs
22 for drilling, completing and equipping the well?

23 A. Yes.

24 Q. Could you please provide those costs to the
25 hearing examiners?

1 A. Total cost, \$8,400,000; completion costs,
2 \$4,974,000.

3 Q. And could you please turn to Tab 5 of this
4 exhibit? Is this the AFE that was sent out for the 15H
5 well?

6 A. Yes.

7 Q. And does this AFE contain estimates for
8 drilling, completing and equipping the well?

9 A. Yes. Total cost, \$8,144,000; completion cost,
10 \$4,974,000.

11 Q. Could you please turn to Tab 6 of this exhibit.
12 Is this the AFE for the 16H well?

13 A. Yes.

14 Q. Could you please identify the cost for
15 drilling, completing and equipping the well for the
16 record?

17 A. Total cost, 8,400,000; completion cost,
18 4,974,000.

19 MR. FELDEWERT: Mr. Examiner, I would
20 stipulate that Exhibit W contains all the AFEs that were
21 sent.

22 MR. BRUCE: So will I.

23 MS. BRADFUTE: Okay. If it's acceptable to
24 the hearing examiner -- in the past, some examiners have
25 had a preference to have these numbers in the record.

1 EXAMINER BROOKS: Unless there are some
2 that are materially discrepant than those you already
3 read, I see no --

4 MS. BRADFUTE: Okay. That sounds good to
5 me.

6 EXAMINER JONES: The Bone Spring costs were
7 real similar to the Wolfcamp costs. I guess you're
8 going to talk about that later. In other words, 16 --

9 MS. BRADFUTE: No. Those are the ones that
10 we're directly at right now.

11 EXAMINER JONES: Okay.

12 EXAMINER BROOKS: Okay. If it's wrong, you
13 can just go ahead and read them.

14 EXAMINER JONES: No, no. There's
15 already -- those already came out.

16 EXAMINER BROOKS: Okay.

17 EXAMINER JONES: We're fine.

18 Q. (BY MS. BRADFUTE) Okay. Then we will move on.

19 Mr. Rice, in your opinion, are the costs
20 contained in the AFEs in Exhibit W in line with the
21 estimated costs to drill wells to these lengths and
22 depths within this area of New Mexico?

23 A. Yes.

24 Q. And in Marathon's experience, are these costs
25 reasonable?

1 A. Yes.

2 Q. Now, Mr. Rice, has Marathon staked the
3 locations for the mile-and-a-half laterals that it's
4 proposed in its amended application and the application
5 ending in 300?

6 A. We have staked all wells and done our BLM
7 on-site, and we have the documents ready to submit for
8 APDs.

9 Q. Okay. And has Marathon also been in
10 communication with the BLM about the need to get these
11 permits quickly --

12 A. Yes.

13 Q. -- for the wells?

14 A. (Indicating.)

15 Q. And the on-site has been completed?

16 A. It was completed on January 5th -- I mean July
17 5th.

18 Q. And did the BLM indicate any issues with the
19 proposed locations?

20 A. No. We also have a preliminary SUA with the
21 surface owner.

22 Q. Okay. You have a preliminary --

23 A. Surface-use agreement.

24 Q. -- surface-use agreement in place?

25 A. Uh-huh.

1 Q. Does Marathon believe that it'll be able to
2 obtain approved permits from the BLM in order to timely
3 drill the Lower Wolfcamp wells?

4 A. Yes.

5 Q. Yes? Okay.

6 And in doing so, does Marathon believe
7 it'll be in a position where it has approved permits
8 very early on in 2019?

9 A. Yes.

10 Q. Has Marathon executed a saltwater disposal
11 agreement for produced water from the wells?

12 A. Yes.

13 Q. Under the terms of that agreement, has Marathon
14 been able to significantly lower its estimated disposal
15 costs for the proposed spacing units?

16 A. We have.

17 Q. Has Marathon entered into third-party
18 agreements to transport gas and oil by pipeline from the
19 proposed spacing units?

20 A. Yes.

21 Q. And has Marathon entered into purchase
22 agreements to sell its production from the proposed
23 spacing units?

24 A. Yes.

25 Q. If you could -- actually, I'm not going to go

1 through that.

2 Mr. Rice, in your opinion, who should be
3 appointed as the operator of the wells?

4 A. Marathon Oil Permian.

5 Q. And do you have a recommendation for the
6 amounts which Marathon should be paid for supervision
7 and administrative expenses?

8 A. We are seeking \$7,500 for a drilling well and
9 \$750 a month for a producing well.

10 Q. And do you recall what the administrative
11 expenses and supervision expenses are that were quoted
12 by BTA for its one-and-a-half-mile wells?

13 A. I believe BTA is asking for \$8,000 a month for
14 a drilling well and a month for a producing well.

15 Q. So Marathon's proposed costs that it's offered
16 to BTA are lower?

17 A. Yes.

18 Q. Are Marathon's proposed costs equivalent to the
19 costs normally charged by Marathon and other operators
20 within this area for horizontal wells drilled to these
21 lengths and depths?

22 A. Yes.

23 Q. Is Marathon requesting that these rates be
24 adjusted periodically provided for under the COPAS
25 accounting procedure?

1 A. Yes.

2 Q. Does Marathon request the maximum cost plus 200
3 percent risk charge if any pooled working interest owner
4 fails to pay its share of costs of drilling, completing
5 and equipping the wells?

6 A. Yes.

7 Q. Were the parties you are seeking to pool
8 notified about today's hearing?

9 A. Yes.

10 Q. If you could please turn to Exhibit X, does
11 Exhibit X contain an affidavit prepared by your counsel
12 confirming that notice was provided to all affected
13 parties?

14 A. Yes.

15 Q. And is it your understanding that under the new
16 horizontal well rules, notice to the offset owners no
17 longer needs to be considered?

18 A. That is my understanding, per the new
19 horizontal well rules. Yes.

20 Q. Did Marathon provide notice to offsets because
21 these applications were filed before those rules went
22 into effect?

23 A. Yes.

24 Q. Did Marathon also provide notice to the
25 overriding royalty interest owners within the proposed

1 spacing units?

2 A. Yes.

3 Q. And has it used the best address information
4 that it had in its possession, including address
5 information provided by BTA during the April 24th
6 hearing?

7 A. Yes.

8 Q. If you could look at the last page -- last four
9 pages -- three pages or so of this exhibit, do these
10 pages contain two different affidavits of publication
11 from the "Carlsbad Current-Argus" that also confirms
12 notice was provided via publication in the newspaper?

13 A. Yes.

14 Q. And were Exhibits R through X prepared by you
15 or under your supervision or compiled from company
16 business records?

17 A. Yes.

18 Q. And, Mr. Rice, in your opinion, will the
19 granting of Marathon's application be in the interest of
20 conservation and the prevention of waste?

21 A. Yes.

22 MS. BRADFUTE: I'd like to move the
23 admission of Exhibits R through X into the record.

24 EXAMINER JONES: Any objection to R through
25 X?

1 MR. BRUCE: No.

2 MR. FELDEWERT: No, sir.

3 EXAMINER JONES: Exhibits R through X are
4 admitted.

5 (Marathon Oil Permian, LLC Exhibit Letters
6 R through X are offered and admitted into
7 evidence.)

8 MS. BRADFUTE: That concludes my direct
9 examination.

10 EXAMINER JONES: Who wants to go first?

11 CROSS-EXAMINATION

12 BY MR. FELDEWERT:

13 Q. Mr. Chase, Marathon has a number of contested
14 pooling cases before this Division, correct?

15 A. Possibly, yes. I don't know. I work certain
16 areas. Other ones --

17 Q. You're contesting operatorship with COG?

18 A. They're contesting our operatorship. You're
19 talking about the Dobro?

20 Q. Yeah. What's your -- for the Dobro?

21 A. Our proposal? We're at 50 percent.

22 Q. And their proposal?

23 A. Their proposal -- their two-mile proposal,
24 they're probably like 25 or 30 percent.

25 Q. And are you contesting operatorship with

1 **Mewbourne?**

2 A. In the Creedence proposals?

3 Q. I don't know. Are you contesting operatorship
4 with Mewbourne?

5 A. I mean, which proposal? Any of them?

6 Q. Yeah.

7 A. We are -- we have a competing proposal with
8 Mewbourne --

9 Q. I think at the last hearing, you testified that
10 Marathon prefers to be an operator even when you have a
11 minority interest.

12 A. Marathon prefers to be an operator when it
13 thinks the development plan -- we have the best
14 development plan.

15 Q. Even when you have a minority interest?

16 A. If that's the case, yes.

17 Q. Okay. And in this case where you think you
18 have a superior development plan -- I'm looking at
19 Exhibit W, and you have your ten wells there; is that
20 right? Your --

21 A. Ten-well proposal, yes.

22 Q. And that -- if I -- on average, the well costs
23 for each one of those is, what, 8 to 8-1/2 million?

24 A. Yes, sir.

25 Q. So if I multiply that by 10, what do I come up

1 with?

2 A. About 85 million.

3 Q. I'll give you that. I think that's right.

4 85 million. Do you know what 70 percent of
5 that would be?

6 A. About 56 spoon [sic; phonetic].

7 Q. Somewhere around there, right, would be about
8 the correct number?

9 (The court reporter requested clarification
10 of the answer and requested the witness
11 speak slower and louder.)

12 A. 56 million, I believe.

13 Q. 56 million that BTA would have to come up with
14 under your plan?

15 A. If they wanted to participate in every well,
16 yes.

17 Q. And I think at the last hearing, you testified
18 that BTA's proposed wells -- certainly not as many as
19 you have. But their proposed wells alleviate the lease
20 issues?

21 A. Their deep wells would alleviate the
22 depth-severance issue? Yes.

23 Q. Okay.

24 A. Assuming they drill it at the right time.

25 Q. And have you looked at your lease?

1 A. My Pardue lease?

2 Q. Yeah.

3 A. Uh-huh.

4 Q. Okay. Are you familiar with the continuous
5 obligation clause?

6 A. It has a 120-day clause.

7 Q. So it's not 60? It's not 60, right?

8 A. It's not 60.

9 Q. It is 120 days.

10 A. For drilling.

11 Q. Okay.

12 A. You've got to take it in the whole context at
13 least, right?

14 Q. Now we've got it figured out. So that's --

15 A. Well, we've got -- I think Mr. Brooks said,
16 Let's let the lawyers figure it out. But it's 120 days.

17 Q. But you've looked at it and it's 120?

18 A. Continuous clause -- continuous development
19 clause, Pugh clause, for that lease is 120 days.

20 Q. Just like BTA?

21 A. Their leases, because I can only find the --

22 Q. Okay. You were here when Ms. Beal testified
23 it's 120 days?

24 MS. BRADFUTE: Object to form. I don't
25 think she gave the days.

1 (The court reporter stopped the proceedings
2 and requested the parties not speak at the
3 same time.)

4 THE WITNESS: 120 days.

5 Q. (BY MR. FELDEWERT) Okay. We've got that
6 figured out.

7 EXAMINER BROOKS: Yeah. Everybody is
8 trying to talk fast to get through with this hearing,
9 but that can be counterproductive.

10 Q. (BY MR. FELDEWERT) Now, you haven't -- you
11 don't have any pads built for any of the wells?

12 A. No, sir.

13 Q. And you haven't filed any drilling permits?

14 A. No, sir. We don't have the right to until we
15 have operatorship.

16 Q. You didn't even file for your proposed one-mile
17 wells?

18 A. No.

19 Q. And you're drilling north to south?

20 A. That is correct.

21 Q. For all of your wells?

22 A. That is correct. Yes, sir.

23 Q. And you said you have --

24 A. Sorry. I believe the one-mile wells were south
25 to north. The surface hole was south to north, but the

1 half mile is north to south -- or north to south.

2 Q. So you changed your proposal, then, to drill
3 from north to south?

4 A. The surface-hole location is north to south.

5 Q. Okay. And I think you mentioned that you have
6 what you called a preliminary -- or a SUCA in place, a
7 surface-use agreement?

8 A. Yes. We have contact with the surface owner --

9 Q. (Indicating.)

10 A. We contacted the surface owner and have a
11 preliminary agreement in place, and we want to execute
12 on it.

13 Q. What do you mean by a preliminary agreement?

14 A. We have -- we want to put a surface pad --
15 surface pads here, and the surface owner has tentatively
16 agreed with that.

17 Q. Who is that?

18 A. Pecos [phonetic] Irrigation Company in Eunice,
19 but I'm not -- the surface crew handles that stuff.

20 Q. But you don't have a surface-use agreement in
21 place?

22 A. There is no signed surface-use agreement in
23 place that I'm aware of.

24 MR. FELDEWERT: That's all the questions I
25 have.

1 EXAMINER JONES: Mr. Bruce?

2 CROSS-EXAMINATION

3 BY MR. BRUCE:

4 Q. Just following up on Mr. Feldewert's question,
5 you said you're in contest over operatorship with
6 Mewbourne?

7 A. Yes.

8 Q. And COG?

9 A. Yes.

10 Q. And also Matador?

11 A. Yes. There is one.

12 Q. And also Ascent Energy, out of Denver?

13 A. It's not my area, but I think that sounds
14 right. Is that in Lea County?

15 Q. Lea County.

16 You handle Eddy?

17 A. I just do part of Eddy. Yes.

18 Q. And in which of those does Marathon own the
19 majority working interest?

20 A. Let's see. So like I said, Concho, the one I
21 think you're talking about, the Hambone proposal, we had
22 a mile proposal, and we were 50 percent. Concho sent a
23 competing proposal of two miles, so we were diluted down
24 to about 25 percent. So there is that issue.

25 If you're talking about Mewbourne's

1 Creedence wells, their proposal was a working interest
2 unit area, and our working interest in the area was a
3 lot smaller. But in our two-mile plan, we have 22
4 percent and Mewbourne has 17 percent working interest.

5 And then the Matador ones you're referring
6 to, I think, is their Larry Wolfisch, and we have the
7 Gladius, and we have the Maximus Federal two-mile well.

8 **Q. Right.**

9 A. I think we have 50 percent, but it's --

10 **Q. Depends on the --**

11 A. That's not my project, so I just kind of know
12 about it.

13 **Q. I won't press you further on it. Thank you.**

14 EXAMINER JONES: Mr. Brooks?

15 EXAMINER BROOKS: No questions.

16 EXAMINER JONES: No questions?

17 CROSS-EXAMINATION

18 BY EXAMINER JONES:

19 **Q. In the last hearing, there was -- 16076 was**
20 **continued for a month because of two green cards. But**
21 **you had to renotice everything anyway?**

22 A. Correct.

23 MS. BRADFUTE: We did.

24 **Q. (BY EXAMINER JONES) And those two green cards,**
25 **did you have trouble getting those two people back the**

1 **same --**

2 MS. BRADFUTE: Mr. Examiner, we did not get
3 those green cards back, if I remember right. We did
4 continue the case to another docket date, and I don't
5 remember the specific date off the top of my head. But
6 during that continuation, we did present an Affidavit of
7 Publication from the "Carlsbad Current-Argus" perfecting
8 notice on those original applications.

9 EXAMINER JONES: Okay. Did you do a
10 newspaper notice this time? You did.

11 MS. BRADFUTE: Yes, we did.

12 EXAMINER JONES: You did a newspaper
13 notice?

14 MS. BRADFUTE: Yes, we did.

15 **Q. (BY EXAMINER JONES) And last time, you were**
16 **saying 7,000, 700. Now you're saying 7,500 and 750. Is**
17 **that --**

18 **A. From a mile to a mile and a half.**

19 **Q. Oh, okay. Gotcha.**

20 **And these overrides, you're listing them as**
21 **pool parties; is that correct?**

22 MS. BRADFUTE: That is correct.

23 EXAMINER JONES: Okay. Just to make sure.

24 **Q. (BY EXAMINER JONES) Okay. No land situation**
25 **has changed, except you got -- it's gotten more**

1 complicated now because you've got those two federal
2 quarter-quarters and those other two state
3 quarter-quarters. So now you've got to do your com
4 agreements.

5 A. There is some extra land work that needs to be
6 done. Yes.

7 Q. Are you the guy who does all those com
8 agreements?

9 A. I have to type them out and get them signed.
10 Sure.

11 Q. And then I guess if everything works out, you'd
12 be renaming the wells to have "com" on the end of them?

13 A. Yes, sir.

14 Q. So are there any issues with the surface
15 locations to the north?

16 A. We've staked the wells, done a BLM on-site,
17 contacted the surface owner, so we're very confident
18 we're not going to have an issue getting surface.

19 Q. It's a preliminary now, but you're pretty sure
20 you can get it?

21 A. We are working it as if we were going to drill
22 it as soon as we can. And we know that BTA has an April
23 19th expiration date, and we'll be able to drill our
24 first phase, we feel, before that begins and alleviate
25 the issues.

1 Q. Okay. So I guess I've got to make sure which
2 wells -- which Wolfcamp wells, because the one on 16076,
3 which is the amended Wolfcamp application, it's a -- it
4 lists -- in the ad, it lists -- it lists three wells.

5 MS. BRADFUTE: Will, I had sent updated
6 notices, and they were in the last docket. But in the
7 July 12th docket, those updated notices reverted back to
8 the original notice, not the amended the notices.

9 EXAMINER JONES: Gee, I wonder who did that
10 docket (laughter).

11 MS. BRADFUTE: And I was out on vacation.
12 So I apologize.

13 EXAMINER JONES: Because someone was in
14 Ireland.

15 We definitely got all six wells.

16 MS. BRADFUTE: That's right. And we did
17 publish using the alternatives. So there was the
18 publication where it talked about the one-mile well
19 names, and the mile-and-a-half was granted -- the
20 mile-and-a-half-long-lateral well names, which includes
21 "federal" in them.

22 Q. (BY EXAMINER JONES) Okay. And you guys went
23 over all your drilling cost estimates?

24 A. Correct.

25 Q. And those -- some of those looked real similar

1 **between dry-hole costs -- or I guess you list dry-hole**
2 **costs, and they were exactly the same?**

3 A. So my understanding is the drilling costs
4 really don't change with the longer lateral. The
5 increase in the completion cost is due to more fracs,
6 right. So that's my understanding. But I'm just a
7 landman, so --

8 Q. Okay. Okay. Well, that sounds -- that's good.
9 **I don't have any more questions.**

10 EXAMINER JONES: Any more redirect for this
11 witness?

12 MS. BRADFUTE: I would like to move along
13 and call my next witness.

14 TUCKER KEREN,
15 after having been previously sworn under oath, was
16 questioned and testified as follows:

17 DIRECT EXAMINATION

18 BY MS. BRADFUTE:

19 Q. **And, Mr. Keren, starting with the exhibit**
20 **packet in front of you, I want to make sure you're**
21 **looking at the right packet.**

22 A. Yes.

23 Q. **Could you please state your name for the**
24 **record?**

25 A. Tucker Keren.

1 Q. And, Mr. Keren, who do you work for?

2 A. Marathon Oil.

3 Q. And what are your responsibilities at Marathon?

4 A. I'm a development geologist responsible for
5 Eddy County, New Mexico.

6 Q. And have you previously testified before the
7 Division?

8 A. I have.

9 Q. And were your credentials accepted and made
10 part of the record?

11 A. Yes.

12 Q. Are you familiar with the applications filed by
13 Marathon in Case Numbers 16076, 16077 and 16300?

14 A. I am, yes.

15 Q. Are you familiar with the applications filed by
16 BTA in Case Numbers 16024, 16161 and 16162?

17 A. Yes.

18 Q. Are you familiar with the status of the lands
19 which are the subject matter of these applications?

20 A. Yes.

21 Q. Are you familiar with the drilling plans for
22 the proposed wells?

23 A. Yes.

24 Q. And have you conducted a geologic study of the
25 area embracing the proposed spacing units?

1 A. Yes, I have.

2 MS. BRADFUTE: I'd like to tender this
3 witness as an expert in petroleum geology matters.

4 EXAMINER JONES: Any objection?

5 MR. FELDEWERT: No objection.

6 MR. BRUCE: No objection.

7 EXAMINER JONES: Can you spell your last
8 name?

9 THE WITNESS: K-E-R-E-N.

10 EXAMINER BROOKS: E-N?

11 THE WITNESS: E-N.

12 EXAMINER JONES: He is so qualified.

13 **Q. (BY MS. BRADFUTE) Mr. Keren, can you please**
14 **turn to Exhibit R, and could you please first look at**
15 **the map that's rolled out in front of you?**

16 **And there is a map in front of opposing**
17 **counsel and one in front of Mr. Brooks.**

18 **Is the map that's rolled out in front of**
19 **you the same map that's shown in Exhibit R?**

20 A. Yes, it should be. I prepared two maps with
21 the same content just at different scales. This one in
22 Exhibit R is focused on the project area and some of the
23 neighboring sections around there. So it really only
24 includes Townships 23S-27E, 23S-28E and a few of the
25 sections to the south.

1 Q. Okay. So Exhibit R has additional sections;
2 it's a larger-scale view --

3 A. Yeah. The one that's --

4 Q. -- than the map you have in front of you?

5 A. -- that's below --

6 Q. Is the bigger map?

7 A. Is the -- is the bigger map. And that's
8 exhibit -- that's a later exhibit.

9 Q. Okay. We'll turn to that in a little bit.

10 What I'd like to do is look at the
11 zoomed-in map that's rolled out in front of everybody.
12 This is a map that you have prepared, correct?

13 A. Correct.

14 Q. Could you please help us understand what is
15 shown on this bigger map and walk through what's
16 depicted?

17 A. Sure.

18 So what I've tried to do on this map is to
19 try and provide some clarification for the current
20 status of many of Marathon's wells in this area,
21 especially because anybody trying to obtain this status
22 information from public data sources is going to have a
23 lag of several months. So Marathon, for the purposes of
24 this hearing, is willing to share with the Examiners and
25 the rest of the parties here the current status of all

1 the wells that we have drilled in this area and also
2 where the locations of some of our permits are.

3 And so the first thing that I wanted to
4 point out is that Marathon's drilled wells are going to
5 be in the Bone Spring and the Wolfcamp Formation, is
6 what I've colored them by here. If they're solid lines,
7 that means that they have been drilled and completed.
8 So these are wells that are on production as we speak
9 today. If they are dashed lines, those are going to be
10 wells that are drilled and uncompleted. So drilling
11 operations have been completed already. The rigs have
12 moved on to elsewhere, and now these wells are just
13 waiting for the frac crew to come and complete them.

14 And so what you can see is that in this
15 area, just around the project area alone, Marathon does
16 already have Wolfcamp and Bone Spring wells on
17 production, including some that are less than three
18 miles away. So if you look in the Section 2 of
19 24S-27E -- so this is about two miles or so southwest of
20 the project area -- you'll see some wells labeled "El
21 Presidente." Those are wells Marathon has drilled and
22 completed and are on production, as we speak to today,
23 from the Bone Spring and the Wolfcamp Formation. And
24 these are wells that were simultaneously completed in
25 those zones.

1 Q. I just want you to pause right there. So these
2 are wells where Marathon simultaneously completed within
3 the 3rd Bone Spring and the Upper Wolfcamp Formation?

4 A. That is correct.

5 Q. Okay. And do these wells have an analogous
6 spacing pattern to the Upper Wolfcamp and the 3rd Bone
7 Spring sands that are being proposed in these cases that
8 we're hearing today?

9 A. Yes. It is an identical spacing pattern.

10 The other area that I want to call out is
11 in the upper, left corner of this map where you can see
12 there is a high density of wells that Marathon has
13 drilled and completed in both the Wolfcamp and the Bone
14 Spring Formations.

15 And so there's been a lot of discussion in
16 the previous testimony from BTA about Marathon's area of
17 experimentation where we have 100 percent working
18 interest. That area is not the project area that we are
19 discussing today. I would argue that Marathon's
20 experimentation has already taken place in that area, in
21 the upper, left corner of this map, where we do have
22 extremely high working interest and we've done our own
23 science and engineering tests to try to understand the
24 correct spacing for wells in the Wolfcamp and the Bone
25 Spring Formations.

1 Q. Thank you, Mr. Keren.

2 Now, I'd like to you look at Exhibit R.
3 And it's actually -- you do have the next map right
4 underneath the map that we were just looking at, if
5 people want to look at a bigger version. And explain
6 what this map shows to the hearing examiner.

7 A. So this is zoomed out a little bit of ways, and
8 I did try to make this inclusive of a few more
9 townships. But we're showing mostly the same data --

10 MR. FELDEWERT: Can I stop you right here?
11 So I'm looking in my notebook at Exhibit R.

12 MS. BRADFUTE: Yeah.

13 MR. FELDEWERT: Is there a second page?

14 MS. BRADFUTE: So no. I wanted everyone to
15 look at the big map on top first.

16 MR. FELDEWERT: So there's a big map --

17 MS. BRADFUTE: A big map is another exhibit
18 here, Mike.

19 MR. FELDEWERT: Oh, it is?

20 MS. BRADFUTE: Exhibit Y is the --

21 THE WITNESS: Yeah. This is Exhibit Y
22 (indicating).

23 EXAMINER BROOKS: The one we were looking
24 at --

25 MS. BRADFUTE: It was Exhibit R, the one we

1 were looking at.

2 This is Exhibit Y (indicating).

3 EXAMINER BROOKS: Thank you.

4 THE WITNESS: Yeah. We were looking at R,
5 and I've just printed out a larger version here for ease
6 of the eye here.

7 But this is -- this is the true Marathon
8 activity map that matches nearly extensive the map that
9 Mr. Charuk presented earlier. So he showed sparse
10 drilling activity and a few permits that he was able to
11 obtain from a publicly available data set. But this is
12 truly Marathon's activity map, as we sit today, in this
13 area around the Zeus or Ogden project area. And so you
14 can see there is an abundance of wells that are drawn in
15 solid lines. So those are wells from the Wolfcamp and
16 the Bone Spring Formation that are on production to
17 date, including the 3rd Bone Spring Sand Formation,
18 where in Eddy County alone, we already have six wells on
19 production. So this is not an experiment in the Zeus
20 project area to see what the production would look like.

21 Q. (BY MS. BRADFUTE) And in your opinion, has
22 Marathon's codevelopment of the 3rd Bone Spring Sand in
23 the Upper Wolfcamp Formation been successful?

24 A. Yes.

25 Q. And we'll talk about that more later.

1 **Mr. Keren, at the April 24th hearing, you**
2 **presented geologic testimony concerning the Wolfcamp**
3 **Formation, correct?**

4 A. Correct.

5 **Q. And has that testimony changed significantly in**
6 **any way?**

7 A. No.

8 **Q. Mr. Keren, what is the targeted interval in the**
9 **Bone Spring cases, Case Number 16077 and 16300,**
10 **involving the Bone Spring wells?**

11 A. We have two targeted intervals, the 2nd Bone
12 Spring Sand and the 3rd Bone Spring Sand.

13 **Q. Okay. And it might be helpful if we turn to**
14 **Exhibit S, as in Sam. Does this exhibit depict where**
15 **the Bone Spring wells will be located in relation to**
16 **Marathon's proposed Wolfcamp wells?**

17 A. Yes.

18 **Q. And could you please walk through this diagram**
19 **and explain to the hearing examiners what it shows?**

20 A. Sure.

21 So this is a cross-sectional look, what we
22 sometimes call a gun-barrel diagram that shows the
23 approximate targeted intervals within each of the
24 formations, and I've broken it up by Bone Spring and
25 Wolfcamp and included the well numbers on there for

1 assistance. And this is drawn completely to scale, so
2 you can see the vertical separation and the lateral
3 separation of the wells that we have proposed.

4 And it also shows how they fit with the
5 wells that are in adjacent sections. So in the east
6 half of Section 30, for example, Marathon has already
7 drilled five wells, two in the Bone Spring and three in
8 the Wolfcamp, and we are currently fracking three of
9 those wells today.

10 **Q. And so, Mr. Keren, just to confirm, the**
11 **targeted interval for the Bone Spring wells at issue in**
12 **these cases is going to be the 2nd Bone Spring and the**
13 **3rd Bone Spring?**

14 A. Correct.

15 **Q. If you could please turn to what's been marked**
16 **as Exhibit Z, as in zebra, could you please identify**
17 **what this document is?**

18 A. This is a structure map on the top of the 3rd
19 Bone Spring Sand Formation in subsea depths, and it's
20 colored using warmer colors to indicate deeper -- deeper
21 depths. And it's also drawn with respect to Marathon's
22 acreage and the project area we are discussing today.
23 You can see the contours approximately are trending in
24 the north-south orientation, but there are some small
25 inflections in the contours, especially right around the

1 project area.

2 I've also bolded all of the Bone Spring
3 horizontal wells that have been drilled in the adjacent
4 sections.

5 **Q. And, Mr. Keren, when you were preparing this**
6 **structure map, did you notice any faults or impediments**
7 **within the area?**

8 A. So it's difficult to identify faults using well
9 data alone. I will admit that. However, when I see
10 small inflections in my contours like I do on this
11 structure map here, I start to get concerned about
12 potential -- potential structural anomalies in the area.
13 Because if everything was structurally quiet, I would
14 expect my contours to be relatively straight and
15 parallel to one another. However, that's not what I'm
16 seeing here from using a lot of data points in this
17 area.

18 And so when I see that, then I move to the
19 seismic data that Marathon has, and we have 3D seismic
20 all over this area. And looking at that, I did see some
21 evidence for small displacement faults cutting through
22 the Wolfcamp Formation and the 3rd Bone Spring
23 Formation.

24 **Q. And that is similar to the testimony that you**
25 **presented during the April 24th hearing concerning the**

1 **Wolfcamp Formation, correct?**

2 A. That's correct.

3 **Q. What challenges do those small faults present**
4 **to an operator when you are developing an area like**
5 **this, from a geologic standpoint?**

6 A. The largest challenge is to be able to keep
7 your lateral well in your most optimal target for the
8 entire length of a one-mile or one-and-a-half or even
9 two-mile lateral. You want to keep your wellbore in
10 your best quality reservoir at all times. And if you
11 have small displacement faults, there is a chance that
12 you could get thrown up or down a little bit in
13 sections, and you'll have sections of the wellbore that
14 are in suboptimal reservoir rock.

15 **Q. Okay. Is that important when maybe you have**
16 **TVDs of wells that are only separated by a few hundred**
17 **feet in certain situations?**

18 A. Yes.

19 **Q. Did you also prepare a cross section of logs**
20 **when you were putting together this structure map?**

21 A. I did. And it's noted it A to A prime on this
22 structure map, and the cross-section line is in yellow.

23 **Q. And could you please turn to the second page of**
24 **this exhibit and explain what this document shows?**

25 A. This is the structure map now on the base of

1 the 2nd Bone Spring Sand Formation with all the same map
2 elements as the previous map. You can see once again
3 the structure is approximately north-south. The
4 orientation of your strike direction dips down to the
5 east. And you can see that the contours now are a
6 little bit more parallel and uniform across this area.
7 So just using the well data alone, you can see there is
8 slightly less chance of structural anomalies in this
9 area.

10 **Q. If you could please turn to Exhibit AA and**
11 **could you please discuss what that document shows?**

12 A. This is my cross section from A to A prime
13 showing the stratigraphy of the Bone Spring sands that
14 we'll be targeting. At the top is the 2nd Bone Spring
15 Sand where I've cartooned a lateral just to show where
16 we're roughly planning to target our 13H and 19H wells.

17 And then at the base of the cross section
18 is the 3rd Bone Spring Sand where we'll be targeting 15H
19 well right at the base of that sand body. This is
20 really just to show the lateral continuity across the
21 project area of these -- of these sand bodies. And I
22 think that -- geologically, I don't see any sort of
23 evidence of pinch-outs or anything like that.

24 **Q. And do you consider the wells that are included**
25 **within these cross sections representative of the Bone**

1 **Spring Formation in the 2nd Bone Spring Sand and the 3rd**
2 **Bone Spring Sand?**

3 A. Yes.

4 **Q. Will you please turn to Exhibit BB and could**
5 **you please explain what that document is?**

6 A. This is my gross interval isochore map on the
7 3rd Bone Spring Sand. So this is a thickness map just
8 demonstrating that the thickness does vary a little bit
9 in this area. I'm using 20-foot contours indicating
10 thicker areas of the 3rd Bone Spring Sand. It orders on
11 the order of tens of feet in this -- or changes on the
12 order of tens of feet in this area. But across the
13 project area, it'll be roughly 330 feet or so and should
14 be consistent over the length of a mile-and-a-half-long
15 lateral.

16 **Q. And could you please turn to the next page of**
17 **this exhibit and explain what this map shows?**

18 A. This is my 2nd Bone Spring Sand isochore map
19 using the same contour interval. Once again, it varies
20 slightly in the area, thickening to the east. In the
21 project area, it will be roughly 200 to 210 feet thick
22 and relatively consistent over the length of the
23 laterals.

24 **Q. And, Mr. Keren, what conclusions have you drawn**
25 **from your geologic study of this area?**

1 A. The conclusions that I've drawn are that using
2 well data alone, it's challenging to assess the faulting
3 in the area. However, with our use of 3D seismic, we're
4 able to see that there is potential for small
5 displacements in some of our targeted wells in the Upper
6 Wolfcamp, 3rd Bone Spring Sand, example, and that
7 although there is -- there is evidence of some small
8 displacement faulting, I don't see any evidence of
9 pinch-outs, so there is still a presence of these sand
10 bodies over the whole -- whole project area.

11 Q. Okay. And will each 40-acre proration unit --
12 I'm not sure that's the right term under the new
13 horizontal well rule. But will each 40-acre tract be
14 productive within the Bone Spring Formation within the
15 respective spacing units?

16 A. Yes.

17 Q. And in your opinion, is horizontal drilling the
18 more efficient method to develop the area?

19 A. Yes.

20 Q. And will each 40-acre tract contribute
21 approximately equal -- equally to the development of
22 each of the wellbores?

23 A. Yes.

24 Q. So I want to briefly focus on the different
25 wells that are going to be located in Marathon's plan

1 **versus BTA's plan. If you could turn to Exhibit CC in**
2 **the packet in front of you, and could you please explain**
3 **what that diagram depicts?**

4 A. So this diagram is the side-by-side comparison
5 of Marathon's development plans versus BTA's development
6 plans. And using the same -- the same structure that I
7 was showing earlier for Marathon's cross-sectional view
8 of our development plan, I've now placed BTA's
9 development plan in that same format so we can have
10 side-by-side comparison. And then I've also laid out
11 the development stages as we understand them for BTA,
12 and I think we've gotten more clarity on that even
13 today. But also comparing those to the way that
14 Marathon plans to develop these in several phases of
15 development.

16 And the final thing that I've included on
17 this exhibit is a visual aid for understanding what the
18 potential effect of depletion could be based on the
19 order in which you develop the wells in this area. And
20 so I've drawn a dashed circle around the wells that we
21 know will be the first phase of development for both
22 operators. So for Marathon, that's four wells. For
23 BTA, that's two wells.

24 And then what I've done here is I've drawn
25 these just to help us try to visually understand that

1 after we complete those wells, there is going to be a
2 zone of depletion around them, and that's going to be
3 both depletion of pressure and then depletion of fluids.
4 And so it's critical to understand that effect of
5 depletion so that if you do opt to come back in later
6 and drill additional wells, whether that's in the Bone
7 Spring or the Wolfcamp, if those wells are very close to
8 one another vertically, then it's critical to understand
9 that depletion effect.

10 I think Marathon's plan is strategically
11 designed to minimize that effect of depletion. Whereas,
12 BTA's development plan is not. Their 9H and 10H wells,
13 specifically, are at risk of seeing the effect of
14 depletion.

15 **Q. I want to back up just a little bit and discuss**
16 **what is meant by development stages in Marathon's**
17 **portion of this diagram. You have three different**
18 **development stages listed for Marathon's wells, correct?**

19 A. Correct.

20 **Q. And Marathon intends to drill these wells in**
21 **three different stages, right?**

22 A. Correct.

23 **Q. But that is not necessarily the order that**
24 **Marathon will complete these wells in, correct?**

25 A. Not necessarily. Marathon has the option to

1 drill, for example, say, Development Stages 1 and 2 and
2 then concurrently frac all of them, as we're basically
3 building a mega pad to drill all of these wells from.
4 So there will be separate rows of surface-hole location,
5 but it won't be challenging for a frac crew to handle,
6 say, for example, Development Stages 1 and 2 all
7 consecutively.

8 **Q. So Marathon is designing its completion and pad**
9 **plans so it can go back in and frac Development Stages 1**
10 **and 2 simultaneously if it wanted to?**

11 A. If not simultaneously, then immediately one
12 after the other.

13 **Q. During?**

14 A. Yeah, during.

15 **Q. Concurrently is how I've heard it described.**
16 **Both ways?**

17 A. Yeah.

18 **Q. I want to talk a little bit about the depletion**
19 **halos. The dotted circles that surround the wells on**
20 **this diagram are just a visual aid to help us see there**
21 **is depletion around those wells, correct?**

22 A. Correct.

23 **Q. It's not an actual measured -- where the fracs**
24 **are going to deplete the area, correct?**

25 A. No, it's not.

1 **Q. So what information did you use to study how**
2 **depletion would occur in this area?**

3 A. So the information that we've used to study
4 that is largely based on the wells that we've drilled
5 and produced to date. And we've seen a lot of those on
6 the maps that I've printed out and put in front of you.
7 The other data that we have, though, that's extremely
8 valuable is pilot-hole core and log data that we've
9 collected just a couple of sections away.

10 So if we look back at our map and we were
11 talking about 23S-27E, Section 9, where there is a high
12 density of wells that Marathon has drilled, we also
13 invested a large amount of money in drilling a pilot
14 hole, collecting 400 feet of core and doing five runs of
15 open-hole wireline logging and sidewall-core collection
16 to try and understand all the geologic properties that
17 go into the frac models that we've looked at today.

18 And so Marathon has built frac models that
19 are based on those geologic inputs that are very close
20 to this project area and that are consistent of geology
21 that doesn't change very much from that Section 9 to
22 where we are studying today.

23 **Q. And we've heard a lot of testimony today about**
24 **whether or not there is a mechanical barrier between the**
25 **3rd Bone Spring Sand and the Upper Wolfcamp Formation.**

1 **Is it your opinion that there is a sufficient frac**
2 **barrier between those two formations?**

3 A. It is my opinion that given the current
4 completion style of most operators out here, including
5 Marathon and BTA, that there is not a significant frac
6 barrier between the 3rd Bone Spring Sand and the Upper
7 Wolfcamp Formation.

8 **Q. Why is that?**

9 A. That's because -- well, lithologically, it may
10 seem like there is a change in rock type between those
11 reservoirs. There may not be a large enough stress
12 barrier to hold back those fracs.

13 **Q. Okay. So the analysis largely revolves around**
14 **stress?**

15 A. Yes.

16 **Q. And why is stress important in analyzing**
17 **stress?**

18 A. Stress is important because while geology may
19 look consistent on a log over many parts of the Delaware
20 Basin, the pressures might be very different, and the
21 way that that pressure profile changes with depth might
22 be extremely different in different parts of the basin.

23 **Q. Okay. So you really need to actually know the**
24 **pressures that are involved in the immediate area that**
25 **you're in --**

1 A. Yes.

2 **Q. -- in order to get a true orientation of the**
3 **stress -- or idea of what the stress is going to be?**

4 A. Correct. And stress is what entirely governs
5 the way that the fractures that we are inducing in the
6 subsurface will grow.

7 **Q. Okay. And has Marathon obtained pressure data**
8 **and information from the wells that it has now drilled**
9 **and completed?**

10 A. Marathon has significant pressure data. From
11 each one of our wells, we do a diagnostic fracture
12 injection test, and we get pore pressure data point at
13 each one of those wells. We also collect dipole sonic
14 logs from pilot holes and have even done microseismic
15 studies in the area.

16 **Q. Mr. Keren, is it your opinion that Marathon's**
17 **development plans will result in the greatest amount of**
18 **recovery from the proposed spacing units?**

19 A. Yes.

20 **Q. And in your opinion, will Marathon's**
21 **development plans best protect correlative rights?**

22 A. Yes.

23 **Q. And in your opinion, will Marathon's**
24 **development plan result in the reduction of the waste?**

25 A. Yes.

1 Q. Have you reviewed BTA's development plans for
2 the area?

3 A. Yes, I have.

4 Q. And BTA has obviously applied to pool the 9H
5 and 10H wells, correct?

6 A. Correct.

7 Q. And based on testimony that we listened to
8 earlier today, BTA intends to complete the 9H well and
9 the 10H well sometime after completing its Upper
10 Wolfcamp wells, correct?

11 A. That's how I understand it. Yes.

12 Q. Okay. Is the spacing proposed by BTA for those
13 3rd Bone Spring wells problematic if it's going to go
14 back in and later complete those wells?

15 A. In my geologic opinion, it is. And what's
16 concerning to me is both the lateral spacing that we
17 look at just in this half section alone, their wells are
18 only spaced about 330 feet apart. So that's very close
19 and tighter spacing between the 3rd Bone Spring Sand and
20 Upper Wolfcamp than we have seen in this area to date.
21 And it's also -- with respect to the wells that Marathon
22 has already drilled and we're fracking right now in the
23 adjacent section immediately west, which includes two
24 3rd Bone Spring wells.

25 Q. And in your opinion, will the timing of BTA's

1 completion operations result in waste and unrecovered
2 reserves from the 3rd Bone Spring Sand Formation?

3 A. Yes.

4 Q. And if you could, I'd like you to briefly talk
5 about the concept of how fractures can grow
6 asymmetrically when you have depletion in an area.

7 A. I'll touch on that just briefly. I think you
8 will be going into more detail on that --

9 Q. With the engineer.

10 A. -- with the engineer.

11 But as we've testified and many people have
12 testified today, fractures want to grow the path of
13 least resistance. And a lot of times, that path of
14 least resistance is governed by wells that have already
15 been fracked and are on production nearby. And we've
16 shown on a lot of our maps here that not only Marathon
17 but Matador and Mewbourne have already drilled and
18 fracked wells just around this project area. So we know
19 there are already wells on production in the same
20 formations, and so there is going to be a high
21 likelihood that those wells will draw fractures in one
22 direction preferentially.

23 Q. In your opinion, is Marathon's plan of
24 development the most prudent way to proceed with
25 development of the spacing units?

1 A. Yes.

2 Q. And in your opinion, should BTA's applications
3 in Case Number 16024, 16161, 16162 be denied?

4 A. Yes.

5 Q. Mr. Keren, have you compiled and prepared
6 Exhibits Y through DD from company business records and
7 under your supervision and direction?

8 A. Yes.

9 MS. BRADFUTE: I'd like to tender those
10 exhibits into the record.

11 EXAMINER JONES: Exhibits Y through DD, any
12 objection?

13 MR. FELDEWERT: No objection.

14 MR. BRUCE: No objection.

15 MS. BRADFUTE: And that completes my direct
16 examination.

17 EXAMINER JONES: Those are admitted.

18 (Marathon Oil Permian, LLC Exhibit Letters
19 Y through DD are offered and admitted into
20 evidence.)

21 EXAMINER JONES: Okay. Mr. Feldewert.

22 CROSS-EXAMINATION

23 BY MR. FELDEWERT:

24 Q. Mr. Keren, if I look at BTA's Exhibit Number
25 21 -- do you have that in front of you?

1 A. Yup.

2 Q. And you don't have to turn to it, but you had
3 talked about your Exhibit CC. One of your Development
4 Stage 1 wells is a 16H well?

5 A. That is correct.

6 Q. And that's in the same correlative zone as the
7 BTA Ogden 7H and 8H?

8 A. Correct.

9 Q. And I believe at the last hearing, you provided
10 exhibits and testimony that in your opinion, that that
11 is an area that can be -- or a zone that can be
12 efficiently and effectively developed with horizontal
13 wells?

14 A. Yes.

15 Q. You didn't see any geologic impediments?

16 A. Correct.

17 Q. Likewise, that's an area that can be -- where
18 the acreage, on average, will contribute more or less
19 equally to the wellbore?

20 A. Correct.

21 Q. All right. Then we don't have any debate
22 there. And we no longer have a debate about mile versus
23 mile-and-a-half, right?

24 A. Correct.

25 Q. Didn't you and I have a little debate about

1 **that?**

2 A. Yeah.

3 **Q. We've clarified that?**

4 A. Yeah (laughter).

5 **Q. Okay. Good.**

6 **Can you give me an estimate of the**
7 **version -- the virgin reservoir pressure in the Wolfcamp**
8 **Sand around the Ogden and the Zeus?**

9 A. I have not studied that.

10 **Q. I thought you just testified you had a lot**
11 **of -- Marathon has pressure data for the area.**

12 A. They do. That's not data that I typically work
13 with on a day-to-day basis.

14 **Q. So you haven't relied on that pressure data?**

15 A. Relied on it for what?

16 **Q. I mean utilized it for any of your opinions**
17 **here today?**

18 A. So I've utilized the derivative products of
19 that pressure data. So I've sat in on many meetings and
20 presentations in which engineers have shown us their --
21 the ways they have used that data to make development
22 decisions in this area, and then that is work that I use
23 to fold into my geologic development decisions.

24 **Q. So you don't have any information on the**
25 **pressure -- the virgin pressure data in this area?**

1 A. I don't know those numbers off the top of my
2 head.

3 Q. Okay. Now, when you were here last -- let's
4 see. Which exhibit is that? The exhibit that shows
5 your development, which exhibit was that?

6 MS. BRADFUTE: Exhibit CC or the map?

7 MR. FELDEWERT: The map.

8 MS. BRADFUTE: The map? The big map is Y.

9 Q. (BY MR. FELDEWERT) Why don't you turn to
10 Exhibit Y for me?

11 A. Sure.

12 Q. Now, you have some development right next door
13 in Section 30, right?

14 A. Correct.

15 Q. Okay. And in 20 and in 19?

16 A. Correct.

17 Q. And I think the last time you were here, you
18 mentioned that they're in the east half of 30. You
19 called that your Hermes wells?

20 A. That's correct.

21 Q. And that was according to your map of drilled
22 but not completed?

23 A. Those completed right now because the MRO frac
24 symbol there, and we have on our Exhibit CC -- or sorry.
25 Excuse me. On the previous -- either way, they're

1 currently being completed.

2 Q. Okay. So we don't have any data from those
3 wells yet?

4 A. Production data, no.

5 Q. All right. Then when I look at the east half
6 of the east half of Section 30 here -- and maybe we
7 should go to your Exhibit CC. Your development in the
8 east half of Section 30 appears to be different from
9 what it is in the west half of 29?

10 A. Yes, that is correct.

11 Q. The spacing is different.

12 A. The spacing is not different, actually.

13 Q. So where would I find the comparison of your
14 spacing here?

15 A. Exhibit S.

16 Q. Exhibit S. Okay. Thank you.

17 Okay. So if I'm looking at this and I'm
18 just focusing on the -- the Wolfcamp --

19 A. Okay.

20 Q. -- right, we have three wells in the east half
21 of 30, and then you're proposing in the same correlative
22 zone -- is it only two in the first phase for the west
23 half of 29?

24 A. So in each of the correlative zones of that
25 Wolfcamp section, Marathon's planning three wells per

1 section. So if you include the east half of Section 30
2 and the west half of Section 29, that comprises the
3 equivalent of one section length -- or one mile in
4 length, and then over that one mile, we have three wells
5 planned in the Wolfcamp Sand and three wells per section
6 in the Wolfcamp A.

7 **Q. And then for the 3rd Bone Spring Sand, you have**
8 **two over there in the east half of 30, but only one in**
9 **the west half of 29?**

10 A. But as we talk about spacing on a
11 wells-per-section basis, that is the equivalent spacing
12 because this is two half sections combined to equal
13 three wells per section.

14 **Q. So that's nine wells total?**

15 A. Nine wells total.

16 **Q. Per section?**

17 A. In the 3rd Bone Spring Sand, the Wolfcamp Sand
18 and the Wolfcamp A.

19 **Q. That's what you-all believe is appropriate?**

20 A. Correct.

21 **Q. And that's what you would do here?**

22 A. That is what we are doing here.

23 **Q. Which then -- now, what is Marathon's ownership**
24 **percentage in the east half of 30?**

25 A. I do not know.

1 Q. Is it more than 30 percent?

2 A. Yes.

3 Q. Substantially more?

4 A. (Indicating.)

5 Q. You own a majority interest over there?

6 A. We own the majority interest over there.

7 Q. Okay. So with your spacing pattern, five of
8 the nine wells are on the acreage that you own the most
9 interest in, right?

10 A. Over this one mile, yes.

11 Q. And only four would be in the acreage where you
12 have only a 30 percent interest?

13 A. Correct.

14 Q. Okay. So BTA, who owns 70 percent with respect
15 to their correlative rights, is going to be diluted --

16 MS. BRADFUTE: Object to form. I'm not
17 sure what this has to do with geology.

18 Q. (BY MR. FELDEWERT) The acreage that would be --
19 only have the four wells, that would be where BTA owns
20 70 percent, right?

21 MS. BRADFUTE: Object to form.

22 EXAMINER BROOKS: Seems to me he's just
23 asking questions of fact that don't really call for
24 opinions, so I'll overrule the objection.

25 MS. BRADFUTE: Okay. That is fine. You

1 can answer.

2 Q. (BY MR. FELDEWERT) So you have four wells?

3 A. Correct, four wells.

4 Q. So if we're looking at BTA's correlative rights
5 based on your proposed spacing, most of the wells are
6 going on the acreage where you have a majority interest,
7 right?

8 A. Yes.

9 Q. Now, you mentioned in your Exhibit R that you
10 have done some experimentation down in Section 2?

11 A. Correct.

12 Q. Southwest of the El Presidente wells?

13 A. Correct.

14 Q. Okay. Is that data somewhere in your exhibits?

15 A. That data is not in my exhibits.

16 Q. It's not?

17 A. No.

18 Q. Not in any of Marathon's exhibits here?

19 A. That's proprietary data that has not been
20 released to the public yet.

21 Q. So the data that you're relying on to suggest
22 that your spacing pattern is appropriate is proprietary?

23 A. Yeah.

24 Q. And you're not presenting that today?

25 A. We will present data from a different set of

1 wells today, not those wells.

2 Q. Chose not to submit that?

3 A. We chose a different set of wells.

4 Q. Okay. And then same thing. You mentioned --
5 up there in the upper, left-hand corner of this exhibit,
6 you were talking about data that -- your experiment
7 you've done up there, correct?

8 A. Correct.

9 Q. And you have data from that area?

10 A. That is correct.

11 Q. And you're not presenting that?

12 A. Marathon is 100 percent working interest over
13 there and considers that to be proprietary data.

14 Q. Chosen not to present it?

15 A. Chosen not to present it.

16 Q. How long have you had the data in Section 2?

17 A. Section 2, we've had those wells on production
18 now for several weeks.

19 Q. Several weeks.

20 And then what about the data that you don't
21 want to present up there in Sections 9 and 16 on
22 Exhibit R?

23 A. Different phases of development but going back
24 greater than a year from now.

25 Q. More than a year?

1 A. More than a year.

2 **Q. So with respect to your opinions here today,**
3 **you're not relying on that data?**

4 A. No. I've made it clear that with respect to my
5 opinion on spacing and the way to appropriately develop
6 those wells, I'm relying on the entire internal data set
7 that Marathon has.

8 **Q. But you chose to specifically point that out,**
9 **but you don't want to share the data with the Division**
10 **or us?**

11 A. We've chosen a different set of wells to share
12 with the Division.

13 **Q. You mention in your exhibits -- when you were**
14 **referring to your Exhibit Y, I think you said there were**
15 **six wells that were on production?**

16 A. Six 3rd Bone Spring wells.

17 **Q. On production?**

18 A. On production.

19 **Q. And where are they located?**

20 A. In Eddy County.

21 **Q. Where?**

22 A. Okay. The first one would be 23S, 27 East,
23 Section 9. The second would be 23S-26E, Section 27.
24 The third would be -- the third and fourth would be
25 24S-27E, Section 15; then 24S-27E, Section 2; 24S-28E,

1 Section 23.

2 Q. That's the nine?

3 A. That's the six.

4 Q. The six. I'm sorry. Thank you.

5 And have you presented -- how long have
6 they been on production?

7 A. It changes. It's anywhere from -- they're all
8 on production for several months.

9 Q. Several months?

10 A. Yeah. It's different.

11 Q. Has their production been recorded?

12 A. There are initial production results for those
13 wells reported to the State.

14 Q. But have you subsequently submitted monthly
15 production reports?

16 A. I don't know about submission of monthly
17 production reports.

18 Q. Have you brought any of that data here today to
19 support your opinions?

20 A. If that data is publicly available, then --
21 then BTA could access that as easily as we could. So --

22 Q. Have you brought it --

23 A. I did not, no.

24 Q. -- to support your opinions?

25 A. I'm sorry. For one of those 3rd Bone Spring

1 wells, we did. It will be in the later testimony.

2 Q. Which exhibit?

3 A. Am I allowed to go to exhibits that haven't
4 been looked at yet?

5 MS. BRADFUTE: Yes, you can.

6 And, Mike, we will have an engineer,
7 obviously, who is going to be testifying about the
8 wells.

9 Q. (BY MR. FELDEWERT) Do you know which exhibit?

10 A. Yeah, I do. It's Exhibit DD.

11 Q. Exhibit DD.

12 EXAMINER BROOKS: DD?

13 MS. BRADFUTE: Yeah.

14 Q. (BY MR. FELDEWERT) That contains data for the
15 3rd Bone Spring?

16 A. Correct.

17 Q. For just one of the six?

18 A. Correct.

19 Q. Okay. Now, the data that you have up there for
20 a year, has that been publicly reported?

21 A. Yes. That's data from a well drilled by BC
22 Operating.

23 Q. I'm talking about data where you have the --
24 that you supposedly have the Upper Wolfcamp and the 3rd
25 Bone Spring simultaneously completed.

1 A. Those wells have been on production for
2 approximately six months or so now. So --

3 **Q. Six months.**

4 **And has that data been reported?**

5 A. Yes.

6 **Q. Then when I looked at your Exhibit CC -- and I**
7 **think you're fair here, right? You show that circle**
8 **here as just for illustrative purposes?**

9 A. Correct.

10 **Q. So that's theoretical?**

11 A. It is not a theoretical concept. Depletion is
12 not a theoretical concept. What is theoretical is the
13 exact shape of those circles.

14 **Q. Okay. And do you have any data to support --**
15 **that you brought here today to support your circles that**
16 **you've drawn on here?**

17 A. Yes. That'll be from Exhibit DD in later
18 testimony from the engineer.

19 **Q. And that supports the circles as you've drawn**
20 **them?**

21 A. That supports the depletion effect.

22 **Q. Okay. The depletion effect in general?**

23 A. Correct. The circles are for visual aid to
24 demonstrate where we would be introducing depletion from
25 the first phases of development.

1 Q. My point is, though, you don't have any
2 pressure data or pressure studies or fluid studies
3 presented here today to support this radius of influence
4 that you've put here on CC?

5 A. And as I've noted, it's for illustrative
6 purposes.

7 Q. You mentioned that you have your development
8 plan here on CC?

9 A. Correct.

10 Q. Okay. Can you -- put you to the same test.
11 Can you tell us when you're going to drill these wells?

12 A. We will be drilling these wells first quarter
13 of next year at least before April of 2019 to satisfy
14 all lease expirations.

15 Q. Do you know when you're going to be drilling
16 them?

17 A. I don't know the exact date that we would be
18 drilling them. What I do know is the status now -- BLM
19 on-site. We've staked the wells. We reached out to the
20 surface-use owners, and we've contacted the BLM to let
21 them know about that April 19th deadline.

22 Q. I'm going to press you like our witnesses have
23 been pressed. You can't give us a date, can you?

24 A. I cannot give you an exact date.

25 Q. And by -- in turn, can you tell us when you

1 **will be completing those wells?**

2 A. We would come back to complete those wells
3 depending on results that we see from open-hole logging
4 in the deep 16H well because that would depend on where
5 we land the 14H. This is all in the prior testimony
6 from April.

7 Q. I gotcha.

8 **You can't tell us because of all of these**
9 **factors?**

10 A. Sure.

11 Q. Is that fair?

12 A. Yes.

13 Q. Now, you mentioned Marathon has built frac
14 models?

15 A. Yes.

16 Q. What areas?

17 A. So the core input data that we use for --

18 Q. Let me step back here. Can you show us on one
19 of your maps here the areas where you have a frac model?

20 A. So that would be the -- the -- most of the
21 inputs for that model would be from 23S-27E, Section 9.

22 Q. Hold on. Let me get to the exhibit. Which
23 exhibit is it?

24 A. The big map.

25 Q. The big map, which is?

1 MS. BRADFUTE: Exhibit Y.

2 THE WITNESS: Exhibit Y.

3 Q. (BY MR. FELDEWERT) Thank you, sir.

4 All right. So where are your frac models?

5 A. 23S-27E, Section 9.

6 Q. 23S-27E, Section 9.

7 And have you brought those frac models here
8 today?

9 A. No.

10 Q. No?

11 How long have you had your frac models in
12 this area?

13 A. We've had those frac models since we obtained
14 the data there eight to nine months ago.

15 Q. But you chose not to bring those frac models
16 and that data here today?

17 A. Correct.

18 Q. You mentioned this small faulting, I think is
19 how you described it, correct?

20 A. Small displacement faults.

21 Q. Small displacement faults. Okay.

22 And I think you referenced those in Section
23 30 to the west?

24 A. Yes.

25 Q. Does that extend into Section 29?

1 A. Yes.

2 Q. Does it extend into the east half of Section
3 29?

4 A. Yes.

5 Q. Where BTA's drilling?

6 A. Yes.

7 Q. Now, when I look at your maps, am I correct
8 that I don't see on your maps any of this small
9 faulting, as you've described it?

10 A. I described an interpretation from seismic
11 data. Whereas, the maps are derivative products from
12 well data.

13 Q. So they're not based on seismic?

14 A. These wells -- these maps are not.

15 Q. So the maps you chose to present here today
16 don't show any faulting in the area?

17 A. They show inflections from the contours that I
18 have described for the hearing examiners, could be the
19 result of structural anomalies such as faulting in the
20 area.

21 Q. If they were true faults, you would show them
22 on your maps, wouldn't you, as a geologist?

23 A. What's a true fault?

24 Q. I don't know. If they were faults that really
25 concerned you, wouldn't they show up on your map?

1 A. I -- I don't understand your question. I've
2 described to the hearing examiners the faulting. If
3 you'd like more detail on that, I can explain that in
4 more detail.

5 **Q. Okay. But those faults didn't prevent you from**
6 **staying in your targeted zone?**

7 A. We went through this during the last hearing
8 because we proactively were able to plan the wells.

9 **Q. The only problem you had was trying to stay**
10 **within a 30-foot window, right? Remember that?**

11 A. Yes.

12 **Q. Bingo?**

13 **And zones you're targeting, I think you**
14 **mentioned, were what, a few hundred feet?**

15 A. No. So the Wolfcamp Sand -- the Wolfcamp Y
16 Sand is less than 100 feet thick.

17 **Q. Okay. But it's more than 30?**

18 A. It's more than 30, yeah.

19 **Q. Now, I think -- when I look at some of the**
20 **exhibits you chose to bring here today, if I go to**
21 **Exhibit DD -- I'm sorry -- yeah -- EE.**

22 MS. BRADFUTE: My objection is that he
23 hasn't testified about these.

24 MR. FELDEWERT: I understand.

25 **Q. (BY MR. FELDEWERT) Have you seen these exhibits**

1 before?

2 A. Briefly, yes.

3 Q. All right. This involves a sample from Lea
4 County; is that right?

5 A. Correct.

6 Q. If I go to FF, does this involve another study
7 based in Lea County --

8 A. Correct.

9 Q. -- all the exhibits here in FF?

10 A. Yes.

11 MS. BRADFUTE: Objection. Just a
12 correction. This witness may not be the best witness to
13 testify about these exhibits because he didn't prepare
14 them.

15 THE WITNESS: Yeah. I also just realized
16 there are multiple pages in FF, so I didn't even -- I
17 didn't get a chance to look through all of them.

18 Q. (BY MR. FELDEWERT) All right. Take a quick
19 look.

20 A. So they're not all Lea County.

21 Q. What other county is involved, because they
22 look like all Lea County to me. That's why I'm asking.

23 A. So page -- it's the page that has "Delaying
24 offset development leads to waste (Lea County)."

25 Q. Oh, okay. That is the second-to-the-last page;

1 is that right?

2 A. Third-to-the-last.

3 Q. Third-to-the-last page.

4 Okay. But if I look at EE and FF, all the
5 other pages are from -- reflect the wells in Lea County?

6 A. Correct.

7 Q. And I believe when you were here before, didn't
8 you testify that the geology in Lea County differs from
9 the geology in Eddy County?

10 A. Depending on the formation you're talking
11 about, yes.

12 Q. Okay. And I think you even testified further
13 and said that comparing results in Lea County to results
14 in Eddy County would be like comparing apples and
15 oranges?

16 A. When we were specifically discussing wells that
17 were drilled at different spacings, then yes.

18 Q. And you said it would be like comparing night
19 and day?

20 A. In that comparison, yes.

21 Q. Okay. And I think you testified at the last
22 hearing that you did agree that there is some mechanical
23 barrier between the Bone Spring and the Wolfcamp
24 Formations?

25 MS. BRADFUTE: Objection to form.

1 EXAMINER BROOKS: Overruled.

2 THE WITNESS: I don't remember.

3 Q. (BY MR. FELDEWERT) Didn't you testify that
4 you -- that there was mechanical barriers between the
5 Wolfcamp and the Bone Spring Formation in Eddy County
6 here, this area that's at issue?

7 A. I don't remember.

8 Q. In fact, didn't you say -- let's see. In the
9 way of mechanical barriers between the 2nd and 3rd Bone
10 Spring and the Wolfcamp Sand, your testimony was there
11 isn't much in the way of mechanical barriers, right?

12 A. That is correct.

13 Q. So your opinion would be there are mechanical
14 barriers, but, in your opinion, there's not much?

15 A. If that's what I said.

16 Q. Okay. All right. And you agree with me, do
17 you not, that no other operator in the area that is on
18 your Exhibit R has seen the need to develop the Bone
19 Spring or the -- in the Wolfcamp simultaneously?

20 A. No other operator other than Marathon.

21 Q. All right.

22 MR. FELDEWERT: That's all the questions I
23 have.

24 EXAMINER JONES: Mr. Brooks?

25

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER BROOKS:

Q. The main thing I got -- and maybe it's because of your testimony; maybe it's because of the last thing you said on the subject to the most recent questions. But the main thing I got from what you said is that you believe that, between the Wolfcamp Sand and the 3rd Bone Spring, developing them simultaneously will result in greater recovery, which I assume means that you were thinking that the first -- the last -- the second one you develop, that there is a time lag between recovery -- is that correct?

A. That is correct.

Q. Why is that?

A. That is because of the impact of depletion. If you drill a well that then -- and then complete it and then come back much later, several months or years later, to drill a well that's within a few hundred feet of that prior well, what's going to happen is that the new well is going to see the effect of that depletion. We sometimes call these child wells. And those child wells will be -- the fractures that we induce will grow preferentially in a way that is impacted by the stresses of the subsurface that have already been altered because of the wells that have already been fracked. And so

1 this is all important if you do not see what we would
2 consider a frac barrier between the two zones that those
3 wells are drilled in.

4 Q. And you've testified that there is not such a
5 barrier --

6 A. That is correct.

7 Q. -- and the witnesses for BTA have testified
8 that there is?

9 A. Correct.

10 Q. Okay. And when you talk about spacing between
11 wells, you were talking about vertical spacing? You
12 were not talking about the horizontal spacing between
13 the wells?

14 A. From Mr. Feldewert's line of questioning, I was
15 talking about horizontal spacing. From the -- from the
16 answer to your previous question, I was talking about
17 vertical spacing.

18 Q. Okay. Well, do you think that Marathon's plans
19 have a better horizontal spacing than BTA's? If so,
20 why?

21 A. I do, because Marathon's plans are adjusting to
22 the wells that we know are already in the ground in the
23 east half of Section 30, and we know that because
24 Marathon has drilled those wells. And so --

25 Q. Well, that's -- I'm sorry.

1 A. Let's turn to Exhibit S.

2 Q. **Exhibit F?**

3 A. S, as in snake.

4 Q. **Okay. S. Okay. Yes.**

5 A. So Marathon has, in the east half of Section
6 30, drilled five wells to date, is currently fracking
7 there as well. And we have continued that spacing
8 pattern for the east half of Section 30 into the west
9 half of Section 29 where we proposed our Zeus wells.
10 And that would be horizontally three wells per section
11 in the 3rd Bone Spring Sand, horizontally three wells
12 per section in the Wolfcamp Y Sand and horizontally
13 three wells per section in the Wolfcamp A. So this is
14 simply a continuation of the development plan that
15 Marathon has already put in the ground in the east half
16 of Section 30.

17 Q. **Okay. But the only formation in which that**
18 **differs from what BTA proposes -- it's hard for me to**
19 **compare these maps because they're on a different**
20 **vertical scale, and that's between BTA's 21 and your S.**

21 A. Maybe it would be helpful to turn to Exhibit
22 CC.

23 Q. **Well, first of all, let me get clear what the**
24 **difference is. The 11H and the 12H are the same on**
25 **both, right? No, wait. BTA has the 6H, but that's in**

1 **Formation -- that's in the Wolfcamp Sand.**

2 **Okay. You tell me what the differences**
3 **are.**

4 A. So the major differences would be in the 3rd
5 Bone Spring Sand, the 2nd Bone Spring Sand. We'll start
6 with the Bone Spring. In the 3rd Bone Spring Sand, we
7 have one well in this half section because Marathon has
8 already drilled two wells in the section immediately to
9 the west, and we are drilling at a three-wells-per-
10 section spacing.

11 **Q. Yes.**

12 A. So we did not want to put our 15H well too
13 close to that western line because it would be getting
14 too close to a well that will already be on production.

15 **Q. Okay.**

16 A. Does that make sense?

17 **Q. Yes.**

18 A. The Wolfcamp Sand are the same. We're both
19 doing two wells in this half section. We have our 14H
20 well in the Upper Wolfcamp. Whereas, BTA does not have
21 a well proposed in that. We know from our own drilling
22 operations, as well as Matador, that that is a producing
23 zone in this area.

24 **Q. Yeah. Now, that's the Upper Wolfcamp Shale?**

25 A. Upper Wolfcamp Shale, correct.

1 In fact, Matador has drilled and completed
2 a well in that zone, in Section 31, directly offsetting
3 the project area. So we know that this is a productive
4 zone. Marathon just wants to collect logs over it
5 before they choose where to land that well, and we'll be
6 doing that in our 16H wellbore so that we know where to
7 optimally land that -- that well. That's why it's in
8 Development Phase 2.

9 **Q. Well, this will carve your spacing pattern?**

10 A. Correct. We've already drilled two other
11 Wolfcamp -- Upper Wolfcamp Shale wells in the east half
12 of Section 30, and we will be spacing it the same into
13 Section 29.

14 **Q. But if we were to oppose your plan -- if we**
15 **were to -- to --- to accept your plan at least in the**
16 **3rd Bone Spring, we would be denying Marathon a chance**
17 **to get as much of a crack at that formation within this**
18 **area as you are -- I mean denying BTA the chance to get**
19 **as much of a crack at that as you've already gotten on a**
20 **well-by-well basis?**

21 A. On a well-by-well basis.

22 We are concerned a little bit about spacing
23 the wells too tightly in that 3rd Bone Spring. And
24 considering Marathon's wells that are already in the
25 ground in the east half of Section 30, we do not see it

1 appropriate to put two 3rd Bone wells in the west half
2 of Section 29.

3 Q. But on the other hand, do you think it's good
4 to have four Bone Spring down -- I mean four Wolfcamp D
5 wells --

6 A. In that half section, yes.

7 Q. -- as opposed to Marathon -- I mean BTA
8 proposing only two?

9 A. Yes. And we've done significant studies on the
10 Lower Wolfcamp Formation both in terms of the geology
11 and the offsetting wells that have been drilled in that
12 zone.

13 There's been, as we've said today, a lot of
14 development in that -- in that correlative zone. And
15 based on the volumetrics that we understand and the
16 potential for oil in place, we think that that zone has
17 the capacity for eight wells per section. And we are
18 slightly offsetting the TVD -- you can kind of see it in
19 a wine-rack fashion here -- just to reduce the amount of
20 potential intervention.

21 Q. Now, isn't that -- I'm sorry. Did I interrupt?

22 A. No. That was all.

23 Q. Well, I thought somebody testified that the
24 Wolfcamp Sand -- Wolfcamp D was gassy.

25 A. That is correct.

1 **Q. Wouldn't that tend to mean that you would draw**
2 **from farther away rather than closer?**

3 A. But I think the other part of that story that
4 was missing was the ability to grow fractures those
5 distances away --

6 **Q. Yeah.**

7 A. -- and how the rock would react to the
8 completions we would put in the ground.

9 **Q. Have you put any studies in evidence in this**
10 **case in any of the proceedings?**

11 MS. BRADFUTE: We still have one other
12 witness who is going to testify.

13 EXAMINER BROOKS: Oh, okay. That's right.
14 You do have another witness for you, unfortunately.
15 Fortunately for you, unfortunately for all of us who sit
16 here.

17 (Laughter.)

18 MR. ALEKSEENKO: I would prefer to go
19 earlier. I didn't think it would take five hours --

20 (Laughter.)

21 EXAMINER BROOKS: I would have preferred
22 that, too, but we have to do one at a time. No offense
23 meant.

24 I think I'm going to quit on that.

25

1 CROSS-EXAMINATION

2 BY EXAMINER JONES:

3 Q. Okay. So I read what you said last time.
4 Basically, you ran this 3D seismic over a broad area
5 here; is that right?

6 A. Correct.

7 Q. And then you did it because of the fear from
8 these discontinuities --

9 A. Well, we did it for many reasons. I mean,
10 Marathon uses 3D seismic for assisting in all of our
11 operations and all of our geologic studies. So we have
12 3D seismic over most of our operated acreage in Eddy
13 County.

14 Q. It helps you put disposal wells in or --

15 A. It's a laundry list of applications.

16 Q. You talked your management into doing it
17 (laughter)?

18 A. It was difficult. Yes.

19 Q. Okay. But you run it on each well?

20 A. We do it on each lateral well.

21 Q. On each lateral. So you have a tool -- you
22 have a tractor or something that pulls it into the open
23 holes?

24 A. Yeah. So we basically toe frac the wells
25 before they get fracked. We inject a little bit of

1 fluid and have our own surface equipment that we use to
2 measure the drawdown. So that gives us an estimate of
3 pore pressure gradient at that single point.

4 Q. Okay. And maybe close your pressure a little
5 bit?

6 A. Yes.

7 Q. And yeah, it's -- I think the big thing that's
8 changed is this super pad that somebody talked about.
9 I'm really interested in that (laughter), up at the
10 north part of Section 29. That fee owner's going to get
11 rich up there.

12 A. Well, it's federal lands.

13 Q. Oh, really?

14 A. Yes.

15 Q. I thought it was fee land up there. But
16 anyway --

17 A. I apologize. I'm sorry if I misspoke.

18 Q. That's all right.

19 Tell me more about this pad.

20 A. Sure.

21 So Marathon's learning now that as we want
22 to develop these lands in several development phases,
23 that the most efficient way to do that on the surface is
24 to build one large pad that has the capacity for several
25 rows of wells so that we don't have to come back and

1 build entirely new pads every time we want to drill
2 infill wells.

3 So we will build a pad that has the
4 capacity for the -- for the -- for all the wells that we
5 would like to drill in that -- in that unit over the
6 course of many years likely. And that way we can build
7 all of our facilities in one location, and we can allow
8 some optionality in how we choose to complete the wells.
9 It's really the most efficient way to do it, and it
10 saves the most disruption on the surface as well.

11 **Q. Okay. And I understand it's preliminary**
12 **approval, but you haven't quite got final approval,**
13 **but --**

14 A. We got approval from the BLM, and now we're
15 working with the surface-use owner.

16 **Q. Okay. Okay. That was my main question.**

17 EXAMINER JONES: Any other redirect for
18 this witness?

19 CROSS-EXAMINATION

20 BY MS. BRADFUTE:

21 **Q. I just want to follow up on a couple of**
22 **questions that Mr. Feldewert asked you. Mr. Keren, in**
23 **preparing for today's hearing and preparing your**
24 **geologic study for the Zeus wells, did Marathon review**
25 **frac models?**

1 A. Yes. Absolutely.

2 Q. Okay. And does Marathon, in its regular course
3 of business, prepare frac models before it proposes
4 wells?

5 A. Yes, of course. And I will note that our frac
6 models in this case are only about four to five miles
7 away from the project area.

8 Q. Okay. And Marathon also reviews seismic data,
9 correct?

10 A. Correct.

11 Q. Marathon has data from the wells it's drilled.
12 And you went over the different types of data that you
13 have -- that you have reviewed, but it might be
14 beneficial to make sure that that's in the record, that
15 you have the science you reviewed.

16 A. Sure. So --

17 MR. FELDEWERT: I object to the form of the
18 question, Mr. Examiner. This witness is going to sit
19 here and go through information that he says he reviewed
20 and relied upon that they chose not to bring here to
21 this hearing so either you or us could look at. And I
22 think it is improper for a witness like this to sit here
23 and rely upon frac models and studies that they have and
24 then not bring it to the hearing so that other people
25 can examine the data.

1 MR. BRUCE: I agree.

2 MS. BRADFUTE: Typically, experts in court
3 cases and other proceedings, they review all kinds of
4 materials, as well as witnesses.

5 EXAMINER BROOKS: Well, that's true. I
6 wrote a paper on that subject once a long time ago, but,
7 of course, there you have discovery -- you have
8 extensive pretrial discovery. However, I'm going to
9 overrule the objection because I think we want to flesh
10 out everything we can.

11 THE WITNESS: Okay. So we've already
12 discussed the defense that Marathon collects at each for
13 a lateral that's critical for understanding the pressure
14 sys- -- the pressure system and especially how it varies
15 between the Wolfcamp and the Bone Spring.

16 We have core data. We have wireline log
17 data. And this -- and I'll say, all this data I've
18 mentioned is collected within the area that's in this
19 map. So this isn't down in Texas. This isn't over in
20 Lea County. This is all right here in Eddy County. So
21 we have core data. We have log data. We have
22 microseismic data. We have seismic data. We have all
23 the well data that's collected from Legacy wells that
24 have been drilled in this area. We have tracers that
25 we'll inject into wells as we're fracking them so that

1 when we flow back, we can understand the contribution
2 from different wells. We have bottom-hole pressure
3 gauges that we -- that we install to try and understand
4 the potential interference between wells.

5 All this is to say that we have a massive
6 subsurface data set very local to this area. And we use
7 all of that. We integrate all that data together to
8 plan and propose our wells.

9 Q. (BY MS. BRADFUTE) Mr. Keren, what is the total
10 budget that Marathon spends on data science?

11 A. On data science alone, we spend in the range of
12 about a few million dollars a year.

13 Q. Thank you. That concludes my questions.

14 MR. BRUCE: One question.

15 EXAMINER JONES: Yes.

16 CROSS-EXAMINATION

17 BY MR. BRUCE:

18 Q. Looking at your Exhibit S --

19 A. Yeah.

20 Q. -- so what Marathon has done over in the east
21 half of 20- -- east half of Section 30 is drilled two
22 3rd Bone Spring wells?

23 A. Correct.

24 Q. And in the east half of 29 -- or excuse me --
25 the west half of 29 and the northwest quarter of 32,

1 **you're only planning on drilling the one 3rd Bone Spring**
2 **well?**

3 A. Correct.

4 **Q. And your stated reason is basically you don't**
5 **want any competition with your easternmost Bone Spring**
6 **well in Section 30?**

7 A. No. The stated reason is that Marathon
8 believes the appropriate spacing is three wells per
9 section. And because we don't operate the west half of
10 Section 30, we only operate that east half, then the
11 full-section development for us, if we were to operate
12 Zeus, would be inclusive of these two half sections I'm
13 showing on this exhibit. So we have planned this to be
14 full-section development, even though it's half of
15 Section 30, half of Section 29 at three-wells-per-
16 section spacing.

17 **Q. And might that impair the correlative rights of**
18 **BTA and the other interest owners, royalty -- overriding**
19 **royalty owners in the west half-west half of Section 29**
20 **and the west half-northwest quarter of Section 32?**

21 A. For the 3rd Bone Spring, yes. However, we do
22 have other Bone Spring wells planned in the west
23 half-west half. That would be the 13H well in the 2nd
24 Bone Spring Sand.

25 **Q. Thank you.**

1 MS. BRADFUTE: That concludes the questions
2 for this witness.

3 EXAMINER JONES: Can we -- do you want to
4 do ten minutes?

5 (Recess, 4:59 p.m. to 5:12 p.m.)

6 EXAMINER JONES: Okay. Let's go back on
7 the record and continue with Marathon's case.

8 MS. BRADFUTE: Thank you.

9 MIKHAIL ALEKSEENKO,
10 after having been previously sworn under oath, was
11 questioned and testified as follows:

12 DIRECT EXAMINATION

13 BY MS. BRADFUTE:

14 Q. Good afternoon.

15 A. Good afternoon.

16 Q. Could you please state your name for the
17 record.

18 A. Mikhail Alekseenko.

19 Q. And, Mr. Alekseenko, who do you work for?

20 A. I work for Marathon Oil Permian, LLC.

21 Q. What are your responsibilities at Marathon?

22 A. I'm a reservoir engineer for southeastern Eddy
23 County, New Mexico.

24 Q. Have you previously testified before the
25 Division?

1 A. Yes.

2 Q. And were your credentials accepted and made
3 part of the record?

4 A. Yes.

5 Q. Are you familiar with the applications that
6 have been filed by Marathon in these matters?

7 A. Yes.

8 Q. Are you familiar with the applications filed by
9 BTA in these matters?

10 A. Yes.

11 Q. Are you familiar with the status of the lands
12 that are the subject matter of these applications?

13 A. Yes.

14 Q. And are you familiar with the drilling plans
15 for the proposed wells?

16 A. Yes.

17 Q. Have you conducted an engineering study of the
18 area embracing the proposed spacing units?

19 A. Yes.

20 MS. BRADFUTE: I'd like to tender
21 Mr. Alekseenko as an expert witness in engineering
22 matters.

23 EXAMINER JONES: Any objections?

24 MR. FELDEWERT: No.

25 MR. BRUCE: No.

1 EXAMINER JONES: So qualified.

2 Q. (BY MS. BRADFUTE) Mr. Alekseenko, can you
3 please look at what's been marked as Exhibit CC in the
4 exhibit book in front of you? And this diagram was
5 previously discussed by Marathon's geologist, correct?

6 A. Yes.

7 Q. Could you please walk through this diagram from
8 an engineering standpoint and explain the significant
9 observations that you would like to note for the hearing
10 examiner?

11 A. So on the left is shown Marathon's proposal.
12 On the right is shown BTA's proposal. The wells --
13 let's take a look at the wells on the left first.
14 They're colored by development stages, Stage 1 in blue,
15 2 in green and 3 in gray.

16 The first stage consists of 12H, 15H, 16H
17 and 17H, which are two Wolfcamp Sand wells, one 3rd Bone
18 Spring Lower well, and one Wolfcamp Lower well.

19 As Mr. Keren earlier identified in
20 testimony, there is a reason for why these wells were
21 chosen to be in Stage 1. One of the big reasons is we
22 want to collect data necessary in order to land the 14H.
23 There is significant potential in the Wolfcamp A and
24 Wolfcamp Upper, as evidenced by nearby performance.
25 However, here, in this particular unit, there is a

1 little bit of ambiguity due to the logs. There might be
2 a significant carbonate member, and we just want to
3 de-risk this bench a little bit prior to committing
4 capital to this well.

5 And if you look on the -- on the right,
6 there is no well in BTA's proposal in that horizon,
7 which we think is very promising.

8 Secondly --

9 EXAMINER BROOKS: Which exhibit are you
10 looking at?

11 THE WITNESS: CC.

12 MS. BRADFUTE: CC.

13 EXAMINER BROOKS: Okay. I was looking at
14 CC.

15 THE WITNESS: CC. Yes.

16 EXAMINER BROOKS: Okay.

17 THE WITNESS: Again, Mr. Examiner, one of
18 the main reasons why we are drilling 16H first in the
19 development of Stage 1 is we want to collect open-hole
20 log data to help us de-risk the landing zone for the
21 14H, because there is a little bit of ambiguity around a
22 potential carbonate member in this unit. But Wolfcamp
23 A, Wolfcamp Upper looks very promising. There is
24 development of that bench immediate to the west, and
25 we'd like to take advantage of it, too.

1 The second big discrepancy is the number of
2 wells in the Wolfcamp Lower. Marathon -- Marathon's
3 proposal is four wells in the half section or eight
4 wells per section, and those are the 11H, 16H, 18H and
5 20H. This is -- this contrasts with BTA's proposal of
6 two wells per half section or four wells a section.

7 And as we heard during BTA's own witness
8 testimony today during cross-examination, Mr. Charuk
9 testified that eight wells per section may be the
10 appropriate well density for the Wolfcamp Lower. We
11 agree with Mr. Charuk, and that is the plan that we've
12 laid out for this unit.

13 **Q. (BY MS. BRADFUTE) And, Mr. Alekseenko, a point**
14 **of clarification: We heard that testimony from**
15 **Mr. Charuk --**

16 A. Charuk, yes.

17 **Q. -- not from BTA's witnesses; is that correct?**

18 A. Oh, I apologize. Yeah. From Mr. Charuk, who
19 is -- correct -- who is --

20 **Q. Who is an overriding royalty interest owner; is**
21 **that correct?**

22 A. Correct. Correct. Pardon me. I misspoke
23 there, and I apologize for that.

24 **Q. Were you present for Mr. Brooks' questions**
25 **about the Lower Wolfcamp Formation and proper spacing**

1 **within that Lower Wolfcamp Formation?**

2 A. Yes, I was.

3 **Q. Typically, the Lower Wolfcamp Formation has**
4 **been thought of as a gas formation in New Mexico. Is**
5 **that your understanding as well?**

6 A. That is my understanding as well. The
7 temperatures during the hydrocarbons extraction were
8 higher in this bench, and that resulted in higher GORs
9 right around 8- to 12,000.

10 **Q. Okay. So why has Marathon proposed closer**
11 **spacing than what BTA has proposed for its Lower**
12 **Wolfcamp wells?**

13 A. There are two main reasons. One is the
14 thickness of that horizon. It's, if I'm not mistaken,
15 about 500 feet thick. And that is very significant.

16 And the second one is permeability. There
17 were some questions earlier today about what are the
18 differences in permeability between shales and
19 sandstones. Typically, shales have lower permeability,
20 and, therefore, they require much more in terms of
21 hydraulic fracturing in order to flow back economic
22 quantities. Secondly, beyond the extent of hydraulic
23 fractures, those mud rocks hardly flow on their own.
24 The -- the radius of the -- radius of penetration in
25 those shales with millidarcies is minimal.

1 Q. Okay. Thank you.

2 And were you present for Mr. Keren's
3 testimony about the depletion zones that have been
4 marked on this diagram?

5 A. Yes.

6 Q. Okay. And could you please explain your
7 interpretation of the depletion zones to the hearing
8 examiner?

9 A. Well, I think it comes to nobody's surprise
10 that, as you know, the wells are completed as hydraulic
11 fracturing takes place. The fracs grow both laterally
12 and vertically. Consequently, as production is taken
13 from the wells, that production is taken from some
14 horizon that is, you know -- that spatially is located
15 both laterally -- you know, above and below the well, to
16 the left, to the right of the well. It has some sort of
17 halo around it. The shape of that halo, we could debate
18 for weeks. But that it's not a pancake or not a
19 vertical skyscraper, that is certain, and that is agreed
20 upon by most everybody in the industry. And that is
21 what those halos represent. The risk and the issue with
22 doing depletion halos is what happens as you come back
23 and frac neighbor wells.

24 So if you look at BTA's proposal, the 5H
25 and 6H would be completed first. The 9H and 10H would

1 be completed much, much later, as they testified.

2 Q. Mr. Alekseenko, I want to interrupt you
3 briefly.

4 A. Yes.

5 Q. There has been a lot of questioning today
6 primarily by myself about when completions are going to
7 occur under BTA's plan. Have you been present for those
8 questions?

9 A. Yes.

10 Q. The timing of BTA's completions are important
11 because of this depletion effect, correct?

12 A. Correct.

13 Q. Okay. So it's important to understand when BTA
14 and when Marathon is going to -- what order these wells
15 are going to be completed in or if they're all going to
16 be contemporaneously completed so that you can
17 understand how depletion is going to occur within a
18 spacing unit, correct?

19 A. Yes, that is correct.

20 The more fluid you draw from the reservoir,
21 the more you lower the pressures, the more you
22 exacerbate the depletion impacts. But in this
23 particular case now, just imagine that 5 and 6H were in
24 production for, say, six months, a year, a year and a
25 half. Pressure has been lowered. The 9H and 10H have

1 been fracked. If you're familiar with a hydraulic
2 fracturing operation, normally something called the pad
3 is pumped first, and that is pure fluid, no sand. Fluid
4 travels extremely far, extremely quickly. It does not
5 have the capacity to open the rock significantly, so it
6 just opens minuscule fractures and shoots very far.
7 We've observed this on numerous occasions as we open up
8 our toe sleeves and monitor the pressure on the
9 neighboring wells in this basin and in other basins.

10 So as that fluid travels, it initially
11 travels uniformly in kind of all directions depending on
12 the stress profile and depending how pressures are
13 distributed in that rock. As it finds lower pressures,
14 it stops growing symmetrically, and it starts growing
15 preferentially towards depleted rock. That's just
16 physics and just common sense.

17 And, unfortunately, because sand is only
18 pumped later, the majority of your sand goes toward the
19 depleted rock, and that is why second-generation wells
20 are routinely underperforming first-generation wells.

21 And our data that I'll show you here today
22 confirms that in this particular case, coming back for
23 the 9H and 10H and fracking them at a later date would
24 result in significant waste.

25 **Q. And before we get further into your study that**

1 you conduct for this area, I want to briefly discuss the
2 mechanical-barrier issue that has been brought out in
3 testimony earlier today. Is it Marathon's opinion that
4 there is a mechanical barrier between the 3rd Bone
5 Spring Sand and the Upper Wolfcamp Formation?

6 A. So there is some mechanical barrier, but it's
7 not significant enough to stop fracture propagation from
8 one formation into another.

9 Q. Okay. And has Marathon seen that when it has
10 been drilling wells in this area of Eddy County?

11 A. Yes, we have.

12 Q. And so the proof is in the pudding of what
13 you're actually seeing as you're drilling the wells?

14 A. Absolutely.

15 There are multiple models that engineers
16 can put together. Models are heavily dependent on the
17 inputs. Models are routinely fine-tuned to match the
18 results or to match management needs or a client's
19 needs, tell them what the client wants them to tell.
20 Production data and the pressure data is what tells the
21 real story and either validates or breaks the model --
22 or invalidates the model. Pardon me.

23 Q. And, Mr. Alekseenko, if you could please look
24 at BTA's exhibits and you probably have two BTA exhibit
25 books in front of you. I want you to focus on the

1 exhibit book that starts at Exhibit 21 for BTA.

2 A. Okay.

3 Q. So it's their exhibits from today.

4 A. Uh-huh.

5 Q. And I'd like now to turn to Exhibit 34. Is it
6 your understanding that Exhibit 34 is a frac model that
7 was prepared by Schlumberger for BTA for the 3rd Bone
8 Spring Sand Formation?

9 A. Yes, it is.

10 Q. Okay. And it is also your understanding that
11 this model was based on a well located in Reeves County
12 in Texas?

13 A. Yes. My understanding is this is the well in a
14 different state but still in the Delaware Basin. Yes.

15 Q. Could you please discuss for the hearing
16 examiner's benefit your observations from this frac
17 model?

18 A. Well -- so one thing that immediately concerned
19 me here and, frankly, raises some serious questions for
20 me is that it does not address the sequence of the
21 drilling and completion order. And it was testified
22 earlier today that one of the significant inputs into a
23 frac model is a stress profile. It is undeniable that
24 the stress profile changes as you produce wells. And as
25 that stress profile changes, it has an impact on the

1 frac model. It's a -- it's a key input that drives
2 where the fluid and pressure go and the sand go. And
3 that is really the main concern that I have.

4 **Q. Okay. And so we really don't have basic**
5 **underlying data as to when the wells shown in the log**
6 **were drilled?**

7 A. Yeah. From what I gather here of this model,
8 this was a frac model that assumed you come in, you put
9 a 3rd Bone well into the ground, you complete it in
10 the -- and you look at the fracture propagation profile.
11 Again, that kind of takes everything out of context. We
12 are not looking at a stand-alone 3rd Bone well
13 development here, and this can be very misleading.

14 **Q. Okay. And what Marathon is looking at is**
15 **completion of its Upper Wolfcamp wells simultaneously**
16 **and zipper-fracked with its 3rd Bone Spring wells,**
17 **correct?**

18 A. Correct. In fact, the frac models that we've
19 done look at the entire section development, and we play
20 around with what happens if you complete these wells
21 first, these wells second, what happens if you wait for
22 a while, et cetera.

23 **Q. Okay. So Marathon actually runs several**
24 **different simulations through frac modeling that you**
25 **have at your desk at your office?**

1 A. Absolutely. Yeah. And, you know, one benefit
2 that we have, as I testified last time, we have an
3 in-house Schlumberger engineer with 15 years of
4 experience, and his incentives -- his interests are much
5 more aligned with the company's interest. He's not only
6 in-house, he's a Marathon employee, so he has a vested
7 interest in providing the model that most accurately
8 represents the reality. And even though -- even then,
9 it's very hard. Model is just a model. It's a
10 representation of reality.

11 **Q. And can you please turn to Exhibit 35 of BTA's**
12 **exhibits? And this is a sample frac model that BTA**
13 **presented from the Wolfcamp -- correct?**

14 A. Uh-huh.

15 **Q. Do did you have similar concerns about this**
16 **frac model that was presented?**

17 A. Oh, yeah, absolutely. Again, it's: Take a
18 look at this cat here, this cat here, but never do we
19 see two cats together. That's concerning.

20 **Q. Mr. Alekseenko, I now want to turn to what is**
21 **marked as Marathon Exhibit FF, Frank, Frank.**

22 A. I like to think of it as Feldewert, Feldewert.

23 (The court reporter requested clarification
24 of the answer.)

25 MS. BRADFUTE: Feldewert, Feldewert.

1 THE WITNESS: But don't put that on the
2 record.

3 (The court reporter responds.)

4 (Laughter.)

5 Q. (BY MS. BRADFUTE) Mr. Alekseenko, have you
6 conducted a study of how infill well development can
7 result in waste in southeastern New Mexico?

8 A. Yes, I have.

9 Q. And you were present during the April 24th
10 hearing, correct?

11 A. Yes, I was.

12 Q. And during that hearing, BTA proposed that if
13 Marathon wanted additional wells, it could just propose
14 infill wells as a nonoperator within the section,
15 correct?

16 A. Yes, they have.

17 Q. And if infill well development was necessary
18 under BTA's plan because it has proposed too few wells
19 and got the spacing wrong by drilling not enough wells,
20 in your opinion, would that result in waste?

21 A. Absolutely. What's done is done. It's hard to
22 go back and fix it. And I think Mr. Examiner asked a
23 similar question earlier today. It is my opinion and
24 the opinion of many of my colleagues that you only have
25 one chance to get the well spacing right.

1 Q. Okay. So let's look at Exhibit FF. Is FF your
2 study of infill development in southeastern New Mexico?

3 A. Yes, it is.

4 Q. And can you please walk through the first page
5 of this exhibit?

6 A. Yes. And let me just give a little bit of
7 background very briefly. So my attempt here is to share
8 as much information as I can and as much knowledge as I
9 can with the examiners and with BTA and educate
10 everybody a little bit on kind of what's going on with
11 infill -- with infill performance in New Mexico, as it
12 should, in my view, impact the decision here today.

13 But on the left third of the chart, you see
14 the target area that was reviewed here. And this is Lea
15 County -- southwestern Lea County and just a little bit
16 in northern Culberson, Texas. And we looked at the 3rd
17 Bone Spring and Wolfcamp Sand wells and Wolfcamp Upper
18 wells in this study. In total, there were about 320
19 wells that were reviewed.

20 Now, if we go towards the center of this
21 exhibit, we manually grouped and classified all the
22 wells. We classified them in three buckets. They were
23 either parent wells, direct offsets or children wells.
24 Parent wells would be those wells that were drilled and
25 completed at the same time, no offsets, virgin rock,

1 virgin pressure. You want to -- two or three or four
2 wells, they would still be considered parent wells.
3 There may be some interference between them, but there
4 was no depletion at --

5 EXAMINER BROOKS: We started with Exhibit
6 FF. What page are we on?

7 THE WITNESS: The very first one.

8 EXAMINER BROOKS: Okay.

9 THE WITNESS: The direct offsets are
10 depicted in red. On the mid-chart would be the wells
11 that are immediately -- immediately adjacent to the
12 parent wells. So an operator would come in, drill
13 parent wells, come in with pads adjacent. Direct offset
14 would be the one that's closest to those parent wells
15 and would suffer from the depletion the most.

16 And then children wells would also -- would
17 be wells that were drilled and completed at a later date
18 but not immediately adjacent to the parent wellbores.

19 So we went through this exercise of
20 reviewing those 320 wells, and we ended up with 130
21 different groups. With anticline, each one of those 320
22 wells and analyzed their performance, and that's the
23 data that you see on the right here. This is something
24 called cumulative distribution function. It's a
25 statistical -- statistical term, but really it's very

1 simple.

2 On the x-axis, you have oil EUR, and on the
3 y-axis, you have percentage. And this percentage is
4 reflective of the ranking in the group of each bucket.
5 So in other words, say there are 100 parent wells. If
6 they were all bucketed, they would all be ranked from
7 smallest to the largest. The bottom one would get
8 percent number one. The top one would get percent
9 number 100. That way you can see statistically are
10 these wells performing differently than one another.
11 And you see the parent wells have high EURs despite the
12 fact that those are the wells that, by definition, were
13 brought on line earlier.

14 And, again, we heard the testimony earlier
15 today from Mr. Charuk that completion technologies have
16 changed significantly over the years and well
17 performance has improved significantly over the years.

18 Those parent wells have smaller fracs, yet
19 outperform the wells that were brought on at a later
20 time with bigger fracs. Children wells follow parent
21 wells, and finally direct offsets significantly lag
22 behind both parent and children wells. That is direct
23 evidence that infill wells, on average, statistically
24 underperform parent wells. That is the evidence of
25 depletion. That is the evidence that the proposal of

1 BTA for Marathon to come in and take an infill well is
2 something that would not be wise of us to take.

3 Q. (BY MS. BRADFUTE) Mr. Alekseenko, would this
4 analysis also apply to later drilling the 3rd Bone
5 Spring Sand wells after the Upper Wolfcamp wells are
6 drilled under BTA's plan?

7 A. Most certainly. And I'll show a couple pieces
8 of evidence here, some from Lea County but also some
9 from Eddy County showing that -- validating our belief
10 that there is no significant mechanical barrier between
11 those two horizons. And especially if you were to
12 produce from the Wolfcamp Sand earlier and lower the
13 pressures on those horizons, the 3rd Bone Spring fracs
14 will grow largely into the already depleted zones.

15 Q. And, Mr. Alekseenko, just to summarize, in
16 conducting this study, you looked at 320 wells -- or at
17 least Marathon looked at 320 wells. They grouped and
18 classified those groups into 130 different groups and
19 then created a curve analysis to study how the
20 performance was between those wells?

21 A. Yes.

22 Q. And when parent wells, even if it's multiple
23 parent wells, are drilled together -- let's say you can
24 have four or five parent wells drilled together within a
25 section -- they always typically outperform your direct

1 **offsets and your children wells; is that correct?**

2 A. Absolutely. And, again, it goes back to the
3 physics. The fluid goes first. The sand moves after
4 it, and that sand is already following the path of least
5 resistance that the fluid has found. And what ends up
6 happening is you are propagating fractures into the zone
7 that's already had fractures in it. You are -- you are
8 double-dipping into something that's already been
9 produced from.

10 And, again, you go back to fundamentals.
11 Why does that area need horizontal development? These
12 wells do not flow by themselves in commercial
13 quantities. They need hydraulic fracs. Well, if you
14 were to set yourself up in a fashion where hydraulic
15 fractures -- fracturing too deep does not work, you
16 really shot yourself in the foot. You took the whole
17 premise of lateral development, horizontal development
18 out of the picture. You should not be doing it.

19 **Q. If you could please turn to the second page of**
20 **this exhibit and could you please explain what this**
21 **document represents?**

22 A. This is one of the examples from the study.
23 This is a pad -- several pads in Lea County, New Mexico.
24 Those are Rattlesnake wells, 701H through 709H. And you
25 see the map view on the left, and there are dots --

1 colored dots located in the sticks. Those colored dots
2 correspond with the colors on the charts to the right of
3 the map. And the location of the colored dots
4 represents the sequence that these wells were brought on
5 line. The higher the dots are in the picture, the
6 sooner in time were the wells brought on line. So you
7 kind just say, Okay, the blue dots were brought on
8 first, followed by red, followed by green. So we can
9 quickly see how the performance changes with the
10 parent-child effect that we just talked about. We can
11 see it in the pad-by-pad example here.

12 So the Rattlesnake 701 and 702, depicted in
13 light and darker blue, were brought on line first. And
14 if you look on the oil cum chart, which is the bottom,
15 right chart, they are outperforming every single well.
16 There is one well that comes close to it, and that's the
17 Rattlesnake 709H. That's the dark green well. That is
18 the well that's half bounded -- it does not have a
19 neighbor on one side -- that was brought on line about a
20 year later with a significantly larger frac.

21 What happened with the red wells, the wells
22 that were brought on line on -- in Q3-2016? Those two
23 wells significantly underperformed the blue wells
24 because of the depletion impacts. Same goes for the
25 green wells that were brought on line in Q2-2017. They

1 underperformed the blue wells. Parent wells
2 outperformed -- these two blue wells outperformed every
3 single well except for that half-bounded well, and that
4 is despite the fact that they had smaller completions on
5 it.

6 I also noted that, you know, the red wells
7 had significantly larger fracs than the blue wells. And
8 the depletion impact on the green wells is actually
9 higher than it is on the red wells. And it's kind of
10 hard to see, but the slope of those green-laid [sic]
11 wells is really kind of sloping, sloping down. Well
12 spacing is identical, but because the red wells had
13 large fracs on them, about 2,500 pounds per foot, the
14 green wells really tapped into those pre-existing
15 fractures much more than the red wells tapped into the
16 smaller fracs of the blue wells.

17 And, again, given that BTA is planning to
18 complete their wells with 2,500 pounds a foot, it is
19 very clear that we would see similar impacts here.

20 And, again, just to reiterate the fact,
21 fully bounded wells, if you look at the green wells,
22 underperform half-bounded wells. The dark green was
23 much better than all the other greens there.

24 But it's just one example of parent-child
25 relationship at work, just to kind of communicate the

1 depletion issues that are present out there.

2 **Q. And if you could please turn to the next page**
3 **of your study and explain what that document shows?**

4 A. This is an interesting example, and I really
5 wanted to bring it in because it was eye-opening for me.
6 The green wells are the Whirling Wind wells that made
7 quite a splash about this time last year. They were, at
8 that time, some of the best New Mexico Delaware wells,
9 producing over 5,000 barrels of oil a day in IP. And
10 that was publicly released, and there was a lot of talk
11 about it.

12 What wasn't talked about as much were the
13 Calm Breezes that were brought on line about ten months
14 later. So the green wells were brought on line first.
15 The blue wells were brought on line second. And, again,
16 the proof is in the pudding. Those blue wells just
17 significantly underperformed the green wells.

18 **Q. And if you could turn to the next page of your**
19 **study and explain that?**

20 A. This one is an interesting example because it
21 shows the impact of infills, what happens if you were to
22 drill a couple of wells first and come in and drill in
23 between them later. I won't bore you with all the
24 details. There is quite a bit of -- the sequence of
25 development here was very -- kind of complex. You see

1 the black well on the west was completed first, followed
2 by a couple of grays, followed by sequences of greens.

3 What I want you to take a look at is those
4 two red wells that were completed last. One of them was
5 Wolfcamp. One of them was 3rd Bone Spring. They were
6 completed about a year after the green wells were
7 brought on line.

8 **Q. And I just want to stop you right there. The**
9 **green wells, what formation were those green wells in?**

10 A. Those green wells were in the Wolfcamp Sand.

11 **Q. Okay.**

12 A. And one of those infill wells was a Wolfcamp
13 Sand well. One of those infills was a 3rd Bone Spring
14 Lower well. And if you look at the chart on the right,
15 those two wells really stand out in a really bad way.
16 Those infills performed very poorly. They'll never make
17 returns for the shareholders. They'll reach economic --
18 sooner, and I expect they will never pay for themselves.

19 **Q. If you could turn to the next page of the study**
20 **and explain what is depicted here.**

21 A. I was looking for an example where BTA would
22 develop at density or, you know, put wells next to one
23 another because a majority of their wells are
24 lease-holding wells.

25 EXAMINER BROOKS: Excuse me. We're on page

1 5 now?

2 THE WITNESS: On page 5, correct. That is
3 titled "BTA infill development example."

4 EXAMINER BROOKS: Thank you.

5 THE WITNESS: So I was looking for an
6 example where BTA would develop at density or somewhere
7 close to at density. This is the best example that I
8 could find. It's located in Lea County, New Mexico.
9 These are the wells they brought on line in 2015 and
10 '16. The two wells that they brought on line first are
11 light blue and dark blue wells. The light blue wells
12 and the dark blue wells were brought on line around the
13 same time, in January and February of 2015. And they
14 performed very similarly, although I would argue that
15 light green, being just one month ahead, got a
16 significant boost. I don't know if that is because it
17 was one month ahead. I don't want to speculate. What I
18 would rather point out is the performance of the two
19 consequent wells that were brought on line.

20 So after bringing on line those two blue
21 wells in January and February of 2015, BTA brought on
22 line, in August 2015, the well that is depicted in light
23 red. And that is the westernmost well of all four. And
24 that well significantly underperformed both of the blue
25 wells. You can argue it's somewhere between 20 to 30

1 percent under.

2 Finally, the dark red well was brought on
3 line later, and it was brought on line in November of
4 2016, and that well matches the performance of the light
5 red well but significantly underperforms blue wells as
6 well. This is BTA's own example of what infill
7 development leads to.

8 **Q. (BY MS. BRADFUTE) Mr. Alekseenko, the BTA wells**
9 **shown here in this example, what formation were they**
10 **drilled into?**

11 A. This is drilled in the Avalon Shale. As I
12 testified earlier, shales are tighter rocks. They
13 require more stimulation to flow. I'm not sure of the
14 thickness of the Avalon here, and I also understand this
15 was developed a few years back and, you know, things
16 change. Today, Avalon is developed at eight wells per
17 section, and it's developed in a stacked configuration.
18 Devon put it in their external releases in Lea County,
19 New Mexico. So this was spacing that was half of what
20 it probably should have been, and yet that led to waste
21 because of the depletion impacts because of the how far
22 fluid goes as it -- as it creates those microfracs.

23 **Q. Mr. Alekseenko, is it your understanding that**
24 **BTA wants to use a similar spacing pattern in each of**
25 **the formations that are at issue in its applications in**

1 **this matter?**

2 A. Yes. The 3rd Bone Spring, the Wolfcamp Sand,
3 Wolfcamp Lower, each one of those horizons is proposed
4 to be developed with four wells per section by BTA.

5 **Q. Now, there has been prior testimony both in the**
6 **April 24th hearing and today indicating that the geology**
7 **in Lea County and Eddy County is different, correct?**

8 A. Yes.

9 **Q. And do you disagree with that statement, that**
10 **the geology is different?**

11 A. No. There is no dispute. Geology is
12 different. Stress profiles are different. What's not
13 different is the trends and the physics. You -- you
14 don't have to learn how to walk in Australia. You can
15 learn how to walk in America, and you'll be fine in
16 Australia. And that is just what's presented here.

17 The Wolfcamp Sand and the 3rd Bone Spring
18 well development in Eddy County is a fairly new concept.
19 Lea County has experienced that development for three or
20 four years. Eddy County is just on the verge of that --
21 of that development. So when I had to look for the data
22 in those benches, in those horizons, I had to look in
23 Lea County. There is just not enough data to look for
24 it in Eddy County, and there won't be until Marathon
25 comes in and develops this rock and shows the way of how

1 this rock needs to be developed. And that data will
2 come into the public domain in due time, and people will
3 learn from it.

4 **Q. Could you please turn to the next page of your**
5 **study and explain what's depicted on this diagram?**

6 EXAMINER BROOKS: The next page being
7 page 6?

8 MS. BRADFUTE: Page 6.

9 THE WITNESS: Page 6, yes.

10 So this is based on internal data. And I
11 had to seek management approvals fairly high up at
12 Marathon in order to get this information released for
13 this hearing. Private information is that. Private.
14 Our fiduciary responsibility to the shareholders is to
15 make money, and releasing sensitive information, private
16 information, can be damaging to us. It can be educating
17 our competitors without them participating in the wells.
18 That is not common practice of our company or any other
19 public company. But this information, I was able to
20 secure for presentation today.

21 This is from Eddy County. This is within a
22 ten-mile radius of the acreage we are hearing here
23 today. And this presents the impacts of what delaying
24 offset -- what infill development leads to. As we
25 purchased acreage from BC Operating and Black Mountain

1 in March, May last year, we've inherited wells. We've
2 inherited permits that we had transferred to ourselves.

3 And one of these wells, the blue wells, was
4 one of the wells we inherited, and the second blue well
5 was one of the wells that was already permitted. So one
6 well was already on production. The second well, we had
7 the permit in hand that we went and drilled. As we
8 subsequent went in and infill developed, we placed one
9 3rd Bone Spring well into the ground, and we placed one
10 Wolfcamp Upper well into the ground, Wolfcamp A well
11 into the ground. And the performance is on the
12 left-hand side, and it's pretty drastic, and that is
13 despite the fact that flowback -- methodology was fairly
14 uniform. Completion strategy was fairly uniform.
15 Everything was similar. It's the pressure. And we
16 noticed that as we treated those wells as well. They
17 treated significantly lower. It was evident that our
18 fluid, our sand is not opening new fracs. It's
19 re-opening something that's been opened before.

20 And at the end of the day, this is the data
21 that makes or breaks a model. You take this data and
22 you go back and you say, Okay, does my model agree with
23 it? And if your model does not agree with it, you throw
24 away the model, not the other way around. And that is
25 why we know that coming in and developing 3rd Bone

1 Spring sands at a later date will result in significant
2 waste, and that is why we are opposing that strategy.

3 Q. (BY MS. BRADFUTE) Thank you.

4 Could you please turn to page 7 of this
5 exhibit and -- and, actually, before we get into this
6 exhibit, I want to ask you a few questions about the
7 Wolfcamp D Formation. You have previously mentioned the
8 term "spacing wells at density." Could you explain what
9 you mean by that?

10 A. Spacing wells at density is essentially
11 conducting the studies and figuring out what well
12 spacing should be and then placing those wells in the
13 ground and completing them and bringing them on
14 production either simultaneously or within a very short
15 period of time to minimize depletion impacts.

16 If you don't develop at density, what
17 happens is what we've just seen earlier. If you don't
18 develop at density, you will grow fracs inefficiently,
19 and your return on investment literally will shrink
20 because you'll be pumping money away somewhere where you
21 don't want it.

22 Q. And, Mr. Alekseenko, have you studied BTA's
23 horizontal development in New Mexico in preparing this
24 study?

25 A. Yes, I have.

1 **Q. And has BTA historically developed its sections**
2 **where it's an operator at density?**

3 A. The only example that I could find was the one
4 I presented earlier, and those wells were not brought on
5 line together, so I wouldn't say that those were
6 developed at density.

7 **Q. So is that the only example that you found of**
8 **BTA's operations in New Mexico where they had drilled --**
9 **actually drilled a complete section at four-well**
10 **spacing?**

11 A. They may have others. I haven't done a
12 comprehensive study of what they've done. But this was
13 just one of their examples. Most -- I sometimes
14 cursorily look at what they have done, and most of those
15 are stand-alone wells.

16 **Q. Okay. In the Wolfcamp D Formation, Marathon**
17 **has proposed more wells than what BTA has proposed,**
18 **correct?**

19 A. Yes.

20 **Q. And is it your opinion that Marathon has**
21 **proposed an at-density Wolfcamp D zone for those**
22 **lower --**

23 A. It is our opinion, yes. Volumetrics support
24 that. Our view on permeability, our view on -- on --
25 you know, total capacity of that reservoir, it's fairly

1 thick. It's fairly homogeneous. You've got two
2 different benches that you can wine-rack and prevent
3 interference between the wells. We think that -- we
4 know that four wells is not adequate. It's not enough.
5 I testified during the April 24th testimony that with
6 eight wells per section, we're about within 10 percent
7 oil recovery factor and 17 or 18 percent gas recovery
8 factor. So if you scale it to four wells per section,
9 you're recovering 5 percent of the oil in the ground.
10 So our view is that four wells is inadequate and leaves
11 resource behind.

12 **Q. Okay. Now I want to focus on page 7. Does**
13 **this page discuss at-density development versus what is**
14 **not at-density development?**

15 A. Yes. I just wanted to kind of summarize our
16 views on what at-density development benefits are and
17 what at-density development hindrances are.

18 So on the left, it's showing at-density
19 development. This is just an illustration of eight
20 wells per section. Let's presume it's Wolfcamp Lower.
21 And wells are wine-racked. You bring them all on line
22 together, at the same time. You minimize the depletion
23 impact. There is no depletion impact to think of. No
24 well has been producing before you frac the others.
25 They're all fracked together. You're creating very

1 complex SRV as a result of that. It results in the
2 maximum recovery possible and minimal waste.

3 Not at-density development shown on the
4 right, however, will undoubtedly lead to inefficient
5 frac growth -- it's indisputable -- and inefficient rock
6 stimulation. And as a result, resources will be left
7 behind and waste will occur.

8 So what's shown on the right is four wells
9 a section. One well is drilled first. Sometime down
10 the line, you come in with a second-generation well and
11 a third-generation well, et cetera. And third and
12 second just don't perform as good. Surprise, surprise.

13 **Q. And, Mr. Alekseenko, has it been your**
14 **experience that other major operators such as EOG, COG,**
15 **Chevron have started to drill more wells per section**
16 **than what has historically been drilled throughout**
17 **New Mexico?**

18 A. Yes. People are catching up to what's --
19 what's available in the Wolfcamp Lower and what a great
20 rock this is. We've received proposals from median
21 operators in this area that are even at greater than
22 eight wells per section.

23 **Q. With that knowledge, when you see an operator**
24 **propose a development plan that is not at density, does**
25 **that raise concerns for you that that operator might be,**

1 **for lack of a better term, squatting on the acreage to**
2 **hold it?**

3 A. It is certainly our concern. We understand,
4 you know, capital limitations. Sometimes there is not
5 enough capital to put that many wells in the ground.
6 There were some questions during cross-examination
7 around what 7 percent of 85 million amounts to. But we
8 are very concerned because we know the second- and
9 third-generation wells don't perform as good. And to my
10 knowledge, this is not news to anyone in this industry
11 who pays attention. If you haven't been sleeping under
12 a rock, you know these issues. And if people ignore
13 this and go and choose not at-density development, it
14 makes me wonder why are they doing that. It is not in
15 their best interest, unless they never intend to drill
16 second- and third-generation wells and will let somebody
17 else do that.

18 Q. **Mr. Alekseenko, I want to flip back to Exhibit**
19 **CC, which shows the two competing development plans**
20 **we're discussing today. I want to briefly follow up on**
21 **a point raised by Mr. Bruce concerning the 3rd Bone**
22 **Spring.**

23 **Actually, a better depiction of this is**
24 **Exhibit S, as in Sam. I'm sorry. You're going to have**
25 **to flip to Exhibit S. There are two 3rd Bone Spring**

1 wells that Marathon has already drilled within the east
2 half of Section 30; is that correct?

3 A. Yes.

4 Q. And it's proposing only one 3rd Bone Spring
5 well, the 15H, in its current well proposals that we're
6 discussing here today, correct?

7 A. It is correct.

8 Q. And why was that spacing pattern chosen for the
9 3rd Bone Spring?

10 A. Well, as Mr. Tucker has indicated, you know,
11 our holistic view on this is we would like to have three
12 wells in section, in 3rd Bone Spring Lower and Wolfcamp
13 Sand and Wolfcamp Upper. It is also our view that
14 fracs, you know, grow toward depleted rock, so we did
15 not want -- we wanted to give the 15H the best shot it
16 had. We did not want to create waste by placing 15H too
17 close to existing wellbores. So with that in mind, with
18 the prevention-of-waste argument in mind, that -- that
19 really -- the correlative rights issue for us.

20 Q. So due to Marathon's frac modeling and planning
21 before it spaced these wells, is it your opinion that if
22 a 3rd Bone Spring well was placed in the west half-west
23 half of Section 29 and the west half of the northeast
24 quarter of Section 32, that that well would
25 underperform?

1 A. Yes.

2 Q. Okay. And would placement of a 3rd Bone Spring
3 well in that particular area cause the 15H well or a
4 well within the east half of the west half to
5 underperform as well?

6 A. Yeah, absolutely. Again, 3rd Bone Spring Sand,
7 if you look at the depositional kind of environment,
8 those are very, very permeable sands, and you need to be
9 careful with well spacing. Yeah.

10 Q. And that's due to the nature of the sands --

11 A. Yeah.

12 Q. -- frac grow?

13 A. Yeah.

14 Q. So Marathon's overall concern in the placement
15 of its 3rd Bone Spring Sand wells is --

16 A. Is the prevention of the waste, correct.

17 Q. And, Mr. Alekseenko, is it your understanding
18 that BTA has actually proposed two Bone Spring wells
19 within -- 3rd Bone Spring wells within the west half of
20 Section 29 in the northwest quarter of Section 32?

21 A. Yes.

22 Q. Okay. And so is it your opinion that the
23 placement of two 3rd Bone Spring wells will result in
24 underperformance and waste?

25 A. It will, although I need to clarify that in my

1 view, the main reason for that underperformance is going
2 to be the presence of the Wolfcamp Sand wells very, very
3 closely, within -- I'm not sure exactly the lateral
4 spacing there, but very closely to the Wolfcamp Sand.
5 And I think that's in Section [sic] --

6 Q. CC?

7 A. CC, yeah. Let me turn back to that for a
8 minute.

9 So my main concern, if you look at Section
10 CC, is that the 9H and 10H will predominantly grow
11 towards the 6H and 5H, which will be producing by that
12 point for a significant period of time.

13 Q. I now want to focus just for a couple of
14 minutes on Marathon's development plans for the acreage.
15 Is it your understanding that Marathon intends to
16 develop the proposed spacing units at density?

17 A. Yes.

18 Q. Okay.

19 A. In fact, we are doing that immediately adjacent
20 to it now.

21 Q. Okay. And Marathon also intends to complete
22 its 3rd Bone Spring Sand well simultaneously along with
23 the Upper Wolfcamp wells, correct?

24 A. Yes.

25 Q. And this is being done to avoid depletion?

1 A. Correct.

2 **Q. In your opinion, will Marathon's development**
3 **plan result in the prevention of waste?**

4 A. Yes.

5 **Q. In your opinion, does BTA's development plan**
6 **result in waste?**

7 A. Yes.

8 **Q. And could you just bullet point the various**
9 **different types of ways that waste can be created by**
10 **BTA's development plan?**

11 A. There are several. In the Wolfcamp Lower, half
12 of the spacing of what our view on well spacing in the
13 Wolfcamp Lower is. And our view of well spacing in the
14 Wolfcamp Lower is validated by numerous leading
15 operators in this area that we receive well proposals
16 from.

17 And, secondly, the lack of codevelopment of
18 the 9H and 10H, the 3rd Bone Spring wells, with the
19 Wolfcamp Upper sands. And BTA has reiterated in their
20 testimonies numerous times today that they do not
21 believe that the 3rd Bone Spring wells and Wolfcamp Sand
22 wells interfere. We have hard facts, not models, but
23 facts supporting otherwise.

24 **Q. Mr. Alekseenko, finally, was Exhibit FF**
25 **prepared by you or compiled under your supervision or**

1 direction?

2 A. Yes.

3 Q. And was it also compiled from the use of
4 company business records?

5 A. Yes.

6 Q. Exhibits DD and EE, if you could just quickly
7 look at those, are these documents included within
8 Exhibit FF?

9 A. Yeah. Those are documents that are included
10 within Exhibit FF. They were mistakenly repeated there,
11 but no new information is conveyed in DD and EE.

12 Q. And I apologize. I was in a hearing yesterday
13 while my assistant was compiling the exhibits.

14 MS. BRADFUTE: I would like to tender the
15 admission of Exhibit FF into the record.

16 EXAMINER JONES: Just FF?

17 MS. BRADFUTE: Just FF.

18 EXAMINER JONES: Okay. Any objection?

19 MR. FELDEWERT: Exhibit DD is what page of
20 Exhibit FF?

21 THE WITNESS: DD is page 6.

22 EXAMINER JONES: So we're not going to
23 admit EE or --

24 THE WITNESS: So DD is page 6 of Exhibit
25 FF, and Exhibit EE is page 4 of Exhibit FF.

1 EXAMINER JONES: We've already admitted DD.

2 MS. BRADFUTE: And it's okay if it's in the
3 record. It's just a duplicate.

4 EXAMINER JONES: It's just -- it's just --
5 EE and FF are at question here, think.

6 MR. FELDEWERT: I don't remember admitting
7 DD.

8 MS. BRADFUTE: Well, for simplicity sake, I
9 would tender admission of Exhibits DD through FF into
10 the record.

11 (Marathon Oil Permian, LLC Exhibit Letters
12 DD through FF are offered into evidence.)

13 MR. FELDEWERT: I have a question about DD
14 before we admit it.

15 EXAMINER JONES: We'll have to read it back
16 to see if it was admitted.

17 THE WITNESS: It was admitted. I remember.

18 EXAMINER JONES: "Y through DD," I have
19 written, but I could have mistaken Y through CC because
20 I'm pretty deaf sometimes.

21 Q. (BY MS. BRADFUTE) Mr. Alekseenko, if you could
22 look at Exhibit DD.

23 A. Yes.

24 Q. Is this a duplicate of one of the documents
25 that's included in Exhibit FF that you prepared?

1 A. Yes. This page is repeated on page 6 of
2 Exhibit FF.

3 Q. Okay. And if you look at Exhibit EE, is this
4 also a document that you prepared, and it is also
5 included within Exhibit FF?

6 A. Yes. That is page 4 in Exhibit FF.

7 Q. And, Mr. Alekseenko, were these exhibits also
8 compiled by you or created under your supervision and
9 direction and compiled from company business records?

10 A. Yes, they were.

11 MS. BRADFUTE: Then I would like to tender,
12 to the extent that it's not already in the record, the
13 admission of Exhibits DD, EE and FF into the record.

14 (Marathon Oil Permian, LLC Exhibit Letters.
15 DD, EE and FF are offered into evidence.)

16 MR. FELDEWERT: I have questions about DD
17 and what would then be F6 -- FF6.

18 EXAMINER JONES: FF, number 6 is in
19 question?

20 MR. FELDEWERT: This is one that he said
21 this was private information of Eddy County. Okay? So
22 can I ask a few questions about that before we admit it?

23 EXAMINER JONES: Sure.

24 CROSS-EXAMINATION

25 BY MR. FELDEWERT:

1 **Q.** **Mr. Alekseenko, if I look at -- I don't care if**
2 **it's DD or FF6. You were rather vague about where this**
3 **information came from. Okay? First off, I understand**
4 **that it involves just one of the six Bone Spring wells**
5 **in the area -- 3rd Bone Spring wells in the area where**
6 **the company has data.**

7 **A.** We collect a significant amount of data on each
8 and one [sic] well we drill and complete. We also
9 collect a significant amount of data before we do that.
10 That data, as you know, comes at a cost. It's not free
11 to us. It's not free to our shareholders. So we are
12 very careful how we release that data. We release what
13 we think is absolutely necessary without releasing all
14 the information that's available to us. I think you
15 would agree that telling everybody where your car keys
16 are and house keys are may not be prudent, and that's
17 why we're not doing that here.

18 **Q.** **So you didn't answer my question. Does Exhibit**
19 **FF6 involve just one of the six 3rd Bone Spring wells**
20 **that you have, for which you have data, in the area**
21 **depicted Exhibit Y?**

22 **A.** It includes one of the wells that we have that
23 we received permission to provide internal data to the
24 examiners. Yes, sir.

25 **Q.** **One of six?**

1 A. One of six, correct.

2 Q. Okay. Which well on Exhibit Y?

3 A. I cannot provide you with this information.
4 There is a reason for why the well names are stripped
5 off.

6 Q. Can you tell me where the section is that's
7 involved here?

8 A. No. I cannot locate this well for you.

9 Q. You can't tell us where any of this data came
10 from?

11 A. This is within a ten-mile radius of the
12 projects in question. Yes, sir.

13 MR. FELDEWERT: Mr. Examiner, then I object
14 to the admission of this exhibit on the grounds it lacks
15 foundation and that they refuse to provide either you or
16 us with the location and information on where this data
17 came from.

18 THE WITNESS: I would be glad to provide
19 this data if it can stay confidential with BTA.

20 MS. BRADFUTE: Yeah. We can go through the
21 confidential procedures if Mr. Feldewert would prefer we
22 do that. That's available.

23 But as far as foundation goes, he testified
24 it's within a ten-mile radius of the project area and
25 that this information was compiled from company business

1 records and under his supervision and direction. So he
2 has laid a foundation for the admission of this exhibit.
3 What weight the Examiner wants to give it is up to the
4 discretion of the Examiner.

5 MR. FELDEWERT: Well, I disagree. I don't
6 think he's laid any foundation for this exhibit.
7 They're going to come in and say, Well, we're going to
8 cherry-pick data from somewhere here on Exhibit Y within
9 ten miles, and we're not going to tell you how we did
10 it, and we're not going to tell you what the data is.
11 So I object to the admission of this exhibit.

12 EXAMINER BROOKS: What exhibit are you
13 specifically objecting to?

14 MR. FELDEWERT: It would be FF6, which
15 corresponds with Exhibit DD.

16 MS. BRADFUTE: Yeah. It's -- yeah. If you
17 look at DD, David, that's the easiest.

18 EXAMINER BROOKS: Look at what?

19 MS. BRADFUTE: Look at DD, David, David.

20 EXAMINER BROOKS: DD.

21 EXAMINER JONES: I think you can figure it
22 out if you remember his testimony.

23 EXAMINER BROOKS: Yes, Exhibit DD.

24 MS. BRADFUTE: Yeah.

25 And if the Examiner has sufficient

1 information to deduct and reason, the Division has not
2 historically followed the rules of evidence when
3 admitting information and has taken a more holistic view
4 of considering all the data and information provided by
5 the parties.

6 MR. FELDEWERT: Oh, I have never seen the
7 Division allow somebody to come in and create a chart
8 and create lines and not provide the data or indicate
9 where the data came from. I've never seen that.

10 EXAMINER BROOKS: Is Exhibit DD the one
11 you're objecting to? I mean, I'm trying figure out.

12 MR. FELDEWERT: Yes, sir.

13 EXAMINER BROOKS: Okay. So Exhibit DD is
14 what you're objecting to?

15 EXAMINER JONES: Same as F6 -- FF6.

16 EXAMINER BROOKS: Okay. Well --

17 EXAMINER JONES: It's not explicitly
18 written on there what well it's from.

19 EXAMINER BROOKS: Exactly. And in
20 addition, the consideration comes in that experts can
21 testify from inadmissible evidence, and we have a
22 procedure -- we have some procedures for pretrial
23 discovery, although they're very limited.

24 But this could be taken up if want to
25 pursue it, Mr. Feldewert, but I think I'm going to admit

1 it for present purposes. And, you know, if you want to
2 file a request for additional data to be furnished
3 confidentially, I think we can take this -- this case
4 under advisement again -- or delay -- continue this case
5 for another brief period to resolve that if necessary.
6 I don't -- I'm not sure how heavily it weighs in the
7 case. And we will only give it such consideration as
8 it's entitled to. And I'm not sure that it's all that
9 much different from evidence we've heard in other cases,
10 so that it makes it -- I'm not sure it's a critical
11 exhibit. But that's my ruling. I think we should allow
12 it in for whatever weight it has.

13 EXAMINER JONES: It depends on whether your
14 client really wants this to be in there or --

15 MS. BRADFUTE: Marathon received management
16 approval to include this in the record, this
17 information, but --

18 EXAMINER JONES: But they received it
19 without naming the wells on it.

20 MS. BRADFUTE: Yes. We would need more
21 confidentiality protection in place to provide
22 additional information as far as the naming of the wells
23 on the actual exhibit.

24 EXAMINER JONES: Yeah. That would mean
25 that the parties to this case will figure it out and

1 could find out, but it wouldn't be in the record.

2 MS. BRADFUTE: Yeah.

3 EXAMINER JONES: So it still would go to
4 the parties in the case.

5 MS. BRADFUTE: Yes.

6 EXAMINER JONES: It sounds like management
7 didn't want it to be --

8 MS. BRADFUTE: Yes. And we can do that
9 provided the hearing examiner can still consider this
10 data when you're rendering your decision in the case.

11 EXAMINER BROOKS: What's your view,
12 Mr. Feldewert?

13 MR. FELDEWERT: Well, you can give it, I
14 guess, whatever weight you want.

15 My point here is that they have utilized
16 information that they fail to disclose. Okay? So when
17 he sits here and says they have hard facts, where are
18 the hard facts? Where are the hard facts? And they're
19 introducing exhibits where they've got a bunch of lines
20 and a bunch of dots. They don't tell you where the well
21 is, and they don't tell you what area is involved, and
22 they don't even tell you the section. So it gives us no
23 opportunity to evaluate the information.

24 And I have been in cases where yes, we were
25 going to use proprietary data to come in with hard

1 facts. Potash is a great example, to come in with hard
2 facts to demonstrate our case. Okay? We don't come in
3 with just lines and dots and then hide what they
4 actually log. And that's what they're doing here, and I
5 think that's wrong. But you can give it whatever weight
6 you want.

7 EXAMINER BROOKS: Well, I think that's the
8 best solution, that we just admit it and give it
9 whatever weight that we feel it's entitled to.

10 Of course, it's really your (indicating)
11 call because there is no clear legal rule here.

12 EXAMINER JONES: There are several clues on
13 here, and, plus, what he said earlier about where the
14 blue wells came from. I mean, you can -- it's all in
15 one half section of land. So I think it could be
16 figured out, but I don't know why they didn't go ahead
17 and put it on there.

18 MS. BRADFUTE: Yeah. And, you know, within
19 different companies, there are a lot of internal
20 procedures.

21 EXAMINER JONES: Yeah. So I don't know if
22 you really want this to be -- if you really think -- you
23 know, if management was halfway worried about it, I
24 don't know why they're not all the way worried about it.
25 And he's got a point that, you know, if you're going to

1 show it, probably should go ahead and put the names of
2 the wells on it. But I'm not the legal --

3 EXAMINER BROOKS: Well, the law on the
4 subject is very unclear because we have a -- we have a
5 provision in our rules that we're not bound to follow --
6 we can consider the rules of evidence, but we're not
7 bound to follow them. And I don't know what that means.
8 It sounds to me like maybe we can do whatever we want.

9 MR. FELDEWERT: That's kind of -- you're
10 right. You can do whatever you want.

11 EXAMINER BROOKS: It doesn't build an error
12 into anything because if you get permission, you can
13 start all over again and -- both parties will start all
14 over again, and it won't -- whether something is
15 admissible at the Commission doesn't have anything to do
16 with whether the Division admitted it or not.

17 EXAMINER JONES: But one issue is that, you
18 know, this could set up some sort of precedence for
19 evidence to be admitted that was -- shouldn't -- should
20 clearly not be considered in the case.

21 EXAMINER BROOKS: I think we should --
22 Well, it's your discretion. Do you think
23 it should not be admitted? I can see the argument for
24 that.

25 MS. BRADFUTE: Mr. Examiner, I did confer

1 with my client. They are fine with admitting this
2 exhibit, and we're also fine pursuing the confidential
3 procedures if the Division wants additional information
4 for that. And we can do that pretty quickly. I'm going
5 to be out of town the first three days of next week, but
6 we would prefer to have this information and data in the
7 record.

8 EXAMINER BROOKS: Can we get it wrapped up
9 by July the 26th?

10 MS. BRADFUTE: Yes.

11 EXAMINER BROOKS: I think that's the best
12 course to pursue, then, because I don't want any
13 presumption about how we considered it to influence
14 either side --

15 MS. BRADFUTE: Uh-huh.

16 EXAMINER BROOKS: -- whether we considered
17 it or didn't consider it, you know. That could lead to
18 speculation on the basis of our result that could not be
19 accurate -- or might or might not be accurate.

20 MS. BRADFUTE: Okay. So we would like to
21 tender it into the record today, and then we'll pursue
22 the confidential procedures to put the additional
23 information into the record next week -- late next week.

24 EXAMINER BROOKS: Yeah. And if
25 Mr. Feldewert ends up objecting -- if you don't produce

1 the confidential data and Mr. Feldewert wants to renew
2 his objection of the exhibit at that time, we'll
3 consider it. Because you have the burden of proof if
4 you want to make it confidential. And, of course, you
5 can always agree on a confidential -- agreement between
6 yourselves, which will solve the discovery problem
7 without disclosing it to the OCD. If you're going to
8 put it in the record, though, the additional information
9 they request, then we've got to deal with the question
10 of whether there is really something involved.

11 EXAMINER JONES: Okay. Is there any
12 objection to EE or the other portions of FF?

13 MR. FELDEWERT: No, sir.

14 EXAMINER JONES: None?

15 MR. BRUCE: No.

16 EXAMINER JONES: Okay. Exhibit EE is
17 admitted.

18 (Marathon Oil Permian, LLC Exhibit Letter
19 EE is admitted into evidence.)

20 EXAMINER JONES: And Exhibit FF, except for
21 number -- page 6 --

22 MS. BRADFUTE: It's a duplicate of DD, so
23 it would be admitted the same way as DD was admitted.

24 EXAMINER JONES: I said EE.

25 MS. BRADFUTE: Oh, EE. I'm sorry about

1 that.

2 EXAMINER JONES: EE is admitted.

3 And FF is admitted except for page 6,
4 and -- FF, page 6.

5 (Marathon Oil Permian, LLC Exhibit Letter
6 FF, pages 1 - 5 and 7 - 8 are offered and
7 admitted into evidence.)

8 EXAMINER JONES: And EE will be pursued
9 through the --

10 MS. BRADFUTE: And those exhibits are
11 admitted today into the record, and we'll provide
12 additional information through the confidential
13 procedures.

14 EXAMINER JONES: Oh, gotcha. Okay.

15 EXAMINER BROOKS: Okay. As of what time?

16 MS. BRADFUTE: We'll pursue -- it'll be --
17 I'm going to be in Houston through Wednesday, so if it
18 could by Friday afternoon.

19 EXAMINER BROOKS: By Friday, the 19th?

20 EXAMINER JONES: So it sounds like you're
21 going talk to management again. They could just say,
22 The wells are from right here.

23 MS. BRADFUTE: Yes. We just have to get
24 approval.

25 EXAMINER BROOKS: If they want to contest

1 it, then what? Then we're going to -- we're going to
2 continue this case until the 26th --

3 MS. BRADFUTE: Yes.

4 EXAMINER BROOKS: -- to the regular docket
5 on the 26th. But if we have to do a privilege review,
6 then it will have to be set for a special hearing.

7 MS. BRADFUTE: Yes, I believe so.

8 EXAMINER JONES: Mr. Bruce.

9 MR. BRUCE: I think you said Friday, the
10 19th. It will be Friday, the 20th.

11 EXAMINER BROOKS: Friday, the 20th. That's
12 right. The 19th is not Friday. So I was specifying --

13 EXAMINER JONES: Are we going to Friday
14 again (laughter)?

15 EXAMINER BROOKS: I was in denial about the
16 fact that this is Friday, the 13th. But no, we're not
17 setting a hearing. We're just saying report back on
18 Friday, the 20th, and the case will be continued to
19 Thursday, the 26th, hoping you-all will work out some
20 kind of deal with this between now and then that doesn't
21 involve us --

22 MS. BRADFUTE: Yes.

23 EXAMINER BROOKS: -- and doesn't require
24 something to come to another hearing.

25 THE WITNESS: For clarification, you'd like

1 the well names and the well locations to be released?

2 MR. FELDEWERT: For the -- that comprises
3 the data, that comprises the information on that
4 exhibit, yes.

5 THE WITNESS: Okay. The well names for the
6 wells shown in Exhibit DD?

7 MR. FELDEWERT: And the tabular data.

8 MS. BRADFUTE: I'm sorry. I didn't hear
9 you, Mike.

10 THE WITNESS: The production data?

11 MR. FELDEWERT: The well location and the
12 data that was utilized to create the exhibit.

13 THE WITNESS: The production data?

14 MR. FELDEWERT: The data that was utilized
15 to create the exhibit.

16 THE WITNESS: May I ask a question?

17 EXAMINER BROOKS: You have production --
18 the production data would be public; would it not?

19 THE WITNESS: The data would not.

20 EXAMINER JONES: A little bit out of
21 data --

22 MS. BRADFUTE: It will eventually all be.

23 EXAMINER JONES: But if they need to --

24 EXAMINER BROOKS: Are those wells so new
25 that there would be significant production data that

1 would not be disclosed?

2 THE WITNESS: So the wells shown in red
3 have been producing, as shown on the chart, for about 70
4 days.

5 EXAMINER BROOKS: Oh, okay.

6 THE WITNESS: So the data being three, four
7 months behind, you won't see anything in the public
8 domain for another couple months. And even then, it
9 will take another two months to obtain the data shown
10 here.

11 EXAMINER BROOKS: Well, if you-all can't
12 work it out, then we'll just have to have another
13 hearing on it.

14 EXAMINER JONES: Mr. McQuien has probably
15 already figured out which wells are --

16 MR. FELDEWERT: For seven days or 70 days?

17 THE WITNESS: 7-0 days.

18 MR. FELDEWERT: 7-0.

19 EXAMINER JONES: Do you pass the witness?

20 MS. BRADFUTE: Yes.

21 EXAMINER JONES: We're admitting everything
22 so far, but they're going to go through the
23 confidentiality procedures for FF, page 6.

24 EXAMINER BROOKS: We conditionally admitted
25 documents of Exhibit EE and page 6 of Exhibit FF; is

1 that correct?

2 MS. BRADFUTE: DD. Yes, David, David.

3 EXAMINER BROOKS: Oh, it's DD.

4 EXAMINER JONES: DD.

5 EXAMINER BROOKS: But EE is admitted?

6 EXAMINER JONES: Yes.

7 EXAMINER BROOKS: DD is admitted

8 conditionally. FF is admitted unconditionally, except
9 for page 6, and conditionally as to page 6.

10 EXAMINER JONES: Okay. I stand corrected.

11 EXAMINER BROOKS: Well, no. I'm not sure
12 you were corrected. I think you were right. I was the
13 one who stands corrected. It doesn't matter. I think
14 we've got it clear with the court reporter; have we not?

15 EXAMINER JONES: Go ahead.

16 CONTINUED CROSS-EXAMINATION

17 BY MR. FELDEWERT:

18 Q. Mr. Alekseenko, would you turn to Exhibit Y?

19 Now, you talked about wanting to rely on hard facts.

20 Did you -- the company has some frac models within the
21 area encompassed within Exhibit Y, correct?

22 A. Yeah.

23 Q. But you didn't bring those today?

24 A. Those were not deemed critical and, hence, were
25 excluded. Furthermore, that was sensitive, confidential

1 information, and we decided to maintain that
2 confidentiality.

3 **Q. Now, the areas that we see with stars around**
4 **that map -- do you see that?**

5 A. In 22-26? 22-27? What area?

6 **Q. 23-27 up there.**

7 A. 23-27. The star in Section 9 or in Section 5?
8 Which one?

9 **Q. I don't know where the star's at. I'm talking**
10 **about that area. Did you bring any data from that area?**

11 A. No, sir. No -- although let me walk that back.
12 I think if we were to go and handpick, Is this this
13 well; is this this well; is this this well; is this this
14 well, that will take the confidentiality of what is
15 shown in Exhibit DD out. So I cannot answer one by one,
16 Is this the well you showed, is this the well you
17 showed, is this the well you showed? That will take the
18 confidentiality out.

19 **Q. That area up there, 23 South, 27 East, with the**
20 **star was the study well, correct?**

21 A. Yes, it was.

22 **Q. And you didn't bring that information?**

23 A. I cannot answer this question without --
24 without taking the confidentiality out of Exhibit DD
25 that was shown earlier.

1 **Q. Where are the other study areas here?**

2 A. We conduct -- we collect quite a bit of data on
3 pretty much every well we drill and complete. We
4 collect data on every one.

5 **Q. Did you bring any of that data here today?**

6 A. No, we have not.

7 **Q. Okay. Let's see if we can -- I want you to**
8 **turn, then, to Exhibit -- BTA Exhibit 21. I want to see**
9 **what we can agree on, you and me. Okay? We both agree**
10 **now on the same spacing units, mile-and-a-half or --**

11 A. That never was in question, but correct.

12 **Q. Okay. We agree on the well length?**

13 A. Again, never was in question. Yes, we do.

14 **Q. No real issues on the well costs?**

15 A. After you walked back and addressed our
16 concerns, no.

17 **Q. Okay. And if we look at the zones that are**
18 **being targeted by the initial development plan, okay, we**
19 **have -- both parties have wells in the 3rd Bone Spring,**
20 **right?**

21 A. Your initial plan does not include 3rd Bone
22 Spring Lower wells.

23 **Q. The 9H and the 10H for the spacing unit?**

24 A. They were not part of the initial plan.

25 **Q. Well, I'm going to represent to you -- we've**

1 **been here all day -- those are the wells proposed for**
2 **the 9H for the Bone spacing units, right?**

3 A. Do you have APDs in place for 9 and 10?

4 **Q. And, Mr. Alekseenko, we have the 6H and the 5H**
5 **in the Wolfcamp Sand, and you-all have the 12H and the**
6 **17H, correct?**

7 A. Correct.

8 **Q. Okay. And BTA has proposed wells for the 7H**
9 **and the 8H down in the Wolfcamp D, and you have your**
10 **four wells there?**

11 A. Yes. You have about half the wells that are
12 necessary for the horizon, but --

13 **Q. And you mentioned -- the other difference would**
14 **be the 14H, and you said you wanted data before you got**
15 **the location decided on that particular well?**

16 A. That is correct.

17 **Q. And that could likewise be a well that BTA**
18 **could subsequently drill within the Wolfbone spacing**
19 **unit?**

20 A. We were not made aware of the plans to drill
21 the 14H, similarly -- similar to the situation that
22 arose in the Wolfcamp B [sic], were only proposed after
23 we brought those concerns forward. 3rd Bone Spring
24 Lower wells were proposed only after we brought those
25 concerns forward. So it wouldn't surprise me that BTA

1 would fast-forward in proposing Wolfcamp A wells here.
2 And we'll be happy to continue to education, whatever is
3 necessary for what's needed for this rock.

4 **Q. Once these Bone Spring spacing units are**
5 **formed, BTA could also then propose additional wells up**
6 **there in the 2nd Bone Spring, correct?**

7 A. That is correct.

8 **Q. Okay. And when you look at the Wolfcamp D,**
9 **instead of four wells, BTA has proposed two?**

10 A. That is correct.

11 **Q. Okay. And the 7H, is it the same location as**
12 **the 11H?**

13 A. There might be some vertical displacement. I'm
14 not quite sure. I haven't compared permits. Visually,
15 they're very close. There is a little bit of a vertical
16 offset between the 7H and the 8H.

17 **Q. And the 8H is basically the same location as**
18 **the 6H -- 16H?**

19 A. Again, there is a little bit of a vertical
20 offset between the 8H and the 16H.

21 **Q. And so if it was deemed necessary to infill the**
22 **Wolfcamp D, BTA would be able to drill the infill wells**
23 **there as well, correct?**

24 A. You would be able to drill the wells, but the
25 performance of those wells is the question that is

1 burning in our minds.

2 Q. So as I understand it, your true concern is
3 really the density or the spacing of the wells --

4 A. You got it.

5 Q. -- in each zone, right?

6 A. You got it.

7 Q. Okay. And here's what I'm trying to figure
8 out, where I got confused. When do you think it's
9 appropriate to have eight wells per section?

10 A. It's -- it's not fast and easy, Mr. Feld- --
11 Feldewert.

12 Q. Just call me Mike.

13 A. Mr. Mike, it's not fast and easy. There are a
14 lot of variables that go into play. You've got to bring
15 volumetrics into account. You've got to look at the
16 thickness of the rock, the permeability, the
17 brittleness. You've got to, again, collect an extensive
18 amount of information. Even if I knew everything that's
19 required to determine accurate spacing, I would not be
20 able to articulate it to you within today's time.

21 Q. Well, you had an exhibit, FF7, that says "at
22 density versus not at-density development," correct?

23 A. Yeah.

24 Q. And you represented that in your opinion, at
25 density is eight wells per section?

1 A. This was, again, as I testified, for
2 illustrative purposes, and the key here was that all
3 wells are brought on line at the same time. Proper well
4 spacing is determined ahead of time. And it's never a
5 question of what is the proper well density. It's
6 really a question of once determined what the optimal
7 well spacing is, you go after the horizon and you
8 develop it all at once, minimizing the parent-child
9 effects, minimizing frac hits, et cetera.

10 **Q. When do you believe that the spacing should be**
11 **three wells per section?**

12 A. It is our current view that Wolfcamp Sand and
13 3rd Bone Spring Lower and the Wolfcamp Upper should be
14 developed by three wells per section each, and that is
15 reflected in our development plans.

16 **Q. Okay. And so in your opinion, when it comes to**
17 **the -- now, which zone do you think should be three**
18 **wells per section?**

19 A. 3rd Bone Spring Lower, Wolfcamp Sand and
20 Wolfcamp Upper that controls Wolfcamp A.

21 **Q. And then all of the other zone you think should**
22 **be at eight wells per section?**

23 A. For the purpose of this hearing, I think
24 Wolfcamp B [sic] is the only relevant one, and our view
25 is eight wells per section in that horizon.

1 Q. Have you examined the results of Matador's
2 experiment with your tightly spaced eight wells per
3 section in the nearby area, Sections 25 and 24?

4 MS. BRADFUTE: Object to form.

5 Q. (BY MR. FELDEWERT) I'm talking about BTA's
6 Exhibit 37. Have you examined those wells in Section 24
7 or Section 25?

8 A. I haven't looked at them recently, but I have,
9 at one point in time, no doubt looked at them.

10 Q. Okay. And you haven't -- you don't know the
11 frac lengths or you haven't presented any data to
12 present the frac lengths of Marathon's proposed wells?

13 A. That is confidential information.

14 Q. So you can't tell us the frac lengths, either
15 horizontal, vertically?

16 A. That is confidential information. Correct.

17 Q. Okay. Now, Marathon's been in the Delaware
18 Basin here in New Mexico for about a year; is that
19 right?

20 A. A little over a year. We're coming up on a
21 year last time.

22 Q. May of 2017 is when you entered the basin,
23 right?

24 A. Yeah.

25 Q. Okay. A little over a year.

1 And operators such as COG and Matador and
2 Mewbourne have been operating in this area much longer,
3 right?

4 A. Yes. And we went through this discussion last
5 time.

6 Q. In fact, you said you believe that Matador and
7 Mewbourne were the most active operators in this area?

8 A. Historically, yes. This is about to change, as
9 you see from our Exhibit Y.

10 Q. And you agree with me that not a single
11 operator in this area has developed the Lower Bone
12 Spring and the Upper Wolfcamp with the density and
13 spacing pattern as you suggest is necessary?

14 A. In the immediate vicinity, I have seen a
15 slightly tighter density in Wolfcamp Sand than we're
16 proposing. I have not seen, you know, the comprehensive
17 plans that would mimic ours.

18 Q. So operators like CAZA, Chevron, COG, Matador
19 and Mewbourne have not chosen to develop their acreage
20 like you suggest is now necessary?

21 A. That is correct.

22 Q. Okay. And you agree with me that the BTA
23 development plan here and their pattern is consistent
24 with what Mewbourne has done in this area?

25 A. I think at one point you had an exhibit that

1 showed me, and I would like to quickly examine that
2 because I don't remember this off the top of my head.

3 **Q. Is it your understanding that BTA's plan is**
4 **consistent with what Mewbourne has done in this area?**

5 MS. BRADFUTE: Do you have an example you
6 could point him to, Mike, of Mewbourne's plan?

7 THE WITNESS: What I see on the map is a
8 lot of leasehold activity by Mewbourne. I do not see a
9 density development. So yeah, BTA's plan is consistent
10 with leasehold.

11 **Q. (BY MR. FELDEWERT) So you've testified and you**
12 **agree that BTA's development plan is consistent with**
13 **what Mewbourne has done, pattern and density?**

14 A. I do not think that Mewbourne's development to
15 date gives us any clues about their views on proper well
16 spacing. What they have done to date is drilled the
17 wells to hold the leases. We don't know what they're
18 using density on. I can only assume what they think is
19 the proper density.

20 **Q. Let me see what your -- how far you think we**
21 **should go here, Mr. Alekseenko. Do you believe that the**
22 **Division should mandate codevelopment of the Lower Bone**
23 **Spring and the Upper Wolfcamp zones to prevent waste?**

24 A. I have no opinion on what the Division should
25 or shouldn't do.

1 **Q. Do you think every operator in this region**
2 **should codevelop the Lower Bone Spring and the Upper**
3 **Wolfcamp zones to prevent waste?**

4 A. This is a free country, Mr. Feldewert.

5 **Q. What's your opinion?**

6 A. Everybody should do what makes them happy or
7 makes them money.

8 **Q. Do you think the Division should continue to**
9 **treat this area as two separate pools?**

10 A. It's a hard -- it's a hard question, and I
11 think it's a decision that the Division needs to make,
12 not me.

13 **Q. And I think you -- do you think the Division**
14 **should mandate more than four wells per section?**

15 A. I think the Division should always go back to
16 prevention of waste, protecting correlative rights. And
17 it, again, is not a hard-and-fast rule. Every case is
18 going to be different. And I think, frankly, I lack
19 expertise in what the Division's responsibilities are.
20 I'm here contesting a hearing with you for the second
21 time. I love the experience here, love the questions,
22 but I'm utterly unqualified to tell the Division what to
23 do.

24 **Q. And you would agree with me that people can**
25 **come up with different opinions, right, how their**

1 **acreage should be developed?**

2 A. Yes.

3 **Q. Okay. Look at the geology, come up with**
4 **different opinions about whether there should be**
5 **codevelopment or not?**

6 A. There are many opinions, and those should be
7 influenced by facts, but absolutely.

8 **Q. And, for example, people -- like what's**
9 **reflected in BTA's Exhibit 38, where they disagree with**
10 **your proposition that you need more than four wells per**
11 **section, there are people that disagree with that,**
12 **right?**

13 A. There are people that examine acreage in Texas,
14 which is the case in that paper, and came to the
15 conclusion that a different well density is appropriate
16 there, as you've asked me several times.

17 **Q. Are you familiar with this paper?**

18 A. I've -- from today's testimony, yes.

19 **Q. Have you read it before?**

20 A. No.

21 **Q. Oh.**

22 A. Do not know where Shell's acreage is.

23 **Q. So have you disagreed with their position**
24 **expressed in this paper?**

25 A. What I know is that Shell has no presence in

1 New Mexico.

2 Q. Okay. Now, no matter which development plan is
3 implemented, the one thing that is true is that BP would
4 be required to fund over 70 percent of the drilling and
5 completion costs for the --

6 A. If you choose to consent in the well, yes.

7 Q. And if they don't choose to consent, then they
8 will be subject to a 200 percent risk penalty on their
9 70 percent share of costs?

10 A. I'm not aware of the terms, but it sounds about
11 right.

12 Q. Okay. Then Marathon, on the other hand, on
13 whatever development plan is put together here, will
14 only foot the bill for less than 30 percent?

15 A. We have stated before how we view this density
16 discussion, and our view is that our plan is the one
17 that prevents waste.

18 Q. Okay. That's all the questions I have.

19 EXAMINER BROOKS: I have no questions.

20 (Laughter.)

21 EXAMINER JONES: Mr. Bruce?

22 CROSS-EXAMINATION

23 BY MR. BRUCE:

24 Q. I'll start out with one.

25 EXAMINER BROOKS: I'm sorry. I forgot

1 about Mr. Bruce.

2 MR. BRUCE: I'm easy to forget.

3 Q. (BY MR. BRUCE) You said Mewbourne is -- leases.
4 Are you aware -- if you look at Exhibit Y, this area is
5 littered with old deep gas wells, Morrow and Atoka
6 wells?

7 A. Are you referring to vertical wells, or are
8 you --

9 Q. Vertical wells.

10 A. Yeah. I'm sure there are many. Yeah.

11 Q. And are you aware that those wells were spaced
12 on 320 acres?

13 A. I'm not aware of their spacing and whether or
14 not they were spaced on 320.

15 Q. And do you know that Mewbourne has been out
16 drilling vertical wells here in this area and all over
17 Eddy County since the mid-'70s?

18 A. I'm not aware if this is true or not, but --
19 I'm not aware of this.

20 Q. And so if that was true and they had vertical
21 wells, that acreage was HBP'd for a long time?

22 A. I'm not sure of the lease terms.

23 Q. And my question is: How do you know that
24 Mewbourne is simply drilling --

25 A. So Mr. Feldewert asked me about density

1 patterns of Mewbourne, and I, frankly, do not see
2 at-density development by Mewbourne.

3 Q. Well, that's not my question. You said
4 Mewbourne is simply drilling to hold leases. Do you
5 have any evidence of that?

6 A. That was a speculation and assumption. It was
7 based on the premise that I do not see at-density
8 development in play here.

9 Q. Let's turn to Exhibit -- turn to Exhibit FF,
10 page 4 and look to the left side of this where you've
11 got the Quarter 1-2015 and on down to Quarter 3-17.

12 A. Pardon me. Looking at FF, page 4, "Delaying
13 offset development leads to waste in Lea County"?

14 Q. Yes.

15 Over where you've got the timeline and then
16 the drilling of the wells -- and I'm asking because I
17 don't understand -- I just don't know. Those gray
18 wells -- black to gray, are those all in a half section
19 of land?

20 A. Yes. Correct. These are -- I think these are
21 old one-mile laterals.

22 Q. Okay.

23 A. So what's represented is full-section well.

24 Q. And then the wells that are in green are in
25 another half section of land?

1 A. Correct.

2 Q. And then, finally, the red circle and the pink
3 square, are those Bone Spring wells or one Bone Spring
4 and one Wolfcamp?

5 A. The square is a Bone Spring -- 3rd Bone Spring,
6 and then the circle is a Wolfcamp.

7 Q. Ignore the red and pink.

8 A. Okay.

9 Q. And then look at the -- if it's west half and
10 east half of the section, look at the west half of the
11 section and then your cumulative production map. If you
12 go over to the right, the first well drilled in
13 Quarter 1-2015, of the four wells in that half section,
14 it looks to be one of the quarter wells in that section,
15 right?

16 A. I'm sorry. I'm not following the question.
17 Would you mind restating?

18 Q. The first well drilled, Quarter 1-2015 --

19 A. Okay. The black circle. Yeah. Uh-huh.

20 Q. -- that's one of the poorer wells in that half
21 section, isn't it?

22 A. It is correct, because of understimulation.

23 Q. And the well drilled substantially later is one
24 of the better wells?

25 A. Because of the completion of -- over that

1 period of time, yes.

2 Q. Which I remarked to the Examiner that's why we
3 need information on the dates of completion, et cetera,
4 et cetera, with respect to some of this data because we
5 don't have it in front of us to look at. And that's
6 just my comment. You can respond to me in a minute.

7 But then looking at the east half of this
8 section, it's kind of the same thing. They were all
9 completed at the same time, apparently, roughly the same
10 time, but the well that was -- there is quite a
11 variation in the productivity of those four wells; is
12 there not?

13 A. Absolutely. And with regards to completion
14 information, production information, that information is
15 publicly available. Similar to BTA's Exhibit 37, page
16 2, where Wolfcamp Sand completions were shown, no
17 completion data was present, just well names, and that
18 is the approach we're taking here as well, consistent
19 with yours.

20 Q. That's fine.

21 But what I'm saying is, especially when you
22 look at the green wells, there is quite a -- even though
23 they were completed at the same time --

24 A. Uh-huh.

25 Q. -- there's quite a variation --

1 A. Yeah.

2 Q. -- in their productivity?

3 A. Yeah, absolutely.

4 Q. Okay.

5 A. And these wells are staggered a little bit, you
6 know. There is a little bit of wine rack going on, so
7 it's not surprising that there will be some variation in
8 the well performance. You know, rock is not
9 homogeneous, as I'm sure you are aware. It changes.

10 Q. And then just one final item and maybe we can
11 get the heck out of here after Mr. Jones.

12 (Laughter.)

13 EXAMINER JONES: As he goes on for 30
14 minutes.

15 Q. (BY MR. BRUCE) Page 7 of Exhibit FF, you're
16 talking about the -- the production from the wells. But
17 if you're drilling eight wells, as shown on the left
18 side, and just assuming this is Wolfcamp --

19 A. Uh-huh.

20 Q. -- your AFEs are about 8-1/2 million bucks.
21 And I'm doing it in my head. That's \$68 million for
22 eight wells. I know that because I used to be an
23 engineer.

24 A. Yeah. It's 64 million. Correct.

25 Q. And so if you only have four wells, that's

1 **34 million.**

2 A. Correct.

3 **Q. Have you looked at the economics about what is**
4 **exactly going to be produced to know whether you're**
5 **really getting that big of an advantage --**

6 A. Absolutely.

7 **Q. -- getting money earned?**

8 A. Absolutely. What we looked at is MVD [sic] per
9 section, and we look to maximize that number.

10 **Q. But that data isn't given here. It's just a**
11 **cartoon saying to drill more?**

12 A. Mr. Bruce, with all due respect, our -- our --
13 I think there might have been some different opinions on
14 what my responsibility coming here is. I don't view it
15 as a data room, and even the -- I have, again, a
16 fiduciary responsibility to my shareholders, and, first
17 and foremost, that's making money. And making money
18 requires staying ahead of our competition.

19 **Q. And if you're coming out in a public forum, you**
20 **have to show the data so that the Examiners and the**
21 **other parties, the other companies know whether what**
22 **you're doing or what you're proposing is correct for the**
23 **best interest.**

24 A. Again, we have not received any analysis from
25 BTA suggesting four wells per section is the optimum

1 density, so I'm not sure how this argument can be used
2 against us.

3 MR. BRUCE: Pass the witness, Mr. Examiner.

4 EXAMINER JONES: Mr. Brooks?

5 EXAMINER BROOKS: No questions.

6 CROSS-EXAMINATION

7 BY EXAMINER JONES:

8 Q. Okay. It sounds like smaller pad size is for
9 your frac jobs, get some sand out there before -- before
10 the water breaks into the -- the lower-pressure offset
11 well or something. I'm sure they're trying -- they're
12 trying everything, I'm sure.

13 A. Yeah. The problem is your drilling cost is
14 roughly 2-and-a-half million. Your completion is 5.

15 Q. So you don't want to sand out?

16 A. Well, you -- you -- you can lower the sand, but
17 your well costs will only get dropped down by 25
18 percent. Let's say you lower the sand by 50 percent,
19 your total well costs --

20 Q. You were saying earlier that the pad --

21 A. Oh, fluid --

22 Q. The pad will break in --

23 A. Yes.

24 Q. -- and then it will perform a preferential flow
25 direction and carry the sand the wrong way or something.

1 A. Yes.

2 EXAMINER BROOKS: Be careful about talking
3 over one another. The court reporter is probably as
4 tired as I am.

5 EXAMINER JONES: She might hit me.

6 THE WITNESS: Or me or both (laughter).

7 Q. (BY EXAMINER JONES) I'm real excited for your
8 one well you proposed in that upper -- extreme Upper
9 Wolfcamp small, little sand area. I think you've got a
10 good --

11 A. The 14H or the -- the Wolfcamp Upper?

12 Q. Yeah. The one that I should have asked you
13 about in April, you know, that one is going to be in
14 that real small sand zone, is that correct, the upper --
15 extreme Upper Wolfcamp?

16 A. Yeah. It's Upper Wolfcamp. It's kind of a
17 sandy shale. I'm not a geologist, so I'll probably
18 misspeak. It's not exactly shale. It's not a
19 sandstone.

20 Q. That sounds like -- it sounds like it's also
21 close to the unconformity between the Bone Spring and
22 the Wolfcamp, too, which is always a good thing. But it
23 seems like it's close to 15H, so what's up with that?

24 A. It is. But, you know, this is not exactly
25 drawn to scale. If we refer to BTA's Exhibit 21, the

1 infamous one, the Wolfcamp -- the 3rd Bone Spring is
2 about 50 foot -- the Lower 3rd Bone Spring is about 50
3 foot thick. The Wolfcamp sands are about 100 foot, and
4 the Upper Wolfcamp is another 100 foot. So there is
5 about -- just top to bottom, there is about 150 foot
6 separating that sandy shale and the 3rd Bone Spring
7 Lower.

8 Q. Okay. So this Number 21 is more to scale? I
9 mean Exhibit 21.

10 A. It's not as much as it's to scale, but it has
11 the thicknesses of each horizon. That's why I was
12 referring to it.

13 Q. Okay. And with BTA proposing now the four
14 wells up in the north and Marathon proposing four wells
15 in the north, it sounds like that might be one of the
16 determining factors as to who gets the surface location
17 approved by the landowner. I asked the geologist about
18 that.

19 A. That super pad?

20 Q. The super pad.

21 A. Yeah. I'm not familiar with the discussions
22 around our pad placement.

23 Q. You're a reservoir engineer. I understand
24 that. Yeah. Years ago, they made the decision to not
25 require pressure data anymore on gas wells in

1 **New Mexico. So there you go.**

2 A. Interesting.

3 Q. **Open it up to the wild, wild west, and we'll**
4 **see who can keep from causing waste.**

5 **That's all the questions I've got.**

6 EXAMINER JONES: Any more redirect?

7 MS. BRADFUTE: Yeah. I'm sorry. I know
8 everyone's ready to go home, but poor Mr. Alekseenko was
9 a little double-teamed here.

10 REDIRECT EXAMINATION

11 BY MS. BRADFUTE:

12 Q. **So I want to walk back through some of BTA's**
13 **and Mr. Keren's exhibits with you, Mr. Alekseenko. If**
14 **you could please look at Mr. Charuk's Exhibit Number 3,**
15 **which is a cartoon that Mr. Charuk prepared and**
16 **presented.**

17 A. Yeah. I'm sorry. I was like Keren, maybe?
18 Let me locate that. I'm not sure if I can find it. I'm
19 aware of what's shown there.

20 Q. **It's a very simple bar. I can hold it up.**
21 **Mr. Alekseenko, does this cartoon provide any data that**
22 **went into creating this exhibit?**

23 A. Does this cartoon provide -- I'm sorry.

24 Q. **Any underlying data that went into the creation**
25 **of this exhibit?**

1 A. No. That was a mystery, and I tried to solve
2 is it, unfortunately unsuccessfully. This is a puzzle,
3 and this was admitted somehow.

4 Q. Yeah. Did Mr. Charuk provide underlying data
5 for each well that you reviewed when he put this bar
6 chart together to present to the examiners today?

7 A. No, he did not.

8 Q. Okay. And yet Mr. Bruce did present this
9 exhibit as evidence in this matter today, correct?

10 A. Yes, he has.

11 Q. Okay. I want to now turn to BTA's exhibits,
12 and I want to turn to the first book of exhibits from
13 April 24th.

14 MR. FELDEWERT: Now you're going way back.

15 MS. BRADFUTE: We are.

16 MR. FELDEWERT: How long are we going to do
17 this?

18 Q. (BY MS. BRADFUTE) I want to look -- it's the
19 book that starts with Exhibit Number 1 from the April
20 24th hearing, and we're going to start --

21 A. Which part of the exhibit?

22 Q. Look at Exhibit 16.

23 A. Sorry. I'm losing focus a little bit.

24 Q. That's all right.

25 Exhibit 16. Is Exhibit 16 a chart that was

1 prepared by BTA and presented in testimony during the
2 April 24th hearing?

3 A. Yes, it is.

4 Q. Okay. And this chart lists well names,
5 correct --

6 A. Yes, it does.

7 Q. -- on it?

8 Do you remember BTA bringing the well data
9 to the hearing for each one of the wells listed in this
10 chart?

11 A. That data has not been presented either. I'm
12 certain that completion data was not presented. Spatial
13 data may have been presented.

14 Q. Okay. And I'm sorry. Just a point of
15 clarification. What do you mean by spatial data?

16 A. I'm looking at Exhibit 15, and it may or may
17 not show all the wells in question here.

18 Q. Okay. So they might have shown the location of
19 all the wells, but they didn't provide the completion
20 information for all of the wells depicted in that chart?

21 A. Correct.

22 MR. FELDEWERT: You mean it would be public
23 data.

24 MS. BRADFUTE: Well, we'll get to that in a
25 minute.

1 MR. FELDEWERT: Right?

2 MS. BRADFUTE: Yeah.

3 MR. FELDEWERT: These are all old wells.
4 There's public data out there. We know that from the
5 wells.

6 MS. BRADFUTE: Yeah. There's public
7 data in Marathon's --

8 MR. FELDEWERT: And this is the one-mile
9 versus one-and-a-half mile.

10 EXAMINER BROOKS: Please don't talk over
11 one another.

12 MS. BRADFUTE: Okay.

13 Q. (BY MS. BRADFUTE) And I believe there was no
14 indication during the April 24th hearing that BTA had
15 any -- had brought any volumetrics data, any
16 per-foot-of-lateral data with it to that hearing when it
17 presented this exhibit, correct?

18 A. No. Even today, they testified that volumetric
19 data is really hard to get.

20 Q. Okay. And so BTA has also presented data -- or
21 charts, cartoons at this hearing without providing all
22 the underlying data to the examiners as well?

23 A. Correct.

24 Q. I want to next look at BTA's Exhibit 33, which
25 is in the notebook they presented today.

1 EXAMINER BROOKS: 33?

2 MS. BRADFUTE: 33.

3 Q. (BY MS. BRADFUTE) BTA presented this graph. I
4 guess it's maybe a map or a chart or a diagram of an
5 area related to cross sections that have presented for
6 its frac model, correct?

7 A. Yes.

8 Q. Did BTA present any geologic information that
9 supported -- supported the structure underlying these
10 areas when it presented this exhibit?

11 MR. FELDEWERT: That's in Exhibits 34 and
12 35?

13 MS. BRADFUTE: Those are cross sections,
14 but where's the structure -- the geologic structure
15 information within this exhibit?

16 MR. FELDEWERT: Supporting well logs,
17 right?

18 THE WITNESS: So -- yeah. This was just,
19 yeah, about cross section that encompassed about 50
20 miles' worth of rock between New Mexico and Texas, and
21 all that was provided along with it was three handpicked
22 well logs along that cross section.

23 Q. (BY MS. BRADFUTE) Okay. And that's a chart
24 that they prepared as a visual aid to help today as they
25 presented their testimony, correct?

1 A. Correct.

2 Q. Let's turn to Exhibit Number 34. Did BTA
3 present information related to completion data for the
4 wells shown in this cross section in 34 with it today to
5 the hearing?

6 A. No.

7 Q. And the same is true for Exhibit 36 and -- the
8 same is true for that Exhibit 36, correct?

9 A. Yes. No completion data was presented in
10 either of the three maps contained in Exhibit 36.

11 Q. I want to turn to Exhibit Number 37. BTA did
12 not even label the wells depicted in Exhibit Number 37
13 to indicate which wells are shown within this exhibit,
14 correct?

15 A. Correct.

16 Q. Okay. Yet it asked us to assume that the wells
17 in Sections 24 and 25 were operated by Matador, correct?

18 A. Yes.

19 Q. Okay. And I believe Mr. Feldewert asked you
20 questions earlier about the wells in Sections 24 and 25
21 and whether or not they were the same density that
22 Marathon is proposing for its Wolfcamp D wells; is that
23 correct?

24 A. Yes.

25 Q. But, in fact, BTA's witnesses testified earlier

1 today that the wells in Sections 24 and 25 are Upper
2 Wolfcamp wells, correct?

3 A. Those are depicted as Wolfcamp Sand
4 completions.

5 Q. That was the testimony today?

6 A. Yes.

7 Q. But we have no information from this cartoon
8 that would tell us anything about where these wells are
9 drilled or which formations they're in?

10 A. That's correct.

11 Q. So BTA also had several exhibits that it didn't
12 bring underlying data and information for, correct?

13 A. Yes.

14 Q. I want to look at Marathon's Exhibit FF.
15 Exhibit FF was compiled using public data primarily for
16 320 different wells, correct?

17 A. Correct.

18 Q. Okay. So similar to the exhibits that BTA
19 presented, it's based on public data to provide a
20 summary or an analysis for the hearing examiners to look
21 at as testimony presented?

22 A. That's correct.

23 Q. If you look at page 2 of FF, it lists the
24 Rattlesnake wells by name, and the information for the
25 Rattlesnake wells is public information?

1 A. Each well is uniquely identified, and that
2 information is available in the public domain, correct.

3 Q. In fact, the majority of other pages within
4 this exhibit all list the specific wells?

5 A. Except for the page where information is
6 confidential.

7 Q. Confidential.

8 In fact, all of the other pages list the
9 specific wells used to create the data plots, and the
10 information for those wells is public information,
11 correct?

12 A. Yes.

13 Q. Okay. So that information could -- is easily
14 ascertainable both by BTA and by Marathon throughout
15 this hearing, and it's no different than the charts and
16 graphs that BTA put together in which it listed wells
17 with publicly available data, correct?

18 A. Yes.

19 Q. Okay. Mr. Alekseenko, today has been a long
20 day, and I just want to summarize.

21 In your opinion, it is important to
22 codevelop the 3rd Bone Spring Sand and the Upper
23 Wolfcamp Formation in order to avoid waste, correct?

24 A. Correct.

25 Q. That is Marathon's opinion after reviewing and

1 studying the area?

2 A. Yes.

3 Q. Is it also Marathon's opinion that it's
4 important, when possible, to avoid drilling child wells
5 and direct offset wells when the wells can be drilled
6 and then concurrently completed together?

7 A. It's undisputable that child wells result in
8 waste. They result in reduced revenues for the operator
9 and result in reduced royalties for both the State and
10 mineral rights owners. It's clear.

11 Q. And finally, it's important to properly space
12 wells within each subformation in order to optimize
13 recovery, correct?

14 A. Correct.

15 Q. Is it your understanding that the Division's
16 primary concern in deciding development patterns is the
17 prevention of waste?

18 A. That is my understanding. Yes.

19 Q. And so Marathon's primary objective here is
20 aligned with the Division's concern, right?

21 A. Yes.

22 Q. Marathon wants to seek the prevention of waste
23 in this case, right?

24 A. Yes.

25 Q. Marathon objected to BTA's Wolfcamp application

1 for the Wolfcamp, the Ogden 5H and 6H wells, initially
2 because it was just two wells, right?

3 A. It did not develop acreage adequately in our
4 view, and, therefore, we objected to it.

5 Q. And then Marathon actually presented
6 alternative development plans for the area, which
7 included the 3rd Bone Spring Sand and the Lower Wolfcamp
8 portions, right?

9 A. Yes.

10 Q. And while BTA has tried to mimic portions of
11 Marathon's plan, it has not completely agreed with
12 Marathon's development plan, right?

13 A. Yes. And furthermore, we did not get a sense
14 that BTA was open to seek our input and understand why
15 we're trying to develop acreage in a certain way.

16 Q. We heard a lot of testimony about costs related
17 to having to drill additional wells within the section,
18 right?

19 A. Yes.

20 Q. But Marathon's concern is that reserves are
21 going to be left in the ground if those additional wells
22 aren't ultimately drilled?

23 A. Or aren't drilled at an appropriate timing,
24 appropriate sequence.

25 Q. So that's why Marathon has decided to pursue

1 this issue.

2 Are you knowledgeable of Marathon's efforts
3 to support other operators like Novo who have pursued
4 development plans which it found would optimize recovery
5 from the formation?

6 A. Yes. We -- we received proposals for Novo, and
7 we are electing to participate in the wells. We are not
8 fighting that. We are not trying to --

9 EXAMINER JONES: When you started now, you
10 were redirecting, but are you --

11 MR. FELDEWERT: They're now going into
12 closing statement.

13 THE WITNESS: Sorry.

14 MS. BRADFUTE: Yeah. No. And I will wrap
15 this up.

16 Q. (BY MS. BRADFUTE) So, Mr. Alekseenko, in your
17 opinion, does Marathon's plan best prevent waste -- the
18 creation of waste within the proposed spacing unit?

19 A. Yes.

20 Q. Okay. Thank you.

21 CROSS-EXAMINATION

22 BY EXAMINER BROOKS:

23 Q. I have to ask one question. I need to get your
24 take on this issue and into evidence. You testified
25 extensively about the consequences of drilling below

1 optimum density.

2 A. Yes.

3 Q. What are the -- other than that you spend too
4 much money, what would be the adverse consequences of
5 drilling too many wells in an area? Would it
6 actually -- is it just a waste of money, or does it
7 result in less production?

8 A. It does not result in less production. The
9 only thing that suffers, with the exception of loss of
10 money, is surface land use. You can -- you can be very
11 inefficient drilling too many wells. It becomes a
12 mining operation.

13 Q. Yes.

14 A. But at the end of the day, mineral right
15 owners, the State, et cetera, their royalties are going
16 up -- are going up as downspacing takes place.

17 Q. Thank you. I have no further questions.

18 EXAMINER JONES: Okay. Is that it for
19 Marathon case?

20 MS. BRADFUTE: That concludes Marathon
21 case, and then we ask that all of the cases heard today
22 be continued to the July 26th docket.

23 EXAMINER JONES: Okay. And do you want to
24 talk about written closing statements, or do you have a
25 schedule you want to -- Mr. Bruce loves to do written

1 closing statements.

2 MR. BRUCE: There's nothing like staying
3 here past 5:00. Let's put it that way.

4 MR. FELDEWERT: Mr. Examiner, you're not
5 going to allow me to present rebuttal witnesses?

6 (Laughter.)

7 EXAMINER JONES: Hey, it's continued until
8 the 26th.

9 MR. FELDEWERT: You know I'm just kidding.

10 EXAMINER BROOKS: Well, I think that might
11 be an adequate solution, that we continue it to 2026.
12 Not until the 7/26, until 2026.

13 (Laughter.)

14 THE WITNESS: 2026 (laughter).

15 EXAMINER JONES: But seriously, we can
16 continue these until the 26th, but maybe a brief written
17 closing or summaries of your case?

18 MS. BRADFUTE: In one week?

19 EXAMINER JONES: No, no, no. No. It's a
20 schedule that you would just choose.

21 EXAMINER BROOKS: Yeah. I think we could
22 have those after the 7/26 hearing. And if you don't --
23 if you get this evidentiary issue settled between now
24 and then, which I hope you will -- that's what I always
25 said when I was a judge. The way to settle discovery

1 issues is to bang the lawyers' heads together. But if
2 you get them settled by -- between here and the 26th, we
3 won't need to have any further hearing unless you want
4 to present something as a result of that. If you don't,
5 well, then we'll have to have a hearing on -- on whether
6 the information requested is actually privileged, which
7 those hearings can be lengthy, I know. Because
8 contrary -- I understand the perspective of company
9 employees. They don't have the right to produce
10 evidence --

11 MS. BRADFUTE: That's right.

12 EXAMINER BROOKS: -- that they don't have
13 company permission to produce, although some federal
14 judges -- I don't think elected state judges do, but a
15 federal judge might say, Well, you will go to jail for
16 contempt of court, and we will provide you with a phone
17 so you can contact your company and get permission.

18 (Laughter.)

19 THE WITNESS: I'm glad we're not doing
20 that.

21 EXAMINER BROOKS: We don't have that
22 authority.

23 THE WITNESS: Okay. That's the only reason
24 why.

25 (Laughter.)

1 EXAMINER JONES: I still suspect we already
2 admitted Exhibit DD earlier.

3 MS. BRADFUTE: We did. I think we did, to
4 tell you the truth.

5 EXAMINER JONES: And the transcript would
6 show that.

7 EXAMINER BROOKS: Okay. Well, I would
8 suggest that you continue this until July the 26th so
9 that the transcript will reflect that, and we'll --

10 EXAMINER JONES: It won't be here by then.
11 It'll be here probably a week or so after that, right,
12 the transcript?

13 EXAMINER BROOKS: I would assume so. We
14 don't need it by then.

15 EXAMINER JONES: No.

16 Okay. We're continuing Case 16300, Cases
17 16024, 16161, 16162, 16076 and 16077 to July 26th, and
18 this hearing is concluded.

19 MS. BRADFUTE: Thank you.

20 EXAMINER JONES: Thank you-all.

21 EXAMINER BROOKS: Thank you.

22 EXAMINER JONES: Thank you for being here
23 so late and sharing all your good knowledge with us.

24 (The proceedings conclude, 7:15 p.m.)

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20 DATED THIS 5th day of August 2018.

21

22

23 MARY C. HANKINS, CCR, RPR
24 Certified Court Reporter
New Mexico CCR No. 20
Date of CCR Expiration: 12/31/2018
Paul Baca Professional Court Reporters

25