

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF OXY USA INC. TO RE-OPEN CASE NO. 15616
CASE NO. 15616 FOR ADDITIONAL REPORTING
PURSUANT TO ORDER NO. R-14322, EDDY
COUNTY, NEW MEXICO

Consolidated with

APPLICATION OF OXY USA INC. FOR CASE NOS. 20193,
APPROVAL OF A PRESSURE MAINTENANCE 20194,
PROJECT, EDDY COUNTY, NEW MEXICO. 20195

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

January 11, 2019

Santa Fe, New Mexico

BEFORE: PHILLIP GOETZE, CHIEF EXAMINER
TERRY WARNELL, TECHNICAL EXAMINER
DAVID K. BROOKS, LEGAL EXAMINER

This matter came on for hearing before the
New Mexico Oil Conservation Division, Phillip Goetze,
Chief Examiner, Terry Warnell, Technical Examiner, and
David K. Brooks, Legal Examiner, on Friday, January 11,
2019, at the New Mexico Energy, Minerals and Natural
Resources Department, Wendell Chino Building, 1220 South
St. Francis Drive, Porter Hall, Room 102, Santa Fe, New
Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102
(505) 843-9241

1 APPEARANCES

2 FOR APPLICANT OXY USA INC.:

3 MICHAEL H. FELDEWERT, ESQ.
4 HOLLAND & HART, LLP
5 110 North Guadalupe, Suite 1
6 Santa Fe, New Mexico 87501
7 (505) 988-4421
8 mfeldewert@hollandhart.com

9 FOR INTERESTED PARTY EOG RESOURCES:

10 ERNEST L. PADILLA, ESQ.
11 PADILLA LAW FIRM, P.A.
12 1512 South St. Francis Drive
13 Post Office Box 2523
14 Santa Fe, New Mexico 87504
15 (505) 988-7577
16 padillalaw@qwestoffice.net

17

18

19

20

21

22

23

24

25

| | | |
|----|---|-------|
| 1 | INDEX | |
| 2 | | PAGE |
| 3 | Case Numbers 15616, 20193, 20194 and 20195 Called | 5 |
| 4 | OXY USA Inc.'s Case-in-Chief: | |
| 5 | Witnesses: | |
| 6 | Peter Van Liew: | |
| 7 | Direct Examination by Mr. Feldewert | 7 |
| 8 | Cross-Examination by Examiner Warnell | 26 |
| 9 | Redirect Examination by Mr. Feldewert | 27 |
| 10 | Shunhua Liu, Ph.D.: | |
| 11 | Direct Examination by Mr. Feldewert | 27 |
| 12 | Cross-Examination by Examiner Brooks | 45,79 |
| 13 | Cross-Examination by Examiner Warnell | 48,80 |
| 14 | Cross-Examination by Examiner Goetze | 50,81 |
| 15 | Tony Troutman: | |
| 16 | Direct Examination by Mr. Feldewert | 82 |
| 17 | Cross-Examination by Examiner Brooks | 99 |
| 18 | Cross-Examination by Examiner Goetze | 99 |
| 19 | Richard E. Foppiano: | |
| 20 | Direct Examination by Mr. Feldewert | 102 |
| 21 | Cross-Examination by Examiner Goetze | 125 |
| 22 | Proceedings Conclude | 128 |
| 23 | Certificate of Court Reporter | 129 |
| 24 | | |
| 25 | | |

| | | |
|----|---|------|
| 1 | EXHIBITS OFFERED AND ADMITTED | |
| 2 | | PAGE |
| 3 | Case Number 15616: | |
| 4 | OXY USA Inc. Exhibit Numbers 1 and 2 | 11 |
| 5 | OXY USA Inc. Exhibit Number 3 | 45 |
| 6 | | |
| 7 | Case Number 20193: | |
| 8 | OXY USA Inc. Exhibit Numbers 1 through 5 and 4A | 17 |
| 9 | OXY USA Inc. Exhibit Numbers 6 and 7 | 65 |
| 10 | OXY USA Inc. Exhibit Numbers 8, 9 and 10 | 90 |
| 11 | OXY USA Inc. Exhibit Number 3A | 116 |
| 12 | | |
| 13 | Case Number 20194: | |
| 14 | OXY USA Inc. Exhibit Numbers 1 through 5 | 21 |
| 15 | OXY USA Inc. Exhibit Numbers 6 and 7 | 71 |
| 16 | OXY USA Inc. Exhibit Numbers 8, 9 and 10 | 92 |
| 17 | OXY USA Inc. Exhibit Numbers 3A | 120 |
| 18 | | |
| 19 | Case Number 20195: | |
| 20 | OXY USA Inc. Exhibit Numbers 1 through 5 | 26 |
| 21 | OXY USA Inc. Exhibit Numbers 6 and 7 | 79 |
| 22 | OXY USA Inc. Exhibit Numbers 8, 9 and 10 | 98 |
| 23 | OXY USA Inc. Exhibit Number 3A | 124 |
| 24 | | |
| 25 | | |

1 (9:24 a.m.)

2 EXAMINER GOETZE: Next we will go to Case
3 15616, re-opened, application of OXY USA Inc. to re-open
4 Case 15616 for additional reporting pursuant to Order
5 Number R-14322, Eddy County, New Mexico.

6 Call for appearances.

7 MR. FELDEWERT: May it please the examiner,
8 Michael Feldewert, with the Santa Fe office of Holland &
9 Hart, appearing on behalf of the Applicant. We ask that
10 this case be consolidated.

11 EXAMINER GOETZE: And you want to do it
12 with all the other OXY pressure maintenance?

13 MR. FELDEWERT: Yes, sir. So that would be
14 Case 20193, 20194 and 20195.

15 EXAMINER GOETZE: Very well. We will
16 consolidate Cases 20193, application of OXY USA, Inc.
17 for approval of a pressure maintenance project, Eddy
18 County, New Mexico, along with Case 20194, application
19 of OXY USA, Inc. for approval of a pressure maintenance
20 project, Eddy County, New Mexico, and Case 20195,
21 application of OXY USA Inc. for approval of a pressure
22 maintenance project, Eddy County, New Mexico.

23 Call for appearances.

24 MR. FELDEWERT: May it please the examiner,
25 Michael Feldewert, with the Santa Fe office of Holland &

1 Hart, appearing on behalf of the Applicant in all three
2 of these consolidated cases.

3 MR. PADILLA: Mr. Examiner, Ernest L.
4 Padilla for EOG Resources in Case 20193.

5 EXAMINER GOETZE: You want to come up and
6 have a seat? We'll let you sit in the front row.

7 MR. PADILLA: Very good.

8 MR. FELDEWERT: Mr. Examiner, give me a
9 minute. I've got -- we have separate exhibits in each
10 case, and I'll be calling four witnesses here today who
11 will testify about all four cases in one sitting --

12 EXAMINER GOETZE: Very good.

13 MR. FELDEWERT: -- to the extent necessary.

14 EXAMINER GOETZE: At this time we would ask
15 the four witnesses to stand, identify yourself to the
16 court reporter and be sworn in please.

17 MR. FOPPIANO: My name is Rick Foppiano.

18 MR. TROUTMAN: Tony Troutman.

19 MR. VAN LIEW: Peter Van Liew.

20 DR. LIU: Shunhua Liu.

21 (Mr. Foppiano, Mr. Van Liew, Mr. Troutman
22 and Dr. Liu sworn.)

23 MR. FELDEWERT: I'd like to call our first
24 witness.

25 EXAMINER GOETZE: Proceed.

1 PETER VAN LIEW,
2 after having been first duly sworn under oath, was
3 questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. FELDEWERT:

6 **Q. Would you please state your name, identify by**
7 **whom you're employed and in what capacity?**

8 A. My name is Peter Van Liew. I work for
9 Occidental Petroleum Corporation, and I'm a land
10 negotiator.

11 **Q. And how long have you worked for OXY?**

12 A. About four years.

13 **Q. In the capacity as a landman?**

14 A. Yes, sir.

15 **Q. Have you had the opportunity to previously**
16 **testify before this Division?**

17 A. I have not.

18 **Q. Would you please outline your educational**
19 **background?**

20 A. I have a BA from Texas State University in
21 political science and then a J.D. from South Texas
22 College of Law in Houston.

23 **Q. When did you get your law degree?**

24 A. I graduated in 2013.

25 **Q. Did you pass the bar?**

1 A. I did, the State Bar of Texas.

2 **Q. Okay. What's been your work experience since**
3 **you passed the bar in Texas?**

4 A. For the first year and a half out of law
5 school, I worked as an independent field landman in east
6 Texas compiling ownership records, leasing projects and
7 curative. After that, I came to OXY. I've been here
8 for the past four years or so.

9 **Q. Are you a member of any professional**
10 **associations or affiliations besides the Texas State**
11 **Bar?**

12 A. Yes, sir, the Houston Association of Petroleum
13 Landmen and the American Association of Petroleum
14 Landmen.

15 **Q. Mr. Van Liew, are you familiar with the four**
16 **applications that have been filed by OXY in these**
17 **consolidated cases?**

18 A. Yes, I am.

19 MR. FELDEWERT: Mr. Examiner, I would
20 tender Mr. Van Liew as an expert in petroleum land
21 matters.

22 EXAMINER GOETZE: Mr. Padilla?

23 MR. PADILLA: No objection.

24 EXAMINER GOETZE: He is so qualified.

25 **Q. (BY MR. FELDEWERT) Mr. Van Liew, in front of**

1 you, I have four separate exhibit packets. Okay?

2 A. Yes, sir.

3 Q. I'd like to first turn to the exhibit packet
4 for Case 15616.

5 A. Uh-huh.

6 Q. And I'd like you to -- if you turn to Exhibit
7 Number 1, does this contain a copy of the Division's
8 order issued in April of 2017 in this case, 15616?

9 A. Yes, sir, it does.

10 Q. If I go to the last page of that exhibit, if I
11 look at paragraph 19, Mr. Van Liew, this order approved
12 a pilot project for OXY's injection operations in
13 Section 16, correct?

14 A. Yes, sir, it does.

15 Q. Now, if I look at paragraph 19, it requested
16 that the company -- it indicates that within two years
17 following commencement of injection, the injection
18 authority under the order would terminate, right?

19 A. That's correct.

20 Q. And it requests that the operator shall make an
21 application and come back before the Division to present
22 the results of its pilot project?

23 A. Yes, sir.

24 Q. Is that why we're here today?

25 A. We are.

1 Q. When did OXY commence injection in the approved
2 pilot area?

3 A. April 29th, 2017.

4 Q. So if we don't receive an order by April of
5 2019, under this order, the project will terminate --

6 A. Yes, sir.

7 Q. -- I mean injection authority will terminate?

8 A. Yes, sir. That's correct.

9 Q. Does OXY intend to call a reservoir engineer to
10 present the results of that project to date with the
11 examiners?

12 A. Yes, sir, we do.

13 Q. When this matter was initially heard by the
14 Division back in February of 2017, did the company
15 notify the surface owner and the affected parties within
16 a half mile?

17 A. Yes, sir, we did.

18 Q. Was there anyone that objected?

19 A. No one objected.

20 Q. Was there one party that appeared?

21 A. Yes, Matador Resources.

22 Q. Okay. And since Matador appeared at the last
23 hearing, did the company provide notice of this
24 additional hearing to Matador Resources?

25 A. Yes, sir, we did.

1 Q. And if I turn to what's been marked as OXY
2 Exhibit Number 2, is this an affidavit prepared by my
3 office with the attached letters and the documentation
4 confirming that notice was provided to Matador of this
5 hearing?

6 A. Yes, sir, it does.

7 MR. FELDEWERT: I would move the admission
8 of OXY Exhibits 1 and 2 in this matter.

9 EXAMINER GOETZE: Mr. Padilla?

10 MR. PADILLA: No objection.

11 EXAMINER GOETZE: Exhibits 1 and 2 are so
12 entered.

13 (OXY USA Inc. Exhibit Numbers 1 and 2, Case
14 Number 15616, are offered and admitted into
15 evidence.)

16 Q. (BY MR. FELDEWERT) Okay. With that, then,
17 Mr. Van Liew, I'd like to move to the next case, which
18 is Case 20193, and it involves the Cedar Canyon Federal
19 4H well.

20 A. Yes, sir.

21 Q. Do you have that exhibit?

22 EXAMINER BROOKS: What case number?

23 MR. FELDEWERT: 20193, and it would be the
24 Cedar Canyon Federal 4H well packet.

25 EXAMINER BROOKS: 20193?

1 EXAMINER GOETZE: 20193.

2 Q. (BY MR. FELDEWERT) Okay. Would you turn to
3 what's been marked as OXY Exhibit Number 1 in this case?
4 And we see here a map. Would you please explain what
5 the company seeks -- first explain what is shown on this
6 map and then what the company seeks under this
7 particular application?

8 A. Yes, sir.

9 So on the map, the red line is going to
10 indicate the Cedar Canyon 23 Number 4H, which is the
11 proposed injection well. Both north and south, there
12 are a benefiting well, the Cedar Canyon 5H and the Cedar
13 Canyon 3H. And with those benefiting wells, looking at
14 the rules, we're required to create a contract area that
15 encompasses the entirety of the injections and the
16 benefiting wells. And what OXY is seeking to do is to
17 seek authorization to inject produced gas, produced
18 water and CO2 into the existing 4H well for the benefit
19 of the 5 and the 3.

20 Q. And what interval or zone does the company seek
21 authority to inject?

22 A. These are 2nd Bone Spring wells.

23 Q. Okay. So all three of these are currently
24 completed in the 2nd Bone Spring?

25 A. Yes, sir.

1 Q. Okay. And you seek authority to have the 4H
2 converted into an injector in the 2nd Bone Spring?

3 A. Yes, sir.

4 Q. Just the 2nd Bone Spring interval, correct?

5 A. Correct.

6 Q. All right. Now, you've identified the project
7 area in blue here?

8 A. Yes, sir.

9 Q. What type of acreage is involved here?

10 A. This is all federal -- one federal lease.

11 Q. So the north half of Section 23 and the
12 northwest of 24 covers one federal lease?

13 A. Correct. And that constitutes the project
14 area.

15 Q. Okay. Is OXY the only operator in this area --

16 A. Yes.

17 Q. -- for this project area?

18 A. Yes. For this -- yeah. This lease, we don't
19 operate in.

20 Q. If I then turn to what's been marked as OXY
21 Exhibit Number 2, does this provide the examiner with
22 the filed C-102 plats for each of the three wells shown
23 in Exhibit Number 1?

24 A. Yes, it does.

25 Q. And it indicates on these C-102s that the pool

1 that's involved is the Pierce Crossing; Bone Spring,
2 East?

3 A. That's correct.

4 Q. And then do each of these C-102s provide an API
5 number?

6 A. Yes, they do.

7 Q. All right. You mentioned that there would be
8 offsetting benefiting wells?

9 A. Uh-huh.

10 Q. Is OXY presenting some other witnesses to
11 address these injection operations and the benefits that
12 are expected?

13 A. Yes, we will.

14 Q. If I turn to what's been marked as OXY Exhibit
15 Number 3, is this a C-108 application that was filed for
16 this particular injection project?

17 A. Yes, sir, it is.

18 Q. And if I turn to page 5, does this depict the
19 half-mile area of notice?

20 A. Yes, 4 and 5, in conjunction with the half-mile
21 radius.

22 Q. Okay. And we have someone who is going to
23 testify to how this was developed?

24 A. Yes.

25 Q. But from your perspective, having received this

1 information, did the company identify the affected
2 parties in this half-mile notice area?

3 A. We did.

4 Q. And if I look on the last page of this Exhibit
5 3, is that a list of parties in that half-mile area?

6 A. Yes, it is.

7 Q. And does it also include the surface owner for
8 the -- at the location where the surface hole is for the
9 injector well?

10 A. Yes.

11 Q. Who is the surface owner at that location?

12 A. The BLM.

13 Q. Okay. If I turn to what's been marked as OXY
14 Exhibit Number 4 -- so we'll skip over Tab C and go to
15 OXY Exhibit Number 4.

16 A. Yes.

17 Q. Is this an affidavit prepared by my office
18 indicating that notice of this application and hearing
19 was provided to the parties within the area of notice?

20 A. Yes, sir.

21 Q. And in the course of examining that list, did
22 the company determine prior to this hearing that there
23 was an operator -- or an affected party in the area of
24 notice that had not received a mailing about this
25 hearing?

1 A. Yes, sir.

2 Q. Okay. And who was that?

3 A. That was Shackelford Oil Company.

4 Q. And did you or someone on your behalf contact
5 Shackelford Oil Company about this hearing?

6 A. Yes, we did.

7 Q. And in the course of those discussions, did the
8 company receive an email from Shackelford Oil Company
9 waiving notice of this hearing and waiving any objection
10 to OXY's request for injection authority in this case?

11 A. Correct. We did.

12 MR. FELDEWERT: If I may approach?

13 EXAMINER GOETZE: You may.

14 Q. (BY MR. FELDEWERT) And if I look at what's been
15 marked as OXY Exhibit 4A, is that the email notice?

16 A. Yes, sir, it is.

17 Q. And finally if I look at OXY Exhibit Number 5
18 in our packet, is this the -- an Affidavit of
19 Publication in a local newspaper advising the public of
20 this application and of this hearing before the
21 Division?

22 A. Yes, sir, it is.

23 MR. FELDEWERT: At this point, then,
24 Mr. Examiner, I would move the admission into evidence
25 of OXY Exhibits 1, 2, 3, 4 and 4A and 5.

1 EXAMINER GOETZE: Mr. Padilla?

2 MR. PADILLA: No objection.

3 EXAMINER GOETZE: Exhibits 1, 2, 3, 4, 4A
4 and 5 are so entered.

5 (OXY USA Inc. Exhibit Numbers 1 through 5
6 and 4A, Case Number 20193, are offered and
7 admitted into evidence.)

8 MR. FELDEWERT: Thank you.

9 This actually concludes my examination of
10 this witness on this case. I don't know if Mr. Padilla
11 wanted to ask him any questions at this point before I
12 move to the other cases.

13 EXAMINER GOETZE: We should give him the
14 opportunity.

15 MR. PADILLA: I don't have any questions,
16 Mr. Examiner.

17 EXAMINER GOETZE: Thank you.

18 We'll proceed to the next one.

19 Q. (BY MR. FELDEWERT) I'd like to move to the next
20 case, which are the exhibits for Case 20194, which
21 would -- which involve the Cedar Canyon 27 6H and the
22 Cedar Canyon 28 6H. Do you have those packets in front
23 of you, Mr. Van Liew?

24 A. I do.

25 Q. Okay. Are they similarly organized to what we

1 **just went through?**

2 A. They are.

3 **Q. So if I go to Exhibit Number 1, would you**
4 **please identify what's shown here and what the company**
5 **seeks under this case?**

6 A. So for this project, there are two wells that
7 we propose to inject CO2, produced gas and produced
8 water. They are the Cedar Canyon 28 6H, which resides
9 in Section 28, and then the Cedar Canyon 27 Federal 6H,
10 which is in Section 27.

11 Each well -- so there are three benefiting
12 wells in this scenario. The first is north of both the
13 28 6H and 27 6H. It's denoted in green. It's the Cedar
14 Canyon 28-27 Federal Com Number 5.

15 And then there are individual one-mile
16 wells that benefit the 27-28 that run south of each of
17 those injector proposals, and that's the Cedar Canyon 28
18 7H in green and the Cedar Canyon 27 7H in green.

19 And just as in the other case, we've
20 created the project area, which covers the south half of
21 Sections 27 and 28, and then provided the same notice a
22 half mile outside that project area.

23 **Q. And, again, what interval do you seek authority**
24 **to inject to?**

25 A. These are also the 2nd Bone Spring.

1 Q. Okay. And we note -- and I note that both of
2 the proposed injection wells in red were drilled from
3 the same surface location?

4 A. That's correct.

5 Q. Okay. All right. Again, what acreage
6 comprises this particular project area?

7 A. This is also one single federal lease.

8 Q. And is OXY again the sole operator?

9 A. Yes, we are.

10 Q. If I turn to what's been marked as OXY Exhibit
11 Number 2, do we have C-102 plats for each of the wells
12 you just discussed?

13 A. Yes, we do.

14 Q. And that would identify both the pool that's
15 involved and provide an API number for each well?

16 A. Correct.

17 Q. If I turn to what's been marked as OXY Exhibit
18 Number 3 again, is this the C-108 for this case?

19 A. Yes, sir, it is.

20 Q. If I turn to page 7 -- fortunately, they were
21 marked at the bottom. If I turn to page 7, does that
22 again depict the half-mile notice area for -- when we
23 take into account the wellbore for both of these wells?

24 A. Yes, in conjunction with page 6 as well.

25 Q. Okay. So it's really an oblong, oval --

1 A. Yeah.

2 Q. What do you call that? An ellipse?

3 A. Ellipse, yeah.

4 Q. Who is the surface owner at the injection
5 location?

6 A. The BLM.

7 Q. And if I turn to the last page of this exhibit,
8 does it contain a list of the affected parties within
9 this ellipse?

10 A. Yes, sir, it does.

11 Q. And includes the BLM, correct?

12 A. Correct.

13 Q. And if I turn to what's been marked -- we'll
14 skip over the next tab and go to Exhibit 4. Is this an
15 affidavit prepared by my office with the attached
16 letters providing notice of this hearing and this
17 application to all the parties that we saw on the last
18 page of Exhibit 3?

19 A. Yes, sir, it is.

20 Q. And then finally, is Exhibit 5 an Affidavit of
21 Publication in the local newspaper again advising the
22 public of this hearing and this application?

23 A. Yes, sir, it is.

24 MR. FELDEWERT: Mr. Examiner, at this time
25 I would move the admission into evidence of OXY Exhibits

1 1 through 5.

2 EXAMINER GOETZE: You don't want to play
3 with the other two cases?

4 MR. PADILLA: No objection. We're not in
5 this case.

6 EXAMINER GOETZE: Okay. Very good.
7 Exhibits 1 through 5 are so entered.

8 (OXY USA Inc. Exhibit Numbers 1 through 5,
9 Case Number 20194, are offered and admitted
10 into evidence.)

11 Q. (BY MR. FELDEWERT) Okay. Mr. Van Liew, I'd
12 like to get to the last packet. It involves Case 20195,
13 which involves the Cypress 34 Federal 3H and the Cypress
14 34 Federal 8H.

15 A. Yes, sir.

16 Q. Do you have that in front of you?

17 A. I do.

18 Q. If I turn to what's been marked as OXY Exhibit
19 Number 1, we see a little different depiction, correct?

20 A. Correct.

21 Q. All right. Why don't you walk us through this
22 and tell us what the company seeks under this
23 application?

24 A. Okay. So the first small box at the top of the
25 page depicts the project area, which covers the entirety

1 of Section 34. The reason it covers the entirety of
2 Section 34 is because we have two candidates that are in
3 different formations and that run in different
4 orientations through the section.

5 So starting with the first one to the left,
6 the Cypress 34 Fed 3H, is a 1st Bone Spring producer
7 that runs horizontal or lay-down in the section. And
8 that has two benefiting wells, one north and one south,
9 the Cypress 34 2H and the Cypress 34 Federal 1.

10 Q. And I'm going to stop you right there. Are
11 they both likewise completed in the 1st Bone Spring
12 interval?

13 A. Yes, sir, they are.

14 Q. Okay.

15 A. And moving on to the right-hand side of the
16 page, similar situation, except this is a Cypress 34 Fed
17 8H, which is a 2nd Bone Spring producer. It runs
18 north-south or stand-up orientation. It also has two
19 benefiting wells. They are also found in the 2nd Bone
20 Spring. So because of that, we have created a project
21 area that covers the entirety of Section 34.

22 Q. So the lay-down wells in the 1st Bone Spring,
23 the stand-up wells in the 2nd Bone Spring?

24 A. Correct.

25 Q. Okay. What's the nature of the acreage here in

1 Section 34?

2 A. These are federal -- this is a federal lease.

3 Q. And, again, is OXY the sole operator?

4 A. Yes, sir, we are.

5 Q. If I then go to what's been marked as OXY
6 Exhibit Number 2, does this contain the C-102 plats for
7 the six wells that you just discussed?

8 A. Yes, it does.

9 Q. Okay. And I note that the first page indicates
10 that -- it looks like the initial well was put into a
11 wildcat Bone Spring pool. But has this pool since been
12 identified by the district office?

13 A. Yes. It's the, I believe, Cedar Canyon Bone
14 Spring well.

15 Q. So if I look at the second page, I see the pool
16 name and the pool code?

17 A. Correct. Yes, sir.

18 Q. If I go on to the third page here, it looks
19 like for the 3H, which is the lay-down injection well,
20 right --

21 A. Right.

22 Q. -- that you have two pages here. You have the
23 C-102 and then the federal cover C-101?

24 A. Yes.

25 Q. Is it the first page that provides the API

1 number?

2 A. Yes. It was just left off of the 102.

3 Q. Okay. So the documentation in here not only
4 gives the pool involved for the 1st Bone Spring but also
5 the API number?

6 A. Correct.

7 Q. And as I continue on paging through this, the
8 remaining three wells involve -- as you said, that would
9 be the stand-up 2nd Bone Spring injection project?

10 A. Uh-huh.

11 Q. And that involves the Cedar Canyon; Bone Spring
12 Pool?

13 A. Yes, sir, it does.

14 Q. And they have the API numbers?

15 A. Yes, sir.

16 Q. If I go to what's been marked as OXY Exhibit
17 Number 3, do I again find the C-108 for this project?

18 A. Yes, sir.

19 Q. If I go to page 7 -- pages 6 and 7, does it
20 identify the area of notice for these two injection
21 wells?

22 A. Yes, sir, it does.

23 Q. And we have some ellipses on page 7 that form
24 kind of a -- how would you describe that shape? Cross?
25 Odd? Something?

1 A. Yes, cross.

2 Q. And if I -- first off, when we're dealing with
3 the surface owner where the injection wells are located,
4 again, is that the BLM?

5 A. Yes, it is.

6 Q. And if I look at the last page of this Exhibit
7 3, does it contain a list of all the affected parties
8 within the ellipses -- cross and ellipses that we see on
9 page 7?

10 A. Yes, sir, it does.

11 Q. Turning to what's been marked as OXY Exhibit
12 Number 4, is this an affidavit prepared by my office
13 with the attached letters of this hearing to the
14 affected parties?

15 A. Yes, sir, it is.

16 Q. And is OXY Exhibit Number 5 an Affidavit of
17 Publication in the local newspaper comprising of this
18 hearing and this injection application?

19 A. Yes, sir, it is.

20 MR. FELDEWERT: Mr. Hearing Examiner, I
21 would move the admission of OXY Exhibit Numbers 1
22 through 5 in Case 20195.

23 EXAMINER GOETZE: So in Case Number 20195,
24 Exhibits 1 through 5 --

25 MR. FELDEWERT: Yes, sir.

1 EXAMINER GOETZE: -- have been entered.
2 (OXY USA Inc. Exhibit Numbers 1 through 5,
3 Case Number 20195, are offered and admitted
4 into evidence.)

5 MR. FELDEWERT: And that concludes my
6 examination of this witness.

7 EXAMINER GOETZE: Mr. Padilla, no
8 questions?

9 MR. PADILLA: No questions.

10 EXAMINER BROOKS: No questions.

11 EXAMINER GOETZE: I have no questions of
12 this witness either.

13 CROSS-EXAMINATION

14 BY EXAMINER WARNELL:

15 Q. Point of clarification: On -- I believe it was
16 the first case. No. I'm sorry. It was the second,
17 20193, Exhibit Number 1. I don't know if it was
18 mentioned, the pad. Are you going to be drilling the 4H
19 off of the same existing pad where the 5H --

20 A. Are they drilled on the same pad?

21 Q. Yes.

22 A. I believe so, yes, based on the orientation I
23 see.

24 Q. This way --

25 MR. FELDEWERT: Mr. Examiner, these wells

1 exist now. In fact, the 4H is a producing well that
2 they're converting into an injector. I'll get to that
3 later. And I did neglect to point out that the surface
4 location for that injector well is off of the project
5 area in Section 22.

6 REDIRECT EXAMINATION

7 BY MR. FELDEWERT:

8 **Q. So I should ask: With respect to notice, is --**
9 **the surface owner in that west half of the northeast**
10 **quarter of Section 22, is that the BLM?**

11 A. Well, it's actually the southeast quarter of
12 northeast. Yes, it is the BLM.

13 **Q. Okay.**

14 A. They were noticed as well.

15 **Q. Okay.**

16 EXAMINER WARNELL: Thank you.

17 EXAMINER GOETZE: Next witness, please.

18 MR. FELDEWERT: We'll call our next
19 witness.

20 SHUNHUA LIU, Ph.D.,

21 after having been previously sworn under oath, was
22 questioned and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. FELDEWERT:

25 **Q. Would you please state your name, identify by**

1 whom you're employed and in what capacity?

2 A. I'm Shunhua Liu, and I'm the director of
3 unconventional simulation and the process design. I'm
4 working for Occidental Petroleum.

5 Q. And how long have you been with OXY?

6 A. I've been with OXY for 11-and-a-half years.

7 Q. Okay. And how long have you worked as a
8 petroleum reservoir engineer?

9 A. Since the beginning.

10 Q. Okay. And, Dr. Liu, did you previously testify
11 before this Division as an expert in petroleum
12 engineering?

13 A. Yes, twice.

14 Q. Yes.

15 And, in fact, didn't you testify in the
16 case that we saw earlier when we had the order approving
17 the pilot project in Section 16 known as the Cedar
18 Canyon Pressure Maintenance Pilot Project?

19 A. That's correct.

20 Q. And are you familiar with the applications that
21 have been filed by OXY in these consolidated cases?

22 A. Yes.

23 Q. And, more importantly, are you familiar with
24 the proposed injection projects?

25 A. Yes.

1 Q. Is it your team that helped put these projects
2 together?

3 A. Yes.

4 MR. FELDEWERT: I will retender Dr. Liu as
5 an expert witness in petroleum reservoir engineering.

6 EXAMINER GOETZE: Mr. Padilla?

7 MR. PADILLA: No objection.

8 EXAMINER GOETZE: He's so qualified.

9 Welcome back.

10 THE WITNESS: Thanks.

11 Q. (BY MR. FELDEWERT) Dr. Liu, I want to go in the
12 same order. Okay? I want to address Case Number 15616
13 first.

14 A. Uh-huh.

15 Q. And we've made note of the order under Exhibit
16 Number 1. This is the case in which you testified
17 previously back in -- it would have been February of
18 2017.

19 A. Right.

20 Q. And on page 19 -- or the last page, paragraph
21 19, it requested that the company come back and report
22 the results?

23 A. Yes.

24 Q. Are you prepared to do that?

25 A. Yes.

1 Q. Before we get there, let me ask you this. In
2 your opinion, has the company had sufficient time to
3 gauge the results of this approved injection project?

4 A. Yes.

5 Q. And briefly, before we get into a more detailed
6 explanation, what has the company learned?

7 A. So we have learned this pressure maintenance
8 project has yielded additional oil, incremental oil that
9 cannot be recovered by the primary drainage, and we
10 have a case that demonstrates this. So we request --

11 Q. Okay. In your opinion, has the project been
12 successful?

13 A. Yes.

14 Q. And in your opinion, should the authority
15 provided under this order be made permanent?

16 A. Yes.

17 Q. If I then turn to what's marked at OXY Exhibit
18 Number 3, does this contain a series of slides going up
19 to page 8 that you and your team put together to present
20 the results of this pilot project?

21 A. Yes.

22 Q. If I turn to what is marked as page 2 of
23 Exhibit Number 3, we see the reason why you're here,
24 right?

25 A. Yes.

1 Q. Okay. And it notes that the currently approved
2 pilot project involves two injection wells?

3 A. Uh-huh.

4 Q. Into the 2nd Bone Spring?

5 A. Yes.

6 Q. Then if I go to page 3, I think that's where we
7 start an explanation of what you've been doing over the
8 last year and a half or so?

9 A. Yes.

10 Q. All right. Would you please walk us through
11 this project beginning on page 3 of Exhibit 3?

12 A. Okay. So on page 3, as you can see, this is
13 the map showing the location of the Section 16 and then
14 the plot on the right side that shows the two injectors,
15 the 7H -- 16 7H and the 16 12H. And then there are
16 three offset producers, the 8H, 6H and 12H. And as you
17 can see --

18 Q. You mean 2H?

19 A. Yeah, 2H. Sorry.

20 Q. Go ahead.

21 A. Yeah. So as you can see, you know, in the
22 north side, the spacing is a little bit wider. It's
23 about like 160 acre, and in the south side, it's about
24 80 acre.

25 Q. Now, with respect to this project, was there

1 **actually kind of two mini projects within this project?**

2 A. Yes.

3 **Q. Why don't you explain those?**

4 A. Yes. So if you can turn the page to the next
5 page, page 4, so we did -- we did injection in the two
6 wells, but we also did the two different processes for
7 these two wells.

8 So the pilot one, we did a huff and puff.
9 The huff-and-puff process is we injected produced gas
10 from the Cedar Canyon, produced gas into the well, the
11 7H and the 12H. And after a while, we shut in for a
12 period of time and then produced back. Sometimes we
13 call it a flowback.

14 And so the schematic showed the yellow --
15 kind of a yellow area is what we think may contact the
16 rock. It's not exact. This kind of shale [sic] is just
17 to show that we can make contact with rock and then get
18 additional oil -- drain additional oil out. And then
19 after we did the huff and puff -- we did the huff and
20 puff both oil. And after we did that, we continue
21 injection in the 7H and 12H, did some line drive tests,
22 and then we get positive result from all the offset
23 producers.

24 **Q. Now, what type of -- of fluid or injectant did**
25 **you utilize for both your huff-and-puff project and both**

1 **your line drive injection?**

2 A. We used produced gas from Cedar Canyon.

3 **Q. Now, your authority under the order authorized**
4 **not only the use of produced gas but produced water?**

5 A. Yes.

6 **Q. Okay. But thus far, you did not use produced**
7 **water?**

8 A. Because in the first time, you know, when we
9 applied that, we want to do some -- you know, if --
10 because we never done this before. If we got a serious
11 breakthrough problem, we have a typical -- like a WAG
12 process, you know, injecting water, alternating gas.
13 This is commonly used in conventional EUR process. And
14 then since our process is pretty good -- actually, we
15 got a really positive result -- we didn't try the water
16 in this short period of time. But in the future, to
17 optimize the process, we still want the water in that --
18 in the scenario in the Permian.

19 **Q. So you would like to maintain the authority**
20 **allowing you to use produced water, correct?**

21 A. Yes, that's correct.

22 **Q. And that would give you the flexibility to use**
23 **it in the future?**

24 A. Uh-huh.

25 **Q. But is the point here that you have -- and**

1 correct me if I'm wrong. Have you seen success without
2 using produced water?

3 A. Yes.

4 Q. Okay. All right. Then we have two different
5 projects here, the huff and puff and the line drive. Do
6 we want to -- can we now move to talk about the huff and
7 puff first?

8 A. Yes.

9 Q. Let's go to page 5 of Exhibit Number 3.

10 A. So page 5 shows the huff-and-puff result from
11 the two wells. So that's the 7H and the 12H. If you
12 look at the plot, it's a little bit of a busy plot. Let
13 me explain and go through it a little bit.

14 So the solid green line, that's the test
15 data. That the daily test data. And then the hollow
16 circle in red is the produced gas rate. And then the
17 magenta solid circle, that's the injection rate. So as
18 you can see, before the injection, before April 2017,
19 the well is in decline -- constant decline. The dashed
20 green line, that's our PDP reserve. That's our reserve
21 line. So as you can see, it's continued decline and
22 then under, you know, primary drainage.

23 So after we inject the produced gas for
24 several months, as you can see, when we flow this back,
25 the well is flowing with much higher oil and much higher

1 gas. And then I have to point out, it's a logarithmic
2 scale. So as you can see, from the bottom, we realized
3 six times the oil response, six times the pre-injection
4 oil rate. And the other thing I want to point out is
5 before the injection, it was on the lift. It was on
6 pump. And after the flowback, the oil is on flowing.
7 So the rate is on flowing. So that's the positive
8 result we got from 7H.

9 So similar to the 12H, we have injected for
10 a short period of time, and then you still can see, you
11 know, an oil rate increase, gas rate increase.

12 So that concludes our huff-and-puff result.

13 **Q. Now, Dr. Liu, when I was looking at this, we**
14 **noted that, you know, one time frame involves a period**
15 **of time in 2017 and then a period of time for the 12H**
16 **later in 2017.**

17 **A. Yeah.**

18 **Q. Why didn't -- this huff-and-puff graph, why**
19 **didn't it continue?**

20 **A. So there are a couple of reasons. So why is --**
21 **we also test like a continuous injection, you know, on**
22 **the same oil. And the other reason is when we tested**
23 **that, that will become an injector. So you don't have**
24 **test data after that. And the other reason, you know,**
25 **we are a little bit short of the gas source for the**

1 injection, especially since this is a temporary
2 injection water. So typically when we want to have a
3 gas resource, we have to skew a little bit long-term,
4 you know, contract. So that's the main reason.

5 Q. Okay. I want to talk about that in a minute.

6 So when I look at the end of the data here
7 for the huff-and-puff project, is that roughly the time
8 that you would have commenced the line drive injection?

9 A. Yes. Yes, especially for the 12H. Yeah.

10 Q. Okay. And before we turn to the line drive
11 injection --

12 A. Uh-huh.

13 Q. -- in your opinion, what are the conclusions
14 that you get from the huff-and-puff project?

15 A. So from this, we can conclude, you know, huff
16 and puff can yield additional oil from this process, and
17 that's our main conclusion.

18 Q. Okay. Now, the next slide, slide six, deals
19 with the second part of this project, the line drive?

20 A. Yeah.

21 Q. Okay. And if I'm looking at slide six, what
22 well is involved here?

23 A. So slide six, that shows the 8H. If you flip
24 back to slide three, 8H is north of the pilot area.
25 It's north of the pilot area, directly north of that 7H.

1 Q. Okay. So this would be the slide that would
2 reflect injection in the 7H --

3 A. Yes.

4 Q. -- and then the results in the offsetting 8H to
5 the north?

6 A. Yes.

7 Q. Okay. Walk us through this.

8 A. So that's a similar plot. You know, you can
9 see the daily oil test in the green -- solid green, and
10 the red is the gas. So you can see it was in a
11 constant, like, decline, normal decline on the primary.
12 So after we started injecting the 7H, you can see oil
13 start ramping up and so does the gas. And then we get
14 up to a certain point where we stop 7H injection, and
15 then you can see oil go back to the original decline
16 mark and so does the gas. So the wedge in that
17 injection, that will be the incremental oil. That will
18 never be recovered by primary drainage.

19 Q. Okay. Let me ask you a couple of questions
20 about that. So if I go back to slide three, put it in
21 perspective here --

22 A. Yeah.

23 Q. -- this particular graph involves the 7H and
24 8H. So that's an area where you would have roughly
25 160-acre spacing between the wells?

1 A. Yes. Yes.

2 Q. Okay. And you mentioned that you saw the
3 increase in oil production, and you said incremental oil
4 produced.

5 A. Yes.

6 Q. How do you know that it's incremental oil?

7 A. So typically when we do like a primary
8 recovery, we did -- this is normally DCA, decline
9 analysis, right? So if we don't change any artificial
10 lift, we don't have any support or pressure maintenance,
11 it will follow the same decline train [sic]. Of course,
12 it will be up and down a little bit, but it won't -- it
13 won't perform like this. Another evidence is the gas
14 also increased from this significantly. So that's the
15 evidence. This is -- the oil come from the gas
16 injection, not from other things. We have not changed
17 this well, any artificial lift, anything. This well
18 stayed the same.

19 Q. So in your opinion, does this type of injection
20 project result in the recovery of incremental oil that
21 would otherwise not be produced in a primary recovery?

22 A. That's correct.

23 Q. Okay. All right. Now, this involved those two
24 wells. Do you have another slide involving different
25 wells with a line drive?

1 A. Yes.

2 Q. Is that in slide seven?

3 A. Yes. So slide seven shows a similar plot, but
4 that's for the 6H, which is the middle well. That got
5 support from both the 7H and the 12H in the south.

6 Q. All right. Let me stop you right there. Hold
7 on. If I go to slide three --

8 A. Yeah.

9 Q. So this would involve -- this graph involves
10 the 6H well?

11 A. Yeah. It was in the middle, the middle well.

12 Q. That's the producing well. And then the
13 offsetting injector is the 7H?

14 A. Yeah, and the 12H.

15 Q. And the 12H.

16 And the 7H being roughly 160 acres away,
17 and the 12H being 80 acres away?

18 A. Yes.

19 Q. Okay. All right. Then we'll go back to slide
20 seven.

21 A. Uh-huh.

22 Q. We see all your lines again.

23 A. Yeah.

24 Q. What did you see here?

25 A. That would be a similar line. And then when we

1 start the 7H injection, you can see actually oil and gas
2 ramping up, similar impact. So when you stop injection,
3 it start coming back to the original decline. And we
4 did 12H -- actually, this kind of -- we tried to get
5 continuous injection, but sometimes we have a constrain,
6 like a gas resource. So we inject maybe a few weeks.
7 We'd inject maybe at most one month. So you can see.
8 Each time when we turn on the 12H, you see oil response.
9 And then when we stop injection, the oil go back to the
10 original decline. And so does the gas. When we get an
11 oil response, you see the gas production also went up.
12 And then when you stop, the gas go back.

13 Q. And, again, in your opinion, the increased
14 production that we see here, is that incremental oil
15 that would otherwise not be produced with primary
16 recovery?

17 A. That's correct.

18 Q. Okay. If I then go to slide eight --

19 A. Yeah.

20 Q. -- is this the result that you saw from the
21 most southern well?

22 A. Yeah. That's the 2H. That's the southmost
23 well in the project area.

24 Q. All right. And what do you observe with
25 respect to the effect on the most southern well, what

1 **would be just the 12H injection --**

2 A. Yeah. This would just be in response to 12H
3 injection. However, for this well, you know, we did see
4 the response, but there is some well problem with this
5 well, operational problem with this well, so we don't
6 have enough data, you know, like as much data as the 6H.
7 You can see the whole injection response. We just show
8 one of these. But we still, you know, have a positive
9 response showing from this well as well. So all three
10 offsets show --

11 Q. Now, let me ask. You mentioned that you have
12 kind of on-again, off-again injection because of the
13 availability of gas.

14 A. Yes.

15 Q. And you mentioned briefly -- and I just want to
16 have you talk about it a little more -- the availability
17 of gas throughout this roughly year-and-a-half project,
18 was that in part driven -- or in part affected by the
19 temporary nature of this order?

20 A. That's correct.

21 Q. **Explain that to us.**

22 A. So for this -- you know, OXY, usually for the
23 gas contractor, we have a long-time contract commitment
24 to the gas, you know, pipeline company. So if we have
25 actual gas, we can inject, but if we are kind of on or

1 below, we have to, you know, sell those gas to the
2 pipeline company. And then since -- this is a temporary
3 injection permit, so we cannot, you know, guarantee the
4 long-term, kind of, gas resource for that. So we
5 just -- when we have gas, we inject. When we don't, we
6 just stop.

7 Q. Now, you've had success with this injection
8 project?

9 A. Yes.

10 Q. And if the order is made permanent, will that
11 allow you and your team to get a more firm gas
12 commitment for these projects?

13 A. That's correct.

14 Q. Okay. And, in fact, as we'll see following a
15 few more points here in this case, the other case, is
16 that you hope to take this line drive positive responses
17 that you see and apply them to three other areas,
18 correct?

19 A. Yes, that's correct.

20 Q. In fact, are there also additional areas that
21 the company is going to seek approval for in the future
22 by using this type of technology?

23 A. That's correct.

24 Q. Okay. All right. Now, the other thing that we
25 note in the order, Exhibit Number 1, if I go to page 6,

1 paragraph nine, it approved the use of unlined tubing --

2 A. Yeah.

3 Q. -- but it was to be re-evaluated at the end of
4 pilot project period when the operator comes back and
5 presents its summary.

6 A. Yeah.

7 Q. Okay. Has -- the company, during this gas
8 injection, was it using unlined tubing?

9 A. That's correct.

10 Q. Okay. And has the company observed any
11 failures, corrosion, breaches or any other problems with
12 the use of the unlined tubing?

13 A. No failure.

14 Q. And has the company, in the course of getting
15 ready for this hearing and throughout this project,
16 actually closely examined that tubing?

17 A. Yes. Actually, we did that a few months ago.
18 We even scanned the whole tubing, and then we did not
19 find any failure for that.

20 Q. In your opinion, does the continued use of
21 unlined tubing for gas injection provide operational
22 benefits?

23 A. Yes.

24 Q. Okay. And in your opinion, does the continued
25 use of unlined tubing for gas injection pose any threat

1 to groundwater or the environment?

2 A. No.

3 Q. And in your opinion, is it appropriate to
4 continue not only this project but the use of unlined
5 tubing for this gas injection project?

6 A. Yes.

7 Q. Dr. Liu, should the authority under this order
8 be made permanent?

9 A. Yes.

10 Q. And will it allow you to get the gas commitment
11 you need to continue with the success that you saw in
12 this project?

13 A. That's correct.

14 Q. Okay. As part of making this authority
15 permanent, did the company also ask in its application
16 filed here today that the standard language be added to
17 allow additional injection wells to be approved
18 administratively if it deems to be prudent in the
19 future?

20 A. Uh-huh. Yes.

21 Q. Okay. Were the slides comprising OXY Exhibit
22 Number 3 prepared by you or compiled under your
23 direction and supervision?

24 A. Yes.

25 MR. FELDEWERT: Mr. Examiner, I would move

1 the admission into evidence of OXY -- of the slides
2 comprising Exhibit 3.

3 EXAMINER GOETZE: Mr. Padilla?

4 MR. PADILLA: No objection.

5 EXAMINER GOETZE: Exhibit Number 3 in Case
6 15616, re-opened, is so placed into record.

7 (OXY USA Inc. Exhibit Number 3, Case Number
8 15616, is offered and admitted into
9 evidence.)

10 MR. FELDEWERT: Mr. Examiner, as you can
11 tell, I was going to move on to the next three cases,
12 but my thought is maybe if you have some questions about
13 the results of this project, you might want to ask them
14 now.

15 EXAMINER GOETZE: Well, you are very
16 predictive in this situation. Yes. We'd like to move
17 on to the other ones because they're about new projects.
18 Let's talk about this one.

19 Do you have any questions, Mr. Padilla?

20 MR. PADILLA: I don't have any questions.

21 EXAMINER GOETZE: Mr. Brooks?

22 CROSS-EXAMINATION

23 BY EXAMINER BROOKS:

24 Q. Just one, really. I've been interested in
25 asking this for a while, but I've never asked it because

1 **it's so basic. What is a huff-and-puff operation?**

2 A. Okay. So a huff-and-puff operation is for our
3 producer. So you temporary just -- just shut in that
4 producer and inject- -- we inject to something,
5 inject -- actually, this is a miscible gas. In this
6 case it's a produced gas. We inject that for a certain
7 time. And then -- so you can see that the hole pressure
8 will increase. You know, the gas will be miscible. We
9 release the oil -- the hydrocarbon in the ground, and
10 then we shut in that for a short period of time and then
11 produce back. So it's like a huff: Put the -- put the
12 gas in the ground. And to puff it back is to flow back
13 the whole thing.

14 **Q. So for a period of time, you inject and then**
15 **for a period of time --**

16 A. You produce.

17 **Q. And you allow the well to --**

18 A. Yeah.

19 **Q. Now, these wells, when you huff, then they**
20 **produce -- they flow. It's not necessary to apply**
21 **artificial lift?**

22 A. No. No. So it -- it actually -- we -- not
23 only in this case, we have other case in other state
24 where we did that as well. When you flow back
25 initially, typically, you don't need any artificial lift

1 because your bottom-hole pressure is high enough. The
2 gas, we are coming out with hydrocarbons. And then for
3 later time, when the bottom-hole pressure is going down,
4 you may need to turn on the artificial lift, but at that
5 time, you still can realize significant additional oil.

6 **Q. Okay. What do you mean -- what is meant by the**
7 **term "miscible gas"? What is the term you used?**

8 A. So miscible -- miscible is, you know -- at the
9 surface, you can see the oil and the gas. They are
10 separating, the two phases, right? You have a gas
11 phase; you have an oil phase. But when you inject at a
12 higher pressure, then it becomes like the single phase.
13 The gas will go into the hydrocarbon, and then they mix.
14 They will expand. Actually, this will lower all this
15 surface tension, and also the expansion will help this
16 produce back.

17 **Q. So the oil vaporizes, and so oil and gas mix?**

18 A. Yeah. Oil also -- initially, it will be the
19 single phase coming out, but later it will, you know,
20 separate. Yes.

21 **Q. Okay. Does it separate in the reservoir, or**
22 **does it separate when it comes out of the reservoir?**

23 A. So it depends. Initial flowback, it will be
24 separated at the surface, but later it will be, you
25 know, separated close in the wellbore. On the bottom of

1 the wellbore is the high pressure, but then when you go
2 out, it will be -- separate somehow.

3 Q. Thank you.

4 EXAMINER GOETZE: Mr. Warnell?

5 CROSS-EXAMINATION

6 BY EXAMINER WARNELL:

7 Q. One question on your unlined tubing.

8 A. Yeah.

9 Q. How exactly did you test the integrity of that
10 to see if there was a corrosion problem?

11 A. So we -- actually for that -- for that -- for
12 that part, it was -- you know, we tried to retrieve the
13 downhole pressure gauge. So when we have that downhole
14 pressure gauge retrieved out, we pull up the tubing and
15 do the scan. So that's not -- this is just specially
16 for this project, not -- you know, normally we wouldn't
17 do that. We just want to make sure, because we didn't
18 see the pressure change in the annulars [sic]. So we
19 feel it's okay, no failure, but we still put -- just
20 scan it to make sure.

21 Q. So you're scanning it on the surface?

22 A. I -- I think part of that should be. I'm not a
23 production engineer, but he -- he gave me the scan
24 report. So I think part of that should be, but I'm not
25 sure. Sorry.

1 EXAMINER WARNELL: Do you have a copy of
2 the scan report?

3 EXAMINER GOETZE: No. I do not see a copy
4 of the scan report.

5 THE WITNESS: So we can -- I think we can
6 provide that.

7 EXAMINER GOETZE: Yes. Can we request that
8 and some sort of analysis or discussion with it, so we
9 have a --

10 MR. FELDEWERT: I'm sorry?

11 EXAMINER GOETZE: The scan analysis for the
12 tubing, could you provide that in an email, along with
13 the observations by someone who reviewed it --

14 MR. FELDEWERT: Certainly.

15 EXAMINER GOETZE: -- so we can have it as
16 part of the record?

17 MR. FELDEWERT: I'll check with the client.
18 It shouldn't a problem.

19 EXAMINER GOETZE: Very good.

20 Any more?

21 A question for the attorney. Your other
22 two witnesses are going to testify as to?

23 MR. FELDEWERT: We have geology, and then
24 Mr. Foppiano is going to talk about the area of review
25 and how it was done of the C-108.

1 EXAMINER GOETZE: Okay. Well, then we
2 won't give him any wrong questions.

3 CROSS-EXAMINATION

4 BY EXAMINER GOETZE:

5 Q. My understanding is we want to make this
6 somewhat of a permanent project.

7 A. Yeah.

8 Q. At what point do we know we're no longer doing
9 pressure maintenance but have actually gone into what we
10 know as a waterflood condition, that we're actually
11 driving the entire system by the operation of the
12 injection?

13 A. I cannot give the exact time frame because --

14 Q. Well, no. I'm just saying is there a mile
15 marker, a response that at one point you would probably
16 come back and ask for a water flood as a standing as
17 opposed to -- my concern here is after seeing these
18 various applications, I have these little blocks of
19 Cedar Canyon, and we start making them permanent. Why
20 not, if you want to do a project that's large, get it
21 done, move down the road, and so -- like we have with
22 the Hobbs, North Hobbs and South Hobbs, instead of just
23 smaller? But it's something for you folks to consider.
24 At what point does this move away from the pressure
25 maintenance in these little boxes and it becomes a

1 larger type of activity? And the only reason we're
2 asking -- I'm asking this is because this is a whole new
3 frontier for us. We're doing this with horizontals, and
4 you folks are probably the first to take it this far.

5 There was a request, I believe, to be able
6 to use CO2?

7 A. Uh-huh.

8 Q. Okay. We had a -- we had a pressure analysis.
9 You ran a diagnostic fracture injection test, a DFIT,
10 for the produced gas. We also ask that you run it for
11 the CO2 so that we have a pressure that's representative
12 of the .2 gradient and that we can include that in the
13 order so that we have people in the field who know what
14 you have.

15 MR. FELDEWERT: I think what you'll find is
16 they did a -- and Dr. Liu's going to get into this on
17 these other cases. They did a -- what's that model?
18 PROPSE --

19 THE WITNESS: Yeah, Petroleum Experts
20 PROSPER.

21 Q. (BY EXAMINER GOETZE) So we're willing to be
22 able to carry it from the other Cedar Canyon project
23 over. Let's make a note of that, along with the
24 information on the tubing, what you are going to
25 recommend for CO2 as pressure to put in the order.

1 And to that end, the .2, did that represent
2 a problem? Did you have any issues with what was in the
3 order as far as pressure?

4 A. No. No. We -- actually, in the previous one,
5 we used the same calculation that we did for these
6 three. And we just used the .2-psi-per-foot gradient
7 that's water, and then we back-calculated for the CO2
8 and produced gas.

9 Q. And this range was no difficulty? It did not
10 limit your project as far as --

11 A. It seems like it's okay.

12 Q. Okay. With regards to injection, was there any
13 indication there was effect to the east or west?

14 A. We operate east and west, and we have not
15 observed.

16 Q. Okay. Let's see. Is there anything I put in
17 the order we didn't get?

18 MR. FELDEWERT: Just probably the approval
19 to add additional injection wells administratively in
20 this project area.

21 EXAMINER GOETZE: Okay. And the last time
22 you applied for that, you cited the wrong rule, so --

23 MR. FELDEWERT: Who did?

24 EXAMINER GOETZE: You did. You put down
25 F3. It's about allowables. Are you worried about

1 allowables?

2 MR. FELDEWERT: No.

3 EXAMINER GOETZE: No. You want the option
4 to go ahead and do it through a PMX expansion or a
5 C-108.

6 MR. FELDEWERT: Yes. Yes. And just to
7 defend myself, I think maybe what I did was ask to
8 eliminate the allowables because they were still in
9 place for these types of projects.

10 EXAMINER GOETZE: Yeah. We don't normally
11 worry about these because we can't figure out what the
12 allowables are. Okay?

13 MR. FELDEWERT: Okay.

14 EXAMINER GOETZE: So yes, the
15 administrative aspect of it, but you will still have to
16 go through the C-108 process.

17 MR. FELDEWERT: Correct.

18 EXAMINER GOETZE: No further questions?

19 Thank you. Thank you for coming back.

20 MR. FELDEWERT: We'll go on to our next
21 case?

22 EXAMINER GOETZE: Yes, the next show.

23 Q. (BY MR. FELDEWERT) Dr. Liu, if you could turn
24 to --

25 MR. FELDEWERT: Unless you want to take a

1 break.

2 EXAMINER GOETZE: Let's go ahead and take a
3 break for 15 minutes and come on back.

4 (Recess, 10:21 a.m. to 10:41 a.m.)

5 EXAMINER GOETZE: All right. Ladies and
6 gentlemen, let's go back on the record, please.

7 Q. (BY MR. FELDEWERT) Dr. Liu, I'd like to go now
8 to the exhibits for Case 20193, which involves the Cedar
9 Canyon 23 Federal 4H well.

10 MR. FELDEWERT: Yes, sir.

11 Q. (BY MR. FELDEWERT) If I turn to --

12 EXAMINER BROOKS: I don't think I got
13 a copy of that.

14 EXAMINER GOETZE: We don't give you copies
15 of these things.

16 (Laughter.)

17 EXAMINER BROOKS: Okay. If that's the
18 rule, that's the rule. These are from the --

19 EXAMINER GOETZE: No. We're still going
20 down the road. Look at the bottom.

21 EXAMINER BROOKS: 20193?

22 EXAMINER GOETZE: Yeah.

23 EXAMINER BROOKS: Okay. Thank you.

24 EXAMINER GOETZE: You're welcome.

25 Q. (BY MR. FELDEWERT) So if I go to what's been

1 marked as Exhibit Number 6, is this --

2 So let me ask you this before we get into
3 these other three cases, Dr. Liu. Is this project that
4 we're seeing here in this case and in the other two
5 cases, is it basically the same as the one we just went
6 through?

7 A. Yes.

8 Q. Except you're not going to do a huff and puff,
9 you're going to do a line drive?

10 A. Yes, mainly. But we still want to keep the
11 huff-and-puff options open because typically for a lot
12 of cases, huff and puff might be easier to do, you know,
13 to implement. And then the other thing is, you know, we
14 really don't have long-term gas. If you have, you know,
15 a good gas market or something, you want to use that
16 kind of a huff-and-puff scenario. So it depends.

17 Q. And, again, on that point, is one of the
18 purposes here of you getting these three -- that one
19 case approved permanently and then these additional
20 three cases approved so that you can get the gas
21 commitment that you need?

22 A. Yes.

23 Q. Okay. Now, with respect to all three wells
24 that we see on Exhibit Number 6, they're all existing
25 wells, correct?

1 A. That's correct.

2 Q. Okay. And you're converting that middle one
3 into a producer?

4 A. Yes, injection.

5 Q. Using this exhibit, what do you expect to
6 happen here with this particular project?

7 A. So we would expect a similar result from that
8 Cedar Canyon 16, but if we get a long-term contract, you
9 know, commitment -- gas commitment, we'll probably
10 see an even better result than what we have seen in the
11 pilot area.

12 Q. In addition to the benefits from a production
13 standpoint that you have laid out here and talked about,
14 is there another benefit here with respect to the use of
15 this produced gas?

16 A. Yes. As you can see in the fourth bullet
17 point, you know, currently there is a lot of highly
18 constrained gas market, so sometimes people have to
19 flare. So this will provide a benefit, you know, to
20 mitigate that problem. You can inject the gas into the
21 reservoir, save the hydrocarbon and get additional
22 hydrocarbon.

23 Q. What is the -- now, for this project, what is
24 the source of the produced gas?

25 A. It's from the Cedar Canyon central delivery

1 point.

2 Q. It's the same source --

3 A. Same source.

4 Q. -- as the Section 16 project that we just
5 reviewed?

6 A. Yes. Yes.

7 Q. And is that gas dehydrated?

8 A. Yes.

9 Q. What's going to be the source of the produced
10 water if you move to produced water?

11 A. That will be the Cedar Canyon Water Treatment
12 Facility.

13 Q. And is that water treatment facility that's the
14 source, is it the same source that was approved for the
15 Cedar Canyon 16?

16 A. That's correct.

17 Q. Okay. So same sources for gas, same sources
18 for water?

19 A. That's correct.

20 Q. Does the -- have you examined the compatibility
21 studies in the C-108?

22 A. Yes. OXY experts perform a lab and model study
23 for this compatibility. We didn't see a compatibility
24 problem.

25 Q. Are there any issues?

1 A. No issues.

2 Q. Does the application also request authority to
3 utilize CO2 if it becomes available, right?

4 A. Yes.

5 Q. Does CO2 create any issues in this injection
6 project and any compatibility issues or anything similar
7 to that effect?

8 A. No.

9 Q. Okay. Will this be a closed system?

10 A. Yes.

11 Q. Now, when I look at this project here -- and
12 there was a question about this -- you expect the
13 benefit to go -- move roughly north and south from the
14 injection well?

15 A. Yeah. Yes.

16 Q. Why will it not move east-west?

17 A. So as we testified in the first case, mostly we
18 know that in the area -- that's why we laid the
19 horizontal well, the hydraulic fracture orientation,
20 make sure, you know, it moved north to south. The other
21 biggest part is we have two biggest pressure sinks, you
22 know, from these two producers, and then they tend to --
23 you know, the gas tends to move or push to that
24 direction. And the other evidence we have from the
25 Section 16 pilot is we see the response from

1 north-south, but we operate east to west. We didn't see
2 the response.

3 Q. And for this particular project here, does OXY
4 likewise operate producing wells east and west of this
5 area?

6 A. Yes.

7 Q. So if there was some kind of an effect east to
8 west, you would see it?

9 A. Yes.

10 Q. Okay. Do you expect -- in your opinion then,
11 do you expect to receive the same positive results from
12 this project as you saw in the Cedar Canyon Section 16
13 Pressure Maintenance Project?

14 A. Yes.

15 Q. And in your opinion, will the approval of this
16 injection project result in the recovery of oil under
17 the project area that will otherwise not be recovered by
18 primary means?

19 A. Yes.

20 Q. Now, I want to move then to what's been marked
21 as OXY Exhibit Number 7 in this case, and does this
22 reflect how you arrive at the requested surface pressure
23 limits?

24 A. Yes.

25 Q. What did you do with respect to water?

1 A. So for water, we based it on the NMOCD manual,
2 Section 3A(2). You know, we utilized a .2 psi per foot
3 for water, and then just basically we calculate the
4 pressure based on the TVD of the well and then multiply
5 by the .2 psi per foot for water.

6 Q. And the project we see here, is this a similar
7 reservoir setting as we see for the Cedar Canyon Section
8 16 Pressure Maintenance Project?

9 A. Yes.

10 Q. Okay. And did you observe any issues with
11 respect to -- or let me step back.

12 Did you use this same approach in arriving
13 at the surface injection pressure for water in the
14 Section 16 project area?

15 A. That's correct.

16 Q. And did you observe any issues?

17 A. No.

18 Q. Okay. So in your opinion, is this model that
19 was used -- or this calculation that was used to arrive
20 at the surface and pressure for water, is it a -- is it
21 an appropriate method to use for this project?

22 A. Yes.

23 Q. Okay. How did you then arrive at the proposed
24 surface injection pressures for produced gas and CO2?

25 A. So basically we use this .2 psi per foot for

1 water, and then we calculate the bottom-hole pressure of
2 this well, you know, at this max injection pressure
3 limit. And then we used an industry standard PROSPER
4 model -- Petroleum Experts PROSPER model to back
5 calculate the surface pressure for gas -- for produced
6 gas and for CO2. And we take into account the gas
7 composition, the friction loss, and then that's how we
8 arrived -- derived the maximum tubing head pressure.

9 Q. Okay. Now, was this the similar process that
10 was utilized to arrive at the surface injection pressure
11 for produced gas in the Cedar Canyon Section 16 project?

12 A. Yes.

13 Q. And have you observed any concerns or issues
14 with respect to that surface injection pressure?

15 A. No.

16 Q. And in your opinion, is this the appropriate
17 methodology to use to arrive at the surface injection
18 pressures for produced gas and CO2 for this project?

19 A. Yes.

20 Q. Okay. Is there any -- there was a discussion
21 about DFIT, D-F-I-T.

22 A. Uh-huh. Yes. Uh-huh.

23 Q. Should that come into play here for produced
24 gas and CO2?

25 A. No. We didn't use that for the calculation --

1 for this calculation. We just --

2 Q. Okay. And why is that?

3 A. So we think, you know, this -- DFIT is when
4 actually the rock failed. So we used a little bit of a
5 conservative approach for this. We used the lowest --
6 like a .2 psi per foot for the water to calculate that.
7 So it's a more conservative approach.

8 Q. Okay. Is there another reason why this is a
9 more -- what you did here and the numbers that you
10 arrived at here, is there another reason why this is a
11 more conservative number than perhaps would be warranted
12 if you used a straight PROSPER model with a .2?

13 A. So actually in this, we put a little bit more
14 conservative on this side because this is actually -- we
15 have three other -- two other areas. So we utilized all
16 the TVD, the true vertical depths, of all the wells, and
17 we choose the shallowest one to back-calculate the
18 pressure we request.

19 Q. All right. So let me step back. So the number
20 we arrive at here, the 4,350 and the 2,300 --

21 A. Yeah.

22 Q. -- that's not necessarily -- that's not based
23 on the actual depth of these wells?

24 A. Uh-huh. Maybe, but it's the shallowest we use.

25 Q. Okay. So you looked at a number of proposed

1 injection wells for this area?

2 A. Yes.

3 Q. And you determined the shallowest TVD for the
4 2nd Bone Spring?

5 A. Yes.

6 Q. And you calculated all of your proposed
7 injection -- based on that shallowest total vertical
8 depth?

9 A. Yeah.

10 Q. Not the actual deeper depth of the well?

11 A. That's correct.

12 Q. Okay. So are we going to see this same number,
13 4,350 for produced gas and 2,300 for CO2, in the other
14 projects as well?

15 A. That's correct.

16 Q. Because they're all deeper?

17 A. Deeper or equal.

18 Q. Or equal.

19 A. Yeah.

20 Q. And with respect to Mr. Goetze's question about
21 the approval of the Cedar Canyon Section 16 Pressure
22 Maintenance Project, is this value here for CO2, 2,300
23 psi, is it equally applicable to the depth that is
24 involved for that pressure maintenance project?

25 A. Yes.

1 Q. Okay. So this -- why did you decide to use
2 just one conservative number for produced gas and one
3 conservative number for CO2?

4 A. So there are a couple of reasons. One is, of
5 course, we don't want to make -- we want to make sure
6 our reservoir, you know, don't be -- won't be hurt
7 [sic], so we want to use the most conservative number.
8 The other thing is for this process design for the
9 operation, we want the same number for all the people.
10 We don't want, you know -- because this would be --
11 eventually would be one system. So we want to make sure
12 all this design operation into one kind of guidance
13 instead of each well you specify different numbers.

14 Q. So in other words, rather than having maybe
15 4,380 psi for produced gas in another area and 4,375 in
16 another, you instruct your operational people that 4,350
17 is what applies to all of them?

18 A. Yes.

19 Q. Because you used the shallowest --

20 A. Yeah, the shallowest.

21 Q. -- example?

22 A. Yes.

23 Q. Does OXY request authority to increase these
24 pressures administratively if it proves to be necessary
25 in the future?

1 A. That's correct.

2 Q. Okay. But in your opinion, does OXY believe
3 that it can operate its proposed injection project using
4 these conservative surface injection pressures?

5 A. Yes.

6 Q. And in your opinion, will these conservative
7 injection pressures pose a threat to the integrity of
8 the targeted reservoir?

9 A. No.

10 Q. In your opinion, will OXY's proposed injection
11 pressures impair the correlative rights of mineral
12 owners in adjacent sections?

13 A. No.

14 Q. Were OXY Exhibits 6 and 7 prepared by you or
15 compiled under the direction and supervision of your
16 team?

17 A. Yes.

18 MR. FELDEWERT: Mr. Examiner, I would move
19 the admission into evidence of OXY Exhibits 6 and 7 in
20 this case.

21 MR. PADILLA: No objection.

22 EXAMINER GOETZE: Exhibits 6 and 7 for Case
23 20193 are so entered.

24 (OXY USA Inc. Exhibit Numbers 6 and 7, Case
25 Number 20193, are offered and admitted into

1 evidence.)

2 Q. (BY MR. FELDEWERT) Okay. Dr. Liu, I'd like to
3 move now to the exhibits --

4 EXAMINER GOETZE: Do we want to cross?

5 MR. PADILLA: I don't have any
6 cross-examination.

7 EXAMINER GOETZE: Okay. Okay. Then let's
8 move on to the next one.

9 Q. (BY MR. FELDEWERT) If I move to the exhibits
10 for Case 20194, which is the Cedar Canyon 27 Federal 6H
11 and the Cedar Canyon 28 Federal 6H, we have similar
12 exhibits --

13 A. Yes.

14 Q. -- for this case; is that correct?

15 A. Uh-huh.

16 Q. So if I turn to what's been marked as OXY
17 Exhibit Number 6, we again have the overview slide?

18 A. Uh-huh.

19 Q. Is that correct?

20 A. Yes.

21 Q. And just to keep us all straight, is this
22 basically the same type of injection project as you just
23 discussed in Case 20193 and that you discussed with
24 respect to the Cedar Canyon Section 16 Pressure
25 Maintenance Project?

1 A. That's correct.

2 **Q. We just have different wells involved?**

3 A. Yes. It's different wells. The only
4 difference you can see from that plot -- you know, the
5 north offset is one two-mile-long horizontal well.

6 **Q. And we have -- we have two injection wells**
7 **here --**

8 A. Yeah.

9 **Q. -- from the same pad going different**
10 **directions?**

11 A. Going different directions.

12 **Q. And offset to the south by --**

13 A. Yeah, by two other producers. The concept is
14 the same.

15 **Q. All right. Same interval? 2nd Bone Spring**
16 **interval?**

17 A. Yes.

18 **Q. Same source for the produced gas and the**
19 **produced water?**

20 A. Yes.

21 **Q. And, again, the compatibility studies and the**
22 **C-108 and the analysis shows no issues utilizing that**
23 **produced source for produced gas or produced water?**

24 A. That's correct.

25 **Q. Do you also here seek authority to use CO2 if**

1 it becomes available?

2 A. Yes.

3 Q. And do you likewise see any issues in using CO2
4 to inject?

5 A. No, no issue.

6 Q. In fact, if CO2 becomes available, is that a
7 better injection fluid, I guess, for lack of a better
8 word?

9 A. Yes. Typically, CO2 can recover more.

10 Q. Okay. Will this again be a closed system?

11 A. Yes.

12 Q. And do you again expect the benefit to move
13 north and south?

14 A. Yes.

15 Q. And not east and west?

16 A. That's correct, not east and west.

17 Q. For the same reasons you --

18 A. For the same reasons, yes.

19 Q. Okay. Let me finish.

20 For the same reasons you previously
21 discussed?

22 A. Yes.

23 Q. Okay. Got it.

24 Is OXY the operator of offsetting wells to
25 the east and west?

1 A. Yes.

2 Q. So if there was any movement, you would know?

3 A. Yes.

4 Q. And do you expect to see the same successful
5 results here that you saw from the Cedar Canyon Section
6 16 Pressure Maintenance Project?

7 A. Yes.

8 Q. And in your opinion, will the approval of this
9 project result in the recovery of oil under the project
10 area that would otherwise not be recovered under primary
11 means?

12 A. Yes.

13 Q. If I then go to what's been marked as OXY
14 Exhibit Number 7, does this again describe the same
15 methodology that was utilized to arrive at the surface
16 injection pressures for water, produced gas and CO2?

17 A. Yes.

18 Q. Now, the number, as we pointed out earlier, for
19 produced gas and CO2 is the same, right?

20 A. Yes.

21 Q. For the reasons you previously discussed?

22 A. That's correct.

23 Q. I see the number for water has changed a little
24 bit?

25 A. Yeah. The water -- if you look at that, we

1 request the same water pressure. And this same water
2 pressure, 1,720, that's calculated by the shallowest
3 one. We have 27 6H, 28 6H. 28 6H is about 100 feet
4 shallower, so we used that as our maximum injection
5 pressure for water.

6 Q. So that 1,720 would apply to both wells?

7 A. Yes.

8 Q. Okay. Got it.

9 In your opinion, are these conservative
10 surface injection pressures?

11 A. Yes.

12 Q. And if the need arises to increase those
13 injection pressures, does the company seek authority to
14 receive those through an administrative process?

15 A. Yes.

16 Q. And, again, does OXY believe it can operate its
17 injection project at these proposed conservative
18 pressures?

19 A. Yes.

20 Q. And in your opinion, do these pressures pose
21 any threat to the integrity of the reservoir?

22 A. No.

23 Q. And will these proposed surface injection
24 pressure limits impact the correlative rights of mineral
25 owners in adjacent sections?

1 A. No.

2 Q. Were OXY Exhibits 6 and 7 in this case prepared
3 by you or compiled under your direction and supervision?

4 A. Yes.

5 MR. FELDEWERT: Mr. Examiner, I would move
6 the admission of OXY Exhibits 6 and 7 in this case.

7 EXAMINER GOETZE: And that would be Case
8 20194?

9 MR. FELDEWERT: Yes, sir.

10 EXAMINER GOETZE: Okay. Exhibits 6 and 7
11 for Case 20194 are so admitted.

12 (OXY USA Inc. Exhibit Numbers 6 and 7, Case
13 Number 20194, are offered and admitted into
14 evidence.)

15 Q. (BY MR. FELDEWERT) Now, if we move, Dr. Liu, to
16 the exhibits in Case 20195. First off, let's get
17 oriented in this case. Let's go to Exhibit 1 just to
18 refresh us. And you and I have seen this, but the
19 examiners have not.

20 A. Yeah.

21 Q. So under this case, we actually have two
22 injection intervals, the 1st Bone Spring --

23 A. Yes.

24 Q. -- and the 2nd Bone Spring.

25 A. That's correct.

1 Q. Each offset by producing wells?

2 A. Yes.

3 Q. And just to remind me, which one is the 1st
4 Bone Spring and which one is the 2nd Bone Spring?

5 A. So the 34 3H is the 1st Bone Spring, and that's
6 east-to-west oriented.

7 Q. So that's a lay-down well?

8 A. Yes. That's a lay-down on the left side.

9 And then 8H is the 2nd Bone Spring well.

10 Q. Okay. All right. And the project area is all
11 of Section 34?

12 A. Yes.

13 Q. Okay. Now if you go to what's been marked as
14 OXY Exhibit Number 6, is this a summary slide of what
15 you expect to receive -- or how to operate this project
16 for this case?

17 A. Yes.

18 Q. And do you -- even though it involves different
19 intervals, do you intend to operate this project in the
20 same fashion as we saw in cases -- in the three prior
21 cases?

22 A. Yes.

23 Q. Is it going to be the same source for produced
24 gas and produced water?

25 A. Yes.

1 Q. And, again, do the compatibility studies and
2 the analysis of the gas for both the 1st Bone Spring
3 interval and the 2nd Bone Spring interval show any
4 issues?

5 A. No issues.

6 Q. And do you likewise in this case seek authority
7 to utilize CO2 if it becomes available?

8 A. Yes.

9 Q. Will this be a closed system?

10 A. Yes.

11 Q. Do you expect the fluid for the lay-down well,
12 the 3H, the impacts, to move north and south?

13 A. For the --

14 Q. 3H in the 1st Bone Spring.

15 A. Oh. For the 1st Bone Spring? No.

16 Q. Do you expect -- let's see. That's the
17 lay-down well?

18 Let me ask you this: So looking at the 3H,
19 which involves the 1st Bone Spring interval --

20 A. Oh, the 1st Bone Spring.

21 Q. -- the lay-down interval --

22 A. Yeah, yeah, yeah.

23 Q. -- where do you expect the benefit to occur?

24 A. So that's still, you know, support to the
25 north-south, the offset, like we were presenting in the

1 previous case. The north-south offset will be the
2 benefit, and then the east-west won't be affected.

3 Q. Now, you have a stand-up --

4 A. Uh-huh.

5 Q. -- well, the 8H now, in the 2nd Bone Spring
6 interval?

7 A. Yeah.

8 Q. Okay. Why do you expect the benefit from that
9 to move east to west rather than north to south?

10 A. So for this, it's still the single reason for
11 that, because the pressure sink generated by the two
12 offsets, that will be the pressure sink for -- for the
13 gas and also the hydraulic fracture orientation in this
14 area. Why we lay this horizontal well in this way is
15 because we see, you know, in this area -- this is what
16 we call the Cypress section. It is a little bit
17 different with the other sections, so we lay the well
18 differently to maximize the recovery.

19 Q. So you drilled these wells as stand-up and
20 lay-down in this area?

21 A. Yeah, that's right.

22 Q. Okay. Is the biggest factor here, though, the
23 pressure sink or the fracture orientation in terms of
24 impact?

25 A. So for this, it should be both, you know. I

1 don't see which one -- I would think both have almost a
2 significant impact.

3 Q. Okay. Does OXY operate wells in the
4 surrounding area?

5 A. Yes.

6 Q. So if there is a different benefit in the 1st
7 Bone Spring than what you expect, you would know?

8 A. Yes.

9 Q. Same thing for the 2nd Bone Spring?

10 A. Yes, same thing.

11 Q. Do you expect to see the same successful
12 results from this project as you've seen in the Cedar
13 Canyon Section 16 project for the 2nd Bone Spring?

14 A. Yes.

15 Q. Is this your first time to do this in the 1st
16 Bone Spring?

17 A. That's correct.

18 Q. Okay. In your opinion, having analyzed the
19 results from the prior projects, even though you're
20 moving to a different interval, do you expect to see the
21 same results?

22 A. Yeah. We expect to see the same positive
23 result. The main reason is, you know, we analyzed the
24 oil properties, the rock properties. The oil properties
25 are similar to the 2nd Bone Spring, you know, still

1 light oil. The API is similar, and then the composition
2 is similar. And also the rock is also the Bone Spring
3 Sand. Permeability-wise, it's similar. The difference
4 we see is actually the saturation. There is some
5 difference, so -- but usually saturation -- we'll get
6 the kind of magnitude that will benefit, but you will
7 definitely still see the benefit, but -- the benefit of
8 the incremental oil. But how much? This is the first
9 time we do, so we cannot guarantee how much, but we
10 think we will get benefit.

11 Q. So in your opinion, based on the information
12 you have now, would you expect both the injection
13 project in the 1st Bone Spring and the injection project
14 in the 2nd Bone Spring to produce oil that would
15 otherwise not be recovered under primary needs?

16 A. Yes.

17 Q. If I then turn to what's been marked as OXY
18 Exhibit Number 7, does this identify how you arrived at
19 the pressure calculations?

20 A. Yes.

21 Q. In fact, this Exhibit 7 has two pages?

22 A. Two pages.

23 Q. We have one for the 8H, which is in the 2nd
24 Bone Spring, right?

25 A. Uh-huh. Yeah.

1 Q. And then the second page of this exhibit is for
2 the 3H --

3 A. 3H.

4 Q. -- which is in the 1st Bone Spring?

5 A. Yes.

6 Q. The methodology was the same for both
7 intervals?

8 A. That's correct.

9 Q. And we see a difference in the -- we see the
10 same produced gas and CO2 pressure limits for the 8H as
11 we saw for the other 2nd Bone Spring intervals?

12 A. That's correct.

13 Q. We see a different number for the 3H involving
14 the 1st Bone Spring interval?

15 A. That's right.

16 Q. And how did you arrive at those produced gas
17 and CO2 numbers?

18 A. Yeah. Because the 1st Bone Spring in this --
19 all this well landing place, it's much shallower than
20 the 2nd Bone Spring. So as you can see from all these
21 previous exhibits, you can see all the 2nd Bone Spring.
22 All the TVD is about 8,600 feet, you know, or more. And
23 then for this 1st Bone Spring, the vertical depths is
24 7,900. So there are several hundred feet difference, so
25 we have to address that. So for this 1st Bone Spring,

1 we lowered our injection pressure limit for that.

2 Q. In your opinion, are these conservative
3 injection pressures?

4 A. Yes.

5 Q. Okay. And are these pressures that OXY
6 believes it can use to successfully operate this
7 injection project?

8 A. Yes.

9 Q. In the event that an additional injection
10 pressure limit authority is needed, do you request that
11 it be approved administratively?

12 A. Yes.

13 Q. In your opinion, will these proposed pressure
14 limits pose any threat to the reservoir?

15 A. No.

16 Q. And in your opinion, will these proposed limits
17 pose any threat to the correlative rights of mineral
18 owners in adjacent sections?

19 A. No.

20 Q. Dr. Liu, were OXY Exhibits 6 and 7 prepared by
21 you or compiled under the direction and supervision of
22 your team?

23 A. Yes.

24 MR. FELDEWERT: Mr. Examiner, I would move
25 the admission into evidence of OXY Exhibits 6 and 7 in

1 Case 20195.

2 EXAMINER GOETZE: Exhibits 6 and 7 for Case
3 20195 are so entered.

4 (OXY USA Inc. Exhibit Numbers 6 and 7,
5 Case Number 20195, are offered and admitted
6 into evidence.)

7 MR. FELDEWERT: Thank you. That concludes
8 my examination of this witness.

9 EXAMINER GOETZE: Again, Mr. Padilla, any
10 questions?

11 MR. PADILLA: No questions.

12 EXAMINER GOETZE: Mr. Brooks?

13 CROSS-EXAMINATION

14 BY EXAMINER BROOKS:

15 Q. Well, one of my very elementary questions. And
16 you may have explained this, but so I will know
17 something about it, why are the injections pressures for
18 CO2 so much lower than the injection pressures for
19 produced gas?

20 A. Okay. So CO2, you know, dense phase,
21 hydrostatic gradient, the density of CO2 is much higher
22 than the produced gas. So when you have --
23 back-calculate the surface pressure, you don't need that
24 high -- you don't get that high surface pressure for
25 CO2. Think about that, that you have -- let's say you

1 have 1,000 psi on the downhole and then you have a
2 corner of the fluid, either CO2 or produced gas. Your
3 CO2 is denser. Your surface pressure would be lower,
4 right?

5 Q. Right.

6 A. If it's just the gas, then the surface pressure
7 would be higher. So basically --

8 Q. You're getting to the same downhole pressure?

9 A. Same downhole pressure, and then surface
10 pressure would be different.

11 Q. Okay. I'm not as stupid as I thought. I
12 thought it probably had something to do with the density
13 of the gas.

14 A. Yes. It's the density of the gas.

15 Q. Okay. Thank you.

16 EXAMINER GOETZE: Mr. Warnell, cross?

17 CROSS-EXAMINATION

18 BY EXAMINER WARNELL:

19 Q. Yeah. Dr. Liu, I notice that on Case 15616,
20 your produced gas pressure is 4,250 --

21 A. Uh-huh.

22 Q. -- and on the other three cases, 193, 194 and
23 195, it's 4,350.

24 A. Uh-huh. Oh, okay. I see what you're saying.

25 Yes.

1 **Q. Would you like to see that 15616 at 4,350?**

2 A. I think 4,350 -- because currently -- actually,
3 we operate -- 4,250 is good enough for that. We won't
4 ask to amend that right now. The depths of the 16 and
5 these are slightly different. Yeah.

6 **Q. slightly different. Okay.**

7 EXAMINER GOETZE: That's it?

8 EXAMINER WARNELL: That's it.

9 CROSS-EXAMINATION

10 BY EXAMINER GOETZE:

11 **Q. Okay. I have one question for you.**

12 A. Yeah.

13 **Q. In any of these three projects, are we looking**
14 **at some sort of pre-stimulation or some pre-injection**
15 **stimulation of the wells or anything like that? No**
16 **treatment?**

17 A. No. No.

18 **Q. Anything along that line?**

19 A. No. When we did Section 16, we didn't do any.

20 **Q. I didn't know if you had any change in thoughts**
21 **after Cedar 16.**

22 EXAMINER GOETZE: We have no more questions
23 for this witness, and thank you for coming.

24 THE WITNESS: Thank you.

25 MR. FELDEWERT: We'll call our next

1 witness.

2 EXAMINER GOETZE: Yes, please.

3 TONY TROUTMAN,

4 after having been previously sworn under oath, was
5 questioned and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. FELDEWERT:

8 Q. Would you please state your full name for the
9 record and identify by whom you're employed and in what
10 capacity?

11 A. Tony Troutman. I'm employed by Occidental
12 Petroleum as a geologist.

13 Q. And how long have you been working as a
14 petroleum geologist?

15 A. 20 years.

16 Q. How long have you been with OXY?

17 A. Four years.

18 Q. Have your responsibilities in those four years
19 included the Permian Basin?

20 A. Yes.

21 Q. Now, you have, Mr. Troutman, previously
22 testified before this Division as an expert in petroleum
23 geology?

24 A. I have.

25 Q. Have you conducted a geologic study of the

1 subject areas in the proposed injection zones that are
2 at issue under Cases 20193, 20194 and 20195?

3 A. Yes, I have.

4 Q. And, in fact, are you the person that certified
5 the geologic statement in the C-108 applications?

6 A. Yes, I am.

7 MR. FELDEWERT: I would retender
8 Mr. Troutman as an expert witness in petroleum geology.

9 EXAMINER GOETZE: Mr. Padilla?

10 MR. PADILLA: No objection.

11 EXAMINER GOETZE: He is so qualified.

12 Q. (BY MR. FELDEWERT) Mr. Troutman, if you would
13 be so kind as to turn to the exhibit packet for 20193,
14 which involves Cedar Canyon 23 Federal 4H. And if we go
15 to Tab 8 --

16 EXAMINER BROOKS: Which one is this?

17 MR. FELDEWERT: This is the Cedar Canyon 23
18 Federal 4H, Case 20193.

19 EXAMINER BROOKS: And Mr. Feldewert's
20 predictions about what would happen to the exhibit
21 folder has come true by what's already happened.

22 MR. FELDEWERT: There you go.

23 Q. (BY MR. FELDEWERT) Is this a log that you or
24 your team created for identifying the proposed injection
25 interval for this surface?

1 A. Yes, it is.

2 Q. I'm sorry. For this pressure maintenance
3 project?

4 A. Yes, it is.

5 Q. Now, is this the same type log that we're going
6 to see in the other three -- two cases?

7 A. Yes, it is.

8 Q. Where is this type log located?

9 A. It's located between Cedar Canyon and Cypress,
10 so it's representative of the geology for the entire
11 area.

12 Q. And having identified the 2nd Bone Spring
13 injection interval in the Cedar Canyon in this log, what
14 do you observe about the nature of that interval?

15 A. It's well confined above and below by limestone
16 units that are impermeable and very low porosity.

17 Q. These wells out there have already been drilled
18 and completed, right?

19 A. Yes, they have.

20 Q. Okay. And these barriers are a sufficient frac
21 barriers, in your opinion, as well?

22 A. Yes, they were.

23 Q. And is there a sufficient barrier, for example,
24 between the 1st Bone Spring and the 2nd Bone Spring?

25 A. Yes, there is.

1 Q. And between the 2nd Bone Spring and the 3rd
2 Bone Spring?

3 A. Yes, there is.

4 Q. And that's why the company treats these as
5 separate, independent injection intervals?

6 A. Yes.

7 Q. Okay. And is this -- in your opinion, is the
8 lithology of this injection interval consistent as you
9 move from the Cedar Canyon area down into the Cypress
10 area?

11 A. Yes, it is.

12 Q. Are there -- are there any -- what's the depth
13 of groundwater in this particular area?

14 A. The deepest groundwater would be around 500 to
15 550 feet.

16 Q. Are there any freshwater wells within a mile of
17 the entire wellbore of the proposed injection interval?

18 A. No, there are not.

19 Q. And you looked at the entire wellbore of the
20 horizontal well?

21 A. Yes, we did.

22 Q. Okay. Does the type log that we see here
23 identify various impermeable barriers between the
24 injection zone and the lowest source of fresh water?

25 A. Yes. You can see a zone known as 1st Bone

1 Spring Carbonate, also called the Avalon, that consists
2 of shale and limestone that's an upper barrier. Above
3 that, you have the Castile Formation, which is an
4 anhydrite, about 1,500 feet thick, and we're got the
5 Salado salt, which is another 1,300 feet thick. So
6 we've got very substantial barriers between us and fresh
7 water.

8 Q. Have you prepared a cross section for this
9 interval?

10 A. I have.

11 Q. If I turn to what's been marked as OXY Exhibit
12 9, is this the cross section you prepared?

13 A. Yes, it is.

14 Q. Would you please orient us to the project area
15 and the wells that are involved in your cross section
16 using this exhibit?

17 A. Okay. Going from left to right on the cross
18 section, we're going from north to south following that
19 pink line on the location map.

20 Q. And have you identified on that upper right
21 insert map the proposed injection well?

22 A. I have, with a label and an arrow.

23 EXAMINER BROOKS: I don't see a pink line.

24 EXAMINER WARNELL: It's pretty hard to see.

25 EXAMINER GOETZE: Yes. It's very.

1 EXAMINER BROOKS: Oh. Is it over on the
2 right-hand side?

3 THE WITNESS: That's it.

4 EXAMINER BROOKS: This one that goes
5 down -- slanting down to the right and then it turns to
6 the left about five-eighths of the way down --

7 THE WITNESS: That's it.

8 EXAMINER BROOKS: -- seven-eighths of the
9 way down?

10 Okay. Go ahead.

11 Q. (BY MR. FELDEWERT) And the three wells that you
12 used to create this cross section from north to south in
13 this area, why did you choose these three wells?

14 A. These have the best well logs that were
15 available in the area.

16 Q. And do they cover the entire interval?

17 A. They do.

18 Q. And in your opinion, are these wells
19 representative of the entire area?

20 A. Yes, they are.

21 Q. Now, what's the -- before I forget, what's the
22 significance of the green dots that we see in the insert
23 here on Exhibit Number 9?

24 A. Those are all 2nd Bone Spring producers.

25 Q. Okay. And do we have a -- we're going to get

1 to this in a minute, but do you have a structure map
2 that follows this?

3 A. I do.

4 Q. And it will also have the green dots?

5 A. Correct.

6 Q. Before we get to that structure map, when I
7 look now at this broader cross section, what do you
8 observe about the target interval for the proposed 2nd
9 Bone Spring injection operation?

10 A. Well, both the reservoir interval of the 2nd
11 Bone Spring Sand and the barriers above and below it are
12 very consistent and similar thickness across the entire
13 area.

14 Q. Okay. Let's then turn to your structure map,
15 which is marked as Exhibit Number 10; is that right?

16 A. Yes.

17 Q. Again, you have our injection well identified
18 here?

19 A. I do.

20 Q. What do you observe about the structure?

21 A. The structure is very even. It's dipping to
22 the east.

23 Q. How far apart are your contours?

24 A. The contours are 50-foot-height intervals.

25 Q. And have you included the data points that were

1 utilized to create your structure map?

2 A. I have. The red diamonds with the red numbers
3 above them are my data points.

4 Q. In your opinion as an expert in petroleum
5 geology, is there any evidence of faulting that could
6 act as conduits for migration of fluid out of the
7 proposed injection zone?

8 A. No, there isn't.

9 Q. And in your expert opinion, does the proposed
10 injection project pose any threat to underground water
11 sources?

12 A. No.

13 Q. And in your opinion, will the proposed
14 injection project have any negative impact on the
15 correlative rights of mineral owners in the shallower or
16 deeper oil and gas producing zones?

17 A. No.

18 Q. Were OXY Exhibits 8, 9 and 10 in Case 20193
19 prepared by you or compiled under your direction and
20 supervision?

21 A. Yes. They were prepared by me.

22 MR. FELDEWERT: Mr. Examiner, I would move
23 the admission into evidence of OXY Exhibits 8, 9 and 10
24 in Case 20193.

25 EXAMINER GOETZE: Mr. Padilla?

1 MR. PADILLA: No objection.

2 EXAMINER GOETZE: Exhibits 8, 9 and 10 in
3 Case 20193 are so entered.

4 (OXY USA Inc. Exhibit Numbers 8, 9 and 10,
5 Case Number 20193, are offered and admitted
6 into evidence.)

7 MR. FELDEWERT: And I'd like to admit two
8 similar exhibits in these other two cases.

9 EXAMINER GOETZE: Do you want --

10 MR. PADILLA: No.

11 EXAMINER GOETZE: Not at this time. Okay.
12 Let's go ahead with the other two cases.

13 Q. (BY MR. FELDEWERT) Mr. Troutman, if you would
14 be kind enough to pull out the exhibit package for
15 20194, the Cedar Canyon, for both Section 28 and 27.
16 Now, is this project located very close to the one you
17 just examined?

18 A. It is.

19 Q. What direction are we moving?

20 A. We're moving to the south.

21 Q. Okay. And is the injection zone the same?

22 A. It is.

23 Q. And if I look at what's been marked as OXY
24 Exhibit Number 8 in Case 20194, is that the same type
25 log?

1 A. It is.

2 Q. And the injection zone has been identified?

3 A. It has.

4 Q. Okay. And if I look at -- and, in fact, this
5 is comprised of two pages showing the injection zone for
6 both the 27 6H and the 28 6H?

7 A. Correct.

8 Q. Okay. And then similarly do I see the same
9 cross section --

10 A. You do.

11 Q. -- that you previously testified to under
12 Exhibit Number 9?

13 A. Correct.

14 Q. And if I look at Exhibit Number 10, do I see
15 the same structure map for both wells that you
16 previously testified to?

17 A. Yes.

18 Q. The only difference being that you've
19 identified in each case the wells at issue?

20 A. Correct.

21 Q. Okay. Just so we're clear, if I look, for
22 example, at the structure map on the first page under
23 Exhibit 10, you've identified the 6H?

24 A. Yes.

25 Q. Where is the area that we just examined under

1 **Case 20193?**

2 A. It's to the north just off the map.

3 **Q. Is it up there -- in this case, isn't it up**
4 **there in Section 23?**

5 A. Oh. You're -- yes, it is. I'm sorry. I was
6 thinking of Cypress.

7 **Q. So this particular area is within almost --**
8 **well, it's within a mile of the one we just reviewed,**
9 **correct?**

10 A. Yeah.

11 **Q. Is that why you used the same material?**

12 A. It is.

13 **Q. Are your opinions the same in this case as was**
14 **identified in the prior case?**

15 A. Yes.

16 **Q. Were OXY Exhibits 8, 9 and 10 in this case**
17 **prepared by you?**

18 A. Yes, they were.

19 MR. FELDEWERT: Mr. Examiner, I would move
20 the admission into evidence of OXY Exhibits 8, 9 and 10
21 in Case 20194.

22 EXAMINER GOETZE: Exhibits 8, 9 and 10 in
23 Case 20194 are so entered.

24 (OXY USA Inc. Exhibit Numbers 8, 9 and 10,
25 Case Number 20194, are offered and admitted

1 into evidence.)

2 Q. (BY MR. FELDEWERT) I'd like to move to the
3 exhibit package in Case 20195, Mr. Troutman, and that
4 involves the Cypress 34 3H and the Cypress 34 8H. Now,
5 this is a slightly different area?

6 A. Slightly different.

7 Q. Okay. Is the geologic setting very similar?

8 A. It is very similar.

9 EXAMINER BROOKS: Excuse me, Mr. Feldewert.
10 Are you moving to 20195?

11 EXAMINER GOETZE: Yes, we are.

12 MR. FELDEWERT: Yes.

13 EXAMINER BROOKS: Okay. Thank you.
14 Go ahead.

15 Q. (BY MR. FELDEWERT) And is this within a couple
16 of miles of the area as we just discussed?

17 A. It is.

18 Q. Just to orient us, this case involves two
19 different injection --

20 A. It does. One of the wells is in the 2nd Bone
21 Spring Sand, and the other one is the 1st Bone Spring
22 Sand.

23 Q. If I turn to what's been marked as -- what will
24 now be OXY Exhibit 8, in this case we see two -- the
25 same type log, right?

1 A. Same type log, different intervals.

2 Q. There you go.

3 You've identified the 1st Bone Spring and
4 the 2nd Bone Spring?

5 A. Correct.

6 Q. And is your testimony the same with respect to
7 the confinement nature of both the 1st Bone Spring and
8 the 2nd Bone Spring?

9 A. Yes, it is.

10 Q. Are there any freshwater wells within a mile of
11 the wellbores?

12 A. No, there are not.

13 Q. Okay. And the depth to groundwater, does it
14 remain the same?

15 A. It's very similar at 500 to 550 feet.

16 Q. And we have the same impermeable barriers
17 between both of these injection zones and the fresh
18 water?

19 A. Yes.

20 Q. Then if I turn to what's been marked as Exhibit
21 Number 9, we see a different cross section, correct?

22 A. Right. We have a different cross section for
23 the 1st Bone Spring.

24 Q. Okay. Why don't you walk us through this?

25 A. Going from left to right in the cross section,

1 I'm going from the upper -- in the location map, it
2 starts at the upper northwest corner where the N is. It
3 goes down just past the well we're looking at to the
4 bottom of the location map.

5 Q. And, again, why did you choose these three
6 wells?

7 A. These are the best available well logs in the
8 area.

9 Q. And in your opinion, are these representative
10 of the area in question?

11 A. They are.

12 Q. And you've identified in each case -- this
13 exhibit comprises two pages, right?

14 A. Yes.

15 Q. Same cross section for both pages?

16 A. Yes.

17 Q. But you've identified both the -- on the first
18 page, the lay-down well, injection well, and on the
19 second page, the stand-up injection well?

20 A. Correct.

21 Q. What do you observe about the -- both the 1st
22 Bone Spring injection interval and the 2nd Bone Spring
23 injection interval in this particular area?

24 A. They're both very consistent both in terms of
25 reservoir and barriers above and below those reservoirs.

1 Q. And can you confirm and have you confirmed that
2 both the injection well and the offsetting producing
3 wells in each case are in the same correlative zone?

4 A. I have. Yes, they are.

5 Q. If I then turn to what's been marked as OXY
6 Exhibit Number 10, what do you have here in Exhibit 10?

7 A. That is a 1st Bone Spring structure map. I'm
8 showing my well control. And, again, the wells that are
9 highlighted with the green are 1st Bone Spring
10 producers.

11 EXAMINER BROOKS: Are we still on Case
12 20195?

13 MR. FELDEWERT: Yes, sir, on Exhibit Number
14 10.

15 EXAMINER BROOKS: Okay. I don't see
16 anything green on it.

17 THE WITNESS: They're a little bit hard to
18 see. The green surrounds the black dot.

19 EXAMINER BROOKS: Oh, okay. I see.
20 Mr. Goetze has been kind enough to point out the green.

21 (Laughter.)

22 EXAMINER GOETZE: It's tough, the color
23 change.

24 EXAMINER BROOKS: Go ahead.

25 Q. (BY MR. FELDEWERT) So does the first page

1 involve the 1st Bone Spring Sand?

2 A. Yes.

3 Q. Okay. And what do you observe about the
4 structure here?

5 A. It's very consistent. It's dipping to the
6 west -- I mean to the east gently.

7 Q. And when you look specifically at the 1st Bone
8 Spring Sand structure, do you see any evidence of
9 faulting that could act as conduits for migration of the
10 fluid in the proposed injection zone?

11 A. No, I do not.

12 Q. And on the second page here, we see the
13 structure map specifically for the 2nd Bone Spring Sand?

14 A. Correct.

15 Q. These green dots -- these green wells are a
16 little easier to see, right?

17 A. They are.

18 Q. Again, is there any evidence of faulting that
19 could act as conduits for migration of the fluid out of
20 the proposed 2nd Bone Spring injection interval?

21 A. No.

22 Q. In your opinion, will this Cypress injection
23 project pose any threat to underground water sources?

24 A. No.

25 Q. And will this proposed injection project have

1 any negative impact on the correlative rights of mineral
2 owners in any shallower or deeper oil and gas producing
3 zones?

4 A. No.

5 Q. Were OXY Exhibits 8, 9 and 10 in Case 20195
6 prepared under your direction or prepared by you?

7 A. Yes. They were prepared by me.

8 MR. FELDEWERT: Mr. Examiner, I would move
9 the admission into evidence of OXY Exhibits 8, 9 and 10
10 in Case 20195.

11 EXAMINER GOETZE: Exhibits 8, 9 and 10 in
12 Case 20195 are so entered.

13 (OXY USA Inc. Exhibit Numbers 8, 9 and 10,
14 Case Number 20195, are offered and admitted
15 into evidence.)

16 MR. FELDEWERT: And that concludes my
17 examination of this witness.

18 EXAMINER GOETZE: That was pretty good
19 testimony. Not even "geologic impediment" raised once.

20 MR. FELDEWERT: That's right.

21 EXAMINER GOETZE: Mr. Padilla?

22 MR. PADILLA: No questions.

23 EXAMINER GOETZE: Mr. Brooks?

24

25

1 CROSS-EXAMINATION

2 BY EXAMINER BROOKS:

3 Q. On these last two exhibits, which direction is
4 the slight dip in this formation, in the east or to the
5 west?

6 A. Which -- are we on --

7 Q. Case 20195, Exhibits 9 and 10.

8 A. Okay.

9 Q. I may not correctly understand structure maps.

10 A. The structure contours are all oriented roughly
11 north and south.

12 Q. Right. Go ahead.

13 A. So you're getting deeper as you go to the east,
14 to the right on that map.

15 Q. Oh. These are depths, not elevations.

16 A. It's depth, yeah. It's subsea depth.

17 Q. Okay. I understand. Thank you.

18 EXAMINER GOETZE: Mr. Warnell?

19 EXAMINER WARNELL: No questions.

20 CROSS-EXAMINATION

21 BY EXAMINER GOETZE:

22 Q. I have a few questions -- actually a question
23 and a request. With regards to Case 20195, we're going
24 into the first Bone Spring Sand. Have we had any
25 production or plays in the Avalon in this area?

1 A. There has been some Avalon drilling about four
2 miles away to the east by XTO. They have not completed
3 their wells, so I haven't seen their results yet. XTO
4 also has some Avalon wells that are south of us, south
5 of Cedar Canyon, that were drilled quite a few years ago
6 that do produce. They haven't been very good. But I
7 think the Avalon will eventually become a target here.

8 Q. But as of now, no one is encroaching on your
9 project as far as getting close?

10 A. Right.

11 Q. Okay. The second will be a request. You've
12 asked for an exception placement of the packer, and so
13 what we've done with the 36 -- excuse me -- with the 16
14 is that we would like your geologist to give us a pick
15 for the top of the confining layer. So I've got a 2nd
16 Bone line. Give us that interval. And what we've been
17 doing is giving you the authority to come within 100
18 feet of the top of that. So that way you have the
19 option of moving down -- up and down the casing in that
20 confining layer based upon your operation of what you
21 can get your packer to seek [sic].

22 A. Okay.

23 Q. So for each of these wells that are going to be
24 injection, go ahead and take the confining layer as you
25 see in your type log, send it to us in an email through

1 the attorney, and we will incorporate that in the order
2 as a way to address the option for you to place the
3 packer the way it best fits you.

4 A. Okay.

5 Q. Okay?

6 Otherwise, you may get something out of me
7 that may not be even close. So --

8 MR. FELDEWERT: As I was looking at the
9 prior order, I noted it said "100 feet above the true
10 vertical depth of the kickoff point."

11 EXAMINER GOETZE: Yeah. That was an
12 experiment on that, and you've actually come back and
13 said you want to get away from the kickoff point. So
14 the placement of the packer in the confining layer,
15 again we're going to give you a maximum. We're going to
16 ask you to place it as practically close but at the same
17 time give you an end point that says we can't permit you
18 to go beyond that. So it'll be up to you as the
19 operator to choose what's the best practical
20 application.

21 THE WITNESS: Okay. I understand.

22 EXAMINER GOETZE: And then when the EPA
23 comes, we've done our homework. Okay?

24 MR. FELDEWERT: Got it.

25 EXAMINER GOETZE: No more questions for

1 this witness?

2 MR. FELDEWERT: Okay. We have one more
3 witness, which we'll be able to finish before noon
4 hopefully.

5 EXAMINER GOETZE: He says mildly. Okay.
6 Let's give it a try. We like to hear from this witness
7 because he's one of our favorite witnesses.

8 EXAMINER BROOKS: He's a familiar face,
9 very familiar face.

10 THE WITNESS: Get the knives out
11 (laughter).

12 EXAMINER GOETZE: Oh, no, no, no. We don't
13 take the knives out. We enjoy your participation.

14 RICHARD E. FOPPIANO,
15 after having been previously sworn under oath, was
16 questioned and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. FELDEWERT:

19 **Q. Would you please state your name for the**
20 **record, identify by whom you're employed and in what**
21 **capacity?**

22 A. My name is Richard E. Foppiano, and I'm
23 currently a consultant -- petroleum engineering
24 consultant. I'm self-employed, and I am under contract
25 to Occidental for this matter and other matters.

1 **Q. And how long did you previously work for OXY**
2 **before you went to the consulting side?**

3 A. I've been consulting for five years, and prior
4 to that, I worked 36 years for Occidental in a variety
5 of capacities and in a variety of locations. I was a
6 completions manager at one point, an HES manager, an
7 audit manager, a lobbyist, and spent a lot of time, over
8 20-plus years, doing regulatory -- supervising
9 regulatory activities throughout the United States. And
10 then before I went to work for Occidental, I was
11 actually a Halliburton engineer. I spent three years
12 with Halliburton as a cementing and frac engineer.

13 **Q. Mr. Foppiano, you previously testified not only**
14 **before this Division but also before the Oil**
15 **Conservation Commission as an expert in petroleum**
16 **engineering, correct?**

17 A. I have, yes.

18 **Q. Are you familiar with the applications**
19 **submitted to the Division in these three consolidated**
20 **cases?**

21 A. Yes, I am.

22 **Q. Cases 20193, 20194 and 20195?**

23 A. Yes.

24 **Q. Are you prepared to review the C-108 for these**
25 **projects?**

1 A. I am.

2 MR. FELDEWERT: I would retender
3 Mr. Foppiano as an expert witness in petroleum
4 engineering.

5 EXAMINER GOETZE: Mr. Padilla?

6 MR. PADILLA: No objection.

7 EXAMINER GOETZE: He's so qualified.

8 Q. **(BY MR. FELDEWERT) Mr. Foppiano, would you turn**
9 **to what's been marked as Exhibit Number 3 in Case 20193,**
10 **which is the C-108 application for this particular case.**
11 **It would be the Cedar Canyon 23 Federal 4H.**

12 A. Got it. Page 3?

13 Q. **Exhibit 3.**

14 A. Exhibit 3. Excuse me. Yes.

15 Q. **And first off, I believe the injection well**
16 **data for this single injection well is contained on**
17 **pages 2 and 3 of this exhibit?**

18 A. Yes.

19 Q. **Okay. It includes the wellbore schematic?**

20 A. It does, yes, on the left-hand side of the
21 page.

22 Q. **Now, there's been some discussion about the**
23 **packer setting. At this point does this reflect the**
24 **change in the packer setting?**

25 A. Yes. On page 3, the second line indicates what

1 type of packer will be set, and line three, which is the
2 packer setting depth, is proposed to be 8,100. And this
3 was based on the approximate -- the location of the
4 kickoff point. The plan was to set the packer within
5 about 100 feet of where the kickoff point was in this
6 well to make it consistent with the order in Case Number
7 15616.

8 Q. Okay. And changing that depth is based upon
9 instructions from Mr. Goetze; is that correct?

10 A. Correct.

11 EXAMINER GOETZE: Don't get too excited
12 until I write the order. Okay?

13 MR. FELDEWERT: Okay.

14 Q. (BY MR. FELDEWERT) Are there -- and just for
15 the record, are there operational benefits in having the
16 packer set in and around this area of the vertical
17 portion of the wellbore?

18 A. Yes. The idea with this kind of operation is
19 obviously to set the packer as low as possible in the
20 wellbore to protect the casing and for other reasons,
21 but you don't want to set it too far in the inclined
22 part of the lateral because then that makes wireline
23 operations difficult to prosecute, setting plugs and
24 that sort of stuff in that packer. The company desires
25 to set the packer as low as possible, but it is limited

1 to where the wellbore starts to turn and go horizontal.

2 Q. Now, with respect to the -- when I look at the
3 information here on the second page, it talks about the
4 tubing size and then it says "the lining material." Do
5 you see that?

6 A. Yes.

7 Q. What does the company request with respect to
8 the tubing for this particular project?

9 A. Well, as previously discussed, the company
10 feels like it's appropriate to use unlined tubing when
11 the injectant is produced gas or CO2 and obviously lined
12 tubing when the injectant is water. And the idea is
13 that with lined tubing, anytime you do kind of a
14 wireline operation inside of tubing with a lining, there
15 is the potential to nick it and actually create a
16 corrosion hot spot at that particular point but also to
17 cause some of that lining material to fall off and
18 create problems with wireline operations. So the idea
19 is not to use lined tubing unless you absolutely need
20 lined tubing.

21 And in the case of the injectant here being
22 produced gas or CO2, that injectant is dehydrated before
23 it is utilized for injection service. And based on
24 OXY's analysis of that type of injectant not only here
25 but elsewhere throughout the Permian Basin, the

1 likelihood of any significant corrosion with CO2 or
2 produced gas that is dehydrated is extremely low. So
3 they felt comfortable even in other cases using unlined
4 tubing and piping where the injectant is dehydrated, and
5 similar situation here.

6 **Q. So just to confirm, the source of the produced**
7 **gas to be utilized for these injection projects is the**
8 **Cedar Canyon central delivery point?**

9 A. It is the central delivery point, which would
10 be downstream of the dehydration unit.

11 **Q. Okay. So this would be dehydrated gas?**

12 A. Dehydrated gas, yes.

13 **Q. And in your opinion as an expert in petroleum**
14 **engineering, is there -- is it sufficient to use -- or**
15 **is it appropriate to use unlined tubing where you will**
16 **be injecting dehydrated gas or dehydrated CO2?**

17 A. I think so, yes.

18 **Q. But the company will use lined tubing in the**
19 **event that it injects produced water?**

20 A. Correct. Yes.

21 **Q. How does OXY intend to monitor this injection**
22 **well to ensure the integrity of the wellbore?**

23 A. Well, there'll be pressure gauges on both the
24 tubing and the tubing casing annulus that will be
25 continually monitoring the pressures, and that data

1 feeds into a SCADA system which actually allows the
2 engineers to real-time monitor the pressures and set
3 alarms for certain conditions and that sort of stuff.

4 Q. Will the annular space be filled with inert
5 fluid?

6 A. An inert fluid that is treated with biocide and
7 filtered, clean inert fluid.

8 Q. When I look at the cement for this injection
9 well, how is it determined on the casings?

10 A. In this particular case, the top of cement
11 behind the split casing of 4-1/2, 5-1/2 production
12 casing as determined by a cement bond log.

13 Q. In your opinion, having reviewed the schematic
14 here for this injection well, is it designed to safely
15 and efficiently inject produced gas, produced water and
16 CO2 into the Bone Spring Formation of this pressure
17 maintenance project?

18 A. Into the 2nd Bone Spring, yes, it is.

19 Q. Okay. I want to turn to the area of review.
20 If I stay within this exhibit and move to page 4, is
21 this a schematic that identifies how the area of review
22 was determined?

23 A. Yes. Page 4 and additionally on page 5, which
24 is the actual area of review with the wells identified.

25 Q. How did you develop this area of review?

1 A. I developed this area of review with a certain
2 process utilizing publicly available data, starting with
3 the proposed injection well and its surface location and
4 the first perforation all the way to the terminus. I
5 took that information and using the NMOCD's GIS website,
6 I put that information out there so that I could draw a
7 half-mile circle around each point of the wellbore of
8 the proposed injector from the surface location all the
9 way to the terminus.

10 So on page 5, in the kind of pink-shaded
11 area, that is meant to show this one-half mile area of
12 review around the entire wellbore of the proposed
13 injector from surface to terminus.

14 Following that, I then obtained all the
15 information for the proposed injector from the NMOCD's
16 website to look at how the well was constructed but also
17 to identify the TVD of the Bone Spring Formation so that
18 I could then, utilizing the GIS system and that
19 information, identify any well with a wellbore that was
20 located within a half a mile of the wellbore of the
21 proposed injector. And as you can appreciate with
22 horizontal wells, it's getting a little interesting
23 doing this exercise because I actually have wells that
24 have a surface location outside the AOR and a
25 bottom-hole terminus outside the AOR, but the lateral

1 goes through the AOR.

2 So my attempt was to utilize, first and
3 foremost, publicly available information to identify any
4 wellbore that was within a half a mile of the wellbore
5 of the proposed injector. And then I even supplemented
6 that with information from OXY's mapping system about
7 the actual location of any horizontal wellbore in the
8 area to double-check to make sure that I had any
9 wellbore that was within a half a mile of the proposed
10 injector. And then I made a cut to that of any well
11 that penetrated the Bone Spring within that half mile.

12 And as a result of all that analysis, any
13 well that did make that cut, in other words, it
14 penetrated the Bone Spring and it was within the half
15 mile, as shown on pages -- the details are shown on
16 pages 6 and 7 for those particular wells.

17 **Q. Okay. Before we get to that, so if I'm**
18 **understanding you correctly, you took a little more**
19 **conservative approach. You didn't just look at the**
20 **injection interval. You analyzed any wellbore**
21 **penetrating the Bone Spring Formation?**

22 A. That's correct. Yeah.

23 **Q. Even if they were completed, for example, in**
24 **the Avalon or the 1st Bone Spring?**

25 A. Correct.

1 Q. And, secondly, if you came across a horizontal
2 wellbore that was -- any part of that horizontal
3 wellbore was within the half mile, did you include that
4 in your analysis?

5 A. I did, yes.

6 Q. And that's -- the list is then comprised on
7 pages 6 and 7?

8 A. That's correct.

9 Q. And to make things a little easier, if I turn
10 to Exhibit 3, there is a tab behind it. For some
11 reason, it has Tab C, but it's just a tab. Do you have
12 a blowup of pages 6 and 7?

13 A. We do, yes.

14 Q. So it's a little easier to read?

15 A. There's a lot of information presented there,
16 so we blew it up to make it a little easier for everyone
17 to read.

18 Q. Okay. And what did you observe about -- first
19 off, are there any wells in the area that are not
20 active?

21 A. There's one well that is shut in identified as
22 well number five -- I'm sorry -- well number four.

23 Q. But it has not been plugged and abandoned?

24 A. It has not been plugged and abandoned.

25 Q. And with respect to the remaining wells, what

1 **did you find?**

2 A. With respect to the remaining wells -- these
3 wells, you can see on the left-hand column, are numbered
4 1, 2, 3, 4 and so forth, and that corresponds to the AOR
5 map that has the numbers with the yellow circles around
6 them. So the location is identified on the AOR map.

7 **Q. So when you say AOR map, you mean page 5 of the**
8 **C-102?**

9 A. I believe that's correct. Yes.

10 **Q. So if I look at page 5 of Exhibit 3, I see**
11 **various yellow circles with numbers in them?**

12 A. Yes. Yes, with numbers, and those numbers
13 correspond to the numbers on this spreadsheet.

14 **Q. Okay.**

15 A. And so this spreadsheet shows all the well
16 construction information that's publicly available about
17 these wells. And in particular, if you'll look towards
18 the middle -- a little bit to the right side of the
19 middle set of columns, you can see the columns talking
20 about the hole size, casing size, the depths that these
21 particular casings are set at, the number of sacks of
22 cement that were used to cement that casing in place and
23 then the cement top behind that casing and then how that
24 cement top was actually measured.

25 And I've shown -- under "How Measured," you

1 see C-I-R-C. That's meant to be that that cement was
2 circulated. And some you'll see T-S. That means by
3 temperature survey. Some by C-B-L. That means cement
4 bond log. And there are others that may say C-A-L-C.
5 That's meant to reflect that it's a calculated top of
6 cement.

7 **Q. Were you able to determine the top of cement to**
8 **all of these wells?**

9 A. Yes, I was.

10 **Q. Was there anything unusual you found about**
11 **these active wells?**

12 A. There were two wells -- and these would be
13 wells number six and well number 29 -- that are downhole
14 commingled between the Bone Spring and the Delaware
15 under approved orders, NMOCD.

16 Speaking first about well number six, if
17 you look at some of the detail of that, in particular I
18 want to note that the Bone Spring that is open in that
19 well is a 1st Bone Spring Sand. It's not 2nd Bone
20 Spring. So, essentially, well number six is commingling
21 1st Bone Spring with Delaware.

22 And the last column to the right indicates
23 a proposal by OXY to set the bridge plug above those
24 Bone Spring perms to isolate the Bone Spring from the
25 Delaware. And that was at my recommendation because I

1 felt that it would be necessary to come before the OCD
2 and have a plan to isolate the Bone Spring from anything
3 else. And upon further reflection, you know, I don't
4 think that bridge plug is actually necessary because I
5 think, as the previous witness testified to, there is
6 more than adequate confinement by 500 feet of limestone
7 between the 2nd Bone Spring and the 1st Bone Spring.
8 And now these wells are cased and cemented in such a way
9 that I don't see that being a potential conduit for
10 injectant to get out of the 2nd Bone Spring. So the
11 fact that you have a well here with 1st Bone Spring
12 perforations open to the Delaware should in no way allow
13 that injectant into the 2nd Bone Spring to migrate out
14 of zone. So I would suggest that no bridge plug be set
15 in that particular well to deal with that situation.

16 **Q. What about the second commingle well?**

17 A. The second one is a little bit different. If
18 you turn the page, this is well number 29. This is --
19 this well has 1st Bone Spring perforations open and 2nd
20 Bone Spring perforations open with Delaware
21 perforations. And in that particular case, OXY will set
22 a bridge plug over the 2nd Bone Spring perforations to
23 isolate that 2nd Bone Spring from everything else and
24 then allow that well to continue producing.

25 **Q. And so in your opinion, with that additional**

1 bridge plug in that well number -- which well was that?

2 A. It would be well number 29.

3 Q. -- 29, that will avoid any potential migration
4 from the injection zone uphole into the Delaware or the
5 1st Bone Spring?

6 A. I think if that's done, then I don't see any --
7 any indication, any potential, based on the
8 well-construction data presented here and that bridge
9 plug being set, that there would be any potential for
10 the migration of any injectant in the 2nd Bone Spring to
11 go anywhere else. It will stay within that zone.

12 Q. In your opinion as an expert in petroleum
13 engineering, are all of the remaining wells on this list
14 sufficiently cased and cemented to prevent fluid
15 migration out of the proposed injection zone?

16 A. They are, yes.

17 Q. In your opinion, does this injection project
18 pose a threat to the public health or the environment?

19 A. No, it does not.

20 Q. And does it pose a threat to the correlative
21 rights of operators above or below the proposed
22 injection zone?

23 A. No, it does not.

24 Q. And would approval of this proposed injection
25 project promote the efficient recovery of oil underlying

1 **the project area?**

2 A. Absolutely, yes.

3 MR. FELDEWERT: Mr. Examiner, I would move
4 the admission into evidence of OXY Exhibit -- I think
5 3's already been admitted, so 3A. I think it's marked
6 as 3A, the blowup.

7 EXAMINER GOETZE: That's behind C?

8 MR. FELDEWERT: Yes.

9 EXAMINER GOETZE: Exhibit 3A for Case --
10 wrong number on that one -- 20193 is so entered.

11 (OXY USA Inc. Exhibit Number 3A is offered,
12 Case Number 20193, and admitted into
13 evidence.)

14 **Q. (BY MR. FELDEWERT) We would like to move to the**
15 **next case, which is Case 20194.**

16 MR. FELDEWERT: And before I get there --
17 thank you, Mr. Examiner -- I need to note for the record
18 that Exhibit 3A that was just admitted is actually in
19 Case 20193, even though it lists Case Number 15616 on
20 there. So thank you.

21 EXAMINER GOETZE: That threw me off.

22 MR. FELDEWERT: Threw me off.

23 EXAMINER BROOKS: You said you'd be through
24 by noon. You've got six minutes.

25 THE WITNESS: I need to talk faster.

1 (Laughter.)

2 Q. (BY MR. FELDEWERT) If I then go to Case 20194
3 and I go to OXY Exhibit Number 3, again we see here the
4 C-108 application.

5 A. I'm sorry. Can you help me out which well it
6 is?

7 Q. I'm on the Cedar Canyon 27 Federal 6H and 28
8 Federal 6H. Go under Tab 3. Exhibit Number 3 contains
9 the C-108?

10 A. Yes.

11 Q. And here we have two injection wells involved,
12 correct?

13 A. We do, yes.

14 Q. If I go to pages 2 through 5, does this contain
15 a schematic and information on these two injection --
16 proposed injection wells?

17 A. Yes, it does.

18 Q. Again, will you be using -- do you request the
19 authority to use unlined tubing when you're injecting
20 gas and CO2?

21 A. Correct. Yes.

22 Q. Because it'll be dehydrated?

23 A. Yes.

24 Q. And in the event you do inject water as this
25 reflects on page 3, you would use the lined material?

1 A. Yes.

2 Q. Okay. And your opinions on that are equally
3 applicable here?

4 A. Yes, they are.

5 Q. How does OXY plan to monitor these two
6 injection wells?

7 A. The same as the previous injection wells, with
8 pressure gauges on tubing and tubing casing annulus
9 hooked up to SCADA systems.

10 Q. And will the annular space be filled with inert
11 fluid?

12 A. Yes.

13 Q. As previously discussed?

14 A. As previously discussed.

15 Q. And were you able to determine the top of
16 cement for each of these casing points?

17 A. Yes.

18 Q. In your opinion, are these two injection wells
19 sufficiently cased and cemented to prevent -- to operate
20 as an injection wells for produced gas, produced water
21 and CO2 in the 2nd Bone Spring interval?

22 A. Yes.

23 Q. If I then turn to the area-of-review map -- I
24 believe it starts on page 6.

25 A. Yes.

1 Q. And we had two injection wells involved here?

2 A. Yes.

3 Q. Did that result in a longer oval?

4 A. Longer oval, yes, ellipse. Uh-huh.

5 Q. Okay. And was your approach the same in this
6 case as it was and as you testified to in Case 20193?

7 A. Yes, it was.

8 Q. And if I look at pages 8 and 9, does that
9 contain a tabulation of the data for any wellbore that
10 penetrated the Bone Spring Formation within a half mile
11 of these injection wellbores?

12 A. It does, yes.

13 Q. And, again, do we have -- and this time under
14 Tab A, with the right case number. Do we have the
15 blowup of the data sheets so it's easier to read?

16 A. We do. We do, yes.

17 Q. Were you able to determine the top of cement
18 for each of those wells?

19 A. Yes, I was.

20 Q. Are all of the wells in the area of review
21 active?

22 A. Yes, they are.

23 Q. And did we have any commingled wells in the
24 area of review in this particular case that you had to
25 address?

1 A. No, we did not.

2 Q. No P&A'd wells?

3 A. No P&A'd wells.

4 Q. Are these active wells sufficiently cased and
5 cemented to prevent fluid migration out of the proposed
6 injection zone?

7 A. Yes, they are.

8 Q. And in your opinion, does this proposed
9 injection project pose any threat to the public health
10 or the environment?

11 A. No, it does not.

12 Q. And will this proposed injection project
13 promote the efficient recovery of oil underlying the
14 project area without impairing correlative rights?

15 A. Yes, it will.

16 MR. FELDEWERT: Mr. Examiner, I would move
17 the admission of Exhibit 3A in Case 20194.

18 EXAMINER GOETZE: Case Number 20194,
19 Exhibit 3A is so entered.

20 (OXY USA Inc. Exhibit Number 3A is offered,
21 Case Number 20194, and admitted into
22 evidence.)

23 MR. FELDEWERT: And I don't mean to -- if
24 there are any specific questions on this, we can
25 certainly get them now, or I have one more case.

1 EXAMINER GOETZE: Well, no. We'll come
2 back to it.

3 Q. (BY MR. FELDEWERT) Let's go to Case Number
4 20195, and this, Mr. Foppiano, would be for the Cypress
5 wells?

6 A. Yes.

7 Q. Again, we have two injection wells involved in
8 this case?

9 A. We do, yes.

10 Q. And if I go to OXY Number 3, does this contain
11 the C-108 application?

12 A. It does, yes.

13 Q. And if I look starting at page 2 and continuing
14 through page 5, does that include the information on the
15 proposed injection wells?

16 A. It does, yes.

17 Q. Were you able to -- was the company able to
18 determine the top of cement for each of these casing
19 points?

20 A. Each of the proposed injectors? Yes.

21 Q. Yes.

22 Okay. And, again, does the company request
23 the authority to use unlined tubing when injecting
24 produced gas and CO2?

25 A. Yes.

1 Q. But will use lined tubing if they use these to
2 inject water?

3 A. That's correct.

4 We're also, of course, requesting the
5 packer exception.

6 Q. For all three cases?

7 A. All three cases.

8 Q. Okay. For the reasons you discussed in Case
9 20193?

10 A. Yes.

11 Q. Again, will OXY monitor these two injection
12 wells in the same fashion that you previously testified
13 to?

14 A. Yes.

15 Q. And in your opinion, are these two injection
16 wells designed to safely and efficiently inject produced
17 gas and produced water and CO2 into the 1st Bone Spring
18 interval and the 2nd Bone Spring interval for this
19 pressure maintenance project?

20 A. Yes.

21 Q. Now, with respect to your area of review, are
22 the -- if I turn to page 6 and continue onto page 7,
23 does this identify your area of review?

24 A. Yes, it does.

25 Q. And you had two crossing ellipses that you

1 resulted in because of the different orientation of the
2 injection wells?

3 A. That's correct, yes.

4 Q. And, again, your methodology for identifying
5 the wells in the area of review was the same as 20193?

6 A. It was, yes.

7 Q. If I look at Exhibit 3A, does this contain a
8 more readable tabulation of the well data that we see on
9 pages 7 and 8 of the -- I'm sorry -- 8 and 9 of the
10 C-108 application?

11 A. It does.

12 Q. Were you able to determine the top of cement
13 for all of these wells?

14 A. Yes, I was. And that's shown, as it is on the
15 other spreadsheets, in those couple of columns that are
16 just off to the right of the center on this spreadsheet.

17 Q. And are all the wells within the area of review
18 active?

19 A. Yes.

20 Q. Okay. And did you find any commingled wells
21 within the area of review for this particular case?

22 A. I did not.

23 Q. So in your opinion, are all of these active
24 wells within the area of review sufficiently cased and
25 cemented to prevent fluid migration out of the active

1 **injection zone?**

2 A. They are, yes.

3 **Q. In your opinion, does this injection project**
4 **pose a threat to public health and the environment?**

5 A. It does not.

6 **Q. And will the approval of this injection project**
7 **promote the efficient recovery of oil in the project**
8 **area?**

9 A. Yes.

10 **Q. And will it negatively impair the correlative**
11 **rights of oil and gas operators above or below the**
12 **injection intervals?**

13 A. No, it will not.

14 MR. FELDEWERT: Mr. Examiner, I would move
15 the admission into evidence of OXY Exhibit 3A --

16 EXAMINER GOETZE: Exhibit 3A --

17 MR. FELDEWERT: -- in Case 20195.

18 EXAMINER GOETZE: -- in Case 20195 is so
19 entered.

20 (OXY USA Inc. Exhibit Number 3A, Case
21 Number 20195, is offered and admitted into
22 evidence.)

23 MR. FELDEWERT: And that concludes my
24 examination of this witness.

25 EXAMINER GOETZE: Mr. Padilla?

1 MR. PADILLA: None. No questions.

2 EXAMINER GOETZE: Mr. Brooks?

3 EXAMINER BROOKS: No questions.

4 EXAMINER GOETZE: Mr. Warnell?

5 EXAMINER WARNELL: No questions.

6 EXAMINER GOETZE: Quickly, we will take a
7 look at the AOR wells and confirm what you've done. So
8 if we have any comments, we'll send you an email.

9 MR. FELDEWERT: Okay.

10 CROSS-EXAMINATION

11 BY EXAMINER GOETZE:

12 Q. Question for you: Having been through the
13 experience of acid gas wells and whatnot, I note that
14 we're looking at using an inert fluid for the annular
15 filling. Any suggestions or ideas with regards to
16 whether it's a typical SWD-type fluid as opposed to,
17 say, a diesel?

18 A. Well, other than the obvious challenges of
19 handling diesel and pumping it --

20 Q. Yeah, I know that.

21 A. -- placing it.

22 Q. Is there enough concern as a result of having
23 CO2 injection that would provide any better benefit with
24 regards to -- I understand in an AGI well, we're moving
25 lot bigger volumes and a lot more --

1 A. Yes.

2 **Q. So there is no real advantage to doing**
3 **something like that. It would just be your typical**
4 **annular fluid?**

5 A. I would say, based on OXY's experience
6 particularly with CO2 injection and even produced gas
7 injection, that they believe -- and I agree with that --
8 that the inert fluid, if it's properly treated and
9 filtered and utilized, is a much better way to handle it
10 than, say, a diesel would be. Because of another
11 reason, every time the tubing is changed or the packer
12 is moved, that stuff gets dumped on the formation. So
13 if you have diesel in there, then you're going to
14 potentially lose that diesel to a formation, and that
15 may present some issues in producing that back. So I
16 would say inert fluid, if it's properly treated, should
17 be sufficient to deal with any kind of issues about that
18 fluid on the back side.

19 **Q. Okay. That answers that question. Thank you.**

20 A. You're welcome.

21 MR. FELDEWERT: Mr. Examiner, that
22 concludes our presentation in these consolidated cases.

23 I only have one issue of concern. It
24 involves Case 15616.

25 EXAMINER GOETZE: We know the deadline. We

1 are trying to keep that in mind, but remember, the
2 legislature starts next week.

3 MR. FELDEWERT: And that was my concern.
4 If I look at the authority under paragraph 19, in that
5 order, it expires by its terms two years from the
6 commencement of injection, which the Division records
7 will reflect occurred on April 29th.

8 EXAMINER GOETZE: Okay.

9 MR. FELDEWERT: Paragraph 19 does provide
10 for an extension of that time by the Division. And so
11 I'm requesting perhaps -- or I am requesting whether you
12 would be in a position to grant that extension until the
13 date of the issuance of the order in this case so that I
14 can avoid a step in the process and not have to come
15 back in the middle of April and file an application for
16 an extension.

17 EXAMINER GOETZE: Or leave lots of emails
18 and messages on my phone.

19 MR. FELDEWERT: Exactly.

20 EXAMINER GOETZE: We will make the
21 recommendation to the director and go ahead and prepare
22 an extension letter.

23 MR. FELDEWERT: That would be --

24 EXAMINER GOETZE: And then we'll tie it in
25 with approval of the order -- the next order, because I

1 don't know if you're going to get the same number on the
2 order. So this is a new game we have, too.

3 MR. FELDEWERT: Okay.

4 EXAMINER GOETZE: So in that thought, yeah,
5 we'll make it part of this hearing and have a motion --
6 not a motion but move forward with an extension and tie
7 it in so that the operator should continue without
8 having to worry about being suspended.

9 With that, no more questions, Mr. Padilla?
10 No closing statements?

11 MR. PADILLA: No.

12 EXAMINER GOETZE: Okay. Very good. Then
13 we will take Cases 15616, 20193, 20194 and 20195 under
14 advisement.

15 And let us come back here 1:15, and let's
16 get NGL out of the way.

17 Thank you.

18 (Case Numbers 15616, 20193, 20194 and
19 20195 conclude, 12:06 p.m.)

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20 DATED this 23rd day of January 2019.

21

22

23 MARY C. HANKINS, CCR, RPR
24 Certified Court Reporter
New Mexico CCR No. 20
Date of CCR Expiration: 12/31/2019
Paul Baca Professional Court Reporters

25