

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF MESQUITE SWD, INC.                   CASE NO. 20472  
FOR APPROVAL OF A SALTWATER DISPOSAL  
WELL, EDDY COUNTY, NEW MEXICO.

APPLICATION OF MESQUITE SWD. INC.               CASE NOS. 20313,  
FOR APPROVAL OF A PRODUCED WATER               20314  
DISPOSAL WELL, EDDY COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

VOLUME 1

May 31, 2019

Santa Fe, New Mexico

BEFORE: WILLIAM V. JONES, CHIEF EXAMINER  
MICHAEL McMILLAN, TECHNICAL EXAMINER  
BILL BRANCARD, LEGAL EXAMINER

This matter came on for hearing before the New Mexico Oil Conservation Division, William V. Jones, Chief Examiner; Michael McMillan, Technical Examiner; and Bill Brancard, Legal Examiner, on Friday, May 31, 2019, at the New Mexico Energy, Minerals and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR  
New Mexico CCR #20  
Paul Baca Professional Court Reporters  
500 4th Street, Northwest, Suite 105  
Albuquerque, New Mexico 87102  
(505) 843-9241

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FOR THE APPLICANT MESQUITE SWD, INC.:

DEANA M. BENNETT, ESQ.  
SUSAN BISONG, ESQ.  
MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.A.  
500 4th Street, Northwest, Suite 1000  
Albuquerque, New Mexico 87102  
(505) 848-1800  
deanab@modrall.com  
sbisong@modrall.com

FOR INTERESTED PARTY/INTERVENOR BAKER RANCH:

JAMES ROACH, ESQ.  
300 Central Avenue, Southwest, Suite 1600W  
Albuquerque, New Mexico 87102  
(505) 243-4419

FOR PROTESTANT NEW MEXICO OIL CONSERVATION DIVISION:

DAVID K. BROOKS, ESQ.  
ENERGY, MINERALS & NATURAL RESOURCES DEPARTMENT  
OFFICE OF GENERAL COUNSEL  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505  
(505) 476-3415  
david.brooks@state.nm.us

FOR INTERESTED PARTY BLACKBUCK RESOURCES:

ERNEST L. PADILLA, ESQ.  
PADILLA LAW FIRM, P.A.  
1512 South St. Francis Drive  
Post Office Box 2523  
Santa Fe, New Mexico 87504  
(505) 988-7577  
padillalaw@qwestoffice.net

FOR INTERESTED PARTIES SOLARIS WATER MIDSTREAM AND  
KAISER-FRANCIS OIL COMPANY:

JAMES G. BRUCE, ESQ.  
Post Office Box 1056  
Santa Fe, New Mexico 87504  
(505) 982-2043  
jamesbruc@aol.com

1		PAGE
2	Case Numbers 20472, 20313, 20314 Called	6, 14
3	Prehearing Discussion	6
4		
5	Mesquite SWD, Inc.'s Case-in-Chief:	
6	Witnesses:	
7	Riley Neatherlin:	
8	Direct Examination by Ms. Bennett	17
9	Opening Statement by Ms. Bennett	19
10	Motion to Dismiss OCD's Protest	22
11	Statement by Mr. Roach	32/33
12		
13	Mesquite SWD, Inc.'s Case-in-Chief:	
14	Witnesses:	
15	Riley Neatherlin:	
16	Continued Direct Examination by Ms. Bennett	33
17	Motion to Dismiss Applications by Mr. Brooks	64/65
18		
19	Mesquite SWD, Inc.'s Case-in-Chief:	
20	Witnesses:	
21	Riley Neatherlin:	
22	Cross-Examination by Mr. Brooks	73
	Cross-Examination by Examiner Brancard	74
23	Cross-Examination by Examiner Jones	78
	Redirect Examination by Ms. Bennett	82
24		
25		

1	INDEX	
2		PAGE
3	Case Numbers 20472, 20313, 20314 (Continued)	
4	Mesquite SWD, Inc.'s Case-in-Chief (Cont'd):	
5	Witnesses:	
6	Kate Zeigler, Ph.D.:	
7	Direct Examination by Ms. Bisong	87
	Cross-Examination by Examiner Brooks	107
8	Cross-Examination by Examiner McMillan	115
	Cross-Examination by Examiner Brancard	119
9	Cross-Examination by Examiner Jones	120
10	Todd W. Reynolds:	
11	Direct Examination by Ms. Bennett	130
	Cross-Examination by Mr. Bruce	171
12	Cross-Examination by Examiner McMillan	172
	Cross-Examination by Examiner Brancard	174
13	Cross-Examination by Examiner Jones	180
	Cross-Examination by Mr. Brooks	186
14	Redirect Examination by Ms. Bennett	189
15	Scott J. Wilson:	
16	Direct Examination by Ms. Bisong	191
	Cross-Examination by Mr. Brooks	217
17	Cross-Examination by Examiner Brancard	218
	Cross-Examination by Examiner Jones	225
18	Cross-Examination by Examiner McMillan	229
	Redirect Examination by Ms. Bisong	230
19		
20	Evening Recess	242
21	Certificate of Court Reporter	243
22		
23		
24		
25		

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

EXHIBITS OFFERED AND ADMITTED

PAGE

Mesquite SWD, Inc. Exhibit Number 1 with Tabs A through F	71
Mesquite SWD, Inc. Exhibit Number 2 with Tabs A and B	107
Mesquite SWD, Inc. Exhibit Number 3	171
Mesquite SWD, Inc. Exhibit Number 4	217
Mesquite SWD, Inc. Exhibit Number 5	238

NOTE: Exhibits will be attached to the record upon  
completion of the hearing. There are no  
exhibits accompanying this volume at this time.

1 (8:29 a.m.)

2 EXAMINER JONES: Let's go on the record.  
3 We're back on the record. This is a continuation of the  
4 May 30th hearing. This is obviously May 31st, on a  
5 Friday. We've got what I believe are two matters to  
6 discuss today, five total cases.

7 First we would like to have a discussion  
8 about the -- whether to have all the matters heard  
9 together or have two separate -- two separate, complete  
10 hearings here.

11 So for Mesquite, Ms. Bennett, do you have a  
12 preference?

13 MS. BENNETT: Yes, I do. Good morning.  
14 Thanks for having us here today.

15 My preference would be to have two separate  
16 proceedings, and that is because the Mesquite issues are  
17 separate -- while they're similar issues, the Mesquite  
18 cases are separate from the Blackbuck and Solaris cases,  
19 and I think it would make a cleaner record for the  
20 Division if the cases were heard separately. Also, it  
21 will be easier to have a transcript of the proceedings.  
22 So I feel like overall that would be a more efficient  
23 process going forward for both the parties and the  
24 Division. And I'm also unclear how that would work in  
25 terms -- just logistically in terms of cross-examination

1 and direct examination in terms of managing all of the  
2 parties that will be present and able to ask questions.

3 And then personally, I represent Mesquite  
4 and NGL in the protests of the Solaris Predator and the  
5 Mesquite -- I'm sorry -- and the Blackbuck Olive Branch.  
6 And so just for my own sanity, I would prefer to not  
7 have to switch roles midstream but keep the cases  
8 separate.

9 Thank you.

10 EXAMINER JONES: And for the record --

11 MS. BENNETT: I'm sorry. For the record,  
12 my name is Deana Bennett. I'm here on behalf of  
13 Mesquite SWD and NGL Water Solutions, and I'm at Modrall  
14 Sperling.

15 EXAMINER BRANCARD: Okay. So would you --  
16 would you have a preference for the Mesquite cases to be  
17 separate hearings or combined into one.

18 MS. BENNETT: The Mesquite cases we would  
19 prefer to be combined into one, and we would ask that  
20 those cases be heard first, as this special docket was  
21 specially set for those three cases and not the other  
22 two cases. And we would ask that those case be heard  
23 first.

24 MR. BROOKS: Mr. Examiner -- Mr. Examiners,  
25 David Brooks for the Oil Conservation Division.

1           I disagree. The Division, I'm aware, has a  
2 very busy docket today, and anything that will shorten  
3 the proceedings, I would think, would be -- would help  
4 everybody. But specifically from the point of view of  
5 the Division, we intend to present essentially the same  
6 testimony in all five cases, and we see no reason why we  
7 would have to go through the repetition of going through  
8 it twice.

9           Thank you.

10           EXAMINER JONES: Mr. Bruce.

11           MR. BRUCE: Mr. Examiner, I mean, I think  
12 the Division could go through its testimony once and  
13 have it incorporated. I -- I think there are different  
14 issues between the Blackbuck, Solaris and the Mesquite,  
15 or at least it would be similar to have them heard in  
16 two groups rather than one.

17           EXAMINER JONES: Mr. Padilla.

18           MR. PADILLA: I don't really have a  
19 preference one way or the other whether you combine them  
20 all or not.

21           The fact of the matter is the Division is  
22 in all of these cases, so from that standpoint, it seems  
23 to me that there would be some unity in terms of the  
24 Division's case. And we did not enter appearances in  
25 the Mesquite cases, but if they're consolidated, I

1 wouldn't want to have to go through repetition of my  
2 cross-examination in every case. And I think that I  
3 would try to inquire universally in all five cases why  
4 the Division has entered appearances in these particular  
5 cases in policy decisions that have been made by --  
6 internally by the Oil Conservation Division and I think  
7 it's all the same. So from that standpoint, I think  
8 they should be consolidated.

9                   But I think each individual party here, as  
10 far as NGL or Mesquite, they are separate. So in the  
11 interest of moving this along, I think they should be  
12 sort of separated but allow us to cross-examine on the  
13 Mesquite cases or the Solaris case, which we did enter  
14 an appearance on, and we're only entering an appearance  
15 in that case. But I think as the testimony develops, I  
16 may have more questions from a standpoint of  
17 cross-examination.

18                   EXAMINER BRANCARD: Mr. Padilla, you're  
19 representing.

20                   MR. PADILLA: I'm representing Blackbuck  
21 Resources.

22                   EXAMINER JONES: Mr. Bruce, who are you  
23 representing?

24                   MR. BRUCE: Solaris.

25                   EXAMINER JONES: And, Mr. Brooks, you are

1 representing the Division?

2 MR. BROOKS: Yes, sir.

3 EXAMINER JONES: Are there any other  
4 appearances, attorneys that are representing clients  
5 here today in these cases?

6 MS. BENNETT: Mr. Examiners, with me today  
7 is Mr. Jim Roach, and he's here -- he's an attorney in  
8 Albuquerque. He's not here to ask any questions or to  
9 present any evidence, but he represents the Baker Ranch.  
10 And the Baker Ranch is in support of Mesquite's  
11 application, and he and I have discussed the possibility  
12 of him making a statement on the record in support of  
13 Mesquite's applications -- the Mesquite-Baker  
14 applications. So while he won't be asking any questions  
15 or presenting any witnesses, he is here with his clients  
16 on behalf -- in support of Mesquite.

17 EXAMINER BRANCARD: But they didn't file a  
18 prehearing statement.

19 MS. BENNETT: He did file a prehearing  
20 statement and an entry of appearance and a notice of  
21 intervention out of -- for belt and suspenders.

22 EXAMINER BRANCARD: Okay.

23 MS. BENNETT: And I would also note that  
24 Mr. Bruce has entered an appearance in one of our  
25 Mesquite cases on behalf of Kaiser-Francis, and those

1 issues have been resolved to my understanding, so I  
2 don't know that that's an issue today. But I would just  
3 point out that there was an entry of appearance -- or a  
4 question by Kaiser-Francis in one of the Mesquite cases,  
5 and that has been resolved.

6           Sorry. This is Susan Bisong. She's with  
7 me, at Modrall Sperling, today, and she's going to be  
8 assisting me on SWD cases going forward. She's a  
9 partner at Modrall Sperling here on behalf of Mesquite  
10 SWD.

11           MS. BISONG: Good morning.

12           EXAMINER BRANCARD: Good morning.

13           Well, I think the point made by counsel  
14 here of Mesquite about confusing the record is an  
15 important one. So if not all the parties are agreeable  
16 to combining all five cases, I don't think that's  
17 probably a good idea to do that. But it seems like we  
18 have an agreement to combine into two groups here the  
19 Blackbuck-Solaris case and then the three Mesquite  
20 cases.

21           From the perspective of the other parties,  
22 is there any position about which of those two groups  
23 should go together first?

24           Mr. Padilla?

25           MR. PADILLA: I don't have any preferences.

1 It's up to the Division what you want to consider first.

2 I don't have my preference of Ms. Bennett going first.

3 EXAMINER BRANCARD: Mr. Bruce?

4 MR. BRUCE: I always like to go first.

5 (Laughter.)

6 MR. BROOKS: Mr. Examiner, in view of your  
7 ruling, we would request that -- we would make an  
8 alternative request that the Division be allowed, as  
9 suggested by Mr. Padilla, to incorporate by reference  
10 the testimony of our witness, since it will be the same  
11 in all cases, direct testimony, rather than having to  
12 get up here and repeat all the questions and repeat all  
13 the answers.

14 MS. BENNETT: Mr. Examiner, that's  
15 actually, I think, an efficient approach to this, is  
16 allowing each case to go forward on its own direct of  
17 our witnesses, because that's what I was concerned  
18 about, was the logistics of would each party put on  
19 their first witness and then have cross-examination of  
20 that first witness, so we'd first three witnesses for  
21 each party, and then we'd have three second witnesses of  
22 three geologists.

23 So just logistically I thought that the  
24 direct of the parties would be confusing if we combined  
25 the cases, but I'm not opposed to the Division's direct

1 being consolidated and the cross of the Division's  
2 witness being consolidated, because I think that can  
3 then be easily excerpted from the transcripts and put  
4 into the appropriate cases and is an efficient way to go  
5 about the proceedings. But I was more concerned about  
6 our individual direct examination getting confusing and  
7 logistically untenable.

8                   And in terms of the order, I guess as I  
9 mentioned at the outset, this special hearing date was  
10 set by Mr. Warnell for the Mesquite cases --  
11 specifically for the Mesquite cases. The Mesquite cases  
12 have been continued at the Division's request two times  
13 and then unilaterally by the Division one time. So we  
14 are here today at the Division's behest, and so for that  
15 reason, I ask that the Mesquite cases be heard first,  
16 which has been the plan and it is, I think, the only  
17 real alternative given the way that the Mesquite cases  
18 have been continued unilaterally by the Division and the  
19 fact that Mr. Warnell specifically set this date for the  
20 Mesquite cases and not the other cases.

21                   MR. BROOKS: I have nothing further.

22                   EXAMINER JONES: Okay. I neglected to  
23 introduce myself. I'm William V. Jones. Bill Brancard,  
24 Chief Counsel for the entire Energy, Minerals  
25 Department, has graciously agreed to appear as a legal

1 examiner today. And also we have Michael McMillan.  
2 He's another co-examiner. He's a geologist. So I  
3 wanted to get that on the record first.

4 And since we've got a different court  
5 reporter from yesterday, this would be obviously another  
6 prehearing transcript that would be included in all five  
7 of the cases which we are getting ready to call at least  
8 the first group of.

9 MR. BROOKS: Excuse me, Honorable  
10 Examiners. May I have a ruling on my request to present  
11 our case only once?

12 EXAMINER BRANCARD: Mr. Examiner, my  
13 recommendation would be that we proceed with the first  
14 group of cases, whichever one you want to do first, and  
15 then the Division would be part of that case. And at  
16 that point, I think, once the Division's testimony is  
17 complete in cross-examination, then I think it would up  
18 to decide when the parties are agreeable to allow that  
19 then. Without the testimony itself, I think it's a  
20 little hard to make a decision about whether to  
21 incorporate that into the next case or not. So I think  
22 in the absence of actual testimony, we have to wait.

23 EXAMINER JONES: Okay. We're going proceed  
24 with the Mesquite cases first. The Mesquite cases, as I  
25 understand it, are cases 20472, 20313, 20314,

1 application of Mesquite SWD, Incorporated for approval  
2 of a saltwater disposal well. Two of the cases are  
3 styled "approval of produced water disposal well."

4 Call for appearances in all three cases for  
5 the Applicant.

6 MS. BENNETT: Yes. Good morning. Deana  
7 Bennett and Susan Bisong from Modrall Sperlring for the  
8 Applicant, Mesquite SWD.

9 MR. BRUCE: Mr. Examiner, I'm entering an  
10 appearance for Kaiser-Francis Oil Company. I can't  
11 remember which specific case, but since they're all  
12 being heard, it doesn't matter. And no witnesses, just  
13 entering an appearance.

14 And since the Division will be testifying,  
15 I'm also entering an appearance for Solaris Water  
16 Midstream simply because I'm going to need probably to  
17 do some cross-examination.

18 MR. BROOKS: I cannot hear you, Mr. Bruce.  
19 Would you repeat your last sentence?

20 MR. BRUCE: That I'm appearing for Solaris  
21 in these cases even though I didn't prior previously  
22 enter an appearance because obviously this might be the  
23 only chance I get to cross-examine the Division's  
24 witnesses.

25 MR. BROOKS: Thank you.

1 I have no objections to that.

2 EXAMINER JONES: Mr. Bruce, would you mind  
3 coming up closer, if you have a chance?

4 Maybe we can make some room for Mr. Bruce.  
5 Any other appearances in these three cases.

6 MR. ROACH: James Roach, in Case Number  
7 20472, for Jesse Baker and the Baker Ranch.

8 EXAMINER JONES: Okay. Mr. Roach, which  
9 law firm are you from?

10 MR. ROACH: James Roach, Attorney at Law.

11 EXAMINER JONES: Okay. Thank you.

12 Will the witnesses for the Applicant --

13 EXAMINER BRANCARD: Mr. Padilla.

14 MR. PADILLA: We haven't previously entered  
15 an appearance in the Mesquite cases, but necessarily we  
16 have to enter an appearance now, as Mr. Bruce has done,  
17 simply because if the Division's going to present  
18 testimony and we only have one chance for  
19 cross-examination, then procedurally I should be allowed  
20 to cross-examine.

21 EXAMINER JONES: Any objections to this, to  
22 Mr. Padilla entering an appearance and questioning  
23 witnesses?

24 MS. BENNETT: None from me.

25 MR. BROOKS: None from the Division.

1 EXAMINER JONES: Okay.

2 MS. BENNETT: Thank you.

3 We have four witnesses with us here today  
4 on behalf of Mesquite.

5 EXAMINER JONES: On behalf of Mesquite,  
6 will the witnesses please stand and the court reporter  
7 swear the witnesses?

8 (Mr. Neatherlin, Dr. Zeigler, Mr. Reynolds  
9 and Mr. Wilson sworn.)

10 MS. BENNETT: At this time I'll call my  
11 first witness, Mr. Riley Neatherlin.

12 I also wanted to let the examiners know  
13 that with me today is Mr. Clay Wilson. He is the owner  
14 of Mesquite SWD, and he's here also here on Mesquite  
15 SWD, although he won't be testifying today.

16 EXAMINER JONES: I did spot Mr. Wilson in  
17 the audience.

18 RILEY NEATHERLIN,  
19 after having been first duly sworn under oath, was  
20 questioned and testified as follows:

21 DIRECT EXAMINATION

22 BY MS. BENNETT:

23 **Q. Mr. Neatherlin, will you please state your name**  
24 **for the record?**

25 A. Riley Neatherlin.

1 Q. And for whom do you work?

2 A. Mesquite SWD.

3 Q. And in what capacity?

4 A. I'm the operations manager, chief operations  
5 officer. I do a little bit of everything.

6 Q. How long have you worked for Mesquite?

7 A. It's been around nine, ten years now.

8 Q. And what are your -- excuse me -- what are your  
9 responsibilities at Mesquite?

10 A. Helping oversee drilling operations, day-to-day  
11 operations, planning, permitting, anything of the sort.

12 Q. And are you familiar with the three  
13 applications, the two Laguna Salada applications and the  
14 one Baker application that are the subject of this  
15 hearing?

16 A. Yes, I am.

17 MS. BENNETT: I just realized I had  
18 intended to make an opening statement. Can I quickly  
19 make an opening statement, and then the others can make  
20 an opening statement if they'd like to?

21 EXAMINER JONES: Yes.

22 First of all, are these witnesses exactly  
23 the ones that you put in your prehearing statement?

24 MS. BENNETT: They are, yes. Yes, they  
25 are.

1 EXAMINER JONES: Okay.

2 MR. BROOKS: The Division has no objection  
3 to Ms. Bennett making an out-of-order opening statement.

4 MS. BENNETT: Yes. Yeah. I apologize. I  
5 had it right there in front of me, but I got so excited  
6 about calling Riley that I forgot to do it.

7 (Laughter.)

8 MS. BENNETT: So any objections from  
9 anybody else? No?

10 OPENING STATEMENT

11 MS. BENNETT: Okay. I think it's pretty  
12 obvious that this case and others -- these three cases,  
13 the Mesquite cases, and the other two cases that we're  
14 here for today have garnered a lot of attention both  
15 from the Division and from other SWD operators and other  
16 operators generally.

17 And the reason we're here today is because  
18 the five -- or the three applicants are here today  
19 because the Division has -- specifically with Mesquite,  
20 the Division denied two of Mesquite's applications, the  
21 Laguna Salada applications, which were submitted  
22 administratively. And the Division never actually  
23 denied the third application, the Baker application, but  
24 it was Mesquite's understanding that the Division  
25 intended to deny that application. And those were done

1 based solely on the Division's 1.5-mile spacing  
2 requirement.

3                   The important thing here is that there are  
4 no other SWD operators that are actually protesting  
5 Mesquite's application, not even SWD operators that may  
6 be within the 1.5-mile spacing. There are no oil and  
7 gas operators that are protesting Mesquite's  
8 applications. These wells are proposed on fee land, and  
9 the surface owners are supporting these wells. So the  
10 only party that's here today to protest these wells is  
11 the OCD.

12                   And the OCD protest is based -- or sorry --  
13 denial and protest today is based only on the 1.5-mile  
14 spacing requirement, and the 1.5-mile spacing  
15 requirement has no basis in the rules. It's not  
16 promulgated. Yesterday we heard Mr. Brooks say it's not  
17 a policy because it hasn't even gone through formal  
18 requirements for policy making, but yet this 1.5-mile  
19 spacing requirement is being applied mechanically as a  
20 per se rule.

21                   There was no evidence in the denial that  
22 demonstrated any reason to deny Mesquite's application.  
23 There was no technical data, no studies. All that was  
24 included in the denial is a map that shows mechanically  
25 the proximity, which is going to be before you today, of

1 the wells. That can't be the way a regulatory body  
2 works.

3 Last night as I was thinking through this,  
4 there is sort of a regulatory compact between regulated  
5 entities and a regulatory body, and that regulatory  
6 compact is an agreement where the regulated entity says,  
7 We agree to comply with your regulations, and the  
8 regulator says, We agree to let you know what they are,  
9 and we agree to apply them evenly and fair-handedly  
10 after notice. None of that happened here.

11 Mr. Brooks' email to me in another case I  
12 think sums this up. He sent me an email in one of the  
13 NGL cases, and his email reads and I quote and this will  
14 be in the evidence today, "Since the 1.5-mile distance  
15 is not a rule provision, it does not control, unless its  
16 propriety is shown in a specific case." He goes on to  
17 say, "The Division has power to issue rules or orders to  
18 regulate disposal of water to protect the environment.  
19 If either party were to demonstrate by technical  
20 evidence that both wells now proposed cannot be operated  
21 consistently with environmental protection, the Division  
22 should enter an appropriate order. Given that OCD has  
23 not" -- and here I'm quoting Mr. Brooks again --  
24 "demonstrated by technical evidence that these wells as  
25 proposed cannot be operated consistently with

1 environmental protection" -- and that's the end of my  
2 quote -- the Division's protest should be denied.

3                   So before the hearing even begins, before  
4 we even get through all this testimony that I know  
5 everyone's spent a lot of time working on, I'd like to  
6 make an oral motion to dismiss OCD's protest. It lacks  
7 any basis in fact or law and should be dismissed, and  
8 it's inconsistent with OCD's own counsel's determination  
9 about the applicability of the 1.5-mile spacing  
10 requirement.

11                   So I'd ask that this protest and the other  
12 protests be dismissed.

13                   EXAMINER JONES: Do you have the denials as  
14 an exhibit?

15                   MS. BENNETT: Yes, I do. Uh-huh. And I'm  
16 happy to point the examiner to those denials right now  
17 so that you can see. What the denials say is: The  
18 Division has sought to maintain a 1.5-mile spacing  
19 location spacing requirement. This is to protect  
20 against induced seismicity and protect correlative  
21 rights and minimize impact from pressure.

22                   I'm paraphrasing here. It says that if  
23 Mesquite protests and if Mesquite files an application,  
24 the Division will protest -- which is exactly what's  
25 happened here -- and the Division will present evidence

1 in support at that time.

2 We still -- today is the first time that we  
3 have gotten any evidence supporting the Division's  
4 denial of Mesquite's applications. It's completely --  
5 it just doesn't feel appropriate to deny Mesquite's  
6 application, saying: There is a 1.5-mile spacing  
7 requirement that you never knew about. And guess what?  
8 We're not going to tell you about it now. We're going  
9 to give you a map that doesn't have a legend, doesn't  
10 have a key. We're not going to tell you when we came up  
11 with this rule, how we came up with it, and we're not  
12 going to let you protest it, because if you do, we're  
13 going to be there to contest you, and that's when we're  
14 going to present the evidence, that's when we're going  
15 to present the technical data.

16 That seems to me to violate the very heart  
17 of what this regulatory body is here for.

18 Mesquite isn't here to say that the  
19 Division lacks authority over the UIC Program. In fact,  
20 Mesquite has been complying with the 1.5-mile rule or  
21 requirement ever since it became aware of it. So this  
22 is not about Mesquite throwing sand in the Division's  
23 face. It's not about Mesquite calling into question the  
24 UIC Program. What it's about is complying with that  
25 regulatory compact and giving the regulated entities

1 notice of what the Division intends to do so that they  
2 can comply with it. That's what they want to do.  
3 That's why they're here. They want to comply with the  
4 Division's regulations, but unless they know what they  
5 are, they can't do it.

6 And so that's why I think this protest  
7 should be dismissed and the applications be returned to  
8 the administrative application process and be approved  
9 promptly.

10 EXAMINER BRANCARD: I just have a question.  
11 I'm confused on where we are procedurally.

12 Mesquite applied administratively in these  
13 two cases.

14 MS. BENNETT: They did. And that was in --  
15 Mesquite applied for all three of these cases  
16 administratively. The Salada was in July. And as I'll  
17 remind the examiner, it was on July 25th which is my  
18 birthday. And then they applied for the Baker in  
19 September. The Laguna Salada applications were denied  
20 administratively in December, December 13th, 2018. The  
21 denial said that the option available to Mesquite was to  
22 apply for an examiner hearing, and Mesquite did file  
23 applications shortly thereafter in January for examiner  
24 hearings. So these applications for examiner hearing  
25 have been pending since early January. That's the

1 procedural process of how we got here.

2 EXAMINER BRANCARD: So you had a denial.

3 MS. BENNETT: Uh-huh.

4 EXAMINER BRANCARD: And that was when?

5 MS. BENNETT: For the Laguna Salada wells,  
6 that was July 25th, 2018.

7 EXAMINER BRANCARD: And then you applied  
8 for a hearing when?

9 MS. BENNETT: January. The denial came in  
10 December, and we applied for the hearing.

11 EXAMINER BRANCARD: Oh, the denial came in  
12 December.

13 MS. BENNETT: Yes. And we applied for the  
14 hearing in December -- I'm sorry. We filed applications  
15 for an examiner hearing in January.

16 EXAMINER BRANCARD: So are we here on an  
17 appeal of the denial?

18 MS. BENNETT: That's a good question. I  
19 wasn't sure how that works. I mean, in my view this is  
20 de novo, but at the same time, the denial needed to be  
21 supported by -- under Mr. Brooks' own email, needed to  
22 be supported by technical data to support a finding that  
23 the two wells could not be operated consistent with  
24 environmental protection, and that was never done. So  
25 in my view, any evidence that the Division intends to

1 present today is a post hoc justification for the  
2 December denial, and we can't cure the December denial.  
3 That can't be the way it works.

4           If the Division wanted us to go to  
5 hearing -- wanted Mesquite to go to hearing, then that  
6 is obviously completely within the Division's authority,  
7 but at that point, it should be a hearing between  
8 Mesquite and, say -- Kaiser-Francis isn't protesting  
9 here, but let's just say they continued their protest.  
10 It would be a hearing between Mesquite and  
11 Kaiser-Francis where the two parties would be presenting  
12 their competing information, and the Division would be  
13 in the adjudicatory, fact-finding body role that it  
14 should be as opposed to the advocacy role that it's in  
15 now. So that's a long-winded answer to say, Heck if I  
16 know.

17           I don't know if we're here on the appeal of  
18 the de novo -- I'm sorry -- on appeal of the denial. I  
19 didn't see the process for an appeal of the denial in  
20 the regulations, which is why we chose to go this route.

21           EXAMINER JONES: You kept talking about  
22 denials, and you're going to present those as an  
23 exhibit; is that correct?

24           MS. BENNETT: That's right, except for the  
25 Baker well, which was never denied.

1 EXAMINER JONES: Okay. Okay. So the Baker  
2 well, what do you have on it?

3 MS. BENNETT: Nothing.

4 EXAMINER JONES: Just hasn't been acted on?

5 MS. BENNETT: It hasn't been acted on.

6 And so we affirmative- -- knowing that the  
7 issues were likely the same given its proximity to  
8 another Mesquite well, the Paduca 6, we affirmatively  
9 filed an application for hearing. And, in fact, in the  
10 Division's prehearing statement, our predictions were  
11 accurate because the Division's prehearing statement in  
12 Baker says that the Division has sought to maintain a  
13 1.5-mile spacing distance. So the issues -- even though  
14 Baker was just not acted upon, the issues there were  
15 going to and have now raised their head.

16 EXAMINER JONES: On the Laguna Salada  
17 wells, were they -- did it say "denied" in this document  
18 that you're going to present --

19 MS. BENNETT: Yes, it did.

20 EXAMINER JONES: -- or did it say "cannot  
21 be approved administratively"?

22 MS. BENNETT: I believe it says denied.  
23 I'll double-check right now, but I'm almost 100 percent  
24 positive it says denied.

25 EXAMINER JONES: What exhibit?

1 MS. BENNETT: That's Exhibit D -- D1. It's  
2 behind Tab Number 1, and it's Exhibit D1 behind Tab  
3 Number 1. And I have that right here in front of me.  
4 It says, "Mr. Wilson, the application submitted on  
5 behalf of Mesquite SWD for approval of the Laguna Salada  
6 13 and the Laguna Salada 19 are being denied." Then  
7 later it says, "However, should the Applicant seek  
8 approval of these applications through hearing, the  
9 Division will appear and oppose the approval of these  
10 applications based on the reasons previously provided,  
11 supported by the evidence and testimony offered in  
12 similar cases before the Division and the Commission."

13 And Mr. Brooks' email to me in the other  
14 matters is behind Tab E.

15 EXAMINER JONES: Okay. So the argument for  
16 the Laguna Salada is not exactly the same argument for  
17 the Baker, that this would be done de novo?

18 MS. BENNETT: Right.

19 EXAMINER JONES: Baker could be done today.  
20 Is that your statement?

21 MS. BENNETT: Oh, no. All three cases can  
22 be heard today if the Division denies my motion to  
23 dismiss. But that's what I'm asking for, is a motion to  
24 dismiss all three protests based on the grounds that the  
25 Division's 1.5-mile spacing unit -- or spacing distance

1 is not a rule, cannot be applied mechanically and is not  
2 supported by any technical evidence or data.

3 EXAMINER JONES: Mr. Bruce, do you have an  
4 opinion on this?

5 MR. BRUCE: No.

6 (Laughter.)

7 EXAMINER JONES: And everybody agreed that  
8 Mr. Padilla could talk.

9 So, Mr. Padilla?

10 MR. PADILLA: We support the motion before  
11 the Division as far as the 1.5-mile finding rule is  
12 concerned. We just don't see any reason for applying a  
13 rule that's not supported by technical data or by  
14 appropriate rulemaking.

15 EXAMINER JONES: Mr. Brooks?

16 MR. BROOKS: Well, I think the motion to  
17 dismiss is not well-taken unless we -- it is very -- it  
18 is not well-taken on the grounds which are stated  
19 because how can you deny a motion on the grounds that  
20 there is no technical data to support the objection  
21 until we've been allowed to present our case? I think  
22 it's at least premature in that regards.

23 Otherwise, I would note that if they're  
24 confused about the subsequent rules, we're also confused  
25 about the procedural rules, because I have been an

1 attorney for the Division for 18 years, and for 17 of  
2 those years, everyone, I think, assumed that if a permit  
3 was denied, it would go to hearing. If a permit -- if  
4 administrative approval was denied or not granted, it  
5 went to hearing, and the hearing was the hearing. It  
6 was the only -- it was not a de novo hearing. It was  
7 the only hearing. Because it was assumed, although  
8 admittedly there is nothing in the rule that says  
9 that, it was assumed that the director made these  
10 decisions about permits.

11 And a hearing by an examiner is a hearing  
12 by a deputy appointed by the director to hear evidence  
13 and make a recommendation to the director as to how to  
14 proceed. And it was assumed that if the director was  
15 unwilling to grant an application that had been granted,  
16 the director could reconsider after evidence was  
17 presented at a hearing. Whether you call that an appeal  
18 or simply an ongoing part of the permitting proceeding,  
19 I don't know.

20 But then the Commission announced a new  
21 rule in the Alpha versus Delaware case, which, in my  
22 opinion, was unsupported by any precedent, to the effect  
23 that administratively -- denials of administrative  
24 applications that had not gone to hearing could be  
25 reviewed by the Commission and should be appealed to the

1 Commission and were not otherwise reviewable. Now, how  
2 those two things parallel, I do not know, because the  
3 Commission has plowed new territory. And I think if I  
4 had Mr. Carr and Mr. Callahan [sic] and several others  
5 who have practiced their entire career before the OCD,  
6 they would at least verify my statement that everybody  
7 assumed the contrary before Alpha versus Delaware.

8 Now, if I'm called upon to testify, then  
9 I'm going to have to be disqualified as counsel for the  
10 Division because my credibility is put in issue.

11 Thank you.

12 EXAMINER BRANCARD: I mean, my suggestion  
13 to the hearing examiners is that we go forward with the  
14 hearing. There are, as Mr. Brooks has pointed out,  
15 significant procedural issues related to these permit  
16 proceedings in which we do them by notice and  
17 opportunity for hearing, which is not something that is  
18 laid out very specifically in the Oil and Gas Act. So  
19 if this issue does go up to the Commission, the  
20 Commission can try to deal with the procedural matters  
21 better than, say, the hearing examiners here. So we're  
22 going to get -- get to the issues here substantively in  
23 one of these hearings or the other, so my suggestion is  
24 to go forward with this hearing.

25 EXAMINER JONES: Okay. It does seem that

1 the Baker application was a bit -- the way it arrived  
2 was a bit different than the Laguna Saladas. But the  
3 motion to dismiss will be acted on after we hear all the  
4 evidence.

5 And prehearing statements -- our  
6 prehearing --

7 Mr. Bruce?

8 MR. BRUCE: I don't have anything to say.

9 EXAMINER JONES: Mr. Padilla?

10 MR. PADILLA: I don't have anything.

11 EXAMINER JONES: Mr. Brooks.

12 MR. BROOKS: Well, I've only addressed the  
13 motion to dismiss at this point, so I would reserve the  
14 right to do a prehearing statement before the  
15 testimony -- before the start of my case-in-chief, but I  
16 probably will not do one because -- unless there is a  
17 need created by the way the case is presented, I see no  
18 reason to.

19 EXAMINER JONES: Okay.

20 MS. BENNETT: Thank you.

21 And, Mr. Roach, did you have something you  
22 wanted to say or --

23 EXAMINER JONES: Yes. I'm sorry.

24 MR. ROACH: We support Mesquite's position  
25 on behalf of Baker Ranch. Mr. and Mrs. Baker are also

1 here. We have dealt with Mesquite over a period of  
2 time. They have done very well. They're very friendly  
3 and cooperative with the landowner, with the -- and very  
4 eco-friendly to them, and we completely support their  
5 position as presented by counsel for Mesquite.

6 Thank you.

7 EXAMINER JONES: Thank you.

8 Ms. Bennett, please proceed with your --  
9 Mr. Neatherlin.

10 MS. BENNETT: Thank you. I appreciate the  
11 ability to get that all on the record.

12 Thank you.

13 CONTINUED DIRECT EXAMINATION

14 BY MS. BENNETT:

15 Q. So, Mr. Neatherlin, thank you for your patience  
16 while we went through that.

17 So we were going through some of your  
18 background, and I was about to ask you if you were  
19 familiar with the three applications that were filed for  
20 this hearing.

21 A. Yes, I am.

22 Q. And does your area of responsibility include  
23 the areas of New Mexico that are the subject of these  
24 applications?

25 A. Yes.

1 Q. Have you testified before the Division before?

2 A. Yes, I have.

3 Q. And how about before the Commission?

4 A. Yes.

5 Q. And your credentials as an expert in drilling,  
6 completion, permitting and casing design matters for  
7 saltwater disposal wells were accepted as a matter of  
8 record; is that right?

9 A. Yes, they were.

10 MS. BENNETT: At this time I tender  
11 Mr. Neatherlin as an expert in permitting, casing  
12 design, drilling, completion and operation matters for  
13 SWDs.

14 EXAMINER JONES: Any objections?

15 MR. PADILLA: No.

16 EXAMINER JONES: He is so qualified.

17 MS. BENNETT: Thank you.

18 Q. (BY MS. BENNETT) Mr. Neatherlin, what does  
19 Mesquite want from this hearing?

20 A. We'd like our permits to be approved as soon as  
21 possible.

22 Q. That's a pretty succinct answer. Thank you  
23 (laughter).

24 But I guess what I was wanting for you to  
25 address is some of the frustrations that Mesquite has

1 felt over the past six to nine months in terms of the  
2 rule that you thought was in effect when you applied  
3 versus the denial email that you got and the  
4 implications for Mesquite as a company.

5 A. Well, I guess what we're seeking is just  
6 clarification, notification process of regulation.  
7 There's never been any official notice of spacing. The  
8 only thing that we've seen has been the area of review  
9 moved to a mile and -- yeah, a mile, and that's the only  
10 thing that we've really seen that's changed in the  
11 application process for the C-108. And we're just  
12 seeking clarification.

13 Q. And so it was your understanding, though, when  
14 you applied -- well, what was your understanding when  
15 you applied for the Laguna Salada well and the Baker  
16 well? What was your understanding of the spacing  
17 requirements at that time?

18 A. That it was a mile spacing.

19 Q. And so at that time, you hadn't had any  
20 indication or any knowledge of a change to a 1.5-mile  
21 spacing?

22 A. No. No, we had not.

23 Q. A moment ago I said that Mesquite is complying  
24 with the 1.5-mile requirement at this point. Is that  
25 accurate?

1           A.    That is correct.  Yes.

2           **Q.    And why are you doing that?**

3           A.    Because of these denials, because we're trying  
4 not to slow down the process so that we can keep moving  
5 to stay up with industry.

6           **Q.    And why can't you just move the Laguna Salada  
7 wells and the Baker well?**

8           A.    Because of the one-and-a-half-mile spacing.  If  
9 we move them anywhere -- there is no room to move them  
10 now.  We're boxed in from other operators on all sides.

11          **Q.    So when you applied for the three wells, you  
12 weren't boxed in, under your understanding of the rule  
13 at that time; is that right?**

14          A.    No.  They're spaced a little over a mile of  
15 each other.

16          **Q.    If you wouldn't mind --**

17                         MS. BENNETT:  And I've given all the  
18 examiners and the witnesses a packet.

19          **Q.    (BY MS. BENNETT) If you wouldn't mind just  
20 turning to Tab 1 and looking at Exhibit A behind Tab 1,  
21 can you explain to the examiners what that is?**

22          A.    This is our application for the Laguna Salada  
23 13.

24          **Q.    And what is Exhibit B?**

25          A.    B is the application for the Laguna Salada 19

1 No. 1.

2 Q. And what is Exhibit C?

3 A. C is the application for the Baker SWD No. 1.

4 Q. And those three applications contain the  
5 application that I filed on Mesquite's behalf, along  
6 with the C--108s that were previously filed as  
7 administrative applications but that I refiled for this  
8 hearing. Is that how you see them?

9 A. Yes. Correct.

10 Q. Okay. Have you assisted with preparing other  
11 administrative applications for Mesquite?

12 A. Yes, I have.

13 Q. And about how many administrative applications  
14 have you prepared for Mesquite?

15 A. About a dozen or so.

16 Q. And has Mesquite had administrative  
17 applications approved?

18 A. Yes.

19 Q. About how many?

20 A. 15.

21 Q. So a moment ago, we talked about your  
22 understanding of the spacing requirement at the time you  
23 submitted these three applications, and your testimony  
24 was that you thought -- your understanding was that it  
25 was a one-mile spacing requirement?

1 A. Correct.

2 Q. Where did the one-mile spacing requirement come  
3 from?

4 A. I don't know.

5 Q. Is that in any of the rules?

6 A. Not that I'm aware of.

7 Q. It is on the C-108?

8 A. No.

9 Q. Were you involved in the SWD working group?

10 A. Yes.

11 Q. As part of that SWD working group, was there a  
12 discussion about spacing?

13 A. There was.

14 Q. And did the SWD working group discuss the  
15 one-mile spacing requirement that you can recall?

16 A. We discussed the one-mile area of review but  
17 nothing on a spacing basis for a notification of a  
18 one-mile buffer around each wellbore.

19 Q. Uh-huh. So in other words, the spacing  
20 requirement that you thought was in effect at the time  
21 wasn't even a formal spacing requirement?

22 A. Correct.

23 Q. You had no notice of that?

24 A. Yes, no notice.

25 Q. So the area of review that you mentioned a

1 moment ago, do you know if the area of review is  
2 codified or sort of described in the C-108s?

3 A. I don't think the one mile is. I believe it's  
4 a half mile that's required in the C-108.

5 Q. Yeah. If you look at your -- let's look at the  
6 first exhibit, Exhibit A, the Laguna Salada 13  
7 application. And if you look back a few pages, the  
8 C-108 starts a couple pages into the exhibit. And if  
9 you look at Roman numeral V -- do you see that Roman  
10 numeral V? It says it starts "with attached map that  
11 identifies."

12 A. Yes.

13 Q. And after you read that, can you tell me what  
14 the area of review is?

15 A. It's a half-mile radius.

16 Q. And it is your understanding that that  
17 half-mile radius is also in the regulations?

18 A. Yes, it is.

19 Q. Did you comply -- so you don't -- you said a  
20 minute ago that you think the one-mile -- expansion of  
21 the one-mile area of review may have come from the SWD  
22 working group?

23 A. Yes.

24 Q. Did you comply with the one-mile policy for  
25 providing notice and identifying wells in your Laguna

1 Salada and Baker applications?

2 A. We did.

3 Q. Earlier today I said that you submitted the  
4 Laguna Salada applications for administrative approval  
5 on July 25th, 2018. Does that sound about right to you?

6 A. Yes, it does.

7 Q. And then you submitted the Baker application  
8 around September 27th, 2018. Does that sound familiar  
9 to you?

10 A. Yes.

11 Q. What is your understanding of the timeline for  
12 administrative approval?

13 A. It's a 15-day protest period and then as long  
14 as you have a complete application, that the C-108 can  
15 be approved administratively.

16 Q. Let's talk about the Laguna Salada 13. Do you  
17 know if anyone -- any other SWD operator protested that  
18 application?

19 A. Not on the 13, no.

20 Q. How about on the Laguna Salada 19? Did any  
21 other SWD operator protest that application?

22 A. No.

23 Q. How about on the Baker? Did any other SWD  
24 operator protest that application?

25 A. No.

1           Q.    For those three wells, has any oil and gas  
2 operator protested those applications?

3           A.    No, not that I'm aware of.

4           Q.    And so there were no protests filed by email  
5 during the 15-day protest period?

6           A.    No.

7           Q.    Before these applications were denied, did you  
8 ever receive any communication from OCD that the  
9 applications were incomplete?

10          A.    No.

11          Q.    Did you ever receive any applications -- any  
12 communications from OCD asking for any more information?

13          A.    No.

14          Q.    So for the Laguna Salada, you received no  
15 communication from OCD that you recall asking for more  
16 information?

17          A.    No, we did not.

18          Q.    For the Laguna Salada 19, did you receive any  
19 communication from the OCD?

20          A.    No.

21          Q.    For the Baker well?

22          A.    No.

23          Q.    So what do you -- what's your takeaway from  
24 that? There were no protests during the 15-day period,  
25 and you received no communications from OCD that your

1 application was not administratively complete. What  
2 would you have anticipated the next step would be?

3 A. Approval of our permits.

4 Q. And they could have been -- the Laguna Salada  
5 permits could have been approved as early as August,  
6 right, at least mid-August, mid to late August in the  
7 protest period?

8 A. Yes.

9 Q. Did you hear from OCD in August about the  
10 Laguna Salada applications?

11 A. No, we did not.

12 Q. September?

13 A. No.

14 Q. October?

15 A. No.

16 Q. November?

17 A. No.

18 Q. So the first time you heard from OCD about the  
19 Laguna Salada applications was the denial you received  
20 on December 13th?

21 A. That's correct.

22 Q. The Baker application we discussed a moment ago  
23 was submitted around the end of September 2018. So  
24 based on your understanding -- and I understand, of  
25 course, that there are some delays in approving these

1 administrative applications. But in your opinion, when  
2 could it first have been approved?

3 A. Technically, it could have been approved in  
4 October.

5 Q. And how about -- did you hear anything from OCD  
6 about the Baker application in October?

7 A. No.

8 Q. November?

9 A. No.

10 Q. December?

11 A. No.

12 Q. January?

13 A. No.

14 Q. At all?

15 A. No. We still have not heard anything from  
16 them.

17 Q. So your Baker application was pending before  
18 OCD with no information to you at all?

19 A. Correct.

20 Q. During the same time period, you were receiving  
21 communications from OCD about other wells; is that  
22 right?

23 A. Yes.

24 Q. For example, you had some requests in for  
25 increased tubing size, as I recall?

1           A.    Yes.  We had some increased tubing sizes and  
2   some other wells we were permitting.

3           Q.    Did OCD tell you about the change to the  
4   1.5-mile spacing requirement in any of those  
5   communications?

6           A.    No.

7           Q.    So, again, the first time you heard about the  
8   1.5-mile spacing requirement was in the denial you  
9   received on December 13th?

10          A.    That's correct.

11          Q.    Nearly six months after you filed your  
12   applications?

13          A.    Yes.

14          Q.    And what did you receive from OCD?

15          A.    Just the denial of the two Laguna wells,  
16   stating that the -- the one-and-a-half-mile radius --

17          Q.    Applied?

18          A.    -- applied on there.

19          Q.    Is that denial what we were looking at behind  
20   Tab D1?

21          A.    Yes, it is.

22          Q.    And if you could -- let's take a minute and  
23   just kind of review that denial email.  What's your  
24   understanding of what that email means?

25          A.    It says that the Division is going to deny our

1 application because they're trying to maintain a  
2 one-and-a-half-mile radius around the Devonian wells to  
3 reduce interference, to extend operational life and  
4 reduce the potential for induced seismicity activity.

5 Q. And did OCD provide a map to you with that  
6 denial?

7 A. They did.

8 Q. And is that map behind the denial email --

9 A. Yes.

10 Q. -- marked as Exhibit D2?

11 A. Yes.

12 Q. Can you take a minute and orient the examiners  
13 to that map and show the examiners where the Laguna  
14 Salada wells are on this map?

15 A. They are the two yellow circles on the map.

16 Q. Let me back up a second. Did you create this  
17 map?

18 A. No. This was from the OCD in our denial.

19 Q. So you had never seen this map before you got  
20 it in the denial?

21 A. No.

22 Q. Are there circles drawn around the two Laguna  
23 Salada wells?

24 A. Yes, there are.

25 Q. And are they different colors?

1           A.    Yes.  There is a black one and a red-dashed  
2 one.

3           Q.    Is there any some kind of legend on the map or  
4 any kind of key to tell you what those are?

5           A.    No, there is not.

6           Q.    And in your opinion, just based on what you  
7 know from the denial and extrapolating from the denial  
8 email, what do you assume those are?

9           A.    I assume the black circle is a one-mile radius  
10 and that the red-dashed circles are a three-quarter-mile  
11 radius.

12          Q.    And, again, this is the first time -- well,  
13 when you got the denial, that was the first time you'd  
14 ever seen a map like this?

15          A.    Yes.

16          Q.    And it was the first time you'd ever seen a map  
17 with a three-quarter --

18          A.    Yes.

19          Q.    -- what we're guessing is a three-quarter-mile  
20 radius?

21          A.    Correct.

22          Q.    Okay.  Turning back to the denial email, when  
23 OCD denied these two applications, did OCD provide any  
24 technical study or data supporting this email?

25          A.    No, they did not.

1 Q. The email and the map are the only two things  
2 you received from OCD?

3 A. Yes.

4 Q. You read from the denial a moment ago, and you  
5 read the language that said OCD is intending to propose  
6 the 1.5-mile requirement to address the potential for  
7 interference between wells. Did OCD ever provide you  
8 with any studies or data about interference between  
9 wells?

10 A. No, they did not.

11 Q. The OCD denial that you read a moment ago also  
12 talks about the risk of induced seismicity. Did OCD  
13 ever provide you with any technical studies or data  
14 about the risk of induced seismicity?

15 A. No, they did not.

16 Q. Do you see in the denial email where OCD states  
17 that "OCD will oppose your applications and will support  
18 the denial by evidence and testimony offered in similar  
19 cases before the Division and Commission"?

20 A. Yes.

21 Q. Did OCD provide that evidence and testimony in  
22 its denial email?

23 A. No, it did not.

24 Q. Did OCD provide this prior evidence and  
25 testimony to Mesquite at all?

1           A.    No.  We have not seen any evidence to support  
2  their denial.

3           Q.    And have you seen any evidence to support a  
4  1.5-mile spacing location requirement more generally?

5           A.    No, I have not.

6           Q.    Let's turn to Exhibit E.  Exhibit E is an email  
7  from Mr. David Brooks, lawyer for OCD, sent to me and to  
8  others in a different case, right?

9           A.    Correct.

10          Q.    Sent sometime in February?  Is that on --

11          A.    Yes.

12          Q.    Okay.  Can you read the first few lines of that  
13  email to me, please?

14          A.    "Since the 1.5-mile distance is not a rule  
15  provision, it does not control unless the propriety of  
16  its application in a particular case is shown.  The  
17  Division has power to issue rules or orders to regulate  
18  disposal of" waters -- "disposal of wastes to protect  
19  the environment.  If either party were to demonstrate by  
20  technical evidence that both wells now proposed cannot  
21  be operated consistently with environmental protection,  
22  the Division should enter an appropriate order."

23          Q.    Thank you.

24                         What does that mean to you, just as a  
25  layperson?  I'm not asking for a legal opinion, just as

1 a layperson who is regulated by the OCD.

2 A. It basically says that since the 1.5-mile  
3 distance is not a rule, that approval or denial should  
4 be based on the technical evidence between the two  
5 wells.

6 Q. And so even though it's OCD's position that a  
7 1.5 spacing can only be applied on a case-by-case basis  
8 supported by technical evidence, OCD did not provide you  
9 with any technical data?

10 A. No, they did not.

11 Q. Have you seen the Division's prehearing  
12 statements filed in these cases?

13 A. Yes.

14 Q. And can you turn to Tab F, please? Does Tab F  
15 have the three prehearing statements labeled F1, F2 and  
16 F3?

17 A. Yes, it does.

18 Q. Let's turn to Tab F3, which is -- and can you  
19 tell me what that is?

20 EXAMINER BRANCARD: Ms. Bennett, what are  
21 you looking at?

22 MS. BENNETT: Tab F behind Exhibit 1. It's  
23 the Division's prehearing statements.

24 I handed out a separate -- this is my  
25 packet of materials (indicating). That's the Division's

1 packet of materials that you're looking at there. My  
2 packet is bound by a rubber band. That's the Division's  
3 materials. That's Mr. Brooks' materials that you're  
4 flipping through. What Mr. Jones is flipping through is  
5 my materials, and I handed a packet to each of you.

6 EXAMINER BRANCARD: But you're talking  
7 about the Division's exhibits.

8 MS. BENNETT: No. I'm talking about the  
9 prehearing statements that were filed in these cases  
10 that I've included as exhibits in my materials.

11 EXAMINER BRANCARD: Oh, okay.

12 MS. BENNETT: Thank you for that  
13 clarification.

14 So I did include the Division's prehearing  
15 statements in these three cases in my materials behind  
16 Tab F.

17 Q. (BY MS. BENNETT) So if you could turn to Tab  
18 F3?

19 MS. BENNETT: Mr. McMillan, do you need a  
20 copy of the exhibits? Did I fail to give them to you?

21 Apologies.

22 Mr. Brancard, did I not give you a copy?

23 EXAMINER BRANCARD: (Indicating.)

24 MS. BENNETT: Okay. Again, apologies for  
25 not handing out those exhibits earlier. I thought I had

1 done that.

2                   So if you look at Tab 1, which are the  
3 exhibits that Mr. Neatherlin is testifying about, behind  
4 Tab 1 are a series of subtabs, and Subtab F are the  
5 prehearing statements that the Division filed in these  
6 three cases. And F3 is the prehearing statement that  
7 the Division filed in the Baker case.

8           **Q. (BY MS. BENNETT) Have you had a chance to**  
9 **review the prehearing statements?**

10           A. Yes.

11           **Q. You've seen them before today?**

12           A. Yes, I have.

13           **Q. I wanted to ask you about some language in the**  
14 **prehearing statement. Can you turn to the page that has**  
15 **highlighting there?**

16           A. Uh-huh.

17           **Q. And read the highlighted portion that starts --**  
18 **that discusses the Division's desire to maintain a**  
19 **distance of 1.5 miles to minimize interference. Do you**  
20 **see that?**

21           A. "The Division has sought to maintain a distance  
22 of 1.5 miles between injection sources based on a  
23 three-quarter-mile radius from the well surface location  
24 or" 7,200 -- "or 7,920 feet between the Devonian SWD  
25 wells."

1           Q.    And then what does subparagraph one say in  
2 terms of one of the justifications for imposing this  
3 1.5-mile requirement?

4           A.    "In an effort to minimize interference between  
5 the wells in support of the effort to reduce the  
6 potential for induced seismic events and to optimize the  
7 operational life of these wells as a best management  
8 practice."

9           Q.    And does the prehearing statement also identify  
10 the need to protect correlative rights and support  
11 production while preventing waste?

12          A.    It does.

13          Q.    And having reviewed all three prehearing  
14 statements, is this essentially the same language as in  
15 the prehearing statements for the Laguna Salada wells?

16          A.    Yes, it is.

17          Q.    And does it more or less track the language in  
18 the denial that you saw for the Laguna Salada wells?

19          A.    Yes, it does.

20          Q.    Now, Mesquite has retained technical experts  
21 that will be testifying here today; is that right?

22          A.    Correct.

23          Q.    And you've met with the technical experts?

24          A.    Yes, I have.

25          Q.    Will they be testifying today -- and I'm sorry.

1 Those technical experts have been retained to discuss  
2 the potential for induced seismicity; is that right?

3 A. Correct.

4 Q. And those technical experts have also been  
5 retained to discuss the potential for interference  
6 between wells; is that right?

7 A. Correct.

8 Q. And how about to discuss the geology of this  
9 area?

10 A. Yes.

11 Q. And they've modeled -- done extensive  
12 modeling --

13 A. Yes.

14 Q. -- for all three of these topics?

15 A. Yes, they have.

16 Q. Based on your understanding of what the  
17 witnesses will be testifying to today -- and I'm not  
18 asking you for any kind of an expert opinion. Just  
19 based on what you know the witnesses will be testifying  
20 to, do you know if the witnesses will be testifying --  
21 what is your understanding of what they'll be testifying  
22 to in terms of increased or induced seismicity?

23 A. That there is very low risk for it.

24 Q. How about impact on correlative rights?

25 A. That there are none.

1 Q. How about potential increase for pressure?

2 A. There is very minimal pressure increase that  
3 could be seen from this.

4 Q. Now, we talked about how Mesquite has retained  
5 three subject-matter experts to provide data to the  
6 Division today. Did OCD -- before it issued its denial  
7 to you, do you know if OCD provided you with any  
8 technical data or studies that were prepared by  
9 subject-matter experts?

10 A. No, they did not.

11 Q. Between the time that OCD denied the Laguna  
12 Salada applications and today, has OCD ever provided  
13 Mesquite with any technical studies prepared by  
14 subject-matter experts?

15 A. No, they have not.

16 Q. One of the things I did want to talk to you  
17 about -- and I think this is sort of in your area of  
18 knowledge -- is the notion that the 1.5-mile spacing  
19 requirement is designed to minimize interference between  
20 the wells and to optimize operational life as a best  
21 management practice. What do you understand that --  
22 what do you understand interference between wells to  
23 mean?

24 A. That the wells would be communicating with each  
25 other, and they would start seeing a pressure increase

1 because of their proximity to each other.

2 Q. And what's the practical effect of that  
3 pressure increase if two wells -- if their pressures  
4 start to communicate?

5 A. You'll see an increase in surface pressure and  
6 reduction in your injection rate.

7 Q. And so the amount that you can inject  
8 decreases?

9 A. Correct.

10 Q. What wells -- let's just talk about the Laguna  
11 Salada wells. What two wells are going to interfere  
12 with each other, if there is interference?

13 A. It would be the two Laguna Salada wells.

14 Q. And let's talk about the Baker well for a  
15 moment. With respect to the Baker well, if there is  
16 interference with another well, what will that interfere  
17 with?

18 A. It would interfere with our Paduca 6 well.

19 Q. So the wells that would be -- that may have  
20 potential interference are owned by Mesquite?

21 A. Correct.

22 Q. Operated by Mesquite?

23 A. Yes.

24 Q. And do you think -- in your view, is the  
25 practical effect, a slight reduction in injection rate,

1 is that a business decision?

2 A. Yes, it is.

3 Q. Has Mesquite analyzed that business decision?

4 A. Yes, we have.

5 Q. And Mesquite's willing to go forward with that  
6 risk of a slightly decreased injection rate?

7 A. Yes, we were.

8 Q. Do you think -- well, getting back to some of  
9 our original points, you're not saying that OCD doesn't  
10 have jurisdiction to regulate well design or mechanical  
11 integrity?

12 A. Not at all.

13 Q. And are some of those requirements and  
14 regulations in the C-108 also in the order that you  
15 receive from the Division?

16 A. Yes.

17 Q. Has OCD ever provided you or made available to  
18 you any sort of formal guidance document that sets out  
19 OCD's best management practices?

20 A. No, they have not.

21 Q. In your opinion, would you say that the  
22 regulations that OCD has duly promulgated include the  
23 best management practices or at least reflect operators'  
24 best management practices?

25 A. Yes, I would.

1 Q. And did Mesquite's application comply with the  
2 additional requirements under the regulations?

3 A. Yes, they did.

4 Q. And then once the order was granted, OCD would  
5 put in further protections based on the regulations. Is  
6 that accurate?

7 A. Yes.

8 Q. So I just wanted to also talk to you little bit  
9 about the 1.5-mile spacing requirement again. We talked  
10 about how the one-mile spacing requirement is not in the  
11 regulations, and you've never had formal notice of a  
12 one-mile spacing requirement; is that right?

13 A. That's correct.

14 Q. And the denial was the first time you'd ever  
15 heard of a 1.5-mile spacing requirement?

16 A. Yes.

17 Q. Do you know in the intervening months since  
18 your applications were denied, has OCD put anything on  
19 their website about the 1.5-mile spacing location?

20 A. Nothing that I've seen, no.

21 Q. Has OCD ever sent you, Mesquite, a letter,  
22 guidance document discussing the 1.5-mile spacing  
23 requirement?

24 A. Not until we got these denial applications.

25 Q. Did you ever see a notice in the newspaper or

1 in any other publicly available document that OCD was  
2 imposing a 1.5-mile spacing requirement?

3 A. No, I did not.

4 Q. So you essentially learned about it from this  
5 denial and had to then modify your behavior to comply  
6 with an unwritten rule?

7 A. Correct.

8 Q. Now, one of the things I'd like to understand  
9 is why -- we talked a little bit about the fact that you  
10 can't move these wells because they're boxed in. But  
11 why did you choose this location for -- let's start with  
12 the Laguna Salada wells. Why did you choose the  
13 location for the Laguna Salada wells? Are there oil and  
14 gas operators nearby? Did you have contracts? What  
15 caused you to choose those locations?

16 A. We had entered into some contracts with  
17 different operators in the area, and we chose those  
18 locations, one, because they're on fee land and, two,  
19 because of their close proximity to the operators'  
20 infrastructure. That way we're not having to have  
21 increased capital costs because they are -- they're  
22 farther away from where the production is.

23 Q. Uh-huh. And so you actually had contracts  
24 first and then applied for the applications?

25 A. That's correct.

1 Q. So these are applications that Mesquite -- or  
2 wells that Mesquite intends to drill --

3 A. Yeah.

4 Q. -- and intends to operate because you have  
5 these pre-existing contracts?

6 A. Correct.

7 Q. What's your understanding of what's happened or  
8 what will happen now that these applications have been  
9 denied on the production that was the subject of your  
10 contracts?

11 A. That there could be some slowdown of  
12 production. There could be some slowdown of bringing  
13 wells online and slowing down operators' programs to  
14 develop these acreage.

15 Q. And do the developers -- could they just truck  
16 this water someplace else?

17 A. General consensus is if they can't pipe this  
18 water, they won't produce these wells because of the  
19 economics.

20 Q. But that would be the other option, right, is  
21 trucking a long distance or trucking some distance  
22 across probably dirt roads or other roads to get to a  
23 permitted disposal well?

24 A. Yes. That would be the only other option.

25 Q. And -- but your wells are close by and

1 infrastructure wouldn't be that difficult to supply to  
2 get the production -- the produced water to your wells?

3 A. Correct.

4 Q. Did you conduct anywhere surveys or have any  
5 initial work that you did based on your understanding  
6 that the 1.5 -- one-mile spacing requirement was in  
7 place when you applied for these applications?

8 A. Yes, we did. We went out and surveyed the land  
9 and looked at existing applications and permits to make  
10 sure that we were a mile away from the existing either  
11 permits or wells in the area.

12 Q. And did you have surveys done?

13 A. Yes, we did.

14 Q. Okay. About -- and those surveys were done  
15 based on the 1. -- based on the one-mile spacing  
16 requirement?

17 A. Yes.

18 Q. And about how much does it cost to prepare an  
19 application for administrative approval?

20 A. Around \$10,000 an application.

21 Q. Is any of that money that you spent on that --  
22 in reliance on the one-mile rule, is any of that  
23 transferable to a 1.5-mile application?

24 A. No, it's not.

25 Q. So the money that you spent in reliance on the

1 one-mile spacing requirement is essentially just lost?

2 A. Correct.

3 Q. Would you have conducted the surveys  
4 differently if you had known that OCD was going to  
5 require a 1.5-mile spacing location?

6 A. Yes, we would have.

7 Q. I believe you mentioned that Mesquite actually  
8 moved the location of one of your Laguna Salada wells  
9 and even brought Laguna Salada applications based on  
10 discussions with another saltwater disposal operator; is  
11 that right?

12 A. That's correct. We had a third well  
13 permitted -- or were going to permit in the area and it  
14 was too close to another operator's existing permit. In  
15 private discussions with them, we dropped that permit,  
16 and they said they were okay with the other two.

17 Q. So as a competitor, you worked with your  
18 neighboring SWD operator to work out those issues as  
19 between the two of you?

20 A. Correct.

21 Q. Without any necessity for the Division to come  
22 in and kind of oversee your negotiations?

23 A. Correct.

24 Q. And that operator -- that SWD operator didn't  
25 even enter an appearance in this case, did it?

1           A.    No, they did not.

2           **Q.    And it hasn't raised any concerns with your**  
3 **wells?**

4           A.    No.

5           **Q.    I think that's all the questions I have for you**  
6 **at the moment.**

7                       MS. BENNETT:  Do you have any follow-up  
8 questions?

9                       MS. BISONG:  No.

10          **Q.    (BY MS. BENNETT) But before I pass the witness**  
11 **and tender your exhibits, I was wondering if you had**  
12 **anything else that you wanted to say that I didn't cover**  
13 **in my questions.**

14          A.    No, not really.  We're just wanting again, you  
15 know, like I said earlier, to get clarification on what  
16 the regulations are going to be and how to go about it,  
17 and we'll play by the rules.  We're not -- we're not  
18 trying to change the rules or do anything else, but just  
19 to have consistency across the board.  That's all we're  
20 looking for so we can keep doing what we're doing; we  
21 don't have to come up here all the time.

22          **Q.    Thank you.**

23                       MS. BENNETT:  With that, I have no further  
24 questions for Mr. Neatherlin, and I would like to move  
25 admission of the exhibits behind Tab 1 at this time into

1 the record.

2 EXAMINER JONES: Exhibits behind Tab 1?  
3 Just all of Tab 1 then?

4 MS. BENNETT: All of Tab 1.

5 EXAMINER JONES: Any objection?

6 MR. PADILLA: No objection.

7 MR. BRUCE: No objection.

8 EXAMINER JONES: Mr. Brooks?

9 MR. BROOKS: Mr. Examiner, I have a  
10 question. Does that include the -- I'm not sure. There  
11 is a lot of stuff behind Tab 1 and I haven't gone  
12 through what it all is. Is there any -- does that  
13 include these denial letters -- so-called denial letters  
14 that you were talking about?

15 MS. BENNETT: Yes, it does, behind Tab D1.

16 MR. BROOKS: B1?

17 MS. BENNETT: D, as in dog.

18 MR. BROOKS: D, as in dog. Okay. Let me  
19 look for it.

20 EXAMINER BRANCARD: There are three  
21 applications --

22 MS. BENNETT: That's correct.

23 EXAMINER BRANCARD: -- A, B and C. And D  
24 is the denial letter -- supposed denial letter, an email  
25 from Mr. Goetze to Ms. [sic] Wilson, December 13th,

1 2018. And then E is an email from Mr. Brooks to Ms.  
2 Bennett, February 18th, 2019. And then F is the  
3 prehearing statement of the Division in one of these  
4 cases.

5 MS. BENNETT: In all three of the cases.

6 EXAMINER BRANCARD: All three of the cases.

7 MS. BENNETT: Uh-huh. F1 is the Laguna  
8 Salada 13, F2 is the Laguna Salada 19, and F3 is the  
9 Baker.

10 EXAMINER BRANCARD: Which are already in  
11 the record.

12 MS. BENNETT: They are already in the  
13 record, but I wanted to make sure I had them available  
14 for the witnesses today.

15 MR. BROOKS: Okay. I have no objection to  
16 anything in -- anything behind Tab 1, which I will refer  
17 to as Exhibit 1.

18 But in view of the -- assuming that D1 will  
19 now be admitted, I have a motion to make.

20 EXAMINER BRANCARD: Exhibit 1, Tab D?

21 MR. BROOKS: Yes.

22 Okay. Since this email clearly states, as  
23 Ms. Bennett has told us -- let's see. Where is the  
24 language about the denial? I saw it just a minute ago.

25 These applications -- it's in the middle of

1 the second-to-the-last paragraph on the front -- well,  
2 there is nothing on the back. "Therefore, these  
3 applications are being denied for approval through the  
4 administrative review but remain available for hearing."  
5 Now, I don't know how that will be construed, but if it  
6 is construed that there is one proceeding and once the  
7 Division has denied the application, it has denied the  
8 application. Based on that possible construction, I  
9 want to make a motion to dismiss the applications now  
10 pending before us as to the Laguna Salada -- Laguna  
11 Salada No. 1 -- Laguna Salada 13 No. 1 and the Laguna  
12 Salada 19 No. 1 on the grounds that those applications  
13 were denied on December 11th, 2018 and de novo appeal  
14 was filed to the Commission -- or there has been no  
15 showing that any de novo application was filed to the  
16 Commission on or before January -- January 17th of 2019,  
17 and, therefore, there is no jurisdiction in this  
18 proceeding because of the Commission's holding of  
19 Delaware versus Alpha.

20 Thank you.

21 MS. BENNETT: May I respond?

22 EXAMINER BRANCARD: (Indicating.)

23 MS. BENNETT: Well, I would just like to  
24 clarify that the email says these cases can be set for  
25 hearing. It does not say these cases have to go to de

1    novo -- application for a de novo hearing by the  
2    Commission has to be held.  And, in fact -- I don't have  
3    those emails with me because I honestly didn't think  
4    this was going to be an issue today, but I'm happy to  
5    look through my e-mail.  When I first submitted these  
6    applications, I acquired as to the correct approach, and  
7    I was told that the Division was considering whether  
8    these needed to go to the Commission, and, in fact, was  
9    considering make a sua sponte motion to submit these to  
10   the Commission.  That was in January.  These cases have  
11   been continued five times.

12                   Mr. Padilla and Mr. Bruce are here on the  
13   exact same issue, denial of an administrative  
14   application.  The Division has been well aware that  
15   these cases were set for hearing, that we have witnesses  
16   here, that we intended to proceed before a Division  
17   hearing.  We were told to file applications, which I  
18   did, and so to now have to face this motion to dismiss  
19   based on procedural ambiguity, at best, but one I feel  
20   was resolved well before we came to this hearing, I  
21   think it untimely, and the Division has acquiesced in  
22   these hearings by continuing them at their own behest  
23   and by appearing today by filing prehearing statements  
24   in these cases that have no notion -- no mention of a  
25   denial -- I'm sorry -- of a dismissal based on lack of

1 jurisdiction.

2                   And to the extent that there is some sort  
3 of jurisdictional issue, we did file our applications  
4 with the Division on January 18th, which is slightly  
5 outside of the 30-day window, but I was under the  
6 impression, based on the email that my client received  
7 from the Division, that we were to file hearing  
8 applications, not de novo applications before the  
9 Commission. And at any time during the past five  
10 months, the Division could have made this motion to  
11 dismiss and saved us all this time and trouble, but they  
12 did not, and we're here today. All parties are here  
13 today before the Division requesting that the Division  
14 hear these cases, and there is no basis to dismiss our  
15 applications pending before the Division.

16                   And I would suggest -- and perhaps the  
17 other counsel have the same impression for the other  
18 operators that are here -- that we're all in the same  
19 boat. If you dismiss -- and I shouldn't say that. We  
20 might not be in the same boat. But if you dismiss  
21 Mesquite's applications, then there is no review for the  
22 other operators here as well. So that can't be the  
23 answer.

24                   Thank you.

25                   EXAMINER JONES: Any other -- Mr. Bruce.

1 MR. BRUCE: Just briefly, I think, you  
2 know, an administrative application, whether it's denied  
3 or objected to by another operator, I think the only  
4 remedy available was to set it for hearing.

5 MS. BENNETT: This kind of hearing?

6 MR. BRUCE: This kind of hearing.

7 EXAMINER JONES: Mr. Padilla.

8 MR. PADILLA: That's my understanding of  
9 the procedure. I agree with Mr. Bruce. Even if you've  
10 been denied administratively or there is opposition to  
11 an administrative application, then it goes to hearing.  
12 That's been the practice here as far as I can remember.  
13 I've been here a long time.

14 EXAMINER BRANCARD: This is sort of the  
15 flip side of your motion to dismiss this application --  
16 Okay? -- and to dismiss disapproval of the denials.

17 So perhaps the way this has been handled in  
18 the past -- again, there is no process set out in the  
19 rules for this. But the normal process in the past, I  
20 believe, is that when something was set for a denial as  
21 an administrative application, the Division would  
22 normally set it for a hearing. It seems like in this  
23 case, the Division denied it and through it back on the  
24 Applicant to set it for -- we can view that as a  
25 distinction without a difference, or we can simply view

1 this as you have filed a new application before the  
2 Division. Okay?

3 MS. BENNETT: (Indicating.)

4 EXAMINER BRANCARD: And so if we treat this  
5 as a new application to be done at a hearing, which was  
6 your option, we have this -- I don't want to disparage  
7 our rules, but we have this unique process for injection  
8 permits that you can go administrative or you can go to  
9 hearing. It doesn't comport with how EPA does it, but  
10 that's how we do it here in New Mexico. So you have  
11 that option. So essentially I think we can treat this  
12 as a new -- it's not an appeal of the decision. It's a  
13 new application set for hearing before the Division.

14 And I think we have -- we have the Delaware  
15 case that has brought up the problem of what do you do  
16 to appeal from an administrative decision, and that's  
17 now in the courts to decide. That was not a situation  
18 of a denial in the Delaware. That was a situation of an  
19 approval that someone who had not protested came in over  
20 two months later and then went to a Division hearing  
21 examiner to throw out the original decision. Okay? And  
22 the Commission decided that's not your remedy. Okay?  
23 It could have been a Commission appeal. It could have  
24 been an appeal to district court. The Delaware case  
25 says it's one way or the other. It's not finding

1 another hearing examiner to throw out the decision of  
2 the first hearing examiner. Okay? That was a true  
3 appeal.

4 But I think in this case, we can treat this  
5 as a new application for the Division. Instead of doing  
6 it administratively, you're now doing it through the  
7 hearing process.

8 And, Mr. Padilla, Mr. Bruce, were your  
9 cases also denials?

10 MR. PADILLA: Ours was an objection by  
11 three other parties.

12 EXAMINER BRANCARD: Okay. So you had an  
13 administrative case, but there are objections, and so  
14 it's going to hearing.

15 MR. PADILLA: My client got a letter simply  
16 saying you have to go to hearing. And I think that's  
17 the practice. I just recently had one not long ago, a  
18 disposal case into the Delaware, and we studied that  
19 very well. We filed the administrative application. It  
20 was denied. My client chose not to go there after  
21 looking at it just simply because we didn't think we  
22 could prevail in that in the Delaware. But we had the  
23 choice then of filing an application and proceeding as  
24 you are discussing at this point.

25 MR. BRUCE: And the Solaris case was

1 objection to my offsets.

2 EXAMINER JONES: Ms. Bennett, did you do a  
3 complete renotice for all the protected parties for this  
4 case?

5 MS. BENNETT: Yes, I did.

6 EXAMINER JONES: There you go.

7 Okay. So first questioning --  
8 cross-examining the witness --

9 MS. BENNETT: I'm sorry. May I just  
10 confirm that my Tab 1 exhibits are admitted and that the  
11 motion to dismiss has been denied?

12 EXAMINER JONES: Tab 1 exhibits are  
13 admitted.

14 (Mesquite SWD, Inc. Exhibit Number 1 with  
15 Tabs A through F are offered and admitted  
16 into evidence.)

17 MS. BENNETT: And Mr. Brooks' motion to  
18 dismiss is denied, question mark?

19 EXAMINER ONES: Yes. The motion is denied.

20 MR. BROOKS: Thank you.

21 EXAMINER JONES: Okay. Mr. Padilla, any  
22 questions?

23 MR. PADILLA: I don't have any questions,  
24 but I just simply want to make sure that what Mr. Riley  
25 testified to in terms of the 1.5 regulation, his

1 understanding of that, can be incorporated in our case  
2 or at least considered by the Division in ultimately  
3 deciding whether rulemaking should have -- should have  
4 occurred first before applying this 1.5-mile policy.

5 EXAMINER BRANCARD: Well, I think because  
6 of the outstanding issue about the fact that the  
7 Division's -- the idea that was raised earlier by the  
8 parties in the Division's testimony could be  
9 incorporated from one hearing to another, I think when  
10 we get to the second hearing, we can -- if you want to  
11 try to incorporate other people's testimony -- if we're  
12 going to incorporate one party, you want to have the  
13 option of raising that as a possibility.

14 MR. PADILLA: That's all I'm asking.  
15 Thank you.

16 EXAMINER JONES: Mr. Bruce, any questions?

17 MR. BRUCE: Really just a statement that I  
18 believe the witness stated that there were no objections  
19 filed by other parties regarding the application, and  
20 Solaris did file objections to the Mesquite  
21 applications. I'd just point that out.

22 EXAMINER JONES: But Kaiser-Francis didn't?

23 MR. BRUCE: They were going to, but they  
24 worked out an agreement with Mesquite.

25 EXAMINER JONES: Okay. Mr. Roach, do you

1 have any questions for the witness?

2 MR. ROACH: No, I do not. Thank you.

3 EXAMINER JONES: Thank you.

4 Mr. Brooks?

5 CROSS-EXAMINATION

6 BY MR. BROOKS:

7 Q. Well, I just want to clarify the locations  
8 here. This map was prepared by our witness, and we will  
9 be using it as an exhibit. It's marked Division Exhibit  
10 Number 1, but I will not tender it for admission until  
11 the witness has identified it. I would just like for  
12 you to look at it and ask if you agree with the  
13 locations shown on the exhibit.

14 A. Yes. I agree with the locations on the  
15 exhibit.

16 Q. Thank you.

17 MR. BROOKS: I have no further questions.

18 MS. BENNETT: I'm sorry. I just had a  
19 follow-up question, which I can do in a minute. Sorry  
20 about that.

21 EXAMINER JONES: Mr. McMillan?

22 EXAMINER McMILLAN: I don't have any.

23 EXAMINER BRANCARD: Oh, I have a few  
24 questions.

25

CROSS-EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY EXAMINER BRANCARD:

Q. Mr. Neatherlin, did you prepare the applications?

A. Not wholly. I assisted in them.

Q. Are there other witnesses testifying who prepared the applications?

A. I don't think. No.

Q. So you are the only witness who was involved in the preparation of the application?

A. Yes. Yes.

MS. BENNETT: That's correct.

Q. (BY EXAMINER BRANCARD) Okay. So to follow up Mr. Brooks' question, so then -- so there seems to be blue lines indicating a distance of between the two Laguna Saladas of 1.05 miles?

A. Correct.

Q. And you don't have a disagreement with that?

A. No, I do not.

Q. So just to clar- -- you've been talking about a the 1.5, three-quarter. What we're talking about here -- I get to ask the dumb questions -- is a -- am I correct, a three-quarter-mile area of review? But if you're going from the center point of two separate wells, it's 1.5 miles; is that correct?

1 MS. BENNETT: Well, I'll let Mr. Neatherlin  
2 testify about what he knows about that, but I think the  
3 real witness to address that question and the one we're  
4 all kind of grappling with is Mr. Goetze. But I'm happy  
5 to let Mr. Neatherlin testify because he has been trying  
6 to comply with that rule -- or that requirement on an  
7 ongoing basis.

8 THE WITNESS: So that's -- yes. That's our  
9 understanding of what the OCD is requiring now.

10 Q. (BY EXAMINER BRANCARD) And what you thought the  
11 previous requirement was based on the regulatory  
12 requirement -- minimum requirement of a half-mile area  
13 of review would give you one mile from each -- if you  
14 had two injection wells in that proximity, you now have  
15 to be at least a mile apart?

16 A. Correct.

17 Q. Okay. I wanted to clarify that.

18 So is it your assumption then that because  
19 of that area of review that you would be prohibited from  
20 having another injection well within a mile of your  
21 proposed injection well?

22 A. Our understanding was that if we were inside of  
23 that area of review -- if there was another operator  
24 inside of that area of review, then they would have the  
25 opportunity to protest our well, and then if we could

1 work it out between two operators, then it would go to  
2 hearing to be resolved. So not that you couldn't even  
3 have the wells next to each other within the half mile,  
4 but if neither party protested it, then it could be  
5 approved.

6 Q. Okay. So in the application, is there a  
7 duration for this well?

8 A. Oh. In the application, did we put a duration  
9 in there for the life span of the well?

10 Q. Yes.

11 A. I don't believe we did.

12 Q. Okay. So you would be asking essentially for a  
13 permit -- and I'm not saying this is unusual -- that  
14 would be with no duration?

15 A. That's how every permit is -- yes. That's what  
16 we would be asking because that's how every permit is  
17 given. As long as the well is active, then the permit  
18 is active.

19 Q. So you could be putting in 40,000 barrels per  
20 day, which I believe is your -- the number you put in in  
21 at least the one application I looked at?

22 A. Yes. The number that we put in there is not a  
23 requirement. It's an estimation of what we expect the  
24 well to do commercially.

25 Q. Right.

1                   **At a certain pressure?**

2           A.     Under the injection -- under the max-allowed  
3 injection pressure, yes.

4           **Q.     And your normal permit that you receive, it**  
5 **doesn't give you a maximum disposal rate?**

6           A.     No, it doesn't. We're only regulated by the  
7 maximum surface injection.

8           **Q.     So with your application, do you include a**  
9 **model of where the produced water is going to go over a**  
10 **period of time?**

11          A.     No, we did not. We're not required to.

12          **Q.     Okay. So the agency has no idea over ten, 20,**  
13 **30, 50, 100 years where your produced water is going to**  
14 **go?**

15          A.     That would be a question for the agency.

16          **Q.     But you're not telling them that?**

17          A.     No.

18          **Q.     Okay. And so were you also in charge of notice**  
19 **for this?**

20          A.     Not in charge for notice, no.

21                   MS. BENNETT: That was me.

22                   EXAMINER BRANCARD: Do we have any exhibits  
23 about notice.

24                   MS. BENNETT: Yes, we do. They're at the  
25 end.

1 EXAMINER BRANCARD: Those are my questions.

2 CROSS-EXAMINATION

3 BY EXAMINER JONES:

4 Q. Okay. You were first too close to the Predator  
5 well? Is that -- is that what you said earlier?

6 A. No. It was the Intrepid SWD with our Laguna  
7 Salada 7, which is shown on the map in the red circle.

8 Q. Okay. So are you asking for a rate limit in  
9 this application?

10 A. No, I'm not.

11 Q. Okay. Are you asking for a volume limit in the  
12 application?

13 A. No.

14 Q. Are you -- are you in charge of the guys that  
15 take care of the wells?

16 A. Yes, I am.

17 Q. Okay. So if they seem -- the initial fluid  
18 levels on these wells, where does it -- where does it  
19 stand? Is it surface or what?

20 A. It depends on the well. It depends on the  
21 area. We have some that they go -- they go on a vacuum.  
22 We can inject into them all day, every day, and as soon  
23 as we turn them off, they go back on the vacuum. And  
24 then we have some that hold pressure. So it depends on  
25 the area as to how the well's going to -- where the

1 fluid level stands.

2 Q. This general area here, what do you think?

3 A. General area here, wellbores are going to stand  
4 full.

5 Q. So it's normally pressured?

6 A. It becomes pressured, yes. It's a tighter area  
7 of injection. Yes.

8 Q. Okay. Have you -- but still you're able to get  
9 the rates into these wells. Otherwise, you wouldn't  
10 be -- you're assuming you can get the rates into these  
11 wells; otherwise, you wouldn't be drilling them?

12 A. Yes.

13 Q. And what tubing size are you going for?

14 A. We would be going for a 7-inch-by-5-1/2 tapered  
15 string.

16 Q. 5-1/2 inside 7-5/8 liner?

17 A. Yes. Correct.

18 Q. With a 39-pound liner?

19 A. Yes.

20 Q. Okay. Have you seen, in your experience, other  
21 Devonian wells being affected pressurewise by disposal  
22 from adjacent wells?

23 A. No, I've not. Not in the Devonian, no.

24 Q. Have you measured any of them to see?

25 A. Yes. We have our two Sand Dune wells that are

1 just a little over a mile, I believe, and one of them  
2 injects about 30,000 a day. The other one does about  
3 45,000 barrels a day, and we have not seen any pressure  
4 increase in those wells.

5 Q. Okay. You said you're going to have some more  
6 technical witnesses, so they'll probably talk more about  
7 this. But you're the -- you're the guy that would see  
8 things out in the oil fields?

9 A. Correct.

10 Q. This example you've quoted, you don't have that  
11 in an exhibit anywhere?

12 A. I do not. I wasn't planning on it being  
13 brought up. So --

14 Q. Okay. As I understand it, you filed these on  
15 Ms. Bennett's birthday --

16 (Laughter.)

17 Q. -- and then there was an SWD work group that  
18 fall after that, and you were part of the work group,  
19 right? Or you were invited to the work group?

20 A. Yeah. I don't know particularly if we  
21 participated in that meeting or -- off the top of my  
22 head, I can't say. We were involved with the work  
23 group.

24 Q. But some decisions were made. You were in  
25 communication with the people from the work group

1     **anyway.**

2           A.     Uh-huh.

3           **Q.     And some decisions were made coming out of the**  
4 **work group as far as how to space -- initially space**  
5 **wells out. So your applications essentially got caught,**  
6 **because they were filed before that and they were not**  
7 **acted on until after that, is that correct --**

8           A.     Correct.

9           **Q.     -- the way you see it?**

10                         **So would one mile satisfy you as far as --**  
11 **is it the one-and-a-half you object to here?**

12           A.     I object to the inconsistency that we've had to  
13 deal with under the application process on this.

14           **Q.     Okay.**

15           A.     If the Division makes a rule for a mile, we're  
16 fine with that. If the Division makes a rule for a  
17 mile-and-a-half, we're fine with that.

18           **Q.     What would you say if you were the Division?**

19           A.     We need to make some rules.

20                         (Laughter.)

21           A.     You know, the argument can be made, in this  
22 case where these are lower-volume wells as opposed to  
23 the higher volumes wells, that the one mile is fine.  
24 I'm going to let the experts speak to that. But, you  
25 know, there are arguments that can be made on either

1 case.

2 Q. Yeah.

3 But you picked your locations, got your  
4 right-of-ways, got all your surface permits and made all  
5 your plans, and then you get hit with this -- this  
6 decision. So is that -- that's your main objection,  
7 correct?

8 A. Yes. That's our main objection.

9 Q. Okay. Thank you.

10 EXAMINER JONES: I guess that's it for this  
11 witness?

12 MS. BENNETT: May I ask a few follow-up  
13 questions?

14 EXAMINER JONES: Yes.

15 MS. BENNETT: Thank you.

16 REDIRECT EXAMINATION

17 BY MS. BENNETT:

18 Q. Earlier Mr. Bruce, counsel for Solaris,  
19 mentioned that Solaris had protested probably the Laguna  
20 Salada 13 -- I'm not sure -- but do you know -- was that  
21 a full-fledged protest, or was that an untimely protest?  
22 Do you remember?

23 A. I don't remember. In -- in the questioning, I  
24 didn't think that it was an official protest. I knew  
25 that they had protested us, but I thought that it was --

1 my understanding was they had called us and said, "Hey,  
2 we're going to protest these wells, and then we  
3 discussed it and worked it out.

4 Q. And do you know if Solaris has entered an  
5 appearance in this case -- in any of these three cases?

6 A. I'm assuming they have. Until today, I had no  
7 knowledge of it.

8 Q. Okay. They actually hadn't entered an  
9 appearance in these three cases before today, just to  
10 clarify.

11 A. Okay.

12 Q. So Mr. Brancard asked you about the flow --  
13 sort of the dispersion of water once it's injected into  
14 a well and asked you about whether, with your  
15 application, you supply any sort of technical studies  
16 with your application. And you said no; is that right?

17 A. Correct.

18 Q. And I believe your response was that that's  
19 because the regulations don't require it?

20 A. That's correct.

21 Q. And the C-108 doesn't require it?

22 A. Correct.

23 Q. You never got an email from the OCD saying your  
24 applications were incomplete because you didn't include  
25 a reservoir engineering study, did you?

1           A.    No, we did not.

2           Q.    If the Division were to enact a rule that  
3 required operators to provide a reservoir engineering  
4 study with their applications, would you do that?

5           A.    Yes.

6           Q.    In fact, you've done that for today, right?

7           A.    Correct.

8           Q.    And is it fair to say -- well, no, I'm not  
9 going to ask that.

10                         Earlier you were asked about the volume  
11 limit, the injection rate, the injection limit.

12          A.    Uh-huh.

13          Q.    And you mentioned that Mesquite was seeking  
14 40,000 barrels per day -- 40,000, yeah, barrels per day.

15          A.    Yes. That's what we put in our application for  
16 expect injectivity.

17          Q.    Now, is that rate controlled by forces outside  
18 of Mesquite's control, for example, the .2 pressure --  
19 the wellhead pressure set at .2?

20          A.    Yes. That's the only determining factor on the  
21 rate.

22          Q.    Uh-huh. Who sets that .2?

23          A.    OCD.

24          Q.    So OCD has already set regulations -- or set  
25 standards that control the amount you can inject?

1           A.     Correct.

2           Q.     If you were asked to reduce your injection  
3     limit for this well rather than having an arbitrary  
4     spacing requirement imposed, would Mesquite be willing  
5     to discuss that?

6           A.     We would.

7           Q.     How about seismicity monitoring?

8           A.     We would be open to that.

9           Q.     In your opinion, would seismicity monitoring  
10    next to a well be a better indicator of -- a better  
11    ameliorative or protection for -- against induced  
12    seismicity, mechanical application of going 1.5 miles?

13          A.     Yes, it would be.

14                   MR. BROOKS: Was this witness qualified as  
15    an expert? I don't recall.

16                   MS. BENNETT: No. As an expert in SWD  
17    operations, drilling, casing design. And I'm not asking  
18    him as an expert.

19                   MR. BROOKS: I'd object to that last  
20    question and answer on the grounds that he's giving an  
21    opinion outside his area of expertise.

22                   MS. BENNETT: That's fine.

23           Q.     (BY MS. BENNETT) Mr. Jones asked you what you  
24    are objecting to in this matter, and you said that for  
25    these three cases, what you're objecting to is the sort

1 of backwards imposition of the 1.5-mile requirement on  
2 your current applications; is that right?

3 A. That's correct.

4 Q. And what you said is you would like the  
5 Division to make some rules on a going-forward basis; is  
6 that right?

7 A. Yes. I'd love for this to be written out plain  
8 as day. That way we can follow it from step A to step  
9 Z, turn it in and be done with it.

10 Q. And would you expect those rules to be based on  
11 technical data?

12 A. I would expect that. Yes.

13 Q. And operator input?

14 A. Yes.

15 Q. And input maybe from other agencies like the  
16 BLM or State Land Office?

17 A. I would expect so. Yes.

18 MS. BENNETT: Those are the only additional  
19 questions I had. Thank you.

20 EXAMINER JONES: Okay. Ten-minute break.

21 MS. BENNETT: Thank you.

22 (Recess, 10:10 a.m. to 10:28 a.m.)

23 EXAMINER JONES: Okay. Let's get back on  
24 the record and call the next witness, please.

25 MS. BENNETT: Thank you.

1 MS. BISONG: Thank you, Mr. Examiners.

2 On behalf of Mesquite, I'd like to call our  
3 next witness, Dr. Kate Zeigler.

4 KATE ZEIGLER, Ph.D.,

5 after having been previously sworn under oath, was  
6 questioned and testified as follows:

7 DIRECT EXAMINATION

8 BY MS. BISONG:

9 Q. Good morning, Ms. Zeigler.

10 A. Good morning.

11 Q. Can you state your full name for the record?

12 A. Kate Zeigler.

13 Q. Who do you work for and in what capacity?

14 A. Zeigler Geologic Consulting on behalf of  
15 Mesquite SWD.

16 Q. What are your responsibilities there?

17 A. I'm a geologist. I'm primarily focused on  
18 stratigraphy and the basin geology zone that Mesquite is  
19 interested in.

20 Q. Can you provide just a brief summary of your  
21 professional credentials?

22 A. So I have a bachelor's in geology from Rice  
23 University, a master's and Ph.D. in stratigraphy,  
24 paleontology and paleomagnetism from the University of  
25 New Mexico. I have my AIPG CPG licensure, and I've been

1 working as a field geologist with my own company since  
2 2009.

3 Q. And have you previously testified as an expert  
4 before the Division or the Commission?

5 A. Yes, ma'am.

6 Q. And were your credentials accepted as a matter  
7 of record?

8 A. Yes.

9 EXAMINER JONES: Any objection?

10 MS. BENNETT: Oh, she hadn't tendered her  
11 yet.

12 MS. BISONG: I haven't tendered her yet.  
13 I'm going to do that.

14 EXAMINER JONES: Okay.

15 Q. (BY MS. BISONG) Are you familiar with the  
16 applications filed by Mesquite -- or the three  
17 applications filed by Mesquite?

18 A. Yes.

19 Q. And are you familiar with the status of the  
20 lands where the wells are that are the subject of where  
21 those wells will be drilled?

22 A. Yes.

23 Q. Are you familiar with the drilling plans for  
24 the wells at issue?

25 A. Yes.

1           **Q.    And have you conducted a geologic study of the**  
2 **area embracing the proposed location of those three**  
3 **wells?**

4           A.    Yes.

5                   MS. BISONG:  At this time I'd like to  
6 tender Dr. Zeigler as an expert in geology.

7                   EXAMINER JONES:  Expert in petroleum  
8 geology?

9                   MS. BISONG:  Yes.

10                  EXAMINER BRANCARD:  Geology.

11                  THE WITNESS:  Or just geology, not  
12 petroleum geology.  Oh, God.

13                           (Laughter.)

14                  MS. BISONG:  Not a petroleum geologist.  
15 Just a geologist.

16                  EXAMINER JONES:  Okay.  Any objections to  
17 Dr. Zeigler as an expert in geology?

18                  MR. BROOKS:  No.

19                  MR. BRUCE:  No objection.

20                  MR. PADILLA:  No objection.

21                  EXAMINER JONES:  Okay.  She's so qualified.

22                  EXAMINER McMILLAN:  How about the guy in  
23 the back?

24                  MR. ROACH:  No objection.

25           **Q.    (BY MS. BISONG) Dr. Zeigler, could you turn to**

1 **Tab 2 of the exhibits -- the Mesquite exhibits?**

2 MS. BISONG: I'll wait until everybody gets  
3 there.

4 Everybody have a copy?

5 **Q. (BY MS. BISONG) Dr. Zeigler, could you please**  
6 **explain to the examiners what is behind Tab 2?**

7 A. So there is a set of different exhibits here  
8 that include descriptions of the different stratigraphic  
9 units that are in question in these wells, as well as a  
10 generalized stratigraphic chart for the Carlsbad-Loving  
11 area that will show relatively the freshwater resources,  
12 known petroleum leasing areas and the target injection  
13 intervals, as well as a series of isopach maps and cross  
14 sections to show the target injection interval, the  
15 thickness of the different units that we're going to  
16 discuss so we have an idea of the geology in the area.

17 **Q. And so we have -- behind Tab 2, there is a Tab**  
18 **A and then a Tab B. Let's start specifically with**  
19 **Tab A. This is for the Laguna Salada wells, correct?**

20 A. Yes.

21 **Q. And Exhibit A, behind Tab A, can you give a**  
22 **brief synopsis of what Exhibit A reveals?**

23 A. So the first two pages are written descriptions  
24 of the different stratigraphic units in the injection  
25 interval area. So I didn't choose to describe all the

1 rock units but simply the ones that are of importance of  
2 upper permeability barrier, which is the Woodford Shale,  
3 as well as the injection interval, which can include the  
4 Thirtyone Formation more to the southeast, but primarily  
5 the Wristen Group, Fusselman Formation and Upper Montoya  
6 Group, and then the Simpson Group, which we will talk  
7 about as the lower permeability barrier, and then the  
8 Ellenburger Formation below that. And so these are  
9 short written descriptions that describe the lithology  
10 of these different rock units so that we're all thinking  
11 about how they're operating both in terms of the  
12 injection interval and the different permeability  
13 barriers. And this information was compiled from  
14 different literature resources about the basin,  
15 especially Ron Broadhead's work in the area.

16 **Q. Okay. And right after the stratigraphic unit**  
17 **descriptions, can you describe what the next page is?**

18 A. So this is the -- this is the stratigraphic  
19 chart (indicating), and this is also compiled from Ron  
20 Broadhead's 2017 memoir where he compiled a large amount  
21 of information concerning the Permian Basin. And this  
22 is just to give a visual idea of where everything is  
23 located down below the earth's surface in the  
24 Carlsbad-Loving area. So this was based on data from  
25 NGL's Striker 3 SWD, as well as the Cedar Canyon SWD as

1 reference wells to put this together. And it's simply  
2 to show, as we work from the surface downwards into the  
3 earth, that we're going to pass through the freshwater  
4 resources in the Carlsbad-Loving area, which are in,  
5 depending on exactly where you are, some part of the  
6 Chinle red beds or the Santa Rosa or the Upper Permian  
7 rocks. And those freshwater resources don't go much  
8 below 400 to maybe 700 feet at the most before you start  
9 having water quality issues that make it not fresh  
10 water.

11                   And then below that, we move into current  
12 petroleum production zones or historic production zones  
13 in the Delaware Mountain Group, the Wolfbone, some in  
14 the Atoka and Morrow Shale. And then as we continue to  
15 go down in this area, looking at around 14,000 feet  
16 below land surface, we hit the Woodford, which is going  
17 to be acting as our upper permeability barrier to this  
18 target injection interval. And in this area -- we'll  
19 look at the isopach map in just a moment. But in this  
20 area, we're looking at about 100- to 150-foot-thick  
21 Woodford Shale, and then below that, the target interval  
22 that Mesquite seeks to inject into.

23                   And here -- and Mr. McMillan has heard this  
24 before -- I'm going to note that driller lingo is  
25 different than stratigrapher lingo in the basin. So

1 you'll hear drillers refer to, "We're going to inject  
2 into the Devonian." And really the Devonian encompasses  
3 the Woodford Shale. And so from a stratigraphic  
4 perspective, if I said the Devonian, I'm talking about  
5 the Woodford Shale. Drillers are talking about the  
6 limestones below that, which are actually -- if you add  
7 the Thirtyone, Lower Devonian, they're mostly Silurian  
8 in age. And so there is just a little bit of an  
9 awkwardness in nomenclature there. From this point  
10 forward, I'll refer the injection interval by driller  
11 lingo, referring to it as a Devonian, Siluro-Devonian.

12 So we go through the Wristen-Fusselman-  
13 Montoya as our target injection interval, and then below  
14 that sits the Simpson Group, which is going to act as  
15 our lower shale permeability barrier for the area. And  
16 then below that, our Ellenburger and on down to the  
17 basin.

18 **Q. Thank you.**

19 **Looking at the Woodford, at the**  
20 **stratigraphic unit, how thick is that permeability**  
21 **barrier?**

22 A. So in the area of the Laguna Salada wells,  
23 we're looking at about 100 to 200 feet thick, and we'll  
24 see that on the isopach maps as well.

25 **Q. Can you briefly reiterate or describe the**

1 **properties of the Woodford that make it a good**  
2 **permeability barrier?**

3 A. So it is a rock unit that is almost entirely a  
4 shale, and the shales generally are very low  
5 permeability. And so when we have that shale of that  
6 thickness, that's going to act to restrict both upward  
7 and downward mobility of fluids through there.

8 **Q. The target injection interval that we see here**  
9 **on the stratigraphic chart, about how thick is that**  
10 **area?**

11 A. So if we're incorporating the Wristen-  
12 Fusselman in just the Upper Montoya, so not including  
13 the full thickness of the Montoya in this discussion,  
14 we're looking at a target interval that can range from  
15 1,100 to 1,200 feet thick in this particular area.

16  
17 **Q. And the Simpson stratigraphic unit, can you**  
18 **give us a description or tell us how thick the Simpson**  
19 **unit is?**

20 A. In this area, it's on order of 250 to 300 feet  
21 thick, and it's mixed sandstone and shale. But in  
22 general, it's usually greater than 50 percent shale,  
23 which is going to help act as that lower barrier.

24 **Q. Can you tell us what the next five pages of**  
25 **Exhibit A are?**

1           A.     So this is a satellite image of the  
2     Carlsbad-Loving area, and we're going to work through a  
3     series of isopach maps?  And the -- the stratigraphic  
4     interval that we're in is down within the legend.  It'll  
5     tell you which rock unit we're operating in.

6                     And I apologize.  We do need to change that  
7     to the title of the exhibits going forward.

8                     So on here, there are some green lines  
9     cross-cutting to the southwest of Carlsbad and also a  
10    blue-dashed line.  These are Precambrian/basement-  
11    penetrating faults that have been suggested or present  
12    through the Texas Bureau of Economic Geology database,  
13    as well as through Ron Broadhead's compilation of data  
14    in the area.  And so we've put these faults on.  We have  
15    found in other parts of the basin that sometimes the  
16    faults that are presumed to be there in these databases  
17    are not always actually there, but we chose to show them  
18    so that if they are, in fact, present in this area,  
19    they're shown on these maps.

20                    Then we also have some purple lines.  In  
21    the case of the very first one, which is the  
22    Ellenburger -- so now we're going to go from the bottom  
23    of the section back up.

24                    EXAMINER McMILLAN:  Can I make one quick  
25    comment?

1 THE WITNESS: Uh-huh.

2 EXAMINER McMILLAN: If you look at the  
3 legend, the fifth one down is the map you're looking at.

4 MS. BISONG: Correct.

5 THE WITNESS: Yes.

6 EXAMINER McMILLAN: Just to help people.

7 THE WITNESS: Thank you.

8 So in this first one, this is the  
9 Ellenburger. And because we're zoomed in enough, there  
10 is only one line of constant thickness that cuts  
11 diagonally across the southeast corner of the map. It  
12 has a 750 planted across that. So that's the estimated  
13 thickness of the Ellenburger at that point. And so the  
14 Ellenburger is going to become slightly thinner as we go  
15 to the northwest to the Carlsbad area.

16 So we also have on here purple well  
17 locations that are tied together with a yellow-dashed  
18 line. These are the reference wells that we used to  
19 construct the cross section that we will look at in just  
20 a few slides.

21 And then we have two yellow stars over just  
22 east of Loving. Those are the Laguna Salada 13 and 19  
23 well locations. And the blue lines are simply to show  
24 you how we chose to project them into the cross section  
25 so you see where they set in the cross-section line. So

1 when we're looking here at the Ellenburger for the  
2 Laguna Salada 13 and 19, estimated thickness in the  
3 Ellenburger is probably around 700 feet thick.

4           And then as we continue through, the next  
5 exhibit is the Simpson isopach. And there is a green  
6 line that runs right through Loving that has a 200 mark  
7 on it, and just to the southeast of it is the 400  
8 isopach line, so showing you the thickness of the  
9 Simpson Group and with the Laguna Salada wells where  
10 they're positioned looking at a thickness of  
11 approximately 250 to 300 feet thick for the Simpson  
12 Group.

13           The next one is the Montoya, and on this  
14 one -- I'm sorry. We changed colors for our isopach  
15 lines. We were trying to keep isopach lines different  
16 by rock unit. The 300-foot-thickness isopach line runs  
17 almost right through the Laguna Salada 19 well. So for  
18 the Montoya, looking at an estimated thickness of around  
19 300 feet for both of these wells.

20           The next one is a combined  
21 Wristen-Fusselman, so this would be the heart of our  
22 injection interval. And here our isopach lines are sort  
23 of a purple-blue color. And the 1,000-foot isopach line  
24 runs right through the middle of Loving from northwest  
25 to southeast, and then we have the 1,200 isopach line

1 down to the southeast. So looking at an estimated  
2 thickness for the entire injection, not including the  
3 top of the Montoya, to be on the order of 1,100 -- or  
4 1,050 to 1,100 feet thick in this area.

5 And then finally our Woodford Shale, and  
6 these are the pink lines. And we have the 100-foot  
7 isopach line to the northwest of Loving, and so as we're  
8 going -- we're thickening down into the Delaware Basin  
9 as we're going southeast, looking at an estimated  
10 thickness for the two wells for the Woodford Shale of  
11 about 100 to 150, maybe 200 feet thick locally. So  
12 those are the isopach maps.

13 **Q. (BY MS. BISONG) Thank you.**

14 **Can you turn to the next page of Exhibit A**  
15 **and describe what the last page is?**

16 A. So this is the cross section that we developed  
17 for the area. I should note it's difficult to find many  
18 wells that are deep enough to do reasonably spaced cross  
19 sections in the area, so we did the best that we could  
20 with what's out there. And what I've done is clipped  
21 out from the Mississippian Limestone down for each of  
22 these wells. Everything is hung on the bottom of the  
23 Mississippian Limestone. And so we're going from  
24 northwest to southeast across this cross section with  
25 the Laguna Salada 13 and 19 with the red arrows to show

1 you where they fit between the reference wells that  
2 we've shown.

3                   And our take-home point in this is showing  
4 the Woodford Shale with a reasonable thickness through  
5 the proposed location for both wells, as well a thick --  
6 and here I'm switching to driller lingo -- quote,  
7 "Devonian section," which is that Wristen-Fusselman, and  
8 then showing your Montoya and your Simpson and your  
9 Ellenburger, which was -- the only well in the area that  
10 we were able to find that was drilled deep enough was  
11 pretty far to the northwest, but we're going to project  
12 these tops down to the southeast. And so showing that  
13 we don't see evidence of significant -- for example,  
14 significant fault offsets in the area of the two wells,  
15 that the thickness of the shale, the thickness of the  
16 target injection interval, they're fairly uniform  
17 through the area, so we don't anticipate any issues with  
18 the injection interval or the upper or lower  
19 permeability barriers.

20           **Q. Thank you.**

21                   **About how far is the nearest fault from the**  
22 **Laguna wells?**

23           A. So if we look back at any of the isopach maps  
24 where we have the faults continuing in green and blue,  
25 we're looking at at least ten, 15 miles to the nearest

1 projected fault trace, which is to the southwest of  
2 Loving and Carlsbad.

3 **Q. Looking at the documents behind Tab B, these**  
4 **are basically the same documents we're looking at for**  
5 **the Laguna, but these are for the Baker area, correct?**

6 A. Yes. And so for all intents and purposes, the  
7 first four pages, the written unit descriptions and the  
8 stratigraphic section will be similar. Other than --  
9 because the Baker well is located a little further away,  
10 the depth to these units shifts a little bit as you move  
11 to the Baker well. So in the stratigraphic -- the  
12 depth -- projected depths to the top of the shale -- top  
13 of the Woodford Shale is a little bit deeper than the  
14 Laguna Salada wells. But for all intents and purposes,  
15 the stratigraphy remains the same for the two Laguna  
16 wells versus the Baker well.

17 **Q. And the isopachs that were prepared for the**  
18 **Baker well, those are on the next six pages, correct?**

19 A. Sure. Oh. Yeah, they are. The Upper Morrow  
20 snuck in.

21 So, again, if we start at the  
22 Ellenburger -- so starting at the bottom of the section  
23 again and working our way up -- notice we're now much  
24 more southeast than the two Laguna Salada wells. So now  
25 the map has shifted slightly to the southeast. And,

1 again, green and blue are projected basement faults from  
2 the Texas Bureau of Economic Geology and Ron Broadhead's  
3 compilation work.

4           And then we'll go through the different  
5 isopachs. The purple circles are our reference wells  
6 that were used to create the cross section for the Baker  
7 well. The Baker well is the yellow star with the little  
8 high [sic] line that shows how we projected it into our  
9 cross section.

10           So here, looking at an Ellenburger that's a  
11 little bit thicker, we're moving a little bit deeper  
12 into the heart of the Delaware Basin here. And so we're  
13 moving towards 800 to 850 projected thicknesses for the  
14 Ellenburger.

15           As we move through into the Simpson, which  
16 is the next one, looking at about 700 feet thick Simpson  
17 Group projected for the Baker well, and that's the green  
18 isopach lines.

19           The Montoya is the yellow isopach line on  
20 the next figure and still holding steady at  
21 300-foot-thick projected thicknesses.

22           As we move through the Wristen-Fusselman,  
23 the target injection interval, looking at a little over  
24 1,400 feet thick for the target injection interval for  
25 the Baker well.

1                   And the Woodford here, looking at probably  
2    around 180-foot-thickness. So your 100 isopach line is  
3    way up in the northwest corner, and your 200-foot-thick  
4    isopach line is down past the end of the cross section.

5                   And then apparently we're jumping all the  
6    way to the Morrow. So here's the Morrow.

7           **Q. In case you would like to know (laughter.)**

8           A. In case you would like to know, the Morrow is a  
9    little over 600 feet thick here. I'm not really sure  
10   how the Morrow crept in. My apologies for that. But  
11   now we know about the Morrow.

12           **Q. Can you tell us how far your fault is from the**  
13   **Baker well site?**

14           A. So, again, looking at any of these isopach  
15   maps, we show the projected fault traces on all of them,  
16   and here we're looking at easily 15 to 20 miles from the  
17   nearest projected fault trace for the Baker well.

18           **Q. And the final page of Exhibit B is also a cross**  
19   **section, correct?**

20           A. Yes. And, again, in looking at deeper --  
21   information for deeper wells -- again, we're a little  
22   restricted on the information that we've been able to  
23   find. And so here what we've done is taken four  
24   reference wells, the Mesquite, Baker SWDs, projected  
25   into the middle of this, and this was a previous cross

1 section hung on the base of the Mississippian Limestone  
2 to show again the consistent thickness of the Woodford  
3 Shale as we move from northwest to southeast through the  
4 proposed area for the Baker well, as well as the  
5 thickness of the Wristen plus Fusselman-Devonian  
6 injection zone for this area, and then the top of the  
7 Montoya below.

8                   And, again, we don't see -- there isn't  
9 enough offset among these wells to suggest that there is  
10 structure here that might affect any of the -- either  
11 the injection interval or either the permeability  
12 barriers.

13           **Q. And I'm sorry if I missed this. Have you**  
14 **described how thick the Woodford Shale unit is?**

15           A. Yeah. It's on the order of 100, 150 to 200  
16 feet thick, and we can see that on the isopachs.

17           **Q. Okay. And then the Simpson Group, how thick is**  
18 **that?**

19           A. In this area, it's on the order of about 700  
20 feet.

21           **Q. Have you drawn any conclusions from these cross**  
22 **sections?**

23           A. My impression from the cross sections for all  
24 three wells is that we have reasonably thick upper and  
25 lower permeability barriers, that we have a relatively

1 thick target injection interval and that there does not  
2 appear to be any evidence of faulting or lateral  
3 pinch-outs or anything that might affect either lower or  
4 upper permeability barrier or the target injection area.

5 **Q. In terms of permeability of the Woodford Shale,**  
6 **Simpson Group in the region of the Baker well, would you**  
7 **say it's similar from what you described with the Laguna**  
8 **wells?**

9 A. Yes.

10 **Q. Are you aware of any productive shales in the**  
11 **formation at issue?**

12 A. For the injection interval?

13 **Q. Yes.**

14 A. None that have been shown to be reasonable  
15 productive units.

16 **Q. And why is it unlikely that the Devonian unit**  
17 **is unproductive?**

18 A. So if you look at various well log data for the  
19 area, there don't appear to be significant enough shale  
20 horizons that would produce. And if there are, they're  
21 very small traps that would take quite a bit of  
22 high-resolution imaging to be able to target  
23 effectively.

24 **Q. Are you familiar with the prehearing statements**  
25 **that were filed by the Division for these wells?**

1 A. Yes.

2 Q. And I believe they're Tab F to Exhibit 1.  
3 We'll just look at F1, which is the prehearing statement  
4 for the Laguna Salada 13. Do you see that?

5 A. Yes.

6 Q. And do you see where the Division is taking the  
7 position that a 1.5-mile spacing requirement is needed  
8 to protect correlative rights?

9 A. Yes.

10 Q. In your opinion, will the drilling of the  
11 Laguna Salada 13 well impact the correlative rights of  
12 mineral interest owners?

13 A. No.

14 Q. In your opinion, will the drilling of the  
15 Laguna Salada 19 well impact the correlative rights of  
16 mineral interest owners?

17 A. No.

18 Q. In your opinion, will the drilling of the Baker  
19 well impact the correlative rights of mineral interest  
20 owners?

21 A. No.

22 Q. In your opinion, is there a risk to freshwater  
23 resources if these wells are drilled?

24 A. No.

25 Q. Were the exhibits under Tab 2 prepared by you

1 or compiled under your direction and supervision?

2 A. Yes.

3 MS. BISONG: At this time I'd like to move  
4 for the admission of the exhibits under Tab 2 into the  
5 record.

6 EXAMINER BRANCARD: I'm sorry. Are you  
7 asking for B1 and 2 or --

8 MS. BISONG: Under Tab 2, I guess it would  
9 be 2A and B.

10 EXAMINER JONES: Any objections?

11 MR. BRUCE: No objection.

12 MR. PADILLA: No objection.

13 MR. BROOKS: Well, I have no objection to  
14 the admissibility of the exhibits. I think it's  
15 unfortunate that the exhibits are so poorly labeled that  
16 the only way to examine the witness concerning them is  
17 to take -- to take a copy of the page you're looking at  
18 and let the witness see it and be sure -- well, never  
19 mind. I mean, that's -- I like to see a presentation  
20 before the Division that has the pages of the collective  
21 exhibits numbered, especially when they're -- especially  
22 when they're not fastened together. But that's not  
23 really relevant, so I'm going to withdraw it.

24 EXAMINER JONES: The exhibits are admitted.

25 MS. BISONG: Thank you.

1 EXAMINER JONES: Please say again what  
2 those exhibits are.

3 MS. BISONG: Those are the exhibits under  
4 Tab 2, A and B.

5 EXAMINER JONES: Tab 2A and Tab 2B.

6 MS. BISONG: Correct.

7 EXAMINER JONES: Okay.

8 (Mesquite SWD, Inc. Exhibit Number 2 with A  
9 and B are offered and admitted into  
10 evidence.)

11 EXAMINER JONES: Okay. Mr. Bruce?

12 MR. BRUCE: I don't have any questions.

13 MR. PADILLA: No questions.

14 EXAMINER JONES: Mr. Roach?

15 MR. ROACH: No. I don't have any  
16 questions.

17 EXAMINER JONES: Mr. Brooks?

18 CROSS-EXAMINATION

19 BY MR. BROOKS:

20 Q. Now, I'm looking at the basic stratigraphic  
21 table, which you have here --

22 A. Yes, sir.

23 Q. -- and the Ordovician is the level immediately  
24 below what you said drillers called the Devonian, right?

25 A. What drillers call the Devonian.

1           **Q. Well, please clarify for me because I'm not**  
2 **clear on this.**

3           A. So if you look back at drilling records and  
4 even today, when people say, "We're going to have a  
5 saltwater disposal well and it's going to target the  
6 Devonian for injection," what -- and this -- if I can be  
7 a little geeky for a moment. This stems back to -- back  
8 in the day before we understood the age relationship of  
9 a lot of these rocks in detail, there was the assumption  
10 that the Wristen and the Fusselman were of some part of  
11 Devonian age, and then the paleontologists got involved.  
12 And it turned out that those are actually Silurian in  
13 age, but the language that had historically been used by  
14 geologists and drillers in the basin referring to the  
15 Wristen and the Fusselman as, quote, "Devonian"  
16 persists, even though from a straight geologic  
17 standpoint, they're not Devonian in age. And so if I  
18 were a stratigraphic purist, I would get very upset  
19 about this, and I would tell you the injection interval  
20 is actually Siluro to Siluro-Devonian.

21                       But all of the language used in all of the  
22 C-108s and all the various paperwork, geo-prognosis  
23 reports, everything refers to the injection interval as  
24 the Devonian.

25           **Q. Okay. Well, the bottom of the injection**

1 interval is -- I see you don't have -- you have the  
2 Montoya in here between the Fusselman -- or the Montoya  
3 is in here. I assume -- did you prepare this --

4 A. Yes, sir.

5 Q. -- this exhibit or is this a printed --

6 A. I prepared this based on Ron Broadhead's  
7 stratigraphic chart for the Delaware Basin.

8 Q. Okay. It looks like the target injection  
9 interval is only the Silurian. It does not include any  
10 part of what you show as Ordovician, right?

11 A. Actually, if you notice, the Fusselman can also  
12 be Upper Ordovician.

13 Q. Oh. That's right. It brackets the Silurian  
14 and the Ordovician. And the Montoya is actually in the  
15 Ordovician, all of it, according to this chart, but it's  
16 not part of the target interval, correct?

17 A. Generally, what we have set up -- the message  
18 we have received from OCD is that anyone who is going to  
19 drill into the Montoya is not to go more than 100 feet  
20 into the top of the Montoya.

21 Q. Okay. Now, what is the thickness of -- hold on  
22 a minute.

23 Okay. The bottom permeability barrier in  
24 these locations is considered to be the Simpson, which  
25 is part of the Ordovician?

1           A.    Yes, sir.

2           **Q.    And what is the thickness of the Simpson in**  
3 **this area?**

4           A.    So for Laguna Salada or for Baker or for all  
5 three?

6           **Q.    For Laguna Salada first.**

7           A.    Okay.  So for Laguna Salada, it's on the order  
8 of 250 to 300 feet thick, and that's isopachs combined  
9 along with the few reference wells we had that go deep  
10 enough to show that rock unit.

11                         For the Baker -- just to make sure I get  
12 you the right numbers.  For the Baker, the estimated  
13 Simpson thickness is on the order of 700 feet thick.

14           **Q.    Okay.  Now, you're talking about the Simpson**  
15 **only, right?  Was your response as to the Laguna Salada**  
16 **the Simpson -- specific to the Simpson, 250 to 300 feet**  
17 **thick?**

18           A.    Yes.  That's what you had asked for.

19           **Q.    So the permeability barrier is -- your opinion**  
20 **is that that's 250 to 300 feet thick?**

21           A.    For the Laguna Salada area.

22           **Q.    What about the Baker?**

23           A.    It's on the order of about 700.  It thickens as  
24 you go to the southeast.

25           **Q.    Okay.  Where are the control points?**

1           A.    So what we've done is used a combination of the  
2    isopach maps from the Texas Bureau of Economic Geology,  
3    as well as the reference wells that are shown in the  
4    cross sections.

5           **Q.    Well, how far is your nearest control point?**

6           A.    For the Laguna Salada, we're looking at -- for  
7    that one, it's spaced between the 301544407 to the west  
8    and the 301544054 to the east, and that span between  
9    those two reference wells is a little less than five  
10   miles.

11          **Q.    So the -- how does that -- what distance is it**  
12 **from the -- from the Laguna Salada projected locations?**

13          A.    So if you project them into the cross section,  
14   you're looking at probably a couple of miles from the  
15   projected location of the well to the reference, whether  
16   you go to the west well or to the east well.  And so the  
17   two Laguna Salada wells are spaced near to each other.

18          **Q.    Did you say two miles?**

19          A.    From where they project into the line of cross  
20   section.

21          **Q.    To where they project into the line of cross**  
22 **section.  Can you explain that?**

23                   MS. BENNETT:  Can you identify that on the  
24   map by pointing to it?

25          **Q.    (BY MR. BROOKS) That's right.  You need to**

1 **explain this to me.**

2 A. Okay. So we have all of our reference in the  
3 purple dots coming across from northwest to southeast.

4 Q. Yeah.

5 A. And then the very two last wells to the  
6 southeast, the last two purple dots, that's the area  
7 we're going to focus in on on the cross-section line.

8 Q. Okay.

9 A. So just to the north of them are the two yellow  
10 stars that represent the Laguna Salada wells.

11 Q. Yes, ma'am.

12 A. And so the blue lines between the stars and the  
13 yellow-dashed line between the reference wells, that's  
14 how we projected the position of the two Laguna Salada  
15 wells into the line of cross section.

16 Q. Okay. So the distance from -- the distances  
17 from those -- along those blue lines -- the length of  
18 those blue lines shown on the map, if plotted on the  
19 ground or under the ground, would be approximately two  
20 miles?

21 A. Give or take, yes, sir.

22 Q. Okay. I think I now understand.

23 Okay. If we had to include the  
24 Ellenburger, would that function as a -- as a  
25 permeability barrier between what's above it and the

1     **Precambrian?**

2           A.     I would be hesitant to include that as a  
3 permeability barrier. It can have a slightly higher  
4 porosity and permeability, so that's not a unit that  
5 anyone traditionally tends to think of as a lower  
6 permeability barrier.

7           Q.     **Slightly higher than what? The Simpson?**

8           A.     Yes, sir.

9           Q.     **Okay. Now, what about -- is there anything**  
10 **further between the target injection interval and the**  
11 **Precambrian that would provide additional insulation?**

12          A.     Not that I'm aware of.

13          Q.     **Okay. I think I have no further questions.**

14                   I do not understand your description of  
15 these maps. Maybe you can tell me so I can make some  
16 notes here. These -- one, two, three, four -- five  
17 maps --

18          A.     Yes, sir.

19          Q.     **-- all look identical to me. I couldn't spot**  
20 **any differences, but you tried to explain that they were**  
21 **plotting isopachs from different locations; is that**  
22 **correct?**

23          A.     They're thicknesses of different rock units.  
24 So it's the same location. But it's like if I dug a  
25 giant hole in the ground and we started down at the

1 Ellenburger and we were to climb back up the hole, it  
2 would be how much thickness of each of those rock units  
3 we would basically climb through as we went through the  
4 Ellenburger on up through the Woodford Shale. So each  
5 of these maps is the same location, but the different  
6 colored lines that have numbers written on them -- and  
7 the Ellenburger is not the best one because there is  
8 only one isopach line. But let's pick one that's got  
9 more --

10 **Q. Well, I never even identified what were the**  
11 **isopach lines actually.**

12 A. So on each of them, there is -- so let's  
13 actually switch to Tab B, to that Morrow one, because  
14 that's super busy. And now I'm actually glad that it  
15 crept into things.

16 **Q. That's under Tab B?**

17 A. Tab B. And it's the figure right before the  
18 cross section. So we're doing the super wiggly one.

19 MR. BROOKS: Well, if nobody is confused  
20 about this except me, I don't see --

21 (Laughter.)

22 (Dr. Zeigler approaches Mr. Brooks.)

23 MS. BENNETT: Is it okay for her to  
24 approach?

25 THE WITNESS: Oh, I'm so sorry. Am I not

1 supposed to do that?

2 MS. BENNETT: Is it all right if she goes  
3 over and shows --

4 MR. BROOKS: I think we're running on a  
5 rabbit trail because --

6 MR. GOETZE: May I recommend we have a  
7 discussion on it later?

8 MR. BROOKS: I think that would be a good  
9 idea.

10 MS. BISONG: We are aware that they can be  
11 labeled better, and we will do that.

12 EXAMINER McMILLAN: As in earlier hearings,  
13 redo all of them and send them -- re-send them to all of  
14 the affected parties, as was requested yesterday,  
15 putting a header on the top.

16 Do you have any questions?

17 EXAMINER JONES: Well, I do, but I'm not  
18 the geologist, so go ahead. I'm like Mr. Brooks here.  
19 I'm confused.

20 MR. BROOKS: Well, your name is much more  
21 closely related to geology than mine.

22 MR. McMILLAN: Yeah, but I've been --

23 CROSS-EXAMINATION

24 BY EXAMINER McMILLAN:

25 Q. So going back to Laguna Salada, how much of the

1     **Montoya do you think will act as a barrier out of the**  
2     **300 feet?**

3           A.     So the Montoya is generally a fairly tight  
4     unit, and so it can, on its whole as a thickness, act as  
5     an additional part of the permeability barrier.  But  
6     it's our understanding that saltwater disposal operators  
7     are not to go more than 100 feet into the top of the  
8     Montoya.

9           Q.     **Okay.**

10          A.     But it is a tight unit, so it will act as an  
11     additional barrier to fluid motion.

12          Q.     **Okay. Okay. So I'm going -- the question I'm**  
13     **getting is -- I'm going to the first page of Exhibit B.**

14          A.     Uh-huh.

15          Q.     **You're saying that the Wristen to the north**  
16     **targeted -- reservoirs are targeted for production are**  
17     **dolomitic with regular and fracture-related porosity.**  
18     **First of all, do you actually think the vugs are going**  
19     **to contribute to the porosity?**

20          A.     I think locally in the Wristen.

21          Q.     **Okay. Well, I've always been -- my knowledge**  
22     **of carbonates is that vugs have no permeability.**

23                         **The other question I'm getting is --**

24          A.     I thought you said porosity.  I apologize.

25          Q.     **The other question I'm getting is -- so the**

1 primary porosity, which is going to contribute to the  
2 permeability, is going to be the intergranular porosity,  
3 correct?

4 A. Uh-huh, along with potentially some -- some  
5 localized fracturing within the unit.

6 Q. Okay. So based on that, do you think that the  
7 porosity and the associated permeability is going to be  
8 constant, or do you think it would be variable?

9 A. I think it will have some variability within  
10 it.

11 Q. Can you describe what that -- how do you  
12 envision that?

13 A. So just thinking about in any -- any reef  
14 system anywhere along like a shelf margin, we're  
15 thinking about not all reef-building structures and not  
16 introduction of granular material from the shelf edge is  
17 going to be identical everywhere, and so you're going to  
18 get lateral variation within these rock units simply by  
19 the nature of it being a complex environment. And then  
20 as we go through lithification and we bury it, you're  
21 also going to have differences in cementation,  
22 difference in dolomitization that are going to occur.

23 Q. Right.

24 So then what's going to happen to the  
25 diagenesis as it -- do you think it's going to create

1 little pockets of porosity and permeability?

2 A. I think that's a fair assessment.

3 Q. So do you believe based on the variability in  
4 the -- variability in the permeability, do you think  
5 that you're going to get a radial flow, or do you think  
6 you're going to get some form of a linear flow?

7 A. I think it's probably going to be more radial  
8 than linear.

9 Q. But you -- okay. Do you believe you're going  
10 to get the linear flow out of it, some characteristics  
11 of it?

12 A. There will be some linear flow depending on  
13 bedding planes, depending on fractures, depending on  
14 reef orientation, if you're in a reefal [sic] part of  
15 the system. But I think until we get a lot more data  
16 for the deep basin, it's going to be really hard to know  
17 for sure the patterns of diagenesis, the patterns of  
18 dolomitization that are going to control that behavior.  
19 This is flying blind a little bit in the deep basin.

20 Q. Yeah. Because, you know, I'm familiar with the  
21 Yeso.

22 A. Uh-huh.

23 Q. And, for instance, I remember one well that we  
24 did. And we drilled the well, and it was tight. And we  
25 were going to plug it. And the operator went in there,

1 put a big frac job, and it turned out to be a pretty  
2 good well because they were able to connect some of the  
3 permeability.

4 A. Uh-huh.

5 Q. Now, I realize it's a different system, but in  
6 terms of diagenesis, it's very, very similar --

7 A. Yeah.

8 Q. -- in that case.

9 EXAMINER JONES: Okay. Mr. Brancard?

10 EXAMINER BRANCARD: I just have a labeling  
11 question.

12 (Laughter.)

13 CROSS-EXAMINATION

14 BY EXAMINER BRANCARD:

15 Q. Okay. So stratigraphic chart (indicating).  
16 Maps (indicating).

17 A. Yes.

18 Q. The stratigraphic chart shows Precambrian,  
19 basement rock.

20 A. Yes.

21 Q. The maps indicate two different kinds of  
22 faults, Precambrian faults, basement faults.

23 A. Yeah. And we talked about this. This is  
24 because we're combining two different sets of data to  
25 create where we think the fault traces may be. The

1 green lines are from the Texas Bureau of Economic  
2 Geology study, and the blue lines are ones we added and  
3 compiled from a lot of Ron Broadhead's compilations in  
4 the area, because we noticed that there are a lot faults  
5 that are shown in one data set, but there are some that  
6 don't show up in the other data set. So we chose to  
7 combine the two data sets to show all potential fault  
8 traces that anybody has ever thought might be in the  
9 basin. And so we kept them color-differentiated to keep  
10 the Bureau of Economic Geology fault lines separate from  
11 Ron Broadhead's projected fault lines.

12 **Q. Okay. But geologically they're in the same --**

13 A. Same deal, basement, Precambrian, granite, yes.

14 **Q. Maybe that's another labeling thing.**

15 A. Yes.

16 CROSS-EXAMINATION

17 BY EXAMINER JONES:

18 **Q. Okay. Dr. Zeigler, so there is a degree of --**  
19 **do you think there is a degree of lateral**  
20 **compartmentalization similar to what Mr. McMillan was**  
21 **talking about? Is it always that way in a dolomite?**

22 A. The dolomitization process is maybe not as well  
23 understood as I think a lot of people feel like it could  
24 be, and I feel like we still see comments in literature  
25 that come out suggesting that you could have complete

1 dolomitization of an interval, or you could have a sort  
2 of hodgepodge dolomitization of the interval.

3           And in looking at some literature last year  
4 for dolomitization in the Madera Group up by Socorro,  
5 it's not -- it seems like the jury is still out on how  
6 uniform that process can be through any given rock unit.  
7 And when we're dealing with these depths with as little  
8 data we have from reference well to reference well, it's  
9 hard to understand how that is changing over 500 feet or  
10 a mile or more miles.

11           **Q.    Okay.  If you had your druthers, what kind of**  
12 **logging and sampling and coring would you ask for?**

13           A.    I would like continuous core.

14           **Q.    Wireline retrievable continuous?**

15           A.    Uh-huh.  Everything you could get.  Honestly, I  
16 think I'd prefer -- and I know we're working on this  
17 right now, but having deep wells that are -- more deep  
18 wells closer together -- I know that's not what you-all  
19 want to hear.  But it's hard for us to say what's  
20 happening between two reference wells that are five  
21 miles apart.  I mean, the thicknesses do not shift  
22 significantly over that distance, but lateral  
23 heterogeneity may be shifting in a way that we're not  
24 understanding the patterns of it, which is what  
25 Mr. McMillan was getting at.  It's hard to understand

1 the patterns of difference in these rock units when we  
2 have so few control points at depth to tell us what's  
3 happening.

4 **Q. Okay.**

5 A. And also the more you bury things, the more you  
6 compact and you run fluids through them and things  
7 happen.

8 **Q. Okay. But before everything got changed, what**  
9 **kind of depositional -- what happened during the**  
10 **Devonian time? How did this rock get laid down?**

11 A. So as we go through -- from the Bliss Sandstone  
12 through the Ellenburger on up to the Devonian, we're  
13 seeing basically -- as we're coming into the end of the  
14 Pennsylvanian -- or I'm sorry. Not the Pennsylvania.  
15 As we're coming into the Silurian going into the -- we  
16 have this fairly deep basin that's sitting there, and it  
17 has modern -- or not modern, but oceanic conditions, and  
18 you have, you know, your reefs going along the rims of  
19 it, and you're slowly acquiring this slimy mud and  
20 various fossil material in this basin, and that's just  
21 slowly accumulating over time, with the Woodford Shale  
22 representing that deepest, dark shale, the history of  
23 the deepest part of the basin, and the water level is  
24 the deepest.

25 **Q. Okay.**

1           A.    And then as you go on up, we see that shore --  
2    or that sea -- the sea retreats, and we get on up into  
3    all of the complexities of the Pennsylvanian and the  
4    Permian, especially the -- and the Rockies building.

5           **Q.    Okay.  Is the higher-energy environment lower**  
6    **then in the middle of the section, that target interval,**  
7    **and you say it's getting quieter as it gets up towards**  
8    **the Woodford; is that correct?**

9           A.    Yes, sir.  You're getting quieter, but you are,  
10   in some places, probably going to have -- like we see  
11   this a lot in the Bone Spring, where you get these  
12   little turbidity currents and other one-off events where  
13   you're moving higher-energy deposits out along the basin  
14   floor.  But, again, I feel like because this is so deep  
15   and we know so little about it, understanding the  
16   geographic pattern of where those maybe higher-energy  
17   zones may be, I don't think we fully understand that  
18   like we do for the Bone Spring.

19          **Q.    Okay.**

20          A.    Yeah.

21          **Q.    The shale barrier in the Simpson --**

22          A.    Uh-huh.

23          **Q.    -- that was just another quiet deep ocean time?**

24          A.    That was actually mixed terrestrial to near  
25   shore.  So the Bliss Sandstone is a sandstone that's

1 more terrestrial in origin. And so as we step from the  
2 Bliss on through into -- through the Simpson to the  
3 Montoya to the Fusselman, we're seeing that slow  
4 inundation of that part of the continent with a shallow  
5 seaway, and that shoreline is going to fluctuate back  
6 and forth a little bit as we slowly flood that part of  
7 New Mexico at the time. And so we're transitioning from  
8 more terrestrial down into marine, into deep marine and  
9 then transitioning out as that sea level retreats.

10 **Q. Okay. Is this a totally different -- well, I**  
11 **better not go there right yet.**

12 **Do you have any idea of tectonic stresses**  
13 **in the Devonian levels right now?**

14 A. So the -- and this is something that  
15 Mr. Reynolds will get into a lot more. I don't want to  
16 steal his thunder.

17 **Q. Okay. Okay. That sounds good.**

18 **These faults that you've got mapped on**  
19 **every one of these, including the Morrow, but did it**  
20 **actually go up through into the Pennsylvanian age, these**  
21 **faults?**

22 A. So these faults have a complicated history. A  
23 lot of them started out as Precambrian structures during  
24 the rifting of Laurentia. And then as we slowly put  
25 North America back together again, we go from those

1 faults being that original rifting structure. And then  
2 as we come into the Pennsylvanian to Early Permian and  
3 we go through compression that creates the ancestral  
4 Rocky Mountains, we reactivate a lot of those faults.

5 **Q. Oh, okay.**

6 A. So we don't necessarily change the orientation  
7 of them. I mean, North America is moving, so their  
8 relative orientation is changing. But the faults  
9 themselves are just being reactivated in a different  
10 sense of motion. So we go from extension and opening to  
11 compression. And then in basin and range time, we  
12 reactivate some of them again with the extension that's  
13 affecting North America after we built the Rocky  
14 Mountains.

15 So the faults are old. Most of them have  
16 been there a very long time, and they keep getting  
17 reactivated by these different stretch, compress,  
18 stretch.

19 **Q. Are they normal faults?**

20 A. It depends on what stress you're under. So  
21 ancestral Rockies, they would have been high-angle  
22 reverse faults. Basin and range, because now we're  
23 extending, we're going to go back to a normal  
24 orientation. So they're going to change depending on  
25 what's happening to this part of North America.

1           Q.    Okay.  Does that also imply that there is more  
2   child faulting or however you call it, the drag faults  
3   or the -- in other words, extensions of little faulting  
4   away from these big faults?

5           A.    I think that's something where we would need a  
6   lot better three-dimensional seismic control to really  
7   understand where there are these smaller faults coming  
8   off the bigger fault, how they're oriented and how they  
9   act.  But there doesn't seem to be -- at least in the  
10  deep basin data that we have, it's hard to see if and  
11  what is happening with anything off the big -- those big  
12  major faults.

13          Q.    Do you think the only danger of injection-  
14  induced seismic would be if you're close to the big  
15  faults, or is there just as much danger if you're out  
16  away from these big faults?

17          A.    I'm actually going to defer that question to  
18  Mr. Reynolds because he can show you some really cool  
19  data that shows how -- distance from faults and  
20  behavior.

21          Q.    Yeah.

22          A.    So yeah.

23          Q.    Okay.  Okay.  The big -- I guess one of the big  
24  questions -- and you're a stratigrapher, I think.  So  
25  the Devonian seems to just suck up water.  Is it going

1 laterally, is it going vertically, or is it going both?  
2 From a stratigrapher's standpoint, is it so anticlar  
3 [sic; phonetic] that it's just going out in little  
4 preferred high-permeability lenses, or is it just a big  
5 monolithic thing that's sucking it up like a big sponge?

6 A. Well, stratigraphers always hate to use the  
7 word "monolithic" (laughter).

8 Q. Engineers can say that (laughter).

9 A. So just my thinking of the depositional  
10 environment in the rock units, I think it's going to  
11 trend a little more towards it being what Mr. McMillan  
12 was getting towards, that it is a more heterogeneous  
13 thing. And we hear about some saltwater disposal wells  
14 that were expected to take a lot of water, but they  
15 unexpectedly don't. And so there is enough variability  
16 in the system that it's not easy to just say it's always  
17 going to behave this way. But I think until we have  
18 more data showing, at different parts of the injection  
19 interval, how different parts of the Fusselman acting,  
20 how are different parts of the Upper Montoya acting,  
21 it's really hard to get at what exactly is happening.

22 Q. Okay. Okay. And your answer to the question:  
23 Do you think the environment is protected by protection  
24 of fresh water, that was kind of confining protection of  
25 the environment to protection of fresh water. Is that

1    how you would view it, the environment is being confined  
2    to the protection of fresh water? I know the legal  
3    people will chime in on this, but just between you and  
4    me.

5                               (Laughter.)

6                               EXAMINER BRANCARD: We won't listen.

7                               (Laughter.)

8                               THE WITNESS: So I think -- and this is --  
9    so my team does a lot of groundwater resource management  
10   for agriculture in northeast and eastern New Mexico, and  
11   I spend a lot of time thinking about the upper  
12   freshwater aquifers in the state -- in the eastern part  
13   of the state.

14                              And what happens here is not only do we  
15   have a fairly shallow zone of freshwater groundwater  
16   resources, but if you look -- and we haven't spent time  
17   talking about the Morrow or the Strawn or the Bone  
18   Spring or any of these rock units that are between the  
19   target injection interval and the deepest we get fresh  
20   water out here. And by fresh water, we're trending  
21   toward what a cow is willing to drink, which pushes that  
22   envelope a little bit.

23                              So when we look at these other rock units,  
24   you know, we go through a lot of variation in the rock  
25   types as we go up, and there are many other shale

1 barriers that exist between that. So it's not just the  
2 Woodford we're hanging our hat on.

3 Q. (BY EXAMINER JONES) Okay.

4 A. It's everything upsection that helps protect  
5 those freshwater resources.

6 Q. And Mr. Broadhead, when you used -- did you  
7 talk to him --

8 A. I did.

9 Q. -- before you made this?

10 A. Yes.

11 Q. Okay. That's all the questions I had.

12 EXAMINER JONES: Any more for Dr. Zeigler?

13 MR. PADILLA: I don't have any questions.

14 EXAMINER JONES: Sorry. I'm sorry.

15 MR. BROOKS: Well, I have a lot of  
16 questions, but I'm not going to ask them. I'm done  
17 asking questions.

18 EXAMINER JONES: Okay. Thank you very much  
19 for coming.

20 THE WITNESS: Thank you.

21 EXAMINER JONES: Appreciate it.

22 How long will the next witness be?

23 MS. BENNETT: Probably a half an hour,  
24 maybe 45 minutes.

25 EXAMINER JONES: Let's keep going here

1 because if we break for lunch later, it will be quicker.

2 It won't be so crowded out there.

3 MS. BENNETT: At this time I'll call my  
4 next witness, Todd Reynolds.

5 MR. REYNOLDS: Since I'm on the stand, I'll  
6 grab my jacket.

7 EXAMINER JONES: You don't have to.

8 MR. REYNOLDS: All right.

9 EXAMINER McMILLAN: I'm not the examiner.

10 EXAMINER JONES: He might disagree with me.  
11 It's getting hot in here.

12 TODD W. REYNOLDS,  
13 after having been previously sworn under oath, was  
14 questioned and testified as follows:

15 DIRECT EXAMINATION

16 BY MS. BENNETT:

17 **Q. Please state your name for the record.**

18 **A. Todd W. Reynolds.**

19 **Q. And for whom do you work and in what capacity?**

20 **A. I work at FTI Platt Sparks. I'm the managing**  
21 **director and geologist and geophysicist. I'm here on**  
22 **behalf of Mesquite SWD.**

23 **Q. And you've previously testified before the**  
24 **Division and the Commission, right, or before the**  
25 **Division anyway?**

1           A.    I have.

2           **Q.    And were your credentials accepted as a matter**  
3 **of record?**

4           A.    They were.

5           **Q.    And can you just briefly give us an overview of**  
6 **your educational and professional background?**

7           A.    Sure.  I received my bachelor's in geology and  
8 geophysics from the University of Texas in 1985.  I  
9 started work in the E&P industry of the oil and gas  
10 business primarily interpreting seismic data,  
11 specifically looking for faults.

12                         For the first, I'd say, 15 years of my  
13 career, we were working in the Austin Chalk -- fractured  
14 Austin Chalk trend, and seismic data was used  
15 extensively to locate fairly small faults, 50-foot  
16 faults because that was the target.  I mean, the  
17 intended target was to try to intercept the fault with  
18 the wellbore because that was the fractured interval and  
19 that was the reservoir in that formation.  So a lot of  
20 my career has been examining seismic data to identify  
21 faults.  From there, we moved into the Gulf Coast and  
22 other areas.  But, again, faults are something that  
23 you're always looking for because it may be the target  
24 or it may be the trapping mechanism for the reservoir.

25                         I did that for 15 years and then formed my

1 own company and spent the next 15 years developing  
2 prospects, seismic based typically, oftentimes 3D  
3 seismic data.

4 And then for the last five years, I've been  
5 at FTI Platt Sparks, and I've been introduced to the  
6 saltwater disposal world.

7 Q. And you've been in love with it ever since, a  
8 love-hate relationship, love-love.

9 A. No comment.

10 Q. No comment.

11 That was just between me and you, by the  
12 way.

13 (Laughter.)

14 Q. So are you familiar with the applications that  
15 Mesquite filed in these cases?

16 A. I am.

17 Q. Have you conducted a fault slip probability  
18 analysis related to these cases?

19 A. Yes. In addition to that, like Dr. Zeigler,  
20 I've created cross sections in the area to get myself on  
21 some level of comfort. Are there other faults out here  
22 that haven't been identified by the BEG or others? And  
23 you do that by constructing a structural cross section.  
24 I mean, a fault is going to typically reveal itself in a  
25 structural cross section because you can see a

1 significant step up or step down if you have enough  
2 control points. There are quite a few control points  
3 down to the Mississippian, and typically these basement  
4 faults or Precambrian faults do penetrate all the way up  
5 to the Mississippian, and you would see some expression  
6 of those. So in addition to the FSP analysis, I did  
7 some localized mapping and cross sections around the  
8 location.

9 MS. BENNETT: At this time I'd like to  
10 tender Mr. Reynolds as an expert in geology, geophysics  
11 and seismic matters.

12 EXAMINER JONES: Any objections?

13 MR. PADILLA: None.

14 EXAMINER JONES: Mr. Brooks?

15 MR. BROOKS: No objection.

16 EXAMINER JONES: He is so qualified.

17 MS. BENNETT: Thank you.

18 Q. (BY MS. BENNETT) I'm going to take the  
19 questions that we've gone through a little bit out of  
20 order based on some of the material we've gotten today  
21 and some of the discussions we've had over the past  
22 couple of days.

23 So you're familiar with the prehearing  
24 statements that the Division filed in these three cases,  
25 right?

1           A.    I am.

2           **Q.    And did the Division in those prehearing**  
3 **statements cite to an EPA technical work document?**

4           A.    Yes.  I believe there was a citation to that.

5           **Q.    And have you reviewed that EPA technical work**  
6 **document?**

7           A.    I have.

8           **Q.    And did you review it even before this hearing?**

9           A.    I've not only reviewed that document, I've  
10 actually reviewed most of those case histories in  
11 greater depth.  We've actually gone in and mapped those  
12 areas ourselves and using seismic data to do a deeper  
13 dive into most of those areas where there is a clear  
14 link between injection and seismicity to look for  
15 specific characteristics that are -- in most of those  
16 instances and try to use that as a screening tool to  
17 mitigate seismicity for -- for clients.

18          **Q.    And one of -- one of the things that you**  
19 **mentioned -- or that Dr. Zeigler mentioned in her**  
20 **testimony is the orientation of a fault.  And I imagine**  
21 **you look at that in your screening process to decide**  
22 **whether there are faults of concerns in the screening**  
23 **process that you do?**

24          A.    That's correct.  The first and foremost is to  
25 identify if there are faults of any orientation.  And

1 then once the faults are identified, the orientation is  
2 a critical component to determine whether it's a  
3 critically stressed fault or likely to slip.

4 **Q. Now, before we get into the details of your**  
5 **fault slip probability analysis, did you identify any**  
6 **faults of concern -- any faults, period, within your**  
7 **area of review for these wells?**

8 A. I did not. And, you know, what I use as an  
9 area of review, since they're somewhat -- I don't know  
10 that the FSP analysis is actually a requirement in  
11 New Mexico at this time, but as -- in lacking any  
12 guidance, I just used the same parameters that we use in  
13 Texas. When it's warranted, I look at a 100 square-mile  
14 area.

15 **Q. And you just said when it's warranted. What**  
16 **makes the fault slip probability analysis warranted in**  
17 **Texas?**

18 A. What will trigger the need for additional  
19 analysis is Texas is you take the saltwater disposal  
20 location, and you draw a circle around it. It equates  
21 to 100 square miles, which is a radius of 5.64 miles.  
22 That equals a 100-square-mile area. If you find a  
23 historical earthquake event within that circle, then you  
24 conduct additional scrutiny or screening that includes a  
25 structural cross section in two directions, a strike and

1 dip, a structural map at the top of injection interval  
2 and a structural map at the base of the injection  
3 interval. You take the difference between those two.  
4 That gives you the isopach. And what that does is it  
5 shows how much lateral continuity there is for the  
6 injection interval over the -- over the study area. And  
7 it typically will reveal faults of concern.

8 In some areas, you have a lot of data  
9 points. The Delaware Mountain Group, we have lots of  
10 penetration, so the maps are very detailed with a lot of  
11 control points. Obviously, at the deeper depths, we  
12 have fewer control points. And so, you know, you're  
13 looking at different variables. And when you have --  
14 when you have the luxury of having seismic data, you can  
15 answer a lot of those questions.

16 But to answer your question, I did not find  
17 any faults in that circle.

18 **Q. But backing up even a step -- I think I might**  
19 **have jumped a step. You said you need to first analyze**  
20 **or assess whether there has been any historic seismic**  
21 **activity in the area. Did you do that assessment for**  
22 **the Laguna Salada wells?**

23 A. Yes, I did, and I did for the Baker also.

24 **Q. And what did you find in terms of historic**  
25 **seismic activity in the area of review for the Laguna**

1 **Salada wells?**

2 A. I'd have to refer to my maps. I think it was  
3 the Laguna Salada; there was maybe a seismic event just  
4 outside the circle of both of those.

5 On the Baker, there was -- there were no  
6 events even close at all. I don't think there were even  
7 any on the map, which goes well beyond the circle,  
8 except for the -- the events recorded on NGL's system,  
9 which were maybe 25 or 30 miles away.

10 **Q. Uh-huh. So then if there were -- if there was**  
11 **historic seismic activity, then you would look to see if**  
12 **there were faults of concern. So you did that here,**  
13 **too?**

14 A. Yes.

15 **Q. And did you conclude that there are any faults**  
16 **of concern?**

17 A. In both of these applications, the Laguna  
18 Salada and the Baker, it's kind of hard to do the FSP  
19 analysis when there are no faults, but I did not find  
20 any faults. I did the analysis anyway, and I threw some  
21 hypothetical faults into the analysis just to calculate  
22 the pressure out to a fault that might exist five  
23 kilometers away.

24 **Q. So you actually had to sort of gin up a model**  
25 **for this because there is no fault within the area of**

1 review to do a fault slip probability analysis?

2 A. That's correct.

3 Q. And earlier, though, Dr. Zeigler testified that  
4 there were Precambrian basement faults. How far away  
5 are those?

6 A. I think you might see them on my maps when we  
7 get to those exhibits, but they're -- in general, the  
8 distance is, as she quoted, ten, 15, 20 miles away, and  
9 the pressure from the modeling would not have any effect  
10 on those faults.

11 And getting back to your other question,  
12 they're not optimally oriented. They're optimally  
13 oriented typically 90 degrees from the optimal  
14 orientation, which takes pressures in excess of 4,000  
15 pounds to make those faults slip. And the .2 pressure  
16 limit that is placed on the well will not have an  
17 increase of 4,000 pounds right at the well. So some  
18 fault some distance away, that pressure is even less.

19 Q. So let's turn now to your exhibits, which are  
20 behind Tab 4. The first exhibit in Tab 4 is -- well,  
21 can you explain to the examiners what the first exhibit  
22 is? I'm sorry. These are behind Tab 3. I apologize.  
23 Behind Tab 3.

24 A. Gotcha.

25 Q. What's the first exhibit there?

1           A.    A1?

2           **Q.    A1, yes.**

3           A.    A1 is an exhibit that's -- it's a schematic  
4 taken from the U.S. Geological Survey on their  
5 earthquake archive portion of the website. And it  
6 just -- it just kind of illustrates the differences in  
7 magnitudes of earthquakes, how frequently the small  
8 earthquakes occur versus the large earthquakes, you  
9 know, at what magnitude do humans feel it. Typically,  
10 this shows around 3.5, but I would push that down closer  
11 to 3, is what would be felt by humans. And as you see,  
12 when you get below 2.0, there's -- there are millions of  
13 those worldwide that typically are only known in areas  
14 where you have a seismic monitoring system close enough  
15 together where they can be detected.

16           **Q.    Now, are you familiar with Dr. Steven Taylor's**  
17 **study that he's prepared?**

18           A.    Yes, I am.

19           **Q.    And is that study actually behind the purple**  
20 **shade of paper saying "Seismic Catalog Analysis within**  
21 **50 Kilometers within the Laguna Salada Well"?**

22           A.    Yes, it is. And at the bottom of it, it would  
23 be labeled "A2."

24           **Q.    And he's also prepared a similar study for the**  
25 **Laguna Salada 19 well; is that right?**

1           A.    Yes.  And we can probably discuss both from one  
2 report.

3           **Q.    And if you could just give a very high overview**  
4 **of these studies, just sort of what Dr. Taylor does and**  
5 **the highest magnitude that he's encountered in his**  
6 **seismic monitoring.**

7           A.    Sure.  So on the second page, there is a Table  
8 2.

9                           I believe his Table 1 is the USGS  
10 historical events that have been reported in the area.

11                          The Table 2 are events that he has located  
12 and recorded on the system that NGL has installed out in  
13 southeast New Mexico and across the line over into Texas  
14 also.  I believe he's -- he's located 13 events in the  
15 southeast New Mexico area, all of which have a small  
16 magnitude.  That's going to be the column in Table 2  
17 that is second from the right.  So the magnitudes go  
18 from 1.25 up to, you know, a high of about 1.98, so  
19 below 2.0.

20           **Q.    Okay.  I think that's good.  Thanks.**

21                          EXAMINER BRANCARD:  Can you let us know  
22 where you are.

23                          MS. BENNETT:  Sure.

24                          THE WITNESS:  Right here (indicating),  
25 second page of Exhibit A2.

1 EXAMINER BRANCARD: (Indicating.)

2 MS. BENNETT: Yes.

3 Q. (BY MS. BENNETT) And so just to review again,  
4 that second page has -- Table 1 is the historic figures  
5 of magnitude. Table 2 is the most recent figures of the  
6 magnitude that Dr. Taylor has measured in the area?

7 A. That's correct. I believe -- I'm not certain  
8 what Table 1 is. Just looking at the dates, they're all  
9 since 2011. But it's -- it's events that he's noted on  
10 his maps within 50 kilometers of these wells. Probably  
11 look to the maps to find out what the source -- source  
12 data is. I suspect it's USGS, though.

13 Q. And so now, unfortunately, I want to turn to  
14 another exhibit that's also labeled A2.

15 MS. BENNETT: And I apologize for the  
16 confusion, but I had to add exhibits this morning and  
17 couldn't redo the packets altogether.

18 Q. (BY MS. BENNETT) So this Exhibit A2 is actually  
19 a -- has a cover sheet for the EPA memorandum from the  
20 work group. It's immediately behind the USGS graphic,  
21 and it starts with "A Memorandum," sort of a cover  
22 sheet, dated February 6th, 2015. It looks like this  
23 (indicating). And then the next page of that is an  
24 excerpt from the EPA UIC technical work group report,  
25 and that is labeled "page B15." Do you see those two?

1           A.    Yes, I do.

2           Q.    And is it your understanding that it's this  
3    **final work product from the National Underground**  
4    **Injection Control Technical Workgroup that's cited in**  
5    **the prehearing statements submitted by the Division?**

6           A.    I believe it is cited.  Yes.

7           Q.    And does this look like materials that I  
8    **excerpted from the work group manual and work group**  
9    **final product?**

10          A.    The EPA work group, yes.

11          Q.    Yes.  Okay.

12                         If I could ask you to look at Exhibit B15.

13          A.    Also known as Exhibit X?

14          Q.    Sorry.  Yeah.  B15, page B15.  Sorry.

15                         Page B15, it says "Figure B1" at the top,  
16    **"Injection-Induced Seismicity Decision Model for UIC**  
17    **Directors."  Do you see that?**

18          A.    I see that.

19          Q.    Okay.  Have you had a chance to review this  
20    **decision tree?**

21          A.    Yes, I have.

22          Q.    Can you give us a brief overview of what you  
23    **think this decision tree is designed to do?**

24          A.    Well, I think it's designed to scrutinize  
25    **saltwater disposal wells a little more closely than they**

1 were in the past. Oftentimes in the past, you know,  
2 permits were just walked through and let's put water in  
3 this formation, and as long as we're protecting the  
4 fresh water, that's really all that was looked at  
5 closely years ago.

6 Now there is the concern of induced  
7 seismicity, so we have other things that we're looking  
8 at such as faulting and how good of a formation is it to  
9 put water into, things like that. So this is kind of a  
10 decision tree to guide or assist UIC divisions in  
11 whether to grant a permit or not or whether to impose  
12 some other -- some other restriction on the application  
13 because there was some concern for seismicity. It might  
14 be monitoring. It might be reduced injection rates, or  
15 it might be some certain setback distance from known  
16 faults of, you know, some -- some specific distance.

17 And as you look at this, you know, there  
18 are exit points. If no concerns are identified, you  
19 exit and you just go to the regular process.

20 **Q. So let's look at the first assessment that's**  
21 **done for new Class 2 oil and gas waste disposal wells.**  
22 **That's here in the upper -- in the upper corner. There**  
23 **is one for existing and one for new, and these are**  
24 **proposed new. So let's look at the initial assessment**  
25 **criteria that a UIC director would look at under the EPA**

1 work group document that is cited in the Division's  
2 prehearing statements.

3 A. Okay.

4 Q. So would you mind reading what those assessment  
5 points are in this bubble right here (indicating)?

6 A. The upper right?

7 Q. Yes.

8 A. "Is there a history of successful disposal  
9 activity in the area of the proposed well?" The answer  
10 would be yes.

11 "Have there been area seismic events?"

12 Well, what is going to be your area of review? In  
13 Texas, it's 100 square miles. And so here you would  
14 say -- under that standard, you would say no, there are  
15 none within that 100-square-mile area.

16 "Is the disposal zone in or near basement  
17 rock?" And the reason this is kind of focused on a lot  
18 of times and sometimes somewhat misguided is that many  
19 of the cases of fairly well-proven induced seismicity  
20 were into the Ellenburger or the Arbuckle, which sit  
21 directly on basement rock. They're both known to be  
22 fractured formations. And so there was a direct conduit  
23 into the basement rock. There was no confining layer at  
24 the base of the injection interval. The injection  
25 interval was -- you know, it was not the greatest zone

1 for injection regarding seismic activity. It's a great  
2 zone for taking water on a vacuum because it's fractured  
3 and that kind of thing.

4           But -- so here, no, we're not sitting on  
5 basement rock, and we're really not near basement rock.  
6 We've got the Ellenburger. We've got the Simpson.  
7 We've got a tight Montoya section sitting above you, and  
8 we have a lack of faulting. Because in those areas --  
9 even in those areas, all the other injection wells  
10 sit -- the disposal zone sits on basement rock. There  
11 is no induced seismicity except for the ones close to  
12 the faults. I mean, the fault is the problem. That's  
13 what's lacking from that first box, is there is no  
14 discussion of how close you are to faults. And that's  
15 really what should be in that first box.

16           So if there are no concerns identified, you  
17 exit stage left and go to the regular process.

18           **Q. Okay.**

19           A. And if this -- if this were across the state  
20 line, it wouldn't even have elicited the FSP response,  
21 but --

22           **Q. And by --**

23           A. -- we're proactive and did it anyway.

24           **Q. And you mean these three applications?**

25           A. That's correct.

1           Q.    And that's because the disposal zone isn't in  
2   or near basement rock.  There's been no area of seismic  
3   events based on the 100-square-mile area of review, and  
4   beyond that, there is no faults of concern?

5           A.    Correct.

6           Q.    Okay.  Let's now turn to your FSP analysis, and  
7   that's about ten pages behind the EPA work group  
8   document, and that's marked A4.

9           A.    Okay.

10          Q.    Okay.  Is this the fault slip probability  
11   analysis that you prepared for the Laguna Salada 13 and  
12   19?

13          A.    It is.

14          Q.    And the first few pages are just sort of a  
15   summary, right, of your conclusions?

16          A.    Yes.  It kind of walks through the analysis and  
17   describes what's shown on the exhibits, but it's  
18   probably worth describing it in person rather than just  
19   saying, "Read this" --

20          Q.    Yeah, exactly.

21          A.    -- "we'll talk later."

22                       EXAMINER McMILLAN:  Is everyone on the page  
23   he's talking about?

24                       MR. BROOKS:  (Indicating.)

25                       MS. BENNETT:  Yes.  Uh-huh.

1 EXAMINER McMILLAN: Okay. Sorry about  
2 that.

3 Q. (BY MS. BENNETT) So if you look at page 4 of 4  
4 of your summary report, which looks like this  
5 (indicating), page 4 of 4, it says "FSP Analysis  
6 Findings and Conclusions." Do you see that?

7 A. Yes, I do.

8 Q. Could you briefly run through your findings and  
9 conclusions for the Laguna Salada wells?

10 A. Yes. There are no mapped faults in the  
11 100-square-mile area of review, and that would include,  
12 you know, the ones that are noted by BEG and others.  
13 Plus, our own analysis found no evidence of faulting in  
14 the area. There are no historical earthquake events  
15 within the 100-square-mile area of review. And based on  
16 that, plus the analysis, this area represents a very low  
17 risk of induced seismicity related to SWD injection.

18 It goes on to say that we ran the model at  
19 injection rates over a 25-year period at constant rates,  
20 which is not typically what you see, so we kind of ran a  
21 worst-case scenario.

22 Q. Okay. And turning to the next page that's  
23 labeled "FSP Exhibit 1," says "FSP Data Worksheet" on  
24 the top --

25 A. Yes.

1           **Q.    -- looks like a figure, could you explain for**  
2 **the examiners what the FSP worksheet is?**

3           A.    Yes.  This is just where I compile a number of  
4 the inputs that are necessary to run the FSP model.  
5 And, you know, we have top of the base of the injection  
6 interval.  The model is run at a depth of the midpoint  
7 just because you have to calculate the pressures at some  
8 depth, and we've used the midpoint to do that.

9                   And then there is also some other factors  
10 such as resistivity, formation temperature, salinity  
11 that all go into determining the viscosity of the fluid.  
12 Then there are compressibility formations, the fluid  
13 compressibility.

14                   Aquifer thickness.  I do not assume that  
15 the entire interval is going to take water.  Based on  
16 log analysis that I've seen in the area, it's typically  
17 about a 50 percent ratio of rock within a defined  
18 interval that would be -- accept water -- have porosity  
19 and permeability that would accept water.  So we have an  
20 aquifer thickness that we use for the model, porosity  
21 value, permeability.

22                   The vertical stress gradient is just  
23 integrated from a density log.  And minimal -- minimum  
24 horizontal stress gradient, basically that assumes a  
25 frac gradient of .67.  So, again, being conservative,

1 because I've seen quoted in some other cases over here a  
2 .75. So if it is .75 instead of the .67 that I used,  
3 you know, the likelihood of slip is even less, if you  
4 put a .75 in there.

5 "Initial pore pressure gradient" and then  
6 "azimuth of the maximum horizontal stress." This  
7 question came up earlier about the stresses in the  
8 injection interval. We derived this from the  
9 Snee-Zoback paper for the stress study for the Permian  
10 Basin. And at this location, we calculate this to be  
11 45 degrees east of north.

12 Fault orientation is just dependent on each  
13 fault, so you can't put a constant in there. It's going  
14 to vary based on each individual fault. Faults out here  
15 are typically near vertical, so we assume a fault angle  
16 of 85 degrees but with a variance of 5 degrees. So if  
17 you go up to 90, you go down to 80. And that's what's  
18 in the right-hand column, is the variance that we use  
19 toward modifying the fixed variable. So we build some  
20 variation into the model to allow for the fact that we  
21 don't have a lot of data points out here. We can't just  
22 assume it's the same thickness everywhere.

23 Friction coefficient is .6, which is what  
24 you see typically assigned for a pre-existing fault or  
25 fracture, not facture. That's a typo. And, again,

1 I go back to the .75 because that was quoted as a frac  
2 gradient for the formation. It shouldn't be -- the  
3 concern shouldn't be: Are we fracking the formation?  
4 The concern should be: Are there existing fractures  
5 already there, because those open at a much lower  
6 pressure. And that's one of the justifications for  
7 using a lower frac gradient of .67. It's the  
8 pre-existing fractures that you need to be concerned  
9 with.

10 So that's a long answer to what Exhibit 1  
11 is.

12 Q. And I think that goes to a question I have,  
13 which is you took all that information into account when  
14 you did your fault slip probability analysis; is that  
15 right?

16 A. That's correct.

17 Q. And, I mean, I'm guessing that there is -- you  
18 know, your fault slip probability analysis identifies  
19 the distance between these two wells, but really what  
20 you're talking about there are geologic inputs and  
21 other -- the faults, for example, and their orientation,  
22 and that is -- at least to my untrained ear sounds like  
23 it's not -- that doesn't have a real correlation that I  
24 can find to the 1.5-mile spacing requirement. How do  
25 those -- how does the 1.5-mile spacing requirement, in

1    **your opinion, take into account -- a per se mechanical**  
2    **application of a 1.5-mile spacing requirement take into**  
3    **account all of those things that you just went through**  
4    **with me?**

5           A.    It doesn't.  And I've prepared an exhibit where  
6    I've created a grid of wells in a 1.5 spacing and then  
7    project a critically oriented fault right through that  
8    batch of wells.  That 1.5-mile spacing does nothing to  
9    mitigate the risk for induced seismicity because it's  
10   only treating it as a two-dimensional problem drawing a  
11   circle around wells.  It hasn't analyzed whether there  
12   is a fault of concern in the area.

13                   And that's why this FSP software was  
14   developed.  It takes into account the faults, the  
15   orientation of faults and the geographic position of  
16   every well, whether some are a half mile apart from each  
17   other or if some are a half mile away from each other.  
18   All of that is built into the model and projecting how  
19   much pressure is going to be seen at any fault in the  
20   model.

21                   So, you know, just trying to push wells  
22   apart is not particularly a seismicity mitigating tool.  
23   It should be something more like pushing wells away from  
24   identified faults.  Some -- some buffer zone around  
25   faults should be the real guidance that could be used to

1 mitigate seismicity.

2 Q. Uh-huh. And you were here when Mr. Jones asked  
3 Dr. Zeigler a question along those lines, about what is  
4 the real concern here; is it the faulting? And she  
5 deferred that question to you. And it sounds like, in  
6 your opinion, that's what the concern is. Is when there  
7 is a fault of concern, then this deeper analysis needs  
8 to take place?

9 A. Absolutely. I mean, there was a line of  
10 questioning about how thick is the Simpson. Well,  
11 it's 250 feet or 300 feet or whatever it is. But if  
12 there is a 400-foot fault, it doesn't matter. That's  
13 your conduit. Those layers, yes, that's an insurance  
14 policy. The more -- the thicker the confining layer is,  
15 that's great. But if there is a fault nearby that  
16 breaches that confining layer, it doesn't matter how  
17 thick that confining layer is. So that's kind of -- a  
18 false focus sometimes is, you know, are we far enough  
19 from the basement? Well, the question should be: Are  
20 you far enough away from the fault? Because if there is  
21 a fault nearby, that water or that pressure is going to  
22 get to the basement via that fault, not breaching  
23 through the confining layer.

24 Q. And when you say the concern is whether there  
25 is a fault nearby, you mean a fault -- do you mean a

1 **fault of concern or just any fault?**

2 A. Well, a part of the screening process is to  
3 identify any fault. And then the next step is: What is  
4 the orientation of that fault? We have actually  
5 conducted the FSP analysis at the DFW Airport and  
6 Fashing and Azle and all these other areas, and when you  
7 run the software, it's amazingly predictive. The peak  
8 in pressure from the wells, there is a -- there is a  
9 great time matchup to the data and the model, and so  
10 it's somewhat indicative that the model does have some  
11 value. And it can not only show problem areas, it can  
12 show -- you can use it to throttle rates back, keep  
13 those faults below a certain threshold. And so, you  
14 know, that's -- that's why we've gone to this extent, is  
15 to show that we don't believe this area is a risk  
16 relating to seismicity.

17 **Q. And for the faults -- the Precambrian basement**  
18 **faults, what is the stress -- what's the orientation of**  
19 **those faults and the stress orientation that would be**  
20 **needed to create induced seismicity there? Are they**  
21 **pretty -- I don't know the right FSP analysis term, but**  
22 **are they pretty solid?**

23 A. Well, it would probably be a good time to go to  
24 FSP Exhibit 2 --

25 **Q. Thanks.**

1           A.    -- because off to the southwest, we see two  
2 faults that are noted by the BEG and were also noted by  
3 the Snee and Zoback paper.  And in this particular area,  
4 the direction of the maximum horizontal stress is  
5 approximately 45 degrees east of north.  And so a fault  
6 that has an orientation within 20 degrees of that would  
7 be one that I would consider a fault of concern.  And we  
8 see one on this map.  It's over to the west.  It's the  
9 orange fault.

10                       And not every injection well -- we did not  
11 go out and show every injection well beyond our arc.  We  
12 just went out about -- a little bit beyond our arc.  But  
13 for whatever reason, it did catch one over to the west  
14 near that fault.  And I happen to know from having  
15 looked at that area previously, there are actually two  
16 wells next to each other right there.  So that would  
17 be -- that would be a situation where it would be of  
18 greater concern.  That fault is oriented very close and  
19 similar to the orientation of maximum horizontal stress.

20                       And I will say, as Dr. Zeigler said that,  
21 you know, a lot of these faults were put on a map 30  
22 years ago.  Someone wrote a paper and they estimated  
23 where they thought faults were.  We have found that a  
24 lot of times you've got 30 years of drilling and more  
25 data points out there, and you map it and you say, "That

1 fault is just not there." My recollection of looking at  
2 that one is that it was -- there was not a lot of strong  
3 evidence that that fault really existed in that  
4 particular area. But that is a fault that's oriented  
5 and would be a fault of concern, if it existed oriented  
6 in that direction.

7           The green fault is the exact opposite. It  
8 is almost 90 degrees from the maximum horizontal stress.  
9 And so it takes, as I stated earlier, in excess of 5,000  
10 pounds to cause slip on a fault that's oriented in that  
11 direction.

12           **Q. If you don't mind, why don't you just take us**  
13 **through all of the slides in your FSP for the Laguna**  
14 **Salada real fast.**

15           A. Sure. And I mentioned previously that there  
16 were -- I thought there were two earthquake events just  
17 outside the area of review. So there was one in 1974 on  
18 the west side just outside the circle. And then there  
19 is one in 2012 just outside the right side of the  
20 circle.

21           **Q. And those are denoted by the blue circle with**  
22 **the blue circle inside of it?**

23           A. That's correct, kind of the blue  
24 bullseye-looking symbol.

25           The NGL network did not detect anything on

1 this map or has not since it's been running, so recent  
2 seismicity, no, even though obviously there is a lot of  
3 new injection out here.

4 But what this map depicts is my input data  
5 points. All the injection wells that were placed in the  
6 model are the injection wells within the circle, and  
7 then I believe we went out just a half-mile or so beyond  
8 the circle to try to catch a few more wells for the  
9 analysis. And so all of those wells are inputted into  
10 the model, and we also input the Laguna Salada wells at  
11 the proposed rate.

12 **Q. What's the rate that you used for the other**  
13 **wells? Is it a historical rate?**

14 A. If it was a well that had history -- actual  
15 injection history, we take the last -- the final rate  
16 reported and hold it constant over the life of the  
17 model, because, you know, we all know there is plenty of  
18 demand. If that well could take more water, they'd be  
19 taking it. So that's kind of an indication of what that  
20 well is capable of injecting. So it would not be -- it  
21 would not be a good valid input to just assume, well,  
22 let's just put up whatever rate it applied for, put that  
23 in and run it.

24 **Q. For other -- the proposed wells and other**  
25 **proposed wells in the area, you used --**

1           A.    I used a higher rate.  For some of the pending  
2 wells where I just didn't know what they were applying  
3 for, I used 30,000 barrels a day, which is again in  
4 excess of what most of the actual wells are injecting  
5 out here.  And then for the two Laguna Salada wells --  
6 and we'll get to a slide that shows what those volumes  
7 are, but those were input at 40,000 barrels a day.

8                        So if we go to the FSP Exhibit Number 3,  
9 which I referenced earlier, that's where we derive the  
10 stress data for the area of review.

11                       Exhibit Number 4, we need to provide a  
12 little bit clearer copy, but basically on the chart, the  
13 nomograph on the right, this is how we derive the  
14 viscosity.  And that value affects how much pressure  
15 builds up and how quickly is the viscosity of fluids.

16                       Exhibit Number 5 -- FSP Exhibit Number 5,  
17 here we have a map in the center part of the exhibit.  
18 It shows all the input wells into the model.  And the  
19 FSP software is just not real graphically friendly, so  
20 you can't edit the font size or anything like that.  But  
21 that's the input wells regardless of how far apart they  
22 are.  It's -- you know, it's the actual distance that's  
23 between the wells that's put into the model.  And as I  
24 stated earlier, we use the actual rates they've been  
25 injecting or assumed rates of 30- and 40,000 barrels a

1 day.

2 Now, Exhibit Number 6 would be typically  
3 where I would put in the report some of the  
4 geomechanical details of faults, but there were none, so  
5 it's kind of a blank page. The one we presented  
6 yesterday was a more full package because it had some  
7 faults in the area of review.

8 Same thing with Exhibit 7. This would be  
9 where we would show the calculated pore pressure to slip  
10 at each of the fault segments. And I can tell you that  
11 it's around 1,500 psi for a critically oriented fault of  
12 85 degrees dip. So just keep that in the back of your  
13 mind, 1,500 psi.

14 Exhibit 8 would be another analysis of  
15 faults in the area of review. With none in the area,  
16 there was nothing to review there.

17 Exhibit 9 is where we start showing what  
18 the pressure field will look like from the injection  
19 that's put into the model. And I had also mentioned  
20 earlier that I just put an assumed fault at some  
21 distance, five kilometers due west, from the Laguna  
22 Salada wells. That would be the little green line that  
23 you see that has a 326 next to it.

24 I also put a point near both of the wells  
25 to show what the calculated increase in Delta P pressure

1 would be right at the wellbore at that point in time and  
2 just to see if we're staying under the .2 speed limit,  
3 if you will, or regulator.

4           So what this exhibit shows, if you look in  
5 the upper left -- excuse me -- upper right, it will show  
6 the pressure along each fault segment, which we don't  
7 have any, but the two points we have for this model is  
8 the fault, hypothetically five kilometers to the west,  
9 and then just what the actual BHP increase is of the  
10 wells. It's going to be that higher line. And this is  
11 at 2025, January 1st, 2025. We see that if there was a  
12 fault out there five kilometers away, it would be at 326  
13 pounds, primarily caused by the wells south of it at  
14 that point. Those are the ones putting the most  
15 pressure on that assumed fault.

16           We move forward in the model to 2035,  
17 January 1, and as expected -- as you would expect after  
18 that much time and putting that much water, your Delta P  
19 right at the well is now at about 2,300 pounds, still  
20 below our .2 limit. So I just continued to hold the  
21 rates flat because we haven't maxed out yet. The  
22 hypothetical fault five kilometers to the west is at 814  
23 pounds now.

24           And January 1, 2045, we see how the  
25 pressure field is growing from this group of wells. And

1 so had we had a fault in the model, we could -- we could  
2 look at those faults, and based on their orientation,  
3 determine whether there was a likelihood to slip. And  
4 since we didn't, we've also created kind of a  
5 hypothetical model, which we'll show.

6 **Q. But even here on this one at 2045, with these**  
7 **two wells spaced one mile apart, this increase in**  
8 **pressure on this hypothetical fault isn't --**

9 A. Yeah. Even if those two wells were a mile and  
10 a half apart from each other, you're probably still  
11 looking at the same 1,133 pounds out there at that  
12 hypothetical fault, whether they're one and a half or  
13 1.0 or whatever, because all the wells go into the --  
14 into the calculation.

15 **Q. Uh-huh. So Exhibit B is essentially the same**  
16 **as Exhibit A except for the Baker wells; is that right?**

17 A. Before I answer, let me just check.

18 **Q. Yeah. Yeah.**

19 A. I believe it is the same type of analysis.  
20 It's the same report by Dr. Taylor and the same analysis  
21 for the Baker. We might turn to FSP Exhibit 2 within  
22 Tab B just to -- just to see where the Baker well is  
23 relative to any faults in the area. And I'm looking at  
24 this map here (indicating).

25 Again, we show the Baker well and existing

1 injection wells -- excuse me -- existing deep-injection  
2 wells. We have not included the shallow in the model.  
3 And in this particular area, there is just not a lot of  
4 other wells. There was one other well to the northeast,  
5 and I think I may have picked up two wells outside the  
6 circle that went into the model.

7           The faulting is some considerable distance  
8 off to the southwest and northeast. And, again, these  
9 are -- these are oriented in a fashion that they're not  
10 necessarily in a dimension -- or an azimuth that would  
11 be considered critical.

12           You do see, with the pink, kind of  
13 fuchsia-colored bullseyes to the northeast, some  
14 seismicity that's been recorded on the NGL system. It's  
15 not as clear on this map, but you see all these little  
16 well sticks in the area and you'll see that there has  
17 been a tremendous amount of drilling and, you know,  
18 fracking of those associated wells which we've seen.  
19 That's another area we've studied, and we have found  
20 instances where you could date those to the actual day  
21 of the frac job. But USGS considers those to be  
22 typically not worrisome because they're kind of a  
23 short-term event and not a long-term situation. So, you  
24 know, that's one possibility of that seismicity. I  
25 haven't looked at that close enough to do that kind of

1 analysis and compare when the frac dates were or  
2 anything like that. But I just point out, from looking  
3 at the map, it's pretty obvious there is a lot of  
4 activity right there.

5 **Q. And just to remind everyone, Dr. Taylor's**  
6 **monitoring results didn't reveal any events higher than**  
7 **a magnitude of 1.98 or basically 2.0, right?**

8 A. That's correct. And nothing in the area of  
9 what we would consider an area of review for this  
10 particular location.

11 And so, you know, we could go through it  
12 all, but it's basically the same conclusion as you walk  
13 through those, is to put a hypothetical fault out there  
14 some distance away. With it, since there weren't many  
15 wells in the area, it only reaches 184 pounds out to the  
16 west of Baker. So, again, I see this as -- absent any  
17 faults in the review area and no history of seismicity,  
18 it doesn't appear to be an area of great concern that  
19 injection would cause additional seismicity.

20 **Q. So that's your conclusion for both sets of --**  
21 **for the Laguna Salada wells and the Baker wells, that**  
22 **there is no risk of induced seismicity or little risk?**  
23 **I know I can't say no, or you can't say no.**

24 A. I don't see the characteristics that are very  
25 common in the instances where we know there's a good --

1 a strong link between injection wells and seismicity.

2 None of those characteristics are presented here.

3 Q. And earlier we talked about the prehearing  
4 statements that the Division had filed in these cases.  
5 Are you familiar with those prehearing statements?

6 A. I am.

7 Q. And do you recall that those prehearing  
8 statements suggested that a 1.5-mile spacing location is  
9 necessary to minimize -- and that's a spacing between  
10 wells -- that's going to minimize induced seismicity?  
11 Based on your studies, do you think a 1.5-mile spacing  
12 requirement is needed to reduce the risk of induced  
13 seismicity? Spacing between wells, I'm talking about.

14 A. No. I think there are much better mitigation  
15 strategies out there that could be applied. And if --  
16 if an area is determined to be high risk, then certainly  
17 that 1.5-mile radius might be applicable in areas such  
18 as that. But just to broadly enforce something like  
19 that without any real evidence of faulting or historical  
20 seismicity or problems with the injection interval, it  
21 doesn't seem appropriate over a broad area. It may be  
22 very appropriate in specific areas.

23 Q. Would you say your conclusion, that it needs to  
24 be -- all these variables need to be looked at and it  
25 needs to be done basically on a case-by-case basis or,

1    you know, looking at the specific geography and the  
2    specific fault at issue, is consistent with the UIC work  
3    group manual that was cited in the Division's prehearing  
4    statement? Is that part of the approach they suggest,  
5    as you recall -- if you recall?

6           A.    You're talking about the EPA --

7           Q.    EPA, uh-huh.

8           A.    Yes, because it is site-specific of whether or  
9    not a well is a risk of seismicity. Because on each --  
10   if you're looking at an EPA paper, they quote about five  
11   examples, and on every one of those examples, the well  
12   is too close to the fault. In most instances, it's less  
13   than a mile from the fault. In several that we've  
14   reviewed, the DFW Airport one, for example, the well  
15   cuts the fault in the Ellenburger. So the day they  
16   turned the pumps on, the pressure was beyond the slip  
17   pressure. And that well -- the earthquakes showed up  
18   within 20 days. They didn't have to put a certain  
19   volume of water in the ground to increase the pressure,  
20   because when they flipped the pumps on, that pressure  
21   was seen at the fault because the fault was in the  
22   wellbore. And it was a 1,000-foot fault. It was -- you  
23   know, you hear this expression a lot of time, "Well, it  
24   was an unmapped fault. We didn't know it was there."  
25   The operator knew the fault was there because they had

1 3D seismic, and the Barnett Shale well was on one side  
2 of the fault and they drilled here (indicating), and on  
3 the other side of the fault, they drilled 1,000 feet  
4 deeper. So just -- if the screening process we have in  
5 place now in Texas would have been in place then, a  
6 simple cross section would have shown that this is a  
7 well that could have been prevented.

8           The same was true in Timpson, which was  
9 another case we looked at in East Texas. The well cuts  
10 a 400-foot fault in the wellbore, not in the injection  
11 zone, but it's in the wellbore. You know, it's harder  
12 to find vertical faults in a wellbore, but you can still  
13 find that relationship of it's 1,000 foot lower over  
14 here than it is over here. And the other was that well  
15 injected into a zone that never should have been  
16 approved. It was the James Lime and a shale interval,  
17 and that zone had no potential to accept water except  
18 through the fractures. And when the water goes into the  
19 those fractures near a fault, they go straight to the  
20 fault. And, you know, we did the FSP analysis on that  
21 particular example, and they injected for a period of  
22 time, and then they slowed down their injection. They  
23 had a distinct peak in their injection profile, and  
24 that's when the earthquakes were.

25           So, I mean, it's -- it can't be something

1 that you just blanket and punish everybody. You need to  
2 identify the problem areas, and then when seismicity  
3 does occur, look at the wells where the seismicity is  
4 occurring. Can you identify a fault? Can you identify  
5 one well that particularly is maybe the problem well?  
6 And in most cases, that's what you'll find, is that it's  
7 not always this idea that all the wells in the basin are  
8 pressuring up the formation. That is true. That is  
9 happening. But in these examples that I've looked at,  
10 there is just simply a well that should under -- under  
11 good screening process, it shouldn't have been allowed,  
12 and it could have been prevented that way.

13 **Q. It sounds like you've done a lot of work at**  
14 **looking at events that have happened and then been able**  
15 **to test those against the fault slip probability**  
16 **analysis and have seen -- been able to extrapolate some**  
17 **red flags from your work.**

18 A. Yes.

19 **Q. Are any of those red flags present here?**

20 A. No. I mean, when some of these guidelines came  
21 down the pike in Texas in 2014, our firm dedicated about  
22 a half million bucks to researching all these other  
23 places it had occurred, looking for specific  
24 characteristics so that we could advise our clients. A  
25 lot of times when they come to us and they say, "I

1 bought this 5-acre tract at the intersection of these  
2 two roads," we say, "Well, you should have come talked  
3 to us first because it just so happens there is a fault  
4 a half mile away from you."

5           So I think there are certain suggestions  
6 that we've made to Texas UIC of ways to screen and  
7 have -- would have caught situations like that and  
8 prevented it. And they're not costly. They're, you  
9 know, fairly straightforward things that can be done in  
10 advance that don't punish everybody but specifically try  
11 to identify a problem application.

12           **Q. Thanks.**

13           **I think in the interest of time, we won't**  
14 **go through the hypothetical that you developed that**  
15 **shows 1.5 mile versus 1.5 mile because -- wells near a**  
16 **fault versus wells away from a fault just because we're**  
17 **running short on time.**

18           A. If I may have one minute to describe it --

19           **Q. Yes.**

20           A. -- and if they would like it submitted for  
21 review later.

22           **Q. Yeah. Uh-huh.**

23           A. It was basically just a grid of 30 wells spaced  
24 1.5 miles apart and then drawing a hypothetical fault  
25 through the batch of wells that's critically oriented to

1 slip. And what you find is that, well, some of those  
2 wells are going to be too close to it on that 1.5-mile  
3 pattern, and by 2035, the fault is slipping.

4           And then I took the same 30 wells, but I  
5 deleted the ones that were within like a mile of the  
6 fault on either side of the fault -- and so that took  
7 the batch of wells from 30 down to 20, I believe -- and  
8 ran it all the way out to 2045 and no fault slip.

9           **Q. Even though the wells in the second example**  
10 **were still 1.5 miles apart from each other?**

11           A. Still 1.5 apart from each other and still  
12 injecting at the high rate of, I think, 30,000 barrels a  
13 day on all the wells in the model. So obviously you can  
14 eliminate ten wells, but, you know, that's ten wells  
15 that probably ought to be drilled somewhere else. And  
16 so in other areas, maybe the one-mile is appropriate in  
17 areas of no concern, because now we've got to  
18 accommodate for some wells that we didn't allow in  
19 another area.

20           **Q. And so based on the hypothetical, what it**  
21 **revealed to you, as you mentioned earlier in your**  
22 **testimony, is it's the proximity to the fault and not**  
23 **the proximity to other wells that's the trigger?**

24           A. Exactly. Simply checkerboarding the wells does  
25 nothing to reduce the risk of induced seismicity. It's

1 limiting the wells that are allowed to be drilled near  
2 either known faults or faults that were revealed in the  
3 screening process. And as I described earlier, those  
4 cross sections and structure maps on the injection  
5 interval are the first screening tool.

6 If the UIC or a regulatory division is  
7 still concerned, they might ask the applicant to  
8 purchase a seismic line and show us there is not a  
9 fault. You know, we like your analysis, but there's  
10 just not enough data points at that depth. We're still  
11 concerned. You know, if you've ever looked at the grid  
12 of available TV seismic data, it looks like somebody  
13 dropped spaghetti on the floor. There are seismic lines  
14 all throughout the spacing that can be acquired to take  
15 all the guesswork out.

16 **Q. Now, I know you haven't had -- I know these**  
17 **exhibits that were prepared by the Division haven't been**  
18 **accepted into the record yet, but I did just have a**  
19 **question about whether you had a chance to look through**  
20 **them.**

21 A. Yes. I did earlier this morning.

22 **Q. And I don't want you to talk about anything in**  
23 **particular in those exhibits, but just in your review of**  
24 **those exhibits, did you see anything that was**  
25 **site-specific to these sites of these wells?**

1           A.    No.  Most of the -- well, all the literature  
2   that I saw was examples of some of the case studies or  
3   the cases around the U.S. where there is a pretty clear  
4   connection between injection and seismicity.  I can  
5   see -- I didn't go beyond that.  I think we know that  
6   that's a possibility.  But a deeper dive into those  
7   reveal certain characteristics where it's most likely to  
8   occur, and I'm sure that's discussed in a number of  
9   these.  I know it's discussed in quite a bit of detail  
10  in the full EPA report, about, you know, carbonates  
11  versus sandstones, known fractured formations, that kind  
12  of thing.  But over and over and over, the common  
13  element is you need a fault.

14                   And in the applications we're here talking  
15  about today, there is -- nobody -- and there is nothing  
16  in this book of exhibits (indicating) that has  
17  identified a fault in the area of these proposed wells.  
18  I did notice some these had some examples from  
19  New Mexico, and in general, it shows the same fault  
20  patterns that we've put on our maps.  And I just do not  
21  see any site-specific reason or anything in these  
22  potential exhibits that are specific to this location.  
23  They're just kind of 30,000-foot looks at the subject of  
24  seismicity, which I think we all can see there are  
25  places where it is caused by injection and there are a

1 number of places where it's related to other factors,  
2 oil field factors but not injection.

3 Q. Thank you.

4 Turning back to your exhibits, were the  
5 exhibits behind Tab 3 exhibits that either you prepared  
6 or that you have reviewed and are confident in their  
7 subject matter or were compiled under your direction?

8 A. They are.

9 MS. BENNETT: At this time I'd like to move  
10 that the exhibits behind Tab 3 be admitted into the  
11 record.

12 EXAMINER JONES: Any objection?

13 MR. PADILLA: No.

14 MR. BRUCE: No.

15 MR. BROOKS: No objection.

16 EXAMINER JONES: The exhibits behind Tab 3  
17 are admitted.

18 (Mesquite SWD, Inc. Exhibit Tab 3 are  
19 offered and admitted into evidence.)

20 MS. BENNETT: Thank you.

21 I have no further questions.

22 EXAMINER JONES: Okay. Mr. Bruce?

23 CROSS-EXAMINATION

24 BY MR. BRUCE:

25 Q. One question: Looking at the Baker -- proposed

1 Baker well where you say there are no faults within 100  
2 miles, is that a ten-mile -- like a ten-mile grid, or is  
3 it a circle?

4 A. The 100-square-mile area is a circle. It's a  
5 5.64-mile radius --

6 Q. Okay.

7 A. -- and that equals 100 square miles.

8 Q. Okay.

9 A. The faults, I believe, on that map were 20 to  
10 25 miles away.

11 Q. Okay. Thank you.

12 EXAMINER JONES: Mr. Padilla?

13 MR. PADILLA: I don't have any questions.

14 EXAMINER JONES: Mr. Roach, do you have a  
15 question?

16 MR. ROACH: No.

17 EXAMINER JONES: Mr. Brooks?

18 MR. BROOKS: I have no questions.

19 EXAMINER JONES: Mr. McMillan?

20 CROSS-EXAMINATION

21 BY EXAMINER McMILLAN:

22 Q. The question I'm getting is your EPA flowchart,  
23 did you look at -- the question I'm getting is what  
24 about Dagger Draw? How do you explain that?

25 A. How far away is that from here?

1 Q. It's like --

2 MR. CLAY WILSON: 40 miles.

3 Q. (BY EXAMINER McMILLAN) Okay. All right.

4 That's 40 miles.

5 Then have you looked at that cause? And  
6 that's the classic example that I want to talk about in  
7 New Mexico.

8 A. Sure.

9 Q. That's the reason I'm bringing it up.

10 A. I have not done the kind of analysis I did at  
11 DFW and Timpson and all the Texas sites where seismicity  
12 has occurred and SWDs were potentially blamed on it.  
13 I've looked at every one of those. But the same kind of  
14 analysis could be done at the area you're talking about,  
15 and I have not looked at that one.

16 Q. I think it's safe to say that the operator  
17 drilled into the ground and he injected into the ground,  
18 and there has been known seismic events.

19 A. And there was probably a fault nearby, too, I  
20 would -- I would expect. I mean, that's kind of a  
21 classic no-no, is don't drill into the -- the basement  
22 formation, specifically in close proximity to faulting.

23 But to answer your question, I have not  
24 done a full-blown deep dive into that one. It could be  
25 done, but generally I like to get paid for it.

1 (Laughter.)

2 EXAMINER McMILLAN: Go ahead.

3 CROSS-EXAMINATION

4 BY EXAMINER BRANCARD:

5 Q. Well, speaking of not doing deep dives, I  
6 notice you didn't mention Oklahoma. Have you not  
7 analyzed what happened in Oklahoma?

8 A. I mean, I did mention Oklahoma in passing in  
9 that the problems there were the Arbuckle, which is kind  
10 of an equivalent to the Ellenburger in Texas. The  
11 problems, you know, were faulting and injecting into a  
12 fractured carbonate near faults.

13 Again, it's -- it's kind of the classic  
14 characteristic you see over and over and over on these  
15 problematic areas, is -- well, for example, the Gulf  
16 Coast of Texas, most of the injection goes into  
17 sandstone formations, clastics. And those are  
18 subdivided by shale layers typically, you know, 100-foot  
19 shale sand and sand, shale, sand, shale. And so we  
20 don't get -- and there are hundreds of injection wells  
21 that are located near faults, cut faults and faults  
22 oriented optimally to slip, and there is no seismicity.  
23 And part of that is faults don't behave as conduits like  
24 they do in a carbonate.

25 In a carbonate, a fault can be a sealed

1 fault, but oftentimes, they're fractured, and they are  
2 the conduit to the basement or to a problem, you know, a  
3 stressed interval. So, you know, there is an example of  
4 wells in close proximity to faults and there's never  
5 been any problems, and it's a characteristic of the  
6 formation that the injection is going into.

7           But, you know, I didn't -- I didn't not  
8 [sic] mention Oklahoma on purpose, but because -- and I  
9 will mention it in more detail now. Unfortunately,  
10 Oklahoma tends to be what we create the guidance and the  
11 rules based on, because both Texas and New Mexico has  
12 probably said the same thing, "I don't want to be the  
13 next Oklahoma." I've heard that a number of times at  
14 the UIC. But a number of times, I've told them, you  
15 know, you've got to look at the formation. It's not  
16 just draw a circle around the map and apply a rule.  
17 It's a four-dimensional problem. You have to look at,  
18 you know, what's going on at the depth that you're  
19 injecting at. Do the faults penetrate that depth, and  
20 were there other activities occurring that might have  
21 been related to the seismicity?

22           In Oklahoma and the Barnett Shale area,  
23 those faults are highly conductive to the point that  
24 most producing wells that cut those faults in the  
25 Barnett or the formations above them have tremendous

1 saltwater-production problems, because there is salt  
2 water -- just tremendous amounts of salt water coming up  
3 the fault plane and being produced in the Barnett well  
4 or wells above the Arbuckle or in south Texas.

5           The Eagle Ford sees the same thing. If an  
6 Eagle Ford well is in close proximity to one of these  
7 faults that penetrates the Edwards, they make a  
8 tremendous amount of salt water. So it's -- it's proof  
9 that you have a conductive fault.

10           And Zoback has speculated or theorized that  
11 a conductive fault is indicative of a critically  
12 stressed fault because it's open, and it's allowing  
13 fluids to move along that fault.

14           And so there are factors that you can look  
15 at, and I've suggested this to UIC and presented a paper  
16 on this at AAPG, is that in the Barnett Shale area, the  
17 focal points of seismicity are near the Barnett wells  
18 that make the most water. There is a bullseye of  
19 seismicity around these Barnett Shale wells that are  
20 producing anomalous volumes of water, which is  
21 indicative that there is a conductive fault there, and,  
22 you know, just things like that that can be identified  
23 to say, "Hey, that's probably not a good place for us to  
24 put a saltwater disposal well near those wells," because  
25 it's just a cycle. You're injecting the water here.

1 It's pushing water toward the fault that's producing it,  
2 and you're sending it over here, and you've just got  
3 this cycle going on.

4 The effect of that water moving up and down  
5 the fault plane actually changes the coefficient of  
6 friction on the fault, and it makes it slip easier with  
7 no pressure increase at all.

8 **Q. So I guess I'm confused here because your**  
9 **documents -- your testimony has focused almost entirely**  
10 **on the location of faults and prior seismic events,**  
11 **which is what this FSP model analysis focuses on. And**  
12 **now I hear you saying that it's the formation that's the**  
13 **issue such as in Oklahoma.**

14 **A. Well, that's just one of the factors. The**  
15 **Arbuckle or the Ellenburger is not a problem when it's**  
16 **properly or far enough away from the fault. But as you**  
17 **get closer to a fault, there is more likelihood of**  
18 **fracturing that can come off of that fault that would**  
19 **be -- the fluids can get into that fracture system and**  
20 **then get into the fault. And the reason I say that is**  
21 **that's more likely to happen in a carbonate versus a**  
22 **clastic sequence where the faults are typically sealed**  
23 **because there are sand-shale sequences that seal them.**

24 **Q. So would your conclusion then for these wells**  
25 **that it would be fine for them to inject into the**

1 **Ellenburger?**

2 A. For these wells?

3 **Q. Yes.**

4 A. Of course we're not asking to do that, but it  
5 is fine to inject into the Ellenburger if you've  
6 appropriately screened the area and determined that  
7 there is -- there is not a faulting concern in the area.  
8 Because, for example, in the DFW area, there's -- it's  
9 in the order of thousands of injection wells which don't  
10 cause any problems, but there is a handful that are too  
11 close to conductive faults that cause a problem. And  
12 that generally is -- whether it's the Ellenburger or any  
13 other carbonate.

14 And that is one area of concern in the  
15 Devonian here, is that you would like to identify  
16 faulting because it is a carbonate also. It doesn't  
17 quite have the fracture history that the Ellenburger and  
18 the Arbuckle and some of those formations do, but there  
19 is some remote potential for that.

20 **Q. So if the focus is on faults -- I think I**  
21 **understood you to say that we do have an issue here with**  
22 **unmapped faults anywhere, and that's really something**  
23 **that should be of concern to the program.**

24 A. There are methods to map them, though. I mean,  
25 a lot of these research papers, unfortunately, rely

1 on -- even the Snee-Zoback paper on the stress for the  
2 Permian Basin relies on a fault trace grid that was  
3 generated in 1990. So obviously there is much more data  
4 and better data to determine where those faults really  
5 are today.

6                   And, you know, if an area of concern is  
7 identified, there might be a requirement that an  
8 operator or an applicant consider demonstrating with a  
9 seismic line that there are no faults of concern in the  
10 area. But the first step would be cross sections and  
11 mapping and things of that nature. If there are enough  
12 data points to alleviate that concern, that may be the  
13 end of it and determine, yeah, there is a fault or no,  
14 there is no evidence of faulting.

15                   If a concern remains, then the step that  
16 would answer the question is a -- is a 2D seismic line  
17 or two across the area to prove that there is not any  
18 faulting here within -- within a distance that the  
19 pressures could reach. So we're talking about 18 --  
20 \$15 million wells. To go out and buy a couple of  
21 seismic lines to be able to drill that well and prove  
22 that it's not in a bad area is not an unreasonable  
23 expense for an operation of that magnitude.

24

25

## CROSS-EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY EXAMINER JONES:

**Q. You would need to reprocess it, wouldn't you, to focus on those depths?**

A. It would depend on the vintage of the data. There are a number of -- obviously, a lot of the newer data is 3D, and that tends to be more expensive and beyond the budgets of what most saltwater disposal operators want to incur. But there is a lot of high-quality 2D data out there that can see the type of faults that we're talking about that would be of concern.

**Q. The stress that's relieved when these seismic -- these movements happen in the basement rock, is it higher -- closer to the fault, or is it higher away from the faults?**

A. Well, the energy released is right at where the slippage occurs, and as you get further away from it, it becomes, at these magnitudes, not detectable. So that's why, you know, a lot of the USGS points are typically in the higher-magnitude range because they just don't pick up the smaller events because their recording devices are so far spaced apart that they're not going to identify a 2.0 magnitude event like Dr. Taylor's system would.

1           Q.    Okay.  So if injection into a basement happened  
2   a long ways away from these faults, the faults are  
3   acting as an area that can relieve the stress, but you  
4   might get a bunch of little, bitty faults then, right,  
5   just little, bitty seismic movements that would relieve  
6   stress in the adjoining and the basement rocks; is that  
7   correct?

8           A.    Yeah.  I think that's going on all the time  
9   without injection.

10          Q.    Okay.

11          A.    And that's probably a good thing because we  
12   don't want to see an accumulation of stress over a long  
13   period of time without some movement and then you end up  
14   having a much larger event like you see on the San  
15   Andres fault, where it's stuck and it builds up, builds  
16   up, builds up and then it moves and it's more  
17   catastrophic.  So a bunch more smaller events that none  
18   of us ever knew happened is a good thing.

19          Q.    So the big movement happens where it has  
20   happened in the past, at the fault?  You don't start new  
21   faults this way.

22          A.    Well, generally, it just takes a big fault for  
23   a big event.

24          Q.    Okay.  Do you know if you -- if you drill from  
25   the driller's term "Devonian" into the Ellenburger that

1    **you get a lower pressure if you get loose circulation or**  
2    **anything in the Ellenburger?**

3           A.    There are areas where the Ellenburger is more  
4    like a .43.

5           **Q.    So sometimes you do?**

6           A.    Sometimes.  A lot of times that's in areas  
7    where the Ellenburger has had some historical production  
8    or something of that nature.

9                        But, you know, the pressure regime out here  
10   is fairly complex.  And in the studies we've done, we  
11   believe that is part of the cause of the seismicity, is  
12   that we have normal pressure generally in the Delaware  
13   Basin down through top of Wolfcamp and then it gradually  
14   starts building to an overpressured environment of about  
15   a point -- up to a .75 --

16          **Q.    In the Pennsylvanian?**

17          A.    Yeah, and into the Mississippian.  And then it  
18   dramatically drops off to normal pressure again from the  
19   Woodford down.  And that also illustrates how good of a  
20   seal the Woodford is, because you're not going to have  
21   that sharp contrast in pressure gradient without some  
22   permeability barrier.

23                       And from the studies we've done, there was  
24   a series of earthquakes that occurred near War-Wink in  
25   the '70s and '80s when -- for the -- a study that was

1 conducted for the WIPP project to determine whether  
2 seismicity was of concern before they disposed of  
3 nuclear waste out here. They picked up over 1,500  
4 seismic events around War-Wink, a cluster of them, and  
5 then they went away over time. And what they found --  
6 and the multiple authors have concluded this, and I'm  
7 seeing the same thing in the Delaware Basin now on the  
8 Texas side -- is there was an -- there was an activity  
9 flurry of Wolfcamp development and overpressured  
10 formation development at that time period. As they drew  
11 down the pressure in those formations, they had this  
12 clustering of seismicity widespread, not focused along  
13 any specific fault.

14 And we're seeing the same thing in Reeves  
15 County now. Seismicity is popping up in areas long  
16 before any injection has taken place in the Delaware  
17 Mountain Group in those areas, but wells are being  
18 brought online and extracting fluids and dropping the  
19 pressure. So it's a stress change.

20 **Q. Uh-huh.**

21 **A.** It's a stress change in a rock down close to  
22 where the depths are where there is faulting. And the  
23 injection that's taking place up in the Delaware  
24 Mountain Group, there is no faulting at that depth.

25 **Q. You were talking about this 100-square-mile**

1 circle. And these faulting data that you would need to  
2 screen -- in other words -- back to the question  
3 Mr. Brancard asked. Is this data -- it's not public yet  
4 then, right? You would have to get the seismic and  
5 process it and come up --

6 A. Yeah. If you were pushed to the point of  
7 requiring a seismic line to prove or disprove the  
8 existence or nonexistence of a fault, that would be an  
9 expenditure, and that would be -- the seismic -- the  
10 company you buy the seismic data from, they're going to  
11 want you to treat that as confidential. You would  
12 probably have to show it to the Division under seal and  
13 not be released in the public record because they don't  
14 like to do that. But they might allow you to sanitize  
15 the seismic line and cover up the shock [sic] points and  
16 cover up the shock [sic] points on the map, show it to  
17 the regulators to prove your point and then put it in  
18 the public record.

19 Q. Okay. You said basically the stress regime out  
20 there is northeast-southwest, and you showed a schematic  
21 with a bunch of lines kind of northeast-southwest. Are  
22 you basing that on existing faults or the assumption --

23 A. No. That is typically stress measurements  
24 taken from wellbores.

25 Q. Okay.

1           A.    And it rotates around.  As you get over near  
2   Carlsbad, it's more maybe 30 degrees, but as you get  
3   over toward the Texas border and Winkler County, it's  
4   rotated to about 90.  And then when you get into Texas,  
5   it's rotated all the way around to 135.  So it's  
6   changing, and typically you can determine what the  
7   distress direction is from breakouts in wellbores.  
8   You'll get kind of an elliptical shape to a wellbore  
9   that will determine the stress direction in that area in  
10  that specific formation.

11           Q.    Uh-huh.  So if they've done that, then they  
12  probably know the stresses in the -- in the deepest part  
13  of that well, too.  I mean the Simpson and these  
14  lower-sealing zones.  So you think the Simpson is a  
15  pretty good seal then --

16           A.    Yes.

17           Q.    -- the Montoya and Simpson?

18           A.    Yes, I do.

19           Q.    Thank you very much.

20           A.    Sure.

21                         EXAMINER JONES:  Is that it?

22                         MR. BROOKS:  I would like to ask a couple  
23  of follow-up -- well, do you -- I would like to ask a  
24  couple of follow-ups.

25                         EXAMINER JONES:  Okay.

## CROSS-EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. BROOKS:

**Q. Basically your conclusion is that induced seismicity is no fault, no problem, right?**

A. In general, that's correct. I've not seen a case of induced seismicity where there was not a fault at issue.

**Q. But you said the available mapping data -- fault-mapping data is not very good. At least that's the conclusion I got from what you said.**

A. I think -- yeah. What we both stated is a lot of faults that are depicted aren't there. In some instances, you do find that those faults exist at or near where they're shown on a map, but -- and again -- yeah. Since that was kind of a regional look, I'm fairly certain they didn't detect every fault either in the right location. And that's why a screening technique of, you know, building structural cross sections and actually mapping the site-specific formation in the site-specific area has the ability to reveal those faults. Because these fault traces that we're relying on on these maps, they did not go into the level of detail that we go into in this 100-square-mile area. Generally, those were papers done 30 years ago. They may have had 30 log data points, and they say,

1 "Well, it's quite a bit higher here than it is over  
2 here; there must be some faulting in here." We've got a  
3 lot more data now to be able to look at well log data,  
4 penetrations to the formations where we can identify  
5 whether there is a problematic fault or possibly  
6 identify that the fault that's shown on the map just  
7 isn't there.

8 **Q. But you didn't have very much penetration data**  
9 **on the deep part available as to these particular**  
10 **locations, did you?**

11 A. I think there was better data and penetrations  
12 more numerous around the Laguna Saladas than the Baker,  
13 was my recollection. But from the cross sections that I  
14 drew in a strike and a dip direction, there was no  
15 evidence of the kind of step-up you see over to the area  
16 to the north -- or actually to the east where there's --  
17 we had some applications that we presented in the area  
18 of maybe Sparrow and a lot of NGL wells over there.

19 There's -- there's a north-south trending  
20 fault trend, and then with the cross sections that I've  
21 conducted over there, it clearly steps up 4-, 500 feet.  
22 There is no doubt that there is faulting in that area.  
23 And that's how quickly it reveals itself. Just with a  
24 couple of cross sections, you see that yes, there is a  
25 fault here.

1 Q. Where is this you're talking about?

2 A. Let's look at one of these exhibits. I think I  
3 can get really close to it.

4 Q. This is one of your hypothetical --

5 A. No. It's a real one.

6 Q. One of your -- but is it related to this -- to  
7 the area under discussion?

8 A. No. It's on one of those maps.

9 Q. Yeah.

10 A. But it's off -- far outside the area.

11 Q. I don't want to go -- I do not want you to go  
12 into it any further at this point.

13 If you were to rate your conclusions that  
14 there are no faults in the Laguna Salada area on a scale  
15 such as people in interviews are required to write --  
16 are often asked to relate to, high confidence,  
17 intermediate confidence or low confidence -- of course,  
18 the margin is very high or very low -- what would you  
19 say about your conclusions?

20 A. In the area of the Laguna Salada, the cross  
21 sections that I looked at -- basically, you had a well  
22 at this end. I think it had five wells on the cross  
23 section, and the dip rate down that cross section was  
24 just constant. There was no clear step up, step down.  
25 So I would say based on the data available to me, with

1 an intermediate level of confidence, I can say there is  
2 no faulting in that area of those wells.

3 Now, we've got more and more injection  
4 wells coming into play here, and as we get those data  
5 points, those data points themselves will determine  
6 whether they we're right.

7 **Q. And, of course, as you say, a 3D seismic is the**  
8 **gold standard.**

9 A. Sure.

10 MR. BROOKS: Okay. No further questions.

11 EXAMINER JONES: That's it for this  
12 witness?

13 MS. BENNETT: Well, if I could just ask one  
14 clarifying question.

15 EXAMINER JONES: Okay.

16 REDIRECT EXAMINATION

17 BY MS. BENNETT:

18 **Q. And I think you just touched on this. You did**  
19 **do your own cross section for this very area, right?**

20 A. Yes.

21 **Q. And so did Dr. Zeigler?**

22 A. She did. Her cross sections are stratigraphic,  
23 so they're focused on continuity and thickness of the  
24 zones. So they don't reveal the type of structural  
25 implications I'm talking about because they're not a

1 structural cross section, but they do give some insight  
2 into the fact that there is not drastic changes or  
3 changes in thickness, even though a stratigraphic cross  
4 section sometimes can reveal whether or not you're close  
5 to a fault because the thicknesses change abruptly on  
6 one side or the other.

7 **Q. So we're not really looking at an unmapped area**  
8 **here per se. What we are looking at is an area where**  
9 **there are specific data points. They may be limited,**  
10 **but you took those specific data points for this**  
11 **specific site and you created a cross section and an**  
12 **isopach based on those data points for this specific**  
13 **site, and that is what your conclusion is based on?**

14 **A.** That's correct. And even those fault traces  
15 that have been drawn 30 years ago, they relied upon the  
16 data they had at the time, and they said, "We think  
17 there are faults in this area, this area and this area."  
18 We have a considerable amount of data that's been added  
19 to the record since then to show where we believe faults  
20 are or that aren't.

21 **Q. Thank you.**

22 EXAMINER JONES: Okay. Let's break for --

23 Thank you very much, Mr. Reynolds.

24 Let's break for lunch and come back maybe

25 at 2:15.

1 (Recess, 12:54 p.m. to 2:15 p.m.)

2 EXAMINER JONES: Let's go back on the  
3 record and continue with Mesquite's cases.

4 MS. BENNETT: Thank you.

5 MS. BISONG: Good afternoon. On behalf of  
6 Mesquite, I'd like to present our next witness, Scott  
7 Wilson.

8 SCOTT J. WILSON,  
9 after having been previously sworn under oath, was  
10 questioned and testified as follows:

11 DIRECT EXAMINATION

12 BY MS. BISONG:

13 **Q. Mr. Wilson, can you state your full name for**  
14 **the record?**

15 A. Scott James Wilson.

16 **Q. And who do you work for and in what capacity?**

17 A. I work for Ryder Scott Company. My title is  
18 senior vice president, and I've worked there for 20  
19 years. I'm here on behalf of Mesquite SWD.

20 **Q. What are your responsibilities?**

21 A. My primary responsibilities are doing technical  
22 studies on oil wells. I prepare reserve reports for SEC  
23 filing, financial entities. I also do simulation work.  
24 I teach classes in nodal analysis. Pretty much anything  
25 that anyone wants that is within my area of expertise,

1 I'm willing to do.

2 Q. And you have testified before the Division or  
3 the Commission before, correct?

4 A. I have.

5 Q. And were your credentials accepted as a matter  
6 of record?

7 A. They were.

8 Q. Are you familiar with the applications -- the  
9 three applications filed by Mesquite?

10 A. I am.

11 Q. Have you conducted a petroleum engineering  
12 study related to these three applications?

13 A. I have.

14 MS. BISONG: At this time I'd like to  
15 tender Mr. Wilson as an expert in petroleum engineering.

16 EXAMINER JONES: Any objections?

17 No objections?

18 He is so qualified.

19 MS. BISONG: Thank you.

20 MR. BROOKS: I never object.

21 EXAMINER JONES: Mr. Bruce, any objection  
22 to --

23 MR. BRUCE: Absolutely not.

24 EXAMINER JONES: You saw "Ryder Scott" in  
25 the name and said, "That's it" (laughter).

1 Q. (BY MS. BISONG) Mr. Wilson, you were here  
2 earlier when Dr. Zeigler testified earlier about the  
3 locations and the proposed injection zones for these  
4 three wells, correct?

5 A. Yes, I was.

6 Q. Your exhibits -- or the exhibits that you've  
7 prepared are behind Tab 4, which is in front of you; is  
8 that correct?

9 A. That's correct.

10 Q. And can you turn to Tab 4 for me?

11 A. (Witness complies.)

12 Q. And your study includes the Baker well and the  
13 two Laguna Salada wells?

14 A. It does.

15 Q. What information did you consider when you put  
16 together your study?

17 A. I looked at the locations of the proposed  
18 wells. I placed them in a reservoir simulation grid  
19 around the nearby offsets and other wells that we are  
20 familiar with. I also considered the completion sizes,  
21 the tubing sizes that were planned, and have included as  
22 Exhibits A1 and A2 a description of the nodal analysis  
23 that describes why the larger tubing size is preferable  
24 over the smaller tubing size.

25 Q. Can you briefly describe for everyone what a

1 **nodal analysis is?**

2 A. Sure. A nodal analysis is a technique of  
3 identifying the pressure losses within a system, and the  
4 technique is where you incorporate the capacity of the  
5 injection zone to absorb fluids at different pressures.  
6 You also couple that with different tubing-size models,  
7 and with the coupling of those two systems, you can  
8 identify the net effect of the overall system and the  
9 resulting injection rates and pressures.

10 **Q. In addition to the nodal analysis, you did a**  
11 **reservoir study?**

12 A. I did. That follows -- it's probably Exhibit  
13 A10 forward -- actually, A9 forward.

14 **Q. Okay. And before we start going through your**  
15 **exhibits, can you just briefly summarize your**  
16 **conclusions with respect to your reservoir simulations?**

17 A. The reservoir simulation studies showed that at  
18 the proposed injection rates, even at the maximum  
19 proposed injection rates, that the area of influence  
20 around each of the injection wells does not extend more  
21 than a mile over 20 years depending on the thickness of  
22 the zone primarily. The wells to the southeast are the  
23 thickest zone, and at the same injection rate as the  
24 wells to the northwest, the area of influence is larger  
25 in the northwest. But, in general, the interference

1 between wells remains small until you get 30 or 40 or 50  
2 years out.

3 **Q. And can you also briefly describe the results**  
4 **you found in your nodal analysis?**

5 A. The nodal analysis clearly shows that the  
6 larger pipe size you use, the less energy is used up in  
7 friction and other irreversible losses.

8 **Q. Turning to your exhibits, at Tab 4, the**  
9 **first -- can you just tell us which exhibits are part of**  
10 **your nodal analysis?**

11 A. Exhibits A1 and A2 are the nodal analysis  
12 exhibits.

13 **Q. Can you explain what Exhibit A1 tells us?**

14 A. Sure. Exhibit A1 shows that the red curve  
15 there with the triangles represents the hydraulics of  
16 the 7-inch-by-5-1/2-inch tapered string tubing. Now,  
17 the line is difficult to see, and it has green boxes.  
18 So if you connect the green boxes, that would represent  
19 the line that is relevant for the 5-1/2-inch tubing  
20 throughout. And it shows -- this image shows that with  
21 the 7-1/2 -- or 7-inch-by-5-1/2-inch tubing, the  
22 injection rate would be predicted to be roughly 48,000  
23 barrels a day. And with the smaller tubing, you would  
24 get 7,000 barrels a day, but just the magnitude of the  
25 change in injection rate based on the tubing string for

1 this particular well. And this well specifically was  
2 the Alpha well, where we did a detailed analysis on that  
3 well. But the same concepts are relevant. And actually  
4 the deeper the well, the more extreme the difference in  
5 the cases will be. And this well was only at 13,000 --  
6 well, about 13,80 [sic]. So for a deeper well, the  
7 difference in the friction drop will be even larger.

8 **Q. And turning to Exhibit A2, can you describe**  
9 **what you see in this exhibit?**

10 A. Sure. A2 just shows the summary from the prior  
11 plot. And it says if you're using tubing ID with  
12 5-1/2-inch OD, which represents a 4.7-inch ID, the  
13 injection rate is roughly 37,000 barrels a day. Now,  
14 the joint tubing that's represented by the 7-inch plus  
15 the 5-1/2, the tapered string, is that upper triangle to  
16 the right, and that says under those conditions, you'll  
17 have as much as 48,000 barrels per day.

18 The blue inset table shows, based on the  
19 need for injection in the area, how many wells you would  
20 need under both of those scenarios. For example, if the  
21 area of disposal capacity was 400,000 barrels a day,  
22 you'd need 11 wells with 5-1/2-inch tubing, and you'd  
23 only need eight wells with the 7-by-5-1/2-inch tapered  
24 string.

25 **Q. So in the case with the two Laguna Salada wells**

1     **and the Baker well, pursuant to your analysis, is it**  
2     **more advantageous to have a larger-size tubing?**

3           A.     Yes.  It's better to have the larger tubing.

4           **Q.     And why is that?**

5           A.     Primarily because you use less horsepower  
6     driving the fluids into the formation, because  
7     frictional losses are basically wasted energy, and so  
8     you basically have to pay for electricity, fuel, gas,  
9     things like that in order to push the fluids down the  
10    small piece of pipe and fight the friction of going down  
11    that smaller piece of pipe.  So it's good for the  
12    operator, it's good for the environment, it's good for  
13    everyone if you don't lose energy due to things that are  
14    unnecessary.

15          **Q.     Turning to the exhibits in your -- I'm looking**  
16    **at Exhibit A4.  We do not have an A3.  But jumping to**  
17    **A4, can you describe that next exhibit?**

18          A.     Exhibit A4 specifically is a map that shows the  
19    two Laguna Salada wells.  They're highlighted in the  
20    center of the figure.  There is a callout that shows  
21    where those wells are, and there is a gray circle that  
22    represents a one-mile radius around each of those wells.  
23    It's also fairly clear what a mile is because these are  
24    section lines, and those are two-mile.  So that's  
25    Exhibit A4.

1                   A5 shows where those two wells appear on  
2 Dr. Zeigler's structure map. And actually this is a  
3 thickness map. It's a Silurian-Devonian thickness map  
4 at those three locations -- at those two locations. And  
5 you can see the structural contour just to the left of  
6 the large yellow box that says "1,000 feet." And then  
7 there is another structural contour immediately below  
8 the large yellow box, and it says "1,200 feet." So just  
9 visually those two wells are going to be roughly 1,000  
10 feet, maybe a little more, in thickness. So that's  
11 Exhibit A5.

12           **Q. And just for the benefit of the examiners, tell**  
13 **us which isopach we're looking at.**

14           A. This is the Silurian-Devonian isopach, and I've  
15 left the original title blocks and depth scales and  
16 length scales on here for reference.

17           **Q. And you can tell by looking at the legend --**

18           A. Yes. And actually immediately above the top of  
19 the graph, it says the words "Silurian-Devonian  
20 Isopach."

21           **Q. Turning to Exhibit A6, can you describe what's**  
22 **in this exhibit?**

23           A. This is an image -- a map image of the  
24 locations of Baker well. This is a slightly more  
25 zoomed-in image than the last image that was similar to

1 this. This well is offset by the Paduca well. There is  
2 a one-mile radius shown by the gray circle there. This  
3 is also a boundary basically between Eddy County and Lea  
4 County. So that's for location purposes. But there are  
5 not a lot of wells in this area, so there is not much to  
6 see here.

7 **Q. Turning to Exhibit A7, please describe what we**  
8 **see here.**

9 A. A7 is similar to A5 in that it takes the well  
10 that we're discussing here, the Baker and puts it onto  
11 an isopach map that shows the thickness of the  
12 Devonian-Silurian at this location. And you can see,  
13 the Baker well to the far right is denoted by that blue  
14 star, and it's just off of the 1,400-foot contour. And  
15 up in the title bar of the exhibit, it says, "The  
16 Silurian-Devonian thickness at the Baker well is 1,400  
17 feet."

18 **Q. Exhibit A8, tell us what this exhibit is.**

19 A. This is basically just showing that the area is  
20 developed heavily. All of the little white marks on  
21 this aerial photograph are wellbores or surface  
22 locations, surface pads. And so the area of interest is  
23 fairly well developed. It's flat. There is not a lot  
24 of terrain, things like that. It's basically a location  
25 map.

1           **Q.    I don't know if you can point us anywhere on**  
2 **this map where the wells of interest are.**

3           A.    Probably the best way to do it is to compare  
4 the road that cuts through there.  And on A7 and A8, if  
5 you set them next to each other, you can kind of see the  
6 road following the same path through the area.

7           **Q.    The Del [sic; phonetic] Highway?**

8           A.    Yes.

9                         So Exhibit A8 covers -- really it covers --  
10 you can see on the far right-hand side the Texas  
11 boundary, and also Texas is on the south.  And then over  
12 as far as -- I don't know.  Is this Carlsbad?  You guys  
13 know the towns better than I do.  The far left-hand edge  
14 is potentially Carlsbad.

15           **Q.    Moving along to Exhibit A9, can you describe**  
16 **what we see in Exhibit 9?**

17           A.    Okay.  So Exhibit 9 is the first of the grid  
18 plots that represents the simulation grid I built to  
19 model the performance of these wells and the offsets.  
20 This is a three-dimensional reservoir simulator.  The  
21 Silurian-Devonian zone was mapped into the simulator  
22 based on the geologic maps provided by Dr. Zeigler.  I  
23 then at each -- as each well is proposed, I look at the  
24 lat/long of the well.  I compared it with the maps, and  
25 I identify where in the grid that would physically sit.

1 So then I say -- for example, the Laguna Salada 13 and  
2 19, they're in certain grid cell locations. So I  
3 triangulate the grid cell locations and place them into  
4 the grid.

5 That little patchwork, the darker grid that  
6 you see there, is designed in order to try to get  
7 additional detail for the individual wells. And so  
8 wells of interest, I'll put a tighter grid around those  
9 wells so that you can see the response a little bit more  
10 accurately. Because the larger grid is only four cells  
11 per mile, so if you count four of these little cells in  
12 any direction, that's a mile distance. The finer grids  
13 are eight cells per mile, so it gives you twice as much  
14 detail.

15 **Q. Can you tell us what the key in the bottom**  
16 **right-hand corner is?**

17 A. Yes. That's the depth key. And the top item  
18 is 19,229 feet. And that's to the far right. It's off  
19 the scale on this image because we're only looking at  
20 the northwest corner of the overall grid. And you can  
21 see the red color here is roughly 13,000 feet. So the  
22 Laguna Salada wells are somewhere between the red color  
23 and the purple color below them. So they're mapped into  
24 this grid at roughly the depths that they're expected to  
25 fall on the maps from Dr. Zeigler.

1           **Q.    Let's move to A10.  I think you can just go**  
2 **through the exhibits and finish describing --**

3           A.    Sure.  So A9 leads to A10.  The colors in A9  
4 represent the depths of the formation.  So if you look  
5 at A10, it's the wire-frame grid.  And it's a little  
6 more difficult to tell what the depths of the individual  
7 wells are in this situation.  But the inset image that's  
8 dark shows that to the west, the thickness is very  
9 small.  Whereas, you almost double in thickness to the  
10 east.  It also shows that the overall formation dips  
11 from shallow in the west to deeper in the east.  So I've  
12 mapped the original map from Dr. Zeigler and then  
13 embedded that into this grid mesh in order to model it  
14 more accurately.  So that's what's shown in A10.  It  
15 also highlights the wells of interest.

16                         All is the thickness of those zones.  So  
17 now the color scale represents thickness.  And the  
18 thickest zone here is roughly 1,900 feet, which is off  
19 the right side of the scale.  The thinnest zone is the  
20 797, the dark blue, which is on the left-hand side of  
21 the scale.  And then the rainbow colors that phase up --  
22 or downward from there are shown at the exact well  
23 locations, as best I could.

24                         So, for example, the Baker well is in a  
25 reddish-orange color, so you can expect it to be roughly

1 1,300 to 1,400 feet thick. So that's Exhibit A11.

2 A12 is the pressure. So this is the first  
3 what's called dynamic property in the grid. Dynamic  
4 properties change over time. And so the initial  
5 pressure in the grid is based on the depth of the  
6 individual grid cell, the fluids that are in that cell  
7 and any capillary pressure effects that might affect the  
8 particular cell. So this one shows the pressure you'd  
9 expect to see in any of these zones.

10 So, for example, the Baker well location is  
11 in a greenish-yellow color. So I would expect it to be  
12 roughly 7,500 psi, which is the difference between the  
13 green title -- or the green legend area and the orange  
14 legend area. So that's the initial pressures.

15 And if you look quickly at A13, that shows  
16 the pressures after 20 years. So when you turn the grid  
17 on and start injecting fluids into, as you'd expect, the  
18 pressures in the grid increase. And so flipping quickly  
19 between A12 and A13, you can see which cells have  
20 changed color. And the ones that change color are  
21 usually the ones that have the highest injection and the  
22 thinnest zones. So material-balancewise, the grid  
23 honors the injection volumes and the formation response  
24 to the injection of those volumes.

25 **Q. And let me stop you really quick. For each of**

1 the wells that are shown in Exhibit A13, are you  
2 injecting the same amount of barrels per day in each  
3 well?

4 A. Yes. For this particular run, I injected  
5 40,000 barrels a day into every well that didn't  
6 currently exist.

7 Q. For a period of 20 years?

8 A. Yes. This is shown at 20 years. And the  
9 reason to do that would be just to measure the  
10 worst-case scenario more than anything else.

11 So A14 shows where the fluids go during  
12 those 20 years. So the blue color -- the dark blue  
13 color there is the background fluids that were in the  
14 formation originally. The other colors, meaning light  
15 blue, red and green, are tracking the path of the  
16 injected fluids. And the upper graph shows the overall  
17 scale -- well, sorry -- the three wells in  
18 consideration. The lower two graphs show a detailed  
19 image of the wells in question so you can look exactly  
20 at which ones have fluid that have actually interfered  
21 with each other and which ones have not at that period  
22 in time.

23 And, again, the fine grid here is eight  
24 cells per mile, and the rough grid is the four cells per  
25 mile.

1                   But you can see that there are roughly  
2   circular injection patterns around each of the  
3   injectors, and the fluids basically move radially away  
4   from the injector toward the other lower pressure areas.  
5   And you can see, with the two Laguna wells, at 20 years,  
6   they still mostly have circular injection patterns. But  
7   we ran this forward to 100 years yesterday to see when  
8   those patterns would be potentially distorted, and at  
9   100 years, they have started to distort. And you can  
10   imagine. The Laguna 13 is injecting more to the north  
11   and the Laguna 19 is injecting more to the south once  
12   they start to interfere with each other. But it took  
13   100 years before I could see something that was worth  
14   looking at. So that's Exhibit A14.

15                   A15 is now very similar, just I've now  
16   turned off the background color so that you can see just  
17   the new fluids that have gone into these grid cells.  
18   And you can see the Laguna Salada wells are in that  
19   little cluster to the left. Whereas, the Baker well and  
20   the offset Paduca well are to the right.

21                   And at 20 years, they're finally starting  
22   to slightly interfere with each other. There is a low  
23   probability operationally they would be affected. But  
24   what they will do after your 30 and 40 and 50 is it will  
25   become slightly more difficult to inject into these

1 wells because of the proximity to each other. But you  
2 could say the same for if you had one well in the middle  
3 of the state, it would never interfere with any other  
4 well. So if any wells -- in this grid, if any well is  
5 in the grid, it's going to see every other well. It's  
6 the magnitude of that effect that it has. And that was  
7 kind of the whole point in doing the simulation, was to  
8 quantify the magnitude of the effect. So that's Exhibit  
9 A15.

10 A16 is what we call a mechanistic model.  
11 It's testing two wells next to each other that are  
12 hypothetical. So in the first trial, I put two wells  
13 one mile apart and saw how they acted as we injected  
14 40,000 barrels a day into each one. And you can see  
15 that image on the lower left. And the image you see is  
16 at 20 years. That's the profile of injection at 20  
17 years for those two wells.

18 Now, if there were -- if there is only one  
19 well there, there would be a high probability it could  
20 produce at -- sorry -- it could inject at 40,000 barrels  
21 a day for probably 20, 30 years before it would start to  
22 push back on itself basically. But if you have two  
23 wells that are only a mile apart, you'll lose roughly  
24 3,000 barrels a day of injection off of the 40,000  
25 barrel-a-day assumption, and that's at 20 years.

1                   So in terms of trying to quantify the  
2 magnitude of the operational effect of putting wells  
3 close together versus far apart, that's what you see in  
4 the upper right-hand corner, those three lines. The  
5 blue line indicates the impact of wells that are two  
6 miles apart. The first red line, working your way down,  
7 shows the impact of the wells that are a mile and a half  
8 apart, and the last one down shows the impact of wells  
9 that are one mile apart. And as you can see, at 20  
10 years, the impact of those three different scenarios is  
11 fairly difficult to see. So that's Exhibit A16.

12                   Exhibits A17 through, I think, 21 show a  
13 time series of the saturation of injected fluids in the  
14 upper right -- sorry -- upper left, and in the lower  
15 right, it shows the pressure profile of those same  
16 wells. So each of these steps shows what those two  
17 conditions look like at a point in time. So the first  
18 Exhibit A17 shows before any injection, and the upper  
19 left graph looks dark because there is no new saturation  
20 of fluids in the formation. The pressure profile is  
21 very smooth and flat. There is no bumps in it because  
22 that's how it naturally occurs in the formation.

23                   Now, if you turn to A18, that's after one  
24 year. And you can see each of those little bars in the  
25 upper left graph represents injection of fluids, and

1 you're changing the saturation in the cell most proximal  
2 to the injection well. At the same time, you've  
3 increased the pressure. You can notice around the  
4 wellbores that little yellow color that's starting to  
5 appear, that's a slightly higher pressure around those  
6 wellbores as you inject fluid into. That's after one  
7 year.

8           Exhibit A19 shows after two years, it's  
9 more of the same. The injection radius is starting to  
10 grow. Those little blue feet around each of the bars on  
11 the upper left-hand graph shows that the saturation is  
12 beginning to increase more than one cell away from the  
13 injection well cell but not to a great extent. The  
14 amount is fairly low because the height of those bars  
15 represents the amount of that parameter.

16           The pressure points -- the increasing  
17 pressure points in the grid are starting to show up in  
18 this yellow color on the lower right-hand graph, but you  
19 can see they haven't gone above the pressures in the  
20 lower sections of the formation because it's all yellow.

21           Okay. After ten years, the effects are as  
22 you'd expect, more pronounced because we've been on  
23 injection at 40,000 barrels for ten years. And you can  
24 see that we've now moved maybe three cells away from  
25 each of the injection wells. The overall pressure

1 gradient has climbed where there are clusters of wells.  
2 But if you look to the far left on the lower, right-hand  
3 graph, there's an individual well there that's kind of  
4 by itself, and that well has not really pressured up the  
5 formation very much because it doesn't have any wells  
6 near it. So the pressures in the formation rise, as you  
7 would expect them to. And so operators will say, "Well,  
8 if I have an opportunity to drill into a virgin  
9 reservoir at the corner of the state, that might be  
10 better than next to a bunch of other wells that are  
11 already existing." But they have to weigh that against  
12 where the demand is and where all their facilities are  
13 and things like that. So the intent of the simulation  
14 study was to try to quantify some of those effects.

15           The last slide in that series is Exhibit  
16 A21, and it really shows you more of the same. The  
17 circles of influence are growing, as you would expect,  
18 on each of the wells. The overall pressure profile  
19 continues to rise. We never go above fracture pressure  
20 on any of these wells because the defined simulation  
21 model is to operate them up to injection pressure --  
22 maximum injection pressure and then let the rate fall,  
23 as they are unable to meet that new pressure increase.  
24 So the model automatically cut-rates back as you hit the  
25 maximum injection pressure. And you'll see that in one

1 of the last slides I have.

2                   So Exhibit A22 shows a little more detail  
3 on these specific wells. And so the tough part about  
4 this particular figure is I had to rotate the whole  
5 thing to bring the Laguna 13 and 19 to the front of the  
6 image. So you can see in the upper left-hand graph is  
7 those two green high spots that are denoted by Laguna 19  
8 and 13, and that's the injection pressure at that  
9 location after 20 years. And you can see in the lower  
10 right-hand graph, also in the lower right-hand corner,  
11 the Laguna 13 and 19, the pressure profile around those  
12 wells -- oh, sorry -- the saturation profile around  
13 those two wells.

14                   Okay. So that's the end of the grid  
15 images.

16                   Exhibit A23 is just a plot of a certain  
17 parameter over time. And this set of plots was built in  
18 a previous simulation model to represent typical  
19 injection rates in this grid. I also have observation  
20 wells in the grid so that you can have a judgment of the  
21 overall pressure regime in the larger scale. So the  
22 observation wells are those horizontal lines that are  
23 denoted by the callout and the arrows. And basically,  
24 if you're in the corners of this very large grid, it  
25 almost doesn't recognize that there are pressure changes

1 in the system. I think if you're looking at fractions  
2 and decimal places, you'll see them notch up to a  
3 hundredth and thousandth of a psi, but you can't see  
4 them on these scales.

5 (Pause in proceedings while the court  
6 reporter has a coughing attack.)

7 A. Okay. So we're still on A23, and that shows  
8 pressure on the left-hand axis, the bottom-hole  
9 injection pressure. Then the y-axis shows time and  
10 days. And for reference, the middle of the graph is ten  
11 years, and the right-hand edge of the graph is 20 years.

12 So Exhibit A24 shows the injection rates.  
13 And although it looks like a lot of horizontal lines,  
14 that just shows that very few of these wells have  
15 reached the maximum injection pressure. And I have a  
16 few wells -- I can count six here -- that are injecting  
17 less than 40,000 barrels a day. Those are wells that  
18 currently exist and have a history of injecting at a  
19 certain rate. And so I've typed in that rate and let  
20 them continue to operate at those conditions.

21 Now, the other thing to note here is we  
22 do -- let's just test whether the simulation is working  
23 or not. And you do see that, in this case, the Striker  
24 wells and the Alpha wells, on the upper right-hand side  
25 of the graph, are starting to see the maximum injection

1 pressure, and the injection rates are starting to fall  
2 off. And as you would expect, those two wells are in a  
3 thinner zone, so their ability to inject more is  
4 evidenced in the -- in the simulation model. So that's  
5 Exhibit A24.

6 **Q. Can I stop you really quick?**

7 A. Sure.

8 **Q. On Exhibit A24, I just wanted to confirm that**  
9 **where you see -- the fall-off is right -- right around**  
10 **20 years; is that correct?**

11 A. That's correct. It goes from 40,000 barrels a  
12 day at 6,000 days to 39,500 barrels a day at 20 years.

13 And then Exhibit A25 is -- actually, this  
14 did not have to do with my simulation study. This is  
15 the public data that I've pulled on active injectors in  
16 this area of the state. And I don't want anyone to get  
17 confused by the size of these bubbles, so I want to  
18 clearly describe what these bubbles represent. The size  
19 of these bubbles means the cumulative injection into  
20 those wells. It does not represent the distance the  
21 fluids have moved. That would be a different  
22 calculation. This is simply the cumulative injection.

23 So if you look, the big red bubbles on the  
24 west side are, based on this data, the most injection  
25 you've seen in any injectors in that zone among wells

1 that are still characterized as active injectors. And  
2 the stars that are denoted to the center south of the  
3 grid are the three wells in question here today.

4 **Q. So, Mr. Wilson, in your opinion, what does your**  
5 **study show with the pressure in the injection zone?**

6 A. My study shows that if you honor the maximum  
7 injection pressure, as the simulation study does, it's  
8 physically impossible to go above frac pressure assuming  
9 that the .2 pressure gradient at the surface honors frac  
10 pressure. And when the wells do reach that maximum  
11 pressure, the rates will drop off accordingly, and the  
12 operators will see an increase in injection rates based  
13 on that.

14 The simulation study also shows that due to  
15 the thickness of this formation -- you know, it's hard  
16 to visualize what 1,400 feet thick is, but that's  
17 roughly 110-story-tall building. So that's the  
18 thickness of the injection zone we're injecting to. You  
19 can push a lot of water into that thickness of a zone  
20 without it really going very far because it's spreading  
21 out in a vertical distance.

22 **Q. Does your study show how far the fluids will**  
23 **travel when they are injected?**

24 A. They do. The saturation profiles, all the  
25 pictures with the black background, show a circle that

1 represents the fluids that have moved into the formation  
2 based on the injection.

3 **Q. And have you concluded approximately how far**  
4 **they will travel in about 20 years?**

5 A. Yeah. In this case a good example would be  
6 Exhibit -- well, even Exhibit A16, there are three  
7 images there all showing injection at 20 years. And  
8 then the circle that's not black -- it's got a green  
9 center and then orange, then blue -- that represents the  
10 radius of injection. And you can see in the lower left,  
11 those wells are a mile apart and they haven't yet  
12 touched each other. So in that scenario, it would  
13 probably take 30 years before they touch each other  
14 because that's radial, and it's going to grow with the  
15 square foot of time as opposed to time, because that  
16 outside ring takes up more space than the inside rings.

17 **Q. Does your study take into account that any**  
18 **injection zone, the permeability and porosity are**  
19 **not -- they're not equal throughout the formation?**

20 A. Actually, this grid does have uniform porosity  
21 throughout.

22 **Q. Okay.**

23 A. It has changing thickness and pressure and  
24 depth, but we don't actually have enough data yet to  
25 identify tangible differences in permeability or

1 porosity. I think over time, as the dynamic, the  
2 time-based data, is collected, we will be able to refine  
3 the grid to show differences in quality of each  
4 individual location.

5 **Q. And based on the nodal analysis that you did,**  
6 **have you reached an opinion on the likelihood of the**  
7 **three proposed wells reaching a pressure that would**  
8 **create fractures in the formations?**

9 A. Yes. Based on the nodal analysis, the  
10 requirement that the wellhead pressure not be above .2  
11 times the well depth implicitly requires that the --  
12 that the well not be above frac pressure. So the higher  
13 the injection rate, the lower the bottom-hole pressure  
14 that is delivered, and with smaller tubing, it gets even  
15 worse. So, in general, as long as operators honor their  
16 maximum injection pressures, they won't go above frac  
17 pressure.

18 **Q. Thank you.**

19 **Based on your study of the formation and**  
20 **the modeling that you performed for this application --**  
21 **or these three applications, what are your conclusions**  
22 **concerning these applications' overall potential to**  
23 **impact the formation?**

24 A. These wells are very similar to other wells  
25 I've studied. The formation is very thick, is able to

1 accept fluids very readily, and I would not see any  
2 problem with any of these permits given the constraints  
3 that we've seen. In general, they don't affect the  
4 wells near them for at least 20 years, in some cases,  
5 even longer. So the operators have made their own  
6 decisions as to whether it makes sense to drill these  
7 wells, and I honor those business decisions.

8 **Q. I think you've already covered this, but in**  
9 **your opinion, will the volumes potentially -- will the**  
10 **volumes potentially injected into the formation affect**  
11 **the potential formation fracture pressures?**

12 A. No. In paraphrasing your question, do the  
13 volumes that have been injected into the formation cause  
14 it to fracture? And the answer would be no because  
15 we're injecting -- we're injecting the maximum injection  
16 pressure, so regardless of the amount of volume that's  
17 going in, the fluids enter at below fracture pressure.  
18 So the entire system pressure will rise, but it won't  
19 rise above fracture pressure.

20 MS. BISONG: At this point in time, I would  
21 like to ask for the exhibits under Tab 4 be admitted  
22 into the record.

23 EXAMINER JONES: Any objection?

24 MR. BROOKS: No objections.

25 MR. PADILLA: No objection.

1 EXAMINER JONES: The exhibits under Tab 4  
2 will be admitted in all three cases.

3 (Mesquite SWD, Inc. Exhibit Number 4 is  
4 offered and admitted into evidence.)

5 MS. BISONG: I have no more questions on  
6 direct.

7 EXAMINER JONES: Mr. Padilla?

8 MR. PADILLA: I don't have any questions of  
9 Mr. Wilson.

10 MR. BRUCE: No questions.

11 MR. BROOKS: We have one question.

12 CROSS-EXAMINATION

13 BY MR. BROOKS:

14 **Q. You know, the permits require the -- that the**  
15 **fluid remain in the injection zone, which it either will**  
16 **or will not. What assumptions did you make in this**  
17 **regard?**

18 A. In the grid I have, it's the single zone, so  
19 it's the zone -- it's the Devonian-Silurian zone. The  
20 assumption I make is that the .2 pressure gradient that  
21 is the requirement for the maximum injection pressure is  
22 honored, and when that is honored, by definition, the  
23 theory is that it will not go above frac pressure going  
24 up or down.

25 **Q. So your model does assume there is no migration**

1 outside the injection zone?

2 A. That's correct.

3 Q. Okay.

4 CROSS-EXAMINATION

5 BY EXAMINER BRANCARD:

6 Q. Thank you for the exhibits. I love color.

7 (Laughter.)

8 EXAMINER JONES: You should have been a  
9 geologist.

10 Q. (BY MR. BRANCARD) First, they confuse me, too,  
11 so Exhibits A14, 15, 16. Okay? You made the statement  
12 about A16, that it showed those three little Pac-Man  
13 things at the bottom, that it shows that there is no  
14 contact after 20 years one mile apart, 1.5 miles, two  
15 miles apart. Is that correct?

16 A. The fluids that are injected are not shown to  
17 basically touch each other even on the one-mile case.  
18 And realize that the pressures are going up. So these  
19 are -- Figure A16 makes it look like it's either a  
20 color or a black because you can track the molecules  
21 that are injected and move away. But ahead of those  
22 molecules are the water molecules that are being pushed  
23 also away from the formation. And as -- as the existing  
24 water that's in the formation is pushed away, it will  
25 raise the pressure. So the pressure increases much more

1 uniformly than is shown here on these black images on  
2 Exhibit A16. The saturation says, "Yeah, those wells  
3 aren't going to touch each other, but they will both see  
4 a little saddle of pressure because they're going to be  
5 peaks." And then the pressure will drop between the  
6 two. It will also drop moving away from them to the  
7 outside. But no, the injected fluids won't have  
8 actually connected at that time.

9 **Q. So then why on A14 and A15, when you are**  
10 **specifically looking at the Laguna Salada after 20**  
11 **years, you have those two connecting?**

12 A. That's a great question. The reason is that  
13 these two -- Exhibit A16 is that little mechanistic  
14 model. I introduced that slide saying it was a  
15 mechanistic model and these are not real wells in the  
16 grid that I have here. These are the wells that are off  
17 to the side, and potentially the zone there was slightly  
18 thicker, because the grid goes from 700 feet in one  
19 corner to 1,400 in another. And these wells, like the  
20 Baker and Paduca, also don't touch, on Exhibit A14. So  
21 I think the right analogy to make would be that the  
22 image seen in Exhibit A16 looks more like the Baker and  
23 Paduca than the two Laguna wells.

24 **Q. Because the zone is shallower?**

25 A. Yes. It's thicker. Shall- -- depth is not

1 important but thickness is. And the reason is is that  
2 if you're injecting -- let's say we have a box of water  
3 that's as big as this room and you push it into a layer  
4 that's this thick (demonstrating), it's going to go  
5 really far. But if you push it into a layer that's as  
6 thick as this room, it only goes as far as the room.

7 Q. Okay. But we have to deal with the Laguna  
8 applications, which are a little more shallow -- given  
9 the spectrum here, they're on the shallower end of the  
10 zone --

11 A. True. True.

12 Q. -- and, therefore, will come into contact much  
13 sooner than your model?

14 A. Yes. And that's actually shown in my Exhibit  
15 24, because actually the Striker and Alpha wells are  
16 even worse. They affect each other even sooner than the  
17 Laguna wells would affect each other. So if you go to  
18 Exhibit 24, you'll notice the Striker and Alpha wells  
19 start to drop off a little because they've started to  
20 touch each other.

21 Q. So the wells that are graphed in A24 and A23,  
22 they're all -- are those the wells that are shown on  
23 these inverted bar graphs here on A21?

24 A. Yes.

25 Q. Okay. And so what you're showing on A21 is

1 **existing wells?**

2 A. And permits. Basically, every time I do one of  
3 these studies, I just add every well that is involved.  
4 I haven't taken any out yet. So if a permit gets  
5 pulled, I'll have to remove it. But so far I just keep  
6 adding new wells as they come up.

7 Q. So it doesn't simulate a scenario where, you  
8 know, if we had -- if we went with the one-mile setback,  
9 presumably this whole area could be just flooded with  
10 wells?

11 A. Yeah. And -- well, it would. If you took this  
12 entire grid and put a well every mile, yes, you'd  
13 pressure it up pretty quickly. But at the same time, my  
14 assumption here is you're injecting 40,000 barrels a  
15 day, so the combination of those two events is pretty  
16 low probability. Because, first of all, the pace at  
17 which development is happening, people are able to  
18 choose where they put their wells, and prudent operators  
19 are picking the optimal locations to put their wells,  
20 which would be the thickest zones, lowest pressures.  
21 And so there are certain cases where like, for example,  
22 the Alpha and Striker wells -- I just heard at lunch,  
23 the Alpha well is doing great even though my simulation  
24 model says it should be doing poorly because it's in a  
25 thin zone. So there are more layers of detail we need

1 to start integrating into the simulation that honors the  
2 changes in porosity and permeability, but as of now,  
3 it's a uniform grid and it's attempting to model the  
4 zone of influence of wells in different physical  
5 locations as best I could.

6 **Q. But you're not modeling a scenario of wells in**  
7 **every section?**

8 A. No. No.

9 **Q. And, I mean, while I think people are making**  
10 **business decisions, if they weren't making business**  
11 **decisions to put wells within a mile of each other, we**  
12 **wouldn't be here.**

13 A. True. But in this case, if you look at the  
14 Baker and the Paduca wells, they're kind of down there  
15 by themselves, so potentially if another operator had  
16 the option to put a well anywhere in the basin they  
17 chose to, they probably wouldn't put them right next to  
18 those two unless there was a business reason to do that.  
19 But if I were to build a grid with an injector on every  
20 section and turn them all on at 40,000 barrels a day,  
21 the whole grid would pump up very quickly. But that  
22 wouldn't honor the reality of the situation the way  
23 things are playing out.

24 **Q. That may be true, but the reality is we have to**  
25 **regulate as if that could happen.**

1           A.    Yeah, I guess.

2           Q.    And so -- so, I mean, would the conclusion be  
3   that there is some distance, assuming you could put a  
4   well in every section or two or three or four, that  
5   there would be some distance that would be sort of  
6   optimal that you wouldn't want to go closer than?

7           A.    I think the standards that looked like it was  
8   falling out of the prior permits was a mile, and so far  
9   I see no tangible benefit to going longer than that. I  
10   haven't -- I haven't been asked to evaluate the  
11   detriment to going closer to that. You would think if  
12   you put two wells immediately next to each other, they  
13   would each have half the injectivity that they would  
14   have if they weren't next to each other. So that's the  
15   extreme case. You would certainly not want to do that  
16   because you would get half injectivity. But a mile  
17   apart seems to give enough -- you know, in terms of  
18   business planning, it's roughly 20 years before you'll  
19   see the effect of it, and in the business planning I'm  
20   familiar with, that usually is long enough.

21          Q.    Right. And I appreciate you modeling this out  
22   for 20 years, but as I discussed with the first witness,  
23   there is no application for a 20-year permit here. It's  
24   for infinite --

25          A.    True.

1           **Q.    -- until the apocalypse.**

2                           **So I'm glad you looked at one little factor**  
3 **for 100 years, but nothing else you've looked at is for**  
4 **100 years.**

5           A.    Yeah.  I agree that in the grand scheme of  
6 things, if the entire basin was drilled up on one mile  
7 or mile and a half, for that matter, maybe two miles,  
8 operators would have difficulty injecting at the rates  
9 they're injecting at.  The injection rates would fall  
10 off.

11                           The other thing to think about at that  
12 point would be that -- I don't know what the exact  
13 section count would be, and then if you multiply that  
14 section count by 40,000 barrels a day, you would be  
15 talking about tens of millions of barrels a day of  
16 injection, and I don't think the supply is out there to  
17 do that.  We'll stop drilling, water producers.  I think  
18 we're going to flatten out eventually.  I can't predict  
19 exactly when.

20           **Q.    Yeah (laughter).**

21           A.    I know we're up to about 550 now -- 550,000 a  
22 day.  I looked at that just a few days ago.

23           **Q.    Well, I don't think a decade ago we would have**  
24 **predicted we were going to be in this situation.**

25           A.    No.  And starting in 2012, it started to notch

1 up, and it notched up again, and you're up to 550. So  
2 it's not something you can ignore because in the long  
3 run, maybe 2 million a day needs to be injected. But I  
4 can't see 10 million a day. That's overkill  
5 potentially.

6 Q. Thank you.

7 CROSS-EXAMINATION

8 BY EXAMINER JONES:

9 Q. I guess just quickly, I'm trying to better  
10 understand the total porosity versus effective porosity  
11 out here. Did you -- what porosity did you use for the  
12 model?

13 A. I used 10 percent porosity throughout the grid.

14 Q. Okay.

15 A. But I would like to double-check that because  
16 that's not in any exhibit.

17 Q. Does that mean effective porosity or total  
18 porosity minus some kind of, you know -- that's  
19 effective porosity, I take it?

20 A. Yeah. That's the -- that's the input porosity  
21 that I provide. The model does honor pore volume  
22 compressibility.

23 Q. Okay.

24 A. And so as you go to higher pressures, it'll  
25 squeeze down a bit. And that's actually what gives you

1 the ability to push more fluids in because basically the  
2 rock contracts and the water that's already there  
3 contracts and it pushes it out.

4 Q. Have you seen any core porosity versus log  
5 porosity plots out here? They wouldn't correlate  
6 anyway, would they, in this carbonate?

7 A. I don't think so.

8 Q. Okay. The saturations are totally 100 percent  
9 water in the formation?

10 A. They are, yeah.

11 Q. You're not putting any -- any oil or gas in  
12 your model?

13 A. No. No.

14 Q. Okay. The mobility ratio then between your  
15 injected fluid and your displaced fluid is one to one,  
16 right?

17 A. Exactly. And I have -- I have perfect square  
18 real perm curves such that it just goes out evenly.

19 Q. Okay. Has there been any temperature surveys  
20 that you've seen that confirm the thicknesses -- the net  
21 thickness that you're --

22 A. In injecting into?

23 Q. Yeah.

24 A. I have not seen one. And it is a formation and  
25 it's open hole, so --

1 Q. Yeah.

2 A. And it's an expensive well, so maybe people are  
3 hesitant to do that.

4 Q. Yeah. Speaking of that, pressure transient  
5 models are testing -- frequently look for barriers. You  
6 can see a barrier on them. Is there a way you can  
7 design a pressure transient test in one of these big  
8 high-rate wells and actually look for potential faults  
9 out there?

10 A. All day long. You can do it very easily.

11 Q. Okay. Could you do it without shutting the  
12 well in totally?

13 A. No.

14 Q. Just change the rates?

15 A. No.

16 Q. Could you change the rates from one constant  
17 rate to another constant rate?

18 A. Potentially, but I would not --

19 Q. You don't trust that?

20 A. I don't trust that because you still have  
21 fluids that are moving. You'd have water hammer, and  
22 your gauges are just not going to catch it.

23 Q. Yeah.

24 A. I think the cheapest -- between you and I, the  
25 cheapest way to do that is to have a high -- a

1 high-sensitivity surface gauge and just do a short  
2 fall-off. You can probably do it in six hours. Just  
3 have a really good surface gauge and watch the pressure  
4 fall off for six hours. You'd get a pressure, you'd get  
5 a perm, and you might get boundaries. And it's a very  
6 tight system, so if ever there was a case where you  
7 could see boundaries and high-quality reservoir data, it  
8 would be these wells.

9 Q. Okay. Okay. So seismic might be cheaper than  
10 that or not, or they could both correlate and look for  
11 the same thing maybe.

12 A. I think a pressure gauge is about as cheap as  
13 it gets.

14 Q. Yeah. Except there are a lot of tanks involved  
15 with changing and shutting the well in for a while.

16 A. For six hours.

17 Q. Okay. This simulation model you did, most of  
18 us don't have that available, and I guarantee you we  
19 don't have it here at the State. So is there any little  
20 analytical model we could use, and what could we get  
21 from that?

22 A. The Department of Energy has a program called  
23 BOAST, which is a reservoir simulator, and it's  
24 potentially available.

25 Q. Okay. Is this like an implicit, explicit

1 model, compressed model that you're using?

2 A. Yeah. Yeah. And actually I swapped out  
3 solvers in the grid once I get to the bigger time steps.

4 Q. Okay. Have you seen or heard of any -- they  
5 talked earlier about the FMIs and the potential stress  
6 direction which could come from an oriented array sonic  
7 or an FMI. But if you had that through your net pay  
8 down into your Simpson or whatever the name of that  
9 lower confining layer that we're all kind of concerned  
10 about -- I'm interested to know if you have seen a  
11 stress contrast between the net pay and that supposed  
12 confining layer and what it would be as compared to, you  
13 know --

14 A. I think that's going to be outside of my area  
15 of expertise because I specifically model the wellbore  
16 tubulars and then the reservoir simulation model.

17 Q. Okay. Did you tie your nodal model with your  
18 simulator? Is it all tied together?

19 A. Oh, yeah. They're all tied together.

20 Q. I don't have any more questions.

21 EXAMINER JONES: Anybody else?

22 Go ahead.

23 CROSS-EXAMINATION

24 BY EXAMINER McMILLAN:

25 Q. So you're saying that the Alpha -- was that the

1 **well that was outperforming?**

2 A. I just heard that today. I predicted that it  
3 would be doing poorly because it's in a thin zone and  
4 apparently it's doing great.

5 **Q. Do you have any ideas -- any speculation, or is**  
6 **it impossible to tell?**

7 A. I don't particularly like to speculate. I do  
8 have a friend who is also looking at injectors in this  
9 area, and he finds that there are sweet spots -- let's  
10 put it that way -- that inject better than other areas.  
11 And so I think as time goes on -- you know, the  
12 production plot for the area is fairly steep in terms of  
13 the volumes that you're injecting, and so, you know, a  
14 year from now, people will be very excited about where  
15 they chose to put their wells and others will be less  
16 excited. And I'm guessing it's not going to have much  
17 to do with how close they are to other wells.

18 EXAMINER JONES: Okay. Any more questions  
19 for this witness.

20 MS. BISONG: I have a follow-up question,  
21 just a couple.

22 REDIRECT EXAMINATION

23 BY MS. BISONG:

24 **Q. Mr. Wilson, you don't see any issues of**  
25 **fracturing in your model, and that's assuming all the**

1 wells are injecting 40,000 -- all the wells in your  
2 model injecting 40,000 barrels per day for 20 years  
3 because all those injection wells are constrained by a  
4 maximum injection pressure, correct?

5 A. Correct.

6 Q. So it essentially doesn't matter how close they  
7 are together in terms of fracturing pressure? You won't  
8 see that because the wells are limited in the injection  
9 pressure, correct?

10 A. Correct. The natural reaction of the simulator  
11 and the real well to reaching a maximum injection  
12 pressure is the rate starts to fall. Once you -- so the  
13 pressure comes up. You hit the maximum injection  
14 pressure. You lock out that pressure, and then the rate  
15 starts falling. So those curves coincide.

16 Q. And just to sum up, if wells are one mile apart  
17 versus 1.5 miles apart, it wouldn't matter in terms of  
18 there being enough fracture pressure because all of the  
19 wells are limited by their injection pressure?

20 A. True. They're all limited.

21 Q. Thank you.

22 MS. BISONG: Nothing further.

23 EXAMINER JONES: Thank you very much.

24 So is that the case-in-chief for Mesquite?

25 MS. BENNETT: Yes.

1 EXAMINER BRANCARD: I think you have  
2 another exhibit that involves notice.

3 MS. BENNETT: Oh, yes. I do have another  
4 exhibit that involves notice, and it's the affidavit  
5 that I prepared. It's behind Tab 5, and it's an  
6 affidavit prepared by me. And what that shows is that I  
7 actually sent out letters to all the affected parties  
8 notifying them of this hearing -- well, of the original  
9 hearing, but it's been continued a number of times since  
10 then. Also I also published -- we published as a matter  
11 of course.

12 So for the Laguna Salada wells, the notice  
13 materials show a -- show proof of notice and sent it out  
14 for certified mail. And for Mr. Brancard's information,  
15 we have a software program that takes care of our  
16 certified mail for us these days. So rather than having  
17 all the green cards comes back to us, the vendor  
18 provides us with a sheet that looks like this  
19 (indicating), and that sheet tabulates -- tracks where  
20 mail has been delivered and when. And so this is a  
21 functional replacement for the green cards so that we  
22 don't have to make copies of the green cards.

23 I will say that for the Baker well, I did  
24 not publish. Even though I almost always publish as a  
25 matter of course, I did not publish for the Baker well,

1 and, unfortunately, one letter was lost for the Baker  
2 well, and that was to ConocoPhillips. And so if we need  
3 to continue the Baker well for notice purposes only,  
4 that's fine, but I feel like ConocoPhillips probably had  
5 actual notice of this hearing today by virtue of their  
6 attorneys being part of the docket, but that's neither  
7 here nor there. Not this docket but the general docket  
8 for the 30th and the 31st. But I'm happy to continue  
9 the Baker case for notice purposes only, if I need to  
10 publish in the newspaper just to need to cure that one  
11 notice party that did not get notice of my application.  
12 ConocoPhillips did get notice of the original  
13 administrative applications, though.

14 EXAMINER JONES: Okay.

15 EXAMINER BRANCARD: Okay. So why didn't  
16 you do a newspaper notice for Baker?

17 MS. BENNETT: For Baker?

18 EXAMINER BRANCARD: Yes.

19 MS. BENNETT: Well, it was an oversight on  
20 my part. They're not required for hearing examiner  
21 hearings unless a party doesn't get the certified mail,  
22 and so they're not -- publication is not required for  
23 examiner hearings. It's only a backup method in case  
24 letters are returned or they're undeliverable. And in  
25 this case, usually my practice is to publish every time

1 regardless for a belt-and-suspenders approach, but in  
2 all honesty, I just overlooked it for the Baker well.

3 EXAMINER BRANCARD: So for the Baker well,  
4 you initially filed as --

5 MS. BENNETT: As an administrative  
6 application.

7 EXAMINER BRANCARD: -- an administrative  
8 application where publication is required.

9 MS. BENNETT: And it was done.

10 EXAMINER BRANCARD: Oh, it was done.

11 MS. BENNETT: Yes, it was.

12 EXAMINER BRANCARD: So the question is:  
13 Did you do it for the examiner hearing? And you're  
14 correct. It's not required.

15 MS. BENNETT: Okay.

16 EXAMINER BRANCARD: And I don't need to be  
17 annoying about this, but I find that everybody does this  
18 at these hearings and it's really annoying to me  
19 personally, which is can you just sort of go through  
20 these and let me know what I'm looking at here?

21 MS. BENNETT: Certainly.

22 EXAMINER BRANCARD: So there is a  
23 definition of who is required to give notice.

24 MS. BENNETT: Uh-huh.

25 EXAMINER BRANCARD: And that would

1 involve --

2 MS. BENNETT: That's affected parties, as  
3 defined by the regulation. And affected parties is any  
4 tract -- and I'm going from memory here. I can look it  
5 up in the rule if you'd like. But we actually have  
6 landmen and title folks who compile a list for me, but  
7 it's based on the AOR, which is a one-mile AOR. So  
8 parties within that one-mile AOR are identified and are  
9 given notice.

10 EXAMINER BRANCARD: Parties being?

11 MS. BENNETT: Affected parties. And the  
12 affected parties -- let me just pull up my regulation  
13 right here.

14 EXAMINER BRANCARD: These are operators?

15 MS. BENNETT: Some are operators. There  
16 are also landowners and mineral interest owners.

17 Affected person is "an operator, working  
18 interest owner, mineral estate within a half mile or a  
19 mile."

20 EXAMINER BRANCARD: So can you just confirm  
21 that this is what this is?

22 MS. BENNETT: Yes.

23 EXAMINER BRANCARD: So you followed that  
24 definition?

25 MS. BENNETT: Yes.

1                   EXAMINER BRANCARD:  And it also says "BLM,  
2   State Land Office."

3                   MS. BENNETT:  Yes.  We are required to  
4   supply notice to BLM and the State Land Office when  
5   their minerals are -- or surface is within a half mile.  
6   Minerals, I think is the rule, actually.  And so we  
7   would have followed that here as well.

8                   In fact, if you turn back to the  
9   applications, which are behind Tab A, the applications  
10  each contain a map that shows the area of review.  And  
11  so just looking at the very first application, which is  
12  the application for the Laguna Salada 13, if you go back  
13  about 10 or 12 pages in that, you'll see some colored  
14  diagrams that look like this (indicating) with a Midland  
15  Map and a one-mile -- a two-mile radius a half mile --  
16  or a one-mile radius.  So the applicant figures out the  
17  area of review and then identifies who within that area  
18  of review is entitled to notice.

19                  And so if you go about three more pages in  
20  there, you'll see a chart that looks like this  
21  (indicating), and that chart is entitled "This is the  
22  Wells in the Area of Review."

23                  Then there will be another chart that will  
24  identify the affected area -- the affected parties  
25  within the area of review.  That's this page

1 (indicating). It's about one page from the back of that  
2 application, and this shows the offset owners who were  
3 identified and the surface -- the offset operators --  
4 excuse me -- and the surface owner who were provided  
5 notice for this application, which is the Laguna Salada  
6 13.

7 And each one of these applications has this  
8 type of information in it.

9 EXAMINER BRANCARD: Okay. Excellent.

10 MS. BENNETT: And that's done as part of  
11 the administrative process and also part of the hearing  
12 examiner process.

13 EXAMINER BRANCARD: Okay. And so the  
14 surface owner is just the surface owner where the well  
15 is located.

16 MS. BENNETT: That's right. I misspoke a  
17 moment ago when I was saying that there might be  
18 adjacent tracts that get notice. It's just the surface  
19 owner where the well is located.

20 EXAMINER BRANCARD: It doesn't matter how  
21 far the produced water is going. You only give notice  
22 to the surface owner. Okay. That's my own pet peeve.  
23 Sorry.

24 MR. BROOKS: And that's what the rule says.

25 EXAMINER BRANCARD: That's what the rule

1 says.

2 MR. BROOKS: But I recognize there is an  
3 argument that could be made that the decision requires  
4 further notice, but that's not my argument to make in  
5 this case.

6 EXAMINER BRANCARD: Well, thank you.

7 MS. BENNETT: Sure. I would ask that  
8 Exhibit 5 be admitted into the record.

9 EXAMINER JONES: Any objection?

10 MR. BROOKS: No.

11 EXAMINER JONES: Exhibit 5.

12 MR. PADILLA: No.

13 MR. ROACH: No.

14 MR. BRUCE: No.

15 MS. BENNETT: Thank you.

16 EXAMINER JONES: Exhibit 5 is admitted.

17 (Mesquite SWD, Inc. Exhibit Number 5 is  
18 offered and admitted into evidence.)

19 MS. BENNETT: Thank you.

20 EXAMINER JONES: I'm trying to get this  
21 closed out by 4:00 today, and we've only got 30 more  
22 minutes.

23 I assume that you would want to make an  
24 opening statement, like you stated before, and --

25 MR. BROOKS: No, that's not necessary, but

1 I would like to have a break before we have to put  
2 Mr. Goetze on for testimony. We cannot get through in  
3 30 minutes. So what's Plan B?

4 EXAMINER JONES: Plan B is a new date,  
5 probably a new Friday.

6 MR. BROOKS: Well, that's possible.  
7 Mr. Goetze's testimony, I would think, would be very  
8 hard to condense into 30 minutes.

9 EXAMINER JONES: That might not be fair to  
10 Mr. Goetze to do that. It was not fair to make him sit  
11 here all day and be in preparation for today.

12 MR. BROOKS: Especially since he's the only  
13 witness we have.

14 EXAMINER JONES: So do any of the other  
15 attorneys have witnesses?

16 MR. ROACH: No.

17 MR. PADILLA: Not today.

18 (Laughter.)

19 EXAMINER JONES: But if we continue, you  
20 might, huh, because you just made an appearance today?

21 MR. BRUCE: I won't have any witnesses.

22 MR. PADILLA: I wouldn't want to go today.  
23 If the Division has a 30-minute problem, I wouldn't want  
24 to be prejudiced by the same fact.

25 EXAMINER JONES: Yeah.

1 MR. BROOKS: Well, I don't know what your  
2 constraints are that requires 4:00, so I'm in no  
3 position to argue this.

4 EXAMINER JONES: Well, it's Friday and --  
5 (Laughter.)

6 MR. BROOKS: I recognize that, but the  
7 preference at OCD for going late as necessary to finish  
8 a matter --

9 EXAMINER JONES: Do you think you could get  
10 done in one hour?

11 MR. BROOKS: Mr. Goetze?

12 EXAMINER JONES: Even if we started in ten  
13 minutes?

14 MR. BROOKS: With cross-examination, I  
15 think not.

16 MR. GOETZE: No.

17 EXAMINER JONES: We wouldn't be done by  
18 5:00 anyway.

19 MR. BROOKS: So we would request the matter  
20 be continued -- we would request to start today and go  
21 as far as we can. And if there is --

22 EXAMINER JONES: Do you want to have a  
23 break and talk to your client?

24 MR. GOETZE: Yes. I'd like to talk to my  
25 lawyer.

1 (Recess, 3:31 p.m. to 3:41 p.m.)

2 EXAMINER JONES: We're back on the record.

3 Thank you for putting on this case, the  
4 Mesquite cases. We're going to continue these three  
5 cases and the Solaris and Blackbuck cases to a further  
6 docket.

7 This docket's adjourned.

8 MR. GOETZE: Wait, wait.

9 EXAMINER BRANCARD: On the exhibits,  
10 Mesquite mentioned you wanted to clean some things up.

11 MS. BENNETT: Oh, we're happy to do that.  
12 We understand that the exhibits may need to be cleaned  
13 up, but that's all I would be doing. I would like to  
14 make it clear that neither Mesquite -- I'm hoping that  
15 this is accurate. Just because we're continuing doesn't  
16 give either Mesquite or the Division or anyone else the  
17 opportunity to create new exhibits between now and the  
18 continuance date. The exhibits are what they are at  
19 this point, well, except for I will -- and if it's the  
20 Division's preference for me to clean them up after so  
21 there are no concerns about the changes that we've made  
22 to the exhibits, I'm happy to do that, too. But that is  
23 all I would be doing, is changing the headings and  
24 making some of the legends more prominent, and whatever  
25 Mr. Brooks would like me to do.

1 MR. BROOKS: Hopefully, on those exhibits  
2 under tabs where the pages are not numbered all the way  
3 through, you will insert the page numbers that are  
4 continuous throughout the exhibit.

5 MS. BENNETT: I certainly will.

6 EXAMINER BRANCARD: So maybe at the start  
7 of the next hearing, you can present that --

8 MS. BENNETT: I certainly will.

9 EXAMINER BRANCARD: -- to make sure nobody  
10 objects to --

11 MS. BENNETT: Definitely.

12 EXAMINER BRANCARD: We had this discussion  
13 already with the court reporter about preparing the  
14 transcript and we will use the exhibits we have now, but  
15 it seems like if you clean them up, then we can use  
16 those in the next --

17 MS. BENNETT: I certainly will. And I  
18 appreciate the Division's patience with me as we work  
19 through getting them to be more legible and more helpful  
20 for the Division. That's our hope.

21 EXAMINER BRANCARD: Mr. Jones, did you want  
22 to discuss any possible dates?

23 EXAMINER JONES: Well, off the record -- I  
24 better do this off the record.

25 (Recess, 3:43 p.m.)

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court  
6 Reporter, New Mexico Certified Court Reporter No. 20,  
7 and Registered Professional Reporter, do hereby certify  
8 that I reported the foregoing proceedings in  
9 stenographic shorthand and that the foregoing pages are  
10 a true and correct transcript of those proceedings that  
11 were reduced to printed form by me to the best of my  
12 ability.

13 I FURTHER CERTIFY that the Reporter's  
14 Record of the proceedings truly and accurately reflects  
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither  
17 employed by nor related to any of the parties or  
18 attorneys in this case and that I have no interest in  
19 the final disposition of this case.

20 DATED THIS 11th day of June 2019.

21

22

23 MARY C. HANKINS, CCR, RPR  
24 Certified Court Reporter  
New Mexico CCR No. 20  
Date of CCR Expiration: 12/31/2019  
Paul Baca Professional Court Reporters

25