

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION COMMISSION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF 3BEAR FIELD SERVICES,                      CASE NO. 20409  
LLC FOR AUTHORITY TO INJECT, LEA  
COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSIONER HEARING

June 6, 2019

Santa Fe, New Mexico

BEFORE:    ADRIENNE SANDOVAL, CHAIRWOMAN  
              JORDAN KESSLER, COMMISSIONER  
              DR. THOMAS ENGLER, COMMISSIONER  
              MIGUEL LOZANO, ESQ.

This matter came on for hearing before the  
New Mexico Oil Conservation Commission on Thursday,  
June 6, 2019, at the New Mexico Energy, Minerals and  
Natural Resources Department, Wendell Chino Building,  
1220 South St. Francis Drive, Porter Hall, Room 102,  
Santa Fe, New Mexico.

REPORTED BY:    Mary C. Hankins, CCR, RPR  
                      New Mexico CCR #20  
                      Paul Baca Professional Court Reporters  
                      500 4th Street, Northwest, Suite 105  
                      Albuquerque, New Mexico 87102  
                      (505) 843-9241

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES

FOR APPLICANT 3BEAR FIELD SERVICES, LLC:

CANDACE H. CALLAHAN, ESQ.  
BEATTY & WOZNIAK, P.C.  
500 Don Gaspar Avenue  
Santa Fe, New Mexico 87505  
(505) 983-8764  
ccallahan@bwenergyllaw.com

FOR INTERESTED PARTY/INTERVENOR NEW MEXICO OIL  
CONSERVATION DIVISION:

DAVID K. BROOKS, ESQ.  
ENERGY, MINERALS & NATURAL RESOURCES DEPARTMENT  
Office of General Counsel  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505  
(505) 476-3415  
davidk.brooks@state.nm.us

1	INDEX	
2		PAGE
3	Case Number 20409 Called	5
4	Introduction by Chairwoman Sandoval	5
5	Opening Statement by Ms. Callahan	7
6	3Bear Field Services, LLC's Case-in-Chief:	
7	Witnesses:	
8	Mike Solomon:	
9	Direct Examination by Ms. Callahan	8
	Cross-Examination by Commissioner Kessler	17
10	Cross-Examination by Commissioner Engler	19
	Cross-Examination by Chairwoman Sandoval	20
11	Alberto A. Gutierrez:	
12	Direct Examination by Ms. Callahan	23, 51, 73,
13		79
14	Cross-Examination by Commissioner Kessler	36, 53
15	Cross-Examination by Commissioner Engler	40, 61, 70
16	Cross-Examination by Chairwoman Sandoval	78, 80
17	Statement by Mr. Brooks for the Division	83
18	Oil Conservation Division's Case-in-Chief:	
19	Witnesses:	
20	Phillip Goetze:	
21	Direct Examination by Mr. Brooks	83
22	Cross-Examination by Commissioner Kessler	98, 100,
23		106
	Cross-Examination by Chairwoman Sandoval	99, 107
24	Cross-Examination by Commissioner Engler	100
25		

1	INDEX	
2		PAGE
3	3Bear Field Services, LLC's Case-in-Chief:	
4	Witnesses:	
5	Alberto A. Gutierrez (Re-called):	
6	Direct Examination by Ms. Callahan	109
	Cross-Examination by Commissioner Kessler	112
7	Cross-Examination by Commissioner Engler	113
	Redirect Examination by Ms. Callahan	114
8		
9	Closing Statement by Ms. Callahan	115/116
10	Executive Session	118
11	Decision of the Commission	118/119
12	Proceedings Conclude/Certificate of Court Reporter	122
13		
14		
15	EXHIBITS OFFERED AND ADMITTED	
16		PAGE
17	3Bear Field Services, LLC Exhibit Numbers 1 through 6	78
18		
19	3Bear Field Services, LLC Exhibit Number 3, Pages 4 through 9	22
20	NMOCD Exhibit Numbers 1 through 5	109
21	NMOCD Exhibit Number 5	93
22		
23		
24		
25		

1 (9:03 a.m.)

2 CHAIRWOMAN SANDOVAL: Case Number -- or  
3 Item 6 on the agenda, Case Number 20409, will now be  
4 heard.

5 Will counsel introduce themselves?

6 MS. CALLAHAN: Candace Callahan with  
7 Beatty & Wozniak appearing on behalf of 3Bear Field  
8 Services, LLC. I have two witnesses to be sworn.

9 MR. BROOKS: David Brooks, Energy, Minerals  
10 and Natural Resources Department, appearing for the Oil  
11 Conservation Department. We have one witness.

12 CHAIRWOMAN SANDOVAL: Okay. So this is  
13 a -- this hearing in Case Number 20409 is to consider  
14 the application submitted by 3Bear Field Services, LLC  
15 for authorization to inject carbon dioxide and hydrogen  
16 sulfide from its Libby Gas Plant into two offsetting gas  
17 injection wells.

18 The Oil Conservation, through timely  
19 notice, has intervened for the purpose of this hearing.

20 This hearing will be conducted in  
21 accordance with the Commission's adjudication rules and  
22 in a fair and impartial manner so as to ensure that the  
23 relevant facts are fully elicited and to provide a  
24 reasonable opportunity for all interested parties to be  
25 heard.

1                   The hearing shall now proceed as follows:

2   All testimony will be taken under oath. I will admit  
3   any relevant evidence unless I determine the evidence is  
4   unduly repetitious, otherwise unreliable or of little  
5   probative value.

6                   Any party who wishes to make a brief  
7   opening statement before presentation of his or her  
8   direct testimony may do so. The Applicant will present  
9   direct testimony first. Other interested or intervening  
10   parties who have standing and who have filed a timely  
11   prehearing statement or notice of intent to present  
12   testimony may present direct testimony.

13                  Any party to this hearing may cross-examine  
14   witnesses. Only the Commissioners and participating  
15   parties shall have the right to cross-examine a witness.  
16   Cross-examination by the Commission will be conducted at  
17   the conclusion of each presentation, followed by the  
18   cross-examination by any other participating party.

19                  Redirect examination will be permitted, but  
20   such testimony is limited to testimony relevant to that  
21   authored during the cross-examination. If time permits  
22   and at my sole discretion, a party who wishes to give  
23   rebuttal testimony or make a brief closing argument may  
24   do so at the conclusion of the nontechnical testimony in  
25   the same order as the direct testimony.

1                   Any objection concerning the conduct of  
2   today's hearing may be stated orally during the hearing  
3   with the party raising objections briefly stating the  
4   grounds for objections, rulings made on any objection,  
5   and the reason for it will be stated on the record.

6                   We will now proceed with the hearing. Will  
7   those persons who wish to testify at this hearing on  
8   behalf of the Applicant please come forward so that the  
9   court reporter may administer the oath?

10                   (Mr. Gutierrez and Mr. Solomon sworn.)

11                   CHAIRWOMAN SANDOVAL: The Applicant may now  
12   make a brief opening statement.

13                   OPENING STATEMENT

14                   MS. CALLAHAN: Thank you, Madam Chair.

15                   We have two witnesses today, a fact witness  
16   and an expert witness who will testify as to the  
17   technical aspects of the C-108 application that is the  
18   subject of this case.

19                   The first witness is Mr. Michael Solomon,  
20   who is here representing 3Bear Field Services, LLC. He  
21   will briefly introduce 3Bear Field Services to the  
22   Commission and provide background to the Libby Gas  
23   Plant. He'll discuss the Libby Gas Plant's operations,  
24   its proposed expansion, and he'll let us know how the  
25   plant relates to the two proposed acid-gas wells.

1 Mr. Solomon will testify regarding the important  
2 environmental and economic benefits of both the plants  
3 and the two acid-gas wells, and he'll also explain why  
4 the proposed acid-gas wells are an integral part of the  
5 Libby Plant.

6 Our second witness will be Mr. Alberto  
7 Gutierrez of Geolex, Inc. He will provide technical and  
8 expert testimony supporting the C-108 application. And  
9 ultimately he will show that the C-108 as proposed is  
10 approvable, the groundwater resources will be protected,  
11 human health and environment will be protected by  
12 reducing emissions, and the proposed injection wells  
13 will prevent waste and protect the correlative rights of  
14 adjacent producers.

15 At this time I would call my first witness.

16 MICHAEL SOLOMON,  
17 after having been previously sworn under oath, was  
18 questioned and testified as follows:

19 DIRECT EXAMINATION

20 BY MS. CALLAHAN:

21 Q. Good morning, Mr. Solomon.

22 A. Good morning.

23 Q. Would you please state your name for the  
24 record?

25 A. Michael Solomon.



1           **Q.     And where do you reside?**

2           A.     Denver, Colorado.

3           **Q.     And by whom are you employed and in what**  
4 **capacity?**

5           A.     3Bear Energy. I'm the vice president of  
6 engineering and operations.

7           **Q.     And how long have you worked for 3Bear?**

8           A.     I've worked for 3Bear for a little under two  
9 years.

10          **Q.     And what are your responsibilities as senior**  
11 **VP?**

12          A.     So I manage our engineering team, our  
13 operations team and construction team for our Northern  
14 Delaware Basin asset.

15          **Q.     And are you familiar with the application**  
16 **that's been filed in this case?**

17          A.     Yes, I am.

18          **Q.     And although you are an engineer, today you're**  
19 **testifying as a fact witness; is that correct?**

20          A.     That's correct.

21          **Q.     Okay. And Mr. Gutierrez will provide the**  
22 **technical expertise supporting the C-108?**

23          A.     That's correct.

24          **Q.     But you are familiar nevertheless with the**  
25 **C-108 application; are you not?**

1           A.     Yes, I am.

2           Q.     In the notebook that we've provided, the dark  
3     one is the one that has all the updated exhibits. I  
4     think you disregard the white notebook.

5                     If we look at page 4 of Exhibit 3,  
6     Mr. Solomon, briefly would you give us some background  
7     information on 3Bear Field Services?

8           A.     So 3Bear was founded by Bob Clark in 2013. Bob  
9     has been in the industry in a variety of roles for about  
10    50 years. The management and technical team that Bob  
11    assembled also has significant experience building,  
12    constructing and operating these assets in a variety of  
13    basins. So, you know, we have -- we've constructed and  
14    operated in the Bakken, Rockies and the Permian Basin,  
15    and now we're moving into the Northern Delaware as well.

16                    We are backed by GSO Capital. GSO is the  
17    credit arm of Blackstone. So GSO, in particular, has  
18    around 86 billion assets under management. At the time  
19    of pulling these numbers, which was probably about a  
20    year ago, they had 5.2 billion just in dedicated energy  
21    funds. That number I think has gone up significantly  
22    since then, but it gives you an idea of how we're  
23    capitalized.

24                    We're obviously a midstream company. You  
25    know, we say that we provide a four-stream solution.

1 So, of course, gas-gathering processing, that's what  
2 we're talking about today. Oil gathering, we have a  
3 fairly large -- a growing terminal in Lea County as  
4 well, and then water gathering, disposal and recycling.  
5 So we consider recycling to be that fourth stream that  
6 we offer. And we're seeing growing demand for water  
7 recycling by the -- by the week.

8 I put some of the producers up here that  
9 we -- that we serve, some of our customers, just to give  
10 you guys an idea of who we work with. But we have  
11 roughly 15 customers, large companies and small.

12 **Q. Let's look at pages 5 and 6 of Exhibit 3. And,**  
13 **Mr. Solomon, would you discuss the Libby Gas Processing**  
14 **Plant for us, please?**

15 A. Uh-huh. So we entered New Mexico in about  
16 September of 2017. At that time we were still in the  
17 design phase -- design and permitting phase of the gas  
18 plant. We started construction in January and February  
19 of '18, and we were in service by September.

20 At the time of putting this presentation  
21 together, we had 19 full-time employees in New Mexico.  
22 We are up to 22 right now and continuing to hire.  
23 Honestly, I can see us hiring another five to seven this  
24 year. It'll be 30 by year-end. That includes our water  
25 and oil operations as well. I'd consider about 35, 40

1   percent of that staff is just dedicated to the gas plant  
2   in field gathering.

3                   We have -- regarding our gathering, we have  
4   roughly 45 miles of HDPE pipe for low-pressure  
5   gathering, where we gather central compressor stations.  
6   Our high-pressure gathering, we have 24 miles roughly in  
7   the ground of 8-inch steel. It's all built to NACE sour  
8   gas specs anticipating this eventual transition.  
9   Everything is connected via SCADA to a central control  
10   room at our Libby Gas Plant. We have three compressor  
11   stations all located on fee land that feed our gas  
12   plant. They all have gas drive reciprocals with dehydration  
13   installed for water removal.

14                  And then our central -- central gas plant  
15   is a 60-million-a-day cryo with refrigeration assist.  
16   We made a note in here just about the reliability of  
17   that facility because near really off the bat, we were  
18   seeing 99-plus percent uptime on that particular plant,  
19   which is pretty important to us and our customers.

20                  We have an amine unit installed there  
21   for -- that's in CO2 removal service right now and  
22   residue gas compression.

23                  Our sales outlets are -- residue gas is  
24   sold to Transwestern right now. We're in the process of  
25   adding a second outlet to NGPL. And similarly with --

1 with -- with NGLs, we sell to DCP-Sand Hills today and  
2 are in the process of adding a second -- second NGL  
3 outlet as well primarily for reliability.

4 And this (indicating) just shows you an  
5 outline of our footprint. We -- you know, we obviously  
6 have, like we talked earlier, a gas, water and oil  
7 system, so that shows all three. But you can see the  
8 three compressor stations there, the Lariat Compressor  
9 Station, the Aztec Compressor Station, the Outland  
10 Compressor Station. And then Libby Complex, that's the  
11 central processing plant.

12 **Q. And then moving on to page 7 of Exhibit 3 for**  
13 **reference, would you give us a summary of 3Bear's**  
14 **proposed expansion of the plant?**

15 A. Yes. We've had a tremendous amount of interest  
16 from our customers for sour gas solution. So they would  
17 like to develop with sour zones underneath our footprint  
18 but are unable to right now because they do not have a  
19 home for the sour gas. So, I mean, frankly, we are  
20 getting calls weekly from producers, you know, that  
21 would like to do this and are asking us for a solution.

22 So our proposed project would be,  
23 obviously, to install the pipe to all these new receipt  
24 points. They would all be designed for sour service.  
25 We would install new compressor stations and potentially

1    modify existing compressor stations to meet, you know,  
2    the requirements of this type of gas. So that means all  
3    the pipe meets NACE, NACE sour gas specs. All the  
4    compression is designed for what's called the Ariel Sour  
5    Level 2 specs.

6                    And then we would also install a second  
7    plant at our central facility. Like I said, currently,  
8    we have a 60. We would install a 200-million-a-day cryo  
9    alongside of it, which would bear a total processing  
10   capacity there up to 260 million, an additional amine  
11   plant, additional compression, dehy and sour water  
12   treating and then, of course, all the safety systems  
13   that go along with converting these two style plants, so  
14   H2S monitors, horns, strobes, air packs, operator  
15   training. Right?

16            **Q. All right. With reference to page 8 of Exhibit**  
17   **3, can you give us the environmental and economic**  
18   **benefits of the Libby Plant?**

19            A. Yeah. Yes. I think there are a couple of  
20   environmental -- environmental benefits. Obviously, one  
21   is, you know, with our reliability and, you know, the  
22   way we build these facilities, we -- you know, we  
23   prevent flaring at the wellhead. I think that's  
24   probably one of the biggest things. It just allowing  
25   these producers to drill and develop the resource with

1 no flaring. So we're able to process it and get the gas  
2 to market.

3                   Additionally with this AGI expansion,  
4 permit sequestration of the greenhouse gases, so rather  
5 than combusting the H2S and producing CO2 and emitting  
6 it, we're injecting it downhole. The CO2, you know,  
7 will be removed from the gas that's being injected  
8 downhole.

9                   From an economic perspective, we would  
10 create a significant amount of construction jobs for the  
11 duration of this project. I would anticipate a few  
12 hundred at least per year while we build out our  
13 gathering network and surface facilities, and then we  
14 would add, of course, permanent jobs for the plant as  
15 well to support it. And then obviously one of the  
16 biggest things is the increased oil needs to the state  
17 and federal government due to producers being able to  
18 develop that resource that they're not right now.

19           **Q. And you had mentioned that you had been**  
20 **contacted by several producers trying to find --**

21           A. There is a lot of interest in the Avalon.

22           **Q. Yeah. And that would require some help from**  
23 **your system in terms of processing the sour gas?**

24           A. Correct. They do not have a place to send sour  
25 gas right now.

1           **Q.    And the Avalon is --**

2           **A.    It's very sour.**

3           **Q.    Yes.**

4                       **Okay.   Looking at page 9 of Exhibit 3, can**  
5 **you explain how the proposed acid-gas wells relate to**  
6 **the Libby Gas Plant?**

7           **A.    Yeah.   You know, obviously, we're not able to**  
8 **take this gas today because we don't have these**  
9 **facilities in place.   So these wells, the compressors**  
10 **that would inject downhole, would be installed on the**  
11 **tail end of our Libby Plant.   So if those facilities**  
12 **were to go down, we would have to shut the plant down.**  
13 **So it's -- technically, it's one and the same.   So**  
14 **that's why we're -- you know, that's why we're**  
15 **permitting two wells, so we have a backup.   In case one**  
16 **goes down, if we need to do a repair on one, we have**  
17 **another that we could switch over to and inject into and**  
18 **keep our uptime up, similar with the compression.**

19           **Q.    All right.   And if the Commission grants**  
20 **3Bear's application, when do you anticipate drilling the**  
21 **two acid-gas wells?**

22           **A.    I think we would be injecting within two years.**

23           **Q.    Okay.**

24                       **MS. CALLAHAN:   I have no further questions**  
25 **of this witness.**



1                   CHAIRWOMAN SANDOVAL: Does the Commission  
2 have questions or wish to cross-examine the witness?

3                   COMMISSIONER KESSLER: I do have a few  
4 questions.

5                   CROSS-EXAMINATION

6 BY COMMISSIONER KESSLER:

7           Q.    Good morning.

8           A.    Good morning.

9           Q.    Should I address questions about the gathering  
10 system to you or Mr. Gutierrez?

11          A.    To me.

12          Q.    Okay. I understand that the gathering system  
13 will be for sour gas; is that correct?

14          A.    Correct.

15          Q.    Has that been planned yet? Put together yet?

16          A.    We have -- so the primary concern is the steel  
17 pipe for stress -- stress sulfite cracking. And so we  
18 have -- yes. I mean, all our -- any -- any fittings  
19 that we have on the gathering in the ground has been  
20 postweld heat-treated. They meet NACE specs. All the  
21 wells have had hardness testing done to them. So it is.

22          Q.    It's already in place?

23          A.    It is for the pipeline. Yeah. There would  
24 be -- there would be some modifications to other  
25 facilities that we would need to make, but it's all --

1     it's things that we're planning on doing if we make that  
2     conversion.

3           **Q.     Okay.**

4           A.     So some -- parts of the system are.  Parts of  
5     the system are not.

6           **Q.     Do you know if those pipelines are buried?**

7           A.     They are, yeah.  We do not have any surface gas  
8     lines.

9           **Q.     Can you discuss some of the leak detection**  
10    **that's associated with those pipelines?**

11          A.     Yeah.  We have -- so everything is tied via  
12    SCADA to our central control room, so we get -- we get  
13    realtime flow data.  We're able to do flow balancing.

14          **Q.     Do you know if any of the gathering system**  
15    **crosses State Trust Land?**

16          A.     Yes, it does.

17          **Q.     It does.**

18                   During the process of installing that  
19    gathering system, do you know if you've have any  
20    discussions with the State Land Office regarding  
21    modifications of those pipelines specific to sour gas?

22          A.     We have not.

23          **Q.     Okay.  Would you be willing to have those --**

24          A.     Oh, absolutely.  Yeah.

25          **Q.     That's all I have.  Thank you.**

1 CROSS-EXAMINATION

2 BY COMMISSIONER ENGLER:

3 Q. I have several questions just for  
4 clarification.

5 So right now you're using an amine unit to  
6 scrub out your CO2 --

7 A. Correct.

8 Q. -- your H2S or just --

9 A. Uh-huh. There is a very small amount of H2S.  
10 Our plant's permitted for up to 150 PPM right now. The  
11 Avalon is quite a bit higher than that, so we're able to  
12 take a little bit of H2S. But there's -- there is a  
13 significant amount of CO2 that we have to remove prior  
14 to the cryo and meet our inert spec on sales gas. And  
15 that gas is pulled out, and it goes to a thermal  
16 oxidizer.

17 Q. So it goes to a thermal oxidizer, and then --  
18 then from there, what happens?

19 A. From there, it's emitted.

20 Q. You emit it, right?

21 A. Correct.

22 Q. And so right now -- and if it's over two years,  
23 until you get -- if you get the approval for these  
24 wells --

25 A. Correct.

1           Q.    -- you're going to have to do that kind of  
2   processing really.

3           A.    Yeah.  I mean, we -- we're very limited on the  
4   amount of sour gas we can take without these wells, so  
5   we would have to live within those limitations and  
6   potentially not take the gas until --

7           Q.    Yeah.

8                        You know, just so I have it clearly, so  
9   right now this is what you're doing, but obviously this  
10  injection would be able to allow you to take that extra  
11  H2S but also to have a way or means, instead of venting  
12  off, particularly the CO2, to put it underground,  
13  correct?

14          A.    Correct.

15          Q.    Thank you.

16                       CROSS-EXAMINATION

17  BY CHAIRWOMAN SANDOVAL:

18          Q.    So would the expansion of the gas plant go in  
19  parallel with the development of these wells?

20          A.    Absolutely.  Yeah.

21          Q.    So the intent is to do them at the same time,  
22  and then once the plant has been upgraded or like added  
23  capacity, then you would bring the wells online?

24          A.    Well, we -- we're not drilling the wells, so, I  
25  mean, we have limited control over what the other

1 producers that are drilling them do. But yeah. I mean,  
 2 as soon as -- when we have contracts in place that are  
 3 signed -- that's where we're going -- I mean, we're  
 4 going to start -- start building the facilities, we'll  
 5 drill the wells, and then I think they would -- I would  
 6 anticipate that they would time the drilling of those  
 7 wells with when our facilities are going to be in  
 8 service. That's what I would think they would do.

9 **Q. So I was referring to the injection wells.**

10 A. Yeah. So the lead time on building the  
 11 facilities is -- from start to finish, it can be 14, 16  
 12 months. For the wells, I mean, we have -- ordering all  
 13 the downhole equipment can be five months, plus a couple  
 14 of months for drilling, so we would work them in  
 15 parallel.

16 **Q. Do you have -- would you be putting contingency**  
 17 **plans in place for the H2S?**

18 A. Yeah. And Alberto is prepared to address that.  
 19 Yeah.

20 **Q. Okay.**

21 CHAIRWOMAN SANDOVAL: Does the Division  
 22 wish to cross-examine the witness?

23 MR. BROOKS: No.

24 CHAIRWOMAN SANDOVAL: Is there any redirect  
 25 of this witness from the Applicant?

1 MS. CALLAHAN: No.

2 CHAIRWOMAN SANDOVAL: Does the Applicant  
3 have any additional witnesses?

4 MS. CALLAHAN: Yes, I do.

5 And I would just, for the record, like to  
6 ask that we tender the portion of Exhibit 3 that we just  
7 went through for introduction into the record at the end  
8 of testimony for Mr. Gutierrez.

9 CHAIRWOMAN SANDOVAL: Okay. Any objection?

10 MR. BROOKS: No objection.

11 CHAIRWOMAN SANDOVAL: Okay.

12 (3Bear Field Services, LLC Exhibit Number  
13 3, pages 4 through 9, is offered into  
14 evidence.)

15 MS. CALLAHAN: Mr. Solomon, you can take  
16 your seat.

17 MR. LOZANO: Excuse me, Counsel. What  
18 pages were for that particular portion? 3 through 10?

19 THE WITNESS: 3 through 9.

20 MS. CALLAHAN: Actually, it's 4 through 9.

21 MR. LOZANO: Thank you.

22 MS. CALLAHAN: Oh, maybe it was -- yeah, 4  
23 through 9.

24 ALBERTO A. GUTIERREZ,  
25 after having been previously sworn under oath, was

1           questioned and testified as follows:

2                               DIRECT EXAMINATION

3   BY MS. CALLAHAN:

4           **Q.    Good morning, Mr. Gutierrez.**

5           A.    Good morning.

6           **Q.    Would you please state your name for the**  
7 **record?**

8           A.    Alberto A. Gutierrez.

9           **Q.    And where do you reside?**

10          A.    I live in Albuquerque.

11          **Q.    And by whom are you employed and in what**  
12 **capacity?**

13          A.    I am the president of Geolex, Incorporated.

14          **Q.    And what services does Geolex provide?**

15          A.    We're a geological and engineering consulting  
16 firm with a special expertise in acid-gas injection and  
17 groundwater contamination.

18          **Q.    Have you previously testified before the**  
19 **Commission or the Division?**

20          A.    Yes, I have.

21          **Q.    And were you qualified as an expert at that**  
22 **point?**

23          A.    Yes. I've been qualified as an expert in  
24 petroleum geology, hydrogeology and acid-gas injection.

25          **Q.    And groundwater contamination?**

1           A.     That's correct.

2           Q.     Did you prepare or oversee the preparation of  
3     and submission of the C-108 application and the induced  
4     seismicity analysis filed in this case?

5           A.     Yes.

6           Q.     And that was done in conjunction with  
7     Mr. Solomon or 3Bear Field Services?

8           A.     3Bear Field Services retained us to prepare  
9     this application and to do the geologic and engineering  
10    work necessary to find an adequate location for acid-gas  
11    injection and to design the wells and permit them, and  
12    that's what we have done for 3Bear.

13          Q.     And the exhibits we're looking at today have  
14    been prepared by you and your staff in conjunction with  
15    representation of 3Bear Field Services?

16          A.     That is correct.

17                   MS. CALLAHAN:  Madam Chair, I'd like to  
18    tender Mr. Gutierrez as an expert in petroleum geology,  
19    acid-gas injection operation and design, hydrology and  
20    groundwater contamination.

21                   CHAIRWOMAN SANDOVAL:  Any objections?

22                   Okay.  We recognize him as an expert in  
23    these fields.

24                   MS. CALLAHAN:  Thank you.

25                   Since the acid-gas injection applications



1 are not as common as other types of cases, Mr. Gutierrez  
2 included a primer on acid-gas injection as it relates to  
3 oil and gas development in New Mexico, and it's found in  
4 your materials as Exhibit 6.

5 With the hope that it's not too  
6 fundamental, Mr. Gutierrez is prepared to briefly run  
7 through this primer before beginning his technical  
8 testimony, if that's desirable.

9 CHAIRWOMAN SANDOVAL: Yes.

10 Q. (BY MS. CALLAHAN) Mr. Gutierrez, would you  
11 briefly go through Exhibit 6?

12 A. Sure. I won't read it, but I just will  
13 summarize. The purpose of this exhibit was just to  
14 prevent -- present in a very concise manner what  
15 acid-gas injection is about and why it's needed and how  
16 it's been used in New Mexico.

17 Acid-gas injection, unfortunately it has a  
18 name that's very scary to a lot of people, right? But  
19 it basically is simply the injection of a gas, that when  
20 it comes in contact with water, creates an acid. So CO<sub>2</sub>  
21 is an acid gas even though we drink it every day in  
22 Perrier or club soda or whatever. It is an acidic  
23 solution when it comes in contact with water.

24 Similarly, H<sub>2</sub>S does the same thing.  
25 However, the significant difference is that H<sub>2</sub>S is a

1   poisonous gas, and it is a gas that cannot be emitted to  
2   the atmosphere.

3                   Currently, as Mr. Solomon testified, the  
4   Libby Gas Plant is producing and processing gas that has  
5   CO<sub>2</sub> in it, a significant amount of CO<sub>2</sub>, and a very, very  
6   small amount of H<sub>2</sub>S. With that very small amount of  
7   H<sub>2</sub>S, they're able to use a thermal oxidizer and in  
8   effect burn the H<sub>2</sub>S, which converts it to SO<sub>2</sub> and CO<sub>2</sub>  
9   and water and that then is discharged to the atmosphere.  
10   Similarly, all of the CO<sub>2</sub> removed from the gas is  
11   currently discharged to the atmosphere. Acid-gas  
12   injection, instead of doing that process, just takes  
13   that combined stream coming out of the amine unit of CO<sub>2</sub>  
14   and H<sub>2</sub>S, compresses it, and then injects it back into  
15   the ground where it came from.

16                   Why is it needed in New Mexico? Because,  
17   in fact, traditionally the way sour gas has been  
18   processed -- or was processed in New Mexico and in many  
19   other places has been changing. It used to be processed  
20   by merely doing the same thing, taking an amine unit,  
21   separating out the CO<sub>2</sub> and the H<sub>2</sub>S and then taking the  
22   H<sub>2</sub>S and making native sulfur, you know, the yellow  
23   material that we all recognize that's used for  
24   fertilizer. That is no longer really a viable process  
25   for two or three reasons.

1                   Probably the first major reason is that  
2   there is no market for that sulfur. The sulfur that is  
3   being created today from SRU plants is being disposed of  
4   as a hazardous waste. It's a product that's produced,  
5   and then it's just disposed of because there is no  
6   market for it unless you happen to be in a facility  
7   that's maybe adjacent to a petrochemical plant that can  
8   utilize that sulfur like in the Houston ship channel  
9   area or whatever. But throughout the continental United  
10   States and Canada and throughout many places in the  
11   world, the now preferred technology for dealing with  
12   sour gas is to reinject it. So the economic driver is  
13   one.

14                  A very important secondary driver is that  
15   people and our society in general are much more  
16   concerned about the emission of greenhouse gases. CO2  
17   is a greenhouse gas, and currently there are no  
18   regulations that prevent that from being emitted once it  
19   has been separated from natural gas to the atmosphere.  
20   However, it's a preferential thing from an environmental  
21   point of view if that CO2 can be reinjected and be put  
22   back into the ground and prevent it from going to the  
23   atmosphere.

24                  What are the economic benefits of AGI?  
25   Well, as I mentioned, one of the things is that you're

1 not having to deal with this production of sulfur, but  
2 it allows for the development of gas resources that are  
3 sour, significantly sour. And the Permian is full of  
4 sour gas. It is produced with the oil. Unfortunately  
5 for a lot of producers, they would love to be able to  
6 produce the oil without the gas and the water, but it  
7 just doesn't work that way. When you produce the oil,  
8 you get the gas. You have to deal with it. There are  
9 other ways of dealing with it at the wellhead with H<sub>2</sub>S,  
10 but they're very expensive, and they're not that  
11 reliable.

12                   So are there risks associated -- public  
13 health risks associated with acid-gas injection?  
14 Absolutely. There are risks associated with handling  
15 sour gas all the time regardless of whether you're  
16 injecting it back into the ground or you're processing  
17 it in an SRU. H<sub>2</sub>S is a lethal and poisonous gas, and it  
18 has to be dealt with very carefully.

19                   One of the other things that was raised and  
20 we'll get into it a little bit later is one of the ways  
21 of dealing with that, in addition to the obvious  
22 engineering and other safety approaches, is by the  
23 development and approval of an H<sub>2</sub>S contingency plan  
24 under Rule 11 for the OCD, and that is a necessary  
25 component of all of these sour gas operations regardless

1 of whether they include injection or not.

2 That plan has not been prepared for this  
3 facility yet because it is not handling sour gas, and it  
4 will be prepared. And what this Commission has done on  
5 many other previous occasions is that when they issue an  
6 order, if you issue an order to approve these wells, you  
7 make it contingent on the approval of a Rule 11 plan,  
8 which can be prepared once the facility is in a greater  
9 state of design than it is currently in terms of the  
10 sour gas portions.

11 What's the safety record of AGI facilities  
12 and AGI wells in New Mexico? Well, I would say that  
13 it's an excellent safety record. There have been  
14 problems associated with AGI wells in the state that  
15 have resulted in (A) plants having to be temporarily  
16 shut down until wells can be fixed or replaced, but  
17 there has never been a surface release of H<sub>2</sub>S from an  
18 AGI facility in concentrations that would create any  
19 kind of a public health hazard. If that kind of a  
20 situation were to occur, it is typically dealt with by  
21 the procedures that are approved in a Rule 11 plan.

22 So how many facilities are there in  
23 New Mexico? There are probably right now about 16 AGIs  
24 operating in the state, all of which my firm has  
25 permitted, every single one, with the exception of one

1 that Marathon had at a facility back in the '90s that  
2 was permitted very early on.

3 And so we have worked with OCD over the  
4 last 15 years to improve how these wells are designed  
5 and operated and monitored, and currently I think we  
6 have a pretty good system of reporting and monitoring  
7 the injection parameters that provides OCD with the  
8 tools that they need to make sure that these wells are  
9 being operated safely and in the way that they are  
10 designed.

11 So basically that's what AGI is all about.  
12 It is essentially just a mechanism of putting the CO2  
13 and H2S back into a permanent disposal, geologic storage  
14 where it came from.

15 Q. Thank you.

16 So let's proceed with testimony related  
17 specifically to this case.

18 A. Okay. And I apologize in advance for this  
19 slide which has a lot of little writing on it, but I  
20 wanted to capture all of the key aspects of the  
21 application basically on one page, and that's what I'm  
22 trying to do.

23 And I would also ask -- this Commission may  
24 not be familiar with it because they haven't seen me do  
25 one of these before, but Florene certainly has, and I

1 can drone on a little bit. So if you have some  
2 questions as I'm going, please interrupt me at any time.

3 Anyway, with respect to the summary that  
4 we're asking for, 3Bear is wanting to drill two acid-gas  
5 injection wells to the Devonian through the Montoya  
6 interval, which includes the Fusselman and Wristen  
7 Formations at a depth of approximately 14,900 to about  
8 16,400 feet. That is approximately the depth that we  
9 are looking at for this disposal zone.

10 They foresee disposing of a total of  
11 approximately 8 million cubic feet a day of a mixed  
12 acid-gas stream of CO<sub>2</sub> and H<sub>2</sub>S with approximate  
13 concentrations of about 80/20, 80 percent CO<sub>2</sub>, 20  
14 percent H<sub>2</sub>S. That may vary depending what wells are  
15 ultimately connected, but that's -- that's -- for  
16 planning purposes, I think that is an adequate  
17 description of what the stream will be.

18 The wells will be designed according to the  
19 current state of the industry in terms of AGI  
20 facilities, incorporating all NACE-approved and required  
21 metallurgy and facilities for both monitoring --  
22 preventing corrosion and monitoring the health of the  
23 well, if you will, by monitoring the injection  
24 parameters, the annular pressures, both at the top of  
25 well and at the bottom of the well and by reporting

1     these on a regular basis to the OCD.

2                     In this area there is no Devonian  
3     production within about three miles of the facility.  
4     There are a few old Devonian wells in the Lea Field to  
5     the northeast, and I'll show you a little bit about  
6     that, although that is a field that never produced a lot  
7     and is kind of playing out now. But it's outside of our  
8     area of influence.

9                     There are only two wells that penetrate the  
10    injection zone within the one-mile area of review. One  
11    is a plugged Devonian dry hole, which we have evaluated  
12    and presented in the C-108, that is properly plugged and  
13    abandoned so that the injection zones are isolated and  
14    can't cause a conduit for gas to escape that zone. And  
15    the other is the 3Bear's own saltwater disposal well,  
16    which is located about half a mile to the northeast.

17                    The proposed injection zone we believe is  
18    fully capable of permanently containing the injected  
19    fluid and that it has a very good caprock above and  
20    below it. And we will use the appropriate materials and  
21    procedures in drilling and completing the well to  
22    prevent the migration of fluid outside of the injection  
23    zone.

24                    One other thing which I will mention that's  
25    important to recognize is that this gas is not being



1     injected as a gas. We are compressing it at the surface  
2     to a super-critical fluid, and then it's being injected  
3     as a fluid.

4                     So what are some of the key elements of  
5     this C-108? One is that -- obviously, we've talked  
6     about the CO2 injection and sequestration which provides  
7     an environmental benefit of reducing greenhouse gas  
8     emissions. It also reduces waste and air emissions by  
9     eliminating the flaring of acid gas and the SRU and  
10    thermal oxidizer as is currently being used, which  
11    creates additional air quality contaminants that have to  
12    be regulated by the air permits.

13                    Nearby oil and gas wells and nearby water  
14    wells and surface water will all be protected by both  
15    the well design, as well as the geology of the area.

16                    The application that we have prepared and  
17    that has been submitted to the OCD includes all of the  
18    information necessary to approve these AGI wells. There  
19    was a concern expressed. Initially, this hearing was  
20    set for April, and there was a concern expressed by  
21    Mr. Goetze, to us, of the Division, that there had not  
22    been a seismicity -- induced seismicity analysis done of  
23    this site. And given the fact that there are some  
24    saltwater disposal wells in close proximity, there was  
25    an interest from the Division in having that work done.

1 So we then postponed this hearing for two months so that  
2 work could be done. We did that work, provided the  
3 results of it to the Division approximately a month ago,  
4 met with them, and I believe that we have satisfied  
5 their concerns on that score.

6 The adjacent operators are -- are in the --  
7 the OCD and the BLM are all strongly in favor of  
8 avoiding further injection into the Delaware Formation  
9 and going to a deeper Devonian reservoir, and that's why  
10 we have selected the zone that we've selected in the  
11 area. And the operators and surface owners have  
12 received proper notice. They've been individually  
13 noticed, as well as this hearing has been noticed, and  
14 there have been no objections to the AGI project. In  
15 fact, quite the opposite. The operators are ringing the  
16 phone off of Mike's desk, saying, "When can you start  
17 taking our sour gas?"

18 So let's talk a little bit about the  
19 application itself. The plant is located in Lea County.  
20 The next -- let's see. You can see a little bit -- this  
21 is just a large-scale map so you can get an idea of  
22 where the facility is relative to Hobbs and Lovington  
23 and Jal down here (indicating). So the facility is here  
24 (indicating), off of 128, north of the 128 here and  
25 west, southwest of Hobbs.

1                   A little more detailed site (indicating),  
2   this shows the limits of the current 3Bear fee acreage  
3   upon which the plant is built. This is their SWD that  
4   is located to the northeast. This is where the two AGIs  
5   are currently planned, one vertical well here, AGI No.  
6   1, and then an inclined well, AGI No. 2. And the reason  
7   for that is just so that we can keep the bottom-hole  
8   locations of the two wells separated by about 1,000 feet  
9   to prevent interference really between the injection  
10   operations.

11                   The idea of having the two wells is simply  
12   redundancy and reliability. You can operate both of  
13   them at the same time, but they're designed to be able  
14   to take the entire design flow into one well or the  
15   other so that that increases the ability to maintain  
16   uptime for the facility as a whole.

17                   It's about 120-acre facility. The planned  
18   operations currently occupy about 60 acres, and it will  
19   be increased as we add facilities to deal with the sour  
20   gas. Currently, as I mentioned, there is a single amine  
21   unit there. There will be another amine unit and, of  
22   course, all the surface equipment required for  
23   compression.

24                   This is just an approximate map that shows  
25   where the facility is and kind of what the layout of it

1 would be, and the line going out to AGI No. 1 and AGI  
2 No. 2 would be coming from here, from the compression  
3 facility, and the amine units straight out to the two  
4 acid-gas wells. This is also located on 3Bear land.  
5 This is only showing the current footprint of the plant,  
6 but as you saw in the other one, the footprint of their  
7 land goes on out here (indicating).

8 **Q. Just for clarification, Mr. Gutierrez, I want**  
9 **to ask you whether 3Bear owns the surface.**

10 A. That is correct.

11 **Q. And it's federal minerals; is that correct?**

12 A. That's correct.

13 CROSS-EXAMINATION

14 BY COMMISSIONER KESSLER:

15 **Q. Mr. Gutierrez, if I could just ask a quick**  
16 **question. I think a couple of slides back you talk**  
17 **about the -- you have a high-level summary saying --**  
18 **discussing the radius of influence for 30 years. What**  
19 **is the anticipated life of these wells?**

20 A. Well, what we use as a planning life is 30  
21 years. The wells could, theoretically, last longer than  
22 that, but as a planning horizon, that is what is  
23 typically used.

24 **Q. Okay.**

25 A. Okay. So what are we going to put in the

1 wells? I said approximately 8 million cubic feet.  
2 That's what we're asking for as an upper limit, of about  
3 80/20 percent CO<sub>2</sub>/H<sub>2</sub>S. Inevitably, amine units, even if  
4 operated very well, have some residual hydrocarbons that  
5 get entrained in the stream. So we might have as much  
6 as a percent or half a percent of C<sub>1</sub> through C<sub>8</sub>  
7 hydrocarbons that go along with that stream.

8               The capability of that fluid has been  
9 pretty well established by operations of similar AGIs in  
10 the Devonian over the past 20 -- or at least -- yeah, 20  
11 years in the basin there.

12              The MAOP that we're requesting has been  
13 calculated per the NMOCD guidelines to be about 4,500  
14 psi at the surface. However, our experience with  
15 similar wells in the area indicates that for the kind of  
16 volumes that we're talking about, we should be able to  
17 put that gas away at about 1,400 to 1,600 psi at the  
18 surface. And that depends on the temperature, but it's  
19 approximately that.

20              We then wanted to do a calculation of  
21 what -- how much volume this is going to use up, if you  
22 will, of the reservoir and to try to model what the size  
23 of the plume would be, and that has been carried out in  
24 the application. And those calculations are shown on  
25 Table 1, and I'll show you that in just a moment. And

1 the results of that indicate that if we operate the  
2 wells for a full 30 years at the full 8 million a day,  
3 we would wind up with a plume of acid gas of  
4 approximately four-tenths of a mile, .38 miles, from the  
5 bottom of the well.

6 Now, exactly how that plume is going to  
7 look is a little difficult to predict based on how you  
8 inject into each well or whether you inject into both of  
9 them at the same time. But, frankly, if we were  
10 injecting into both of the wells at the same time, we  
11 probably might end up seeing a little more of an oblong  
12 plume but probably one that would be about the same  
13 actual area covered.

14 So let's take a look -- one of the things  
15 that -- that is important is to show that when we  
16 calculated this -- by the way, this is the calculation  
17 (indicating). And it shows some interesting things. At  
18 least they're interesting to me. So I'll point them  
19 out, and that is that at the surface, if you're  
20 injecting at about, let's say, 90 degrees, 1,800 pounds  
21 at the surface, what you see at the surface in terms of  
22 volume is something like 19,000 cubic feet or about  
23 1,300 barrels of fluid. However, because at the bottom  
24 of the well you have a significantly higher bottom-hole  
25 pressure, a higher temperature, you end up actually

1 taking up a little bit more space in the reservoir than  
2 what you actually have in the bottom of the well because  
3 the temperature primarily affects that, and the  
4 temperature in that reservoir is about 210 degrees.

5 So with that information, we calculate the  
6 approximate acreage that would be involved in injection  
7 after 30 years. And when you calculate the radius, it  
8 is approximately 2,000 feet or .38 miles. And,  
9 likewise, using this formula, which is the standard OCD  
10 formula for calculating the MAOP, that is how we came up  
11 with the 4,525 pounds of MAOP.

12 This map shows a couple of things. It  
13 shows a one-mile radius, and you can see quite a few  
14 wells in that one-mile area. Most of those wells do not  
15 penetrate the Devonian. Only two do currently. One is  
16 that plugged well that I mentioned, and the other is the  
17 saltwater well that 3Bear currently operates.

18 Here are the two wells (indicating). And  
19 essentially what's very important is that in this  
20 simulation that we did, we estimated what the plume  
21 would look like if you injected essentially twice our  
22 requested volume, because here we put 8 million into  
23 each one of these two wells. So actually, if you only  
24 put 8 million between the two wells, these plumes would  
25 be significantly smaller. But we do that in order to

1 accomplish the objective of having some kind of a safety  
2 margin in the modeling, because the radial modeling of  
3 the plumes is only an approximation since there are  
4 features in the reservoir that really determine exactly  
5 what the end look of this plume is going to be after 30  
6 years. And, again, this is important to note that in  
7 effect you're showing what it would look like if we put  
8 16 million a day for 30 years rather than 8.

9 COMMISSIONER ENGLER: Let me interrupt  
10 because I have some questions, Mr. Gutierrez.

11 THE WITNESS: Sure.

12 CROSS-EXAMINATION

13 BY COMMISSIONER ENGLER:

14 Q. Let me start with -- in your report, you  
15 mentioned about running an FMI log and some core.

16 A. Yes, sir.

17 Q. Tell me -- first of all, tell me, from the FMI,  
18 what do you hope to gain from that?

19 A. Sure. The FMI is a very useful tool. We've  
20 been using it for about 15 years now to characterize the  
21 degree of either fracturing or secondary porosity and  
22 the orientation of those fractures in the borehole. So  
23 the FMI actually allows you to identify both the  
24 orientation and the presence of fractures both induced  
25 by the drilling as opposed to separately existing in the



1     reservoir itself.

2           **Q.     Is there an FMI on the saltwater disposal well?**  
3     **Do you know?**

4           A.     I do not believe there is.

5           **Q.     So yeah. As you point out, you're looking**  
6     **at -- looking at secondary porosity and direction.**

7           A.     Right.

8           **Q.     So in your experience in other FMIs, have you**  
9     **seen that kind of directional permeability or**  
10    **directional -- I guess permeability in any other wells?**

11          A.     We have seen some indications of kind of  
12    consistent stress directions and fracturing in the FMIs,  
13    and we try to use that in our -- when we bring together  
14    all the data from the well when we complete it, and we  
15    then relook at these models to see how they might  
16    change. And as a matter of fact, as the Division can  
17    affirm, when we provide the Division -- even though it's  
18    not required, we provide them a comprehensive  
19    end-of-well report that shows all of the FMI logs, all  
20    the core testing, if we do cores, the step-rate testing,  
21    which we do on the wells, and the analysis of that to  
22    better try and understand what the reservoir looks like.

23          **Q.     Because in your description here, you're just**  
24    **dealing with purely isotropic permeability there for**  
25    **your circle?**

1           A.     That's correct.

2           Q.     And yet -- you know, I applaud having this --  
3     having this FMI and core data for geologic -- I guess  
4     3Bear is paying for it.

5           A.     Right.

6           Q.     I applaud that, but I don't see it in any --  
7     your work here is purely circular isotropic?

8           A.     That's right, because there really is no  
9     ability to do anything more at this point. I mean,  
10    there is no -- if you can imagine, there are only two  
11    wells even within a one-mile radius that even penetrate  
12    the zone. So we really have no ability to do, you know,  
13    a comprehensive reservoir model or anything that would  
14    better represent that.

15          Q.     There is regional work in that area in terms of  
16    directions of -- for different formations of, again,  
17    your anisotropy, not specifically where you're located,  
18    and hopefully your work will provide as you get more  
19    background. But there is regional work that shows  
20    directions.

21          A.     And, in fact, if you'll -- if you'll indulge  
22    me, as we did the work that we discussed with  
23    Mr. Goetze, we used the regional stress directions  
24    and in -- and in addition to that, we were able to  
25    approach one of the operators that is 3Bear's client,

1 Chisholm Energy, which had 3D seismic over the area, and  
2 we reviewed and analyzed that 3D seismic. So that also  
3 gave us a better sense of those directions.

4 Q. Let me ask, since we're kind of on the subject.  
5 This is slightly different. When you calculate your  
6 area, you're calculating based off of a thickness that  
7 is -- your total open-hole thickness was like 1,500  
8 feet, right, 1,500 feet thick?

9 A. Correct.

10 Q. With some average porosity, you used a 3-1/2  
11 percent?

12 A. Correct.

13 Q. So that thickness is the total open-hole  
14 thickness. Seems to me -- or let me ask it this way.  
15 Could you kind of address in a little more detail the  
16 fact that, you know, your area is fully dependent upon  
17 that thickness and you're going to use the entire  
18 thickness of your open hole to be able to calculate that  
19 area, and that seems to me -- I'd like to hear a little  
20 more about why did you use that thickness and not  
21 something a little more detailed?

22 A. Well, simply because we, at the present time,  
23 don't really have the data to be able to identify what  
24 zones within that thickness are going to preferentially  
25 take the flow. That's part of why we do both the FMI

1 log, the step-rate testing. And usually when we do  
2 that, we also do a DTS survey so that we take a look at  
3 the temperatures and understand what zones take more  
4 water than others. So clearly -- or more gas than  
5 others. Obviously, we do the step-rate testing with  
6 brine, not with acid gas.

7                   So what we've seen from our experience on  
8 previous wells is that even though we use this kind of  
9 average porosity over the thickness of the interval,  
10 once we actually drill the well and have that data, we  
11 can come back and look at how that overall plume  
12 geometry could be affected by the zones that take more  
13 fluid than others. But you have to remember also that  
14 the zones that typically take more fluid are also  
15 significantly higher porosity. So even though they may  
16 be not as thick, they actually are having a porosity  
17 that's much greater than that 3 percent average and so  
18 consequently are able to accommodate more gas in a  
19 relatively smaller area.

20           **Q. Well, that's true. But in your work that you**  
21 **present, some of your work on some of the offset logs,**  
22 **you identified zones of higher porosity.**

23           A. Correct.

24           **Q. And so to some extent, you have that -- some**  
25 **data that shows that part of this 1,500 feet has a**

1 certain amount of porosity and then so you have a  
2 certain thickness porosity versus what you're using  
3 here. It would -- I guess I would suggest -- again,  
4 you're going to get more data with FMI. But most of the  
5 time in these variables in petrophysics, we do a  
6 certainty analysis with plus or minuses --

7 A. Right.

8 Q. -- see the variation of the properties. And so  
9 if I saw a variable, you know, distribution of  
10 porosities, thicknesses, then I would maybe -- you know,  
11 you could probably say, "Hey, this area is going to be  
12 within this domain and not farther out. So to me you're  
13 using a very optimistic thickness. I think you could  
14 probably use a little better data or analysis to get a  
15 more layered system of where this actually is going to  
16 go. And this is something that I've seen in past  
17 reports, too, so I was kind of wanting to get a good  
18 feel for why this -- this is a very simplistic  
19 volumetric analysis.

20 A. Absolutely. And I don't deny that. It's just  
21 that when you only have a density of maybe, you know,  
22 over a, like, six-square-mile area, you have like three  
23 or four wells in the -- in that zone, it is very  
24 difficult to reliably be able to identify what those  
25 variable porosity zones are.

1           Q.    True.  But one of them is your disposal well  
2 when one of them is a water well that has good data.

3           A.    That's right.

4           Q.    Let me ask.  So you have residual water  
5 saturation.  What is that?

6           A.    That is the water -- the percentage of water in  
7 the reservoir that is immovable.  In other words, so you  
8 don't -- you can't use all of the available porosity  
9 because there is some water that is trapped in the  
10 reservoir that can't be removed, and that's why we use  
11 an irreducible water.

12          Q.    But your immovable water saturation, how did  
13 you get that?

14          A.    The way we use that is -- the way we derive  
15 that is from looking at the logs over the area for that  
16 formation and doing the RW calculation and figuring out  
17 what is a representative value.

18          Q.    This is the immovable water.  So what's the  
19 other 34 percent?

20          A.    Is water that is movable.

21          Q.    And how do you differentiate that on logs?

22          A.    I don't think you can differentiate it on the  
23 log other than by using the RW and the difference  
24 between the two curves on the resistivity log.

25          Q.    Okay.  Yeah.  So you're saying you have 100

1     percent water. Sixty-six percent is immobile, and  
2     you're using log data characteristics to say this is  
3     immobile.

4           A.     That's correct.

5           Q.     So the other percentage is mobile water. So  
6     basically you're saying you're going to displace into?

7           A.     That's correct.

8           Q.     So how do you -- again, I don't see how you  
9     can, on logs, differentiate between mobile and immobile  
10    water?

11          A.     Well, you calculate the RW on the log itself,  
12    and then there is a formula -- I'd have to go back and  
13    look at what -- where we calculated that originally.  
14    And I can come back -- it may be during a break I can go  
15    back and look at it and provide it to you.

16          Q.     Let me ask another thing. So when you do your  
17    displacement calculations, again you're displacing  
18    purely into the acre space and to this mobile water  
19    phase that you're saying?

20          A.     Yes, sir.

21          Q.     There's been no -- no analysis how you --  
22    soluble, say, CO2 into water or mineralization or any of  
23    that component?

24          A.     Not for this site specifically. But, I mean,  
25    I've actually published a number of papers, and there

1 are -- there is a significant amount of data available  
2 as to how these plumes behave in the subsurface in  
3 various kinds of carbonate reservoirs. And what you  
4 find inevitably is that there is really no significant  
5 in -- I mean, over geologic time, there is a significant  
6 dissolution and mineralization into that reservoir, but  
7 really in the kind of time frames that we deal with  
8 injection of 30, 40 years, you're basically displacing  
9 it with a separate phase.

10                   And that -- and where it has been actually  
11 measured or modeled -- which there are very few  
12 locations, a couple in Canada, one in Texas that I'm  
13 familiar with -- where what you actually see is a plume  
14 of acid gas that, at its boundaries, goes from  
15 essentially 100 percent acid gas filling up the  
16 available pore space to essentially zero detectability  
17 over a few hundred feet. It is a very sharp boundary,  
18 and it takes a significant amount of -- I mean, there's  
19 been a lot of geochemical modeling and stuff to look at  
20 how long it takes maybe this CO<sub>2</sub> to become actually  
21 fixed in the formation, and, you know, the times are  
22 geologic in scale. So most of what happens in the kind  
23 of the time frame of analysis that we're looking at is a  
24 just pure displacement of that water and a creation of  
25 a -- basically a plume of acid gas.



1           Q.    So, again, you really didn't look at  
2   solubility.

3                   Also, you know, did you look -- CO2 is in a  
4   super-critical phase, right?

5           A.    That's correct.

6           Q.    So when it's injected, it will also be a  
7   super-critical phase also?

8           A.    That's correct.

9           Q.    Which also has slight variation in its  
10   properties.

11                   Did you look to see -- do you know if your  
12   temperature pressure meets super critical for your H2S?

13          A.    Absolutely.  Absolutely.

14          Q.    Okay.  And so it also is a super-critical  
15   phase?

16          A.    Absolutely.

17          Q.    So that will impact -- again, you're looking at  
18   purely at displacement?

19          A.    Right.

20          Q.    And really there are a lot more mechanisms in  
21   this acid-gas injection that should be taken into  
22   account, I think, to see how it actually -- in your  
23   case, your radius or area of investigation hap- --  
24   occurs.  And so -- because I've done -- well, we've done  
25   a lot of work on super-critical CO2, CO2 displacement

1     and sequestration, so we have some pretty good models  
2     and ideas how this works. So there is a lot more out  
3     there, I guess is what I'm trying to say, meaning -- my  
4     point should be hopefully that just like with FMI and  
5     core data, maybe you can continue to get more data and  
6     to get better modeling to further this analysis than  
7     this very straightforward one. That would be great to  
8     me.

9             A.     That's right.

10                   And, obviously, as you gather data from the  
11     operation of the wells, you become better -- and from  
12     the downhole pressure and temperature changes in the  
13     well, you can better understand this over time. And as  
14     a matter of fact, I think one of the ways that the  
15     previous Commission has dealt with these uncertainties  
16     is that as -- as a requirement has been typically  
17     imposed on these AGI wells that after a period of ten  
18     years of data gathering or whatever, that we come back  
19     to the Commission with a report that compares these  
20     initial estimates to what is better defined once you  
21     have some more data to work with. And that has been --  
22     you know, actually, I think the first one of those kind  
23     of end-year reports from a facility that we're working  
24     on is due in about two or three years, so we'll see how  
25     that plays out. But that's part of how the Commission

1 has dealt with that uncertainty in the past.

2 Q. I think it's excellent to go back and have that  
3 look back to see how, you know, you can -- you know,  
4 again, either how accurate or how we would adjust based  
5 on data.

6 Thank you for your patience.

7 A. No worries. That's what I'm here for.

8 Okay. So let me then talk a little bit  
9 about a couple of administrative things before we go  
10 into some more technical aspects, because it's also very  
11 important, that the facility has provided and we have  
12 provided detailed individual notice to the surrounding  
13 property owners, as well as mineral lessees and surface  
14 owners. And I'd like to tell you a little bit about  
15 those notices, so I think that counsel's going to --

16 CONTINUED DIRECT EXAMINATION

17 BY MS. CALLAHAN:

18 Q. Ask you questions.

19 A. -- go through that. Yeah.

20 Q. Okay. So a detailed breakout of the surface  
21 and mineral ownership is included in this C-108?

22 A. That is correct. It's in Appendix B.

23 Q. All right. And it encompasses the owners  
24 within the one-mile area of review; is that right?

25 A. That is correct.

1           **Q.    Okay.  Were there any unlocatable owners?**

2           A.    There were not any unlocatable surface owners  
3           or mineral lessees or mineral owners.

4           **Q.    All right.  And all notices that you sent out**  
5           **were sent out by certified return receipt?**

6           A.    Yes, they were.

7                       There was one notice that was sent out to  
8           an operator that had now, as I recall, gone into  
9           receivership, and we had to get an address for the  
10          receiver and send them the notice.  So ultimately  
11          everybody got their notices.

12          **Q.    And you received the return-receipt cards for**  
13          **everybody?**

14          A.    We got the green cards back for all of them.  
15          Yes.

16          **Q.    All right.  And the landman for 3Bear verified**  
17          **to you that he undertook a thorough search of the county**  
18          **records to ascertain who the mineral and surface owners**  
19          **were within this one-mile area of review; is that**  
20          **correct?**

21          A.    Absolutely.  And they provided that  
22          certification to us.

23          **Q.    So all affected parties have received actual**  
24          **notice of this hearing and the application?**

25          A.    They have.

1           Q.    And there's been no opposition to the  
2   application by anyone; is that correct?

3           A.    That is correct, with the exception of the  
4   original concerns that the OCD had that required us to  
5   do the induced-seismicity analysis.

6           Q.    Which you resolved; is that right?

7           A.    Yes, we did.

8           Q.    I think you can proceed with reviewing perhaps  
9   the optimum reservoir characteristics?

10                           CONTINUED CROSS-EXAMINATION

11   BY COMMISSIONER KESSLER:

12           Q.    I have a quick question about notice. Was the  
13   BLM provided notice?

14           A.    Yes.

15           Q.    And no objection from them?

16           A.    No.

17                           Okay. So maybe some of this we've already  
18   gone over, but I'll just refresh. What are the really  
19   key things that we look for in a reservoir for acid-gas  
20   sequestration? We want a geologic seal. We want a  
21   caprock that will permanently contain that tag both on  
22   the top and bottom of the reservoir. Ideally it's more  
23   critical at the top because even in a super-critical  
24   state, this acid gas is lighter than the host fluid in  
25   the reservoir. We need it to be isolated and fully

1 protective of any fresh groundwater. This is  
2 accomplished by an extensive series of surface  
3 intermediate casing that is cemented to the surface and  
4 isolates that water. Also, remember, fresh water in the  
5 Permian Basin, even if you take into account the red  
6 beds, which, you know, have somewhat fresh water, is  
7 only a few hundred feet depth, and we're talking about  
8 injection to approximately 15,000 to 16,000 feet.

9                   You want a zone that's laterally extensive  
10 and permeable and has generally good porosity and has  
11 excess capacity for the injected volumes, and you want  
12 compatible fluid chemistry. And I believe that we have  
13 all of those in the Devonian at this location.

14                   So what did we -- what process did we go  
15 through to look at the geology and to identify these  
16 things? So we looked at all of the wells within two  
17 miles and then one mile of the facility. There are 39  
18 active wells, 29 plugged-and-abandoned wells, which are  
19 shown on Figure 5 of the application. But remember,  
20 only two of those, one of which is plugged and one of  
21 which is 3Bear's saltwater well, that actually penetrate  
22 that injection zone. There is another well that is  
23 currently being drilled that will penetrate. It's a  
24 saltwater well. And we have taken that into account in  
25 our modeling as you'll see a little bit later on.

1           The Arlen Edgar well is the well that is  
2 plugged, and we've provided plugging diagrams, and it's  
3 located about four-tenths of a mile south of the  
4 project.

5           The well designs are basically the same for  
6 both wells except one is an inclined well. And the idea  
7 is that down to about approximately 12,300 feet, the  
8 well design is identical, because we're not going to  
9 kick off on that angle until we get below the Wolfcamp,  
10 which is where they're currently exploiting horizontal  
11 wells in that area.

12           This is a map (indicating) that shows the  
13 two wells that penetrate the reservoir in this location.  
14 One is 3Bear's own well here, and this is the Arlen well  
15 that is plugged. You can see it's four-tenths of a mile  
16 south of our location. This (indicating) being AGI  
17 No. 1, the vertical well, AGI No. 2, the inclined well,  
18 showing the bottom-hole location of both wells.

19           Where are these wells located? The wells  
20 are basically located on the margin of the Northwest  
21 Shelf in terms of the larger structural features in the  
22 Permian Basin. They are overlain by the Woodford Shale  
23 and very tight Mississippian rocks that are shown in  
24 this area here (indicating), and those are very tight  
25 shale, Woodford Shale, very tight. And then these

1    limestones are very -- you can see that they're quite  
2    tight, and then we've got some more shales and  
3    sandstones above that in the Mississippian before you  
4    get into the lower portions of the -- of the  
5    Pennsylvanian.

6                    And in terms of -- this is a broken-up  
7    stratigraphy (indicating) of a well in that area that is  
8    the -- a good type well and shows the whole section.  
9    And you can see. Here in blue is our injection zone in  
10   the Devonian-Silurian into the top of the Montoya. And  
11   I will mention that, you know, we have completed  
12   numerous wells in this zone (indicating) and have a long  
13   history of using it as an acid-gas injection reservoir,  
14   the oldest of which is the Duke Energy Federal -- the  
15   Duke Energy Field Services No. 1 well, which I call it  
16   the Artesia AGI well for the DCP plant. That's been  
17   operating since 2000. And then we also have a nearby  
18   one operating at the Zia Plant where we also got good  
19   FMI data from.

20                   These stars on here (indicating) show the  
21   zones that are either productive or potentially  
22   productive in the area currently.

23                   What is the structure of the proposed  
24   injection area? Well, it's kind of boring, for the most  
25   part. In the -- on the top of the Devonian, you come



1 off a nose that is a structure here in the northeast,  
2 and this is where the Lea Field is located, up in here  
3 (indicating). You can see there is very few wells that  
4 actually penetrate the Devonian in the area, but we've  
5 used those for this cross section to show you a little  
6 bit about the structure.

7                   This is a cross section, that cross section  
8 B1 to B1 prime, and you can see there is some real  
9 differentiation between the porosity which you see  
10 developed. And typically what we have seen, in answer  
11 to your (indicating) question earlier in the Devonian  
12 out here, is that the top of it tends to be not very --  
13 there may be a few zones that will take some fluid up  
14 here, but most of it is in this -- most of the porosity  
15 is in this lower portion, in the Wristen and then quite  
16 a bit of porosity in the Fusselman. And it just depends  
17 how much is developed in each of those areas both from a  
18 matrix porosity and a secondary porosity point of view.  
19 And we've got some ideas about that that we'll show you  
20 shortly here.

21                   What are the major structural features  
22 then? Well, there is one large north-south-trending  
23 normal fault that drops to the east that makes the  
24 eastern edge of this Lea Field. It's about two miles  
25 east of the AGI wells, and it doesn't really pose any

1 hazards to the project or affect the plume geometry.  
2 It's very far away from the plume. It's also -- it just  
3 turns out that one of our geologists that helped us do  
4 all of this -- some of this work, Lou Mazzullo, drilled  
5 two wells in that Lea Field in the 1981, '82 time frame  
6 where they actually went through that fault. And what  
7 they found is that it was pretty mineralized and sealed  
8 with a combination of anhydrite and calcite.

9 But anyway, this map shows that fault.  
10 It's a very large regional fault that is located to the  
11 east, and it bounds this Lea Field. Most of these wells  
12 are now plugged. There are some -- still a few small  
13 producers up here. You can see it's located about three  
14 miles to the northeast. There were -- and I'll show you  
15 this in the seismicity analysis in a moment. We  
16 mapped -- when we -- this is done without seismic. This  
17 is just done based on the knowledge of where this fault  
18 lies, based on well data in the area and structural  
19 mapping done on that basis. But as I mentioned, we had  
20 the opportunity to look at seismic in this area, and  
21 I'll go through what we found on that in just a little  
22 bit.

23 This, again, shows the porosity profile  
24 both above and below the top of the injection zone. It  
25 is somewhat variable. I think there is a misconception

1 in the basin that you can drill a Devonian well anywhere  
2 and make a decent disposal well. We know that's not a  
3 fact. We know that it varies, and we do try to  
4 understand that in order to help us predict what the  
5 plume geometry is going to be over time, but we are  
6 working with limited data.

7           Let's talk a little bit about the general  
8 design of the AGI system. And what I will do is go  
9 through it in a couple of diagrams, and then we'll look  
10 at the detailed well design. But typically -- this is  
11 just kind of an overall block diagram that you have your  
12 compression facility, and then you have lines, high  
13 pressure -- basically a low-pressure line from your  
14 amine unit, your compression facility, then the  
15 high-pressure tag line, treated acid-gas line, coming  
16 out of the amine unit and then going typically to a T  
17 and then being able to live switch between either the  
18 AGI No. 1 or AGI No. 2.

19           The wells themselves, I'll go into more  
20 detail of how they're designed. But the general design  
21 includes several strings of surface intermediate and  
22 production casing that are cemented to the surface, of  
23 which the zones that are immediately above the injection  
24 zone are cemented with acid-resistant resin cements and  
25 containing 300 feet of corrosion-resistant casing and

1 tubing in the bottom of the well. And this is  
2 significantly expensive material, but it is necessary to  
3 address the concerns of corrosivity in that zone.

4               So let's talk about the detailed design of  
5 AGI No. 1. And I won't go into this same level of  
6 detail for the No. 2 well, -- you have the  
7 information -- because it's pretty similar. We're going  
8 to put 20-inch conductor casing to about 300 feet. That  
9 takes us below most of the -- of the fresh water in the  
10 area or all of the fresh water in the area that we know  
11 of. And then we will run 13-3/8 surface casing to 1,950  
12 feet. That also isolates some zones of usable but not  
13 fresh water in the area. Those will be cemented to the  
14 surface. Then we'll run 9-5/8 intermediate casing with  
15 that then cemented to the surface down to 12,300 feet to  
16 isolate all of the productive zones that are located  
17 above that depth that are the main targets of the  
18 exploration and production in the area. Then we'll run  
19 7-inch steel production L80, LH80 casing down to 14,6  
20 and then from 14,6 to 14,925. And, again, these are  
21 approximate numbers because we will determine exactly  
22 what those depths are when we drill the well. But that  
23 7-inch CRA material is essentially either Sumitomo 25-35  
24 or equivalent or 25-50 or equivalent, which is a  
25 high-nickel alloy that is specifically designed for

1 being corrosion resistant in these kinds of  
2 environments. This stuff is pretty pricey.

3 CONTINUED CROSS-EXAMINATION

4 BY COMMISSIONER ENGLER:

5 Q. Can I ask a quick question just out of  
6 curiosity? Why 300 feet?

7 A. It's somewhat of an arbitrary number, but what  
8 our experience has shown over the last 20 years is that  
9 it's only at the basal portion of the wells where we  
10 really have a high potential for this corrosion to occur  
11 for two reasons. One is because obviously that's the  
12 most proximate zone to where you're injecting below it.  
13 But more importantly, within the well, is that what we  
14 use as a packer fluid in these wells is corrosion-  
15 inhibited diesel fuel. It's not an acquiesce packer  
16 fluid. But when you have 15,000 feet of diesel, even  
17 the best diesel that you have, winds up with maybe  
18 1-and-a-half to 2 percent water. So what ends up over  
19 time is that that water tends to separate in that diesel  
20 column, and it resides at the bottom, and so that's why  
21 we protect that basal portion.

22 Q. All right. Because I was just really curious  
23 about the 300-foot. I was figuring it was maybe because  
24 of like ten joints of 30-foot that you were running  
25 through.

1           A.    It is that in the context, but we could  
2   probably get away with 150 feet, too. But it's just,  
3   again --

4           **Q.    It's a safety precaution.**

5           A.    It's a safety precaution.

6           **Q.    Right. And that's very good. I was just**  
7   **really curious about the 300.**

8                       **The other thing I just -- whenever you**  
9   **think [sic] up that nickel, make sure they don't**  
10 **overtorque it.**

11          A.    Oh, well, we -- not only that. Every one of  
12 those joints, we use GatorHawk, and we hydro-test every  
13 single joint as it's going in.

14          **Q.    Yeah. Yeah.**

15          A.    We don't want to have three miles of pipe in  
16 the hole and then find out we've got a leak somewhere  
17 and have to pull it all out.

18          **Q.    Well, that stuff is a little tricky to work**  
19 **with.**

20                       **I'm sorry. Go ahead.**

21          A.    Yes. And as a matter of fact, you're  
22 absolutely right. That high-nickel alloy pipe, we have  
23 to have a special casing crew. It gets laid on wooden  
24 racks. I mean, it's like treated like jewelry,  
25 basically.

1           **Q.    It costs like jewelry.**

2           **A.    Yeah.**

3                       Again, as I mentioned, the annular space  
4   adjacent to the CRA casing is cemented with WellLock,  
5   which is a very good resin-based cement that has  
6   superior resistance to acid gas. We have had good luck  
7   using it, and it gives us, actually, a better seal in  
8   many cases than a standard portland-based acid-resistant  
9   cement.

10                    Okay. So then, of course, here is a more  
11   detailed design of the well (indicating). The conductor  
12   casing, surface casing, intermediate casing, production  
13   casing with the CRA being shown here in purple, then the  
14   tubing, also the basal portion of the tubing. The top  
15   300 feet immediately above the packer is also CRA  
16   casing. We then have, immediately above the packer, a  
17   mandrel that provides us realtime bottom-hole  
18   temperature and pressure, and then we have a subsurface  
19   safety valve at 250 feet that provides us further  
20   protection in the event that there's a catastrophic  
21   damage to the wellhead that would not allow acid gas to  
22   come out of the tubing to the surface. And this design  
23   has been used in all of the wells -- or one variation of  
24   this design has been used in all of the wells we've done  
25   to date and has worked very well.

1                   As a matter of fact, to give you a sense of  
2   this, this subsurface safety valve is not even a  
3   requirement in Class 6 wells, and yet we do it on a  
4   routine basis because we feel it's the right thing and  
5   the safe thing to do.

6                   And similarly, for example, in Texas, we're  
7   not required to have bottom-hole PT measurements, but we  
8   at least strive to -- we design it that way, and our  
9   clients have generally gone with it because it allows a  
10   better monitoring of the well itself.

11                  AGI No. 2 is the same except that we're  
12   going to kick off at 15 degrees once we get below the  
13   intermediate casing, and this zone here will be inclined  
14   to get over to the other bottom-hole location about  
15   1,000 feet northwest. We've also done this before on  
16   other wells and have had good luck doing it.

17                  All of the casing strings are cemented to  
18   the surface, and we use 360-degree cement bond logs for  
19   every string. The production string will be cemented  
20   above the injection zone with be acid-resistant cement.  
21   This casing and cement program is consistent with the  
22   BLM guidelines and their requirements, and we've used it  
23   on numerous wells previously.

24                  Let's talk a little bit about groundwater  
25   conditions specifically in the area of review. There is



1 obviously no permanent surface water bodies within a  
2 one-mile radius except if it rains really hard and then  
3 there might be some big puddles. Based on the State of  
4 New Mexico Engineer's area, we have showed where the  
5 water wells were in the area, and I don't think there  
6 were any water wells within that area. They're on the  
7 C-108. Again, though, we are so far below, and we are  
8 protecting that water with four strings of casing.

9                   Now, we're going to talk a little bit about  
10 what happened when we submitted the application the  
11 first time, and the Division had concerns that there was  
12 no real work done to look at potential induced  
13 seismicity given the fact that we know there is one well  
14 nearby that is a saltwater well and another one coming  
15 on board. So we were tasked by the OCD to go and do  
16 this kind of an analysis, and the first thing that we  
17 did there was to try to obtain 3D seismic, and we were  
18 able to find three surveys that were licensed to  
19 Chisholm, which is one of 3Bear's clients in the area,  
20 and they generously allowed us to analyze that seismic  
21 and look at it. And so we then looked at the seismic,  
22 did a map of that. You'll see that shortly. And then  
23 we looked at a fault slip probability model using six  
24 wells in the area to look at seismicity in the area.

25                   Here are the results of our seismic review

1 (indicating). We clearly could see this fault very  
2 clearly in the -- in the seismic. There was another  
3 fault here that had some 200 feet or so of displacement,  
4 a very small fault kind of out of our area, but it was  
5 one that was defined that it was a fault.

6 Then what we saw are what -- I found it  
7 pretty funny that Steve Poe, the geophysicist for  
8 Chisholm, called and he said, "Well, you want to look  
9 around. You're going to see a lot of stab wounds in  
10 there." He called these stab wounds (laughter). And  
11 really what they are -- what we believe they are are  
12 karst features that show collapse within the Devonian.  
13 They're not really structural features because when you  
14 look at the regional structures, most of them are  
15 aligned in this kind of alignment (indicating), like you  
16 see this fault (indicating). This is a much larger  
17 fault (indicating) but still this kind of alignment.  
18 And these were all over the place in terms of their  
19 alignment.

20 And what we've seen in seismic -- I'll show  
21 you some -- I think I have a picture. No. Let me refer  
22 you to -- I want to show you this right now, though. I  
23 think there is a picture in our detailed seismic  
24 analysis exhibit, which is Exhibit 5. So if you don't  
25 mind, if you could turn to Exhibit 5, page 4. It's a

1 little seismic section. This is not from this area so  
2 that our friends at Chisholm won't be concerned that  
3 it's their seismic data. This is from another area  
4 we've worked, but it shows very clearly what we were  
5 seeing in that seismic.

6               You see those two areas that are kind of  
7 highlighted in the little red-dotted zones where you  
8 have kind of a disturbance of the bedding? That is a --  
9 not an uncommon feature. And we did actually about 18  
10 miles of seismic throughout this part of the basin in  
11 different areas, and we've seen these quite persistently  
12 throughout the Devonian. And what it tends to be is,  
13 essentially, the Devonian Formation in New Mexico and in  
14 the Permian has subaerially been exposed at least three  
15 times in geologic time. So what that means is that the  
16 sea level dropped sufficiently that these rocks were  
17 exposed, and then it rained on them for a few million  
18 years, created caves, and then they were reburied and  
19 had more rock deposited on top of them. So what you see  
20 are these little collapse features. And that's what we  
21 saw throughout that area.

22               But what we did do -- and this feature  
23 labeled "A" right here (indicating) was also just like  
24 these. However, because it was so close to our wells,  
25 we opted in our model to call it a fault and treat it

1     that way. So we really looked at these three faults  
2     (indicating) and what would be their effect based on the  
3     current injection rates of the Libby well that is the  
4     closest, this other Libby well, which is currently being  
5     drilled but it has not been completed yet, and we used  
6     what was its estimated volume, and then this Artesia  
7     well (indicating), which is another well that is a  
8     saltwater disposal well located to the west and this  
9     disposal well located. So we basically put all these  
10    wells into the model at their maximum pumping rate,  
11    permitted rates, and -- or their current pumping rates,  
12    and then we put our wells in at our maximum pumping rate  
13    and looked at how they would -- what would be the  
14    probability of slip on any one of those faults over a  
15    30-year period. And this is the result of that  
16    modeling.

17                   What you basically find is that Fault A,  
18    which is that little karst feature that is closest to  
19    us, has the greatest probability of slip over a 30-year  
20    period, and yet that probability only comes to about 11  
21    percent. Most of these other faults, given their  
22    proximity or lack thereof from the injection zones, have  
23    a much lower probability.

24                   Now, one of the limitations of this model  
25    is that it only looks at what is the probability of

1 slip. It doesn't say how much they're going to slip.  
2 It's just whether or not they will slip. And yet that  
3 is the modeling that is typically used here for looking  
4 at this issue. It's been a pretty well-accepted model,  
5 and that's what we were able to do. And we provided  
6 that data, and I believe it was satisfactory to the  
7 Division.

8                   Now we're getting to the end here. So what  
9 are the summary of the geologic -- as I think about  
10 these wells, there is basically -- or any injection  
11 well -- there are basically two main things that provide  
12 safety to those wells, right, in terms of their  
13 likelihood of contaminating, say, groundwater or other  
14 producing zones. And one of them are geologic factors  
15 that provide containment in a more areawide sense, and  
16 the other are engineering factors that are designed  
17 specific for the wells themselves. In other words, what  
18 are you doing to the wells themselves to prevent that  
19 well from being a conduit?

20                   So let's take a look at what are the  
21 geologic factors first that assure the safety of these  
22 wells. The two wells penetrating within the injection  
23 zone are well isolated and properly protected in that  
24 zone. One is plugged and the other is the SWD well for  
25 the -- that 3Bear put in. The caprock is low porosity,

1 impermeable rock, which is an affected barrier within  
2 the injection zone. The injection zone is vertically  
3 isolated from the adjacent production zones. The  
4 freshwater zones are isolated by conductor and surface  
5 casing. The injection pressure is way below the  
6 fracture pressure of the reservoir and the caprock.  
7 We're going to do step-rate tests to verify that the  
8 MAOP that we have proposed is a good one, although we  
9 never will get close to that MAOP. And then the  
10 proposed injection zone is fully capable of sequestering  
11 this gas without any increase of measurable risk of  
12 seismicity.

13 CONTINUED CROSS-EXAMINATION

14 BY COMMISSIONER ENGLER:

15 Q. If I could ask, please, just sort of go back.

16 A. Sure.

17 Q. So you have waste [sic], you said, way below  
18 your frac pressure. Do you have a rough idea of what  
19 that is for that Silurian-Devonian --

20 A. It's --

21 Q. -- or a gradient that you're using to estimate  
22 it?

23 A. The gradient that is used to calculate that  
24 MAOP was .2 plus .433 times the --

25 Q. Minus the density.

1           A.    Yeah.

2           Q.    That equation -- I guess just ask this. That  
3 equation comes from the NMOCD?

4           A.    That's right.

5           Q.    All right. I'll find out where they got that  
6 from.

7           A.    Sure.

8           Q.    For the frac pressure, though, I guess --

9           A.    We haven't tried to calculate the frac  
10 pressure.

11          Q.    Hopefully the step-rate tests will -- are going  
12 to give you something like that.

13          A.    That's right. That's right.

14          Q.    Because your MAOP is somewhere around --  
15 estimated, again, from the equation of 4,000-something?

16          A.    Right.

17          Q.    And that's at surface --

18          A.    Yes.

19          Q.    -- right?

20          A.    Yes.

21          Q.    So, you know, that bottom-hole pressure must be  
22 4,000-plus whatever?

23          A.    Right now I think the bottom-hole pressure is  
24 about 6,000 pounds, what we estimate there.

25          Q.    Well, your -- your -- your gradient times your

1     depth is giving you your 4,000.

2           A.     That's right.

3           Q.     So really your downhole -- if -- if you meet  
4     that MAOP, your downhole pressure is going to be very  
5     high.

6           A.     10,000, something like that. Uh-huh.

7           Q.     Yeah. And that would probably be really close  
8     to frac pressure, if not exceeding it.

9           A.     Right. I don't think it would be exceeding it,  
10    but, again --

11          Q.     I think your step-rate tests are going to --

12          A.     Yeah. The step rate -- that's why we do a  
13    step-rate test.

14          Q.     I applaud you for that because you're going to  
15    need to know that to keep that value below that 4,000.

16          A.     Well, let me just give you some sense of -- and  
17    I don't want to speak for 3Bear, but I can tell you from  
18    the rest of my clients, their compression is going to be  
19    near ability of --

20          Q.     I'm just saying --

21                   (The court reporter interrupted and  
22                   requested the parties to speak one at a  
23                   time.)

24                   (Laughter.)

25                   COMMISSIONER ENGLER: Okay. I'm sorry.



1           Q.    (BY COMMISSIONER ENGLER) I'm just saying that  
2   typical compression is limited to about 2,500 pounds.

3           A.    They're never going to get anywhere close to  
4   that frac pressure.

5           Q.    Thank you.

6                               CONTINUED DIRECT EXAMINATION

7   BY MS. CALLAHAN:

8           Q.    I think you were going to talk about what 3Bear  
9   is requesting.

10          A.    So in the end, I just want to summarize and  
11   say, "This is what we're asking for." We're asking for  
12   two wells, one vertical, one inclined that would be able  
13   to take 8 million cubic feet total between the two wells  
14   of acid gas with an MAOP of about 4,525. We'll begin  
15   drilling these as soon as we get contracts in place and  
16   within the two years like Mr. Solomon testified. We  
17   want to also make sure that in the order the Division  
18   has the flexibility to approve minor changes that don't  
19   affect the overall integrity of the program but that may  
20   be encountered when we drill in terms of, for example,  
21   where we find the actual top of the Devonian versus the  
22   14,900 that we've estimated it at. We might end up  
23   finding it at 14,920 or 14,870. So we want to be able  
24   to address those issues administratively so we don't  
25   have to come back to the Commission.

1           Also, the proposed wells will enhance the  
2   reliability of the plant because it will allow them to  
3   continue to process gas and to process this sour gas.  
4   The wells will dispose of the acid gas safely. And,  
5   again, we will do an H2S Rule 11 contingency plan and  
6   work with Carl Chavez to get that plan approved. We've  
7   done 14 or 15 of those with Carl already, so we know  
8   exactly what he wants and needs. But we just don't  
9   have -- like, one of the things we need is to have a  
10   description of each of the H2S sensors and where they  
11   are located at the plant, and that's not yet designed.  
12   So as soon as that's designed, we would put that plan  
13   together and submit it to OCD for approval long before  
14   we would operate the wells. And we don't have any  
15   problem with the Commission adding a condition that that  
16   plan has to be approved by OCD prior to beginning  
17   injection.

18           Well, that's basically what we're asking  
19   for.

20           MS. CALLAHAN: I'd just like to ask  
21   Mr. Gutierrez a few conclusory questions.

22           **Q. (BY MS. CALLAHAN) Based on your review, will**  
23   **the granting of 3Bear's application as submitted be for**  
24   **the protection of human health and the environment?**

25           A. Yes.

1           Q.    And will the granting of 3Bear's application  
2   also prevent waste and protect correlative rights?

3           A.    Yes.

4           Q.    Are you aware of any information or data that  
5   indicates that the target injection zones would not  
6   safely contain the injected treated gas?

7           A.    No.

8           Q.    In your opinion, is there any evidence that the  
9   proposed acid-gas injection wells at the proposed  
10   injection volumes and pressure will contribute  
11   significantly to increasing the potential for induced  
12   seismic events?

13          A.    Absolutely not.

14          Q.    And does 3Bear request the Commission grant the  
15   Division the discretion to allow minor changes to the  
16   proposed wells administratively?

17          A.    Yes.   We would ask for that.

18          Q.    Were Exhibits 1 through 6 prepared by you,  
19   under your direct supervision?

20          A.    Yes.   They were prepared by myself or others on  
21   my staff with my direct supervision.

22          Q.    Or you included perhaps business records of  
23   Geolex or 3Bear?

24          A.    I'm sorry?

25          Q.    Or you also included business records of Geolex

1     **and 3Bear?**

2           A.     I'm not sure I understand the question.

3           **Q.     In the preparation of your exhibits --**

4           A.     Yes.

5           **Q.     -- did you perhaps include business records**  
6     **that you have --**

7           A.     Oh, absolutely. Yes. Yes. We have included a  
8     number of data that was provided us by 3Bear, as well as  
9     our own information about design of wells.

10          **Q.     Okay. So all of that was encompassed in your**  
11     **preparation of Exhibits 1 through 6; is that correct?**

12          A.     Yes, it was. That is correct.

13          **Q.     Okay.**

14                 MS. CALLAHAN: I move for the admission of  
15     Exhibits 1 through 6.

16                 MR. BROOKS: No objection.

17                 CHAIRWOMAN SANDOVAL: No objection?

18                 MR. BROOKS: That's what I said. Yes.

19                 CHAIRWOMAN SANDOVAL: Is there any  
20     objection to include the exhibits?

21                 MR. LOZANO: Madam Chair, if I may.

22                         Simply because if it bears on the rules  
23     that you tender the letters of notice, will you just lay  
24     a brief foundation on the exhibit marked as Exhibit 4?

25                 MS. CALLAHAN: Oh, okay.

1                   Exhibit 4 does include a copy -- a sample  
2   of the letter that was sent to all of the mineral and  
3   surface owners in this case, and it also includes a  
4   listing of all of the surface and mineral owners, as  
5   well as copies of the return-receipt cards that were  
6   received back from Geolex.

7                   THE WITNESS: And it also includes,  
8   actually, the copy of each and every notice letter, not  
9   just the sample one.

10                  MS. CALLAHAN: Oh, yes.

11                  THE WITNESS: It includes each and every  
12   notice letter that was sent.

13                  MS. CALLAHAN: That's right.

14                  And at the very end, there is a schedule --  
15   or a listing of the owners and the status of the  
16   return-receipt cards.

17                  THE WITNESS: Furthermore I would add, in  
18   Appendix B of the application, all of the land  
19   information from the land company is included as an  
20   appendix.

21                  MR. LOZANO: Nothing further, Madam Chair.

22                  CHAIRWOMAN SANDOVAL: Are there any  
23   objections to including the exhibits.

24                  COMMISSIONER ENGLER: No objection.

25                  CHAIRWOMAN SANDOVAL: They can be included.

1                   MR. LOZANO: For the record, that's 1  
2 through 6.

3                   (3Bear Field Services, LLC Exhibit Numbers  
4 1 through 6 are offered and admitted into  
5 evidence.)

6                   MS. CALLAHAN: And I have no further  
7 questions of this witness.

8                   MR. BROOKS: I do not plan to do any  
9 cross-examination.

10                  CHAIRWOMAN SANDOVAL: Okay. Do any of the  
11 Commissioners have questions?

12                  COMMISSIONER ENGLER: Not from I.

13                  COMMISSIONER KESSLER: No. I think all of  
14 mine have been addressed.

15                               CROSS-EXAMINATION

16 BY CHAIRWOMAN SANDOVAL:

17           Q.    So on the contingency plan that you're going to  
18 prepare, would there be any opposition to sharing  
19 pipeline GIS coordinates of all of the lines that would  
20 have -- or that would fall under the H2S contingency  
21 plan? Would those -- would 3Bear be willing to provide  
22 those to the OCD?

23           A.    I guess that would be a better question asked  
24 of Mr. Solomon than myself. But I will just say that in  
25 general, the Rule 11 plans that we have prepared

1 previously basically are related to the operation of  
2 that facility and the associated injection wells, and so  
3 we usually start at the inlet to the facility. But, you  
4 know, that would be a question for Mr. Solomon.

5 Q. So, I mean, are the pipelines not included in  
6 that contingency plan?

7 A. They typically are not included in that  
8 contingency plan. There may be a contingency plan for  
9 those pipelines. It's a separate one. But they're  
10 typically -- it's more related to the operation of the  
11 facility itself.

12 Q. Okay. I mean, but essentially doing this  
13 project and approving this acid-gas injection well would  
14 mean that you're going to be gathering more, like,  
15 high-H<sub>2</sub>S gas, correct?

16 A. Yes. That's correct.

17 Q. So, I mean, I think not only would a  
18 contingency plan have to be submitted for the actual  
19 facility itself, but a second contingency plan would  
20 need to be submitted for the pipelines, and those  
21 wouldn't be brought in unless we were talking about this  
22 injection plan today; is that correct?

23 CONTINUED DIRECT EXAMINATION

24 BY MS. CALLAHAN:

25 Q. Mr. Gutierrez, are those not the subject of a

1 different type of application?

2 A. I believe that they are. Again, I don't deal  
3 with the gathering systems myself. I usually just deal  
4 with the facilities and the -- and if you'll look at all  
5 of the currently approved Rule 11 plans for other  
6 facilities, they're basically for the facility alone.  
7 Now, they may have a map associated with them that would  
8 show where the gathering system is, and I don't think  
9 there would be a problem with doing that.

10 CONTINUED CROSS-EXAMINATION

11 BY CHAIRWOMAN SANDOVAL:

12 Q. Yeah. I mean, I think because we're  
13 approving -- if we were to prove that injection well,  
14 right, the gathering system would go to a more high H2S?

15 A. Correct.

16 Q. So I think within that contingency plan, that  
17 information would be imperative even for the facility  
18 where it gathers from because how -- if there is a line  
19 strike on a line now that has high H2S, how are you  
20 supposed to identify quickly -- yeah, I know there are  
21 pipeline markers, but that's sometimes miles down the  
22 road, and emergency responders don't know where those  
23 are, and OCD gets a call. So there needs to be the  
24 ability to very quickly identify whose lines those are  
25 so they can be shut in very quickly. And the reason I'm



1 bringing those gathering lines up is because essentially  
2 you're not going to be gathering high H2S gas unless  
3 your disapproval -- there is disapproval.

4 MS. CALLAHAN: Madam Chair, I think perhaps  
5 those questions might be posed better to Mr. Solomon,  
6 who has more experience and knowledge about what you're  
7 talking about.

8 MR. LOZANO: That's fine.

9 CHAIRWOMAN SANDOVAL: Okay. Mr. Solomon,  
10 can you answer?

11 MR. SOLOMON: Some of the confusion may be  
12 just that those pipelines don't necessarily relate to  
13 this Rule 11 plan, but I think that we are more than  
14 open, you know, in identifying which lines are going to  
15 be sour as a result of this.

16 CHAIRWOMAN SANDOVAL: Okay. Yeah. I mean,  
17 that would be helpful, and I think it would be necessary  
18 for this, because if we're going to approve this  
19 injection well, again, that, like, has a ripple effect  
20 all the way down through your operations, and we need to  
21 have the ability to quickly recognize whose pipelines  
22 those are.

23 MR. SOLOMON: Yeah. We can identify the  
24 sour lines.

25 THE WITNESS: So are you requesting

1 basically that that Rule 11 plan contain a map showing  
2 the location of those sour gas lines?

3 CHAIRWOMAN SANDOVAL: Not just a map but  
4 GIS information regarding that.

5 THE WITNESS: Yeah. I don't think there  
6 would be any problem with that.

7 MR. SOLOMON: Agreed.

8 MR. LOZANO: Are there any more questions  
9 of this witness?

10 CHAIRWOMAN SANDOVAL: Are there any other  
11 questions?

12 MS. CALLAHAN: Well, I just want to offer  
13 to prepare a draft order for the review of the  
14 Commission, if that's something that you'd like us to  
15 do.

16 MR. LOZANO: Once the Commission  
17 deliberates, we will direct that, Counsel.

18 MS. CALLAHAN: Okay. Thank you.

19 CHAIRWOMAN SANDOVAL: If there are no more  
20 questions, the witness can be excused.

21 THE WITNESS: Thank you.

22 CHAIRWOMAN SANDOVAL: And let's go into a  
23 ten-minute break.

24 (Recess, 10:56 a.m. to 11:12 a.m.)

25 CHAIRWOMAN SANDOVAL: Okay. Let's go back

1 on the record.

2 Division, would you like to proceed?

3 MR. BROOKS: I would like to proceed, Madam  
4 Chair.

5 Madam Chair, Honorable Commissioners, we  
6 are not here to oppose this application. We are here to  
7 be of any assistance to the Commission if we can be.  
8 I'm going to ask my witness to make some -- to testify  
9 as to certain things, and then I'm going to turn -- I'm  
10 going to offer him up to you for all purposes. But I  
11 want him to have the opportunity to say anything he  
12 thinks because he has a lot of knowledge, and I think  
13 the Commission will benefit from his knowledge and  
14 experience.

15 I think that's all I need to say. Thank  
16 you.

17 I'll call Phillip Goetze.

18 CHAIRWOMAN SANDOVAL: Please swear the  
19 witness under oath.

20 PHILLIP GOETZE,  
21 after having been first duly sworn under oath, was  
22 questioned and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. BROOKS:

25 Q. Good morning, Mr. Goetze.

1           A.     Good morning, Mr. Brooks.

2           Q.     You and I have worked on several previous  
3 cases; have we not?

4           A.     That's correct.

5           Q.     Okay. Acid-gas gases -- acid-gas injection  
6 wells, are they not among the most complicated cases we  
7 handle?

8           A.     That's correct.

9           Q.     Were you the -- were you the OCD person who was  
10 involved in the negotiation and approval of the C-108  
11 for this -- these wells?

12          A.     Yes. The C-108 was previously submitted, and  
13 there has been discussion about it and review of it up  
14 to this point.

15          Q.     And you have had various conversations and  
16 meetings with the representatives of the Applicant for  
17 this purpose?

18          A.     That is correct.

19          Q.     So are you going to be testifying as both a  
20 fact and expert witness?

21          A.     That is correct.

22          Q.     And since we can -- so we can offer you as an  
23 expert witness, I would like you to review your  
24 education, experience and any other credentials that are  
25 relevant.

1           A.     So I will start. My name is Phillip Goetze. I  
2 am an employee of the Oil Conservation Division  
3 Engineering Bureau. I've done this since 2013.

4                   A quick summary of my background includes  
5 years with the Bureau of Land Management, the United  
6 States Geological Survey for oil and gas, as well as  
7 coal; United States Bureau of Mines for wilderness  
8 assessment, again brought back by the Bureau of Land  
9 Management for resolution of oil and gas issues in the  
10 Powder River Basin, as well as Wind River.

11                   After that, a series of employments as a  
12 geologist doing geophysics for hydrology and  
13 engineering, followed by remediation projects involving  
14 sparge projects in New Mexico, Arizona, Texas. Also  
15 with that, oversight of drilling on behalf of the  
16 Department of Energy on several sites. And expand upon  
17 that, with the Arctic Slope, I was a federal technical  
18 oversight for drilling at Los Alamos. We can go through  
19 the list. We did risk-based corrective actions for  
20 Bureau of Indian Affairs, identified several issues and  
21 remediated sites for a US EPA consent -- agreement  
22 consent of order on the Bureau of Indian Affairs, Navajo  
23 Nation. I've worked on the storm water issues.

24                   With that, moving into my last employment,  
25 I conducted Phase I's, established protocols for

1 sampling used also at Los Alamos, prepared and reported  
2 for discharge permits at the location of Stage 1  
3 abatement plans. And then as of recent, as an examiner  
4 for the Oil Conservation Division of over 300 cases,  
5 along with oversight as a technical reviewer of all UIC  
6 Class 2 applications that have occurred in the last six,  
7 seven years.

8 With that, I can also throw in registered  
9 professional geologist in the states of Arizona, Texas,  
10 Alaska, and a certified environmental manager, State of  
11 the Nevada, and published author.

12 **Q. Do you have some degrees?**

13 A. I've got one degree.

14 **Q. Okay. Well, that's usually enough.**

15 A. That's right.

16 **Q. Can you tell us about that?**

17 A. It was a fun time. I have a degree in 1970,  
18 Bachelor of Science, from the New Mexico Institute of  
19 Mining and Technology, otherwise better known as New  
20 Mexico Tech.

21 **Q. And you list quite a number of associations**  
22 **that you belong to, and it's probably not a necessity to**  
23 **go through all of them because the list is rather long,**  
24 **but are there any you want to particularly mention?**

25 A. Not at this point. We'll save it for another

1 time.

2 Q. Very good.

3 Now, do all -- in your opinion, do all  
4 these credentials qualify you to testify as an expert in  
5 geology and hydrogeology?

6 A. I believe they do.

7 Q. Very good.

8 MR. BROOKS: We will submit Mr. Goetze as  
9 an expert in geology and hydrogeology.

10 CHAIRWOMAN SANDOVAL: Are there any  
11 objections?

12 MS. CALLAHAN: No objection.

13 Q. (BY MR. BROOKS) Now, Mr. Goetze, is Exhibit 4 a  
14 copy of your resume containing credentials that you  
15 just -- is OCD Exhibit 4 a copy of your credentials --  
16 your resume containing a list of your credentials?

17 A. That's correct.

18 Q. Okay. Now, you have presented me with a  
19 mercifully short number of exhibits, and I ask you first  
20 to look at Exhibit 1 that's got all these circles on it  
21 and tell us what that shows.

22 A. Division Exhibit Number 1 is Figure 4  
23 referenced by the Commission. What is plotted here are  
24 all the wells that currently have either a valid permit,  
25 an expired permit or are actively injecting into what we

1     refer to as the Devonian-Silurian interval.

2                     The blue circles is a system of evaluation  
3     at this point, which is still administrative, looking at  
4     a three-quarter-mile radius as a means of seeing what  
5     type of overlap and what potential interference between  
6     wells. Also highlighted on this are other disposal  
7     wells that are in the area of the Capitan Reef. We have  
8     production as well as injection into shallower zones.

9                     And with that, we just want to bring to  
10    light that we do have a Libby Berry Fee SWD No. 1, which  
11    is the closest active SWD. It has operated for only a  
12    short period of time and has achieved at this point a  
13    daily injection of 14,476 barrels of water per day. It  
14    is within what was the application made for this well,  
15    which requested 20,000 to a max of 25,000. We feel that  
16    the remainder of the wells in this area, if operated on  
17    a similar injection rate, would not pose a potential  
18    interference to the AGI wells in the sharing of the same  
19    interval based upon the current information given to us.

20            **Q.     Okay. There are -- there is a minimum**  
21            **separation between the two AGI wells. Is that because**  
22            **it is not planned to utilize the same two at the same**  
23            **time?**

24            A.     We assume that they would be available to use  
25            at the same time. They are located based on the best



1 judgment of the Applicant as to what their needs are.

2 Q. Okay.

3 A. The quantity of gas of these facilities is much  
4 lower than other facilities we have currently operating.

5 Q. Thank you.

6 MS. CALLAHAN: Excuse me, Mr. Brooks. Do  
7 you happen to have an extra copy of this exhibit that we  
8 can look at?

9 THE WITNESS: No. You can't have any.

10 (Laughter.)

11 MR. BROOKS: Do I have one, Mr. Goetze? I  
12 do not.

13 THE WITNESS: Yes, you do.

14 I know these by heart.

15 MS. CALLAHAN: Well, I just -- it's not so  
16 much I want to look at them, but --

17 MR. GUTIERREZ: I've looked at them before.

18 MS. CALLAHAN: You have? Okay.

19 MR. GUTIERREZ: Yes.

20 Q. (BY MR. BROOKS) Okay. And the only wells shown  
21 on this exhibit are injection wells, right?

22 A. Correct.

23 Q. Nothing shown about production wells?

24 A. That's correct.

25 Q. Okay. Now, what is Exhibit 2?

1           A.     Exhibit 2 is a table -- oh, actually, Exhibit 2  
2     is the response -- we made a review of the original  
3     application. We approached Geolex to -- to assess the  
4     potential for induced seismicity. There had been  
5     concerns raised with this location in the area of known  
6     faults, as well as historical production as represented  
7     by the Lee [phonetic] well to the north of the unit. So  
8     it is a duplication of what has already been  
9     incorporated as Exhibit 5 by the Applicant. So we  
10    merely included it such that it provided a confirmation  
11    that we received it and we had reviewed it and we're  
12    satisfied with the end product.

13           **Q.     Okay. And a follow-up on that, Mr. Gutierrez**  
14    **testified that they responded fully to all your requests**  
15    **for more information about induced seismicity and that**  
16    **you approved -- you approved their results; is that**  
17    **accurate?**

18           A.     I would say that we are comfortable with the  
19    results provided to us, since the Division is still  
20    learning its way through induced seismicity at this  
21    time. But it follows protocols that are accepted by  
22    other agencies doing the same thing.

23           **Q.     Well, a detailed study of induced seismicity is**  
24    **somewhat in its early childhood; is that correct?**

25           A.     That is correct.

1           **Q.     Okay. What is Exhibit 3?**

2           A.     Exhibit 3 is essentially a summary table of our  
3     current acid-gas wells, and this is provided to the  
4     Commissioners so that if you have, you know, a  
5     prospectus of what we have currently. These are not  
6     very common wells. The level of information we require  
7     based upon the years that we've put into them has become  
8     a much higher quality than would typically be found  
9     than, say, a saltwater disposal well. So we know that  
10    these wells will be increasing numbers. At this time we  
11    would -- as always, we look to the Commission to provide  
12    us guidance if we need to fill in a gap or if they see a  
13    void in the way we're approaching these. So this is  
14    more of a courtesy so you can see where we are.

15          **Q.     Now, at present does the Commission require**  
16    **that all applications for acid-gas injection well**  
17    **approval be presented directly to the Commission and not**  
18    **to a Division hearing?**

19          A.     That's correct. We have adopted that approach,  
20    that the Commission be able to look at and comment, as  
21    well as, again, point out any deficiencies the Division  
22    may not have seen.

23          **Q.     Now, why are some of these wells green and**  
24    **others are not?**

25          A.     The green wells are no longer acid-gas wells.

1 They originally were applied for and received authority.  
2 They have since gone to straight slickwater disposal and  
3 no gas going in.

4 Q. And what about the one -- what about the one  
5 well highlighted in beige?

6 A. The bottom well, the Monument No. 3, represents  
7 a second well at the facility. This represents the  
8 approach the Division has taken to having redundant  
9 wells at these facilities. The No. 1 was lost and had  
10 to be plugged and abandoned, and with that, the operator  
11 came back to the Division for request for a new well,  
12 which was approved, and with that, the understanding  
13 that they would also put a redundant well in as part of  
14 their AGI system.

15 Q. It says -- the API number send "pending" on  
16 that well.

17 A. They're still working on getting that APD.

18 Q. Okay. Now, are there any -- is there anything  
19 else you want to say about this exhibit at this time?

20 A. Nothing other than this is a current status.

21 Q. Okay. We've gone through the short list of  
22 your exhibits.

23 Now, Mr. Goetze, we have called you as a  
24 witness not to take a position on this application but  
25 rather to offer the -- to be of whatever assistance we

1     can to the Commission, correct?

2           A.     Correct.

3           Q.     With that in mind, could you please -- I'm  
4     going to ask you to state in narrative form whatever you  
5     feel is advisable to tell the Commission or appropriate  
6     to tell the Commission before you offer yourself for  
7     questioning.

8           A.     There was a recommendation that I provide an  
9     exhibit -- an additional exhibit. This additional  
10    exhibit is a list of conditions of approvals that were  
11    in previous orders. So counsel for the Applicant is  
12    aware of it. And in many cases, these are the same  
13    conditions we find now for every one of our orders. If  
14    I may, I would wish to enter Exhibit Number 5, which is  
15    a list of these conditions and make it available to the  
16    Commission.

17          Q.     You may do so.

18                   CHAIRWOMAN SANDOVAL: Are there any  
19    objections of entering this into the record?

20                   MS. CALLAHAN: No. We have no objection.

21                   CHAIRWOMAN SANDOVAL: Okay.

22                           (NMOCD Exhibit Number 5 is offered and  
23    admitted into evidence.)

24          Q.     (BY MR. BROOKS) Okay. Now, there was testimony  
25    by Mr. Gutierrez about some additional requests that you

1    made concerning the subject of induced seismicity during  
2    the administrative review of this application.  You were  
3    present when Mr. Gutierrez testified on this subject;  
4    were you not?

5       A.    Correct.

6       Q.    And do you concur with his judgment that all of  
7    these issues were -- were resolved to your satisfaction?

8       A.    It's correct.

9       Q.    Okay.  Is there anything else you wish to say  
10   at this time?

11       A.    I do have one recommendation to the Commission  
12   and have discussed with the Applicant, and it's well  
13   design -- and this would be Figure 4 and Figure 5 of the  
14   C-108 application.  We would ask that the Applicant add  
15   an additional string of casing such that that string is  
16   solely to cover the Salado so that it can be submitted  
17   as a single unit.  Historically, we like to see this in  
18   areas where we have shallow injection, as well as  
19   historically where we've had issues of water flow in  
20   Salado.  Having a good casing cement section through  
21   that gives the Division a much higher level of  
22   confidence that the integrity of this well will not be  
23   impacted by other folks.  So we would request that the  
24   Commission include a request to the Applicant to add  
25   that string.

1                   The Division also understands that this  
2     will be an APD issued by the Bureau of Land Management,  
3     that they will have the final say in what goes into  
4     this, especially through their Onshore Number 2 order.  
5     I don't think they'll oppose it, but I think this  
6     enhances the quality of these wells.

7           **Q.     What depth is the Salado?**

8           A.     Based upon the Libby Berry Fee SWD No. 1, which  
9     is to the east of the proposed wells, we're looking at  
10    an interval of approximately 2,100 feet to 3,500 feet.  
11    The BLM will have specifics on how to tie in, and we  
12    would honor those.

13          **Q.     That's a very great deal of shallow injection**  
14    **zone we're dealing with here; is it not?**

15          A.     Well, in proximity to where the reef is and,  
16    again, a reef transition into the back reef where we do  
17    have Yates and Seven Rivers production in this area, as  
18    well as injection back into it historically going back  
19    many years, I think this would be beneficial.

20          **Q.     Thank you.**

21                   **Anything else?**

22          A.     I could make a comment about the review of the  
23    C-108. The application as provided to us and the  
24    supplemental information, we feel that they have met all  
25    the requirements as necessary for the basic C-108

1 application and have provided additional information  
2 which is consistent to what we have approved before  
3 Commission with regards to acid-gas injection wells.

4 Q. Okay. Now, is the C-108 a part of the  
5 Applicant's exhibits --

6 A. Yes, it is.

7 Q. -- that were offered in the proceeding?

8 A. It is.

9 Q. Where would I find it? Would I find it  
10 following those exhibits?

11 A. It is Exhibit 1.

12 Q. Okay.

13 A. It is included in there.

14 Q. And what page does it start?

15 A. What page -- front of the book, page 1.

16 Q. Okay. Oh, yeah, I see. There's your printed  
17 form. It's actually the second page after the cover.

18 A. Uh-huh.

19 Q. Okay. And is the rest of the -- is the rest of  
20 this Exhibit 1 the C-108?

21 A. That's correct.

22 Q. And its attachments?

23 A. Yes.

24 Q. Okay. And is the C-108 complete with all  
25 attachments?



1           A.     With the addition of Exhibit 2, which is the  
2     signature page for the affirmation statement, yes.

3           **Q.     Very good.**

4                     **Anything else?**

5           A.     Let's see.  Oh, approval of the APD, we would  
6     just have the Applicant verify that there is a bond in  
7     place so our financial assurance is verified.

8                     MS. CALLAHAN:  I can bring him back on.

9                     THE WITNESS:  Well, just go ahead and  
10    provide that.

11                    MS. CALLAHAN:  Okay.

12                    THE WITNESS:  Under our Rule 59, we're  
13    making sure that there is bond in place for the well,  
14    since it will be BLM and out of our realm.  We just want  
15    to go ahead and make sure.

16           **Q.     (BY MR. BROOKS) Okay.  With the recommended**  
17    **conditions that you have spoken about, do you recommend**  
18    **to the Commission that they approve this application?**

19           A.     I would suggest strongly that they look at it  
20    and review it.  Many of them have already been addressed  
21    in the presentation by the Applicant, and it's just a  
22    matter of incorporating it in the order so that down the  
23    road, we can find it, and so the operator, as well as  
24    our compliance people in the field are seeing the same  
25    list.

1           **Q.    And any successor operators also?**

2           A.    Well, that's another thing, too.  We don't know  
3   who is going to inherit it, so --

4           **Q.    Very good.**

5                   MR. BROOKS:  At this point then, I'll pass  
6   the witness.

7                   MS. CALLAHAN:  I have no questions.

8                   CHAIRWOMAN SANDOVAL:  Does the Commission  
9   have any questions?

10                   COMMISSIONER KESSLER:  I have one, yeah.

11                               CROSS-EXAMINATION

12   BY COMMISSIONER KESSLER:

13           **Q.    Mr. Goetze, do you have any remaining concerns**  
14 **about the overlap in radius between the two -- between**  
15 **these injection wells -- acid-gas injection wells and**  
16 **the proximate SWD well?**

17           A.    If it were a condition of approval, that they  
18   maintain what is submitted in their C-108 of maximum of  
19   20,000, I think that would enhance the abilities for  
20   these to stay away from each other.  It doesn't appear  
21   that that well is capable of getting up to 20,000, but I  
22   think putting it in the rule would -- or at least in the  
23   order would give 3Bear a notice or whoever comes in,  
24   because it is a possibility that well may go to someone  
25   else while the gas facility remains with another party.

1 So the potential for future conflict is always there.

2 CROSS-EXAMINATION

3 BY CHAIRWOMAN SANDOVAL:

4 Q. 20,000 on the saltwater disposal well?

5 A. Their application asked for 20,000, and they're  
6 getting 14,000. That would be the Libby Berry Fee SWD  
7 No. 1, API number 3002544288.

8 Q. And that is currently operating?

9 A. Yes, it is.

10 Q. Sorry. I just to want to clarify. And the  
11 requirement on that currently is a max of 20,000?

12 A. What it tends to -- under our UIC Program, an  
13 application will come in and we approve it. We, under  
14 rule, only have a maximum surface injection pressure,  
15 which is the administrative .2. We have never put into  
16 rule rates and volume controls. We are now doing this  
17 on a case-by-case basis for those cases appearing before  
18 a hearing examiner or a commissioner.

19 I think in terms of the life of this well,  
20 being able to put a rate limit on it, with the  
21 possibility for that to be addressed down the road as an  
22 option, with the recommended conditions of approval,  
23 we're doing those ten-year milestones. And I think this  
24 will be something that, as the operator, they would look  
25 at to see how the well is performing and what problems

1 they're having, should it be from another source.

2 So right now we, at .2, have no issues. If  
3 we just go ahead and limit the volume at this time  
4 until, say, that first ten-year review, see how it  
5 works, it may be advantageous.

6 CONTINUED CROSS-EXAMINATION

7 BY COMMISSIONER KESSLER:

8 Q. Limit the volume of the --

9 A. Saltwater disposal well.

10 Q. -- saltwater disposal well?

11 And you're recommending we do that in the  
12 acid-gas injection well order?

13 A. You can reach out for conditions, since you are  
14 sharing the same injection interval.

15 Q. Okay. Thank you, Mr. Goetze.

16 COMMISSIONER ENGLER: My turn?

17 CHAIRWOMAN SANDOVAL: (Indicating.)

18 CROSS-EXAMINATION

19 BY COMMISSIONER ENGLER:

20 Q. Let me go back to something. The first point  
21 is, you know, you asked the Commission to look at an  
22 additional string through the Salado?

23 A. Correct.

24 Q. From 21- to 35- feet, roughly?

25 A. Uh-huh.

1           Q.    So in terms of their design -- so you're  
2   looking at either an additional string, or can I extend  
3   the string?

4           A.    We would like an additional string. I think  
5   stand-alone, it just -- every time we've had a flow  
6   issue, we've had salt issues and we've had issues of  
7   fatigue and corrosive environment, as time goes by,  
8   we've numerous cases where we've got Salado water  
9   flowing. And in some cases, we've got it where we're --  
10   and I don't really wish to get too far off drift, but  
11   actually the water flow in the Salado has caused the  
12   cement to wash out. So I think considering what's been  
13   going down the hole in these wells, the insurance is  
14   worthy of it.

15          Q.    Oh, I appreciate, again, this table in the form  
16   that I can read other than what I saw earlier when I  
17   pulled it.

18                   I guess the question of -- again, this is a  
19   list of AGI wells. Over time, in your experience, have  
20   you seen changes in terms of design or anything in terms  
21   of what's going on in terms of this acid-gas injection?

22          A.    Oh, yeah. We have seen a much more  
23   conservative approach to these wells. The concept of  
24   converting wells or reentry has gone by the wayside.

25          Q.    Okay.

1           A.     These tend now only to be used for gas  
2     injection instead of gas and water, multipurpose.

3                     We have worked with the operators with  
4     getting downhole information. They have brought to  
5     us -- and we do have in certain wells an agreement going  
6     on that -- there is no real prudent history of sensors  
7     being used downhole as far as -- well, their life and  
8     how they will react in acid gas. So in cases where  
9     those permanently installed sensors are capable of  
10    failing, we've asked them to come back and do a pressure  
11    test downhole and actually run a bond for a week or two  
12    and get some real numbers. So it is coming along with  
13    better design, better information coming out of the  
14    reservoir and better performance, because, again, as you  
15    expressed on the model, the model is only as good as the  
16    data that goes into it, and certainly what type of model  
17    you run is going to change over the life as we get  
18    better information and better predictable models.

19           **Q.     Yeah. I noticed. -- I heard this earlier.**  
20    **There is this ten-year look-back or ten-year review of,**  
21    **I assume -- one well is close to coming to that, and so**  
22    **that, I would think, would be really valuable on our**  
23    **assessment of how these acid-gas injection wells are**  
24    **performing.**

25           A.     That's correct.

1           Q.    And that's going to be what, a couple of years  
2   from now?

3           A.    Correct.

4           Q.    It seems to me the Siluro-Devonian is becoming  
5   the preferred target.

6           A.    Oh, now we're drifting.

7                         Yes.   The --

8           Q.    I'm a professor.  I drift a lot.

9           A.    Originally under our primacy agreement, we had  
10   two areas identified as disposal, one being San Andres  
11   and then correlation-wise, the Delaware Mountain Group.  
12   And then the primacy agreement also identified the  
13   Devonian at that time, in '83, as a potential disposal  
14   zone, but it was ruled out due to the economics, as the  
15   history of oil and gas development has gone through  
16   very, very dynamic changes.

17                       When I first came on here, the Delaware  
18   Mountain Group was the preferred injection interval, but  
19   we had incidences of where it had a cluster of wells,  
20   approved saltwater disposal wells, that had washed out  
21   producers in the horizontal.  We also, with horizontal  
22   drilling, came to understand that the Brushy Canyon  
23   could be a producer, though we had approved numerous  
24   injection into it as a dumping ground.  So horizontal  
25   drilling changed everything so that the Delaware

1 Mountain Group, which was a garbage can, was now a  
2 prized target. We also had several cases presented by  
3 Yates with regard to what is happening in the San  
4 Andres, that we're building up pressure. So drilling  
5 through this pressure-up system, we would end up  
6 increasing costs and, of course, changing radically the  
7 drilling design but also increasing the ability for an  
8 out-of-control situation.

9                   The decision to move to the deeper wells  
10 was supported by industry in general, but it also now  
11 has created its own issues. The induced seismicity is  
12 more prevalent. How do we deal with volume moving up  
13 into larger-size tubing and, therefore, larger  
14 injection? A lot of assumptions have been made, which  
15 still need to be addressed. Correlations were very  
16 poor. How much of a confining layer do we see in the  
17 Ordovician? We're trying to keep everybody out of  
18 Ellenburger because we know it's just a pathway to the  
19 Precambrian. Questions about the fault slip model.  
20 It's a fine model, but what kind of seismic do you base  
21 it on? And so these requirements to provide the  
22 Division with some sort of process to review these and  
23 issue permits has caused us to now create a situation  
24 where we have as many as 200 applications waiting for  
25 Devonian.



1           Q.    Huh.

2                       Let me ask one other final question.  I  
3   guess this follows up on Jordan's and I guess to help me  
4   out as a new commissioner.

5                       So you have this water injection and gas  
6   injection, same zone.  You develop an overlapping  
7   circular area.  So what's the consequences or -- well,  
8   first, we're monitoring or hopefully monitoring.  So  
9   what's the consequences if these two boundaries  
10   interact?  We're assuming that this is going to be  
11   viable under the rate controls we're stating --

12          A.    Uh-huh.

13          Q.    -- or possibly state.  But, you know, by and  
14   large, what happens if these do interact, or how do we  
15   monitor or stop that?

16          A.    Well, this is one of those questions in the  
17   ten-year analysis we're hoping to find out.  At this  
18   point we're really working on the basis of the model and  
19   experiences in other -- like Canada and what they've  
20   had.

21          Q.    Yeah.

22          A.    My expertise in that would be very limited, but  
23   my greatest concern would be is it would change the  
24   injection radius, the possibility of moving it, and with  
25   that, that interaction would impact how we regulate it

1 and what we say as this is your box to work in.

2 Q. Because I find, again, in the seismicity data  
3 in the table, you actually have a maximum stress of  
4 north 60 east --

5 A. Uh-huh.

6 Q. -- which happens to be from one well to the  
7 other.

8 A. Uh-huh. That's correct.

9 Q. Thank you.

10 A. You're welcome.

11 CONTINUED CROSS-EXAMINATION

12 BY COMMISSIONER KESSLER:

13 Q. Just a brief follow-up. Would you recommend a  
14 ten-year plan -- a ten-year report, or would you --

15 A. Oh, yes.

16 Q. -- expect a report before that?

17 A. Well, I mean, this becomes a real question. By  
18 the time -- how much data can you get in and look at  
19 your model and work it? We chose ten years based on a  
20 30-year life. And even with the 30-year end of review,  
21 if it's going to extend beyond that 30 years, a 30-year  
22 report becomes critical to justifying extension of that  
23 order. The general consensus is is that much  
24 information that comes into it, at that time you would  
25 have viable data to work with.

1 CROSS-EXAMINATION

2 BY CHAIRWOMAN SANDOVAL:

3 Q. That was actually right along my question, but  
4 I don't want to belabor this point. So you talked about  
5 possibly having a limitation on the disposal well. But  
6 would there be any need for limitations on volumes of  
7 the acid-gas wells, or is that the 8,000, or is that  
8 adequate?

9 A. Your application will spell out the -- we do  
10 incorporate in the orders the actual volume that is  
11 requested. And with that, it puts into that  
12 administrative -- or that Commission order that limit,  
13 and then you'll have to clarify is this something that  
14 can be shared between both wells. So that allows for  
15 operation and shifting. But you will specify -- in  
16 their application, that is the limit that those two  
17 wells will be permitted to utilize.

18 Q. And you believe that limitation is adequate to  
19 provide protection kind of from that saltwater disposal  
20 well?

21 A. At this point, the information we have, yes, it  
22 is.

23 CHAIRWOMAN SANDOVAL: Are there any  
24 additional questions?

25 Would you like to redirect?

1 MS. CALLAHAN: Yes. And I think it might  
2 be easier if we just brought Mr. Gutierrez back onto the  
3 stand. He'll be better able to address some of the  
4 questions that have been raised and your questions to  
5 Mr. Goetze.

6 CHAIRWOMAN SANDOVAL: Have you completed  
7 your questions?

8 MR. BROOKS: Yes. I am prepared to pass  
9 the witness.

10 CHAIRWOMAN SANDOVAL: Okay. You're  
11 dismissed.

12 MR. BROOKS: Oh, one question. I don't  
13 believe we ever offered your exhibits --

14 THE WITNESS: Oh, yeah, we haven't.

15 MR. BROOKS: -- in accordance with the OCD  
16 custom of offering the exhibits at the end of the  
17 presentation instead of offering them as they are  
18 identified and discussed the way it's done in court.

19 So at this time I will offer OCD Exhibit  
20 Numbers 1 through 4 -- and do you have 5?

21 THE WITNESS: Yes. That's correct.

22 MR. BROOKS: I would offer Exhibits 1  
23 through 5.

24 MS. CALLAHAN: No objection.

25 CHAIRWOMAN SANDOVAL: Okay. Exhibits 1

1 through 5 will be included.

2 (NMOCD Exhibit Numbers 1 through 5 are  
3 offered and admitted into evidence.)

4 MR. BROOKS: Pass the witness.

5 MS. CALLAHAN: I ask Mr. Gutierrez to  
6 return to the stand, please.

7 MR. LOZANO: Just to remind, Mr. Gutierrez,  
8 you're still under oath.

9 THE WITNESS: Yes, sir.

10 ALBERTO A. GUTIERREZ,  
11 after having been previously sworn under oath, was  
12 re-called, questioned and testified as follows:

13 DIRECT EXAMINATION

14 BY MS. CALLAHAN:

15 Q. Mr. Gutierrez, you just heard Mr. Goetze  
16 testify regarding the possibility of the intersection of  
17 the plumes of the saltwater disposal well that 3Bear has  
18 that is closest to the proposed acid-gas wells. Can you  
19 address the concerns and perhaps speak to the volume --  
20 the affected volume of the acid gas in relation to  
21 perhaps barrels to get an idea?

22 A. Sure. I think I want to emphasize two things,  
23 I think, with respect to that. And when we talk about  
24 interference between these two plumes, we're really  
25 talking about two different things. We're talking about

1 whether they actually mix in the reservoir or whether  
2 the pressure effects from the two wells affect each  
3 other. And they are really two different things.

4           The model calculates a displacement of a  
5 certain amount of fluid in the reservoir based on what  
6 we're injecting. Say in the AGI instance, we're only  
7 putting in approximately 3,500 barrels a day versus  
8 20,000 barrels a day that are potentially coming in from  
9 the SWD No. 1 or the 14,000 that are actually coming in  
10 at present.

11           The concern -- I guess we don't have a  
12 significant concern about the interaction between  
13 injected salt water and injected acid gas, and I'll tell  
14 you why. The reason is because the reservoir's already  
15 filled with brine. And basically the salt water that's  
16 being injected, while it may be a slightly different  
17 composition, it's still brine basically, and the -- as I  
18 mentioned in response to a question that was raised  
19 earlier, for the most part, what we have seen is that  
20 this acid gas stays as a separate-phase plume except the  
21 very margins of it. So it doesn't really seem to have a  
22 compatibility problem with the existing fluid that's in  
23 the reservoir since that's the same fluid basically  
24 chemically -- I mean, it may have less magnesium, a  
25 little more magnesium, but it's essentially the same

1 kind of brine in the saltwater well. We haven't seen an  
2 issue with that.

3 Now, one of the things that Mr. Goetze  
4 raised, which I think is a good point -- and my client  
5 does not have an objection with going with a four-string  
6 design -- is the possibility for, you know, the  
7 conditions in that Salado to have a deleterious effect  
8 over time in our well and this provides added  
9 protection. We don't have a problem with that. It's  
10 likely going to be required by the BLM anyway. So we  
11 would not have an objection with that.

12 The one thing I would raise and I do have a  
13 little concern with and I'm not sure I have the answer  
14 for how to deal with it other than to say, as Mr. Goetze  
15 said that, you know, Applicants are bound by what they  
16 put in their application, which are incorporated by  
17 reference into the orders that are issued.

18 I have a little bit of a concern with  
19 trying to limit the volume of salt water injected into a  
20 different well in this order, and the reason why I have  
21 a problem with that is for the very same reason that  
22 Mr. Goetze raised earlier, which is at some point in the  
23 future, maybe there will be two different owners of  
24 these two wells. And so I would say that whatever you  
25 do relative to the saltwater well or any clarification

1 of what volumes should go into that well should be  
2 something that's handled in the order associated with  
3 that well rather than in this order because of that in  
4 the future.

5 I don't think that there is necessarily an  
6 objection to it, and there is an acknowledgment by the  
7 Applicant that, you know, we have submitted a request  
8 for injection of 8 million cubic feet, which that's what  
9 would be our limitation. I know it's a little different  
10 with saltwater wells because the State only has the  
11 limitation of the MAOP from a statutory perspective, but  
12 in the same way, they do look at what volume is  
13 requested in an application, and that's incorporated  
14 into the order.

15 But it's just my concern to mix the two. I  
16 don't think there is an objection necessarily to that  
17 limitation in this case, but I'm just not sure that the  
18 AGI order is the best place for it.

19 **Q. I think that's all.**

20 CHAIRWOMAN SANDOVAL: Does the Commission  
21 have any questions?

22 CROSS-EXAMINATION

23 BY COMMISSIONER KESSLER:

24 **Q. Mr. Gutierrez, will there be an objection to**  
25 **the ten-year mark providing modeling -- updated modeling**



1     **on the pressures on those same faults?**

2           A.     No, absolutely not. And we would be doing that  
3     anyway. And, you know, the real content of these  
4     ten-year reports, no one knows yet because we haven't  
5     done one yet, but we will, and we'll figure it out, you  
6     know, with what the Commission and the Division needs.  
7     We'll work -- I mean, we're committed to working closely  
8     with the Division, as we have for the last 15 years, in  
9     developing the right approaches for these things.

10                               CROSS-EXAMINATION

11     BY COMMISSIONER ENGLER:

12           **Q.     So this ten-year review, we've yet to decide**  
13     **how we're going -- or what we're going to use?**

14           A.     No. There's been a general statement in the  
15     orders of what would be the requirement for ten-year  
16     reports.

17           **Q.     In past orders?**

18           A.     That's right, in these past orders. But  
19     basically it's been a relatively general requirement,  
20     that it will be to review the actual conditions in the  
21     reservoir and how the reservoir has responded to that  
22     injection versus how it was projected to respond.

23           **Q.     So really your pressure, your rates and over**  
24     **time, you know, temperature, that's really everything --**  
25     **that's what you need?**

1           A.    That's right. That's right. That's right, and  
2   the bottom-hole data.

3           Q.    Well, yeah. The surface and bottom hole, yeah,  
4   again if you're capturing the bottom hole, is really  
5   valuable.

6           A.    Right.

7           Q.    But that -- okay. I need to learn more. Thank  
8   you.

9                   CHAIRWOMAN SANDOVAL: Are there any  
10   additional questions?

11                  MS. CALLAHAN: I guess I just want to make  
12   one additional redirect related to Exhibit 5 of the  
13   Division's exhibits.

14                   REDIRECT EXAMINATION

15   BY MS. CALLAHAN:

16           Q.    Mr. Gutierrez, have you conferred with your  
17   client and does your client have any objection to  
18   incorporating any of these listed provisions in the  
19   order?

20           A.    I haven't really conferred with my client  
21   specifically about this, but when I look at these  
22   conditions, they're not outside of what would be  
23   anticipated in the order. And, in fact, if you look  
24   through our C-108 in detail, I think you'll find that  
25   we've committed to doing most of these, if not all of

1     them explicitly in the application.

2                     MS. CALLAHAN:   Madam Chair, if you'd like,  
3     I can bring Mr. Solomon back and he can address that  
4     question, if you wish, or you can just require those in  
5     the order.

6                     CHAIRWOMAN SANDOVAL:   I don't think there  
7     is a need to do that.

8                     MS. CALLAHAN:   Okay.

9                     THE WITNESS:   I will make one minor comment  
10    about item four on this list.  It says, "Include a  
11    biocide...in the annular fluid (diesel) of the well."  
12    We do do that, but I think it would be even more  
13    important to say that that should be not only biocide  
14    but corrosion-inhibited diesel as well.  They're two  
15    different things, and we -- we usually use  
16    corrosion-inhibited diesel with a biocide.  We have a  
17    little recipe for that stuff (laughter).

18                    CHAIRWOMAN SANDOVAL:   Are there any  
19    additional questions?

20                    MS. CALLAHAN:   No.

21                    CHAIRWOMAN SANDOVAL:   Okay.  Thank you.

22                    If it wishes, the Applicant can make a  
23    brief closing argument.

24                    CLOSING STATEMENT

25                    MS. CALLAHAN:   I guess as I said at the

1     outset, I think that the testimony presented here today  
2     has reflected that the C-108 as proposed and with the  
3     incorporation of the conditions that the OCD as  
4     requested is approvable. And, again, I think everything  
5     that has been done to -- in the engineering aspect of it  
6     and the protections that they've established in the  
7     C-108, I think the environment is going to be protected,  
8     and I think it will offer substantial economic benefits  
9     to the State of New Mexico. We ask that you approve it.

10                     Thank you.

11                     CHAIRWOMAN SANDOVAL: The Division may now  
12     make a closing argument if it wishes.

13                     MR. BROOKS: We have nothing to add, Madam  
14     Chairman, Commissioners.

15                     CHAIRWOMAN SANDOVAL: Thank you.

16                     The record of this application hearing is  
17     now closed. The Commission will immediately deliberate  
18     so as to reach a final decision on the application.  
19     Pursuant to the administrative adjudicatory  
20     deliberations exceptions to the Open Meetings Act,  
21     Section 10-15-1H(3), the Commission may deliberate in  
22     closed session.

23                     I will entertain a motion to go into closed  
24     session.

25                     COMMISSIONER KESSLER: Move that we go into

1 closed session.

2 CHAIRWOMAN SANDOVAL: Do I hear a second?

3 COMMISSIONER ENGLER: Second.

4 CHAIRWOMAN SANDOVAL: I move that the  
5 meeting be closed pursuant to the administrative  
6 adjudicatory deliberations exception to the Open  
7 Meetings Act, Section 10-15-1H(3), to deliberate in Case  
8 Number 20409.

9 Do I have a second?

10 COMMISSIONER KESSLER: Second.

11 COMMISSIONER ENGLER: Approved.

12 (Laughter.)

13 CHAIRWOMAN SANDOVAL: Motion approved.

14 MR. LOZANO: Madam Chair, you need to take  
15 a roll call.

16 CHAIRWOMAN SANDOVAL: A roll-call vote,  
17 please.

18 MR. LOZANO: Commissioner Kessler, if  
19 you're in favor.

20 COMMISSIONER KESSLER: I'm in favor.

21 MR. LOZANO: Commissioner Engler?

22 COMMISSIONER ENGLER: In favor.

23 MR. LOZANO: Madam Chair?

24 CHAIRWOMAN SANDOVAL: I'm in favor.

25 The Commission will now close this session

1 and the record.

2 (Recess, executive session, deliberations,  
3 12:05 p.m. to 12:57 p.m.)

4 CHAIRWOMAN SANDOVAL: So I guess we are  
5 back on the record following the closed session, so I  
6 want to state for the record that the deliberations  
7 during the closed session were limited only to those  
8 things that were specified in the motion to close.

9 The Commission meeting and record is now  
10 open. Discussion in closed session was limited to the  
11 deliberation in Case Number 20409.

12 I will now entertain a motion to approve  
13 the C-108 application from 3Bear, LLC.

14 COMMISSIONER KESSLER: Madam Chair, I move  
15 to accept the C-108 submitted by 3Bear Field Services,  
16 LLC for the two AGI wells as indicated in the  
17 application for the following reasons: The AGI well  
18 minimizes the negative impact on the environment and  
19 prevention waste of the H2S gas.

20 The Commission approves the application  
21 with the following conditions, and I'm referring now to  
22 Exhibit 5 that was submitted by the Oil Conservation  
23 Division. I'm going to go through those conditions and  
24 modify occasional conditions that are set forth in the  
25 order.

1                   So the Commission approves 1 through 3 as  
2   stated in Exhibit 5.

3                   Exhibit 4, we would like to include -- we  
4   want to modify to include biocide and  
5   corrosion-inhibited diesel.

6                   5 through 8 will remain the same.

7                   Number 9 shall be modified to include a  
8   contingency plan for impacted gathering lines, which  
9   includes a GIS mapping layer to be provided to the OCD.

10                  No changes to 10 through 13.

11                  Number 14 shall be modified to provide a  
12   report every fifth year and should be modified to  
13   include an update on seismic modeling. We would also  
14   like the modifier to include that those reports be  
15   in-person presentations to be given to the Commission at  
16   their discretion.

17                  Condition 15 will be as stated in Exhibit  
18   5.

19                  16 shall be modified to include an  
20   additional casing string covering the Salado Formation,  
21   an estimated depth of 2,100 to 3,500 feet.

22                  Conditions 17 and 18 are as stated in  
23   Exhibit 5.

24                  And there are also certain additional  
25   conditions that we would like to have included in the

1 draft order: Verification of the bond with the BLM be  
 2 provided to the Division. And in the event of change of  
 3 ownership, the Applicant shall appear before the  
 4 Division to obtain approval of said change of ownership  
 5 or operatorship. And this application is to be granted  
 6 for a period of 30 years from the date of the order. At  
 7 that time the Applicant shall appear before the  
 8 Commission requesting an extension if so desired.

9 And finally, in my motion, Applicant,  
 10 please propose language in the order to address the  
 11 Libby Fee SWD No. 1 injection rate, and we will review  
 12 that language. Proposed language could include an offer  
 13 to amend the original application of Libby Fee SWD  
 14 No. 1.

15 That concludes my motion.

16 COMMISSIONER ENGLER: Second the motion as  
 17 given.

18 CHAIRWOMAN SANDOVAL: All in favor of the  
 19 motion say aye.

20 COMMISSIONER KESSLER: Aye.

21 COMMISSIONER ENGLER: Aye.

22 CHAIRWOMAN SANDOVAL: Aye.

23 (Ayes are unanimous.)

24 CHAIRWOMAN SANDOVAL: The motion is  
 25 approved.



1 Are there any questions from the Applicant?

2 MR. SOLOMON: No. It's clear.

3 MS. CALLAHAN: If we provide a draft of the  
4 order for your review, will you review it and hopefully  
5 approve it at the next hearing?

6 CHAIRWOMAN SANDOVAL: Yes, if that is  
7 provided to us ten days prior to the next hearing so  
8 that we have opportunity to review it prior.

9 MS. CALLAHAN: Okay.

10 MR. BROOKS: Madam Chair, Commissioners,  
11 that's fine. I don't care about the procedure that's  
12 actually used in this case. I just wanted to make a  
13 point that since I've been here a number of years, the  
14 custom of the Oil Conservation Commission has been for  
15 any proposed drafts to be submitted first to the  
16 Commission counsel, who would then prepare a draft to  
17 submit to the Commission.

18 MR. LOZANO: Fine.

19 CHAIRWOMAN SANDOVAL: Okay. So please  
20 submit that to counsel.

21 MS. CALLAHAN: We will.

22 CHAIRWOMAN SANDOVAL: With that, we will  
23 move on to item number seven of the agenda and  
24 discussion of pending litigation.

25 (Case Number 20409 concludes, 1:04 p.m.)

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court  
6 Reporter, New Mexico Certified Court Reporter No. 20,  
7 and Registered Professional Reporter, do hereby certify  
8 that I reported the foregoing proceedings in  
9 stenographic shorthand and that the foregoing pages are  
10 a true and correct transcript of those proceedings that  
11 were reduced to printed form by me to the best of my  
12 ability.

13 I FURTHER CERTIFY that the Reporter's  
14 Record of the proceedings truly and accurately reflects  
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither  
17 employed by nor related to any of the parties or  
18 attorneys in this case and that I have no interest in  
19 the final disposition of this case.

20 DATED THIS 18th day of June 2019.

21

22 MARY C. HANKINS, CCR, RPR  
23 Certified Court Reporter  
24 New Mexico CCR No. 20  
25 Date of CCR Expiration: 12/31/2019  
Paul Baca Professional Court Reporters

24

25