

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

ORIGINAL

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

Case No: 14667

APPLICATION OF WILLIAMS PRODUCTION COMPANY LLC FOR A PROJECT
AREA FOR THE MANCOS PARTICIPATING AREA IN THE ROSA UNIT, SAN
JUAN AND RIO ARriba COUNTIES, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Technical Examiner
DAVID K. BROOKS, Legal Examiner

July 7, 2011

Santa Fe, New Mexico

2011 JUL 20 P 4:15
RECEIVED OGD

This matter came on for hearing before the New
Mexico Oil Conservation Division, WILLIAM V. JONES, Technical
Examiner, and DAVID K. BROOKS, Legal Examiner, on July 7,
2011, at the New Mexico Energy, Minerals and Natural
Resources Department, 1220 South St. Francis, Drive, Room
102, Santa Fe, New Mexico.

REPORTED BY: Irene Delgado, NM CCR 253
Paul Baca Professional Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, New Mexico 87102

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE APPLICANT:
HOLLAND & HART LLP
OCEAN MUNDS-DRY
110 N. Guadalupe, Suite 1
Santa Fe, NM 87501

FOR SAN JUAN BASIN RESOURCES:
JAMES BRUCE
P.O. Box 1056
Santa Fe, NM 87504

I N D E X

KENLEY HAYWOOD McQUEEN, JR.	
Direct by Ms. Munds-Dry	04
Cross by Mr. Bruce	22
EXHIBITS	
EXHIBITS 1 - 11 ADMITTED	22

1 EXAMINER BROOKS: Okay. Very good. Back on the
2 record. Okay. At this time we will call Case Number 14667,
3 application of Williams Production Company LLC for a project
4 area for the Mancos participating area in the Rosa Unit, San
5 Juan and Rio Arriba Counties, New Mexico.

6 Call for appearances.

7 MS. MUNDS-DRY: Good morning, Mr. Examiners. Ocean
8 Munds-Dry with the law firm of Holland and Hart LLP,
9 representing Williams Production Company LLC this morning,
10 and I have one witness.

11 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe
12 representing San Juan Basin Resources LLC. I have no
13 witnesses.

14 EXAMINER BROOKS: Very good. Do you want to make an
15 opening statement, Ms. Munds-Dry?

16 MS. MUNDS-DRY: You know how fond I am of opening
17 statements, so this morning we will proceed to our first
18 witness, if that's okay with you.

19 EXAMINER BROOKS: We need to -- how many witnesses?

20 MS. MUNDS-DRY: I just have one.

21 EXAMINER BROOKS: Do you have any witnesses?

22 MR. BRUCE: No, sir.

23 EXAMINER BROOKS: Witness, please stand and be
24 sworn.

25 (Witness sworn.)

1 EXAMINER BROOKS: Please be seated. You may
2 proceed.

3 MS. MUNDS-DRY: Thank you, Mr. Examiner.

4 KENLEY HAYWOOD McQUEEN JUNIOR

5 (Having been sworn, testified as follows:)

6 DIRECT EXAMINATION

7 BY MS. MUNDS-DRY:

8 Q. Would you please state your full name for the
9 record?

10 A. My full name is Kenley Haywood McQueen, Junior.

11 Q. And where do you reside, Mr. McQueen?

12 A. I reside in Tulsa, Oklahoma.

13 Q. By whom are you employed?

14 A. I'm employed by Williams.

15 Q. And what do you for Williams?

16 A. I'm the director of the San Juan Asset Team.

17 Q. Have you previously testified before the Division
18 and were your credentials accepted and made a matter of
19 record at that time?

20 A. I have, and they were.

21 Q. Are you familiar with the application that Williams
22 has filed in this matter?

23 A. I am.

24 Q. Have you made a study, an engineering study of the
25 subject lands and are you familiar with the status of the

1 lands in the area?

2 A. Yes, I am.

3 MS. MUNDS-DRY: We tender Mr. McQueen as an expert
4 in petroleum engineering.

5 EXAMINER BROOKS: So qualified -- well, Mr. Bruce,
6 do you have any objections?

7 MR. BRUCE: No.

8 EXAMINER BROOKS: So qualified.

9 UNIDENTIFIED SPEAKER: Would you like me to pull up
10 the projector?

11 MS. MUNDS-DRY: It doesn't bother me if he wants to
12 try it while we proceed. It's up to you, Mr. Brooks, if it
13 distracts you -- or do you want to take a break?

14 EXAMINER BROOKS: Let's take a break and let him do
15 that. We'll just sit here and -- unless he takes a long
16 time.

17 UNIDENTIFIED SPEAKER: It shouldn't take very long.

18 (Recess taken.)

19 EXAMINER BROOKS: Let's proceed with this one, then.

20 MS. MUNDS-DRY: Okay. There we go.

21 Q. (By Ms. Munds-Dry) Okay. Mr. McQueen, I was about
22 to ask you to summarize for the Examiners what Williams seeks
23 with this application.

24 A. Williams is seeking primarily three considerations
25 in this case. First of all, we are asking for the

1 designation of a project area to include all of the initial
2 Mancos participating area within Rosa Unit. We are asking
3 that the project area include both vertical and horizontal
4 existing wells and future wells, and we are requesting that
5 the future amendments to this project area be handled
6 administratively.

7 Q. And, Mr. McQueen, if you could turn to what's been
8 marked as Williams Exhibit Number 1, which we have on the
9 hard copy, and if you could identify and review this exhibit
10 for the Examiners, please.

11 A. Earlier this year we submitted to the BLM an
12 application for a participating area in the Mancos Producing
13 Interval, and we submitted this application based on
14 geological inference rather than proration unit -- by
15 proration unit. And the initial expansion area was approved
16 by the BLM on May 19 of this year and basically includes all
17 of this brown area in the Rosa. The total PA expansion area
18 is 24,118.76 acres. The project area that we are asking for
19 is slightly less than that, 23,948.75 acres. The difference
20 in those two numbers is 170.01 acres, and that is due to some
21 parties -- and you can see them right here in the white,
22 Section 33, 34, and 32 North, 6 West, and in Sections 3, 4 --
23 excuse me -- 2, 3 and 4. There are some parties that never
24 dedicated their acreage to the units, so the project area
25 that we are asking for today excludes that 170.01 acres and

1 is 23,948.75 acres in size.

2 Q. I believe, Mr. McQueen, you can see it on the hard
3 copy better. There is a very slight white strip in Section 2
4 that you can see a little easier?

5 A. Correct.

6 Q. And when was the participating area approved by the
7 BLM?

8 A. The participating area was approved May 19, 2011.

9 Q. If you could turn to what's been marked as Williams
10 Exhibit Number 2, and this should be our next slide, and
11 review what this shows the Examiners.

12 A. We are asking for a project area that covers 43
13 contiguous sections in West Rosa. That's 79 contiguous
14 proration units in West Rosa less the uncommitted acreage,
15 and we have outlined those sections in the respective
16 townships on this slide.

17 Q. And if you could refer to our next slide, which has
18 also been marked as Williams Exhibit Number 3, and explain
19 for the Examiners how Williams proposes to treat the
20 uncommitted acreage in the unit and within the proposed
21 project area.

22 A. For those parties that have not committed their
23 acreage to the unit, we would utilize a 660 foot setback from
24 the perimeter of the uncommitted acreage, and that will apply
25 until and unless there is an agreement with the uncommitted

1 interest owners.

2 Q. Turn next to -- actually, before we do that, let's
3 discuss for a minute -- and then we have an exhibit which is
4 Exhibit Number 11, I believe, McElvain had originally
5 expressed some concern with this application, and I believe
6 the Division has received a letter from McElvain withdrawing
7 their objection, but if you could look at what's been marked
8 as McElvain Exhibit Number 11, Mr. McQueen, which should be
9 the last document in your package there.

10 A. Yes.

11 Q. What is this document?

12 A. This is basically a letter agreement between
13 Williams and McElvain outlining the fact that McElvain has
14 withdrawn their protest to this.

15 Q. And has Williams -- and has Williams and McElvain
16 reached an agreement as to how to allocate costs within that
17 uncommitted acreage?

18 A. Yes. We have proposed a cost allocation procedure
19 to McElvain. The same procedure will be proposed to all
20 parties that are in the uncommitted acreage. And basically
21 the proposal that we have made is that the cost allocation
22 will be divided among the parties based on how much the
23 horizontal lateral is in the uncommitted acreage compared to
24 what the entire length of the horizontal lateral is. And the
25 horizontal lateral length for this computation is defined by

1 the terminus or toe of the lateral out to the heel -- to
2 either the first perforation or the first port that's used
3 for stimulation.

4 Q. And is the idea there then would be in the
5 uncommitted acreage to ensure all parties are paying their
6 share of costs and receiving their share of production?

7 A. That's correct.

8 Q. Before we turn to our next exhibit, what are the
9 rules, to refresh the Examiners, that govern the development
10 of the Basin Mancos Pool?

11 A. The rules that govern the Basin Mancos Pool are 320
12 acre spacing. The wells drill no closer than 660 feet per
13 spacing unit, and well density is four wells per spacing
14 unit.

15 Q. Thank you. If you please turn to what's been marked
16 as Williams Exhibit Number 4, and it should be our next
17 slide, and explain the history of Mancos Development that
18 Williams has undertaken in the Rosa.

19 A. We have been to the Commission a number of times in
20 order to gain considerations toward the development of the
21 Mancos Pool. And, very quickly, the first one of these is
22 the Gallup was produced from several wells within Rosa, and
23 there were a number of small Gallup pools that had been set
24 up with within the confines of Rosa. The Gallup is a more or
25 less undefined interval in the larger Mancos interval, and

1 our interest was in the entire Mancos interval, not in the
2 Gallup pool. So with Order R-13063, we abolished all of the
3 existing Gallup Pools within the confines of the Rosa Unit
4 and established the Rosa-Mancos Pool.

5 The second thing we did was ask for exceptions to
6 the horizontal rules with Order 13204. Basically this
7 related to how the penetration point was defined in
8 horizontal wells. Because the Mancos is a very thick
9 formation, 1800 feet thick, in fact, we needed a penetration
10 point defined where we entered the formation rather than
11 having the penetration point defined at the top of the
12 formation, because our primary interest in the Mancos
13 Reservoir is in the lower section of the Mancos rather than
14 at the top.

15 The next case that was approved by the Commission
16 was regarding NSL locations, pre-approval for NSL locations.
17 The next hurdle we had to cross was related to determination
18 of commercial wells in our Mancos area. In order to bring
19 acreage into a participating area or initially establish a
20 participating area, the BLM has economic criteria,
21 commerciality determinations, if you will, that must be met.

22 Our operating agreement in Rosa is probably the
23 oldest one in the San Juan. It's 1948 vintage. It has
24 different considerations than some of the later named or --
25 excuse me -- numbered units that are in San Juan, and there

1 was some amount of discussion that was required with the BLM
2 and State Land Office as to how capital should be apportioned
3 for the purpose of determining commerciality.

4 In a number of our wells we had had three zones
5 producing, the Mesa Verde, the Mancos, and Dakota, and our
6 position was -- and we believe was supported by our operating
7 agreement, and eventually was also supported by BLM and
8 SLO -- was that the appropriate way to do commerciality
9 determination was Copas cost allocation of the respective
10 costs to the individual zones in the well.

11 So once we cleared that hurdle, we had consensus
12 with the BLM NSL on how to conduct our commerciality
13 determinations. The wells, of course, have to be deemed
14 commercial before they can be brought into the PA. Once we
15 cleared that hurdle, we submitted our PA expansion to the
16 BLM. And we took a different approach on this expansion
17 because we had drilled 49 wells across the proposed project
18 area. We asked that this entire area be brought into a
19 participating area by geologic inference rather than
20 proration unit -- by proration unit.

21 And to support geologic inference, we had to
22 demonstrate geologic continuity across the project area,
23 geophysical or seismic continuity across the project area,
24 and production continuity across the project area. And we
25 met all of those criteria sufficient to satisfy BLM, and they

1 subsequently approved the initial Mancos PA expansion on May
2 19, 2011.

3 We expect the two hearings that we have before you
4 today, this one and a request for increased density in the
5 Mancos will conclude our commission work related to moving
6 ahead with the Mancos development on a horizontal basis.

7 As you saw in the map earlier, there is a majority
8 of the unit is not in the participating area. That area is
9 primarily on the US Forest Service, and the reason that we
10 did not bring that area into the initial participating area
11 is that our data-gathering efforts there are approximately a
12 year to 18 months behind our data gathering areas over in the
13 west. We started in the west. That's where we have
14 concentrated our efforts and now we are looking to the east.

15 We have an application in front of the Forest
16 Service for a 3-D seismic shoot. We expect to get final
17 approval on that this fall. We will begin the seismic shoot
18 next spring. We have pretty much conducted or concluded our
19 study of geology on that side, and we are currently
20 completing the four science wells that we drilled vertically
21 in 31 North, 4 West. If all of this data is supportive of
22 further Mancos development, then we would proceed with
23 submitting a second geologic expansion area for part or all
24 of the area that's shown in green on the map.

25 Q. Thank you, Mr. McQueen. Let's review, before we go

1 to Exhibit Number 5, in particular, the definition of project
2 area within the horizontal well rule. What is that
3 definition in 19.15.16?

4 A. Simply stated, a project area is the area that an
5 operator designates on a Form C-102. The spacing unit's
6 outer boundaries enclose a combination of complete and
7 contiguous spacing units.

8 Q. So Williams is seeking to make one large project
9 area with a large combination of complete contiguous spacing
10 units to coincide with this participating area?

11 A. That's correct.

12 Q. If you could refer to our next slide, which is
13 marked as Williams Exhibit Number 5, and explain to the
14 Examiners why Williams wants to form a project area for the
15 entire Mancos participating area.

16 A. There are several reasons we are interested in
17 forming this project area. First of all, the project area
18 removes the arbitrary boundaries that are imposed by the
19 spacing units. We drilled two horizontal Mancos wells in
20 2010, and because of the rules that were in place at the
21 time, we were forced to keep the productive portion of that
22 lateral within the spacing unit.

23 So 5,240 feet was the maximum length that we could
24 obtain in that lateral based on the spacing rules with a
25 project area that will allow us to drill longer-length

1 laterals and thereby optimize the length of laterals that are
2 required to strike the gas.

3 The second thing the project area does for us is it
4 optimizes our surface locations. As I'm sure you're aware,
5 in Rosa, about 91 percent of the acreage is under federal
6 control, either BLM or US Forest Service, and they are
7 putting a very high emphasis on mitigation of surface
8 disturbances. In fact, where possible, they are encouraging
9 us to utilize existing surface disturbances for drilling our
10 Mancos horizontals.

11 When we're not forced to lay that lateral within the
12 spacing unit, then we have some latitude of moving the
13 lateral about the axis in the existing surface pad, and so
14 the project area will give us the flexibility of minimizing
15 surface impacts in Rosa.

16 The two additional things the project area does for
17 us is it eliminates the NSL filings and it eliminates
18 simultaneous filings.

19 Q. Let's turn to Williams Exhibit Number 6. Identify
20 and review this document for the Examiners.

21 A. As I indicated earlier, we have drilled and
22 completed 49 vertical wells in the west -- western portion of
23 Rosa. These wells were drilled -- the vertical wells were
24 drilled in 2007 through 2009. In addition to the 49
25 verticals, we also drilled the two horizontal wells that are

1 located right here in Section 23 in 2010.

2 This line right here is the boundary between BLM
3 jurisdiction and the Forest jurisdiction, and you can see
4 most of the wells have been drilled on the BLM side of the
5 unit. We do have six additional wells that we drilled on the
6 Forest Service. As I mentioned earlier, we have ongoing data
7 gathering efforts in East Rosa to determine the Mancos
8 viability over here. And in 2010 we drilled four vertical
9 science wells in 31 North, 4 West.

10 For the express purpose of making that determination
11 we have collected additional core from these wells, as well
12 as extensive logging, and those wells are currently being
13 completed in respective Mancos zones, and we expect to have
14 all four of these wells completed before the forest closure
15 on November 1.

16 Q. Thank you, Mr. McQueen. I would like you now to
17 discuss Williams' plans to develop the Mancos. If you could
18 turn to Williams Exhibit Number 7.

19 A. We affectionately call this map our Fruit Loop Map
20 at Williams. The colors are definitive. Basically what we
21 have done here is identified what will be the required
22 surface locations for a horizontal Mancos development program
23 in Rosa. And we -- we believe that that will require
24 approximately 93 different surface pads located across Rosa.
25 And the configuration for these pads is that they are located

1 on the North-South Axis approximately one mile -- excuse
2 me -- one half mile apart. And on the East-West Axis, they
3 are located approximately two miles apart.

4 So what this allows us to do from the horizontal
5 development standpoint is we can drill a mile lateral in this
6 direction and a mile lateral in this direction. So the
7 surface pad, even though some sections have two and some
8 sections have none, the surface pad disturbance averages out
9 to one surface pad per section. The ones shown in red are
10 surface pads that have been surveyed and are in the process
11 of being permitted. The surface pads in yellow are those
12 located on the BLM portion of the Rosa Unit that have not yet
13 been surveyed, and the green pads are those located on the
14 Forest side of the Rosa Unit and have not yet been surveyed.

15 You can see the yellow ones are idealized locations.
16 They lie in a straight line. They haven't been surveyed, so
17 adjacent surface disturbance has not been identified with
18 those. In the red you can see that they do not quite lie in
19 a straight line, and that is because all of these are on
20 existing surface disturbances. With the project area, this
21 is one of the things that we are afforded is the flexibility
22 to move these surface locations a bit and simply lengthen the
23 lateral on one side and shorten the lateral on the other side
24 to make sure we get the full Mancos reservoir access to that.

25 Q. Let's go to Williams Exhibit Number 8 in your next

1 slide.

2 A. This slide shows our proposed lateral development in
3 Middle Mesa. Middle Mesa is defined for us as that portion
4 that is west of the San Juan River or west of the reservoir,
5 and it's approximately 57 hundred acres of our entire unit
6 that's in San Juan County. Our plans are to access four
7 identified intervals within the Mancos Zone. And what I have
8 shown here are half of those laterals that will be required.
9 And you will that they are color coded, and one of those is
10 colored an olive color, and one of those is colored a black
11 color, and they are alternate as we go down through the
12 reservoir.

13 So these refer to the respective zones. The zones
14 that we have identified in the Mancos we have given arbitrary
15 names that correspond with colors. So the olive zone and the
16 black zone are two of the primary zones, in fact, the two
17 primary zones that we developed in most of our vertical wells
18 drilled to date.

19 So the plan is to drill these laterals. The
20 laterals that are in the same reservoir are approximately one
21 quarter of a mile apart, 1320 feet apart. So the distance
22 from this olive lateral to the next olive lateral here is
23 1320 feet. And then between those, which would be 660 feet
24 to the black interval, we would have another lateral sitting
25 in there. And the plan is not to lay these on top of each

1 other, but simply offset them in separate zones as we go, and
2 then through stimulation practices, connect up the reservoirs
3 between those two respective laterals.

4 We also have a plan in place with the BLM in order
5 to further minimize surface disturbance. Our proposal is to
6 construct remote frac sites, and because of the topography
7 that's present in Middle Mesa, we will be required to have
8 two of those remote frac sites. And the reason for that is
9 because of the large amount of water that's used to stimulate
10 the Mancos, we have to have an on-site retention pond that
11 holds that volume of water when we get ready to stimulate.

12 And that area required for the pond is approximately
13 two acres, and so rather than having an additional two-acre
14 disturbance on all eight of these drilling sites, our
15 proposal is to locate one pond here in the south to serve the
16 south six drilling pads, and one pad in the north to service
17 these two drilling pads here.

18 So if you work out the math related to the surface
19 disturbance, we cut in half the amount of surface disturbance
20 required for stimulation. The other thing we plan to do is
21 on both of the stimulation -- remote stipulation pads is
22 where we set up the Halliburton equipment, and the frac will
23 actually be pumped remotely from that site via pipeline to
24 the respective drilling pads, and then after all the laterals
25 in the area are drilled and put on, these remote frac sites

1 are leveled and remediated back to their original conditions.

2 Q. Thank you, Mr. McQueen. Let's turn to what's been
3 marked as Williams Exhibit Number 9, which should also be
4 your next slide. Identify that for the Examiners, please.

5 A. This slide shows basically a continuation of the
6 development scenario that I described in Middle Mesa. And
7 this scenario moves over into the BLM portion of -- east of
8 the lake in Rosa. I will point out that this is one of our
9 existing horizontal laterals right here in 23. The other one
10 is a little harder to see, but it's just south of that that
11 runs through here. But basically this is our plan for all of
12 these interior drilling locations, we would expect to have
13 four laterals extending out into each identifiable Mancos
14 zone.

15 Q. Based on the plan of development that you have
16 reviewed here today, if you could summarize your conclusions
17 for the Examiners as to why your project area would benefit
18 Williams.

19 A. The project area concept gives us the flexibility to
20 overcome the hurdles that are forced upon us with the
21 existing spacing units, and we intentionally expanded the
22 participating area across all of this area so that we would
23 have common interests for all parties, and that way we could
24 assure that correlative rights were being protected.

25 We can also assure ourselves that we are getting the

1 maximum gas recovery by placement of laterals in this fashion
2 where we no longer have to force fit the laterals into the
3 respective spacing units.

4 Q. Is the idea then to get the same benefit you get
5 from a participating area and match that with forming a
6 project area overlaying that participating area?

7 A. That's correct.

8 Q. And, Mr. McQueen, is Williams Exhibit Number 10 our
9 notice packet which includes my affidavit indicating notice
10 of this -- proper notice was given of this hearing, a copy of
11 the letter that was sent to affected interest owners, an
12 affidavit of publication showing notice was provided in the
13 newspaper, and Exhibit A which indicates that the parties
14 that were notified and the application and the green cards
15 that came from -- or went to and came from the parties that
16 were notified?

17 A. That is correct.

18 Q. And who did Williams notify? Did we notify all
19 interest owners in the Mancos participating area?

20 A. We identified all working interest and developing
21 interest owners.

22 Q. Did we notify offset operators?

23 A. All offset operators were notified, yes.

24 Q. Did we notify the State Land Office and the BLM?

25 A. That's correct, we did.

1 Q. Has Williams met with the BLM and the Forest Service
2 regarding this application?

3 A. We have. We met with the BLM on June 14, and
4 reviewed this application with them. They had no objections.
5 The Forest Service has been a little more difficult to
6 coordinate with this summer due to their fire-fighting
7 activities out west, but I did speak with the Jicarilla
8 ranger district ranger on June 28 by telephone and briefed
9 him of the application, and he had no issues with the
10 application.

11 Q. And have you or anyone met with the OCD Aztec office
12 regarding this application?

13 A. Yes. We also met with representatives of the OCD
14 Aztec office on June 14.

15 Q. And has Williams received any objection to this
16 application?

17 A. We initially received an objection from McElvain,
18 but these issues have since been resolved and we submitted
19 their letter withdrawing their protest. That's Exhibit 11.

20 Q. Mr. McQueen, will the approval of this application
21 be in the best interest of conservation, the prevention of
22 waste, and protection of correlative rights?

23 A. Absolutely.

24 Q. And were Exhibits 1 through 11 either prepared by
25 you or compiled under your direct supervision?

1 A. They were.

2 MS. MUNDS-DRY: Mr. Examiner, we move to admit
3 Exhibits 1 through 11 into evidence.

4 EXAMINER BROOKS: Any objection, Mr. Bruce?

5 MR. BRUCE: No objection.

6 EXAMINER BROOKS: Exhibits 1 through 11 are
7 admitted.

8 (Exhibits 1 through 11 admitted.)

9 MS. MUNDS-DRY: And that concludes my direct
10 examination of this witness. I pass the witness.

11 EXAMINER BROOKS: Mr. Bruce?

12 CROSS-EXAMINATION

13 BY MR. BRUCE:

14 Q. Just a couple of questions. Looking at the last
15 slide, Mr. McQueen, are you anticipating, for the most part,
16 laterals be a mile long?

17 A. That's our -- we believe that's an optimal design
18 parameter.

19 Q. Okay.

20 A. Because of the surface constraints that I described,
21 we expect a variance between 4 to 6,000 feet in lateral
22 length, but we think that the mile lateral or slightly longer
23 is optimal for our operations.

24 Q. Okay. Okay. At this point you don't have any plans
25 for, say, two-mile laterals?

1 A. No. No, sir. Our North Dakota operations are
2 drilling some of those long lateral wells, and there is --
3 there is really a number of operational issues associated
4 when you get longer than about 7,000 feet. And we believe,
5 based on what we are observing in our area, that that's going
6 to be our maximum target length.

7 Q. Now when you talk about the setback, it gives -- and
8 this is on your Exhibit 1, which was simply your introductory
9 exhibit, are you seeking, when you say 660-foot setbacks, are
10 you seeking 660-foot setbacks from the outer boundary of this
11 PA, or would it be less than that?

12 A. Yes. In fact, if you look at this map you will see
13 that there is a red border around the perimeter of the map.
14 That is the 660-foot setback that we will observe.

15 Q. Okay. And as you know, I'm representing San Juan
16 which is one of the uncommitted parties here. There are
17 several in the acreage that you pointed out on your Exhibit 1
18 map. The plan is to drill across these uncommitted tracts,
19 also, is it not?

20 A. It is.

21 Q. And a lot of those tracts are already subject to
22 communitization agreements committing their interest at least
23 to the communitized area.

24 A. That's correct.

25 MR. BRUCE: That's all I have, Mr. Examiner. I

1 might have a short comment at the end.

2 EXAMINER BROOKS: Okay. This participating area
3 will work just like participating areas generally do, that
4 is, you will -- the setbacks will be required from the
5 exterior boundaries of the participating --

6 THE WITNESS: That's correct.

7 EXAMINER BROOKS: -- of the project area which will
8 be the exterior boundaries of the participating. And for the
9 uncommitted tracts, are those tracts fully uncommitted, or
10 are they partially uncommitted, or what's the status of those
11 tracts?

12 THE WITNESS: The area that I showed on white on I
13 believe it's Exhibit 2 are fully uncommitted.

14 EXAMINER BROOKS: Okay. And those are the only
15 uncommitted tracts within this designated area that's
16 outlined in red? Looking at Exhibit 2.

17 THE WITNESS: They are the only uncommitted acreage
18 in the project area. There are some additional partially
19 committed acreage in East Rosa, the area that's shown in the
20 green here, but we have not addressed those in this hearing
21 since they are outside of the proposed project area.

22 EXAMINER BROOKS: So the proposed project area is
23 only --

24 THE WITNESS: The brown.

25 EXAMINER BROOKS: Okay, the brown area?

1 THE WITNESS: Yes, sir.

2 EXAMINER BROOKS: And it's not -- it's not divided
3 by that BLM Forest Service --

4 THE WITNESS: No, sir.

5 EXAMINER BROOKS: -- boundary. It's the area in
6 brown on Exhibit 2?

7 THE WITNESS: Yes. And that basically corresponds
8 to, if you look at where we've drilled our 49 initial wells,
9 it basically corresponds to that area.

10 EXAMINER BROOKS: Now, you do -- are all these wells
11 that you are doing, are they all going to be cased to
12 completions.

13 THE WITNESS: Yes.

14 EXAMINER BROOKS: So you want to use the uppermost
15 perforation as the definition for your producing unit?

16 THE WITNESS: Yes, sir. The one closest to the
17 heel.

18 EXAMINER BROOKS: Right. Okay. I think that's all
19 my questions. Mr. Jones?

20 EXAMINER JONES: Are you the brain child behind all
21 of this? Did you come up with all this?

22 THE WITNESS: No. It's been a collaborative
23 effort.

24 EXAMINER JONES: You were probably the brain child.

25 MS. MUNDS-DRY: He is very modest.

1 EXAMINER JONES: Yeah. Did it evolve from what's
2 being done in other places, or just you looked at what you
3 had here and decided how best to --

4 THE WITNESS: We are actually looking at it from, in
5 the New Mexico context of the rules that we have available
6 here and what rules needed to be changed to optimize the
7 development of the reservoir. We -- we actually feel like
8 that we may be plowing the ground here in New Mexico as far
9 as approaches to large project areas and development of large
10 unit areas for horizontal scenarios.

11 EXAMINER JONES: Before I forget, you've got the --
12 you are going to have to ramp up your compression and loop
13 some of your lines or anything to get some of the --

14 THE WITNESS: Yes. Yes, sir. We have an active
15 design program going on right now, and we expect to be both
16 adding compression and looping a number of lines in the --
17 effectively replacing lines. Many of our lines are 4- and
18 6-inch gathering lines today, and with the two horizontals
19 that we drilled last summer, we had to put in some 20-inch
20 line in place, so we are expecting to basically rebuild the
21 gas gathering infrastructure that's in Rosa to handle the gas
22 that's going to be produced.

23 EXAMINER JONES: Do you have an idea about the
24 initial pressure in the reservoir right now?

25 THE WITNESS: Yes.

1 EXAMINER JONES: Do you want to tell us, or do you
2 not want to tell us that?

3 THE WITNESS: We -- we are seeing geopressure
4 gradiance in the Mancos that is above normal gradiance, so
5 that's helpful to us in that it's a little more gas there
6 than what we would see, for example, in the Mesa Verde that's
7 a subnormal pressure gradient reservoir. But as you -- we
8 have measured the pressure gradiance as we moved out of the
9 Mesa Verde and moved into the Mancos. And as you get into
10 the lower Mesa Verde, you start seeing a very distinct
11 increase in PSI for --

12 EXAMINER JONES: Is that because it's the source
13 rock, also? Probably?

14 THE WITNESS: It's related to, I think, the
15 depositional considerations that took place in -- in the
16 shales when it was deposited.

17 EXAMINER JONES: Okay. Your economics must predict
18 an abandonment pressure in the future. Do you have an idea
19 of what you are going to finally draw this down to some day?

20 THE WITNESS: Well, our -- our line pressure in Rosa
21 today run in the realm of 80 to 100 PSI, so that would be our
22 plan is to draw them down to that point. There may be even
23 in some cases -- in our Fruitland wells, for example, there
24 are advantages to adding wellhead compression to continue to
25 draw down the wells, and then bumps that into the pipeline,

1 so that may be a scenario here that we need to consider as
2 well as when we get later in the development life of the
3 field.

4 EXAMINER JONES: Is that -- would that -- do you
5 think you are going to see any water coming in or other --
6 so, in other words, you can just keep on pulling it down,
7 adding stages of compression, and you get just like -- kind
8 of like the Fruitland, you just keep getting more, maybe not
9 quite as good as the coal, but the shales are --

10 THE WITNESS: The shales are very strange with
11 regard to water production. And the first two horizontals
12 that we drilled, we pumped in excess of 20 acre feet in each
13 one of those wells. And, to date, we have seen less than 30
14 percent of load back, and both of those horizontals are
15 producing relatively small amounts of water. So the shale
16 appears that it has an affinity for the water, and so we
17 don't -- we don't expect to see any increased water
18 production rates when we draw the reservoir down.

19 EXAMINER JONES: Okay. Do you -- are these three --
20 is it three zones, or did you give them color names, and are
21 they sands within the shales, or are they just shales that
22 show up better on your mud logs?

23 THE WITNESS: They are shales. And I'm going to
24 discuss in the next hearing the specifics of how we
25 identified the colors. We actually call those clusters, how

1 we identify those and what makes them productive, but the
2 most productive areas of the Mancos is where we see fecal
3 pellets from organisms that existed in that time.

4 EXAMINER JONES: That's quite detailed.

5 THE WITNESS: High TOC and --

6 EXAMINER JONES: When you started out today talking,
7 you listed three things that -- that you wanted to do. I got
8 the first -- Number 1 and Number 3, but I didn't write down
9 Number 2. The first one I wrote down was project area
10 including all pools in the Mancos PA, and then you listed the
11 second one. Do you remember what you said? The third one
12 was future amendments administratively. Just to bound them.
13 And really I was kind of wanting to ask you about this, what
14 kind of amendments you were looking at in the future.

15 THE WITNESS: The second item, Mr. Jones, was to
16 include all of the existing vertical and horizontal wells in
17 this project area, as well as all future wells that would be
18 drilled.

19 EXAMINER JONES: That means to approve the project
20 area as the wells are now, and with these four wells per
21 section that are going to be each one of them in different
22 zones -- okay. And the future expansion, would that include
23 after you do your 3-D seismic and moving east?

24 THE WITNESS: Yes. If -- if the results are
25 warranted and if commerciality determinations can be

1 obtained, then our plans are to bring additional lands as are
2 warranted into the participating area. And of course that
3 would be the first PA expansion. BLM has, at least in my
4 opinion, an odd way of numbering their expansions. The first
5 expansion is really called the initial expansion. The second
6 expansion which would encompass our East Rosa acreage, they
7 call the first expansion after the initial expansion.

8 EXAMINER JONES: Okay. But definitely you hope to
9 work your way all the way across?

10 THE WITNESS: Yes.

11 EXAMINER JONES: So there is going to be one pad per
12 section. Is that kind of the average?

13 THE WITNESS: That's the average.

14 EXAMINER JONES: Average?

15 THE WITNESS: Yes.

16 EXAMINER JONES: And each one of the those pads will
17 have four laterals?

18 THE WITNESS: Actually, part of this depends on our
19 next hearing with regard to spacing.

20 EXAMINER JONES: Okay.

21 THE WITNESS: We plan to drill laterals both
22 directions which would be both west and both east from that
23 central pad. And we need two laterals per spacing unit per
24 zone, so that means we need eight laterals for the four
25 identified Mancos Zones that we are pursuing. And so, again,

1 this gets into our next hearing, but we basically have half
2 the number that we need right now to fully exploit the
3 Mancos.

4 EXAMINER JONES: Basically this hearing is just to
5 create the project area?

6 THE WITNESS: Yes. But, in fact, goes hand in hand
7 with the next hearing.

8 EXAMINER JONES: With the other one?

9 THE WITNESS: Uh-huh.

10 EXAMINER JONES: But in order to prove up the
11 acreage to the east, you are drilling, and at the same time
12 you drill you are coring, logging, and then 3-D seismic to
13 tie into that. Can you see these zones with a 3-D seismic?

14 THE WITNESS: We can.

15 EXAMINER JONES: You can see those -- at least you
16 can see inside the Mancos, or can you see --

17 THE WITNESS: Yes. Our geophysicists have actually
18 been able to correlate the tops of these individual benches
19 that I will describe in the next hearing all the way across
20 Rosa with this 3-D seismic. And that's part of our
21 motivation for collecting the 3-D seismic on East Rosa, so
22 that we can continue to see where those tops are as they move
23 across the east.

24 The other thing the seismic does for us is it allows
25 us to avoid any obstacles that might be in the subsurface.

1 And, as you know, out in East Rosa there are some volcanic
2 sills that are observable on the surface, and we want to make
3 sure we understand where those are in the subsurface so we
4 can avoid them if necessary.

5 EXAMINER JONES: But creation of this project area
6 is necessary for your -- basically for your correlative
7 rights after the limitations of the surface disturbances. Is
8 that correct?

9 THE WITNESS: We believe the correlative rights are
10 protected through the formation of the participating area.

11 EXAMINER JONES: Okay.

12 THE WITNESS: So before we had this large PA.
13 approved, we could have formed a project area to allow us to
14 cross-sectionalize, but the working interest owners in each
15 of those proration units were different or are different, and
16 so to negotiate a project area among parties where you may
17 have a lateral fully within one spacing unit and then only 40
18 acres into the next spacing unit becomes very problematic.

19 So our solution was, rather than attempt to
20 negotiate a project area for every lateral that we are going
21 to drill in Rosa, is to first have a common interest so that
22 when we drill across a spacing unit, the parties across in
23 the next spacing unit have the identical interest as they do
24 in the initial spacing unit. And so that's why we have
25 waited until this point in time to ask for project area until

1 we have an approval of the BLM that gave us a constant
2 interest across this entire area.

3 EXAMINER JONES: Okay. Thank you very much.

4 EXAMINER BROOKS: Okay. That's all I have. Is
5 there any follow-up?

6 MS. MUNDS-DRY: I have nothing further for Mr.
7 McQueen.

8 EXAMINER BROOKS: The witness may stand down.
9 Mr. Bruce?

10 MR. BRUCE: I just had one thing.

11 EXAMINER BROOKS: From this witness?

12 MR. BRUCE: No.

13 EXAMINER BROOKS: The witness may stand down. And
14 you may continue.

15 MR. BRUCE: Mr. McQueen had answered my question --
16 I asked the question, does Williams intend to drill across
17 the uncommitted areas, and the reason is this: If we were
18 just looking at a normal drilling of a horizontal well,
19 people would share in production on an acreage basis.

20 EXAMINER BROOKS: Right. They would if they were
21 force pooled.

22 MR. BRUCE: If they were force pooled.

23 EXAMINER BROOKS: If they were voluntarily pooled
24 they would share on the basis of the agreement in which they
25 agree.

1 MR. BRUCE: And, of course, there is no -- you know,
2 with the uncommitted acreage there is no basis, and, you
3 know, as long as Williams is willing to drill across the
4 uncommitted acreage, as Mr. McQueen said, I don't think there
5 is any issue with that. It's just that the people in the
6 non-committed -- my client does not want to be short-changed
7 if they stop the wellbore short and just don't cross the
8 acreage, is my understanding.

9 EXAMINER BROOKS: I can understand that, and I think
10 that's going to be a subject of -- that is going to be the
11 subject of considerable discussion, compulsory pooling -- and
12 are the task force of the horizontal wells. But as far as
13 this case, what is your position at this point?

14 MR. BRUCE: As long as Williams is committed to
15 drilling the participating -- the non-participating acreage
16 as it is planning on drilling the other acreage, it's
17 probably not an issue. In normal instances I think San Juan
18 would rather see that if a wellbore pierced into the
19 non-committed acreage, all of that non-committed acreage is
20 in the well unit. You see what I'm getting at? As long as
21 Williams -- and I have no qualms about Williams' good
22 faith -- as long as they are willing to include the
23 non-participating acreage to the same extent it's drilling
24 across the participating acreage, that shouldn't be an issue.

25 THE WITNESS: If I might comment, Mr. Bruce. It's

1 actually advantageous to Williams to drill across that
2 acreage from a standpoint of optimizing laterals because it's
3 very likely there is additional reservoirs that could be
4 contacted outside the uncommitted acreage that might be lost
5 if we were forced, for example, to drill a lateral just in
6 the uncommitted acreage area.

7 So we are very committed to drilling those laterals.
8 It just makes sense from economies of scale and optimization
9 of the lateral length that we allow the laterals to go all
10 the way across the uncommitted --

11 MR. BRUCE: Maximization of laterals.

12 THE WITNESS: Exactly.

13 EXAMINER BROOKS: So you're not urging the Division
14 to put any particular provisions on this subject in the
15 proposed order?

16 MR. BRUCE: I can't see -- based on what Mr. McQueen
17 has testified about, I can't see any.

18 EXAMINER BROOKS: Very good.

19 THE WITNESS: And we are working with the
20 uncommitted owners at this time to reach papered agreements
21 regarding the particulars of drilling the uncommitted
22 acreage.

23 MS. MUNDS-DRY: We have already made one commitment
24 to McElvain and are continuing our discussions with San Juan
25 to try to reach a similar agreement, so we are endeavoring to

1 get everybody in agreement.

2 EXAMINER BROOKS: Well, as I observed at the
3 beginning of this hearing, McElvain has notified the Division
4 that they are withdrawing the objection. Anything further?

5 (No response.)

6 EXAMINER BROOKS: Very good. Case Number 14667 will
7 be taken under advisement. We will take a five-minute
8 break.

9 * * * * *

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 14667
heard by me on July 7, 2011.
David K. Burton, Examiner
Oil Conservation Division

REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, IRENE DELGADO, New Mexico CCR 253, DO HEREBY CERTIFY THAT ON July 7, 2011, proceedings in the above-captioned case were taken before me and that I did report in stenographic shorthand the proceedings set forth herein, and the foregoing pages are a true and correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by nor related to nor contracted with any of the parties or attorneys in this case and that I have no interest whatsoever in the final disposition of this case in any court.

WITNESS MY HAND this _____ day of JULY 2010.


Irene Delgado, CCR 253
Expires: 12-31-2011