

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION COMMISSION FOR  
THE PURPOSE OF CONSIDERING:

ORIGINAL

APPLICATION OF C&D MANAGEMENT COMPANY Case No. 14055  
TO REOPEN CASE NO. 14055, EDDY COUNTY,  
NEW MEXICO

MOTION OF TARGA MIDSTREAM SERVICES, LLC, Case No. 14575  
TO REOPEN CASE TO OFFER PROOF OF  
COMPLETION AND RESULTS OF PRESSURE TESTING

OIL CONSERVATION DIVISION'S APPLICATION Case No. 14744  
FOR REHEARING OF RULE AMENDMENT 19.15.14.8

REPORTER'S TRANSCRIPT OF PROCEEDINGS-  
COMMISSIONER HEARING

RECEIVED OOD  
2012 MAR -7 P 1:25

BEFORE: JAMI BAILEY, Chairman  
ROBERT BALCH, Commissioner  
SCOTT DAWSON, Commissioner

February 23, 2012  
Santa Fe, New Mexico

This matter came on for hearing before the New  
Mexico Oil Conservation Commission, JAMI BAILEY,  
Chairman, on Thursday, February 23, 2012, at the New  
Mexico Energy, Minerals and Natural Resources Department,  
1220 South St. Francis Drive, Room 102, Santa Fe, New  
Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91  
Paul Baca Professional Court Reporters  
500 Fourth Street, N.W., Suite 105

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE OIL CONSERVATION COMMISSION:

Bill Brancard, Esq.  
General Counsel  
1220 S. St. Francis Drive  
Santa Fe, New Mexico 87504

FOR C&D MANAGEMENT COMPANY:

James Bruce, Esq.  
P.O. Box 1056  
Santa Fe, New Mexico 87504

FOR THE OIL CONSERVATION DIVISION:

Sonny Swazo, Esq.  
1220 S. St. Francis Drive  
Santa Fe, New Mexico 87504

Gabrielle A. Gerholt, Esq.  
1220 S. St. Francis Drive  
Santa Fe, New Mexico 87504

FOR TARGA MIDSTREAM SERVICES, LLC:

William C. Scott, Esq.  
Modrall, Sperling, Roehl, Harris & Sisk, P.A.  
P.O. Box 2168  
Albuquerque, New Mexico 87103-2168

FOR THE NEW MEXICO OIL & GAS ASSOCIATION:

Michael Feldewert, Esq.  
Holland & Hart  
110 North Guadalupe, Suite 1  
Santa Fe, New Mexico 87501

ALSO PRESENT:

Florene Davidson



1                   CHAIRMAN BAILEY: This is a meeting of the  
2 Oil Conservation Commission on Thursday, February 23rd,  
3 in Porter Hall in Santa Fe, New Mexico.

4                   To my right is Commissioner Scott Dawson,  
5 designee of the Commissioner of Public Lands. To my left  
6 is Bob Balch, Dr. Robert Balch, designee of the Secretary  
7 of Energy, Minerals and Natural Resources. I am Jami  
8 Bailey, Director of the Oil Conservation Division.

9                   We will be first hearing the minutes and then  
10 call the C&D case. We'll go into executive session and  
11 deliberate that case, come back out of executive session  
12 and announce our findings. And we ask for all attorneys  
13 to provide draft orders for Commission Counsel, who is  
14 Bill Brancard today.

15                  Then we will hear the Targa case and go into  
16 executive session to deliberate that case, and then come  
17 back out and discuss the Oil Conservation Division's  
18 application for re-hearing of a rule amendment. So  
19 that's our agenda for today if you want to gauge your  
20 participation accordingly.

21                  Have the Commissioners had a chance to read  
22 the minutes of the previous hearing?

23                               COMMISSIONER DAWSON: I have.

24                               COMMISSIONER BALCH: I have.

25                               CHAIRMAN BAILEY: Do I hear a motion to

1 adopt the minutes of the hearing?

2 COMMISSIONER BALCH: I'll make a motion.

3 COMMISSIONER DAWSON: I'll second.

4 MR. BRANCARD: Madam Chair, if I may make  
5 a proposed change? On the first paragraph it reads, "The  
6 meeting was called to order of the minutes of the  
7 December 8th" -- that should be 2011, not 2012 meeting.

8 CHAIRMAN BAILEY: I'm glad you caught  
9 that. It seems like we're always very aware of it at the  
10 very beginning of the year. With that amendment, do we  
11 get adoption of the rest of the minutes?

12 COMMISSIONER DAWSON: I'll motion.

13 CHAIRMAN BAILEY: All those in favor?

14 I will sign on behalf of the Commission, with  
15 the change to be recorded by the Commission Counsel.

16 I would like to call Case Number 14055,  
17 Application of C&D Management Company to re-open Case  
18 Number 14055, in Eddy County, New Mexico.

19 I understand that the primary witness for C&D  
20 will be attending by telephone?

21 MR. BRUCE: That is correct.

22 CHAIRMAN BAILEY: And that opposing  
23 counsel has no objection?

24 MR. SWAZO: Correct.

25 CHAIRMAN BAILEY: If you'd like to be sure

1 is returned. As I said, the Division will hold off on  
2 plugging during that period of time.

3 MR. BRUCE: What time frame would you like  
4 proposed findings and conclusions?

5 CHAIRMAN BAILEY: Three weeks?

6 MR. BRANCARD: That would be fine.

7 CHAIRMAN BAILEY: Okay.

8 MR. BRANCARD: If you could, there was a  
9 little bit of some questions about which wells are in  
10 which status, if you could outline that in the facts and  
11 put in findings about which wells were plugged and the  
12 costs related to that so we have a dollar amount.

13 MR. BRUCE: Thank you, Commissioners.

14 CHAIRMAN BAILEY: Okay.

15 MR. SWAZO: Thank you.

16 CHAIRMAN BAILEY: Okay. Next we call Case  
17 Number 14575, which is the motion of Targa Midstream  
18 Services, LLC, to reopen case to offer proof of  
19 completion and results of pressure testing.

20 Call for appearances?

21 MR. SCOTT: Madam Chair, William Scott for  
22 Targa

23 MS. GERHOLT: Gabrielle Gerholt on behave  
24 of the Oil Conservation Division.

25 Madam Chair, may we have a few moments to

1 adjust the table so that we have a clear view to the  
2 projector screen?

3 CHAIRMAN BAILEY: Yes. Shall we give you  
4 about 10 minutes?

5 MR. SCOTT: That would be good.

6 (A recess was taken.)

7 CHAIRMAN BAILEY: Let's just go back on  
8 the record. Okay. We've had appearances. How about  
9 opening statements?

10 MR. SCOTT: Thank you, Madam Chair. Very  
11 briefly.

12 Madam Chair, members of the Commission. My  
13 name is William Scott. I represent Targa Midstream  
14 Services, LLC. I have with me today two representatives  
15 from the company, Cal Wrangham and James Lingnau.

16 On December 20, 2010, this Commission entered  
17 Number Order R-12809-C, which authorized Targa to  
18 recomplete the Eunice Saltwater Disposal Well to permit  
19 injection of produced water, processing plant wastewater  
20 and acid gas into the San Andres formation at an open  
21 hole depth from 4,250 to 4,850 feet below the surface.

22 In that order, the Commission directed that  
23 Targa would have to file a motion to reopen this case  
24 within one year in order to come back before the  
25 Commission and present evidence that it has completed the

1 well in accordance with the terms of the order, that it's  
2 operating the well in accordance with the terms of that  
3 order, and to present evidence of pressure testing to  
4 determine the extent of plume propagation and to set a  
5 time limit for injection into this well.

6 On October 27th of last year, Targa timely  
7 submitted its motion to reopen the case and to present  
8 evidence and this hearing was scheduled.

9 At today's hearing, Targa will demonstrate  
10 several points. First, Targa will show that it has  
11 completed the Eunice AGI well in accordance with the  
12 terms of order and is operating the well in accordance  
13 with all the dictates of Order R-12809-C.

14 Second, Targa will demonstrate that in  
15 accordance with the Commission order and under the  
16 direction of the Division's Hobbs District Office, Targa  
17 re-entered the Langlie Mattix Penrose Sand Unit Well  
18 Number 252, drilled out existing plugs to a depth of  
19 4,073 feet and plugged back that well to 3,700 feet.

20 Third, Targa will present the results of a  
21 variety of tests conducted on the well, including  
22 pressure transient testing and will present calculations  
23 showing that the extent of plume propagation will not  
24 reach beyond a half mile in 30 years and that 30 years is  
25 an appropriate time limit for injection into this well.

1           Finally, Targa will demonstrate that it should  
2 be authorized to increase the operating pressure on the  
3 well from the current 1,300 psig to 1,600 psig, and Targa  
4 should be allowed to perforate the casing from 4,210 to  
5 4,250 feet and to inject into that interval. That will  
6 provide an additional 40 feet of good injection reservoir  
7 and will still leave a 250-foot buffer between that and  
8 the bottom of the Grayburg formation.

9           We have as our first witness this morning  
10 Mr. Alberto Gutierrez.

11                   CHAIRMAN BAILEY: Please stand and be  
12 sworn. I prefer to swear in witnesses one at a time.

13                                   (One witness sworn.)

14                                   ALBERTO GUTIERREZ

15           Having been first duly sworn, testified as follows:

16                                   DIRECT EXAMINATION

17 BY MR. SCOTT:

18           Q.     Could you state your full name please, sir?

19           A.     Yes. My name is Alberto Gutierrez.

20           Q.     Could you describe your educational  
21 background, please?

22           A.     Yes. I have a bachelor's degree in  
23 geomorphology and a master's in geology from UNM in 1980.

24           Q.     Okay. And could you describe your work  
25 background for us, please?

1           A.     Yes.  I'm a registered professional geologist,  
2     petroleum geologist and hydrogeologist.  And I have  
3     worked since about 1975 on a variety of environmental and  
4     petroleum geology projects.

5                     I am the president of Geolex, Incorporated,  
6     which is an environmental and geologic and engineering  
7     consulting firm.  And I've been working on this Targa  
8     matter for several years.

9           Q.     And have you testified as an expert witness  
10    before this Commission previously?

11          A.     Yes.

12          Q.     On what kinds of matters?

13          A.     On acid gas injection permit applications, on  
14    various environmental matters related to oil and gas  
15    activities.

16          Q.     Approximately how many acid gas injection well  
17    projects have you worked on altogether?

18          A.     Probably on the order of about a dozen.

19          Q.     Are all of those in New Mexico?

20          A.     No.

21          Q.     Where else have you worked on those projects?

22          A.     I've worked on wells in Texas, in Michigan,  
23    and in Alberta.

24                     MR. SCOTT:  All right.  Madam Chair, I  
25    would move the Commission accept Mr. Gutierrez as an

1 expert geologist and hydrogeologist.

2 CHAIRMAN BAILEY: Any objection?

3 MS. GERHOLT: No objection.

4 CHAIRMAN BAILEY: He's so admitted.

5 Q. (By Mr. Scott) Mr. Gutierrez, could you take  
6 a look at that notebook that I put in front of you. It's  
7 labeled Targa Exhibit 1. Do you recognize that document?

8 A. Yes, sir.

9 Q. What is that?

10 A. This is the end-of-well report for the  
11 recompletion of the Targa Eunice SWD Number 1. This is a  
12 report which, really, the Commission doesn't -- or the  
13 Division doesn't require a specific report like this, but  
14 we make it a practice to put these reports together when  
15 we complete acid gas wells so that all of the information  
16 associated with that particular well through the date  
17 when it was completed is in one handy place for the  
18 Division and for our client.

19 Q. Could you just summarize quickly what is in  
20 that notebook?

21 A. Yes. Basically -- and this one is a little  
22 different in that it has an added section on reservoir  
23 characterization and modeling which was really responsive  
24 to the requirements of the Commission to do some  
25 additional testing and modeling of this particular well.

1 But basically, it has a description of the  
2 design of the well and what was done to originally permit  
3 the well and to design the well. It has a synopsis of  
4 the actual drilling and completion of the well.

5 In this case, it was a drill-out and  
6 recomplete project. It has some basic information on the  
7 local geology and hydrogeology. As I mentioned, this one  
8 in particular has all the reservoir characterization and  
9 modeling that was done for this well.

10 It also has all of the filings that have been  
11 done for the Division through the period of time when  
12 this report was put together and has copies of electronic  
13 copies of all of the logs associated with the well.

14 Q. Now, if you could look at Exhibit 2 that I put  
15 in front of you. Do you recognize that document?

16 A. Yes. This is the PowerPoint presentation  
17 which we will be seeing in today's hearing, less the fact  
18 that there have been a couple of either typographical  
19 corrections or corrections that resulted from the meeting  
20 that we had on Monday with OCD that I've incorporated  
21 into the presentation that you'll actually be seeing. I  
22 don't think it's reflected in this copy, but I have made  
23 available a revised version that will be consistent with  
24 what this is. But there's no substantive revisions.

25 Q. Does that PowerPoint presentation summarize

1 the pertinent information from the notebook which is  
2 identified as Targa Exhibit 1?

3 A. Yes. And it has one additional slide that was  
4 added as a result of the meetings that we had with OCD  
5 and in reviewing the Division's prehearing statement.

6 Q. And then if you could look at what we've  
7 labeled as Exhibits 3A through 3D. Do you recognize  
8 those documents?

9 A. Yes.

10 Q. What are those documents?

11 A. These documents are essentially the history of  
12 injection pressure and annular pressure in the well, as  
13 well as a printout of all of the hourly data since the  
14 well initially began injection from early August or  
15 mid-August, I'm sorry, through about a week ago.

16 Q. And Exhibits 3A, 3B and 3C, those are charts  
17 that you prepared?

18 A. Yes, indeed. These are charts that are  
19 prepared based on the data that are included here.

20 Q. That's the data in 3D?

21 A. Yes.

22 Q. And Mr. Gutierrez, are you familiar with the  
23 Commission's Order R-12809-C?

24 A. Yes.

25 Q. Did you review that in connection with your

1 work on this matter and in connection with preparation of  
2 today's hearing?

3 A. Yes, I did. That order is what laid out the  
4 requirements that the Commission expected of Targa as a  
5 result of recompleting this well. And I used that order  
6 basically as a checklist, to make sure that we got  
7 everything done that had to be done in order to put the  
8 well back into service.

9 Q. So if we could then turn to your PowerPoint  
10 presentation. If you could start taking us through that,  
11 please.

12 A. Sure. The goal of the presentation and the  
13 goal of the reopening of this hearing is to basically  
14 demonstrate to the Commission that Targa has complied  
15 with the requirements of the order in the recompletion of  
16 the Eunice Gas Plant SWD Number 1. Furthermore, that  
17 Targa has conducted the specific testing and analyses  
18 that were required by the Commission and that would  
19 support our three requests which we are making of the  
20 Commission to modify the order.

21 The first request, as Mr. Scott stated  
22 earlier, is to authorize the injection for a lifespan of  
23 at least 30 years for the Eunice Gas Plant SWD Number 1;  
24 second, to establish a new maximum allowable operating  
25 pressure for the anticipated mixture of TAG and water

1 that would be 1,600 psig, and that is supported by the  
2 step-rate test that was witnessed by the Division and was  
3 performed on the well; and then to authorize perforation  
4 of an additional interval, about 40 feet of the upper  
5 portion of the well above the open hole, to provide some  
6 additional thickness of the reservoir and some additional  
7 porosity that could reduce the ultimate size of the plume  
8 after 30 years.

9 Now, currently, I don't think Targa has  
10 specific plans to perforate that zone. But what we are  
11 asking for is the ability to do that should it become  
12 necessary in the future.

13 Okay. So let's go through -- I've got a list  
14 of all of the items that were required by the order, and  
15 I want to go through and point out for the Commission  
16 where all of the information that documents that we have  
17 complied with those requirements.

18 The first is that the well was completed  
19 according to the specific design and specifications that  
20 were required by the order, and that is included in the  
21 various C-103s and C-105s that were submitted during the  
22 workover and completion of the well. Those are located  
23 in Appendix D in this end-of-well report.

24 Q. So we're clear, when you mention the  
25 end-of-well report, that what's been identified --

1 A. That's Exhibit 1.

2 Q. Thank you.

3 A. The second is that the Commission required  
4 that the Division approve the H2S contingency plan that  
5 was submitted by Targa prior to initiating the injection,  
6 and that has been done.

7 Furthermore, there were original C-115 filings  
8 that had been submitted prior to the initial hearing by  
9 Targa that needed some corrections based on the units  
10 that were included. And we have filed proof that those  
11 filings have been corrected, and those are also included  
12 in the end-of-well report, also, subsequent filings for  
13 the reinitiation of injection into the well.

14 I want to make a point that prior to our last  
15 hearing, we had already corrected those C-115 filings so  
16 that -- we're just having additional documentation here.

17 Secondly, the proof that the remedial work on  
18 the Langlie Mattix well, in other words, the taking out  
19 of the lead wool that was in the bottom of that well and  
20 the improper plugging of that well has been completed and  
21 that the well has been replugged to 3,700 feet and now  
22 has no longer a potential to be exposed to the top of the  
23 San Andres formation.

24 Secondly, the open hole logs which were done  
25 of this well and specifically the detailed microimager

1 log that was done of the well as per the requirements of  
2 the order are also included in the end-of-well report.

3 Also, in Number 6, the reservoir tests which  
4 were required traced both a tracer and temperature  
5 injection survey and a pressure transient test as well as  
6 a step-rate test. The results of all those are discussed  
7 in Section 6 of Exhibit 1 and have further reports and  
8 details in the Appendix L.

9 In addition, there were two MITs completed in  
10 the well. The well had an MIT completed shortly after  
11 the recompletion in July. Then when the surface  
12 facilities were brought online and the well initially  
13 started injection in September or end of August, it was  
14 discovered that there was a packer seal leak in the well  
15 and that injection was ceased until that packer seal leak  
16 could be replaced or the packer seals were redressed and  
17 that could be fixed. And that was in September of 2011.  
18 September 21st, as a matter of fact, was the completion  
19 of that. And there was another MIT performed at that  
20 time before the well was brought back online.

21 We also have in Exhibit 3 the readings from  
22 the pressure gauges which are required for measuring the  
23 injection of acid gas and wastewater into the well, and  
24 we will discuss those in this presentation. Also, our  
25 calculation for the time it will take the acid gas plume

1 to reach half a mile from the disposal well, that is  
2 included in Exhibit 1, Section 6.6. It's also going to  
3 be detailed in this presentation.

4 And then a request based on the step-rate test  
5 for the setting of an MAOP. The original order set a  
6 temporary MAOP of 1,300, and this is to set an MAOP based  
7 on the actual anticipated mixture of TAG and water that  
8 will be introduced into the well. And lastly, the  
9 request to perforate this additional 40 feet at the upper  
10 portion of the injection zone.

11 I'm going to go through each one of these.  
12 I'm going to try and do it without going into an  
13 unnecessary level of detail, but I want to make sure that  
14 we cover it in sufficient detail that the Commission is  
15 well aware of what was done to the well and how the order  
16 has been complied with.

17 So I'll just start going through them one by  
18 one. And please, Commissioners may feel free to  
19 interrupt me if there is anything that isn't clear or  
20 that you would like more information on.

21 The well was completed in May of 2011. These  
22 details were submitted in July. There was still some --  
23 and the well was completed as per the requirements of the  
24 order. We put in an additional liner and then completed  
25 the well with a permitted injection interval of about 600

1 feet from 4,250 to 2,850 feet.

2 We replaced the tubing in the well with a  
3 coated tubing that prevents corrosion, given that we are  
4 injecting a combination of acid gas and wastewater into  
5 the well. We put a new subsurface safety valve, which is  
6 our standard design in these wells, to prevent any kind  
7 of backflow. There are meters and gauges to report  
8 injection pressure and volume. Those aren't really  
9 shown. This is just a wellbore diagram. And all those  
10 details are documented in the C-105 which was submitted  
11 in July.

12 At that time, injection had not been restarted  
13 because the surface completion facilities itself were  
14 still being worked on.

15 Q. Before you move off that slide, let me ask,  
16 Mr. Gutierrez, the tubing that you installed, that's  
17 equipped to keep the gas under pressure?

18 A. Yes. The tubing will allow for the injection  
19 of the gas under the MAOP.

20 Q. Okay. And Targa is maintaining within the  
21 tubing casing annulus corrosion-inhibiting fluid?

22 A. That's correct.

23 Q. And the packer was placed within 100 feet  
24 above the casing shoe and open hole interval?

25 A. Yes, sir, it was.

1 Q. Thank you.

2 A. The second requirement simply was that there  
3 would be an H2S contingency plan approved prior to  
4 injection of the well. This was approved in August of  
5 2011, and there's a copy of the email that constituted  
6 that approval.

7 The third item is the C-115s. I already  
8 mentioned those C-115s have been filed on a timely basis.  
9 The old ones were corrected, and they were submitted back  
10 in December to the Division and they are accessible in  
11 the C-115 database.

12 The Langlie Mattix Penrose Sand Unit Number  
13 252 was the well that was required to be plugged. It was  
14 a well that did not belong to Targa, but Targa obtained  
15 permission from the operator to do the remedial work. We  
16 entered the well. We drilled out the plugs, removed the  
17 old lead wool, which wasn't that difficult, fished it  
18 out.

19 And we drilled it out to 4,073 feet, which is  
20 roughly the top of the San Andres and the base of where  
21 that well was originally drilled to. And we plugged it  
22 back using a retainer and squeezed cement and then  
23 verified the plugs and we filed a C-103 with the Division  
24 in June, too, and that was approved back in June as the  
25 final documentation of the plugging of that well. So

1 we're very comfortable that now that well, which was a  
2 potential conduit to the Grayburg, is now no longer one.

3 We then did a pretty extensive logging  
4 program, as we proposed and as required by the order, in  
5 order to support the analysis of the reservoir that we  
6 were required to do. We also took, by the way, sidewall  
7 cores on a number of the zones in the injection zone to  
8 the extent that we could, based on the fact that that was  
9 an old well and that when we re-entered it, in some  
10 cases, the recovery of some of those sidewall cores was  
11 not that great. But we were able to get sufficient cores  
12 to be able to help us in the characterization of the  
13 reservoir. And we have submitted the results and  
14 interpretations of those logs to the Division in the  
15 end-of-well report and to the Commission in Exhibit 1.

16 We also did a step-rate test back in July. We  
17 did -- as required, that test was witnessed by the  
18 Division. We did a pressure transient or fall-off test  
19 also in July, and we performed the tracer and the two  
20 temperature surveys. One was during the actual step-rate  
21 test and another one was following the tracer survey. So  
22 we did an overkill, I think, on the injection testing of  
23 the well, but it gave us some good information. And the  
24 results and those interpretations allowed us to do the  
25 reservoir analysis that is presented in Exhibit 1.

1 Q. A couple of questions there, Mr. Gutierrez.  
2 The step-rate test was performed after completion of the  
3 well but before injection of acid gas; correct?

4 A. Correct. And the step-rate test was performed  
5 using water.

6 Q. And the tracer and temperature surveys were  
7 also done after completion and while injecting water;  
8 correct?

9 A. That's correct.

10 Q. Okay.

11 A. Two MITs were done on the well, an original  
12 MIT back in June. And then after initiation of injection  
13 on August 26th, it was discovered that there was some  
14 communication with the annulus. Targa ceased injecting.  
15 They had the flexibility, fortunately, at the time, still  
16 had an SRU that was operable. So they ceased injecting  
17 acid gas when that was discovered, continued to inject  
18 water, however, until the well was repaired on September  
19 21.

20 What we did find is that it did have a packer  
21 seal leak, and those packer seals were redressed and put  
22 back down. Then a second MIT that was successful was  
23 completed in September of 2011, prior to the restarting  
24 of the well. We'll see the effects of that actually on  
25 the pressure plots which we'll go through later.

1 Q. And a C-103 was prepared and submitted in  
2 connection with that second MIT?

3 A. Absolutely. And the C-103 was with a chart  
4 which was signed off by the OCD during the test, and was  
5 also submitted during that test and prior to the  
6 initiation of injection again.

7 The topside facilities -- just to go through a  
8 little bit of the timeline here, the topside facilities  
9 were completed and injection commenced on the 24th of  
10 August. Very quickly thereafter, as you'll see from the  
11 injection records that I will show shortly, it was noted  
12 that there was some communication between the tubing and  
13 the backside, and that was noted as a result of a  
14 pressure increase on the backside, and that caused us to  
15 stop injecting acid gas, re-run the gas through the SRU  
16 and then schedule a workover to try and determine whether  
17 we had a packer seal leak or a tubing leak.

18 Indeed, what we found was that there was a  
19 packer seal leak. Those packer seals were redressed, put  
20 back in, and then it was MIT tested again.

21 So again, this is a timeline just to document  
22 the things that we've gone through. We resumed the mixed  
23 TAG and wastewater injection on the 23rd of September,  
24 2011. This start-up period has included a number of  
25 pressure control issues. It seems like with all of these

1 wells, it takes some time primarily to get -- the wells  
2 behave generally pretty well. But the start-up  
3 oftentimes requires some significant modifications and  
4 fine tuning, if you will, of the compressor and the  
5 compressor controls, because these things are fairly  
6 sensitive and have to be adjusted. And that usually  
7 takes a period of several months while you're getting the  
8 well up and running.

9           The TAG has been routed to the SRU during  
10 shutdowns whenever the compressor would go down or when  
11 the initial seal leak was detected. The annular space  
12 pressure has been monitored and has been bled down  
13 pursuant to discussions between the Division office in  
14 Hobbs and Targa.

15           That pressure has been kept at near zero and  
16 has not had to be bled again since November, because the  
17 initial pressure effects had already stabilized.

18           We have proposed to the Division, and I think  
19 in the conversation that we had with E.L. and with  
20 Mr. Jones on Monday, we explained why we would like to  
21 keep about 250 pounds or so on the backside of that, that  
22 will aid us in identifying any potential tubing or packer  
23 seal leaks in the future. So I think we'll be looking to  
24 bring that back in line.

25           The data confirms that the leak was fully

1 repaired, and we kept zero pressure on that backside  
2 since December, and the compressor controls with being  
3 fine tuned. And it is improving the reliability of the  
4 compressor.

5 Let's take a look at the injection records, if  
6 we can now.

7 Q. Mr. Gutierrez, this is essentially what's been  
8 identified as Exhibit 3A but just with a couple of  
9 explanatory notes added in?

10 A. That's correct. This is just a picture of the  
11 injection pressure and the backside or what I will call  
12 the annular pressure. You can see on the graph that  
13 first well that we initiated injection on August 24th.  
14 And very quickly you can see that we started seeing a  
15 rise on that backside pressure and a drop in the  
16 injection pressure. That was where we detected the  
17 packer seal leak.

18 And the reason why the pressure has continued  
19 to vary somewhat, at least in that initial two or three  
20 months, is because even while in the period between where  
21 I've labeled in that green bar, "No TAG injection," that  
22 was between when the leak was discovered and repaired.  
23 They still did continue to inject produced water into the  
24 well but no TAG.

25 And that leak was repaired right at the end of

1 September there, and the pressure on the backside was  
2 then bled off. This next graph shows a kind of a blow-up  
3 of that time frame. You can see that where I show that  
4 arrow in a couple of places where they bled the pressure  
5 off of the backside as it builds.

6 One of the things that I think is important to  
7 remember, because I think it's a key feature of the  
8 safety feature of these wells, is that backside is a  
9 sealed -- basically, a sealed unit which we use to help  
10 detect potential leaks.

11 What happens is you fill that up with inert  
12 fluid. In this case here, we've got a  
13 corrosion-inhibited brine on the backside. In a dry gas  
14 injection well, we use diesel because that way, if we  
15 have an escape of acid gas into the annular space, the  
16 diesel not only keeps the acid gas at the bottom, it  
17 creates a hydrophobic environment to prevent corrosion.

18 In these wells, where you're already putting  
19 in wet acid gas or acid gas mixed with wastewater, we use  
20 a corrosion-inhibited fluid but that is a noncompressible  
21 fluid on that backside to accomplish the same objective.  
22 The only problem is that when you put that in, typically,  
23 it's quite a bit colder than the formation around it.

24 And so you put that fluid into the backside,  
25 and then you seal up that backside, you fill it up to the

1 top. Then as that fluid heats up, just when it's  
2 stabilizing with the temperature of the surrounding rock,  
3 you get an increase in the pressure on that backside  
4 because there's nowhere for that pressure to go when that  
5 fluid begins to heat up and expand.

6 So that process, once you have it established  
7 and you understand where -- that that temperature effect  
8 has equilibrated, then typically, what we suggest is that  
9 we bleed that pressure off to about 300 pounds, 250  
10 pounds on the backside. So that once you're in an  
11 operating mode, you can -- you will always have some  
12 fluctuation of pressure on that backside, simply because  
13 your TAG temperature that's going down the tubing and the  
14 rate changes and that affects that temperature on the  
15 backside. Also, you can have a little bit of ballooning  
16 of the tubing, which also increases the pressure on the  
17 backside.

18 But once you've established a routine  
19 injection process, then the only real variation that you  
20 should see on that backside is due to those temperature  
21 effects and due to the normal atmospheric pressure  
22 variations.

23 And then if you go out of that range, either  
24 the pressure goes higher than that range, that indicates  
25 that you've got some communication with that annular

1 space, i.e. a tubing or packer seal leak. If it goes  
2 lower than that range, then that would indicate you may  
3 have a casing leak and you may be losing some of that  
4 fluid on the outside. That is why we recommend  
5 maintaining about 200 pounds on that backside.

6 But as of right now, what has been maintained  
7 on this backside is zero pressure. And you can see  
8 this -- this is the injection since the last time that  
9 the pressure on the backside was bled. You can see the  
10 annular pressure just sits at the very bottom here at  
11 essentially zero. It's between zero and 20 pounds, and  
12 you just can't see the variation there. But the data are  
13 all in Exhibit 3, and you can see there's very little  
14 variation.

15 The reason why I have suggested that we raise  
16 this pressure on the backside to about 200 pounds is it's  
17 not very easy to see any variation that would go below  
18 zero, because your gauges are not going to measure a  
19 vacuum. They're rated from zero, essentially, to about  
20 1,500 pounds. So I think it's more prudent to do that,  
21 and I think we've had sufficient discussion with the  
22 district and they agree.

23 One of the things I wanted to show here is  
24 that while we still have had a number of comperssor  
25 shutdowns as a result of control issues, when you look at

1 the kind of seven-day trailing average, we are getting a  
2 much better control of the injection pressure there. And  
3 you can see it's running between about 790 and 800 pounds  
4 at the current injection rates.

5           Okay. The next item, and this is what we're  
6 going to spend the bulk of our time discussing, is the  
7 results of the tests which we did on the reservoir in  
8 order to be able to characterize -- better characterize  
9 the reservoir and to be responsive to the Commission's  
10 request to do an analysis that would allow us to  
11 establish an appropriate length of time and conditions to  
12 operate the well. The results and the detailed  
13 discussion of these interpretations are included in  
14 Exhibit 1.

15           Just to go quickly over and refresh your  
16 memory, we are here south -- about five miles south of  
17 Eunice is where the well is located at Targa's South  
18 Eunice plant. The actual acid gas is generated at a  
19 plant here in middle Eunice and is shipped via pipeline  
20 along the county road, a buried pipeline that includes  
21 monitoring, and it is also carrying, in a separate line  
22 in the same trench, the wastewater or the produced water  
23 that is being injected down here at the site where the  
24 actual compression facilities exist.

25           This -- just to refresh everyone's memory

1 about the stratigraphy, the San Andres formation is  
2 located here. It's essentially a massive limestone  
3 dolomite carbonate formation. The injection zone is in a  
4 portion -- a lower portion of that San Andres formation  
5 from about 4,250 feet to 4,850 feet partially -- well,  
6 entirely currently in the open hole.

7 The well that was plugged isn't shown on this  
8 cross-section. This is intended to show the nearer wells  
9 that penetrated the injection zone that were of concern  
10 to OCD. This Santa Rita Number 2 is about a half mile  
11 away from the current injection well, and Santa Rita  
12 Number 1 is close to one mile away.

13 Q. The Santa Rita Number 2 is cemented all the  
14 way through the San Andres; correct?

15 A. It is. Although there were some  
16 less-than-optimal cement zones within there, and that was  
17 what the Division had expressed some concern about.

18 Q. And the producing zone for that well is the  
19 once Abo?

20 A. That's correct. I think it's actually the  
21 Blinbry at the present time.

22 Just to give a summary of what we did, we did  
23 geophysical logs for the injection zone where we could  
24 have access to the formation, because, of course, the  
25 well was already in existence and cased above that.

1           We did porosity and resistivity logging there.  
2           We also did the FMRI, as we call it, or the extended  
3           range microimaging log, which is high-resolution  
4           resistivity log which allows for a better understanding  
5           of any fracturing or faulting that could be in the area  
6           or in the vicinity of the wellbore.

7           We then did 32 sidewall cores between 4195 and  
8           4,826 of which we had recovery on. We actually attempted  
9           more than that, but those were the ones we actually had  
10          recovery.

11          We then did porosity and air permeability for  
12          those samples, and we also used those samples to  
13          calculate irreducible water and CO2 permeability.

14          We then did a step-rate test, which we  
15          performed at rates running from half a barrel a minute to  
16          five barrels a minute. The actual proposed maximum  
17          injection rate for this well runs at about three barrels  
18          a minute in terms of combined acid gas and wastewater.  
19          That was a total of 4,075 barrels a day, which is a  
20          combination of the acid gas and the produced water.

21          We also did transient pressure and fall-off  
22          tests which were performed at both one and a half and  
23          three barrels a minute, which is the kind of range of  
24          anticipated injection. We did the same thing for the  
25          tracer survey, and we also did a temperature survey

1 during the SRT and following the tracer survey.

2 In a way, these tracer and temperature surveys were  
3 overkill, but it allowed us to compare the results of  
4 both and we found that they are pretty consistent.

5 There is a more detailed picture of this log.  
6 This is in the microimaging log. It's a  
7 detailed-oriented resistivity log. What it basically  
8 shows is that we show some very high porosities, and this  
9 is what we also saw in the sidewall cores above 4,500  
10 feet. We get into much lower porosities below 4,500  
11 feet. And then also we did not see any faults or  
12 microfaults identified in the section.

13 But we do have a fair amount of vuggy porosity  
14 in the especially upper portion of that San Andres  
15 formation. And one of the things we've seen is that  
16 these porosity zones are very difficult to correlate over  
17 any distance when we compare it with other logs in the  
18 San Andres.

19 So while we may have some zones in the  
20 immediate vicinity of the well that take more injection  
21 fluid than other zones, and we'll go through that in a  
22 few minutes, once you get further away from the well,  
23 it's not clear that those zones are going to continue to  
24 just take water in a very restricted range, because  
25 you've got a lot of variations, both as a result of

1 diagenetic fluids that have moved through the San Andres  
2 and maybe some original depositional control on that  
3 porosity.

4           We took sidewall cores. They're all labeled  
5 where we took them, you can see, all through the  
6 injection zone. And we had those analyzed. What we saw  
7 is that the porosities range from about 2 to 38 percent.  
8 The air permeability, very wide range, basically four  
9 orders of magnitude, from three-thousandths to about nine  
10 millidarcies, we had irreducible water from about .32 to  
11 about .6 in the lower portions of the reservoir. So we  
12 do have quite a bit of variation in that. And the lower  
13 portion is just basically a much tighter zone.

14           The step-rate test, we started with a  
15 background reservoir pressure, initial bottomhole  
16 pressure about 1,980 psi. We developed maximum pressure  
17 of about 3,450 psi at five barrels a minute. The  
18 detailed description of the step-rate test is included in  
19 Exhibit 1.

20           But what you can see is that we had a notable  
21 increase in injectivity at about the two and a half  
22 barrel a minute rate. And then what we also saw, and  
23 we'll get into it in the -- when we look at the  
24 temperature survey and the warm-back -- that at about the  
25 two and a half to three barrel a minute range, you've got

1 a lot greater portion of the injection zone actually  
2 being invaded. At the very low rates, as you might  
3 expect, we were getting the bulk of the fluid going into  
4 these very poor zones. But once you raise the injection  
5 rate, we got much more of the well involved in taking  
6 fluid.

7 Of course, the step-rate test is done using  
8 water. Now, because of the fact that you use water, but  
9 in reality we're going to set an MAOP based on a mixture  
10 of water and TAG, you have to correct for the reduction  
11 in the specific gravity of the fluid that you're  
12 injecting when you analyze these in order to come up with  
13 an MAOP.

14 We initially -- and what is initially included  
15 in this Exhibit 2 that was submitted to the Commission,  
16 we have modified -- after our meeting with the Division  
17 on Monday, we had originally requested a  
18 mixture-dependent MAOP that would be -- essentially  
19 reflect an injection of water only at one end and TAG  
20 only at the other end, and then an average mixture which  
21 is the mixture we intend to inject on a routine basis in  
22 the middle.

23 The reason for that is because when you're  
24 injecting all water, the MAOP would be about -- that the  
25 step-rate test would allow would be roughly around 1,400

1 psi. When you're injecting all TAG, because of the  
2 difference in density, that same MAOP at the surface  
3 would be about 1,700 psi.

4 So typically, using the formula that OCD  
5 requires for calculating what would be an appropriate  
6 maximum injection pressure, you take into account that  
7 specific gravity of the fluid.

8 So what we've done, because we felt it would  
9 be very difficult to really regulate or monitor exactly  
10 what mixture was going in all of the time, what we've  
11 requested is an MAOP that is less than what the step-rate  
12 test would show for the proposed mixture. The step rate  
13 justified an MAOP of about 1,640 pounds for the proposed  
14 mixture. We're requesting 1,600 pounds for that proposed  
15 mixture and just have a single MAOP at that target  
16 mixture.

17 This graph shows you what I was just  
18 describing. If you correct the surface pressure for the  
19 different densities, you basically get these three  
20 parallel lines. The lowest one is for pure water  
21 injection, the highest one for pure TAG injection. You  
22 can see the break point is essentially at the same rate  
23 here, and that is at about 1,700 psi for TAG only, 1,640  
24 for our mixture and about 1,420 for water only.

25 Just to refresh peoples' memory, the current

1 MAOP is 1,300 psi, and that would be for the proposed  
2 mixture.

3 So basically as -- because of the mixture  
4 changes, the specific gravity of the fluid is reduced as  
5 you add TAG. But for the kind of 60/40 TAG mixture that  
6 we are proposing, we're requesting an MAOP of 1,600 psi.

7 The transient pressure and fall-off tests are  
8 shown here. We measured the pressure fall-off and then  
9 modeled it. What we found based on that is that we've  
10 got an effective permeability just at about  
11 three-quarters of a millidarcy on the overall injection  
12 zone.

13 The tracer survey here indicated that we have  
14 greater injectivity 4,500 feet and that the zone of  
15 injection extends to a greater depth once you reach your  
16 target injection rate of three barrels a minute. You can  
17 see here -- you can't really read it too well on this  
18 screen. I think you will be able to on your diagram, and  
19 also this figure is included in Exhibit 1.

20 It shows that there are some variations  
21 clearly in the zones that take fluid. With this zone  
22 certainly taking more fluid and basically you see the  
23 majority of the fluid is being taken by this upper  
24 portion of the injection zone and much lower in the lower  
25 portion of the injection zone. This was based on all the

1 data that we had from the sidewall cores and logs.

2 We broke up the reservoir into about seven or  
3 eight different zones, which are those zones that are  
4 shown on the earlier diagram. You can see the top and  
5 bottom zone, the thickness of the zone, the porosity, the  
6 cross-plot porosity, the water that we see in the -- in  
7 terms of irreducible water, and then the net porosity in  
8 terms of number of feet of that zone.

9 So you can see that, really in the main zone  
10 we're talking about, somewhere in the neighborhood of  
11 about 17 and a half feet of net porosity that we're  
12 injecting into.

13 This is the temperature surveys.

14 MR. SCOTT: If I can stop you there for  
15 one second? As a housekeeping matter, he reordered one  
16 or two of his slides. The one he is on now is page 29.

17 A. I'm sorry. I did move it up two slides  
18 because I thought it made more sense.

19 Now, the temperature survey data again shows  
20 basically the same thing we saw earlier, that when you  
21 raise the rate, you increase the injection front to take  
22 up more and more of the well. So by the time you get to  
23 the three barrel a minute rate, you've got the bulk of  
24 the zone between the top of the well, 4,250 and 4,750  
25 involved in taking the fluid.

1           This is a slide that was added to my  
2 presentation. It is a slide that is modified from a  
3 slide that was provided by the Division as part of their  
4 prehearing statement. This was a slide that was shown  
5 also at the initial hearing that is essentially a  
6 representation of what would be the distance that we  
7 would expect to see radial flow or a plume away from the  
8 injection well over time at the maximum rate.

9           You can see that what has been included here  
10 is a maximum rate of 4,075 barrels a day, which is both  
11 TAG and wastewater. It has an effective porosity  
12 calculated at about 8 percent, taking into account  
13 residual water, which is generally consistent with what  
14 we're seeing. It's a little on the low end of what we  
15 see in the well.

16           But I don't have a lot of concern with the  
17 Division's representation. However, what I do have  
18 concern about is that these upper three curves, the one  
19 for injection thicknesses of 50, 100 and 150 feet, I  
20 think significantly underestimate the actual injection  
21 thickness that the well is taking.

22           I think what -- we don't know exactly, but the  
23 best that we can predict from the tests that we've done  
24 is that the actual curve should run somewhere in this  
25 yellow and red zone.

1           We've got a zone that's accepting fluid that's  
2    about 300 feet thick and a net porosity of about 18 feet  
3    in that zone, which would end up resulting in the  
4    calculations that we came up with of after 30 years,  
5    we've got roughly about a .35 mile radius of invasion of  
6    the San Andres, and at the half-mile range, it would take  
7    approximately 75 years to get out to half a mile.

8           Again, we all know that radial flow is an  
9    approximation, but it is really the best one that we have  
10   for being able to characterize the flow in this unit.

11          Okay. So to summarize what our findings were,  
12   the reservoir conditions are relatively cool. I did not  
13   anticipate, frankly, a pressure -- I mean a temperature  
14   as low as what we saw out there. I expected it to be  
15   probably about eight to ten degrees warmer based on other  
16   San Andres wells that we looked at, but that was kind of  
17   an interesting result.

18          That's another issue that really helps us in a  
19   way, though, because that reservoir pressure -- I mean  
20   the reservoir temperature being 83 degrees, means that  
21   the TAG that we inject is going to have a higher specific  
22   gravity than under a warmer reservoir, and so it is going  
23   to actually occupy less pore space than it would be if it  
24   was warmer. So that actually helps us.

25          The initial bottomhole pressure was roughly

1 1,978 or 1,980 pounds. And we didn't see much change in  
2 that after, and it went back to that very quickly after  
3 the step-rate and injection fall-off tests.

4           Roughly about 50 percent of the section  
5 accepted fluid during injection, and that increased with  
6 the rate, as we've discussed earlier. There's no  
7 evidence of faulting or any kind of lateral continuous  
8 features that would have the zones that are taking a lot  
9 of fluid near the wellbore carrying out any significant  
10 distance without being integrated into the overall  
11 reservoir.

12           So how do we then calculate what is going to  
13 happen in terms of injection over time? This is the well  
14 as currently completed. This shows our calculations.  
15 It's the volume. Basically, we look at the available  
16 volume in that half-mile radius which is roughly about  
17 half a billion cubic feet of pore space. We then look at  
18 the volume injected and what is that volume when, under  
19 the actual reservoir pressure and temperature conditions,  
20 and it winds up being about a little over 7.3 million  
21 cubic feet a year, which means it would take about 62 or  
22 63 years to fill up that half-mile radius, and that in 30  
23 years, we'd be looking at somewhere in the neighborhood  
24 of about a .35 mile radius.

25           This is a diagrammatic representation of the

1 same, with the key wells that were of concern shown out  
2 here, the Santa Rita 12 and the Santa Rita 2, which we  
3 showed in the cross-section. The Santa Rita 2 being the  
4 closest well, that is that Blinebry well that is located  
5 just under half a mile away.

6 This represents our best projection of the  
7 radial flow after 30 years, the green line.

8 Q. The inner of the two circles on that diagram?

9 A. That's correct. The outer was just showing  
10 the half-mile circle.

11 I would like to now discuss what our  
12 justification is for our maximum operating pressure. As  
13 I mentioned, the current MAOP is 1,300 psi. Using the  
14 SRT result at our proposed mixture of 60 percent TAG and  
15 40 percent wastewater or produced water, that would yield  
16 a 1,640 psi MAOP using the formula that OCD uses for  
17 calculating MAOP.

18 Clearly, as the mixture changes, so will the  
19 specific gravity of the injection fluid, and that does  
20 affect the pressure. So while there's going to be some  
21 variation in that based on summer and winter flows, we  
22 believe that it is going to be possible to maintain  
23 essentially a target mixture rate of about 60/40 TAG to  
24 wastewater and consequently, we're asking for an MAOP of  
25 1,600 psi for the well.

1           Now, we don't know how it will develop over  
2 time but, frankly, we believe that we're never going to  
3 get anywhere close to that MAOP. When you look at the  
4 injection history of the well now, since the compressor  
5 has been more consistently running, we're running about  
6 750 to 800 pounds. So I don't think we're going to get  
7 anywhere near that MAOP but, nonetheless, it's what the  
8 step-rate test would justify. And I would like to have  
9 the opportunity, if we should run into injectivity issues  
10 down the road, to be able to get up to that MAOP.

11           As I mentioned, this was the same graph you  
12 saw earlier that shows how we calculate the MAOP and how  
13 it fits into determining the specific gravity. As you  
14 can see, the specific gravity of the injected fluid at a  
15 mixture of 60/40 is about .89. Pure TAG would be .83 and  
16 pure brine water is about 1.01.

17           We also are requesting the ability, if we  
18 should need to in the future -- and this would be also to  
19 reduce the need to have to operate at anything close to  
20 the MAOP. There is about 50 or 60 feet above the open  
21 hole in the liner that we put in that is opposite a very  
22 good injection zone in the San Andres.

23           Now, the Commission requested that we limit  
24 our injection to below 4,250 feet. And the main reason  
25 for that was to protect the upper portion of the

1 formation and the potential impact on the overlying  
2 Grayburg production. We feel, however, that it would be  
3 prudent to be able to perforate about 40 feet, which has  
4 got some very good porosity in it in the very bottom of  
5 that liner below the packer to allow for basically  
6 spreading out that injection even further, should we need  
7 that in the future.

8 It is not something that Targa is proposing to  
9 do now. However, I will show you that if we did that, it  
10 could reduce our overall radius over 30 years, not by a  
11 lot, but by at least a measureable amount.

12 What that means would be how that would look  
13 in the well. Right now, we've got our packer right in  
14 here. We've got the liner that we put in below it.  
15 Right now that liner is just not perforated. It's  
16 cemented in using that acid-resistant Corrosacem cement.  
17 We would be perforating 40 feet from roughly 4,210 to  
18 4,250, which is essentially near the bottom of the  
19 casing. The bottom of the casing where we start the open  
20 hole is about 4,258 right now.

21 This is the same slide that you saw earlier.  
22 If we include that additional injection interval, you can  
23 see that we increase by about 10 percent the available  
24 volume in that half mile and consequently increase the  
25 time that it would take to fill up that half mile by

1 about 10 years, a little over 10 percent. We also would  
2 decrease the radius from about .35 miles to about .32  
3 miles. So it not a huge increase.

4 One of the things that's important to remember  
5 is that radially, as you get farther and farther away  
6 from the well, it takes a lot more volume to go from  
7 let's say .3 to .35 five miles than it does to go from .1  
8 to .6 miles -- I mean say from .1 to .15 miles, because  
9 obviously, the circle is getting bigger and it's taking  
10 more and more area to expand that radius. So that's why  
11 the difference isn't huge, but it is still significant.

12 Here you can see the two pictures together.  
13 The green line being if we don't open up that upper  
14 interval, the blue line being if we do open up that upper  
15 interval. It just reduces the footprint over 30 years.  
16 You can still see that we are well away from these two  
17 wells in that area of concern at approximately the  
18 half-mile radius.

19 One of the -- so basically, this is my last  
20 slide to summarize what we are asking for. One, is we  
21 would ask that the Commission authorize us to inject into  
22 the well for 30 years. We would request that MAOP be  
23 raised to 1,600 psi, as justified by the OCD-witnessed  
24 step-rate test. And we would request that we be  
25 authorized to perforate that upper interval if it would

1 be desirable at some point in the future. Of course,  
2 prior to doing that, we would have to file the  
3 appropriate C-103 and workover requests with the Division  
4 that would specify exactly how we would do that. Those  
5 represent what Targa is asking for in this hearing.

6 Q. Thank you, Mr. Gutierrez. In your opinion,  
7 would the Commission's approval of the 30-year term for  
8 injection, the increased operating pressure and the  
9 authorization to inject into that upper 40 feet, be  
10 protective of public health?

11 A. Yes.

12 Q. Would those approvals also protect fresh water  
13 and the environment?

14 A. Yes.

15 Q. And would those approvals protect producing  
16 zones and prevent waste?

17 A. It would.

18 Q. Have you had a chance to review the Oil  
19 Conservation Division's prehearing statement?

20 A. I have.

21 Q. In there, they provide three suggestions for  
22 the Commission to consider, one of which is that Targa  
23 should conduct appropriate testing on the reservoir.  
24 Have you formed a view as to the appropriateness and  
25 timing of such additional testing?

1           A.       We discussed this with Mr. Jones and  
2 Ms. Gerholt on Monday. The issue is that the injection  
3 testing and fall-off testing was done prior to the  
4 injection of TAG into the well, and that after some  
5 period of injecting TAG into the well, that those  
6 conditions and the zones that may be taking fluid would  
7 probably be expected to increase, so that the results of  
8 the current tests would actually be very conservative in  
9 terms of what portions the vertical thickness of the well  
10 would be taking flow.

11                       So there was some question as to whether it  
12 might be useful or provide additional information on that  
13 to do a similar temperature kind of survey down the road,  
14 some amount of time down the road, to compare with this  
15 initial survey that was done now.

16                       I don't think that's necessary, but it might  
17 yield some very interesting information. If that were to  
18 be the case, I would prefer that that kind of test be  
19 after a significant period of injection, maybe 10 years,  
20 where we've had enough effect on that area in the  
21 immediate vicinity of the borehole to see some real  
22 change. If we were going to do something like that, I  
23 would suggest it might be in that kind of a window.

24           Q.       So it would be your recommendation to have a  
25 30-year injection term, but have this test performed

1 after 10 years to check on progress of the plume?

2 A. Yes.

3 Q. The Division also recommended that the  
4 Commission order that a mechanical integrity test be  
5 conducted once a year, as opposed to five years. Do you  
6 have a perspective on that?

7 A. Yeah. I've discussed this at length with E.L.  
8 down in Hobbs in the context of a number of other wells  
9 that we're working on. And I don't think that's an  
10 unreasonable request.

11 I believe that if we raise the pressure on  
12 that backside a little and monitor it closely, that that  
13 serves -- its intent is to serve as an ongoing MIT test  
14 all the time.

15 But an MIT test, frankly, in these kinds of  
16 wells, you don't have to shut down the well to perform  
17 the test. You can pressure up the backside to 500 pounds  
18 and chart it with the well still operating, and then  
19 reduce -- bleed off some of that pressure to bring it  
20 back down to the 250 rate.

21 I don't think it's an unreasonable request. I  
22 think it is doable. I don't think it's necessary because  
23 we have the ongoing MIT test, if you will, of monitoring  
24 the backside pressure, but I would not think that that is  
25 an unreasonable request.

1 Q. The ongoing test you refer to is the pressure  
2 monitoring data which is reflected in Exhibit 3D from  
3 Targa?

4 A. Yes. And that pressure monitoring data is fed  
5 back to the PLC at the plant so that they would be  
6 immediately aware of any significant rise or loss of  
7 pressure on that back side.

8 MS. GERHOLT: Excuse the interruption.  
9 3D, I don't have. Was that what was emailed to the  
10 Division last week?

11 MR. SCOTT: It's the raw data that  
12 supports --

13 MS. GERHOLT: We did receive that. We  
14 just don't have that in our exhibit as 3D. Thank you.

15 MR. SCOTT: Sure.

16 Q. (By Mr. Scott) Finally, the Division made  
17 some recommendations concerning the H2S contingency plan  
18 Targa submitted, specifically that there be a provision  
19 included to address what happens if the well itself  
20 ceases to be operable.

21 Have you seen that type of condition imposed  
22 in any other H2S contingency plan that you've been  
23 involved with?

24 A. No. The H2S contingency plans are  
25 typically -- not typically. I mean by Rule 11, they're

1 required to provide information on how a company would  
2 deal with an accidental release or leak of H2S, either  
3 from a plant or from a well or anything else. So it's  
4 really geared towards how you protect public safety as a  
5 result of a potential leak.

6 I think what we were discussing or what the  
7 Division was, and we'll wait to see their testimony, but  
8 based on what we discussed, it was my understanding that  
9 what the Division is seeking would be some kind of  
10 forethought and perhaps documentation of what would be  
11 the approach that would be taken to appropriately deal  
12 with a failure of some sort of the well.

13 Because clearly, once the SRU is shut down at  
14 this facility, and, in fact, the end purpose of these  
15 acid gas injection wells is to be able to shut down units  
16 that cause additional air quality impacts, if the well  
17 had to be shut down, you're basically shutting down the  
18 plant and shutting down the producers that supply gas to  
19 that plant.

20 So what I think the Division is talking about  
21 there is coming up with some kind of contingency for how  
22 you would manage the operation of the well in a  
23 potentially compromised situation until you could deal  
24 with that through a workover process.

25 We, in effect, are dealing with that on

1 another well, and we're working very closely with the  
2 Division and monitoring it on a very close basis between  
3 the time when we detected that there was a potential leak  
4 in that well and when we're going to be able to work that  
5 well over.

6 So I think the Division is thinking, and I  
7 think it is prudent to think about, to develop some way  
8 of dealing with those things down the road. But it's not  
9 really part of an H2S contingency plan.

10 MR. SCOTT: At this time, Madam Chair, I  
11 would move the admission of Targa's Exhibits 1 and 3A  
12 through 3D.

13 CHAIRMAN BAILEY: Any objection?

14 MS. GERHOLT: No.

15 CHAIRMAN BAILEY: They are so admitted.

16 (Targa Exhibits 1 and 3A through 3D are admitted.)

17 MR. SCOTT: I would also move admission of  
18 Targa's Exhibit 2, which Mr. Gutierrez modified slightly  
19 this morning and I have on a thumb drive that I can  
20 provide to the court reporter, so it would be an exact  
21 copy of what was presented during his testimony.

22 CHAIRMAN BAILEY: Any objection?

23 MS. GERHOLT: I don't have any objection  
24 because the modifications were minor, and one of the  
25 modifications was based on an OCD exhibit that is

1 available currently to the Division.

2 CHAIRMAN BAILEY: So admitted.

3 If you'd give that thumb drive to the court  
4 reporter.

5 (Targa Exhibit 2 is admitted.)

6 MR. SCOTT: No further questions for this  
7 witness.

8 CHAIRMAN BAILEY: Any cross-examination?

9 MS. GERHOLT: Yes.

10 CROSS-EXAMINATION

11 BY MS. GERHOLT:

12 Q. Good morning, Mr. Gutierrez. You've been  
13 talking about the step-rate test. And through the  
14 documentation that Targa provided the Division, I note  
15 Targa notified the Division that a step-rate test was  
16 going to be conducted. However, I cannot locate the name  
17 of the individual within the OCD district office who  
18 witnessed the step-rate test. Do you know who that was?

19 A. Unfortunately, I don't. But I can find out  
20 hopefully during a break. I could call the staff member  
21 who was there from our company, Jim Hunter, that was  
22 there, and maybe he recalls who it was that witnessed the  
23 test. He's in Artesia cranking up another AGI right now.

24 Q. If you could. Because I've contacted our  
25 district office, and we don't have that information

1 available. So if you contact your employee, I'd  
2 appreciate it.

3 A. Sure.

4 Q. Thank you. Targa is requesting an injection  
5 interval from 4,210 to 4,850; is that correct?

6 A. That would be if we were allowed to perforate  
7 this additional 40 feet.

8 Q. So it would be perforated injection interval  
9 of approximately 640 feet thickness or a nonperforated --  
10 so the perforated interval would be 600 feet; is that  
11 correct?

12 A. No. We would have essentially between 4,250  
13 now and 4,850, which is 600 feet. That's open hole. So  
14 what we would be doing would be just perforating 40 feet  
15 of casing that exists immediately above the open hole  
16 below the packer. So it would be a total of 640 feet of  
17 formation that would be open to injection if that  
18 perforation took place.

19 Q. If I could please draw your attention to what  
20 is the Commission's Slide 30, and I believe it's Slide 31  
21 on your slide that is being projected.

22 A. Let me pull that back up, if I can. Is this  
23 it?

24 Q. Yes, sir. According to this slide, Targa  
25 asserts that the zone that would accept the fluid is

1 approximately 302 feet thick?

2 A. Yes.

3 Q. If I could have you turn to what is Targa  
4 Slide 22.

5 A. Which slide?

6 Q. I have it marked 22. It's entitled, "Sidewall  
7 Cores."

8 A. Sure.

9 Q. Thank you. Mr. Gutierrez, would it be  
10 possible to identify for the Commission on this slide  
11 which 302 feet that Targa believes will accept the  
12 injected material?

13 A. It would be easier on -- in fact, we've really  
14 shown that specifically on the slide that is called,  
15 "tracer survey," because that's where we got that  
16 distance from, so I could show you that. And it's from  
17 here through essentially approximately here.

18 Q. So from the top of the distribution of  
19 injection line to a third of the way down is 11.9 percent  
20 injection interval; is that correct?

21 A. That's right. I think it's described here,  
22 which is about 51 percent of the total injection zone.  
23 There's high injectivity between 4,355 or basically 40 --  
24 it starts -- there's very high injectivity between those  
25 zones. There is some injectivity between 4,250 and

1 4,280. Then we get into some pretty high injectivity.

2 Then we have no injection in these intervals. So when  
3 you TAG all that out, it comes out to about 302 feet.

4 Q. This is based on the logs and testing that has  
5 occurred pre-injection of acid gas? This is injection of  
6 water; is that correct?

7 A. That's correct.

8 Q. This 302 feet that Targa believes will accept  
9 the injection material, that's not an absolute that all  
10 302 feet will take it equally; is that correct?

11 A. Oh, yes, that's correct. It will not take it  
12 equally, I mean at least in the immediate vicinity of the  
13 wellbore. Once we get farther away from the wellbore,  
14 our experience with the San Andres has been that the  
15 formation has sufficient variability that tends to spread  
16 out over -- it tends to equalize as that front moves  
17 away. But yes, it does not take it equally. In fact,  
18 that's what this shows, is that there are zones that take  
19 more flow than others.

20 Q. I believe you testified on direct examination  
21 that it would be reasonable to include in a permit that  
22 at a later date, Targa be required to run, whether it's a  
23 tracer survey or some other test of Targa's choosing, to  
24 actually see where the plume is moving out into the  
25 formation; is that a correct summary?

1           A.     No. I think what it was was to do some kind  
2 of a test that would see how the injectivity over the  
3 zone that's being injected into might have changed over  
4 time. But I don't think we talked about the actual  
5 trying to measure the expansion of the plume.

6           Q.     And how do you think Targa could test for  
7 that?

8           A.     Well, the way that you would do it would be to  
9 run another temperature survey or injection survey with a  
10 temperature warm-back so that you could then compare the  
11 results of this one to the previous one and then make  
12 some conclusions about what thickness of the reservoir is  
13 taking the injection.

14          Q.     And I believe you also testified on direct  
15 examination that it was not unreasonable for the  
16 Division's request to have MIT once a year?

17          A.     I don't think it's unreasonable. Although I  
18 do think that the continual monitoring of that annular  
19 pressure and the injection pressure and temperature serve  
20 as an ongoing MIT.

21          Q.     Correct. And at this meeting we had Monday  
22 with everyone, the OCD did discuss their data collection  
23 system, RBDMS; is that correct?

24          A.     Yes.

25          Q.     And that OCD, unfortunately at this time,

1 cannot accept those pressure data in a usable format;  
2 isn't that correct?

3 A. Yes, it is.

4 MS. GERHOLT: If I may have one moment,  
5 please?

6 I will wait for Mr. Jones to testify about the  
7 Division's suggestion on a contingency plan. But I have  
8 no further questions of this witness.

9 CHAIRMAN BAILEY: Commissioner Dawson?

10 COMMISSIONER DAWSON: Just a few  
11 questions.

12 EXAMINATION

13 BY COMMISSIONER DAWSON:

14 Q. The request of injecting from 4,210 to 4,250,  
15 that zone -- the porosity in that zone, would you think  
16 that would be pretty similar to Segment 2 which is  
17 roughly 19 and a half percent on the crossplot?

18 A. Yes, at least that.

19 Q. It's a very porous zone compared to that  
20 Segment 2, probably, which is taking most of the fluid?

21 A. It's about the same as that, yes, sir.

22 Q. On the contingency plan that has been  
23 discussed with OCD, it's not really set in concrete yet  
24 that is, the contingency plan? I heard you talking about  
25 the contingency plan more or less regarding the wellbore.

1 Did you guys talk anything about the pipelines that it's  
2 delivering to the plant, the contingency plan concerning  
3 that? Have you talked about that before?

4 A. The pipeline that takes the low pressure acid  
5 gas from the middle Eunice plant to the south Eunice  
6 plant is monitored and is double lined. And it is  
7 included in the existing H2S contingency plan if there  
8 should be some leak or failure of that line. But other  
9 than that, no, we haven't discussed it any further.

10 Q. On the Santa Rita Number 2 well, you said it's  
11 producing from the Blinbry Formation?

12 A. Yes.

13 Q. Do you know what the upper perforation depth  
14 is on that well in relation to the lowest injection  
15 interval on your AGI well?

16 A. I don't have an exact number on that. I would  
17 say on the order of several hundred feet. It was part of  
18 the original -- that's something that was presented in  
19 the original hearing and the C-108 application that was  
20 submitted originally. But off the top of my head, I  
21 can't recall.

22 We do have a little bit of additional natural  
23 protection, unfortunately, in some ways because the basal  
24 part of that San Andres is pretty tight. So it's not  
25 taking a lot of fluid in the bottom say hundred feet.

1 Q. It looks like the porosity is only about four  
2 and a half percent down there.

3 A. Yes, sir.

4 Q. When you re-route your TAG to the SRU, what  
5 kind of monitoring do you have on that. Is that  
6 monitored pretty well?

7 A. The SRU is subject to pretty extensive air  
8 monitoring associated with that unit, and it is  
9 incorporated into the H2S contingency plan for the plant.  
10 I don't think there's any physical movement of anything  
11 that is required to re-route that. It's just a  
12 manifolding valve.

13 However, you should be aware of the fact it is  
14 not Targa's intent to continue to operate that SRU.  
15 Ultimately, they will shut that down. That's part of the  
16 reason for this well.

17 MR. SCOTT: Madam Chair, if I might?  
18 Pursuant to a settlement agreement with the NMED, that  
19 SRU is now shut down. It had a six-month overlap period  
20 while the well was started up. And at the end of that  
21 six months, the SRU was to be shut down, and we're right  
22 at the end of that six-month period right now.

23 COMMISSIONER DAWSON: That's all. Thank  
24 you.

25 CHAIRMAN BAILEY: Commissioner Balch?

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY COMMISSIONER BALCH:

Q. So you're asking for -- Targa is asking for three separate MAOPs depending upon the mix of injecting. And you're predicting that it's primarily going to be 60/40 as an average. What's the ultimate source of the gas and the ultimate source of the wastewater?

A. First of all, originally, we were asking for essentially this mixture-dependent MAOP. But after discussion with the agency and with Targa about how difficult it would be to monitor exactly what that is, what we settled on was just asking for a single MAOP based on the anticipated mixture.

Q. That's 1,630?

A. That's a 1,600, yes. Now, to answer your question about the source of the water, the bulk of the water that is being injected is cooling tower blow-down water from the plant, the middle Eunice plant. They originally did also inject in this well for many years injected wastewater from a Texaco remedial groundwater remediation effort that was being conducted at the south Eunice plant.

That water is no longer being taken by this well, so it is strictly wastewater from the plant, primarily comprised of cooling tower blow-down, and

1 that's the source of the wastewater. The source of the  
2 TAG is the natural gas processing that takes place at the  
3 middle Eunice plant, the aiming tower there.

4 Q. You actually brought up another question that  
5 I had there. The temperature of the reservoir, 83  
6 degrees, pretty low, likely the result of the previous  
7 injection of wastewater. How long did that wastewater  
8 get injected? Do you have any idea of how far that may  
9 have spread from the wellbore?

10 A. I don't. That injection had taken place over  
11 quite a number of years at varying rates, and we've not  
12 attempted to evaluate how far that water would have  
13 traveled. And it might have something to do with that  
14 temperature that we observed there, although it was a  
15 pretty significant buffering capacity of that formation.

16 And that's something that I also failed to  
17 mention that you brought up that I think merits some  
18 consideration. And that is that the San Andres has a  
19 huge buffering capacity, because it's essentially a  
20 massive limestone and dolomite. And I'm not sure that  
21 after some period of time and some distance away from the  
22 well that the character of that formation water would be  
23 substantively different due to the TAG injection because  
24 of the buffering capacity.

25 But in answer to your question, we have not

1 calculated the distance or the effect of the previous  
2 injection.

3 Q. And another research that I'm familiar with, I  
4 believe that area of the San Andres is subject to  
5 flushing of meteoric groundwater from the west and may  
6 also attribute to the lower temperature?

7 A. It could, although that would be from some  
8 significant distance away from here. But yes, it could.

9 Q. The rate of three barrels a minute, is that  
10 going to be fairly sustainable so you can meet that 51  
11 percent injection?

12 A. Yes. I think that's roughly the rate they're  
13 going to be -- that would be the rate they are injecting  
14 at currently and what they would be seeking to maintain.

15 Q. And your wastewater rate is going to be  
16 consistent because it's all coming from the plant's  
17 cooling process?

18 A. It is. Except it does change seasonally. So  
19 in the summer, they might have greater flows because they  
20 blow down those towers a little more frequently.

21 Q. So in the summer your water ratio may go up  
22 and in the winter it may go down?

23 A. Yes, sir.

24 Q. If you're going from 60/40 as an average, what  
25 would be the variation, summer to winter?

1           A.     I think it would be maybe 65/35 to maybe 50 or  
2     52/48, somewhere in that range.

3           Q.     Not terribly significant?

4           A.     No, sir.

5           Q.     There was some discussion by both sides about  
6     the MIT test, annual MIT testing. Is there a way to take  
7     your ongoing monitoring and turn it into a pseudo-MIT  
8     test and report it once a year?

9           A.     Sure. I mean we certainly could report a  
10    pressure graph that would show the pressure, just like  
11    what you saw displayed here, that would show both  
12    injection pressure. I would suggest not only the  
13    pressure but the injection temperature, injection  
14    temperature and then the annular pressure. And that  
15    could be graphed and made available.

16                    I mean as it is, Targa and other operators of  
17    AGIs are required to keep those records and have them  
18    available for OCD inspection. But we have not been  
19    required in the past to turn them in. But certainly -- I  
20    mean that's data that's collected. It could be done.

21           Q.     Could it be formatted in such a way that it  
22    would be acceptable to the RDBS system?

23           A.     I don't know about that. That's an IT issue.  
24    I don't think their system is set up to be able to take  
25    those. Because the C-115, basically you report an

1 average pressure, injection pressure for the month and  
2 total volume for the month and so it doesn't really have  
3 any kind of way of accepting annular pressure, for  
4 example. And I think the MIT is just kind of a -- they  
5 have a snapshot every -- originally, every five years,  
6 that's what they required, and now more recently, it's  
7 been every two years that you would basically get a  
8 snapshot of the integrity of the well.

9 Q. All right. In your core plugs, I do notice  
10 there's considerable variation in porosity, and then also  
11 the ability to take the water as you go down the  
12 injection interval. The permeability that was measured  
13 from those core plugs also had a lot of permeability?

14 A. Yes, sir.

15 Q. Do the high permeability and high porosity  
16 tend to correlate, or is it more variable than that?

17 A. I would say the answer is a guarded yes. They  
18 do tend to correlate. However, what we noticed is that,  
19 you know, in some cases, it was almost impossible to  
20 measure the permeability because the sample was so vuggy  
21 that when we get the sidewall core, it basically falls  
22 apart. But that implies that you're going to have pretty  
23 significant both porosity and permeability in that  
24 sample.

25 COMMISSIONER BALCH: Those are my

1 questions.

2 EXAMINATION

3 BY CHAIRMAN BAILEY:

4 Q. I'm looking for lessons learned from the  
5 packer leaks and other issues that have developed for  
6 Targa and other AGI wells in the southeast.

7 What measures have you considered for ensuring  
8 that we don't continue to see packer leaks in the future  
9 or casing leaks? What suggestions and what policies?

10 A. Well, that's a question that we're considering  
11 very seriously now for quite a number of our clients. I  
12 think that it is -- you know, you try to be as prudent  
13 and careful as you can with those seals when you're  
14 inplacing the tubing to begin with. But you rely on the  
15 fact that typically -- first of all, we've never had a  
16 casing leak. The only leaks that we've seen are either  
17 tubing or packer seal leaks.

18 But taking one at a time, the tubing we now --  
19 one of the lessons learned is that all of the tubing that  
20 we now put together as we install the well, one, it has  
21 all FX ultra threads which, basically, are much closer  
22 threads and much finer threads than eight-round thread,  
23 which is the normal tubing thread. So it provides a  
24 better metal-to-metal seal on the tubing.

25 However, the flipside of that is that you've

1 got to be a little more careful when you put those  
2 together, and you have to have a torque wrench. You  
3 don't just throw the chain on them and slap them  
4 together. You put them together with a -- typically, we  
5 use a subcontractor that has a specific torque wrench,  
6 and we torque every one of those connections to exactly  
7 what the manufacturer specification is. That's one issue  
8 to prevent tubing leaks.

9           The other issue on the packers, we are working  
10 with Halliburton and other suppliers of those seals to  
11 try and understand why they fail when we pull them out of  
12 a well and try to determine if they've been damaged while  
13 stabbing into the actual packer.

14           Because the way these seals work, they're like  
15 piston rings on a piston, and there's six of them. And  
16 as they stab through the packer, they actually seal  
17 between the tubing and the packer. But they're actually  
18 on the tubing. They're not in the packer. So that  
19 allows you to be able to replace them.

20           So one of the things we're also looking at is  
21 having a section of tubing that has the profile nipples  
22 and all of the packer seals that would be available as a  
23 spare on the site that would allow for replacement of  
24 that. But still, I mean you still have to be able to  
25 shut the well down and get a rig out there, pull all the

1 tubing and do that.

2 But we are working with Halliburton and  
3 Schlumberger that are manufacturers of those to either  
4 improve the actual quality of those seals -- those seals  
5 are specifically designed to be resistant to acid gas, so  
6 we haven't really seen corrosion. What we've seen is  
7 more physical damage that has occurred when they're  
8 actually stabbing into the packer. And I think that's  
9 what occurred in this case, because the seal leak  
10 happened almost immediately.

11 So all I can say is it's a work in progress.  
12 We're trying to improve that, but we're also looking at  
13 increasing the number of seals that we have. Right now,  
14 there's six seals in that string. We may end up having  
15 Halliburton construct some with more seals so that if you  
16 have one fail, you still have others that will help.

17 But it's clearly -- this is an issue that  
18 isn't just an issue for us. It's an issue that a lot of  
19 material scientists are working on to try and improve the  
20 technology.

21 CHAIRMAN BAILEY: We'll look forward to  
22 that.

23 Those are all the questions I have. Do you  
24 have any rebuttal?

25 MR. SCOTT: Just a couple of quick

1 questions just to clarify.

2 REDIRECT EXAMINATION

3 BY MR. SCOTT:

4 Q. Mr. Gutierrez, you were asked some questions  
5 about prior water disposal into this well. Targa  
6 actually applied to deepen this well from 4,550 down to  
7 the depth it's currently completed at; correct?

8 A. Correct.

9 Q. So the water disposal that occurred previously  
10 was from 4,550 and above?

11 A. That's right. So it would have been more into  
12 the upper portion of that zone.

13 Q. The H2S contingency plan, just so we're clear,  
14 that plan covers a leak that would occur at the Eunice  
15 plant along the Eunice pipeline or at the acid gas  
16 injection well itself; correct?

17 A. Or the surface compression facilities at the  
18 gas injection well itself.

19 Q. So the entire system is covered by the plan to  
20 protect public safety in that document?

21 A. Absolutely.

22 Q. Looking at paragraph C of Order 12809-C, under  
23 the section on mechanical integrity test, can you read  
24 that section?

25 A. Yes. This is on page 11 out of 14 of the

1 order under the bullet titled, "Mechanical integrity  
2 test." It reads, "After installing injection tubing but  
3 prior to commencing injection operations and at least  
4 once every five years thereafter, the operator shall  
5 pressure test the casing from surface to the packer  
6 setting depth to assure casing integrity. Mechanical  
7 integrity test is also required whenever the packer is  
8 reset."

9 MR. SCOTT: Thank you. No further  
10 questions.

11 CHAIRMAN BAILEY: All right. This witness  
12 may be excused.

13 CHAIRMAN BAILEY: It's time for lunch.  
14 Let's take a break and come back at 1:00.

15 (A lunch recess was taken.)

16 CHAIRMAN BAILEY: Okay. We'll go back on  
17 the record. It's 1:00. We're continuing Case Number  
18 14575. I believe we've just finished with the  
19 cross-examination and Commission questions of Alberto  
20 Gutierrez. Did we have rebuttal of your witness?

21 MR. SCOTT: I don't have any further  
22 questions of this witness.

23 CHAIRMAN BAILEY: Okay. Then this witness  
24 may be excused, and you may call your second witness.

25 MR. SCOTT: No other witnesses at this

1 time. We reserve the right to call one of these  
2 gentlemen in rebuttal, if necessary.

3 CHAIRMAN BAILEY: Well, Ms. Gerholt, do  
4 you have an opening statement?

5 MS. GERHOLT: I do. Madam Chair,  
6 Commissioners, the Oil Conservation Division has entered  
7 its appearance in this matter not to protest Targa's  
8 application but to merely make a few suggestions for you  
9 to consider.

10 Acid gas injection wells are integral to the  
11 oil fields in New Mexico and the Division acknowledges  
12 that. The Division is asking that you, as Commissioners,  
13 consider including in Targa's permit three requirements.

14 The first is that Targa be required to conduct  
15 a test of its choice to determine whether or not a  
16 particular zone within the injection interval has more  
17 rapidly accepted the injection materials than in another  
18 zone.

19 For example, the test could be conducted after  
20 five years or 10 years of injection. By conducting this  
21 test and analyzing the data, Targa will have an accurate  
22 model and an accurate knowledge of the injection  
23 interval.

24 It will also help the Division. The Division  
25 will be able to determine if any wells are in danger or

1 if the injection interval is accepting the materials as  
2 presented in the current models.

3 The Division is also recommending that Targa  
4 conduct the mechanical integrity test once a year.  
5 Targa's already testified to the fact that they gather  
6 pressure data on an hourly basis. They have made this  
7 information available to the Division and the Division  
8 has reviewed it.

9 However, the Division is more familiar with  
10 MITs, and we have a database which collects information  
11 as an MIT, not as an hourly pressure data system, that  
12 assists the Division in performing its job of regulations  
13 because they're able to then go back through their own  
14 database and review the MITs from year to year.

15 Finally, the Division has recommended that  
16 Targa consider having a contingency plan for what happens  
17 if the well is off line for an extended period of time.  
18 The Division has made this recommendation in order to  
19 assure an open and strong communication between Targa and  
20 the Division.

21 Mr. Jones will testify on behalf of the  
22 Division today. Mr. Jones is an OCD engineer who has  
23 experience with acid gas wells and has specific  
24 experience related to Targa's Eunice AGI. He will be  
25 able to explain why the Division is asking the Commission

1 for these recommendations.

2 Again, the Division does not want to halt the  
3 permitting of Targa's AGI well, but appears before you  
4 today to provide additional information and suggestions  
5 for your consideration. Thank you.

6 At this time, I would now call Mr. Jones.

7 (One witness sworn.)

8 WILLIAM JONES

9 Having been first duly sworn, testified as follows:

10 DIRECT EXAMINATION

11 BY MS. GERHOLT:

12 Q. Good afternoon. Please state your name for  
13 the record?

14 A. William V. Jones.

15 Q. Where do you work?

16 A. The Oil Conservation Division.

17 Q. And how long have you worked for the Oil  
18 Conservation Division?

19 A. Ten years.

20 Q. And what are your job duties with the  
21 Division?

22 A. I process applications for exceptions to the  
23 rules in the Engineering Bureau and serve as a hearing  
24 officer on occasion.

25 Q. You said you worked for the Engineering

1 Bureau?

2 A. Yes, ma'am.

3 Q. Included with your duties in the Engineering  
4 Bureau, do you have the opportunity to review acid gas  
5 injection wells?

6 A. I have over the past several years.

7 Q. Are those applications for AGIs?

8 A. I look over the C-108 as it comes in.

9 Q. What's a C-108?

10 A. The C-108 is the standard form that the  
11 Division requires for injection permits. It's intended  
12 to be pretty thorough in evaluating the effects of any  
13 injection on potential impact to fresh water or movement  
14 of fluid out of a zone.

15 Q. Approximately how many C-108s related to acid  
16 gas injection wells have you had the opportunity to  
17 review?

18 A. Probably about seven.

19 Q. And prior to working for the Division, where  
20 were you employed?

21 A. I worked 20 years with Texaco, Permian Basin  
22 and Hobbs, West Texas, Eastern New Mexico for 10 years as  
23 a production engineer, reservoir engineer, reserves  
24 engineer. And then I was transferred to Denver. I  
25 worked 10 years there as explortation/exploration

1 engineer. Then I consulted for a couple of years and  
2 came here.

3 Q. So you have approximately 30, 32 years of  
4 experience in engineering?

5 A. Yes.

6 Q. And have you had an opportunity to testify  
7 previously before the Oil Conservation Commission?

8 A. Yes, ma'am, I have.

9 Q. And were you accepted as an expert by the Oil  
10 Conservation Commission in regards to engineering?

11 A. I was.

12 MS. GERHOLT: Madam Chair, at this time  
13 the Division would move Mr. Jones as an expert in  
14 engineering?

15 CHAIRMAN BAILEY: Any objection?

16 MR. SCOTT: No objection.

17 CHAIRMAN BAILEY: He's so admitted.

18 MS. GERHOLT: Thank you.

19 Q. (By Ms. Gerholt) Have you previously  
20 testified before the Commission, specifically about  
21 Targa's proposed Eunice AGI well?

22 A. Yes, I have.

23 Q. Do you recall approximately when that was?

24 A. November of 2010.

25 Q. And for the hearing today, have you had an

1 opportunity to review material submitted by Targa?

2 A. I have.

3 Q. Specifically, what materials have you  
4 reviewed?

5 A. I've reviewed the log sweep, the results of  
6 the testing as the well was deepened another 300 feet,  
7 and it was logged. It was -- they ran pipe and cemented  
8 it and then they did their injectivity testing. And I  
9 looked also at the production that's been reported for  
10 the last -- within the last year.

11 Q. If I could now draw your attention to OCD  
12 Exhibit 1. What is that?

13 A. We wanted to put this exhibit in to show --  
14 it's sort of a new technology. It looks like Targa has  
15 backed up their tracer temperature log with a new logging  
16 device. It's -- from what we understand, this is a fiber  
17 optics wire line that's in the hole, and it can read  
18 different temperatures at different depths and can do a  
19 warm-back -- what they call a warm-back analysis. And  
20 it's similar to a pressure transient analysis as far as  
21 the equations go. It's a temperature decay analysis.

22 Basically what it's intended to come up with  
23 is as they are injecting into the well, it attempts to  
24 show the rates going in at different depths in the open  
25 hole interval.

1 Q. This tracer survey was provided to us by  
2 Targa?

3 A. It was.

4 Q. And what were you able to ascertain from this  
5 survey?

6 A. From the survey, it looks like about 40  
7 percent of the upper interval is taking -- 40 percent of  
8 the rate is going into the upper interval. Excuse me.

9 Q. So a certain depth is accepting a certain  
10 amount?

11 A. Yes, a certain depth is accepting different  
12 amounts.

13 Q. Where is that 40 percent going, you said?

14 A. Well, I can show it to you on the next slide.

15 Q. Would Exhibit 2 be a good --

16 A. It would be.

17 Q. Let's go to Exhibit 2, then.

18 A. Okay.

19 Q. What is Exhibit 2?

20 A. Exhibit 2 is a log presentation that Targa --  
21 Geolex, on behalf of Targa, graciously submitted -- it's  
22 a very good presentation. It shows the -- can I go  
23 through the different log traces?

24 Q. Would you please start from the left and move  
25 to the right and tell us about the log traces?

1           A.     If you see on the left side, it says,  
2     "Grayburg, San Andres." Go down below that. It says,  
3     "Distribution of injection." That is starting at the  
4     beginning of the open hole interval, which is shown by  
5     the black solid line directly to the right of that.

6           But you can actually read the different  
7     percentages of the overall rate that's going into the  
8     different depths. And as you move to the right of that,  
9     you got the gamma ray track with the caliper and then  
10    you've got the depth track to the right of that. And as  
11    you move on across, you've got your resistivity curves.  
12    They are on a logarithmic scale, as always .2 of 2,000.

13          Q.     Mr. Jones, if I could interrupt you? This  
14    resistivity log, what are you seeing in this log?

15          A.     It shows some effective porosity with the --  
16    basically, the variability in the movement of the  
17    resistivity log shows where the effective porosity is in  
18    the well. To me, it does, in my opinion.

19          Q.     In your opinion, where is the effective  
20    porosity in the well?

21          A.     Based on -- on that log, the effective  
22    porosity would be down to about 4,450 feet.

23          Q.     Beginning at where?

24          A.     Beginning at the open hole interval.

25          Q.     Down to 4,450?

1 A. Yes.

2 Q. What's the log next to the resistivity log?

3 A. As you go over to the right, you have your  
4 porosity logs, the neutron and the density logs. Of  
5 course, the cross plot, like Mr. Dawson pointed out, is  
6 the way to look at these. I read somewhere around an  
7 effective -- or a total porosity of 11 percent over that  
8 upper interval.

9 Q. And are the porosity log and resistivity log  
10 tracking as you would expect them to?

11 A. They are. I don't want the Commissioners to  
12 lose sight of the distribution of injection shown by the  
13 tracer survey on the left. They all sort of blend  
14 together and support each other.

15 Q. How do they do that?

16 A. To me, it shows that about 50 feet of the  
17 interval, beginning at 4,350 to 4,400, is taking, in this  
18 tracer survey, about 51 percent of the fluid.

19 Q. Mr. Jones, is that represented on the  
20 distribution of injection from the portion of 38.3  
21 percent through the 14.1 percent? Is that where you're  
22 looking?

23 A. Actually, it's on the tracer survey on the  
24 left-hand side. Yeah, 38 percent is basically over a  
25 50-foot interval there.

1 Q. Okay.

2 A. As you expand that down, you could go to --  
3 100 feet of the interval is basically coinciding with the  
4 tracer survey and the logs show about 100 feet of the  
5 interval is taking the majority of the fluid on the  
6 tracer survey.

7 Q. In your opinion, which hundred feet of the  
8 interval?

9 A. 4,350 to 4,450.

10 Q. Okay. If I can keep your attention on Exhibit  
11 2, and if you will look at the microscan log on Exhibit  
12 2.

13 A. The microscanner log is shown with the  
14 multi-colored tracts over to the right, right beyond  
15 the -- where the porosity of the log cores, the sidewall  
16 cores are, and it continues on across the log. But that  
17 log is capable in some formations of showing primary  
18 stress direction in the well, which would coincide with a  
19 possible elliptical invasion radius.

20 Q. Is that what this log is showing?

21 A. I don't know. It's hard for me to interpret  
22 from this. The way to really interpret that log is to go  
23 into Schlumberger or Halliburton's offices and get them  
24 to process the log for you and look at it right there.  
25 Then they can really show you what that log shows.

1 Q. Okay. But in this log sweep the tracer  
2 survey, the resistivity log and the porosity log, were  
3 those the main logs that you used in your review?

4 A. Yes.

5 Q. Okay. If I can now have you turn to OCD  
6 Exhibit Number 3.

7 A. (Witness complies.)

8 Q. What is Exhibit Number 3?

9 A. Exhibit Number 3 is a plot of invasion radius  
10 in miles versus years of disposal.

11 Q. Did you create this graph?

12 A. Yes.

13 Q. Why did you create it?

14 A. To show the variability that can happen with  
15 different assumptions. Just one calculation is not  
16 really -- doesn't show you the variability that can  
17 happen with different, for instance, invasion thickness  
18 or -- in this case, that's all that was varied was  
19 invading thickness.

20 Q. What were the assumptions you made in this  
21 graph?

22 A. The assumptions made in this graph are  
23 effective porosity of 8 percent. That would be  
24 equivalent to about total porosity of around 11 percent.

25 Q. How did you determine an estimated effective

1 porosity of 8 percent?

2 A. I derated the 11 percent based on an  
3 irreducible water saturation.

4 Q. What was the irreducible water saturation?

5 A. I used 25 percent.

6 Q. Why did you use 25?

7 A. I worked in the San Andres for a long time,  
8 and it was rule-of-thumb number that engineers use in San  
9 Andres.

10 Q. Okay. What were the other assumptions that  
11 you used in preparing this graph?

12 A. Another big assumption here is the max  
13 disposal rate in barrels per day. I used the same rate  
14 that was used by Targa, which equates to liquid rates of  
15 4,075 barrels per day.

16 But I would point out that if that rate goes  
17 up, then that would be different or if it goes down, it  
18 would be different. But I did use that constant rate for  
19 this whole calculation.

20 Q. And then I notice on the left-hand corner of  
21 this graph, you have a key which depicts injection net  
22 thickness; is that correct?

23 A. Yes.

24 Q. Could you please tell -- well, why did you  
25 decide on the intervals of 50, 100, 150 and 200 feet?

1           A.       The effective thickness that takes that 4,075  
2 barrels was testified to, as I recall, in Mr. Gutierrez's  
3 testimony of 3,002 feet.

4                   From my evaluation of the tracer logs and the  
5 porosity logs and resistivity logs, it looks like it's  
6 thinner than that. The rate, as we know and I know from  
7 my experience, is that higher rates do divert into  
8 different intervals. But we can see from -- the pressure  
9 now in this well is around 800 pounds, injection  
10 pressure, after the acid gas injection started. And it  
11 didn't start out that way. It started out a lot higher  
12 than that.

13                   So obviously, there was some skin damage to  
14 the well, around the well. And the acid works on the  
15 carbonate, and the bigger pressure drop is always around  
16 the wellbore. So you get the wellbore stimulated with  
17 the acid and broken down, and it's been my experience  
18 that the best zones take the majority of the fluid. And  
19 tracer temperature surveys are very good at showing where  
20 your production is coming out of or your injection is  
21 going into.

22           Q.       Okay. And you've modeled through this graph  
23 as a certain zone accepts more of the injection material;  
24 is that correct?

25           A.       Yes. From what I see on the log sweep, I just

1 took the thicknesss and I varied them 50 feet and did it  
2 from 50 to 200 feet.

3 Q. And are you in agreement with Mr. Gutierrez  
4 that if 302 feet of injection thickness accepts the  
5 material, that it should graph below the purple line?

6 A. Yes.

7 Q. It would take longer to get to the half-mile  
8 radius?

9 A. To answer your question, yes. I didn't take  
10 the 302 and plug it into my equation to see where it  
11 arrives on this graph. But I would say that is correct.

12 Q. And is there anything else that you'd like to  
13 point out about this graph to the Commission?

14 A. It's a sensitivity graph. Basically, it's  
15 assuming a uniform radial invasion, not any elliptical  
16 invasion. And it basically can be looked at as a  
17 spinning top. As you spin a top, the top part of the top  
18 usually is bigger than the bottom part. That's what I  
19 would envision is happening, at least in this  
20 calculation. You can look at it like a wedding cake  
21 turned upside down.

22 MS. GERHOLT: Thank you. Madam Chair, the  
23 OCD would move Exhibits 1, 2 and 3 at this time.

24 CHAIRMAN BAILEY: Any objection?

25 MR. SCOTT: No objection.

1 CHAIRMAN BAILEY: They are so admitted.

2 (OCD Exhibits 1, 2 and 3 are admitted.)

3 MS. GERHOLT: Thank you.

4 Q. (By Ms. Gerholt) Mr. Jones, the Division has  
5 made three suggestions for the Commission to consider; is  
6 that correct?

7 A. Correct.

8 Q. According to the Oil Conservation's  
9 pre-hearing statement, what is the first suggestion?

10 A. The first suggestion is to --

11 Q. Is the Division's first suggestion for Targa  
12 to do additional testing after a certain period of time  
13 to determine which injection interval is accepting the  
14 material?

15 A. Yes, that's exactly right. That was listed  
16 first on the list.

17 Q. Would you please explain to the Commission why  
18 the OCD has made this suggestion?

19 A. We make this suggestion because we asked --  
20 the Commission asked Targa to run the step-rate test and  
21 all this testing before acid gas started last time. Now  
22 that acid gas started, you can see from Exhibit 3A of --  
23 Targa's Exhibit 3A, that things have changed in the  
24 wellbore. And there may be a difference of opinion  
25 between Mr. Gutierrez and myself as to what has changed.

1           But in my opinion, probably the most porous,  
2 permeable interval in the well is now taking the majority  
3 of the fluid. So at some point in time, we would ask the  
4 Commission to require another injection test or another  
5 temperature fallback decay test or some other test that  
6 Targa might propose.

7           Q.     Okay. Why has the Division not specified the  
8 type of test?

9           A.     Because five years from now, things might be  
10 different. There might be more technology. And we don't  
11 want to -- we specified a tracer temperature last time,  
12 and Targa informed us about these temperature decay logs.  
13 So it turns out they worked out pretty good too.

14          Q.     Technology could improve and we don't want  
15 Targa to be limited; is that correct?

16          A.     That's correct.

17          Q.     You just have mentioned five years. Is that  
18 the time you're suggesting to the Commission for the  
19 tests to be run?

20          A.     We routinely do that on injection wells, on  
21 big open hole intervals, to require within five years  
22 another injection survey to be run.

23          Q.     So that's typical business practice for the  
24 Oil Conservation Division?

25          A.     It's been the practice.

1 Q. Okay. If Targa were to run this test and  
2 provide the information to the Division, what would the  
3 Division do with it?

4 A. The Division would look at -- we would re-plot  
5 the injection rates for the time between now and the time  
6 of the test and look at the test results and get together  
7 with Targa to review it and look and see who was correct,  
8 which zone was taking the fluid.

9 Q. Would it help the Division in preventing waste  
10 or protecting correlative rights?

11 A. It would in the sense that it's important that  
12 this be not forgotten about for 30 years. Because there  
13 are unsubmitted wellbores between a half mile and a mile  
14 away from this well. Some of them are still producing  
15 from lower intervals. And if something happens to those  
16 wells, it could cause waste of oil and gas or cause a  
17 correlative rights violation.

18 Q. To be clear, you said that was between the  
19 half-mile and the one-mile radius?

20 A. Yes.

21 Q. Because Targa has already addressed the well  
22 within that smaller half-mile radius; is that correct?

23 A. Yes. Within half a mile, there's three wells.  
24 And the cement history is a bit sketchy. There was some  
25 squeeze work done, but I think they're okay. So between

1 half a mile and one mile, there's 22 wells that penetrate  
2 this interval.

3 Q. The Division's second recommendation is that  
4 an MIT be conducted every year. Mr. Gutierrez has  
5 testified this morning that he doesn't see that to be an  
6 objectionable suggestion. Why has OCD asked that an MIT  
7 be conducted once a year?

8 A. Well, our incidents -- our reporting incidents  
9 are cataloged in our database. And it's also a time when  
10 the inspector can come out and change the pressure, for  
11 instance, on the backside of the well, either increase it  
12 or decrease it and let it sit for 30 minutes and see what  
13 happens.

14 Sometimes you find that even if you've got  
15 these pressures reported all the time, every hour, which  
16 is very good and I want to keep that going, but when you  
17 change something and see what happens, then you find out  
18 if there is an issue.

19 Q. Finally, the Division has suggested that the  
20 Commission require Targa to have a contingency plan in  
21 place if something happens to the well. Why has the  
22 Division made this suggestion?

23 A. Well, the wells are now considered an integral  
24 part of the plant, and they're connected with the oil  
25 field. And yet the wells are underground injection, so

1 they're covered under the Safe Drinking Water Act, and  
2 New Mexico has primacy over that. We've got -- our  
3 U.S.C. program needs to be maintained and not impaired by  
4 a huge benefit/cost ratio issue, where if a well is shut  
5 in, there's a big impact on oil patch even. If they  
6 could start the wells back up again, we don't want that  
7 to happen.

8 Q. If I can stop you for a moment, Mr. Jones. So  
9 we acknowledge and agree that the hydrogen sulfide  
10 contingency plan submitted by Targa is acceptable by the  
11 Division and that they've taken all the measures they  
12 need to take to have an H2S contingency plan in place; is  
13 that correct?

14 A. An H2S contingency plan is never really  
15 approved, I don't believe. It's just accepted as a  
16 reasonable plan.

17 Q. And the OCD has accepted it as a reasonable  
18 plan?

19 A. That's my understanding.

20 Q. What the Division is asking for here is if  
21 there's a mechanical integrity issue with the well,  
22 what's Targa going to do; is that correct?

23 A. That's correct, but that's not all of it.  
24 Before that would be how do you determine when a  
25 mechanical integrity problem happens?

1           No matter what mechanical MIT testing interval  
2 is set by the Commission, the day after that, something  
3 might happen to the well. And if you're reporting hourly  
4 pressures and rates, there should be some agreed-upon  
5 pressure differential, for instance, with the annulus  
6 tubing that can trigger a call to our district office.

7           Q.     Is part of what the Division is asking is for  
8 there to be a meeting between the district office and  
9 Targa to determine the criteria of pressure differences  
10 that could indicate that there's a mechanical integrity  
11 issue and that that would lead to an immediate  
12 notification to the OCD?

13          A.     That would be the first step, or something  
14 similar to that.

15          Q.     Okay. And would notification of producers be  
16 also appropriate if that first criteria is met? If  
17 something shows that there might be a mechanical  
18 integrity issue and the OCD is notified, would you  
19 recommend that Targa then notify producers?

20          A.     There's a business relationship obviously  
21 between Targa and their producers, and on our end is the  
22 URC program, I would say.

23          Q.     And does the Division also hope to take a  
24 proactive step in assuring that the Division and Targa  
25 can work together to remedy any sort of mechanical

1 integrity situation that occurs?

2 A. Yes.

3 Q. Okay. But to be clear, the Division is not  
4 requiring any specific sort of second well to be drilled  
5 or for, obviously, the SRU is no longer an option, but  
6 that the Division is not trying to step into Targa's  
7 business plans; is that correct?

8 A. That's correct.

9 Q. Okay. As an engineer, do you think that acid  
10 gas injection wells are integral to production now?

11 A. They definitely are.

12 Q. Why is that?

13 A. You have to get rid of the acid gas. You have  
14 to get rid of H<sub>2</sub>S, and now you have to get rid of the CO<sub>2</sub>  
15 somehow by the EPA. Underground injection is recognized  
16 by the EPA as a safe way of disposing of waste.

17 What was the first part of your question?

18 Q. You've answered the question, Mr. Jones. Has  
19 Targa collected and provided the Division with good  
20 information?

21 A. They have done an excellent job of gathering  
22 and -- before this, we had no decent logs really in this  
23 area to look at, and we have an updated step-rate test  
24 based on the new interval.

25 Obviously, if the interval changes by more

1 perforations, that might need to be changed, including  
2 the temperature survey. But they've done an excellent  
3 job in gathering information and compiling it, reporting  
4 the data, correcting the previous production data.  
5 They've done a good job.

6 Q. If the Commission were to allow Targa to  
7 perforate uphole, as they've requested, do you have any  
8 suggestions to the Commission about if any surveys should  
9 be run?

10 A. I think if additional interval is perforated  
11 that is even more porous and permeable, you could look at  
12 it two ways: One way is, you look at that it increases  
13 the interval, so you decrease the amount of time it takes  
14 to get to half a mile with the plume. What we're looking  
15 at here is the plume.

16 But the other step is -- the other way of  
17 looking at it is, if you break in to an interval that has  
18 obviously been excellent in the previous completed  
19 interval in this well, that it's possible that interval  
20 might take preferentially into that zone and go further  
21 in a faster amount of time.

22 Q. And Targa has requested a 1,600 psi; is that  
23 correct?

24 A. That's --

25 Q. For their MAOP?

1 A. Yes.

2 Q. Do you think that's appropriate, or do you  
3 have any suggestions for the Commission as in regards to  
4 the maximum --

5 A. If pure water is going into the well, that  
6 would be a little bit high. Unfortunately, there's not a  
7 huge breakover slope on this step-rate test. So if there  
8 were, that means that you exceed the fracture pressure,  
9 it goes somewhere in a hurry.

10 If it's pure water, obviously 1,375 or so --  
11 we usually use a 50-pound safety factor, you know. So I  
12 like the idea of a simplified -- that they are proposing  
13 here, a simplified pressure number. You asked if 1,600  
14 is good. I would say 1,600 is probably okay.

15 Q. Okay. Does the Division oppose issuance of an  
16 acid gas injection permit to Targa?

17 A. Not at all.

18 MS. GERHOLT: Thank you. I pass the  
19 witness at this time.

20

21 CROSS-EXAMINATION

22 BY MR. SCOTT:

23 Q. Mr. Jones, if I could clarify, because I'm not  
24 sure I fully understood the third recommendation. Is the  
25 recommendation that the permit simply include some

1 requirement that Targa and the Division meet and confer  
2 and develop some sort of pressure criteria or other  
3 metric that would trigger a notification requirement?

4 A. Notification requirement would be, I would  
5 think, the most important part of that, the meeting, the  
6 results of the meeting. The criteria for when the  
7 district is notified would be the most important thing.

8 Q. That would be notification of a potential  
9 issue that could lead to a mechanical problem with the  
10 well?

11 A. That would -- actually, that could be it.  
12 There is an understanding, and the way our districts  
13 operate is, 90-day fix on -- I believe it's 90 days.  
14 That's the my testimony here -- 90-days fix.

15 And the way our district office in Hobbs does  
16 it is, if there's a leak in the backside or an MIT  
17 problem, the well is shut in immediately and there's 90  
18 days given to fix the well.

19 So if any exceptions need to be worked out in  
20 that as it's going to impact somebody as to what type of  
21 MIT problems should be granted an exception to that, I  
22 would urge Targa to get with our district office or --  
23 we're here in the setting of the Commission. The  
24 Commission could urge that too.

25 Q. So the recommendation is not that a specific

1 plan be developed that says you're going to take X step  
2 to either drill a new well or re-work the existing well  
3 or take some other alternative step. It's just simply to  
4 notify the Division that there's a potential issue?

5 A. That would be the first part of the step. If  
6 they can work out how to handle the MIT problem as it  
7 happens, that would be good too, in advance. Because  
8 that would obviously help Targa's business practice.

9 And we have some very experienced people in  
10 Hobbs, and they've seen casing issues on wells. And  
11 Targa has a big investment here in their well, and they  
12 wouldn't want to lose their well. So I think they need  
13 to work with our district.

14 Q. Has the Division requested or imposed a  
15 similar condition in any other acid gas injection well  
16 permit that you're aware of?

17 A. On the fly, we're working on some.

18 Q. Are there any existing permits that have this  
19 condition now that you're aware of?

20 A. No.

21 Q. Thank you. There are, at the present, no  
22 specific regulations governing the development of acid  
23 gas injection wells; correct?

24 A. Correct.

25 Q. You spent some time talking about Exhibit 2.

1 I think you looked at the porosity and resistivity and  
2 the tracer logs in particular; correct?

3 A. Yes, sir.

4 Q. What distance from the bore hole do those  
5 measures go to?

6 A. The resistivity log probably goes to 90 feet.  
7 The porosity logs are obviously extremely close by the  
8 well. The FMI is a measurement of the bore hole, so it's  
9 right there at the bore hole. The tracer temperature,  
10 especially the temperature log, would go further out.

11 Q. As to the first couple, those are in roughly  
12 the immediate vicinity of the bore hole?

13 A. Yes, sir.

14 Q. So the indications from those are not going to  
15 reflect that the information they're reflecting is  
16 uniform and extends out any significant distance from the  
17 bore hole?

18 A. That's exactly correct.

19 Q. From the data you were looking at, you can't  
20 necessarily say whether what you're observing is  
21 continuous for some distance or not?

22 A. We can't.

23 Q. The request to conduct a further test on the  
24 injection after some period, is five years enough time,  
25 or would 10 years be a better period of time to allow

1 adjustment of the well and get an indication of  
2 conditions?

3 A. Ten years would have the advantage of getting  
4 more rate history in, and I like the fact of keeping  
5 track of the rate history. This whole assumption is  
6 based on five million a day acid gas and, what, 1,750 of  
7 liquids. So if those things change -- so 10 years is not  
8 bad. Five years is our normal -- what we usually pick as  
9 a time. But 10 years is not bad.

10 MR. SCOTT: Okay. No further questions.

11 CHAIRMAN BAILEY: Commissioner Dawson?

12 EXAMINATION

13 BY COMMISSIONER DAWSON:

14 Q. So it sounds to me like you'd rather see them  
15 test on a yearly basis, MIT tests?

16 A. Yes, sir. Ideally, some criteria would be set  
17 up to where a relationship of the pressures would trigger  
18 a call to our district office. And at that time, there  
19 would be an MIT run on the well. But yes, we're asking  
20 in our application for a one-year formal MIT.

21 Q. What about the temperature survey? Would  
22 you --

23 A. Temperature survey, the time we were just  
24 discussing -- in case the Commission decides what type of  
25 test or limits to a temperature survey or a better type

1 of testing, and that would be a temperature decay, the  
2 new technology, temperature decay. The time we're  
3 applying for is five years because of our standard  
4 five-year practice.

5           You can see from Exhibit 3A of Targa's that  
6 the well looks like it's come down and -- stabilize is a  
7 hard word to say, but 800 pounds is sure not what it  
8 started out at. In other words, the tests could be done  
9 next week and I think it would show a lot of difference  
10 here, and we would know then if it was a thicker or  
11 thinner interval taking the fluid.

12           Q.     So if their request is granted for the upper  
13 interval to be perforated to take the injectate, then  
14 that graph would considerably change in that regard?

15           A.     It would. The attempt, of course, in the last  
16 hearing was to stay away from the top of the San Andres,  
17 stay away from that Glorieta down below the San Andres,  
18 and they've done that with a lot of expense here.

19                     And they've -- basically, the well that they  
20 ended up with may not be quite as good, in my opinion, as  
21 the well they had as far as injectivity goes. But I  
22 think it's adequate for the amount that they're proposing  
23 to put into it.

24                     I looked at the wellbores around in the upper  
25 part of the San Andres, and there's 94 wells that are

1 producing or injecting above the San Andres within a mile  
2 of this well, and they're older wells. The records are  
3 real sketchy about how far down in the San Andres they  
4 went to hit that water, and then they plug them back.  
5 Obviously, they do the first few wells that way and then  
6 the producer's development wells are not much of a danger  
7 of that. But the research on 94 wells takes a long time,  
8 so I think we're okay on that.

9 And I hate to say not allow that interval to  
10 be injected into. But I would ask the Commission to  
11 consider limiting the rate, if they do that, that's gone  
12 into this well to the rate that's applied for in this  
13 application, which is five million cubic feet a day total  
14 acid gas. It's on the brief executive summary of Targa  
15 Exhibit 1.

16 COMMISSIONER DAWSON: No further  
17 questions. Thank you.

18 CHAIRMAN BAILEY: Commissioner Balch?

19 EXAMINATION

20 BY COMMISSIONER BALCH:

21 Q. This is going to be the third time you hear  
22 this same question. On those extra perms, in your  
23 opinion, if you go back to your chart and they really  
24 have an injection net thickness of 100 feet, and they  
25 would hit that radius at 21 years. If they have a

1 thickness of 150 feet, they would hit it at 30 or 31  
2 years, thereabouts.

3 I really would like you to just kind of answer  
4 yes or no. Do you think they ought to perf and when  
5 should they perf if they are to do so?

6 A. I think they should only perf if they need  
7 more -- they're at 800 pounds now. Their maximum  
8 pressure limit would probably, as a result of this  
9 hearing, go up to close to 1,600, so they don't need it  
10 yet. And they may be asking for that blessing to do that  
11 right now. But I would say, based on my experience, I  
12 would stay out of that zone, because you're going to  
13 reach the problem wells faster if you get into that zone.

14 Q. So delay that decision for a later hearing if  
15 they need those perfs?

16 A. There's a lot that can happen in five or 10  
17 years as far as those wells, and there could be some  
18 geophysics or something that could nail down the plume  
19 size. But I would ask for it to be denied right now.

20 Q. My next question, and Chairman Bailey may  
21 correct me, but we've done several acid gas hearings, and  
22 it seems to me that we've been asking for MIT tests every  
23 two years.

24 A. Yes.

25 Q. If we want to apply consistency, would having

1 an MIT every two years for this well, along with your  
2 contingency of notification from their continuous  
3 monitoring, be sufficient?

4 A. Consistency is very good. I like consistency.  
5 And the Commission's decision to go from five years to  
6 two years on another well that I know about, resulted in  
7 finding out some important things about that well that we  
8 wouldn't have found out about maybe for another three  
9 years.

10 So I would stick to the request that we made  
11 in this book for this specific well because of the 25  
12 wells that penetrate the San Andres within a mile of it,  
13 the porous cement in this area, 94 shallow wells that are  
14 above the San Andres in this area.

15 An MIT failure could get up into that Grayburg  
16 waterflood zone. It's a waterflood zone, is what it is.  
17 So waterflood zones collapse casing all the time.

18 Obviously, the contingency plan, if it works  
19 out that way, would be very good. But it's not -- it  
20 doesn't substitute for an inspector actually going out  
21 there and consulting with them. Because our inspectors  
22 talk to producers all the time. They look at wells all  
23 the time. They have experience in what might be an issue  
24 that -- so I would stick with the one year. That's what  
25 I would request.

1 COMMISSIONER BALCH: Those are my  
2 questions.

3 CHAIRMAN BAILEY: I have no questions. Do  
4 you have rebuttal on questions that were asked?

5 MS. GERHOLT: Just a clarification point.

6 REDIRECT EXAMINATION

7 BY MS. GERHOLT:

8 Q. Mr. Jones, in regards to the Division's third  
9 request, isn't it true that the Division is requesting  
10 that Targa and the OCD meet to set up the criteria for  
11 when we would be notified if there's potential mechanical  
12 integrity failure; is that correct?

13 A. Correct.

14 Q. And that that set up of a criteria could  
15 initiate an MIT to be conducted; is that correct?

16 A. That's correct.

17 Q. And that this is just our hope for proactive  
18 communication between the two agencies?

19 A. Yes.

20 MS. GERHOLT: Okay. I have nothing  
21 further.

22 CHAIRMAN BAILEY: You may be excused.  
23 Do you have any other witnesses?

24 MS. GERHOLT: The Division rests.

25 MR. SCOTT: May I have one moment to

1 confer with my witness about whether we're going to  
2 address one issue?

3 CHAIRMAN BAILEY: Sure. We're going to  
4 take a few minutes.

5 MR. SCOTT: Okay. Thank you.

6 (A discussion was held off the record.)

7 MR. SCOTT: Madam Chair, we would call  
8 Alberto Gutierrez.

9 CHAIRMAN BAILEY: Mr. Gutierrez, you're  
10 still under oath.

11 REBUTTAL EXAMINATION

12 BY MR. SCOTT:

13 Q. Mr. Gutierrez, looking at Exhibit 2 of the  
14 OCD, Mr. Jones talked a great deal about the thickness  
15 available, and he did an analysis of 50, 100, 150 feet  
16 and so on. In particular, he focused on this area of  
17 roughly 38, 39 percent shown on the left side of Exhibit  
18 2?

19 A. Yes, sir.

20 Q. Can you address Mr. Jones' concerns or  
21 comments about that area being a preferential zone for  
22 accepting the injectate?

23 A. Yes. Clearly, that zone is taking a  
24 significant portion based on this test that was done.  
25 But what I would remind the Commission is that actually,

1 if you look at this same OCD Exhibit 2, that really the  
2 zone between about 4,250 and 4,500 is what is taking the  
3 bulk of the flow. That would be about 250 feet of the  
4 zone. Then there's a zone below that that is taking very  
5 little or no flow and a zone at the bottom that's taking  
6 another 11 or 12 percent.

7 So I think that the -- while I would agree  
8 with Mr. Jones that, you know, based on his assumptions,  
9 which I think are reasonable assumptions in the context  
10 of the rate and the porosity -- there's no disagreement  
11 there -- but that I don't believe that at least the upper  
12 two curves that are shown on here, the 50- or 100-foot  
13 curves, really are representative of what we're seeing  
14 when you consider the distance away from the wellbore.

15 I think it's really -- our belief is that that  
16 flow is spread out over about 300 feet. But you know, I  
17 would agree there is some potential for that to vary. I  
18 think 200 feet is the absolute minimum that I would feel  
19 comfortable assuming.

20 But the most important thing that I would say  
21 is that, based on the characteristics of the San Andres,  
22 once you move away from that wellbore, it's not likely  
23 that that flow is going to stay continuous in those zones  
24 because it is a massive carbonate that has been  
25 diagenetically altered and that flow tends to even out as

1 you get further away from the well. Or there may be  
2 other zones that may take it more preferentially at other  
3 distances away from the well.

4 So I would just ask the Commission to keep  
5 that in mind, and that I think what we're proposing is a  
6 very reasonable time limit for the permit under these  
7 conditions.

8 MR. SCOTT: All right. Thank you.

9 CHAIRMAN BAILEY: Ms. Gerholt?

10 MS. GERHOLT: No questions.

11 CHAIRMAN BAILEY: Commissioner Dawson?

12 EXAMINATION

13 BY COMMISSIONER DAWSON:

14 Q. On Exhibit 2, the 38.3 percent curve on the  
15 distribution of injection there --

16 A. Yes, sir.

17 Q. -- that zone there, is that the zone -- would  
18 that correlate to the zone that he spoke of that's  
19 producing from the 90-plus wells in the area?

20 A. Absolutely not. That zone would be about 400  
21 feet below that zone.

22 If you look on Exhibit 2, the zone that  
23 Mr. Jones was referring to is the Grayburg, which is  
24 above -- it's at roughly about 4,000 feet in this area,  
25 so we're way below that.

1                   As a matter of fact, as Mr. Jones testified, I  
2 think that's the reason why the Division originally  
3 wanted their injection restricted to the area below  
4 4,250.

5                   COMMISSIONER DAWSON: No further  
6 questions. Thank you.

7                   COMMISSIONER BALCH: I have no questions.

8                   CHAIRMAN BAILEY: I have none.

9                   You may be excused.

10                  Do you rest your case?

11                  MR. SCOTT: We do.

12                  CHAIRMAN BAILEY: Do you rest your case?

13                  MS. GERHOLT: We do, Madam Chair.

14                  CHAIRMAN BAILEY: Do I hear a motion to go  
15 into executive session in accordance with New Mexico  
16 Statute 10-15-1 and the Oil Conservation Commission  
17 resolution on open meetings?

18                  COMMISSIONER DAWSON: I make that motion.

19                  CHAIRMAN BAILEY: Do I hear a second?

20                  COMMISSIONER BALCH: I'll second.

21                  CHAIRMAN BAILEY: All those in favor?

22                  We will go into executive session to  
23 deliberate and we will come back out and announce our  
24 decision and ask the attorneys to develop draft orders  
25 for use of the Commission Counsel.

1 (Whereupon the Commission went into executive session.)

2 CHAIRMAN BAILEY: Do I hear a motion to go  
3 back on the record?

4 COMMISSIONER DAWSON: I'll motion.

5 COMMISSIONER BALCH: I'll second.

6 CHAIRMAN BAILEY: All those in favor?

7 The only topic that was discussed during our  
8 executive session was this case, and I would ask our  
9 Commission Counsel to outline the decision and the  
10 requests of the attorneys.

11 MR. BRANCARD: Thank you, Madam Chair.  
12 Case 14575, Order R-12809-C, required Targa to come back  
13 to the Commission with information on its wells. The  
14 Commission finds that Targa has presented that  
15 information as required by the order.

16 Targa has requested several matters from the  
17 Commission: To issue a long-term permit of 30 years for  
18 the well for acid gas injection; to increase the  
19 pressure, allowable pressure; and to increase the  
20 perforation zone.

21 The Commission has determined that a permit  
22 for 30 years will be issued. The permit will have a  
23 10-year review period along with the 30-year term, and  
24 I'll explain a little more about that later.

25 The pressure as requested by Targa can be

1 increased to a maximum of 1,600 psi. We understand that  
2 the issue was never raised, but the volume number that is  
3 in the permit now remains the same.

4 Targa's request to increase the perforation  
5 zone is denied based on insufficient data at this point  
6 to support that increase.

7 The Division has requested a number of  
8 conditions to be placed in the order. The first  
9 condition was to require further testing at some  
10 intervals to determine whether the distribution of  
11 injection profile that is shown in several of the charts  
12 presented by Targa can be further verified in the future.

13 The Commission agrees that such tests should  
14 occur every 10 years. It is to precede the review that  
15 occurs during the 10-year review and will be based on  
16 that testing. Again, as the Division has noted, if the  
17 tests -- you have a test today that works. Ten years  
18 from now, if you have a better test 10 years from now to  
19 determine that profile of the distribution of injection,  
20 then please work with the Division to agree on that.

21 Mechanical integrity tests will be annual for  
22 this permit due to the unique conditions on a number of  
23 surrounding wells in this area.

24 The Division has requested that it work with  
25 Targa on a contingency plan, and the Commission agrees

1 that such plan should be worked on. The plan will focus  
2 on questions of potential mechanical failure and what is  
3 the backup for Targa in that case, when to notify the  
4 Division of potential concerns, when to notify producers,  
5 and under what conditions OCD may require an additional  
6 MIT at the location. Have I covered all the --

7 CHAIRMAN BAILEY: Yes, that's everything  
8 in my notes. Thank you. We ask that the draft orders be  
9 submitted three weeks from today.

10 Are there any other topics on this case?

11 MS. GERHOLT: Not from the Division.

12 MR. SCOTT: No. Thank you.

13 CHAIRMAN BAILEY: Then we'll go on to our  
14 next order of business, which has to do with the Oil  
15 Conservation Division's application for re-hearing of  
16 Rule Amendment 19.15.14.8 in Case Number 14744.

17 Call for appearances.

18 MR. SCOTT: Gabrielle Gerholt on behalf of  
19 the Division.

20 CHAIRMAN BAILEY: Do you have any  
21 witnesses?

22 MS. GERHOLT: I do not.

23 MR. FELDEWERT: Madam Chair, Michael  
24 Feldewert appearing on behalf of the New Mexico Oil & Gas  
25 Association, and we have no witnesses.


## REPORTER'S CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO  
HEREBY CERTIFY that on February 23, 2012, proceedings in  
the above captioned case were taken before me and that I  
did report in stenographic shorthand the proceedings set  
forth herein, and the foregoing pages are a true and  
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by  
nor related to nor contracted with any of the parties or  
attorneys in this case and that I have no interest  
whatsoever in the final disposition of this case in any  
court.

WITNESS MY HAND this 7th day of March, 2012.

  
Jacqueline R. Lujan, CCR #91  
Expires: 12/31/2012