

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

AMENDED APPLICATION OF CONOCOPHILLIPS Case 14775
COMPANY, INC., FOR AMENDMENT OF DIVISION
ORDER NO. R-5897 AND SPECIAL RULES FOR THE
EAST VACUUM GRAYBURG-SAN ANDRES UNIT PRESSURE
MAINTENANCE PROJECT AREA, LEA COUNTY, NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

RECEIVED OCD
2012 APR 1 P 2:29

BEFORE: WILLIAM V. JONES, Technical Examiner
DAVID K. BROOKS, Legal Examiner

March 29, 2012

Santa Fe, New Mexico

This matter came on for hearing before the
New Mexico Oil Conservation Division, WILLIAM V. JONES,
Technical Examiner, and DAVID K. BROOKS, Legal Examiner,
on Thursday, March 29, 2012, at the New Mexico Energy,
Minerals and Natural Resources Department, 1220 South St.
Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105
Albuquerque, NM 87103 505-843-9241

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE APPLICANT:

HOLLAND & HART
ADAM G. RANKIN, ESQ.
110 N. Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505)988-4421

WITNESSES:

PAGE

Cheryl Mnich:

Direct examination by Mr. Rankin
Examination by Examiner Jones

3
11

Chibuike Njoku:

Direct examination by Mr. Rankin
Examination by Examiner Jones

15
25

INDEX

PAGE

EXHIBITS 1 THROUGH 5 WERE ADMITTED
EXHIBITS 6 AND 7 WERE ADMITTED

11
25

REPORTER'S CERTIFICATE

34

1 EXAMINER JONES: We'll go back on the
2 record and call Case 14775, amended application of
3 ConocoPhillips Company, Inc., for amendment of Division
4 Order R-5897 and special rules for the East Vacuum
5 Grayburg-San Andres Unit Pressure Maintenance Project
6 Area, in Lea County, New Mexico. Call for appearances.

7 MR. RANKIN: My name is Adam Rankin, with
8 Holland & Hart in Santa Fe. I'm here on behalf of
9 ConocoPhillips Company, and I've got two witnesses today.

10 EXAMINER JONES: Any other appearances?
11 Will the two witnesses stand and state your
12 names?

13 MS. MNICH: Cheryl Mnich.

14 MR. NJOKU: Chibuike Njoku.

15 (Two witnesses were sworn.)

16 MR. RANKIN: Mr. Examiner, I call my first
17 witness, Ms. Mnich.

18 CHERYL MNICH

19 Having been first duly sworn, testified as follows:

20 DIRECT EXAMINATION

21 BY MR. RANKIN:

22 Q. For the record, can you please state your
23 name?

24 A. Cheryl Ann Mnich.

25 Q. By whom are you employed?

1 A. ConocoPhillips.

2 Q. What is your current position?

3 A. Senior geologist.

4 Q. Have you previously testified before the Oil
5 Conservation Division?

6 A. Yes.

7 Q. Have your credentials as an expert in
8 petroleum geology been accepted as a matter of record?

9 A. Yes.

10 Q. What are your current responsibilities for
11 day-to-day operations at the East Vacuum Grayburg-San
12 Andres Unit operated by ConocoPhillips?

13 A. I provide geologic support to our team for
14 addressing changes in injection and production on a
15 day-to-day basis.

16 Q. Are you familiar with the application that was
17 filed in this case?

18 A. Yes.

19 Q. Have you prepared some exhibits for today?

20 A. Yes, I have.

21 MR. RANKIN: Mr. Examiner, I'd like to
22 tender Ms. Mnich as an expert in petroleum geology.

23 EXAMINER JONES: She is so qualified.

24 Q. (By Mr. Rankin) Can you briefly state what it
25 is that ConocoPhillips seeks with this application today?

1 A. We're seeking to amend Rule 11 in Order Number
2 R-5897 that currently requires injection packers to be
3 set within 100 feet of the top perforation. We'd like to
4 amend this for all present and future injection wells,
5 such that the packer can be set as close as reasonably
6 possible to the top perforation as long as it remains
7 within the unitized interval.

8 And we currently have some injection packers
9 that are already more than 100 feet above the
10 perforations, and we have a number of wells also that
11 will soon be at that depth.

12 Q. Thank you. Now, just to be clear,
13 ConocoPhillips amended its application to request an
14 increase in pressure injection but you've dismissed that
15 from the case; is that correct?

16 A. Correct.

17 Q. Please turn, Ms. Mnich, to what's marked
18 ConocoPhillips Exhibit 1. Would you please review for
19 the Examiners what this shows?

20 A. Sure. This is a map showing the location of
21 ConocoPhillips' East Vacuum Grayburg-San Andres Unit
22 located in Lea County, New Mexico. The blue outline is
23 our EVGSAU. We are offset to the west by Chevron, who
24 owns and operates the Central Vacuum Unit and Vacuum
25 Grayburg-San Andres Units.

1 Q. Chevron has recently applied for a very
2 similar application, have they not, where they requested
3 to reset the packer depths for their two units?

4 A. Yes. And we're requesting the same rule
5 amendment that they applied for and received in Order
6 R-4442-G, where they received a unit-wide amendment to
7 set the injection packer as close as reasonably possible
8 as long as it remains within the unitized interval.

9 Q. And you're going to provide an overview of the
10 geology of the unit, and the second witness will be
11 testifying as to the engineering issues; correct?

12 A. Correct.

13 Q. Please turn to Exhibit Number 2 and review for
14 the Examiner what this shows.

15 A. Yes. On this exhibit in the lower right
16 corner, it will show a map to orient where the vacuum
17 field is located relative to the New Mexico border in the
18 United States.

19 Again, the blue outline shows our unit
20 boundary, and each of the blue circles with the line
21 through it represents one injection well. So this shows
22 the distribution of the injection wells throughout the
23 unit, and we have 116 injection wells currently.

24 And the A to A prime line is the wells that
25 were selected for use in the cross-section to give a

1 representative idea of what the formations look like
2 across the field east/west.

3 Q. Now turn to Exhibit Number 3, which is, I
4 believe, the cross-section of the unit. Please review
5 for the Examiners the formations and what this
6 cross-section shows.

7 A. Sure. Again, it's east/west, and this is
8 showing the relative thickness and depths of the
9 formations from surface down. I'll start from the top.
10 From the surface down to about 1,500 to 1,600 feet, are
11 the Santa Rosa and Dewey Lake Formations; the Santa Rosa
12 around 250 to 300 foot depth is where the shallow aquifer
13 groundwater is.

14 Below the Dewey Lake is the Rustler and
15 Salado, which is in blue here. And it's predominantly
16 halite or salts with some anhydrite and thin sand
17 interbedded.

18 Below that is Tansill Formation, which is
19 anhydrite and sand.

20 The Yates sits below that and is predominantly
21 dolomite and sandstones with some anhydrites, as well.
22 Seven Rivers is predominantly dolomite and anhydrite.
23 The Queen is predominantly sandstone and anhydrite.

24 And then in green here is the Grayburg, which
25 represents the top of our unitized interval, and it's

1 sandstone. And then below that is the San Andres, which
2 is our targeted injection interval. It's a dolomite
3 reservoir.

4 And also, I've indicated on here by the red
5 bars, this is the top depth of our -- our top perforation
6 depth in these wells. And you'll see that they're
7 commonly right at the top of the San Andres Formation,
8 since that is our target and injection interval.

9 And there's roughly 250 feet from the top of
10 the unitized interval down to our top perforation, on
11 average.

12 Q. Thank you, Ms. Mnich. And so in general, the
13 packer settings are within the San Andres Formation or
14 the Grayburg; is that correct?

15 A. Correct. They're predominantly in the
16 Grayburg, a few in the San Andres.

17 Q. Under the proposed amendment, the packers will
18 still be set within the Grayburg and San Andres, and that
19 won't change; correct?

20 A. Correct.

21 Q. Please briefly describe for the Examiners the
22 geology of the Grayburg Formation.

23 A. Sure. The Grayburg again is predominantly
24 sandstone, but it is plugged up with anhydrite, very low
25 permeability. It's really tight. And the vacuum, that's

1 non-reservoir. And the higher up you go in the Grayburg,
2 the less permeable it is.

3 Q. And what's the significance of the low
4 permeability in the Grayburg as far as the unit is
5 concerned?

6 A. The Grayburg, therefore, acts as a barrier or
7 seal to our injection interval to prevent vertical
8 migration of our injection fluids upwards.

9 Q. Are any of the formations overlying the unit
10 considered productive of oil and gas?

11 A. The Yates is productive at Vacuum Field in
12 small amounts, and yeah, just the Yates.

13 Q. And are there any other formations that
14 contain salt or carsts or potash?

15 A. Again, the Rustler and Salado is predominantly
16 the salt section.

17 Q. Has ConocoPhillips seen any evidence of
18 contamination of injection fluids in any of the overlying
19 formations?

20 A. No, we have not.

21 Q. Thank you, Ms. Mnich. Now, turning to notice,
22 can you please turn to what's marked as Exhibit Number 4?
23 Is this a copy of the affidavit prepared by your attorney
24 indicating that ConocoPhillips has filed the prescribed
25 notice requirements under the Division rules?

1 A. Yes, it is.

2 Q. Turning the page, is this a list of the
3 operators who were notified of this application?

4 A. Yes, it is.

5 Q. How did ConocoPhillips determine who to
6 notify, who the operators were that were notified?

7 A. We notified all operators within a half mile
8 of the unit boundary.

9 Q. On the next page, is that a copy of the letter
10 that was sent to all operators within a half mile of the
11 unit boundary?

12 A. Yes.

13 Q. And turning the page again, are these the
14 green cards that were received demonstrating that all
15 operators received actual notice?

16 A. Yes.

17 Q. Turning to Exhibit 5, is this a copy of the
18 legal ad that ran in the paper notifying of the
19 application and the affidavit of publication?

20 A. Yes.

21 Q. Ms. Mnich, were Exhibit Numbers 1 through 5
22 prepared by you or under your supervision?

23 A. Yes.

24 MR. RANKIN: Mr. Examiner, I'd like to
25 tender for admission Exhibits 1 through 5.

1 EXAMINER JONES: Exhibits 1 through 5 are
2 admitted.

3 (Exhibits 1 through 5 were admitted.)

4 MR. RANKIN: I pass the witness.

5 EXAMINATION

6 BY EXAMINER JONES:

7 Q. So the top of the Grayburg is the top of the
8 unitized interval?

9 A. Correct.

10 Q. So it coincides with the top of the pool, is
11 that correct, the Vacuum Grayburg-San Andres pool?

12 A. Correct.

13 Q. And the bottom of the unitized interval, is it
14 still 800 feet below sea level out there?

15 A. I would have to double check. But I think it
16 comes out closer to around minus 1,000 feet subsea.

17 Q. 1,000 subsea?

18 A. Yes, I believe. I can double check and get
19 back with that.

20 Q. Okay. I think that it was 800 on the Central
21 Vacuum and the Vacuum Grayburg for years, and then they
22 lowered it because the East Vacuum Grayburg was lower
23 than 800.

24 A. I think ours was lower, from what I remember.

25 Q. You're down in the transition zone?

1 A. Yes, we are.

2 Q. How is that working out?

3 A. It's going. We started getting some good
4 tests finally, so 50, 60 barrels a day.

5 Q. Okay. So the top perms, you're comfortable
6 staying within the unitized interval just reasonably --
7 whatever is reasonable above it.

8 How old are these injection wells?

9 A. Some of them date back to the 1930s.

10 Q. So Phillips didn't drill all new injection
11 wells when they put this project in?

12 A. No. There are wells that were drilled in the
13 '70s and '80s. I'm not actually sure how many are of
14 what vintage. We could go back and find that and provide
15 that information.

16 Q. That's okay. I'll talk to the engineer about
17 it.

18 A. Okay.

19 Q. If you do set your packer up in the Grayburg,
20 it won't affect your water flood at all if you get casing
21 leaks in the Grayburg below your packer? Will it affect
22 your sweep of the San Andres if you have some issues with
23 your casing below your packers?

24 A. I don't think so.

25 Q. Because of the --

1 A. Because we're not going to lose any fluids
2 into the Grayburg, essentially. There's nowhere for it
3 to go in the Grayburg.

4 Q. It's too tight?

5 A. It's too tight.

6 Q. It's not being produced in the Grayburg?

7 A. No.

8 Q. And is it true that you're dismissing the
9 other part of this application?

10 A. Correct.

11 Q. Why was that?

12 A. We needed some more time to get our data
13 together, and we'll be seeking that at a later date.

14 Q. Okay.

15 A. We needed to get this taken care of a little
16 more soon.

17 Q. As far as finding representative wells to do
18 step rate tests, you can talk to us about that in the
19 process?

20 A. Yes.

21 Q. You know, your engineer and yourself would
22 know which ones are representative?

23 A. I believe we received word that any well that
24 we wanted to change the pressure on, we would have to get
25 a step rate test for each individual well.

1 Q. Okay.

2 A. So we've been trying to select the ones that
3 are most important to us to get that changed.

4 Q. Okay. You can listen to your attorney on a
5 lot of this, because what we tell you and what you're
6 going to apply at a hearing -- you can always apply for
7 something.

8 A. I don't know.

9 Q. If you can show a reasonable representative
10 sample across the unit --

11 A. Okay.

12 EXAMINER JONES: We can talk about that
13 later. But go with what your attorney advises you.

14 I don't have any more questions. Thank you
15 very much for coming.

16 MR. RANKIN: I have nothing further for
17 Ms. Mnich.

18 EXAMINER BROOKS: No questions.

19 MR. RANKIN: We'll call our next witness,
20 Mr. Chibuike Njoku.

21 I'm going to call you by your first name, if
22 that's okay, so I don't trip up on my pronunciation.

23 THE WITNESS: That's good.

24

25

1 CHIBUIKE NJOKU

2 Having been first duly sworn, testified as follows:

3 DIRECT EXAMINATION

4 BY MR. RANKIN:

5 Q. State your name your full name for the record?

6 A. Chibuike Njoku.

7 Q. Just a reminder that you're under oath.

8 By whom are you employed?

9 A. ConocoPhillips Company.

10 Q. What is your current position with
11 ConocoPhillips?

12 A. Production engineer for the vacuum field.

13 Q. Have you previously testified before Oil
14 Conservation Division?

15 A. No.

16 Q. Can you please review your educational
17 background and work experience for the Division?

18 A. Sure. I graduated from Texas A&M University
19 in petroleum engineering in 2008. Before that, I had two
20 internships in the Permian Basin and Gulf of Mexico shell
21 waters. And since coming to ConocoPhillips -- I worked
22 for South Texas Assets in Alaska, and for the last two
23 years, I've been working the vacuum field as a production
24 engineer.

25 Q. What are your day-to-day responsibilities

1 working in the unit?

2 A. My day-to-day responsibilities are being in
3 charge of the basin development, downhole well work
4 projects in the vacuum field and also production
5 surveillance and optimization of our wells in the vacuum
6 field and looking for more ways to increase production.

7 Q. Are you familiar with the application that was
8 filed in this case?

9 A. Yes, I am.

10 MR. RANKIN: Mr. Examiner, I'd like to
11 tender Mr. Njoku as an expert in production engineering.

12 EXAMINER JONES: He's so qualified.

13 MR. RANKIN: Thank you.

14 Q. (By Mr. Rankin) Chibuike, what are the
15 current well completion requirements for the injection
16 wells in the unit that ConocoPhillips has to comply with?

17 A. Current requirements are that packer has to be
18 within 100 feet of the uppermost perforation. That's the
19 first.

20 Next, is that the tubing must be protected
21 with some kind of coating. And then the last one is the
22 casing must be --

23 THE COURT REPORTER: Can you speak up?

24 A. The packer has to be within 100 feet from the
25 top uppermost interval. And the second is that the

1 tubing must be protected with some kind of coating. And
2 the third and final requirement is that the casing and
3 tubing annulus must be filled with an inert fluid and a
4 surface gauge be used to measure pressure.

5 Q. Does ConocoPhillips currently operate
6 injection wells within the unit with packers that are
7 currently set above the hundred-foot limit?

8 A. Yes. We have a total of 116 injection wells
9 in the East Vacuum Unit. And of those 116 wells, we have
10 about 17 wells that are currently injecting with the
11 packers above 100 feet.

12 Q. There are currently, as I understand, 10
13 wells, is that correct, that have been shut in because
14 they're not in compliance with the rule?

15 A. Correct. We looked at -- over the last couple
16 of years, we've had to do workovers on wells, and we
17 found 10 wells which we were not able to get a good
18 packer seat within 100 feet of the top perf. So we had
19 to shut those wells in per requirements of the OCD. And
20 we did extensive research on all wells in the unit areas
21 that haven't been touched in a long time, and we found 17
22 wells that are not in compliance, for a total of 27
23 wells, injection wells, that are above 100 feet.

24 Q. In addition to those 27 wells that are above
25 the hundred-foot limit, there are a number of other wells

1 that are approaching that hundred-foot limit; correct?

2 A. Correct. We have 34 of the 116 wells that are
3 within 75 to 100 feet of the -- the packer sits between
4 75 to 100 feet of the top perforation.

5 Q. Mr. Njoku, can you please briefly explain why
6 it is that the packers have to be reset at a higher level
7 periodically?

8 A. Sure. This field, to give just a quick
9 background, was discovered in the late '30s, and a lot of
10 these wells have been in service for a long time.

11 And to your question, we have a mix of wells.
12 We have injection wells -- about a half of our injection
13 wells were converted from production to injection, and
14 new injection wells were drilled in the '80s. So we have
15 a mix of very old injection wells and new injection
16 wells.

17 The requirements as to what remediation we do
18 when we find a leak is, per OCD rules, we have to do
19 Bradenhead testing once a year and MITs every five years.

20 So we get a list from the Division district
21 office in Hobbs that gives us what wells we're going to
22 perform MITs on. And based on those tests, those that
23 fail are put on a list to be worked over. And when we
24 work them over, we have to pull the packers up in order
25 to get a test, an adequate test.

1 Q. How many wells roughly does ConocoPhillips
2 have to do remedial work on an annual basis?

3 A. Based on our current failure rate and amount
4 of wells, we work on about 12 injection wells a year. Of
5 those 12 wells -- to give an example, that is a mix of
6 cleanouts, MIT problems and also Bradenhead issues. We
7 have three wells that failed this year. We have an
8 inspection period that runs between February and March,
9 and it has already been done for the year for the whole
10 vacuum field. And three of those 12 wells failed this
11 year.

12 Q. Once you identify wells that have issues,
13 what's the procedure for resetting the packer?

14 A. When we identify the wells, we write up a
15 procedure to go and work on the well. Then when we do
16 that, we rig up, clean up the wellbore and try and get a
17 good casing packer seat, a good test.

18 That involves moving the packer to a position
19 where we can get an adequate test. And we have to -- the
20 packers average about three to eight feet long. If you
21 take the higher side of eight feet, we have to move up
22 eight feet every time to try and get a good test. And if
23 we're near collar, that involves going an extra eight
24 feet, so about 16 feet to get a good packer seat.

25 Q. The reason we have to move the packers up is

1 because over time, these wellbores get corroded and
2 there's natural pitting that occurs and, therefore, the
3 seal is not good below, so you have to go up; is that
4 correct?

5 A. Correct. Like I mentioned before, we have a
6 mix of very old wells and relatively new wells. So due
7 to mechanical well life, corrosion and pitting becomes an
8 issue over time. ConocoPhillips' procedure on a new
9 injection well, either conversion or a new drill, is to
10 start from 50 feet above the top perf. And over time,
11 we've had to raise the packers up in order to get an
12 adequate test and be in compliance.

13 Q. Now, this is a problem that ConocoPhillips
14 perceives as a unit-wide issue? You've got 116 injection
15 wells. Approximately 27 are not in compliance, and a
16 number of others are nearing noncompliance?

17 A. Correct.

18 Q. So it's something that you perceive as a
19 unit-wide problem?

20 A. Correct. If you combine the 27 and the 34
21 wells, we have about 50 percent of our injection wells
22 that are either not complying or nearing noncompliance at
23 this point.

24 Q. And do you perceive this issue to be something
25 that's very important to ConocoPhillips in terms of

1 maintaining the viability of the unit and the project?

2 A. Yes, we do. Because we're trying to maintain
3 our reservoir pressure, get it up, and improve oil
4 production, and we need the injection wells in order to
5 do that. We've been injecting CO2 since 1995. So the
6 injection wells being able to inject is critical to our
7 performance.

8 Q. Unless you're able to get a unit-wide
9 amendment to the rule, is it true that ConocoPhillips
10 would have to come back to hearing every time to get an
11 approved change to a packer setting?

12 A. That's correct.

13 Q. What does ConocoPhillips propose here as a
14 resolution to this problem?

15 A. As a geologist, Cheryl mentioned, we -- from
16 our top perf to -- from the top of the unitized interval
17 to the average of our top perf, we've got about 250 feet
18 in there.

19 What we propose is that we -- for us to set
20 the packer as low as reasonably possible within the
21 unitizing interval. That's one point I want to make, is
22 that we don't go above the unitized interval and set our
23 packers.

24 Q. In doing so, it will give ConocoPhillips the
25 flexibility to maintain its project and still set its

1 packers within the unitized interval and still protect
2 correlative rights and overlying groundwater?

3 A. That's correct.

4 Q. Has ConocoPhillips evaluated the integrity of
5 the casings of its injection wells, especially in the
6 formations overlying the unit?

7 A. We have. We have a program with the OCD where
8 we do Bradenhead tests every year and MITs every five
9 years. And every well that fails MITs is remediated and
10 the problem is fixed.

11 We do run casing inspection logs, cement bond
12 logs on problem wells and also run, as a standard, cement
13 bond logs on our new drills. So we know the quality of
14 the casing, whether we have Swiss cheese down there or we
15 just have a hole. And we do make attempts to squeeze the
16 wells when we know we don't have Swiss cheese.

17 Q. Based on your analysis and study of the unit
18 and these wells, will moving the packer setting above 100
19 feet in the uppermost perforation create a risk of
20 vertical movement of injection fluid out of the unitized
21 interval into the overlying formations, in your opinion?

22 A. In my opinion, no. Because we set our surface
23 casing below the groundwater zone between 1,600 and 1,700
24 feet. We are well protected. You know, we cover the
25 groundwater.

1 And as Cheryl mentioned, we have the Grayburg
2 as a tight, low-permeability formation which protects us.

3 Q. And ConocoPhillips has seen no evidence, as
4 Ms. Mnich mentioned and your testimony, has seen no
5 evidence of any contamination of the injection fluids in
6 the overlying formations; is that correct?

7 A. No, we haven't.

8 Q. Now, has ConocoPhillips reviewed the rules and
9 regulations for the Federal Underground Injection Control
10 Program to confirm that there's no requirement that the
11 injection packers be set 100 feet from the uppermost
12 perforation?

13 A. Yes, we have. On page 3 of Exhibit 6, it
14 states in there that there are no requirements for
15 injection packers and where injection packers can be set
16 in Class 2 injection wells.

17 Q. So Exhibit 6, and correct me if I'm wrong, but
18 there are basically two regulations from the Underground
19 Injection Control Program, one that provides for the
20 general provisions for mechanical integrity?

21 A. Correct.

22 Q. And another regulation are construction
23 requirements for Class 2 wells, which are those that are
24 related to oil and gas injection; is that correct?

25 A. That's correct.

1 Q. And in neither of those regulations does it
2 specify a location for a packer setting; correct?

3 A. Correct.

4 Q. Now, as Ms. Mnich testified, she already
5 referenced the Chevron Order R-4442-G. Can you please
6 explain for the Examiners what it is that that order
7 provided?

8 A. It provided that the injection packers are set
9 as reasonably possible within the unitized interval, the
10 packers in the injection wells.

11 Q. That order is provided in Exhibit Number 7; is
12 that correct?

13 A. Correct.

14 Q. One thing also to point out that the order
15 provides for is, in addition to approving the unit-wide
16 setting of the packers above 100 feet, it also requires
17 that Chevron seeks approval from the Division district
18 office; is that correct?

19 A. That's correct.

20 Q. Each time it wants to set a packer above 100
21 feet?

22 A. Correct.

23 Q. Is there anything that would distinguish the
24 circumstances between -- either geologically or
25 engineering-wise between the Chevron units and

1 ConocoPhillips' unit and what they're seeking and what
2 they've received in their amendment and what you're
3 seeking today?

4 A. No, not that we're aware of.

5 Q. Were Exhibit Numbers 6 and 7 prepared by you
6 or under your supervision?

7 A. Yes.

8 MR. RANKIN: Mr. Examiner, I'd like to
9 tender for admission Exhibits 6 and 7.

10 EXAMINER JONES: Exhibits 6 and 7 will be
11 admitted.

12 (Exhibits 6 and 7 were admitted.)

13 MR. RANKIN: I pass the witness.

14 EXAMINATION

15 BY EXAMINER JONES:

16 Q. Is this a fun job, monitoring the East Vacuum
17 Grayburg-San Andres Unit?

18 A. It keeps me on my toes.

19 Q. How is your foreman to work with out there,
20 pretty good people?

21 A. Very good people.

22 Q. I worked out there for three years when I
23 first started in the oil patch in the Central Vacuum
24 Unit.

25 A. Okay.

1 Q. We had Texaco's properties out there, which is
2 right next to Phillips.

3 A. Right.

4 Q. In fact, one of our inspectors in Hobbs, Maxi
5 Brown, was also -- he started in the vacuum field.

6 A. Yeah. I know Maxi pretty well.

7 Q. He's got a lot of experience.

8 A. Sure.

9 Q. I'll try to run through these pretty quickly.
10 When you set a packer and it won't hold, how many times
11 can you reset it, pull it up and try to reset it, before
12 you have to redress the packer and pull it out?

13 A. We run locally made but very durable -- they
14 call them Hudson packers. And we have very good
15 reliability with them.

16 Most times we try -- we give more than -- at
17 three times, if we don't get a good set, we have to pull
18 it out and get a new packer. Actually, when we work on
19 injection wells, we have to have a standby backup packer
20 just in case we have problems setting the one.

21 Q. You have CO2. Is it a WAG project?

22 A. Yes, sir.

23 Q. Is every well getting some CO2?

24 A. No, it's not. Approximately, I would say 75
25 percent of the injectors are WAG. And the northwest part

1 of the field is just more injection.

2 Q. Closer to the Chevron stuff is all being CO2
3 flooded?

4 A. Yes.

5 Q. What about north of the Central Vac Unit?
6 That seemed like pretty tight stuff to me. I saw on your
7 map that the East Vacuum Grayburg goes right straight
8 north of the Central Vac Unit.

9 A. Yes. That's the area where we have just water
10 injection. The rock property is a little tighter. So
11 it's just on a water flood, and a lot of the injection
12 wells take very little to no water.

13 Q. Your pumps are -- are the pumps emanating
14 water from the -- pretty close to that gas plant out
15 there? Or do you have different pump stations around the
16 unit?

17 A. We have a central tank battery which is next
18 to our East Vacuum -- EVLRP, East Vacuum Liquid Recovery
19 Plant. And that plant -- the CTB sends water not only to
20 our East Vacuum Unit but also to our Vacuum Glorieta
21 Unit.

22 Q. I was going to ask you about that. The
23 Glorieta is being produced out there also?

24 A. Yes, sir.

25 Q. And the Abo?

1 A. Yes, sir.

2 Q. That plant, that recovery plant, your
3 production gas, does it -- do you strip out all of the
4 liquids?

5 A. We make about 25 million cubic feet of CO2,
6 about 80 percent CO2 in the East Vac. And of that 25
7 million, we strip out about 800 barrels a day of NGLs.

8 Q. So you take the NGLs out, but do you also take
9 the CO2 and the H2S out, or do you re-inject it?

10 A. We re-inject it.

11 Q. It's pretty much being re-injected unit wide,
12 or in all of the CO2 project area?

13 A. Correct. We buy some make-up gas from the
14 Trinidad line and mix it with our recycled CO2 and inject
15 it into our area.

16 Q. So you probably have to have a pretty active
17 corrosion program out there?

18 A. Yes, sir. We have a very active corrosion
19 program. We have a company, Champion Chemicals, that
20 takes care of our corrosion problem and take, very often,
21 water samples, gas analysis, and make sure we
22 have -- you know, nothing is out of the ordinary, so to
23 say.

24 Q. Do you notice that your injection tubings, if
25 they're coated, does the coating have to be resistant to

1 CO2? Will the CO2 go right through that coating?

2 A. We've done a lot of testing on our coating,
3 and the TK-99, does not get contaminated with CO2. We
4 have very few failures. And we have a very active
5 failure analysis team, and we look at our injection wells
6 and failures and packers.

7 And our coating, the only time we see problems
8 is when we have insulation problems in the way the
9 coating is put up. When put correctly, we don't see any
10 issue with contamination of CO2.

11 Q. I imagine it's much more complicated than when
12 it was just a water flood?

13 A. Yes, it is.

14 Q. Basically, it's -- you could almost consider
15 it to be a lot of acid gas being re-injected?

16 A. Correct.

17 Q. What about water flows? Do you have to
18 re-drill any wells because of all these --

19 A. We don't have any water flow issues. I know
20 west of us in the vacuum, they have had some water flow
21 issues. But we don't have any water flow issues in the
22 East Vacuum.

23 Q. As far as monitoring the pressure on your
24 injection wells, do you do it at a satellite or do you do
25 it at the well head?

1 A. We do it at the well head. All our new
2 injection system -- actually, we're going to a program to
3 put in automation on all our old injection systems, which
4 gives us casing pressure, flow rates and flow line
5 pressure. So we monitor -- without the MIT yearly
6 testing, we will have pressures on what the casing is on
7 a regular basis on our injection wells.

8 Q. On a minute-by-minute basis?

9 A. Yeah. It takes a screen shot on a daily basis
10 and averages it out and gives you a number, what the
11 pressure is.

12 Q. Are you two stationed in Midland?

13 A. I'm in Odessa. She's in Houston. Our
14 operations group is out of Odessa.

15 Q. From your office in Odessa, you can dial in
16 and watch your wells?

17 A. Yes, sir. From Houston, from home. I can do
18 it right now. I can see exactly what the pressures are.

19 Q. Okay. And if you wanted to run some step rate
20 tests out there, do you do it yourself, or do you get a
21 commercial service to come and do it?

22 A. We get a commercial service to come do it, and
23 we just give them what rates they should go by.

24 Q. Is it pretty disruptive, pretty expensive?

25 A. The pump truck -- using the -- it's not

1 expensive at all. It's about \$4,000. If we have to use
2 a downhole gauge and whatnot, that increases the cost.

3 But right now, the main issue is availability.
4 All these pump trucks are working on acid jobs and new
5 wells and whatnot. So trying to get one lined up to be
6 able to get the wells done is an issue. That's why I
7 want to just focus on an area, get a package and get them
8 done all at once.

9 Q. Can you get by without bottomhole gauges, a
10 bottomhole readout somehow on step rate tests?

11 A. They can monitor surface pressures from the
12 well head while they're doing step rate tests. I believe
13 the guidance we got was we needed to have downhole gauges
14 for our step rate tests.

15 Q. We like downhole gauges, but I just wondered
16 how much more inconvenient they are.

17 A. It's just a cost issue. It's not an
18 inconvenience. It would be good data for us, as well.

19 Q. Do you have to continuously check your
20 bottomholes on these wells? Do you have to clean out
21 some wells?

22 A. Actually, we just did our release review
23 earlier in the week. We look at our wells and see how
24 much rate it's taking and pick candidates to go clean
25 out.

1 First, we go with a slick line TAG and get a
2 sample of the scale and give it to our chemical team and
3 see if we can come up with an acid to dissolve it. And
4 if it doesn't work, we go back with a rig and clean it
5 out.

6 Q. Do you do a lot of injection profiles?

7 A. We do about -- I would say last year we did
8 about 10 wells out of the 116. A lot of the wells aren't
9 taking much, so we're trying to get more active with
10 that. So getting tagging and cleaning out the wells will
11 be first.

12 Q. What about production profiles?

13 A. We don't do much production profiles. We have
14 a couple of wells that flow which we've run some
15 production logs on. We have a lot of ESPs in the field,
16 so we run downhole sensors on the wells to get an idea of
17 the pressure. And we can run it up and down to give us a
18 grade. In terms of where it's coming from, we don't do
19 much of that.

20 Q. So you have downhole monitors on your pump
21 units?

22 A. Yes. And we have downhole pressure sensors
23 for the ESPs which give us real time on intake pressures
24 and temperatures.

25 Q. And you start at 50 feet or as close as you

1 can, and then you move up if you have to?

2 A. Correct.

3 Q. You don't think this is going to result in you
4 having to re-drill some of your injection wells?

5 Because you always try to squeeze them if they're not
6 Swiss cheese, you said.

7 A. Correct. We do spend money on casing leaks
8 and isolating them if we find one and reporting to the
9 OCD and mitigating those.

10 Q. Do you have annuluses on all your injection
11 wells, or have you cemented the tubing in the hole?

12 A. We have annuluses. We don't have any tubing
13 cemented in the hole.

14 EXAMINER JONES: Thank you very much.

15 EXAMINER BROOKS: No questions.

16 MR. RANKIN: Nothing further,
17 Mr. Examiner.

18 EXAMINER JONES: Thank you both for
19 coming. We'll take case 14775 under advisement.

20 * * *

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____
heard by me on _____

_____, Examiner
Oil Conservation Division


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on March 29, 2012, proceedings in the
above captioned case were taken before me and that I did
report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 10th day of April, 2012.


Jacqueline R. Lujan, CCR #91
Expires: 12/31/2012