

STATE OF NEW MEXICO  
ENERGY, MINERAL AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION COMMISSION

ORIGINAL

APPLICATION OF THE NEW MEXICO OIL AND GAS  
ASSOCIATION FOR AMENDMENT OF CERTAIN PROVISIONS OF  
TITLE 19, CHAPTER 15 OF THE NEW MEXICO  
ADMINISTRATIVE CODE CONCERNING PITS, CLOSED-LOOP  
SYSTEMS, BELOW GRADE TANKS AND SUMPS AND OTHER  
ALTERNATIVE METHODS RELATED TO THE FORE GOING  
MATTERS, STATE-WIDE.

CASE NO. 14784 AND 14785

VOLUME 1

May 14, 2012  
9:00 a.m.  
Wendell Chino Building  
1220 South St. Francis Drive  
Porter Hall, Room 102  
Santa Fe, New Mexico

RECEIVED OOD  
2012 MAY 31 AM 11:30

THE COMMISSION:

JAMI BAILEY, Chairperson

GREG BLOOM, Commissioner

DR. ROBERT BALCH, Commissioner

MARK SMITH, Esq.

FLORENE DAVIDSON, COMMISSION CLERK

REPORTED BY: Jan Gibson, CCR, RPR, CRR  
Paul Baca Court Reporters  
500 Fourth Street, NW - Suite 105

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES

FOR NEW MEXICO OIL & GAS ASSOCIATION (NMOGA) :

HOLLAND & HART, LLP  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
505-988-4421  
BY: WILLIAM F. CARR  
MICHAEL H. FELDEWERT  
wcarr@hollandhart.com

JORDEN BISCHOFF & HISER  
7272 E. Indian School Road, Rd. Suite 360  
Scottsdale, Arizona 85251  
480-505-3927  
BY: ERIC L. HISER  
ehiser@jordenbischoff.com

FOR OIL & GAS ACCOUNTABILITY PROJECT (OGAP) :

NEW MEXICO ENVIRONMENTAL LAW CENTER  
1405 Luisa Street, Suite 5  
Santa Fe, New Mexico 87505  
505-989-9022  
BY: ERIC D. JANTZ  
ejantz@nmelc.org

FOR THE OCD:

GABRIELLE GERHOLT  
Assistant General Counsel  
1220 St. Francis Drive  
Santa Fe, New Mexico 87505  
505-476-3210  
gabrielle.Gerholt@state.nm.us

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES CONTINUED

FOR INDEPENDENT PETROLEUM ASSOCIATION OF NM:

K. FOSTER ASSOCIATES, LLC  
5805 Mariola Place, NE  
Albuquerque, New Mexico 87111  
BY: KARIN FOSTER  
505-238-8385  
fosterassociates@yahoo.com

FOR THE NEW MEXICO CITIZENS FOR CLEAN AIR & WATER:

DR. DONALD NEEPER  
2708 B. Walnut Street  
Los Alamos, New Mexico 87544  
505-662-4592  
dneeper@earthlink.net

FOR JALAPENO CORPORATION:

PATRICK FORT  
P.O. Box 1608  
Albuquerque, New Mexico 87103  
patrickfort@msn.com

FOR NEW MEXICO WILDERNESS ALLIANCE:

JUDITH CALMAN  
142 Truman Street, Suite B-1  
Albuquerque, New Mexico 87108  
judy@nmwild.org

FOR NEW MEXICO STATE LAND OFFICE:

HUGH DANGLER  
310 Old Santa Fe Trail  
P.O. Box 1148  
Santa Fe, New Mexico 87504  
(505) 827-5756

APPEARANCES CONTINUED

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FOR NEARBURG PRODUCING COMPANY:

JAMES G. BRUCE  
P.O. Box 1056  
Santa Fe, New Mexico 87504  
505-982-2043  
jamesbruc@aol.com

INDEX

THE WITNESSES: PAGE:

BRUCE GANTNER

Direct Examination by Mr. Carr.....	45
Cross-Examination by Ms. Foster.....	82
Cross-Examination by Mr. Jantz.....	83
Cross-Examination by Ms. Gerholt.....	100
Cross-Examination by Mr. Dangler.....	100
Cross-Examination by Mr. Fort.....	110
Cross-Examination by Mr. Neeper.....	116
Examination by the Commission.....	133

ED HASELY

Direct Examination by Mr. Feldewert...	148
Cross-Examination by Ms. Foster.....	197
Cross-Examination by Mr. Jantz.....	200
Cross-Examination by Ms. Gerholt.....	207
Cross-Examination by Mr. Dangler.....	208
Cross-Examination by Dr. Neeper.....	208
Cross-Examination by Mr. Fort.....	212
Examination by the Commission.....	213
Redirect Examination.....	220

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

INDEX CONTINUED

THE WITNESSES:	PAGE:
MICHAEL LANE	
Direct Examination by Mr. Feldewert...	222
Comments of Carl Lane Johnson.....	112
Reporter's Certificate.....	263

EXHIBITS

PAGE ADMITTED

NMOGA EXHIBITS	
2. Gantner Resume.....	82
3. Gantner Presentation.....	82
4. Hasely Resume.....	152
5-1. Photo.....	82
5-2. Photo.....	82
5-3. 19.15.2.7.....	161
6. Michael Lane Resume.....	229
7-1. Photo.....	235
7-2. Lane Diagram.....	237
7-3. Photo.....	240

1 (Note: In session at 9:00).

2 CHAIRPERSON BAILEY: This is a meeting of  
3 the Oil Conservation Commission on Monday, May 14,  
4 2012 in Porter Hall in Santa Fe, New Mexico. I am  
5 Jami Bailey, Chairman of the Commission. To my  
6 right is Greg Bloom, who is the designee of the  
7 Commissioner of Public Lands. To my left is  
8 Dr. Robert Balch, who is the designee of the  
9 Secretary of the Energy, Minerals and Natural  
10 Resources. To Mr. Bloom's right is Florene  
11 Davidson, the Commission Clerk. To Dr. Balch's left  
12 is Mark Smith, counsel for the Commission, and then  
13 we have Jan, who is the court reporter.

14 A quorum of the Commission is present to  
15 we will proceed. Dr. Balch, have you had a chance  
16 to read the Minutes from the previous hearing?

17 COMMISSIONER BALCH: I have.

18 CHAIRPERSON BAILEY: Scott Dawson, who was  
19 the Commissioner of Public Lands designee for the  
20 previous month, have you had a chance to read the  
21 Minutes of the previous meeting?

22 MR. DAWSON: I have.

23 CHAIRPERSON BAILEY: Do I hear a motion  
24 for me to sign on behalf of the Commission?

25 MR. DAWSON: I will motion.

1 COMMISSIONER BALCH: I will second.

2 CHAIRPERSON BAILEY: All in favor?

3 RESPONSE: (Aye)

4 CHAIRPERSON BAILEY: We will also be  
5 signing the order for Case No. 14752, which was the  
6 application of Centrex Energy Company of Colorado  
7 for approval of the water disposal well in Eddy  
8 County, New Mexico. Mr. Dawson, did you have a  
9 chance to look at the draft order?

10 MR. DAWSON: I have.

11 CHAIRPERSON BAILEY: Dr. Balch?

12 COMMISSIONER BALCH: I have also.

13 CHAIRPERSON BAILEY: Do I hear a motion to  
14 adopt the order as drafted?

15 MR. DAWSON: I will motion.

16 COMMISSIONER BALCH: I will second.

17 CHAIRPERSON BAILEY: All in favor?

18 RESPONSE: (Aye).

19 CHAIRPERSON BAILEY: I will transmit these  
20 documents to the Commission Clerk.

21 CHAIRPERSON BAILEY: I now call  
22 Consolidated Cases 14784 and 14785. Case 14784 was  
23 the Application of the New Mexico Oil and Gas  
24 Association for Amendment of Certain Provisions of  
25 Title 19 Chapter 15 of the New Mexico Administrative

1 Code Concerning Pits, Closed-loop Systems,  
2 Below-grade tanks, Sumps and Other Alternative  
3 Methods Related to the Foregoing, and amending other  
4 rules to conforming changes state-wide. Case No.  
5 14785 is the Application of the Independent  
6 Petroleum Association of New Mexico for Amendment of  
7 Certain Provisions of Title 19 Chapter 15 of the New  
8 Mexico Administrative Code Concerning Pits,  
9 Closed-loop Systems, Below-grade Tanks, Sumps and  
10 other alternative methods relating to the foregoing  
11 and amending other rules to conforming changes  
12 state-wide. I call for appearances.

13 MR. CARR: May it please the Commission,  
14 my name is William F. Carr with the Santa Fe office  
15 of Holland and Hart. I am appearing today with my  
16 partner, Michael H. Feldewert and Eric L. Hiser with  
17 Jordan, Bischoff & Hiser from Scottsdale, Arizona.  
18 Together we represent the applicant if in Case  
19 14784, the New Mexico Oil and Gas Association.

20 MS. FOSTER: Good morning. My name is  
21 Karin Foster. I'm with Chatham Partners  
22 representing the Independent Petroleum Association  
23 of New Mexico.

24 MS. GERHOLT: May it please the  
25 Commission, Gabrielle Gerholt on behalf of the Oil

1 Conservation Division.

2 MR. JANTZ: Eric Jantz, New Mexico  
3 Environmental Law Center for interveners,  
4 Earthworks, Oil and Gas Accountability Project.

5 MR. BRUCE: Jim Bruce of Santa Fe  
6 representing Nearburg Producing Company.

7 MS. CALMAN: Good morning, I'm Judy Calman  
8 and we are representing ourselves along with the  
9 Sierra club, the Wilderness Society, New Mexico  
10 Wildlife Federation, the National Wildlife  
11 Federation and New Mexico Back Country Group.

12 MR. DANGLER: Madam Chair, Hugh Dangler on  
13 behalf of the Land Commissioner, Ray Powell, from  
14 the State Land Office.

15 DR. NEEPER: I am Don Neeper. I am  
16 representing New Mexico Citizens for Clean Air and  
17 Water, appearing pro se.

18 MR. FORT: I am Patrick Fort and I  
19 represent Jalapeno Corporation.

20 CHAIRPERSON BAILEY: First we will take up  
21 two motions that have developed. One is the Motion  
22 to Disqualify, and that Commission Member's Fully  
23 Disclosed Information Relating to their Possible  
24 Bias and Lack of Impartiality, and Application of  
25 the Independent Petroleum Association for a Motion

1 to Recuse Commissioner Greg Bloom. I would like to  
2 hear arguments on the first motion by New Mexico Oil  
3 and Gas Association.

4 MR. CARR: May it please the Commission,  
5 in regard to the motions, all motions to disqualify,  
6 we have a very brief general statement we would like  
7 to make. We would like to point out that this is a  
8 rule-making, not an adjudicatory proceeding. We  
9 stand before a commission that was created by the  
10 Oil and Gas Act, and the Act provides that the  
11 commissioners are persons who have expertise in the  
12 regulation of oil and gas. You have other jobs, you  
13 have other responsibilities. But these jobs and  
14 responsibilities involve virtually every aspect of  
15 every rule-making that comes before this commission,  
16 and it's hard for me today to imagine a commissioner  
17 who meets these statutory requirements that would  
18 not be familiar with the Pit Rule, that wouldn't  
19 have opinions or thoughts on the Pit Rule.

20 And I think this is what the legislature  
21 must have anticipated when it required people with  
22 your expertise and competence to sit on this  
23 commission and hear cases of this nature. I think  
24 prior statements made by any commissioner or any  
25 officer do not necessarily disqualify that

1 individual from sitting and hearing a case as long  
2 as they are able to judge fairly the evidence that  
3 is presented because statements made before the case  
4 was presented actually only, for me, enable me to  
5 focus on where your concerns really are and try to  
6 develop a case that will actually be more meaningful  
7 and useful to you.

8           We have had all sorts of procedural  
9 maneuvering in this case and here we are again the  
10 first day of the Commission trying to disqualify the  
11 Commission. I think if you step off, you set a very  
12 dangerous precedent. I think if you recuse  
13 yourself, you are, in fact, letting the expertise  
14 you have on the regulation of petroleum production  
15 become a liability, not the precondition to your  
16 service that is required by the legislature. This  
17 is too important an issue to be changing players the  
18 morning of the hearing, to be changing the  
19 commission today, and we would ask you if you feel  
20 you can honestly decide the case to stay, to hear  
21 the case and deny the motions for disqualification.

22           CHAIRPERSON BAILEY: Mr. Fort?

23           MR. FORT: There's two issues that deal  
24 with the designee from the Commissioner of Public  
25 Lands. One is that unlike the OCD, which has

1 statutory jurisdiction and authority, the State Land  
2 Office has entered an appearance on behalf of both  
3 the Commissioner of Public Lands and the State Land  
4 Office. It has to deal with now they are parties of  
5 record that appear before Commissioner Bloom. And  
6 as such, you have, if you look to the Judicial Code  
7 of Conduct, when you disqualify a judge he is either  
8 a party to the proceeding or an officer or somebody  
9 who is actively a participant in the affairs of the  
10 party. And as I understand it, Commissioner Bloom  
11 is an Assistant Commissioner of Mineral Resources  
12 from the website. It's my understanding as well  
13 that he was appointed by the Commissioner of Public  
14 Lands and that he is an officer, if you will, of  
15 State Land Office, a public officer. So from that  
16 standpoint, they have that conflict. It's inherent  
17 just by the filing of the motion.

18           The second issue and probably the greater  
19 issue in this case -- and I understand what Bill had  
20 said about your expertise and I'm not here to  
21 question your expertise. That's not an issue. The  
22 issue is whether or not I'm going to have due  
23 process before this hearing for having a fair and  
24 impartial hearing.

25           In the statement filed, the prehearing

1 statement, it wasn't to designate that we are going  
2 to call certain technical witnesses. It wasn't to  
3 say that we are going to cross-examine, but the  
4 implication by filing an entry of appearance, that's  
5 the very case. But it was to go through about eight  
6 different points of the NMOGA and IPANM's filing to  
7 say, "Here is what we agree with" -- or basically I  
8 should say they didn't agree with much, but  
9 basically it was that we don't think this is  
10 justified. I could walk through each of these eight  
11 points.

12           Let me do that because it is instructive.  
13 The first one is that this is the Commissioner of  
14 Public Lands or his designee has a -- his job while  
15 sitting on this Commission is to represent the  
16 trust, the land trust that the Commissioner of  
17 Public Lands is the trustee for, and they have a  
18 dual interest in this. One is to make sure that we  
19 get the maximum dollar from these resources. The  
20 second is to protect the environment.

21           It goes on to say -- and he says later,  
22 "Our fiduciary obligations require us to review  
23 these amendments very carefully." Then they go on  
24 to file this prehearing statement. As such --  
25 again, as I said, this is not a prehearing statement

1 per se because they are not presenting technical  
2 evidence or wanting to cross-examine but for their  
3 entry of appearance. But what it goes on to say,  
4 and by making this statement about the duty that  
5 Commissioner Bloom has, he is committed to this  
6 statement because this is their fiduciary obligation  
7 under the state trust lands.

8 As to the closed-loop system, they would  
9 ask that any action be deferred until good science  
10 supports the change. They have already prejudged  
11 the evidence today, whatever it might be, that it's  
12 not good science.

13 The siting requirements, they say to date  
14 there's no technical or regulatory basis -- does not  
15 support a change in the siting requirements. They  
16 prejudged the evidence they are about to hear.

17 We talk about the time frame for temporary  
18 pits, the drilling pits. They said there is no  
19 basis offered for more than six months for a  
20 temporary pit for these drilling operations. Again,  
21 they prejudged the evidence. It goes on. The  
22 volume for temporary pits, proposal not justified.  
23 Prejudgment.

24 On-site burial trenches. We want you to  
25 deny the proposal. Low chloride, it's too high

1 based on other jurisdictions. Again, they have  
2 prejudged this proposal. Steel tanks for  
3 hydrocarbon-based drilling fluids. This is the  
4 current safety standard. Eliminating it would  
5 violate the protection of groundwater. Again,  
6 prejudgment.

7           They go on to cite some of the record or  
8 at least part of the record from Pit Rule, the  
9 original Pit Rule 17 about the some 6- to 7,000  
10 leaks. They were narrowed down to about 400 but  
11 there was an interesting exchange of letters that  
12 occurred between the Former Secretary of Energy and  
13 Minerals and Natural Resources and Senator John  
14 Arthur Smith in a letter dated December 2000. And  
15 the gist of it was that there was a lot of bantering  
16 about between NMOGA and the OCD regarding how many  
17 drilling pits actually cause leaks. We're not  
18 talking about permanent pits; we are talking about  
19 drilling pits.

20           And the gist of it was NMOGA took the  
21 position there weren't any drilling pits of those  
22 400 they listed. Finally there was a letter that  
23 narrowed it down from the past Secretary of Energy  
24 and Minerals and Natural Resources limiting it to  
25 16. I went in and looked at the 16 or least a few

1 of the 16. One, I think, was in the northwest and  
2 was too close to a river. The others were in the  
3 southeast in the Permian Basin. What it amounted to  
4 is either there was soil contamination or there was  
5 water contamination. For the soil, they went in and  
6 took out the soil and removed it. For the water  
7 contamination with fluorides they dewatered  
8 underneath the pit and reused that in drilling  
9 operations. That was the extent of those leaks.

10           They come out and say look, the maximum  
11 chemical concentrations for closure should not be  
12 for Benzine -- the Commissioner of Public Lands  
13 would recommend it be denied and the conclusion is  
14 that this Commission should defer adopting rule  
15 changes pending further scientific evidence.

16           Well, my problem with that statement is,  
17 one, they have prejudged even before what they have  
18 heard today. So these statements are attributed to  
19 Mr. Bloom. Mr. Bloom has never had a chance to  
20 speak. I'm sure that he will want to speak to this,  
21 but at the same time, it's nothing that Mr. Bloom  
22 said, it's what his employer has said about what  
23 their duty is.

24           So with that -- plus the law is -- is  
25 isn't that you have to show somebody is biased or

1 prejudiced. What you have to show is that there is  
2 an indication of possible partiality or bias.  
3 That's all you have to show. And I think their  
4 statement is replete with prejudging not only the  
5 evidence they have read so far but the evidence they  
6 anticipate being presented here today.

7           So for those reasons, I would ask that  
8 Commissioner Bloom be recused. Again, this is  
9 nothing based on what he said but what the  
10 Commissioner of Public Lands has said and being a  
11 party to this proceeding. Thank you.

12           CHAIRPERSON BAILEY: Mr. Jantz, it was  
13 your motion to disqualify Commissioner Bloom.

14           MR. JANTZ: Yes, thank you. Madam  
15 Commissioner, members of the Commission, I just want  
16 to be very brief. I think our motion speaks for  
17 itself for the most part. I want to address one  
18 thing Mr. Carr mentioned. While this is a  
19 rule-making proceeding and not an adjudicatory  
20 proceeding -- the courts have already made that  
21 determination -- the public is entitled to an  
22 impartial panel to decide this very important matter  
23 of policy. And as a party, OGAP has certain due  
24 process rights guaranteed as a party under the  
25 statute, under the Oil and Gas Act. One of those

1 due process rights is the opportunity for a fair and  
2 impartial tribunal to decide this important policy  
3 issue.

4           Based on the statements from Dr. Balch's  
5 website and his association as a consortium partner  
6 with the independent producers, we believe that that  
7 indicates a prejudgment of at least the economic  
8 aspects of the Pit Rule and a predisposition to  
9 repeal essentially the existing Pit Rule in favor of  
10 Independent Producers and NMOGA's amendments.

11           With respect to yourself, Madam Chair, and  
12 with all due respect, some of the meetings and the  
13 series of meetings and the timing of meetings on  
14 your calendar which OGAP received through public  
15 information requests indicate there may have been  
16 some discussion or possible discussion about the Pit  
17 Rule with representatives from NMOGA and individual  
18 representatives from the oil and gas companies  
19 indicating a potential for biased decision-making.  
20 Simple disclosure of the substance of the meetings I  
21 think would satisfy OGAP in terms of the bias issue.

22           With that, Madam Commissioner, I suggest  
23 that we would ask that at least those disclosures be  
24 made on your part and Dr. Balch recuse himself.

25 Thank you.

1                   CHAIRPERSON BAILEY: Ms. Foster, do you  
2 have any argument?

3                   MS. FOSTER: Madam Chairwoman, actually  
4 very briefly as to the argument that Mr. Fort made.  
5 He represents Jalapeno Corporation so I want to make  
6 sure that the record is clear that was a motion  
7 brought by Jalapeno Corporation, not the Independent  
8 Petroleum Association.

9                   In regards to Mr. Bloom, I'm sure that  
10 while his boss might be making some statements in  
11 the media or did make a prehearing statement, that  
12 Mr. Bloom will keep an open mind and assess the  
13 testimony presented to him and he understands his  
14 statutory requirements as a commissioner of the Oil  
15 Conservation Commission and we hope he will follow  
16 the statutory requirements. Thank you.

17                   CHAIRPERSON BAILEY: Ms. Gerholt, do you  
18 have argument?

19                   MS. GERHOLT: Thank you. The Division  
20 would like to point the Commission to New Mexico  
21 Statute 70-2-4 which sets forth that the Commission  
22 is to be comprised of the designee of the Commission  
23 of Public Lands, the designee of the Secretary of  
24 Energy, Minerals and Natural Resources and the  
25 Director of the Oil Conservation Commission. No

1 argument has been made that any member of the  
2 Commission is not exactly that.

3 Finally, the Division would also point you  
4 to that your decision made in this rule-making will  
5 have to be based upon the evidence before you. If a  
6 decision is made not on the evidence but upon an  
7 opinion, it is reviewable and that is a remedy that  
8 is already in place. Thank you.

9 CHAIRPERSON BAILEY: Mr. Bruce, do you  
10 have anything?

11 MR. BRUCE: Madam Chair, I support both of  
12 the statements made by Mr. Carr and the Division's  
13 counsel.

14 CHAIRPERSON BAILEY: Ms. Calman?

15 MS. CALMAN: We would support Mr. Jantz'  
16 decision.

17 CHAIRPERSON BAILEY: Mr. Dangler?

18 MR. DANGLER: Thank you, Madam Chair.  
19 Because of the district court decision in a related  
20 matter to this case, it does appear this is not an  
21 judicatory hearing. Otherwise those arguments would  
22 be very well taken. Because of the nature of the  
23 proceeding I think Mr. Carr's statements are right  
24 on the money that the legislature intended for  
25 people to have opinions and to have knowledge and

1 that that's not a bad thing.

2 I also agree with Mr. Carr, who must have  
3 been a salesman at a previous time in his life, that  
4 unless you hear what the objections are, it's  
5 difficult to overcome them and present the best case  
6 you can and the intention of the prehearing  
7 statement from the Land Commissioner was to express  
8 the concerns of the Land Commissioner and it was  
9 noted throughout that document that this was based  
10 merely on a reading of the current rule and the  
11 changes that have been proposed without benefit of  
12 having seen the filings of NMOGA or of IPANM,  
13 without having the benefit of any evidence before  
14 the Commission, and we would submit that our  
15 designee is able to sit with an open mind and view  
16 the evidence that's before the Commission. Thank  
17 you.

18 CHAIRPERSON BAILEY: Dr. Neeper?

19 MR. NEEPER: We make no statement on  
20 either motion. Thank you.

21 CHAIRPERSON BAILEY: Mr. Smith, what is  
22 the law?

23 MR. SMITH: I make no statement.

24 (Laughter).

25 MR. SMITH: Well, I think prejudgment of

1 an issue is something that is extremely difficult to  
2 show. Under New Mexico laws, I appreciate it. The  
3 point is not simply whether evidence supports a  
4 claim of bias but what type of bias.

5 There are five that I can see that are  
6 recognized. One is prejudging a point of view about  
7 a question of law or policy. Even if that  
8 prejudgment is so strong as to suggest a closed  
9 mind, that is not without more disqualification.

10 A second would be prejudgment about a  
11 legislative fact. Same result. Not without more  
12 reason to disqualify. Advanced knowledge of a  
13 judicatory fact, same thing with the Commission.  
14 Not a reason to disqualify.

15 Now, a personal bias or a personal  
16 prejudice against one of the parties, that is a  
17 reason to disqualify. It is true that you are not  
18 expected -- no commissioner is expected to come in  
19 with a blank slate. As a matter of fact, I think it  
20 is also accurate that many of you are here because  
21 you are not a blank slate.

22 So without commenting on whether the  
23 evidence that anyone has cited is sufficient to  
24 excuse or recuse anyone, I can tell you that as I  
25 read the motions, the allegations in there do not

1 support the type of bias that would require excusal  
2 or recusal or anyone's part here.

3 CHAIRPERSON BAILEY: Okay.

4 MR. SMITH: With respect to the desire to  
5 have the commission voir dired, I know of no  
6 authority for that. And with respect to the request  
7 that various documents be produced, that seems to me  
8 to be a RCRA matter and it should requested under  
9 RCRA as opposed to this sort of motion in a rule  
10 making setting.

11 CHAIRPERSON BAILEY: Thank you.  
12 Commissioner Balch, are you inclined to excuse or  
13 recuse yourself?

14 COMMISSIONER BALCH: I am not inclined to  
15 recuse myself.

16 CHAIRPERSON BAILEY: Commissioner Bloom,  
17 are you inclined to excuse or recuse yourself?

18 COMMISSIONER BLOOM: No, Chairwoman, I am  
19 not inclined to recuse myself.

20 CHAIRPERSON BAILEY: I am not inclined to  
21 do -- what is your wonderful legal term, voir dire?  
22 So as Chairman of this Commission, I deny these  
23 motions. Do you have any objection to that?

24 COMMISSIONER BLOOM: No, I don't.

25 CHAIRPERSON BAILEY: Do you have any

1 objection to that?

2 COMMISSIONER BALCH: No objection.

3 CHAIRPERSON BAILEY: Then both of these  
4 motions are denied. The next thing on the agenda is  
5 to summarize the Oil Conservation Division rule on  
6 rule-making which discusses the conduct of hearings,  
7 the testimony and cross-examination, exhibits and  
8 transcript and deliberation decision and filing.  
9 Rule 19.15.3.12 is the specific rule --

10 MR. JANTZ: Excuse me. I'm sorry to  
11 interrupt. OGAP has another outstanding motion, a  
12 Motion to Take Administrative Notice of the Record  
13 in the Pit Rule.

14 CHAIRPERSON BAILEY: Which we will do  
15 after. It's on the agenda.

16 MR. JANTZ: Thank you.

17 CHAIRPERSON BAILEY: Not yet time to do  
18 that.

19 MR. JANTZ: I apologize. Thank you.

20 CHAIRPERSON BAILEY: The conduct of the  
21 hearings, the Rules of Civil Procedure do not apply.  
22 The Commission shall conduct the hearings and  
23 provide a reasonable opportunity for all persons to  
24 be heard without making the hearing unreasonably  
25 lengthy or cumbersome. The hearing will begin with

1 a statement by the Commission Chairman identifying  
2 the subject matter and the procedures so we are  
3 following this rule. Unless ordered, both of the  
4 applicants shall present its case first. The  
5 Commission Chairman shall establish an order for  
6 other participants' testimony. We have sign-in  
7 sheets and we will allow persons to make brief  
8 closing statements.

9           The hearing I expect to continue for more  
10 than one day and we will provide an opportunity each  
11 day for public comment. In fact, we will provide  
12 opportunity twice each day for public comment. Once  
13 before lunch -- those persons of the public who wish  
14 to comment must sign in so that I have a list that I  
15 will go by before lunch -- and in the afternoon  
16 before we leave for the day.

17           Each person will be allowed five minutes  
18 and Theresa has a timer. So please observe the  
19 five-minute limit for public comment, each person.

20           We will continue this hearing as necessary  
21 each day and possibly beyond this week. All  
22 testimony will be taken under oath or affirmation.  
23 However, a person may make an unsworn position  
24 statement. We will admit relevant evidence and  
25 persons who testify are subject to cross-examination

1 by anyone who has filed a prehearing statement.

2 Exhibits will be allowed. They have been  
3 provided to the Commission and a transcript of the  
4 proceeding is being made. We will deliberate  
5 immediately in open session on the proposed  
6 amendments based on the motion that includes reasons  
7 for the decisions. Following the case, we will  
8 issue a written order and then it will be filed with  
9 the State Records Center and Archives that will  
10 publish the rule that is adopted. Are there  
11 questions concerning the process for rule-making?  
12 As I say, there are sign-in sheets at the back for  
13 any person who chooses to make sworn or unsworn  
14 testimony.

15 MS. FOSTER: Madam Chairwoman, just for  
16 the record because it actually cost me quite a bit  
17 of money, I just provided five copies as required by  
18 the rules for the public and they are in the black  
19 box there, so I want to make sure the public knows  
20 that IPANM as an applicant in this case did provide  
21 five copies as required by the rule. Thank you.

22 CHAIRPERSON BAILEY: Thank you. We will  
23 now take up the Motion to Take Administrative Notice  
24 of the Record in Oil Conservation Case No. 14015.  
25 Do I hear argument for this motion?

1                   MR. JANTZ: Thank you, Madam Chair. OGAP  
2 would like the Commission to take administrative  
3 notice of the record in the Pit Rule Case 14015 and  
4 actually as an oral amendment to that, I would like  
5 to add the record for the chloride standards  
6 amendment, Case 14292. As the basis of the  
7 foundation for NMOGA's and IPANM's amendment to the  
8 Pit Rule, the information in that record, in both of  
9 those records, is imminently relevant to this case,  
10 and as you know, the rules governing the conduct of  
11 a rule-making are that all relevant evidence shall  
12 be considered by the Commission. And as a matter of  
13 equity, the Commission allowed OCD in the chloride  
14 amendment standard and IPANM to take administrative  
15 notice of the Pit Rule record in that case. OGAP  
16 asks the same courtesy in this case. Thank you.

17                   CHAIRPERSON BAILEY: Is there a response?

18                   MR. CARR: May it please the Commission,  
19 NMOGA opposes the incorporation of the prior record.  
20 As you are aware, Commissioner Bailey, it is  
21 approximately 8,000 pages. This is a new case. We  
22 are not here trying to decide whether or not we need  
23 a new Pit Rule. We are proposing amendments to the  
24 rule based on four years of experience with it,  
25 amendments we believe will make it easier to

1 understand, make compliance easier for operators,  
2 eliminate unnecessary burdens on operators and we  
3 also believe make the rule easier to administer and  
4 enforce. We believe we can do this without  
5 compromising the underlying standard which governs  
6 this proceeding and which is reasonable protection  
7 of freshwater and and protection of human health and  
8 the environment.

9           We have a new case. We also have a new  
10 commission. Only one of you heard the prior case.  
11 And back when we went into the second hearing and  
12 the record was incorporated from the first, every  
13 commissioner had been present to look at the  
14 witnesses, to hear the evidence, to cross-examine if  
15 they desired. Here two of you are new and you are  
16 asked to render a decision based on the record. If  
17 you incorporate it, that becomes part of the record  
18 you are looking to to reach a decision on our  
19 application, and if you do that, I think you should  
20 read it.

21           Also I would say that substituting 8,000  
22 pages of a prior different case, wholesale bringing  
23 that into the record in this case is simply not a  
24 substitute for presenting evidence on the issues  
25 before you. During the prior appeals we had a very

1 difficult time. For over three years we couldn't  
2 get a court to rule on the prior Pit Rule, and I  
3 suspect it's partially because the burden on the  
4 Court was greatly compounded by an 8,000 page  
5 record. We think wholesale picking up these earlier  
6 records will make it more difficult for courts to  
7 review your decision in this case if that is  
8 required.

9           Prior record, prior sworn testimony can be  
10 used for cross. A witness can reference that and  
11 explain. But we think the proposal would create  
12 unwielding record, it is not like the prior  
13 incorporation of the earlier record and should not  
14 be allowed.

15           MS. FOSTER: Madam Chair, we support the  
16 statements made by NMOGA. We have nothing to add to  
17 that. Thank you.

18           CHAIRPERSON BAILEY: Ms. Gerholt, do you  
19 have a response?

20           MS. GERHOLT: Madam Chair, Commissioners,  
21 as OGAP previously stated, they did appeal part of  
22 the past commission's ruling of taking  
23 administrative notice. They set forth the standard,  
24 which is that all parties in advance need to be  
25 alerted of the specific facts proposed to take

1 notice of giving them an opportunity to object and  
2 to only take administrative notice of undisputed  
3 facts. The notice for these two cases did not state  
4 that the Commission would be taking administrative  
5 notice of any evidence from the prior hearings. So  
6 the first burden has not been met. However, if the  
7 Commission chooses to take administrative notice of  
8 the facts from the prior hearings, according to the  
9 standard it must only take notice of those facts  
10 which were not previously disputed. Nothing  
11 further.

12 CHAIRPERSON BAILEY: Mr. Bruce?

13 MR. BRUCE: Madam Chair, Nearburg supports  
14 NMOGA's position in this motion.

15 CHAIRPERSON BAILEY: Ms. Calman?

16 MS. CALMAN: We support OGAP's position.

17 CHAIRPERSON BAILEY: Mr. Dangler?

18 MR. DANGLER: I believe we support  
19 including the record, Madam Chair.

20 CHAIRPERSON BAILEY: Dr. Neeper?

21 MR. NEEPER: We support including the  
22 prior record because much of the science that was  
23 presented in the prior hearing would become very  
24 burdensome to the hearing if you went through all of  
25 those arguments again. And it would be very

1 convenient, I think, to the Commission if they could  
2 refer back to the prior record, use their judgment  
3 on whatever they found there. But that would be  
4 legitimate evidence for which they could then make  
5 their decisions.

6 CHAIRPERSON BAILEY: Mr. Fort?

7 MR. FORT: Jalapeno agrees with NMOGA and  
8 IPANM. I would further state that at this point  
9 OGAP chose not to include the prior record as part  
10 of the case-in-chief because it was not in the  
11 hearing.

12 CHAIRPERSON BAILEY: Mr. Smith, do you  
13 have legal guidance for the commission?

14 MR. SMITH: Well, I wish I did, but it's  
15 really discretionary, I think, subject to some of  
16 the comments that Ms. Gerholt made. You are not  
17 obligated either way to take official notice of the  
18 record.

19 CHAIRPERSON BAILEY: Then as Chairman of  
20 the Commission, I will deny the motion. The  
21 original Pit Rule hearing took place quite a few  
22 years ago and I am the only commissioner who was  
23 present at that time. The other two would have an  
24 obligation to read 7,000 pages and that is a burden  
25 that I'm not going to put on either commissioner.

1           In the intervening time period more  
2 evidence has been -- may have been developed, and  
3 given the foregoing, because of the scope of the  
4 changes that are requested and the scope of the  
5 original record, taking official notice of the  
6 original record is more likely to cause confusion  
7 than to render any benefit from this hearing. Is  
8 there an objection to that ruling?

9           COMMISSIONER BALCH: I do not object.

10           COMMISSIONER BLOOM: I'm sure I don't  
11 object, but -- I won't object but I did like Mr.  
12 Carr's statement that we will be able to reference  
13 the prior record and we can use the  
14 cross-examination. I think it is referenced  
15 throughout many of the presentations we will be  
16 hearing in the week ahead.

17           CHAIRPERSON BAILEY: But we will not take  
18 administrative notice of this record because this  
19 motion is denied. It is now time for opening  
20 statements and consolidating Cases 14784 and 14785.  
21 Mr. Carr, would you care to make an opening  
22 statement?

23           MR. CARR: Yes, I would. May it please  
24 the Commission, the New Mexico Oil and Gas  
25 Association appears before you today proposing

1 revisions to the Pit Rule. The current rule, as we  
2 know, was adopted on May 8, 2008. We have been  
3 living with this rule for approximately four years.

4 As I indicated a few minutes' ago, NMOGA  
5 is proposing revisions and modifications which we  
6 believe will make this rule easier to understand,  
7 thereby making compliance easier for operators. It  
8 will eliminate unnecessary burdens on operators. It  
9 will be easier to administer and we can do this  
10 without compromising reasonable protection of  
11 freshwater supplies or protection of human health  
12 and the environment.

13 There is an initial matter that requires  
14 clarification, because there appears to be a  
15 fundamental misunderstanding in the statements that  
16 have been filed. If we are going forward, I think  
17 we should at least start on the same page and I need  
18 to correct something. It goes to the subject matter  
19 of this application.

20 I want to talk about a problem that we had  
21 to deal with in 2008 and it has already reappeared.  
22 In the statement from State Land Office we heard  
23 again about 400 cases of significant groundwater  
24 contamination linked to E & P waste management pits.  
25 The evidence we will present will show that when

1 this statement was made, industry checked the OCD  
2 files for each of those 400 samples and 99 percent  
3 of these cases involved earthen production pits, not  
4 lined pits. This was a past practice. It is not  
5 permitted under current rules. And to cite that  
6 number for anything in this case only confuses and  
7 misstates the issues and it undermines this hearing.

8           The issue before you is not unlined  
9 earthen pits. The case before you involves changes  
10 in rules that govern temporary drilling pits and  
11 workover pits. And these are defined as pits which  
12 are constructed with the intent that the pit will  
13 hold liquids and will be closed in less than one  
14 year. These are temporary pits, closed in less than  
15 one year. They are permitted and operated under the  
16 rules we are going to be discussing and we are going  
17 to look at siting requirements, design requirements,  
18 construction requirements, all intended to ensure  
19 the integrity of these temporary pits.

20           Our evidence shows that they are  
21 constructed with 20 mill synthetic liners that have  
22 an average lifespan of 100 to 700 years, and at the  
23 end of the one year that they may be there, under  
24 your rules, they are removed, the soils are tested,  
25 the waste is removed. There is remediation, if

1 needed. The site is closed and the site is  
2 revegetated and that is what we are here to discuss  
3 with you today.

4 Permanent pits are not the issue. I think  
5 we do not intend to have anything we present or  
6 suggest be misunderstood as changing your rules and  
7 requirements as to these permanent pits.

8 There's another thing that I think must be  
9 clarified at the beginning, and it relates to  
10 changes that you will hear about concerning notice.  
11 We are doing nothing that would impact the Surface  
12 Owner Protection Act. That is a statute. This is a  
13 rule. We are proposing nothing intended to change  
14 or impact SOPA and all we are attempting to do on  
15 notice is conform particular notice requirements in  
16 the Pit Rule to the general release notification  
17 rules of the Oil Conservation Division.

18 The proposed revisions were developed by a  
19 NMOGA group that started working in early 2011 and  
20 the approach we took was to work from the current  
21 rule. And the first tab in our exhibit book shows  
22 the revisions we propose, including recent  
23 modifications proposed by us. When you look at  
24 what's behind Tab A it's going to appear that a  
25 great deal has been changed. But when you look at

1 what's behind Tab B, which is just the text, not the  
2 red line version, you will see not quite so much has  
3 been changed.

4           The reason for that is a very large  
5 section, and one of the simple sections to the  
6 closure section. When we tried to red line it, it  
7 simply didn't make any sense so we deleted it.  
8 Large portions of what was originally there has been  
9 moved to a couple of tables so we didn't have to  
10 repeat it over and over again. Some of the deleted  
11 material is inserted elsewhere. What resulted was  
12 the application we filed last year. We are moving  
13 towards a hearing, and the case was actually  
14 continued after modifications had been filed.

15           Since that time, we revised our original  
16 proposal. We incorporated many of the modifications  
17 proposed by the Oil Conservation Division. We made  
18 other changes in line with the State Rules Act and  
19 we submitted several weeks ago modifications to our  
20 original proposal which we, as the applicant, are  
21 permitted to do under the rules governing  
22 rule-making. That was filed on May 4.

23           Subsequently, as we go through this, we  
24 discovered there were a couple other things that we  
25 had not corrected or were inaccurate in our draft,

1 and last week we filed additional modifications that  
2 we marked for the purposes of this hearing as  
3 Exhibit 20. But these are minor and they will be  
4 addressed by individual witnesses when we get to  
5 those.

6 But I think it is important to remember  
7 that we are looking at temporary are pits, looking  
8 at workover pits. We are also going to be talking  
9 about multi-well fluid management pits which is a  
10 new type of temporary pit. We are looking at  
11 below-grade tanks. And though what we changes in  
12 certain respects how closely systems are regulated,  
13 it certainly does not remove closed-loop systems  
14 from regulation.

15 We will call seven witnesses. I need to  
16 explain the structure of our case. The first four  
17 witnesses are going to simply explain how we have  
18 proposed the rule be amended. They will go through  
19 various sections and say we have changed it.  
20 "Instead of this provision, we now refer to" -- that  
21 sort of stuff. After our first four witnesses that  
22 we hope we can get through today, we are then going  
23 to call three experts who are going to go back  
24 through and provide the kind of scientific  
25 risk-based analysis to support these numbers that

1 the Commissioner of Public Lands and others are  
2 looking for.

3           So that's how we are going to structure  
4 our presentation. The first witness is Bruce  
5 Gantner, environmental engineer. He is going to  
6 look at the siting criteria. We will discuss with  
7 you a two risk-based threshold approach to siting.  
8 One, which is probably more applicable in the  
9 northwest part of the state where you are drilling  
10 with water; and then another that would be  
11 applicable elsewhere.

12           He is then going to talk about increased  
13 cost to operators from compliance with current  
14 rules, and then he's going to look at the closure  
15 statements and he is going to show how we have  
16 attempted to simply and clarify the rule with tables  
17 that set out numerical standards that apply; one  
18 table if waste is to be removed for off-site  
19 disposal and the other that contains standards that  
20 apply if disposal is on or near the well site. As  
21 part of that, he is going to discuss standards for  
22 on-site closure and trench burial.

23           Our second witness will be Ed Hasely. He  
24 is an environmental engineer with Energen and he is  
25 going to review with you our proposed changes to the

1 provisions governing below-grade tanks. He is going  
2 to explain the purpose of these tanks. He is going  
3 to propose that they be registered with the Division  
4 instead of permanently getting around what appears  
5 to have been a log jam in the processing of these  
6 applications. He is going to review the changes to  
7 siding design, construction and to the operational  
8 requirements and he is going to show you that what  
9 we propose eliminates redundant language, and we  
10 again incorporate tables instead of repeating  
11 standards throughout the rule.

12 Our third witness is Myke Lane,  
13 environmental health and safety specialist. He is  
14 going to talk about multi-well fluid management  
15 pits. He is going to explain their primary purpose  
16 and the benefits they provide to operators and to  
17 the environment. It's important to note that these  
18 pits are not for waste. They serve as storage  
19 facilities for the use and the recycling of fluids  
20 during the completion process for multiple wells.  
21 He is going to explain how NMOGA proposes these pits  
22 be regulated and will look at permanent siding  
23 design, operational closure and reclamation  
24 requirements.

25 Our fourth witness will be Jerry Fanning,

1 the environmental coordinator for Yates. Jerry has  
2 drawn the short straw. He is sort of the cleanup  
3 here. We have looked at particular areas, siding,  
4 closure, below-grade tanks, multi-well fluid pits,  
5 and now there are a number of not unimportant but  
6 smaller changes in the rule. We will go through  
7 those with you to explain what we are proposing and  
8 he is going to explain new variance and exception  
9 provisions which we think are critical to an  
10 effective program to regulate pits in New Mexico.

11 Then we will move to our expert witnesses.  
12 We have three. Our first -- they are going to look  
13 at the closure standards and the reclamation  
14 requirements. Our first is Dr. Ben Thomas. He is a  
15 toxicologist. He testified here before. He is  
16 going to talk about -- provide a risk assessment for  
17 the standards in NMOGA's proposal. His testimony is  
18 going to address possible public health impacts and  
19 associated environmental impacts of the proposed  
20 rule revisions. He is going to show how the  
21 proposed changes will afford reasonable protection  
22 to public health, the environment, and how it will  
23 allow operators to more efficiently and economically  
24 produce oil and gas in New Mexico.

25 We then go to Dan Arthur. He will testify

1 about the standards in the rule, show how they are  
2 protective, more extensive than that in other  
3 jurisdictions.

4           Finally, we will have Bruce Buchanan  
5 testify about remediation and reclamation. His  
6 testimony will include a discussion on salt  
7 migration associated with the operation and use of  
8 temporary pits, below-grade tanks and some of the  
9 facilities, and he is going to provide a description  
10 of the essential elements of land reclamation  
11 technology.

12           At the end, we think we will have shown  
13 you how this rule can be changed to make it work  
14 better than it is today for you and for us and how  
15 we can do this in a way that is protecting human  
16 health, the environment and provides reasonable  
17 protection to freshwater.

18           CHAIRPERSON BAILEY: Mr. Carr and all  
19 parties who have submitted amendments or changes to  
20 their proposed amendments, please point out exactly  
21 which parts of the proposal were submitted after  
22 notice of the May 14th hearing was published.

23           MR. CARR: Madam Chairman, we will do  
24 that, and I think it will be appropriate to do that  
25 as we move through the case because it makes it

1 understandable if we do it that way. I would also  
2 like the record to reflect that NMOGA provided  
3 additional copies of its exhibit book to the public.

4 CHAIRPERSON BAILEY: Ms. Foster, would you  
5 like to make an opening now or reserve it for your  
6 case?

7 MS. FOSTER: Which would you prefer?

8 CHAIRPERSON BAILEY: To reserve it.

9 MS. FOSTER: I will reserve it.

10 CHAIRPERSON BAILEY: Mr. Jantz, would you  
11 like to make an opening statement now or reserve it  
12 for your case?

13 MR. JANTZ: I would like to make it right  
14 now, Madam Commissioner, and I will be brief. The  
15 Commission's decision in this rule-making should be  
16 guided by two principles. One, change. And we are  
17 going to hear a lot of evidence during this next  
18 week but I think what the Commission needs to keep  
19 in mind is that you can't reconsider the Pit Rule.

20 Let's make no mistake. This is really  
21 about the Pit Rule. This is not a new case. It has  
22 a new case number but the fact of the matter is this  
23 is essentially reconsidering the Pit Rule that was  
24 passed in 2008. In order to reconsider that Pit  
25 Rule, the Commission can't make changes unless

1 there's a rational basis for it. In other words,  
2 something has to have changed since 2008. In this  
3 case we are looking at virtually the same evidence  
4 from industry as we did in 2008. That hasn't  
5 changed. What has changed is that the pit  
6 contamination incidents are down from over 400 prior  
7 to the Pit Rule to zero now. And second, rig counts  
8 are up to 2007 levels indicating that the Pit Rule  
9 really hasn't had an effect on the economics of the  
10 oil and gas industry in this state. Those are the  
11 two things that have changed.

12           The second thing that the Commission will  
13 want to keep in mind during the course of the  
14 proceeding is risk. Like 2008, like you did in  
15 2008, like the Commission did in 2008, you will hear  
16 a lot about risk-based analysis. But I think you  
17 would like to consider who bears the risk. What  
18 essentially the Commission will be considering is  
19 who is going to bear the risk of damage to public  
20 health, businesses, private surface property, public  
21 trust lands and water, both ground and surface  
22 water.

23           Once again, as it did in 2008, the  
24 industry is asking you to socialize the risk  
25 associated with the oil and gas production and

1 privatize the benefits. That being the case, OGAP  
2 respectfully asks that you keep the Pit Rule intact  
3 as it is. Thank you.

4 CHAIRPERSON BAILEY: Mr. Bruce, do you  
5 have an opening?

6 MR. BRUCE: I do not, Madam Chair.

7 CHAIRPERSON BAILEY: Ms. Calman?

8 MS. CALMAN: Commissioners, I think I  
9 would just like to note that EMNRD and the other  
10 groups you are representing are only planning on  
11 providing testimony and argument in the second  
12 portion.

13 CHAIRPERSON BAILEY: Mr. Dangler?

14 MR. DANGLER: We are hear to listen, Madam  
15 Chair.

16 CHAIRPERSON BAILEY: Dr. Neeper?

17 MR. NEEPER: We will have a very brief  
18 statement. We will present testimony along two  
19 lines. One is that the proposed amendments to the  
20 rule provide significantly less protection for the  
21 environment. The second thrust of this testimony  
22 will be to effect that there are numerous instances  
23 in the proposed rule where the wording is arguable  
24 or potentially misleading, giving the appearance of  
25 protection or regulation when, in fact, it could be

1 argued that such regulation doesn't exist or the  
2 operator could escape the rule with a simple  
3 argument. And we feel that the structure of  
4 regulation should not have weasel words and various  
5 little hidden escape clauses, and we will argue to  
6 that effect.

7 CHAIRPERSON BAILEY: Ms. Gerholt?

8 MS. GERHOLT: Madam Chair, the Division  
9 will reserve its opening argument before it presents  
10 its case-in-chief.

11 CHAIRPERSON BAILEY: Mr. Fort?

12 MR. FORT: Jalapeno Corporation does not  
13 have an opening statement. Thank you.

14 CHAIRPERSON BAILEY: Would you like to  
15 call your first witness?

16 MR. CARR: May it please the Commission,  
17 at this time NMOGA calls Bruce Gantner.

18 BRUCE GANTNER  
19 after having been first duly sworn under oath,  
20 was questioned and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. CARR

23 Q. Would you state your name for the record,  
24 please?

25 A. My name is Bruce Alan Gantner.

1 Q. Mr. Gantner where do you reside?

2 A. I reside in Farmington, New Mexico.

3 Q. By whom are you employed?

4 A. I'm currently employed by ConocoPhillips  
5 Company.

6 Q. What is your position with ConocoPhillips?

7 A. I'm an environmental consultant.

8 Q. Could you describe for the Commission what  
9 an environmental consultant does.

10 A. Over the years I have had different  
11 positions, but my current position, I provide  
12 technical consultation on environmental matters that  
13 have to deal with air, water, waste and all of the  
14 environmental disciplines.

15 Q. Have you previously testified before the  
16 New Mexico Oil Conservation Division?

17 A. Yes, I have.

18 Q. Have the commissioners changed since your  
19 last testimony?

20 A. Yes, they have.

21 Q. Could you summarize your educational  
22 background please?

23 A. I have a Bachelor of Science in mechanical  
24 engineering from Kettering University, used to be  
25 called General Motors Institute, and a Master of

1 Science in Environmental Engineering from the  
2 University of North Carolina at Chapel Hill.

3 Q. Could you review your work experience?

4 A. I worked for General Motors as a plant  
5 facilities engineer for three years. I worked in  
6 the state of North Carolina for three years as an  
7 environmental engineer; five and a half years with  
8 Cameron Ironworks now called Cameron International  
9 as a manager of environmental health and safety;  
10 eight years with a solid waste firm called  
11 Browning-Ferris Industries. My last position there  
12 was divisional vice president of Environmental and  
13 Compliance; and then 18 years with ConocoPhillips  
14 and its subsidiaries in Environmental, Science and  
15 Safety as well.

16 Q. At the time of your prior testimony before  
17 the Oil Conservation Division, were your  
18 qualifications as an expert accepted and made a  
19 matter of record?

20 A. Yes, they were.

21 Q. How were you qualified at that time?

22 A. I was qualified as an expert in  
23 environmental engineering.

24 Q. Is a copy of your resume included in the  
25 NMOGA exhibit book behind Tab 2 and marked NMOGA

1 Exhibit No. 2?

2 A. Yes, it is.

3 Q. And does this exhibit identify the various  
4 positions you have held with Conoco?

5 A. Yes, it has.

6 Q. Does it also identify the various  
7 environmental task forces that you have worked on?

8 A. Yes, it does. I will say that the resume  
9 probably -- I haven't looked at it, but it may not  
10 reflect the most current position of environmental  
11 consultant. Immediately when we filed I was an  
12 environmental supervisor. Now I serve as  
13 consultant. I'm not sure that was updated.

14 Q. Were you a member of the NMOGA committees  
15 that developed the proposed amendments to the Pit  
16 Rule?

17 A. Yes, I was.

18 Q. When did you first start working on the  
19 Pit Rule?

20 A. Well, the original rule that I worked on  
21 with NMOGA was with the original Rule 50. Since  
22 then, obviously, in December of 2010 we formed a  
23 group at the beginning of review in recommending  
24 amendments. I developed the first red line draft  
25 and then the committee, both NMOGA and IPANM

1 members, met as well to address some additional  
2 concerns about the rule and then we prepared a draft  
3 that was filed last fall, and then since that time  
4 we continued to work with the Pit Rule group to  
5 recommend additional revisions which, as you  
6 commented, are in the submittal.

7 Q. Have you prepared exhibits for  
8 presentation today?

9 A. Yes, I have.

10 Q. And are they in the form of PowerPoint  
11 slides?

12 A. Yes, they are.

13 Q. Are hard copies also available in the  
14 NMOGA exhibit book?

15 A. Yes, I believe they are.

16 Q. Are you prepared to review this  
17 information with the Oil Conservation Division?

18 A. Yes, I am.

19 MR. CARR: We tender Mr. Gantner as an  
20 expert in environmental.

21 CHAIRPERSON BAILEY: He is so accepted.

22 Q. Mr. Gantner what does NMOGA seek with this  
23 application?

24 A. Well, we have lived with the rule for four  
25 years, so in my words, we are not trying to just

1 abolish the rule. We wanted to find those elements  
2 of the rule that were causing the most difficulty,  
3 that added unnecessary cost without any additional  
4 protection, and to make them also simpler to  
5 understand and comply.

6 I think everyone knows, reading through  
7 that rule, it was pretty tenuous when you had to go  
8 through and try to find what sections you needed to  
9 comply with. So we are seeking revisions more  
10 easily understood but in all cases with the  
11 intention that it's still protective of groundwater,  
12 protective of public health and the environment.

13 Q. Mr. Gantner, is the material behind Tab 1  
14 in NMOGA's exhibit book the proposed revisions and  
15 modifications NMOGA is advancing for the Pit Rule?

16 A. Yes, it is.

17 Q. We have two formats behind Tab 1?

18 A. Yes, I believe there's a red line version  
19 that shows the changes to the original version and  
20 then there's one that shows it without those red  
21 line changes.

22 MR. CARR: I have copies, may it please  
23 the Chair, of the more recent modifications that  
24 have been marked NMOGA Exhibit 20. With your  
25 permission I will pass those out and we will refer

1 to them. This will provide the text.

2 CHAIRPERSON BAILEY: Mr. Carr, if you  
3 would please refer to the original application,  
4 Modification No. 1, Modification No. 2 and whatever  
5 subsequent modification so we can be very clear on  
6 the record as to which modification and then relate  
7 it back to the original application.

8 MR. CARR: We will try to do that. It may  
9 be a little confusing but I think we can.

10 CHAIRPERSON BAILEY: Thank you.

11 MR. CARR: May it please the Commission,  
12 we should note that we are not relying on the  
13 original application at all, just the revisions  
14 filed on the 14th which would supersede that.

15 CHAIRPERSON BAILEY: Yes, but we had  
16 notice given of the first application.

17 MR. CARR: That's fine.

18 Q (By Mr. Carr) Mr. Gantner, could you review  
19 for the Commission the portions of the NMOGA  
20 proposal that you will discuss in your testimony?

21 A. Okay. The two principal areas I'm going  
22 to testify about have to do with siting criteria and  
23 then the second has to do with the section called  
24 closure and reclamation. I am strictly going to  
25 talk about the closure aspects. The reclamation

1 will be addressed by someone else.

2 Q. In the Land Commissioner's prehearing  
3 statement they addressed 400 cases of significant  
4 groundwater contamination that could be linked to E  
5 & P wastewater practices and they cited 2007 OCD  
6 sampling program. Have you examined those numbers  
7 or been involved in doing that?

8 A. I certainly didn't examine all 400, but I  
9 know I was part of a group that went in and looked  
10 at the files within the Oil Conservation Division  
11 and by and large, as you stated earlier, they were  
12 earthen unlined production pits that were perfectly  
13 within the rules at the time but had caused legacy  
14 contamination under the years. So those are not the  
15 temporary pits for drilling workover completions and  
16 multi-use fluid pits that we are talking about  
17 today. So those pits that were the result of that  
18 kind of contamination aren't allowed under this  
19 present rule.

20 Q. Do the amendments NMOGA is proposing  
21 change the requirements for permanent pits?

22 A. No. We left permanent pits alone.

23 Q. Mr. Gantner, are you going to review the  
24 technical aspects of this proposal? What is your  
25 testimony going to focus on?

1           A.     No, I will not be reviewing the technical  
2 aspects. We have experts that you mentioned,  
3 Dr. Ben Thomas, Dan Arthur, Bruce Buchanan who will  
4 address the technical aspects. I will review  
5 basically how we have lived with these rules and how  
6 we are proposing changes and I'm going to elaborate  
7 on those changes but not the technical aspects.

8           Q.     Let's go to your PowerPoint presentation.  
9 Let's go to siding and start with NMOGA Exhibit No.  
10 3-2.

11          A.     Okay.

12          Q.     I would ask you to provide an overview of  
13 what we are proposing.

14          A.     Okay. First of all, with respect to pits,  
15 one of the things that we have said all along is  
16 that one size does not fit all and the previous rule  
17 was exactly that. It put all pits into the same  
18 category, no matter if you used water based drilling  
19 mud or brine-typed muds. So we have a risk-based  
20 criteria that supports two thresholds in siding for  
21 pits which we will cover later. Then below-grade  
22 tanks, again, that's going to be addressed by Ed  
23 Hasely but again it's a risk-based criteria  
24 supporting reduced siting restrictions which are  
25 essentially tanks out in our locations.

1 Q. Since we are talking primarily or  
2 principally about temporary pits, could you refer to  
3 NMOGA Exhibit 3-3 and review the changes that are  
4 proposed to the definition of temporary pits?

5 A. Is that the one you just handed out?

6 Q. No, that would be Slide 3.3.

7 A. Okay. The definition -- again, part of  
8 making changes and proposed changes to this rule, we  
9 had to change definitions as well. So a temporary  
10 pit as read there means a pit, including a drilling  
11 or workover pit, which is constructed with the  
12 intent that the pit will hold liquids and be closed  
13 in less than one year. "Temporary pits may be used"  
14 -- there's a typo -- "one or more wells and located  
15 either on-site or off-site of a drilling location."  
16 That was critical, that these pits did not have to  
17 be within -- right on that location. You could have  
18 a pit nearby and use it for disposal.

19 "Any freshwater containment structure such  
20 as a pond, pit or impoundment is not a temporary  
21 pit." The reason we added that language is in  
22 certain of the districts, they were interpreting if  
23 you had a freshwater pit, that that was covered  
24 under the Pit Rule. In our minds that's no  
25 different from the pit or impoundment you use for

1 storing freshwater. And as long as it only had  
2 fresh water, there was no reason why that should be  
3 subject to the Pit Rule.

4 Q. Let's move to slide No. 3-4. Would you  
5 identify and review that, please.

6 A. Okay. We are talking now about siting,  
7 temporary pit siting. Water -- again, to draw this  
8 distinction that one class doesn't fit all we said  
9 that water-based drilling muds were addressed by  
10 adding a low chlorides drilling fluids to the  
11 definition. And at first we didn't have a number.  
12 We just said low chlorides. Then we began looking  
13 for numbers. We came up with 15,000 milligrams per  
14 liter threshold for low chloride drilling fluids.

15 Q. Now, this distinction will accommodate  
16 water-based fluids in the San Juan Basin and that's  
17 what it's intended to do?

18 A. That's correct. It would distinguish the  
19 difference between brine-type muds and low --  
20 water-based drilling fluids.

21 Q. NMOGA is not proposing changes where other  
22 types of drilling fluids are used? It would precede  
23 that line of demarcation?

24 A. I don't believe so.

25 Q. And the 15,000 to one number was in the

1 original proposal that was advertised and filed last  
2 year; is that correct?

3 A. By NMOGA. Yes, it was.

4 Q. Could you refer to Exhibit 3-5 and explain  
5 this 15,000 to one milligrams per liter?

6 A. I will be glad to. We came up with the  
7 definition that low chloride fluids means fluids  
8 that contain less than 15,000 milligrams per liter  
9 of chlorides determined either by analysis or  
10 process knowledge.

11 We looked at various states. Texas has a  
12 definition for low chlorides and it is set at 3,000.  
13 But it's strictly for how you dispose of the  
14 materials. They say if you are less than 3,000  
15 milligrams per liter or kilogram of chlorides, then  
16 you can land-spread it. You can land-spread those  
17 cuttings. If it's above that, you have to dispose  
18 in place. But they don't prohibit a pit based on  
19 chlorides, the low chloride number.

20 Colorado had something more to the  
21 thinking that we were. They said that if you had  
22 low chloride fluids, and they defined it at 15,000,  
23 you didn't need to get a permit from the Commission.  
24 You could go ahead and have a pit without a permit.  
25 Above that threshold they said you had to have a

1 permit for that level. So 15,000 seemed very  
2 reasonable on that.

3 The other thing was we used on occasions a  
4 material called KCL and water which is usually a 2  
5 percent solution for drilling. Occasionally you  
6 need that to control the well. And that would fall  
7 just below that 15,000 number. I think if you ran  
8 the math, the chloride comes to about 12- or 13,000.

9 CHAIRPERSON BAILEY: We have a request.  
10 We don't know whether these changes are pre-notice  
11 or post-notice. Let's assume the original proposal  
12 and then you tell us where the changes are made.

13 MR. CARR: I don't have -- what we did,  
14 Madam Chairman, is we assumed once we had proposed  
15 modifications they superseded what we had proposed  
16 so we presented those. I don't even have with me  
17 the original proposal. I do know the basic elements  
18 that were in the original proposal, but it's going  
19 to be difficult to structure the presentation here  
20 as we go forward that way.

21 CHAIRPERSON BAILEY: Please try your best.

22 MR. CARR: I will try my best.

23 CHAIRPERSON BAILEY: Tell us if this is  
24 Modification 1 or Modification 2.

25 MR. CARR: I think what we can do is point

1 out things that have not been changed by  
2 modification that would be from the original noticed  
3 provisions, okay? We will try to do that.

4 CHAIRPERSON BAILEY: Thank you. We just  
5 don't want to run afoul of the notice requirements.

6 Q (By Mr. Carr) Mr. Gantner, let's go to  
7 NMOGA Exhibit 3-6 entitled Temporary and Multi-well  
8 Fluid Management Pits, Siting Changes in Siting  
9 Criteria. Are the numbers on this table the same  
10 numbers that were originally presented with the  
11 application last year?

12 A. I believe they were.

13 Q. Would you review the table for the  
14 Commission.

15 A. Okay. Again, given that we have now  
16 established a two-tiered approach for temporary  
17 pits, those that will be handle low chloride  
18 drilling fluids, we said that the groundwater should  
19 be no less than 25 feet. In other words, you should  
20 have at least 25 feet between the bottom of the  
21 waste and the groundwater, to a watercourse would be  
22 100 feet, and a residence 300 and so on and so  
23 forth. Now, those are relaxed from what the current  
24 rule has which is the line at the bottom, which was  
25 the one-size-fits-all approach that said everything

1 had to be that.

2 Then the other category would be other  
3 fluids other than low chlorides. They, you see,  
4 have to have a minimum of 50 feet of groundwater,  
5 300 feet to watercourse and so forth. So there were  
6 changes made particularly to the last two to a water  
7 well and to a wetland, but by and large they stayed  
8 the same.

9 Q. And a subsequent witness will discuss  
10 these in terms of the risk?

11 A. That's correct, the experts will address  
12 that.

13 Q. Can you explain for the Commission the  
14 reasoning behind these requested changes in the  
15 siting requirements?

16 A. Well, again, we wanted to take a  
17 risk-based approach. These siting requirements are  
18 very important. They affect two things. Number  
19 one, they affect certainly where you can have a pit  
20 with a liner or you must choose the closed-loop  
21 system. The other thing which was very important,  
22 which really added some cost, again without meaning  
23 in our minds, was that you couldn't even dispose  
24 into these environments. You had to -- irrespective  
25 of what the constituents met, you had to haul the

1 cuttings to the third-party place as opposed to  
2 leaving them in place for disposal.

3 Q. Mr. Gantner, State Land Office in its  
4 statement stated that the standards basically should  
5 be the same as those in the New Mexico Solid Waste  
6 Act and for OCD waste disposal facilities. Are  
7 these setbacks different from those?

8 A. Well, I think the setbacks that they have  
9 for a permanent disposal facility are probably in  
10 the line of what the current rule has. But that's  
11 for waste that you are bringing in waste from  
12 multiple sites, you're going to dispose it there  
13 permanently, you are going to have groundwater  
14 monitoring. That is a different basis than a  
15 temporary pit that's there for a period to drill a  
16 well. You are going to dewater it. If you have the  
17 constituents pass, then they will be disposed.

18 To me it's apples and oranges. You have a  
19 long-term multi-volumes of waste being brought to a  
20 facility. Siting should be different for that than  
21 a temporary fit that you are going to use for a  
22 period of time and then properly close it.

23 Q. Before we move on, I think we need to  
24 address a couple of definitions, a couple of terms  
25 that we have been proposing new definitions to. I

1 would like you to refer to Exhibit No. 3-7 and just  
2 explain why you have proposed changes in definitions  
3 to continuously flowing watercourse and also to  
4 significant watercourse.

5       A.       Continuously flowing watercourse as read  
6 there means to me a common sense definition that we  
7 would all think of continuously flowing. It means a  
8 stream or creek that's named or delineated by a  
9 solid blue map on a quadrangle map having a certain  
10 scale factor. It typically has water flowing during  
11 the majority of days during the year. It doesn't  
12 include ephemeral washes, arroyos and similar  
13 depressions that don't have flowing water during the  
14 majority of days of the year.

15               The reason this became a problem is  
16 because, again, in various district offices, they  
17 were taking any real or any kind of surface  
18 depression, whether it be a wash or a dry wash that  
19 never saw water. You know, if you were out there  
20 365 days a year, it might have water two or three  
21 days a year, and then you couldn't have a pit within  
22 a distance of that. It made no sense. So that was  
23 part of that change.

24               Then a significant watercourse, there  
25 probably wasn't much change but it means a

1 watercourse with a defined bed, and basically you  
2 have a defined bed and bank of such a watercourse  
3 and then the next order tributary to that.

4           So these were just workable changes that  
5 we felt would give greater flexibility, be clearer  
6 to both regulator and the industry, but yet still be  
7 protective of groundwater, surface water and public  
8 health and the environment.

9           Q.     Let's go to NMOGA's Slide No. 3-8,  
10 below-grade tank siting. Are these numbers numbers  
11 that were in the original proposal as advertised  
12 last year?

13           A.     Yes. I will just go through this briefly.  
14 Ed Hasely is really going to cover this in more  
15 depth. Again, these are tanks and we need to think  
16 of these as tanks. Whereas the current rule said  
17 that you had to be 50 feet from groundwater, we said  
18 a more reasonable number is to have the tank as long  
19 as there is at least ten feet of groundwater. So  
20 this area here from the current rule, we will show  
21 later, caused a lot of cost differences that we had  
22 to bear, particularly up in the northwest when you  
23 couldn't use a below-grade tank. But these are the  
24 proposed distances.

25           Again, risk-based, they are tanks, they

1 have integrity. No reason why they shouldn't have a  
2 closed proximity.

3 Q. So what you are proposing, what NMOGA is  
4 proposing, is more flexibility for these tanks in  
5 regard to a watercourse?

6 A. That's correct.

7 Q. We will have another witness that will  
8 address the risk associated with the change or the  
9 lack thereof?

10 A. That's correct.

11 Q. How do the proposed changes in siting  
12 requirements impact closed-loop systems?

13 A. Well, closed-loop systems are still  
14 allowed. We aren't restricting them. What we are  
15 saying is if we change the siting criteria, say,  
16 from the previous slide that we saw the table, that  
17 we are saying you would not have to use the  
18 closed-loop system as long as you stay outside the  
19 siting boundaries. So basically you would have to  
20 use it less often when it's not necessary to be  
21 protective. You still might operationally choose to  
22 use it for other reasons, but there's nothing in  
23 this rule that would prohibit the use of closed-loop  
24 systems.

25 Q. Why are siting criteria for below-grade

1 tanks important to operators?

2 A. Well, again, with the current rule, I know  
3 from my company itself, we had to -- we could not  
4 use below-grade tanks for several of those  
5 definitions and it just made no sense. And we had  
6 to add costs unnecessarily.

7 Q. Let's go to Slide 3-9 and ask you to  
8 review the information.

9 A. Okay. Well, our experience, again, for  
10 the four years is that we had to incur an additional  
11 50- to \$70,000 per location when you couldn't use a  
12 below-grade tank. You may say how can that happen?  
13 The fact that you go below-grade, above-grade, why  
14 does that change? Well, up in the basin of the  
15 northwest San Juan, very mature -- pressures are  
16 lower. We have to gravity-drain a lot of our  
17 equipment from separators to tanks, when we are  
18 swabbing, that we have to gravity-drain those  
19 fluids. That's the way it's been done and it's been  
20 done very well.

21 When you can't gravity-drain because you  
22 can't put a below-grade tank, you now have to bring  
23 the tank above-grade so everything else, we have to  
24 build up that location. So we had to build up  
25 basically like little risers for all the tanks. We

1 had to build up risers for the compressors and all  
2 that. Our experience is it cost us 50- to \$70,000  
3 to do that. Again, without, to us, any additional  
4 benefit or protecting the public health and the  
5 environment.

6 Then on the siting side as well where you  
7 had these distances that said you could not bury  
8 waste, no matter how clean the cuttings became, if  
9 you were within those siting distances you had to  
10 haul the material. So we are talking sometimes 100  
11 plus miles that we had to haul these cuttings to a  
12 third-party site which ranged anywhere from 100- to  
13 \$150,000 per location.

14 Q. Let's go to the next slide and I would ask  
15 you to review other costs ConocoPhillips has been  
16 incurring.

17 A. Closed-loop systems, we have been using  
18 these for ConocoPhillips now from 2010 to the  
19 present. I pulled that data so I could present  
20 here. It's 19 percent of our wells in the San Juan  
21 Basin were drilled that way so that came to 47  
22 wells. Based on those 47 wells, the average  
23 increased cost was about \$105,000 per well.

24 Now, again, some of the wells, even with  
25 the criteria we have asked for, would still need to

1 be done closed-loop. That's fine, because those  
2 distances would certainly merit the added  
3 protection. But in many cases there wasn't in our  
4 minds any added protection to the public health or  
5 the environment. So when you incur those kinds of  
6 costs, that means that you are able to drill less  
7 wells with your capital budget.

8 Q. If you are able to drill less wells  
9 because of the additional costs, does that  
10 necessarily mean the wells are going to be drilled  
11 in the future?

12 A. Well, it could be or it could not. I  
13 mean, A company like ConocoPhillips much like other  
14 companies, you have X amount of capital for the  
15 whole company. They are going to invest capital  
16 where they get the greatest return. If they see  
17 that they could drill the wells that they can get a  
18 better return in other states and other  
19 jurisdictions that don't have the restrictions,  
20 that's certainly going to be their inclination to do  
21 that.

22 Q. Does the Pit Rule, in your opinion, tend  
23 to reduce the number of wells?

24 A. Well, absolutely. It has in our case.  
25 Again, for San Juan, certainly economics, the

1 current gas prices have by far the greatest effect.  
2 Then the other costs by and large take away from  
3 your budget so you are able to do less wells with  
4 your budgets.

5 Q. Does the use of the closed-loop system  
6 result in lower later cleanup costs for  
7 ConocoPhillips?

8 A. Well, again, where you had siting  
9 restrictions that said absolutely you couldn't  
10 dispose of the material, they didn't result in any  
11 lower cost for disposal of cuttings. Now, if the  
12 Commission does approve the siting changes we have  
13 asked for, then closed-loop would certainly in some  
14 cases allow us to dispose of those cuttings in  
15 place. But by itself it doesn't affect the cost of  
16 disposal.

17 Q. Let's talk about closure --

18 CHAIRPERSON BAILEY: Before we start the  
19 second part of your testimony, let's take a  
20 ten-minute break.

21 (Note: The hearing stood in recess at  
22 10:31 to 10:42.)

23 CHAIRPERSON BAILEY: Back on the record.  
24 Mr. Carr, Mr. Gantner was giving his testimony.

25 Q (By Mr. Carr) Mr. Gantner, before we go to

1 closure, I want to ask you a question about the  
2 Surface Owner Protection Act that relates to siting.  
3 Are you familiar with SOPA?

4 A. Yes, I am.

5 Q. You have a landowner, private land. Is it  
6 possible under SOPA for that individual landowner to  
7 work with the oil company and negotiate for  
8 additional, perhaps more restrictive, siting  
9 requirements?

10 A. Absolutely. What we set here is what the  
11 rules will allow from a state regulatory  
12 perspective. When you are talking about with the  
13 private surface owner and their property, they can  
14 certainly stipulate that differently and you will  
15 negotiate with them to arrive at a surface use  
16 agreement.

17 Q. So the recommendations are not intended to  
18 in any way override the rights of a private  
19 landowner under SOPA?

20 A. They do not.

21 Q. Let's go to knowing Exhibit 3-11, closure.  
22 This is an initial overview in regard to the closure  
23 provisions. This is consistent with what was  
24 originally filed, is it not?

25 A. Yes, it is.

1 Q. Why don't we go to this and I have asked  
2 you to review the information on the slide.

3 A. This section itself, the actual title of  
4 19.15.17.13 says "Closure and Reclamation" but we  
5 left that off because I'm not going to talk about  
6 that. But this section of the current Pit Rule was  
7 really cumbersome. Andrew Hoff with BP and I, we  
8 worked on this for a whole day trying to improve the  
9 clarity and reduce the redundancy of the section,  
10 and we did so from taking it from six pages to  
11 three.

12 Part of what accomplished that was  
13 incorporating tables, and so with the closure we  
14 improved the clarity, established scientifically  
15 supportable thresholds and then, again, tables  
16 allowed for us to reduce a good bit of redundant  
17 text.

18 Q. And the tables that are in the draft  
19 before the Commission are the same tables that were  
20 proposed initially? The numbers are the same?

21 A. I believe that's correct.

22 Q. Now, to be sure we address the  
23 modification issue the best we can, modifications to  
24 what NMOGA is proposing have also been proposed by  
25 the Oil Conservation Division; is that correct?

1           A.     That's correct.

2           Q.     And have you reviewed what was proposed by  
3 the Oil Conservation Division?

4           A.     Yes, I did.

5           Q.     Would you comment on that?

6           A.     Well, in terms of closure, it looked like  
7 they just kind of struck it out and rewrote it.  
8 Basically from what I saw -- I mean, I didn't give  
9 it real thorough examination, but it looked  
10 essentially the same as what we had so I didn't see  
11 any objections to the change. It met the intent of  
12 improved clarity and redundancy but they reworded  
13 it.

14          Q.     Go to NMOGA Exhibit 3-12. What does this  
15 show?

16          A.     We divided closure into two parts. We  
17 said first if you are going to haul waste off to a  
18 third party, then this should be the section you go  
19 to. Instead of having to go through four or five  
20 sections you go to one section. So if you're going  
21 to haul your waste to a third party either by your  
22 own choice or because you couldn't meet the  
23 parameters, you are going to excavate contents in  
24 the liner and haul course. Before that you will  
25 pull the fluids. Then you will excavate the

1 contents and then you have to test the soils beneath  
2 the liner to see if you have evidence of the  
3 release. That's what the current rule requires.

4 Now we have a table which, again, reflects  
5 the revised threshold of testing soil. If any of  
6 those constituents show that you have a release,  
7 meaning you are above those standards, then you will  
8 have to discuss further steps with the OCD. If no  
9 release you close, recontour and revegetate with  
10 vegetation.

11 Q. This is if you are going to be taking the  
12 waste off-site?

13 A. That's correct.

14 Q. Let's go to the next slide and look at  
15 what happens if you are proposing to dispose in  
16 either a pit or burial trench nearby.

17 A. In our case, in our history, this should  
18 be most cases, at least up in the northwest. I  
19 think probably true in the southeast too, where you  
20 are going to allow the waste to be disposed in place  
21 or in a nearby trench. Again, you remove the  
22 liquids, you stabilize or solidify the contents.  
23 Three to one max, which the current rule called for.  
24 You test the contents, and then Table 2 now, you go  
25 to to see the revised thresholds, again, which

1 Dr. Thomas and others will testify on their  
2 relevance. If the contents fail, then you have to  
3 haul the contents and go back to the element in the  
4 previous slide of how you pull the liner and test  
5 beneath the soil.

6 Q. Let's continue.

7 A. Assuming the contents pass, then you use  
8 either the temporary pit that you constructed, or  
9 again, this could be where you had a drying pad with  
10 a closed-loop system and you could construct and do  
11 earthen trench with a liner. The one difference we  
12 eliminated is they had an arbitrary thing in the  
13 previous rule that said you had to be within 100  
14 feet of the well that you drilled. This took away  
15 opportunities to have a nearby location that you  
16 could have a pad and use it for two pits. So  
17 really, it didn't make sense. So we took that  
18 restriction out.

19 Further stabilize and solidify as needed,  
20 and now you cover with four feet of compacted soil.  
21 For the trench, we took out the requirement that you  
22 have a liner because it's really not necessary, and  
23 then reclaim the location per the site reclamation  
24 criteria.

25 Q. Now, the numbers in Tables 1 and 2 will be

1 reviewed by other witnesses?

2 A. Right.

3 Q. The removal of the trench liner will be  
4 discussed by a subsequent witness; is that correct?

5 A. I believe that's correct.

6 Q. Basically what was the reasoning behind  
7 the removal of that cap?

8 A. You commonly see where you have a liner, a  
9 cap liner like this over a landfill. What you are  
10 trying to do in a landfill is avoid leachate  
11 formation. You have all sorts of waste materials  
12 you have accumulated.

13 In our case, again, you are talking a  
14 single well, single pit with the contents that you  
15 dewatered, and now you are going to put four feet of  
16 soil. I think the experts will show that you don't  
17 need a synthetic liner to prevent salts from  
18 migrating or anything else. So this is protective.

19 Q. In its statement, the State Land Office  
20 expressed concern about off-site burial trenches and  
21 noted that when waste can be disposed of in another  
22 well location it's difficult to know or impossible  
23 to know whose waste is in the trench or pit. Is  
24 that correct?

25 A. That's not to my recollection. Any permit

1 that you do when you drill the well, you have to  
2 disclose where the contents are going. It's either  
3 going to off-site, which you then have a manifest  
4 with it, or you wrote in your plan where it's going  
5 to go. So from the passage of this rule, you will  
6 have a tracking of all waste from a well site to  
7 drilling completion.

8 Q. These procedures that you have been  
9 discussing here are the exact procedures that were  
10 set forth in the original filing?

11 A. Yes.

12 Q. Let's go to NMOGA Exhibit 3-15. Would you  
13 review this, please.

14 A. Okay. In the current rule it allowed for  
15 some alternate closure requirements. We just  
16 simplified this to say again, very clearly, that  
17 technology is always evolving so new things are  
18 coming along. So if you have an alternate closure  
19 requirement, you may propose -- apply to the  
20 district for the closure method and the district,  
21 based upon their review, if they show it's  
22 protective of groundwater, surface water, public  
23 health, welfare and environment then they will  
24 approve it. It clearly states where that approval  
25 comes from and that's why it's there.

1 Q. Let's go to the next slide and I would ask  
2 you to discuss closure and notice reporting.

3 A. Okay. Again, for the temporary pits,  
4 again, 72 hours to the district office, and that's  
5 the same for the multi-fluid well management pit and  
6 then a below-grade tank. The permanent pit, again,  
7 we left untouched so that is the same as what the  
8 current rule requires. It's 60-day notice to the  
9 Santa Fe Environmental Bureau before commencing  
10 closure.

11 Q. But the others are reported to the  
12 district?

13 A. The others are reported to the district.  
14 That's right.

15 Q. In its prehearing statement, State Land  
16 Office expressed concern about extending the lives  
17 of temporary pits with our proposal; is that  
18 correct?

19 A. I think what I recall is they were  
20 objecting to extending it from six months to a year.  
21 And again, if you look at other states, Wyoming, for  
22 example, they allow up to a year. From our  
23 experience, yes, you can generally do it within six  
24 months, but there are occasions when you need  
25 additional time, and rather than burdening the State

1 with frequent requests for alternate closer, we felt  
2 a year as the base should be the case and then that  
3 way avoid that obstacle. That's been my experience  
4 and that's why we did it.

5 Q. Let's go to the next line. Timing  
6 Requirements for Closure.

7 A. Yes, again, timing, again, same timing as  
8 in the current rule. It clarifies that operator  
9 shall note date on the C 103 or C 105. Again, just  
10 adding clarity on how that notification is to be  
11 made. Then the multi-well fluid management pit,  
12 closure within six months. That's a new category,  
13 so we left that at six months or set that at six  
14 months.

15 Q. Under the current proposal, under the most  
16 recent proposal, is an operator still required to  
17 close permanent temporary pits within six months  
18 after the date the operator releases the rule?

19 A. Are you talking about the current rule or  
20 our proposal?

21 Q. I'm talking about what is being proposed.

22 A. Our proposal, I believe, for temporary  
23 pits is to allow for up to a year. Others are six  
24 months.

25 Q. Let's go to Exhibit No. 3-18. Timing

1 Requirements for Closure Continued.

2 A. Ed Hasely may cover this as well. But  
3 again, for below-grade tanks we said that for  
4 closure to eliminate -- right now there's a deadline  
5 in five years and that comes up with 2013.  
6 Irrespective of whether tanks have integrity they  
7 are required to close if they don't meet the design  
8 criteria. We changed that. We said if you have  
9 integrity and can demonstrate it, you can continue  
10 to use them. Only when they fail to meet it are you  
11 required to upgrade. And then the same for sale or  
12 transfer, not meeting. So basically --

13 Q. So now you don't have to close a  
14 below-grade tank upon sale or transfer of the  
15 property?

16 A. Which under the current rule you would.

17 Q. So as long as the below-grade tank  
18 continues to demonstrate integrity, you may use it?

19 A. That's what this says.

20 Q. Before we wrap up, there are a couple  
21 additional terms I would like you to address. I  
22 would like to go to slide 3-19, which is the  
23 definition of visible. Could you explain, one, the  
24 definition, and how we got there?

25 A. Okay. This comes up when you need to

1 remove oil that's on a pit. If you are out there  
2 drilling or completing a well and oil from some  
3 source happens to show up on the pit, the current  
4 rule says you need to remove any visible amount on  
5 the surface. Our definition says when used with  
6 respect to oil on the surface of a pit it means a  
7 sheen that occupies 30 percent or more.

8           We had some discussions with at the time  
9 Director Fesmire and others to come up with  
10 interpretations of what this meant. And the  
11 difficulty you have is you could have a sheen that  
12 occupies one square foot on a pit which doesn't  
13 cause a problem. It's not a problem to wildlife,  
14 cattle. It's not causing a problem. But when it  
15 gets to be more than de minimis amount, then you  
16 need to do something. So this is one we had  
17 discussed with them. Again, not that we got it, but  
18 this is one we discussed.

19           So that seems reasonable to us. When you  
20 are talking about a sheen, not a measurable but a  
21 sheen on a pit, you want to avoid having to react to  
22 little de minimus sheens on a pit. So that is why  
23 we proposed this 30 percent or more.

24           Q. Let's go to the definition of a  
25 floodplain, which is our last slide.

1 A. Okay.

2 Q. Why did we propose this?

3 A. The reason we proposed it is there are  
4 different interpretations in different districts of  
5 what a floodplain was so we wanted to be very clear  
6 and specific that it's a U.S. Army Corps of  
7 Engineers or FEMA-documented 100-year floodplain.  
8 If they have documented it, that's one that applies.  
9 If it's not documented just because it's in a low  
10 lying area, if it doesn't meet this definition, it's  
11 not.

12 Q. Mr. Gantner, will adoption of the proposed  
13 amendments eliminate rules that tend to reduce the  
14 total oil and gas produced in New Mexico?

15 A. Well, what we have proposed will eliminate  
16 waste; in other words, we are able to drill more  
17 wells within the state.

18 Q. Does anything in the rules cause waste of  
19 oil and gas?

20 A. No.

21 Q. Will any of the proposed changes impair  
22 correlative rights?

23 A. No.

24 Q. Based on your training and your experience  
25 as an engineer, if these amendments recommended by

1 NMOGA are adopted, will the rule remain reasonably  
2 protective of freshwater and protective of human  
3 health and the environment?

4 A. Given my 30 years of experience in the  
5 environmental field, I feel they would.

6 Q. I hate to ask this because I am advocating  
7 getting rid of redundancy, but will you have other  
8 experts who will explain the standards related to  
9 the risk they do or not pose?

10 A. Yes, there are other experts and witnesses  
11 who will present the other factors who will further  
12 support the case with me.

13 Q. Will adoption of the amendments remove  
14 unnecessary impediments to operators trying to  
15 develop New Mexico resources?

16 A. It will reduce certainly a number. It  
17 doesn't reduce all, but it reduces those that cause  
18 the most difficulty.

19 Q. Now, Mr. Gantner, I would like you to,  
20 before we conclude, go to Tab 5 in your exhibit book  
21 and behind that tab is a photograph that's marked  
22 NMOGA Exhibit 5.1. Could you identify that for me?

23 A. Yes. That is a below-grade tank that --  
24 one of many that ConocoPhillips uses and I have  
25 provided that and you will see that in later

1 testimony from Mr. Hasely. But that is one that I  
2 provided for him to use.

3 Q. This is a true and accurate picture of one  
4 from ConocoPhillips's files?

5 A. That's correct.

6 Q. What about the document behind that marked  
7 5-2?

8 A. That's an engineering drawing that shows  
9 basically how a below-grade tank interfaces with  
10 other equipment and how it is used to collect  
11 fluids.

12 Q. Do you testify to the accuracy of the  
13 photo and the diagram?

14 A. Yes, I do.

15 Q. Were NMOGA Exhibits 2 and 3 prepared by  
16 you?

17 A. Yes.

18 MR. CARR: May it please the Commission,  
19 at this time I move the admission of NMOGA Exhibits  
20 2 and 3 for Mr. Gantner's presentation and two  
21 slides that he has laid the foundation for that will  
22 be used by another witness, 5-1 and 5-2.

23 CHAIRPERSON BAILEY: Any objections.

24 MR. JANTZ: No objection.

25 MS. FOSTER: No objection.

1 MS. GERHOLT: No objection.

2 MR. FORT: No objection.

3 DR. NEEPER: No objection.

4 CHAIRPERSON BAILEY: They are so moved.

5 (Note: Exhibits 2, 3, 5-1 and 5-2 are  
6 admitted.)

7 MR. CARR: May it please the Commission,  
8 our modification to Exhibit A and B and is the  
9 subsequent modifications to 20 are part of the  
10 record since they were filed. With your permission,  
11 I will defer moving their admission in this case  
12 until we conclude our presentation. At that time  
13 you will have a foundation for all of them we are  
14 going to discuss.

15 CHAIRPERSON BAILEY: That's fine.

16 MR. CARR: That includes my direct  
17 examination of Mr. Gantner.

18 CHAIRPERSON BAILEY: Ms. Foster, would you  
19 care to cross-examine the witness?

20 MS. FOSTER: One or two questions.

21 CROSS-EXAMINATION

22 BY MS. FOSTER

23 Q. Mr. Gantner, referring to your Exhibit

24 3-3 --

25 A. She will have to pull that up.

1 Q. That is your definition of temporary pit  
2 that was in the NMOGA initial petition as well as  
3 the IPANM petition, correct?

4 A. Yes.

5 Q. It states that the pit is to be  
6 constructed with the intent that the pit will hold  
7 liquids and you deleted the lines "for less than six  
8 months and will be closed in less than one year."

9 A. Yes.

10 Q. No clarification, does this mean your  
11 temporary pit will only hold pits during its  
12 lifespan?

13 A. No, it will hold certainly the fluids but  
14 it will have the cuttings, the other solid that come  
15 from the wellbore and that are applied to the muds.

16 Q. So it will hold liquids and solids from  
17 the drilling phase?

18 A. That's correct.

19 Q. Thank you. No further questions.

20 CHAIRPERSON BAILEY: Mr. Jantz?

21 CROSS-EXAMINATION

22 BY MR. JANTZ

23 Q. Thank you, Madam Chair. Good morning, Mr.  
24 Gantner. My name is Eric Jantz. I'm with the New  
25 Mexico Environmental Law Center. I'm here for OGAP.

1 I want to ask you a few general questions before I  
2 start talking about specifics. Since 2007, before  
3 the Pit Rule was passed, have the drilling processes  
4 that the oil and gas industry used changed  
5 significantly?

6 A. I don't know what you mean significantly.  
7 I mean, they certainly evolve over time, but I don't  
8 know what you mean by significantly.

9 Q. So you basically still drill a hole in the  
10 ground, correct?

11 A. Well, yeah. We drill several stages of  
12 hole in the ground, secure it with casing. That  
13 process has stayed the same. What you would say has  
14 changed is there's much more development of  
15 horizontal wells in today's world and the shale  
16 plays and that. So that certainly has changed.

17 Q. More hydrofracking?

18 A. Well, I don't know what you mean by more.  
19 If by sheer virtue of more wells being drilled, yes.  
20 Now, every well that we drilled back when I came  
21 into the basin was -- almost every well was  
22 hydraulically fractured then. So I don't say it's  
23 more on a percentage basis. I would say it's about  
24 the same depending on if you have type formations  
25 versus permeable.

1 Q. So that actually really hasn't changed  
2 that much then?

3 A. Not in the San Juan. Maybe in other  
4 places it has.

5 Q. In your experience?

6 A. No, it has not changed.

7 Q. Has the waste stream that goes in the pits  
8 changed since 2007?

9 A. Not from my perspective. It's the same  
10 constituents used in the muds and the completion  
11 phase and so from my standpoint, there hasn't been  
12 any change in constituents.

13 Q. And in terms of leak prevention in pits,  
14 liners, are you aware of any dramatic changes in  
15 technology or is it still just the 20-mil string  
16 liner required in the current Pit Rule?

17 A. If you are talking strictly New Mexico,  
18 when I first came in '98 to the basin there weren't  
19 requirements for liners. You only had to use a  
20 liner if you had sensitive nature. So now it's 100  
21 percent liners or closed-loop. So that has changed.  
22 The 20 mil is just what's required in this state.  
23 Other states have different requirements like in --  
24 I think Wyoming has a 12 mil requirement. The state  
25 of Texas has a different one. But in this state it

1 is a 20 mil liner.

2 Q. In terms of the 20 mil string, though, is  
3 this the same, in your experience, the same 20 mil  
4 you were using when the Pit Rule was implemented?

5 A. I can say in general that's probably the  
6 case. But again, the liner companies come up with  
7 new resins and new formulas and that so the liner  
8 that was used 10, 15 years ago may be a little bit  
9 different from the liner used today.

10 Q. Okay. So let's talk about some of the  
11 things you talk about in your PowerPoint. Exhibit  
12 3-4, the temporary pit siting, you talk about low  
13 chloride fluids and the rationale used to get to  
14 15,000 milligrams per liter.

15 A. Right.

16 Q. I have actually a couple of questions. At  
17 what point during the process is that 15,000  
18 milligrams per liter the standard? In other words,  
19 does that include, for example, flowback from  
20 fracturing operations which I understand is commonly  
21 100,000 milligrams per liter or higher?

22 A. Well, again, it depends what you use in  
23 your fluids as far as for completion. But this  
24 strictly refers to drilling fluids.

25 Q. So this is the fluids before they

1 actually -- this is the stuff that actually goes in  
2 the hole and is used to --

3 A. That's primarily the phase of the well  
4 that you are doing and then completion comes  
5 afterwards. You may use that pit for completion.  
6 You may not.

7 Q. Okay. So it doesn't include any of the  
8 contaminants that the fluids may pick up during the  
9 course of drilling?

10 A. Just during the drilling phase.

11 Q. When you were talking about the 15,000  
12 milligrams per liter, you were also discussing  
13 Colorado's rule and you noted that Colorado had a  
14 rule. You used the past tense. Is that no longer  
15 the case?

16 A. It does.

17 Q. It still has that rule?

18 A. Yeah, I checked on that. It's still  
19 there.

20 Q. Now, on Slide 3-7, the continuously  
21 flowing watercourses and significant watercourses,  
22 is it the NMOGA's position then that pits -- it's  
23 okay to locate pits in ephemeral -- watercourses,  
24 streams, ephemeral streams and arroyos?

25 A. Depends what you define as that.

1 Q. Using the definition in the rules, in the  
2 proposed rules.

3 A. Right. It's where you would have -- if  
4 it's delineated -- just as it's defined there. So  
5 if it doesn't meet the definition, then you could  
6 have a lined pit in that area. You would not have  
7 to use a closed-loop system. But if it doesn't meet  
8 the condition, basically if it's not on a map, a  
9 little arroyo or something of that nature, then it  
10 could be used in that scenario.

11 Q. I would like to talk about the increased  
12 costs. You talked about additional costs for  
13 handling cuttings due to inability to drill on-site  
14 and the cost for closed-loop. Let's talk about the  
15 additional cost for cuttings moving those off-site.

16 A. Do you know what slide number?

17 Q. Exhibit 3-9.

18 A. Thank you.

19 Q. Sure. Can you give me a breakdown of  
20 those increased costs?

21 A. No, I don't have that breakdown with me.

22 Q. You don't have that information? What  
23 about in terms of those incremental costs as a total  
24 cost of drilling, a percentage of the total cost of  
25 drilling the well?

1           A.     Again, it would depend on the type of well  
2     and that so I don't have that information.

3           Q.     Can you give me a range?

4           A.     Well, up in the San Juan Basin I think  
5     probably the cheapest well that I'm aware of would  
6     be maybe 500,000, so it would be 20 percent.  And if  
7     you are talking one that has a horizontal component  
8     and more of that you are talking two to three  
9     million dollars, so you can figure what the  
10    percentage is.

11          Q.     So if you don't have the breakdown, how  
12    did you arrive at these additional costs for cutting  
13    and handling?

14          A.     Well, what I asked our folks to do, before  
15    I would come I said I would like to know for the  
16    past four years that we have lived under the rule  
17    how many of these that we have had to haul the  
18    cuttings because of the siting restriction and I  
19    wanted to know what the range of the costs were.

20          Q.     And these costs don't include potential  
21    offsets of the costs, right?  For example, ability  
22    to claim exemptions on federal or state income  
23    taxes?

24          A.     I didn't ask that kind of question.  Mine  
25    was pretty simple.  I said just for the past four

1 years that we have drilled wells, how many of these  
2 did we have to haul cuttings back to a central  
3 location because of the restriction on siting and  
4 they provided that to me.

5 Q. Do you have a sense of over what period of  
6 time that cost was calculated?

7 A. Well, it would be from the time the Pit  
8 Rule was passed in 2008 to the present.

9 Q. Okay. So --

10 A. And again, this doesn't say that every  
11 location you had to haul. Those that we met the  
12 siting criteria, generally, 95 percent of the time  
13 we were able to dispose, but these we did not.

14 Q. So these increased costs only affect 5  
15 percent of your wells? Is that what you are saying?

16 A. I didn't say that. I said if the siting  
17 criteria was met, in general, the cuttings always  
18 passed. But these, you didn't even have the option  
19 to test the cuttings because arbitrarily, by the  
20 current Pit Rule siting criteria, you had to haul  
21 them. You had no choice. They had to be hauled,  
22 even if it was closed-loop or whatever.

23 Q. So going to closed-loop, the closed-loop  
24 costs that you cite, does that account for avoided  
25 liability, environmental liability down the line?

1           A.     The avoidance accounted for was not having  
2     to construct the pit.  So all the costs of  
3     constructing the pit was avoided.  In terms of  
4     liability, remediation, none of that was included.

5           Q.     So in your direct testimony it mentions  
6     that ConocoPhillips had foregone investment in wells  
7     because of increased costs.  Did I understand that  
8     right?

9           A.     Right.  For every dollar that you spend to  
10    these things, that means you take out of your  
11    capital dollars that you could commit to drilling  
12    wells.  So again, all of these add up to dollars  
13    taken out of your capital budget.  So if you had --  
14    for example, if I had five locations that I had to  
15    haul the cuttings at \$150,000 each, that would have  
16    avoided probably one well that I could have drilled  
17    with that capital budget.

18          Q.     At current prices?

19          A.     Well, yes.

20          Q.     So this doesn't mean, though, that  
21    ConocoPhillips is just going to say we are going to  
22    forego this resource forever?

23          A.     It says that you don't -- with the capital  
24    budget that you have and the company, in terms of  
25    where they are going to invest, it says gee, this is

1 a higher cost environment so we are going to shift  
2 the capital over to these places that don't have  
3 these costs.

4 Q. But you don't forego the resource?

5 A. It may be developed at some later time. I  
6 don't know what the pricing environment is going to  
7 be. It can change. Right now natural gas in the  
8 environment is not very good.

9 Q. Sure, but in the past it has?

10 A. In the past it has.

11 Q. In terms of closed-loop system, can you  
12 give me a percentage of the total cost of drilling a  
13 well for the closed-loop system that the incremental  
14 costs represent?

15 A. I don't have that information.

16 Q. Going to Slide 3-11, Closure, you have got  
17 a bullet point that says it's established  
18 scientifically supportable thresholds. Is it your  
19 position that the current thresholds for waste,  
20 which is the 3103, the groundwater standards, is it  
21 your position those aren't scientifically  
22 supportable?

23 A. The supporting of the thresholds is going  
24 to be dealt with by the experts. I am here to tell  
25 you that we set up these tables and put the

1 thresholds that we felt were defensible. The  
2 experts will really speak to that in terms of the  
3 science.

4 Q. So you are not taking that position?

5 A. I am not here to testify to that.

6 Q. Can we go to Slide 3-14. So as I read the  
7 proposed rules, they only require testing underneath  
8 the liner if the pit contents are removed and the  
9 liner is removed and those contents and liner are  
10 either trucked away or buried in a separate deep  
11 trench; is that right?

12 A. There's two cases where you have to test  
13 beneath the liner. One is what you said, where  
14 you've taken waste off and you've hauled it off.  
15 If -- and this is in the operational phase which  
16 Jerry Fanning will testify to -- if you have a  
17 breach of the liner, something happened where it  
18 punctured, then you may have to test beneath that  
19 liner then. You may have to drain down to a point,  
20 test, see what you find and patch that up. So you  
21 may have to test. If you have had a documented  
22 breach of the liner that's the other case. But in  
23 this case, if you are going to haul the waste and  
24 take the liner out, then you have the obligation to  
25 test the soils.

1 Q. Okay. So in instances where the breach  
2 may be below fluid level, it may not always be  
3 possible to understand that there is a breach, a  
4 discoverable breach.

5 A. Well, from my experience, if it's a pretty  
6 significant one, you are going to see fluid levels  
7 drop and that's going to be a warning sign. In my  
8 experience then you will stop, you will drain down  
9 below. You may bring the tanks out there to help  
10 you deal with the situation but you will try to get  
11 that fixed as soon as possible, which is what the  
12 rules require.

13 Q. That's only with a significant breach?

14 A. Well, that's one that you will readily see  
15 fluid drops. If it's small, you are right, you  
16 wouldn't see it.

17 Q. A small, slow breach you may not?

18 A. You may not detect that at the surface.

19 Q. In that case you wouldn't necessarily test  
20 underneath --

21 A. You wouldn't have that obligation. You  
22 wouldn't know.

23 Q. Right. You wouldn't have that obligation.  
24 If I can refer to testimony in the Pit Rule, this is  
25 Transcript Page 22, testimony of Michael Bratcher,

1 the field supervisor for the southeast region. I  
2 think it's District 2. He said, "Yeah, actually I  
3 have got a folder where I brought 19 cases of --  
4 like Polaris. I got to looking at them last night.  
5 Out of those 19 there were two that had 250  
6 milligrams per meter of chlorides or less throughout  
7 the whole pit. So 17 out of 19 had significant  
8 impact under the liner."

9 Presently 80 percent, could be even more  
10 than 80 percent had significant impact under the  
11 liner. Under this rule, those significant impacts  
12 may go undetected; is that right?

13 MR. CARR: I object. I mean, we are  
14 asking Mr. Gantner to opine on leaks on pits that  
15 were presented by another witness. We don't know  
16 the nature of the pit. We don't know the age of the  
17 pit. We don't know what they were. To just ask Mr.  
18 Gantner to confirm that under current rules we would  
19 have 80 percent of the pits leaking just because Mr.  
20 Bratcher four years ago had a number of pits that  
21 were leaking, it doesn't connect and it's asking him  
22 to testify about things he could not do.

23 MR. JANTZ: That being the case, I would  
24 like the permission to take administrative notice of  
25 the entirety of Mr. Bratcher's testimony in the Pit

1 Rule, both direct and cross.

2 CHAIRPERSON BAILEY: If Mr. Gantner does  
3 not know the answer or cannot answer this question,  
4 then he doesn't have to answer.

5 MR. CARR: We would also object to just  
6 wholesale accepting, because one witness doesn't  
7 know another witness' testimony, that you  
8 incorporate the entire witness' testimony into the  
9 record. When you do that it seems to me you, as a  
10 commission looking at the record, are putting  
11 yourself in a position of having to go back and read  
12 and examine and see what the true facts were on that  
13 particular testimony.

14 When you do that, I would also suggest  
15 that maybe you ought to look at some of the cross,  
16 what some of the pictures did and did not show. But  
17 this is taking us down a side alley that is going to  
18 make it very difficult for us to present the case.  
19 If you have an issue, you should present it.  
20 Incorporating the record is not a substitute for  
21 making a case.

22 CHAIRPERSON BAILEY: The Commission has no  
23 context for Mr. Bratcher's testimony. The objection  
24 is sustained.

25 Q (By Mr. Jantz) Going to Slide 3-15,

1 Alternative Closure Requirements. It says the  
2 district shall approve alternative closure  
3 requirements if the operator demonstrates the  
4 alternative protects groundwater, surface water and  
5 public health, welfare and the environment. By what  
6 standard must the operator prove that?

7 A. I would presume if I was in the case where  
8 I was trying to promote an alternative closure  
9 requirement -- for example, down in Venezuela I had  
10 cuttings that we made bricks out of for the  
11 indigenous people. So that would be an alternate  
12 closure method for cuttings that certainly could be  
13 approved as long as I showed that it was going to be  
14 protective of the health and environment. So I  
15 mean, that's just an example from my experience of  
16 where we used an alternate closure of stuff that  
17 would go into a pit. It was actually made into  
18 bricks and used for indigenous folks.

19 Now, what would it be up in this area? I  
20 don't know what it would be but you would have to go  
21 to the standard that they would see that it's  
22 protective and they would approve it.

23 Q. So really the standard is whatever the  
24 district office believes on a pit-by-pit basis?

25 A. Well, I think they are going to look at

1 all the facts and they're going to say, okay, here  
2 if you dispose of it in a pit, that's perfectly  
3 accepted. That's an acceptable practice. An  
4 alternate means I will somehow alter it. I will  
5 either use the cuttings for something else. I may  
6 land-apply cuttings. That would have to get  
7 scrutiny. In some states you can do that and some  
8 you can't. So those would be examples of things  
9 they would say is this going to be protective of the  
10 environment by disposing of that in an alternate  
11 way? If not, then they wouldn't approve.

12 Q. So is it fair to say it's district by  
13 district? It could be a district-by-district  
14 decision?

15 A. That's fair.

16 Q. Could be a supervisor, field supervisor to  
17 field supervisor decision?

18 A. Could be.

19 Q. One last thing. Mr. Carr asked you about  
20 whether the proposed rules will protect correlative  
21 rights. Can you explain how the current Pit Rule  
22 doesn't protect correlative rights?

23 A. I can't give you, you know, any  
24 definition. I know from the present rule  
25 correlative rights deal with one's rights to the

1 minerals that are there, so if I in any aspect of a  
2 rule affect any individual's rights to their  
3 minerals, to getting fair compensation for the, then  
4 I am affecting correlative rights.

5 Q. So it's vis-a-vis operator to operator?

6 A. Could be the operator, could be the  
7 surface owner. They could have rights. Could be  
8 State Land Office. They have certain rights to  
9 certain minerals.

10 Q. I believe that's all. Thank you.

11 CHAIRPERSON BAILEY: Ms. Gerholt? Would  
12 you care to cross-examine?

13 MS. GERHOLT: I would.

14 CROSS-EXAMINATION

15 BY MS. GERHOLT

16 Q. Slide 3-15. Mr. Gantner, the bottom  
17 sentence, "The district shall approve if the  
18 operator demonstrates the alternative protects  
19 groundwater, surface water, and public health,  
20 welfare and the environment," the burden is on the  
21 operator, is it not?

22 A. Yes. We would have to provide the  
23 scientific basis of the alternative and show how  
24 that is protective of those. And then the district  
25 would do that.

1 Q. If the operator fails to prove its burden,  
2 the district would not accept the alternative; is  
3 that correct?

4 A. That would be my presumption, yes.

5 Q. No further questions, Madam Chair.

6 CHAIRPERSON BAILEY: Mr. Bruce?

7 Ms. Calman? Mr. Dangler?

8 MR. DANGLER: Madam Chair.

9 EXAMINATION

10 BY MR. DANGLER

11 Q. Staying with the slide we just talked  
12 about, when you were asked about the standard in  
13 that slide, there is no additional standard other  
14 than this general language; is that correct?

15 A. That's how it's worded.

16 Q. And would you opine in terms of your own  
17 operations whether it's a good idea to have a vague  
18 standard in the field for everyone to deal with or  
19 whether the vaguer the standard, maybe you could go  
20 up the chain of command a little bit?

21 A. Well, I guess I don't -- I mean, it is  
22 general. But I know from my experience that these  
23 offices aren't going to approve of something that's  
24 not going to be protective. If they feel that  
25 anything that I am proposing to do is going to

1 impact either public health or groundwater, they  
2 wouldn't approve it. So this gives, you know --  
3 certainly it's my burden to prove. I will have to  
4 have some scientific data to support that this is  
5 protective. I'm going to have to do -- as Ms.  
6 Gerholt said, I will get a study done to say, "Hey,  
7 this is going to be protective. I would like to use  
8 this." Probably they might approve it on a pilot  
9 basis first to see if it works before they would go  
10 wholesale where I could use it.

11 Q. I am just wondering and perhaps you could  
12 help me with this, why a decision with a fairly  
13 vague standard might not be made for the whole state  
14 at Santa Fe level, why this would be made at the  
15 district level?

16 MS. GERHOLT: Objection. I would say  
17 that's a question better asked to a member of the  
18 Oil Conservation Division as to their policy.

19 CHAIRPERSON BAILEY: Would you care to  
20 rephrase the question?

21 MR. DANGLER: The only other question I  
22 would just ask is a follow-up and it's slightly  
23 different. It would not be that question. I don't  
24 have a rephrasing of the question, Madam Chair. I  
25 can ask another question that may close down this

1 little inquiry.

2 CHAIRPERSON BAILEY: Why don't you ask the  
3 other question.

4 Q. Is there a suggestion for a better  
5 standard if it's going to be in the district office?  
6 Was there any discussion of that?

7 A. No.

8 Q. Now, if we might shift to Slide 3-9.  
9 Before I go there, I have a couple of questions that  
10 came out on the cross. I think I heard you state  
11 that when there was no need to move the cuttings off  
12 the site and the cuttings stayed and were buried for  
13 your company, that your cuttings always passed the  
14 current criteria?

15 A. I won't say always, but a high percentage.

16 Q. Okay. So basically your company had no  
17 problem with the current criteria for cuttings  
18 staying where they are?

19 A. I won't say they had no problem, but we  
20 were generally able to a high degree to be able to  
21 dispose on location, save for those arbitrary siting  
22 restrictions that said absolutely not.

23 Q. And I think there's been some discussion  
24 about the some 400 more or less leaks and how you  
25 personally had been able to go back and review that

1 criteria and found that most of that was from  
2 earthen holding ponds; is that correct?

3 A. Earthen production pits.

4 Q. Production pits?

5 A. Which were the common practice -- you  
6 know, back, permitted under the rules that fluids  
7 could be put into those unlined production pits.

8 Q. And at that time is it fair to say that a  
9 developer could have used a lined pit at that time?

10 A. Could. Could use a tank.

11 Q. They could have used a lined pit at that  
12 time; is that fair to say?

13 A. Could.

14 Q. Were there linings in effect and was that  
15 product available at that time?

16 A. I would have to go back and see. But  
17 liners have been, you know -- I have been in the  
18 environmental field for 30 plus years and liners  
19 have been available for landfills for at least that  
20 long.

21 Q. So in the absence of a regulation  
22 requiring a liner, various operators chose not to  
23 have liners and there was something in the order of  
24 400 leaks at that time?

25 A. Well, the case -- you know, history speaks

1 for itself.

2 Q. Would you agree with that statement or is  
3 there something about it that's wrong?

4 A. I would just say that there have been  
5 leaks that resulted from unlined earthen production  
6 pits and history shows itself.

7 Q. All right. Returning to this slide, I  
8 believe you testified that perhaps the average cost  
9 of a horizontal well was two to three million  
10 dollars?

11 A. No, I did not. He asked me the range  
12 because he was trying to relate the additional cost,  
13 what percentage that was.

14 Q. Correct.

15 A. And I said okay, the cheapest well in the  
16 San Juan Basin for a vertical well could be as low  
17 as \$500,000 and then upwards of two million, and  
18 that could be a horizontal. That could be as well a  
19 vertical well.

20 Q. What would be your estimation of a  
21 horizontal well?

22 A. If you are talking a horizontal well with  
23 multiple stages of completion, it could be ten  
24 million dollars.

25 Q. So that range might be from two million to

1 ten million?

2 A. Yeah. We haven't drilled one.

3 Q. I also heard you testify on direct that  
4 there were a number of occasions that you added  
5 together to come up with this figure where your  
6 company would have chosen to have a closed-loop  
7 system regardless?

8 A. Some cases you may choose, such as within  
9 the city limits. I think a pit in the city limits  
10 you have to look at the situation, so I think under  
11 certain circumstances, if you are close to a stream,  
12 something like that, you may choose to do it  
13 irrespective of the siting criteria.

14 Q. So does that mean that you did or you  
15 didn't call for the list of cases where there was a  
16 closed-loop system to see where it would have been  
17 necessary regardless of the regulations?

18 A. I just asked them to give me the history  
19 of how many wells they drilled with closed-loop and  
20 the costs of that were versus a pit.

21 Q. So what we have is a combination of all of  
22 the cases where closed-loop well was --

23 A. Whether it was a regulatory-required or  
24 not, that's correct.

25 Q. In terms of decision-making for your

1 company and the money decisions and how they are  
2 made, how familiar are you with that decision-making  
3 process?

4 A. Certainly generally familiar. I'm not the  
5 one directly making those decisions.

6 Q. So you are not testifying today to some  
7 factor or decision-making that this cost might  
8 reflect?

9 A. Again, my expertise is in environmental  
10 engineering so I am certainly an expert in those  
11 aspects. My expertise is not in drilling wells and  
12 all the costs associated with it.

13 Q. And do you have any studies, other than  
14 what you asked your staff to provide for you, that  
15 give us any cost breakdown on closed-loop systems  
16 and their additional costs?

17 A. No. Again, closed-loop is used throughout  
18 the country and I asked for San Juan Basin.

19 Q. And do you think it would be possible to  
20 provide that kind of breakdown and more information  
21 on that? Would that be possible?

22 A. That's an extensive effort that would be  
23 done for me to do that.

24 Q. I would like to ask if you're familiar  
25 with the RCRA exemption for oil and gas?

1 A. I am familiar with it, yes, sir.

2 Q. And what does it provide for basically?

3 A. The RCRA exemption for hazardous waste  
4 basically says that for waste generated from the oil  
5 and gas -- the upstream side where you are uniquely  
6 associated with oil and gas production, are exempt  
7 from the hazardous waste regulations, and that's  
8 basically the essence of the exemption.

9 Q. And could you characterize the benefit to  
10 the oil and gas industry?

11 A. Well, what it means is that you are able,  
12 through the state jurisdictions, to handle those  
13 wastes in the manner that they have provided. So  
14 those wastes get managed in a certain way. That's  
15 why E.P.A., when they went and did their study, they  
16 looked at the way the various states managed these  
17 and decided not to seek a change in that exemption.  
18 They said based upon that study and their look that  
19 the wastes were being managed in a manner that they  
20 did not see a need to seek an -- you know, an  
21 exemption or removal of the exemption.

22 So those wastes are disposed in various  
23 manners. You have deep well injection, you have  
24 surface disposal, you have land farms, you have  
25 various ways. You can also dispose of them, in

1 certain jurisdictions, in the back side of your hole  
2 where you go down-hole with it.

3 Q. Would it be fair to say --

4 MR. CARR: I'm going to object to this  
5 line of questioning. It goes far beyond direct and  
6 the issue here. Unless they can show how it's  
7 relevant, I object.

8 MR. DANGLER: I'm about to show how it's  
9 relevant, Madam Chair, if I might.

10 CHAIRPERSON BAILEY: Next question?

11 MR. DANGLER: That would be it.

12 Q. Does the existing Pit Rule apply studies  
13 and constituent concentrations less than the RCRA  
14 concentrations?

15 A. Well, I need you to rephrase the question.  
16 I don't understand what you're trying to ask me.

17 Q. Less stringent? Would that make sense?

18 A. Less stringent than what?

19 Q. Than the RCRA standards.

20 A. When you speak to RCRA standards, which  
21 RCRA standards are you speaking to?

22 Q. For example, the level of Benzene allowed?

23 A. The level of Benzene --

24 MR. CARR: Objection. I would like the  
25 question clarified. If he is talking about strictly

1 RCRA numbers, which I don't think are relevant, or  
2 if he is talking about wastes exempted from RCRA,  
3 that's a different issue. But are we talking about  
4 numbers that are lower than RCRA for wastes exempted  
5 from RCRA? I think we need a foundation here. It's  
6 hard to answer a question in the state it is.

7 CHAIRPERSON BAILEY: Would you like to  
8 rephrase the question?

9 Q. Are you unable to comment on the  
10 stringency of state standards versus RCRA standards  
11 in general?

12 A. I certainly know from the various states I  
13 operated in how they regulate oil and gas waste so I  
14 know how they regulate RCRA waste. Again, the  
15 wastes are all managed in the manner that's  
16 protective of public health and the environment, and  
17 right now the RCRA exemption does give certain E & P  
18 waste an exemption from the strict treatment of the  
19 RCRA standards. You still, under the various state  
20 rules, still have to treat those wastes in a special  
21 way and they manage those. In the state of New  
22 Mexico those wastes have to be managed specially.

23 MR. DANGLER: Thank you. No more  
24 questions.

25 CHAIRPERSON BAILEY: Before we go to

1 Dr. Neeper and Mr. Fort, Theresa, would you please  
2 bring me the list of people who would like to make  
3 public comments before lunch? We will see how many  
4 people there are. We have nobody signed up to make  
5 public comments. So Dr. Neeper, would you like to  
6 cross-examine the witness?

7 MR. NEEPER: Yes, unless someone else  
8 would like to go first. I may go more than 20  
9 minutes if you are aiming at a noon lunchtime.

10 MR. FORT: I will be very short.

11 CROSS-EXAMINATION

12 BY MR. FORT

13 Q. Mr. Gantner, you mentioned about testing  
14 the contents of a lined temporary drilling pit.  
15 What is the cost to test those contents? You can  
16 give me a range.

17 A. I would say 3- to \$500 for the  
18 constituents listed.

19 Q. Is that the same cost -- the cost that you  
20 are referring to would be the cost under the current  
21 standard?

22 A. Well, I think it would be comparable to  
23 the cost of the NMOGA standard as the current  
24 standard.

25 Q. That answers my question. Assuming they

1 fail, is the cost to test the ground underneath the  
2 liner, is that the same cost as the cost to test  
3 the --

4 A. It would be the same.

5 Q. The same? We are walking about \$300 to  
6 \$500 and possibly doing it twice -- or again, excuse  
7 me.

8 A. Well, again, we need to make sure we are  
9 talking the same thing. When you are testing the  
10 contents, you are testing the contents of the water  
11 and what's sitting within the liner and you are  
12 going to test those. If they fail, you are going to  
13 take those out, remove the liner. Now you are going  
14 to test the soils in five-point composite manner,  
15 and that test will be the same as under the current  
16 rule as the proposed rule.

17 Q. Each of those tests, the range would be 3-  
18 to \$500?

19 A. Yeah. The soil test might be a little  
20 less, but pretty close.

21 Q. Thank you. That's all the questions I  
22 have.

23 CHAIRPERSON BAILEY: Why don't we break  
24 for lunch.

25 MR. JANTZ: Madam Chair, it's been brought

1 to my attention there is somebody who has public  
2 testimony. Unfortunately, I think he overlooked the  
3 sign-in sheet.

4 UNIDENTIFIED SPEAKER: Yes, ma'am. I  
5 didn't know you had to sign in.

6 CHAIRPERSON BAILEY: Come and sign in and  
7 we will give you five minutes.

8 UNIDENTIFIED SPEAKER: My remarks are  
9 going to be rambling. I started with this guy right  
10 here.

11 CHAIRPERSON BAILEY: Would you like to be  
12 sworn or unsworn?

13 UNIDENTIFIED SPEAKER: I don't care.

14 CHAIRPERSON BAILEY: It's your choice.

15 UNIDENTIFIED SPEAKER: I'm no expert, so  
16 maybe we better not swear me in.

17 CHAIRPERSON BAILEY: Unsworn and no  
18 cross-examination.

19 UNIDENTIFIED SPEAKER: I don't want to  
20 be -- I'm just going to make a rambling statement.

21 CHAIRPERSON BAILEY: We will give you five  
22 minutes.

23 COMMENTS OF CARL LANE JOHNSON

24 UNIDENTIFIED SPEAKER: I started with Pete  
25 Porter. I ranched in southeastern New Mexico in the

1 oil field. I want to tell you that you guys brought  
2 the best company that's ever operated on me since  
3 1962, ConocoPhillips. The best.

4 Okay. I'm going to -- I've got locations  
5 built on me over 50 years with open pits and as bare  
6 as this ground. I have got pits built on me in the  
7 last five years with closed-loop system, covered  
8 with vegetation. It's not native vegetation but  
9 there is something growing there. If you have a pit  
10 there for one year and you leave it there one year,  
11 the underground water can be contaminated in days.  
12 How much less freshwater does the closed-loop system  
13 use against the old lined or unlined open pits?

14 And folks, freshwater in southeastern New  
15 Mexico is absolutely going to be worth more money  
16 than oil. Not in my lifetime, but as you all are  
17 well aware, they have places in Texas that they  
18 can't even get water to frac with. Do you have any  
19 idea how much less water you use with a closed-loop  
20 than with an old style open pit?

21 MR. CARR: May it please the Commission,  
22 these are comments, not questions.

23 CHAIRPERSON BAILEY: Yes. He does not  
24 need to answer.

25 UNIDENTIFIED SPEAKER: Okay. I'm throwing

1 it out. The cost of building a well on a  
2 closed-loop. I just had a well drilled on me for  
3 around seven million dollars closed-loop. They  
4 saved on their freshwater cost because they didn't  
5 hardly use any freshwater cost, and I don't know, if  
6 the closed-loop cost over and above \$100,000 what  
7 percent is that against seven million? That's not a  
8 question, just a statement.

9 And if a pit left in place is not a solid  
10 waste pit and it's left there from now on, then what  
11 is it? It's the same as solid waste.

12 Another thing. Inside this room is  
13 totally, totally, totally different than in the  
14 field in southeastern New Mexico. If you guys  
15 haven't been down there, it is crazy. There's no  
16 qualified personnel. They can barely get a well  
17 drilled. Nobody is following any rules or  
18 regulations. DOT can go down there and stay and  
19 make their company rich. It's a disaster. They are  
20 moving rigs from -- they have rig movers to our area  
21 because there's nothing to do there and they are  
22 covered up here.

23 At the very best, when we're all said and  
24 done down there, that's going to be a wasteland. If  
25 we do everything right, the southeastern corner of

1 New Mexico is going to be a wasteland. I  
2 understand, and you can correct me if I'm wrong,  
3 there's supposed to be 17,000 new wells drilled in  
4 the southeastern corner in the next five years. I  
5 don't know. That's just what I heard. That was  
6 coffee shop talk.

7 I would like to see New Mexico -- the OCD  
8 personnel, field personnel, be tripled because they  
9 can't even -- they are totally swarmed and that's  
10 about all I have to say.

11 CHAIRPERSON BAILEY: For the court  
12 reporter please state your full name and where you  
13 are from.

14 UNIDENTIFIED SPEAKER: My name is Carl  
15 Lane Johnson from Tatum, New Mexico. Third  
16 generation New Mexico rancher since 1950.

17 CHAIRPERSON BAILEY: Thank you,  
18 Mr. Johnson. We will now break for lunch. We will  
19 return by 1:00 o'clock.

20 (Note: The hearing stood in recess at  
21 11:47 to 1:00.)

22 CHAIRPERSON BAILEY: We will go back on  
23 the record. Mr. Gantner was waiting for  
24 cross-examination by Dr. Neeper.

25 CROSS-EXAMINATION

1 BY MR. NEEPER

2 Q. Thank you, Madam Chairman. Mr. Gantner,  
3 you may wonder why I'm here. I requested permission  
4 of the Chair to offer you questions in front of you  
5 rather than from behind you.

6 A. Okay.

7 Q. So I am temporarily in this place. You  
8 have told us the reason for the chloride standard  
9 for the low chloride drilling. As I understood it,  
10 that standard was really established for the  
11 convenience of the industry so that your routine  
12 fluids could meet it and not for environmental  
13 reasons; is that correct?

14 A. No, sir. I feel that we needed to set a  
15 different risk-based standard for pits using  
16 water-based fluids, low chloride drilling fluids for  
17 pits that are in that versus pits that aren't using  
18 low chloride fluids. I felt there was a risk-based  
19 need to have a difference.

20 Q. But the numerical standard that  
21 established what is low chloride, you indicated that  
22 your fluids sometimes approached that number and,  
23 therefore, it was an inadequate number, if I  
24 understood correctly; is that right?

25 A. Again, I'm not sure what you are speaking

1 from. I explained that we needed a low chloride  
2 water-based type of number and then I researched  
3 various states, what they had, as well as what we  
4 were using, and came up with the 15,000 milligrams  
5 per liter.

6 Q. Did you consider sodium as well or just  
7 chloride?

8 A. I just looked at the chloride since that's  
9 what most states have. I looked at the chloride.

10 Q. So then you feel that our regulations  
11 should be guided by those of other states as opposed  
12 to our starting with determining our needs and going  
13 straightforward from there?

14 A. No. Again, we felt that the  
15 one-size-fit-all did not fit the water-based fluid,  
16 pits using -- temporary pits using water-based  
17 fluids versus those not using water-based fluids.  
18 So the chloride was really just a differentiating  
19 factor between those two.

20 Q. There were questions this morning  
21 regarding setback, and you explained setbacks as  
22 dealing with the risk, if I understood it, from the  
23 fluid. Do you remember whether in developing the  
24 previous Pit Rule or the existing Pit Rule, was the  
25 setback established in part simply to provide

1 physical protection for an arroyo whether or not it  
2 carried water; that is, avoiding land disturbance  
3 next to an arroyo?

4 A. What I recall, I looked through the prior  
5 testimony in the prior Pit Rule, and to get the  
6 basis that they had for the siting setbacks. And  
7 what I recall from reviewing the testimony that was  
8 given, that they needed equipment spacing to be able  
9 to get around these pits in terms of anchoring the  
10 pits and that. And there were other factors, but  
11 that bears no basis for my perspective. That you  
12 can get around even with the siting that we  
13 proposed, around these pits with heavy equipment  
14 without a problem. But we did look at the prior  
15 case, the testimony, to see what was the basis that  
16 they had set these siting restrictions.

17 Q. There were earlier questions about costs  
18 and you had said that just wasn't your area; that  
19 others would testify to that. And what I'm driving  
20 at here is not to corner you but rather to seek the  
21 various authorships for part of the rule so we can  
22 follow the logic behind parts of the rule. You were  
23 an author but you may not necessarily be the person  
24 who explained the reason. I understood your  
25 explanation to be that. But if you would not be

1     testifying on the costs, would anybody? And if so,  
2     who would be testifying on costs to the industry as  
3     a whole for this rule?

4           A.     Well, on the environmental costs, I did  
5     testify on those. I testified about the costs --  
6     increased costs that resulted from having to elevate  
7     facilities because they couldn't be below grade  
8     based on the existing rule siting. And then I also  
9     testified about the increased environmental cost,  
10    the disposal of cuttings because the siting criteria  
11    arbitrarily said no matter how clean those cuttings  
12    are, since they were within the boundaries that they  
13    set, they had to be hauled.

14           So those costs I can testify to. What I  
15    said I couldn't testify to, they asked about  
16    drilling and completion costs. What is the cost to  
17    drill certain wells and what are the various  
18    elements. I'm not an expert in that so I didn't  
19    come prepared to do that.

20           Q.     But as you are the author of this rule or  
21    an author of the rule, would you say someone will  
22    testify industry-wide as to the environmental costs  
23    and the correlative costs relative to the costs of  
24    wells?

25           A.     Well, again, I testified to the

1 environmental costs. And they asked me for a  
2 general perspective of what was the lowest cost well  
3 and the higher cost well to do in the San Juan and I  
4 gave those. That did not delineate what those  
5 various costs were.

6 Q. And as far as you know --

7 A. I know of no one --

8 Q. There will not be testimony?

9 A. Again, I don't know that, but there's  
10 other people here to speak yet today.

11 Q. I'm sorry?

12 A. There's other people here for speak yet  
13 today and the rest of the week.

14 Q. But you don't know whether they will cover  
15 that topic?

16 A. I do not.

17 Q. Regarding closure of a pit, do I  
18 understand it correctly that the operator is not  
19 required to remove the liner provided the content of  
20 the pit meets standards?

21 A. The current rule and what we have  
22 proposed --

23 Q. And the new rule?

24 A. Right. The rules we proposed, the liner  
25 does not need to be removed as long as the

1 constituents that it's holding, the cuttings, the  
2 remainder of the muds and that, pass the test. Then  
3 the liner and the cuttings would be disposed in  
4 place.

5 Q. And you said you could know for a liner  
6 that was not picked up, you would know whether or  
7 not you had a leak because you could detect a leak  
8 by the loss of level in the pit. Can you tell me as  
9 an environmental supervisor what rate of loss you  
10 can detect?

11 A. I can't. I just know from past practice,  
12 Dr. Neeper, that very few in my career have liners  
13 leaked. But the cases where they have, they have  
14 had a massive drop in fluid which was an indication  
15 something had punctured below the mud line. And so  
16 that -- again, I can only remember one instance in  
17 my 14 years out here that that's happened. There  
18 have been cases where there was punctures above the  
19 mud line but those you can readily see and those get  
20 fixed and they weren't impacted because you didn't  
21 have fluids behind them.

22 Q. If I give an example, for instance, of a  
23 tenth of a foot per day, you wouldn't be able to say  
24 whether you could detect that rate of loss?

25 A. No, unless you saw some bubbling or

1 something happen, but that seems rather slight.

2 Q. Thank you. You had said that a pit should  
3 not really merit all of the regulatory attention and  
4 restriction that is given to a landfill, and you had  
5 decided some of the things that go into landfills.  
6 But isn't a buried pit or a trench actually just a  
7 landfill of smaller size but containing noxious  
8 things?

9 A. No. See, I see them as different,  
10 Dr. Neeper. A landfill, and if you heard my  
11 background, I've got eight and a half years at solid  
12 waste companies, so I have been around landfills.  
13 Landfills, you are bringing waste from hundreds of  
14 homes, municipalities and that, all that have to  
15 meet the solid waste definition. And those are  
16 brought some containing fluids, some containing not.  
17 So that's a different scenario than a single pit  
18 drilled for a single well which you now line and  
19 then once it's completed you dry out that -- you mix  
20 it with soil and now you bury it. That is a single,  
21 discrete event that sits there, again, depending on  
22 if you use water-based fluids or others, and then  
23 you test those constituents and they pass.

24 That is a different scenario than a  
25 landfill that's got a 10 to 20-year life that has

1 those materials buried. You get leachate formation  
2 which now you have to have a leachate collection  
3 system. It's apples and oranges. To me, it's much  
4 different.

5 Q. The rule, as I have read it, has few  
6 restrictions regarding groundwater unless the  
7 aquifer is unconfined. Do you see it the same way  
8 as an aquifer?

9 A. Well, we left groundwater in terms of  
10 certainly you want to protect groundwater. The only  
11 difference that we had in our piece was to  
12 distinguish on a risk basis to say that you can be  
13 closer to groundwater for this temporary pit for low  
14 chloride fluids than you could if you were using a  
15 brine fluid. Now, once the pit is ceased to be used  
16 and now you have to test to verify that you can meet  
17 the constituents. If you can meet the constituent  
18 levels, then that will be buried in place.

19 So groundwater is still protected in both  
20 cases, both during the time when you are using the  
21 pit to drill, complete, work over a well, and then  
22 at the end, if you meet the constituent level you  
23 will bury that in place. And it is -- and you will  
24 hear from experts later those proscribed distances  
25 that we have proposed are protected.

1 Q. By proscribed differences, you mean depths  
2 below the burial?

3 A. That's correct.

4 Q. Do any of those depths apply to confined  
5 groundwater?

6 A. Well, confined groundwater that's not  
7 being fed, again, I think you better ask that with  
8 the expert that's on the water basis. But again,  
9 confined, perched groundwater is not groundwater.

10 Q. I realize perched groundwater not confined  
11 is still groundwater. May or may not be usable.  
12 However, does any part of this rule protect confined  
13 groundwater? Does it not everywhere say unconfined  
14 groundwater?

15 A. I think you have to read the rule. It  
16 states what it states.

17 Q. But you can't say what the rule says?

18 A. I can read the rule as well as you.  
19 Whatever it states is what it calls for.

20 Q. Would you agree that at least in some  
21 instances, if not in every instance, the rule refers  
22 to confined groundwater or unconfined -- let me  
23 correct myself.

24 A. I believe it refers to unconfined  
25 groundwater.

1 Q. How would you determine, as an expert  
2 which you are, in environmental protection in the  
3 oil field, how would you determine whether an  
4 aquifer is confined or unconfined?

5 A. Well, I would go certainly hire experts  
6 that deal with that, people that know their  
7 groundwater certainly more than I. I mean, I have  
8 been involved with groundwater from various  
9 industries that I have worked for, and obviously you  
10 need to conform to the rules in protection of  
11 groundwater, particularly groundwater that's got  
12 usable quality to it.

13 Q. But let us take an example. There's an  
14 operator who may not be as large as ConocoPhillips,  
15 and he says, "I'm going to bury my waste right here  
16 and the groundwater is confined so there is no limit  
17 on the burial."

18 A. Well, he's --

19 Q. How do we argue with that person?

20 A. Well, he has to turn in an application to  
21 permit the drill and he has to satisfy both to the  
22 rule as well as to the OCD's jurisdiction. And the  
23 rule states absolutely baselines what need to be  
24 met, but then it says as well if you read -- I think  
25 particularly there's a section that said if the

1 Division feels that additional things need to be  
2 done, that those can be required as well.

3 So that's where the OCD, based upon the  
4 application and that, will determine if they have  
5 met the requirements of the rule or the additional  
6 things that they feel necessary to protect  
7 groundwater.

8 Q. I'm not sure I understand the answer. I'm  
9 trying to deal with the rule and not OCD extending  
10 to some other situation or restriction that they  
11 feel they need to impose. What I'm trying to get at  
12 is a strong part in the rule which is a distinction  
13 between confined groundwater and unconfined  
14 groundwater. You have said that you were the person  
15 who drafted the first red line of this rule. That  
16 included presumably the definition of unconfined  
17 groundwater.

18 A. Well, I did the first red line, but then  
19 we had task groups, and various people had input  
20 into various pieces. So certainly as you would  
21 agree, when you draft a first piece there's going to  
22 be others to comment on it. There's going to be  
23 additional pieces. So I think when it comes to what  
24 you're talking about, as far as unconfined  
25 groundwater and that, you will have an expert

1 witness coming up.

2 Q. Could you name the witness so I don't  
3 pester every witness with the question?

4 A. I believe the two people would be -- let  
5 me look at my list here. I believe Dan Arthur is  
6 going to be the person that you will address with  
7 that.

8 Q. Based on your experience and your  
9 knowledge of what is in the rule, does any routine,  
10 everyday drilling or workover operation ever  
11 generate chlorides that would exceed the limit of  
12 Table 2, which is the burial limit?

13 A. I would have to refer specifically to that  
14 table. But up in the Four Corners is what I can  
15 speak to, and again, using freshwater mud systems  
16 and that, generally chlorides is not a problem.

17 Q. I understand chlorides is not a problem  
18 usually in the northwest, but throughout the state?

19 A. I would have to let others and  
20 Mr. Fanning, who you will have coming up here, speak  
21 more to the southeast part of the state than I can.

22 Q. So you do not know whether those  
23 restrictions in Table 2 are way above what would be  
24 normally encountered in the southeast or are  
25 marginal or are threatening some operations in the

1 southeast?

2 A. I'm not intimately familiar with the  
3 southeast operation.

4 Q. Thank you. This morning you discussed the  
5 meaning of the word visible. And if I understood  
6 correctly, the rule defines it as something you can  
7 see that covers 30 percent or more of a pit surface?

8 A. That's what we would propose.

9 Q. The rule distinguishes visible and  
10 measurable as two ways to know how much oil on the  
11 surface of water or fluid is too much oil.  
12 Measurable in the rule, as I read it, is tested by  
13 color coding?

14 A. Color cutting.

15 Q. Color cutting. Excuse me. Can you  
16 describe how color cutting can tell how thick is the  
17 layer that's floating of the substance?

18 A. I can tell you what the practice is. They  
19 put a paste on a tape and when they dip that into  
20 the solution or whatever, we will get a  
21 discoloration distinguished between water and oil,  
22 and it will show the thickness of the oil there.

23 Q. Would the distinction between visible and  
24 measurable have its origin in WQCC prohibition of no  
25 floating on nacreous petroleum liquid as reasonably

1 as can be measured? That was the wording in the  
2 WQCC.

3 A. I don't know. That's what you say it is.

4 Q. The rule -- correct me if I'm wrong. The  
5 rule defines tanks as something exceeding 500  
6 gallons or equal to or greater than?

7 A. Well, the distinguishing thing, let me  
8 state, is between a sump that's, you know,  
9 subsurface under the ground and a below-grade tank,  
10 which is below grade as well but it's a higher  
11 volume. So not above-ground tanks but  
12 distinguishing between a sump and a below-grade  
13 tank, yes.

14 Q. Isn't a sump normally intended to be not  
15 holding liquid? It just catches a few drips now and  
16 again.

17 A. It may be more than a few drips but the  
18 intention is once it receives the fluid that you are  
19 promptly, prudently going to empty that so it  
20 remains basically empty. It's not in storage versus  
21 a tank that is going to be storing liquid for some  
22 period of time.

23 Q. So if we have an object that's less than  
24 500 gallons but it is storing liquid, that is not  
25 covered by the rule? Is that correct?

1           A.     Well, it certainly doesn't fall within  
2     that definition. Now, you have other rules that may  
3     apply to tanks other than the State of New Mexico.  
4     From an E.P.A. standpoint, if I had a tank, doesn't  
5     matter what size, that has oil and I exceed those  
6     quantities, there's certain things I have to do.  
7     But as far as this rule is concerned, you are  
8     correct. Below-grade tank, below-grade, 500 gallons  
9     or greater. A sump is less than 500.

10          Q.     So if you as an operator have a vessel  
11     containing 490 gallons and it's routinely filled and  
12     maybe occasionally emptied but things discharge from  
13     a dryer or something, that is without regulation,  
14     correct?

15          A.     Well, if it's subgrade it would be a sump.

16          Q.     But a sump is not supposed to store waste.  
17     It's supposed to be emptied.

18          A.     I understand. But by definition, that  
19     meets the definition of a sump.

20          Q.     So a sump can contain liquids  
21     indefinitely?

22          A.     Well, I'm saying what the common practice  
23     is, is that it does not.

24          Q.     Is common practice that all subgrade  
25     vessels other than those that occasionally get

1 something are immediately emptied greater than 500  
2 gallons?

3 A. There's probably not a distinguishing  
4 factor by volume in the industry. A sump is a sump  
5 and you intend it to just capture something and  
6 shortly after empty it. And a tank is a tank meant  
7 for storage.

8 Q. But there is no tank that's regulated?  
9 There is no object that routinely holds liquid then,  
10 less than 500 gallons, that is --

11 A. If you are talking below grade.

12 Q. Below grade.

13 A. By definition it would not.

14 Q. Totally outside the rule?

15 A. That would be correct.

16 Q. The rule specifies -- the new rule  
17 specifies that a tank should have an alarm to  
18 prevent overflow. It also specifies that a tank  
19 should be inspected about once a month. Is there a  
20 reason you can give why the alarm provides equal or  
21 better protection when the tank is inspected only  
22 once a month than an automatic shutoff valve?

23 A. I can certainly answer the question, but  
24 my testimony isn't related to below-grade tanks.  
25 Mine is to siting and to closure criteria. You will

1 hear from Mr. Ed Hasely about below-grade tanks so I  
2 think you should reserve that question for him.

3 Q. He can answer that question?

4 A. Yes, he can.

5 Q. Thank you. A final question. Can any  
6 solid used in the drilling process be buried along  
7 with other waste in the pit or trench? Now, I'm  
8 being careful and I will warn you, I don't use trick  
9 questions, but in a sense this is a trick question  
10 so I will explain it. I hate trick questions.

11 The key word there is solid used. What  
12 I'm really saying is suppose I'm an operator and for  
13 some reason I'm doing a process on my drill rig and  
14 I break the handle off of my tool. That is solid;  
15 it is used in the drill process. I throw it in the  
16 pit. It is now a used solid in the pit. Is there  
17 any prohibition for that?

18 A. No. I would say it doesn't meet the  
19 intent or the definition. The solids that you are  
20 allowed to have in the pit, and I think you can look  
21 in the regulations and check this, is the solids  
22 that you are allowed to put in the pit have to be  
23 associated with the drilling or completion of oil  
24 that, you know, come -- basically from the well.  
25 I'm not allowed to put buckets that I used on the

1 rig. I'm not allowed to put wrenches that I used  
2 out there. Those are not uniquely associated with  
3 the production of oil and gas from a well. So my  
4 interpretation would be no, you can't have isolated  
5 pieces, just like oil that could leak off the rig.  
6 It can't go into the pit. You need to extract that  
7 and remove it.

8 Q. In terms of the wording then, would you  
9 have any objection to using the word "mineral"?

10 A. I would be glad to consider it.

11 Q. In place of "solid" used?

12 A. That's certainly the intent we are talking  
13 about.

14 Q. Thank you for your patience.

15 CHAIRPERSON BAILEY: Mr. Fort? Would you  
16 like to cross-examine the witness?

17 MR. FORT: I already did right before  
18 lunch. I went out of turn.

19 CHAIRPERSON BAILEY: That's right. Thank  
20 you. So now it's time for the commissioners.  
21 Commissioner Balch, do you have questions?

22 EXAMINATION BY THE COMMISSION

23 COMMISSIONER BALCH: I have a number of  
24 questions. Can you clarify as to why it's important  
25 to have off-site pits in the temporary pit

1 definitions?

2 THE WITNESS: That's a good question. We  
3 have had problems in the past of where an operator  
4 has asked for permission to have a pit that could be  
5 associated with a different well but for taking the  
6 cuttings for two wells to one location. And because  
7 of the way the current rule is written, they were  
8 denied saying that no, you didn't meet that 100-foot  
9 definition so we carefully said that we wanted the  
10 option, as long as it's nearby, that you should be  
11 able to take it -- as long as the Commission knows  
12 or the OCD knows about it and as long as they see  
13 that it's protective, there should be no reason why  
14 I couldn't use one pit to dispose of cuttings from  
15 two wells.

16 COMMISSIONER BALCH: Under your  
17 definitions for continuously flowing watercourse,  
18 what was the basis for forming that, for forming the  
19 definition? Is that something to what you would  
20 find in a service hydrology textbook or Wikipedia?

21 THE WITNESS: I have seen that terminology  
22 before. I couldn't quite quote where I have seen  
23 it. But the thing we were striving to gain there is  
24 that in certain jurisdictions they were taking  
25 any -- that you were prohibited to have a pit near a

1 basically some sort of watercourse. So you had two  
2 types. You had continually flowing, which I think  
3 to the common person's definition they think of the  
4 continuous flowing like the San Juan River or maybe  
5 something like the -- I'm trying to think of the  
6 one -- I think it's the Blanco Wash where you have a  
7 substantial period of time where it is flowing.  
8 Those are certainly the intent, that you don't be  
9 within a certain distance of those. But to  
10 occasional -- a dry wash or a rill that is there  
11 that you shouldn't have a restriction of 100 feet or  
12 300 feet from something like that. Because up in  
13 the northwest, and I imagine down in the southeast  
14 as well, you have those kinds of depressions all the  
15 time, and to say now I can't put a pit there didn't  
16 make sense to us, so that's why we incorporated that  
17 definition.

18 COMMISSIONER BALCH: When you were talking  
19 about closure, you talked about the synthetic liner  
20 cap or burial on-site. Is there a particular reason  
21 to not leave a cap there?

22 THE WITNESS: For the trench, yeah.  
23 Correct me if I'm wrong, but I think for the  
24 existing pit, if you had an existing pit, that  
25 didn't ever require it. If you went and then

1 created a burial trench, the current Pit Rule  
2 required you to put your liner in addition to the  
3 soil. And as you will hear from our experts, they  
4 looked at that, but that was an additional -- call  
5 it protection. That didn't serve the protection;  
6 that you got enough protection from salts migrating  
7 from the surface with four feet of cover. So it was  
8 an unnecessary cost.

9 COMMISSIONER BALCH: You have agreed to a  
10 time span for temporary pits of up to one year. Is  
11 there a good reason for the delay? Is this  
12 operational?

13 THE WITNESS: Well, occasionally -- and  
14 again, I will say that generally we are able to --  
15 at least my company in the northwest, we are able to  
16 do it within six months, many times less. But  
17 there's occasions where we don't and we need  
18 additional time. And rather than continue to burden  
19 the District and the Division with numerous requests  
20 to extend these, we felt that allowing the one year,  
21 which is consistent with what other states allow  
22 for, would be protective and then you didn't have to  
23 burden them with these requests. That's why we  
24 proposed that.

25 COMMISSIONER BALCH: Thank you. My final

1 question also has to do with the visible sheen. I'm  
2 going to guess that all pits are not the same size.

3 THE WITNESS: You are right.

4 COMMISSIONER BALCH: Or necessarily even  
5 the same shape. So 30 percent of an area of one pit  
6 may not have the same amount of sheen as another pit  
7 next to it that's larger or smaller.

8 THE WITNESS: Right.

9 COMMISSIONER BALCH: Wouldn't it be better  
10 to put the diameter on the defined area?

11 THE WITNESS: You could. I remember in  
12 those discussions when we were trying to grapple  
13 with the issue, when you are dealing with a sheen,  
14 you can take this Red Bull can here and empty it  
15 onto a put and you will get a nice-sized sheen  
16 across it, but that's not a lot of oil. So it was a  
17 matter of at what point do we want operators to take  
18 action to protect wildlife from getting in there and  
19 getting impacted by that. So your suggestion could  
20 be another way, some way to say this is significant,  
21 this is not.

22 COMMISSIONER BALCH: Such as your color  
23 test?

24 THE WITNESS: Well, the color test is  
25 measurable. If you had something that's measurable,

1 that's more, much more than a sheen.

2 COMMISSIONER BALCH: So this would be for  
3 unmeasurable or --

4 THE WITNESS: Right. Unmeasurable that  
5 you couldn't measure with a color table.

6 COMMISSIONER BALCH: Those are my  
7 questions.

8 CHAIRPERSON BAILEY: Commissioner, do you  
9 have questions?

10 COMMISSIONER BLOOM: I do. Mr. Gantner,  
11 thank you for your presentation today. A few  
12 questions. Some of these might be ones that can be  
13 addressed later on but if you could take a stab at  
14 them, fine. If not, we can put them off until  
15 later. We would be extending pit life, as Mr. Balch  
16 stated, from six months to twelve months. Do we  
17 have any understanding what the increase of risk  
18 would be in doing that?

19 THE WITNESS: Well, again, you're talking  
20 closure. And the fluids -- in my mind, you would  
21 still pull fairly soon but it's a matter of letting  
22 the cuttings and that to dry out. When you pull the  
23 fluids you, of course, get it down to as reasonable  
24 as you can but there's often a layer there that's  
25 kind of mushy and you allow that to dry out. It

1 affords a greater time period for those to evaporate  
2 and solidify. So, you know, in my mind in our  
3 sector, I don't see an increased risk but I can  
4 understand the concern about the length of time. So  
5 it's trying to balance that closure as well as  
6 allowing for the additional time that you might need  
7 to dry it up.

8 COMMISSIONER BLOOM: Is the extra time  
9 intended to allow for greater evaporation of  
10 liquids?

11 THE WITNESS: That's part of it.  
12 Sometimes you get into seasonal closures, so in  
13 certain areas up there I know we can be drilling  
14 right up to the seasonal closure and now we have a  
15 closure time that goes four months and now I have a  
16 very short window after that point to get back in  
17 there and do things. So it's part for that.

18 COMMISSIONER BLOOM: Again related to  
19 risk, Dr. Balch talked about off-site pits and  
20 potentially disposing of cuttings for more than one  
21 well in those pits. Are there proposed regulations  
22 or regulations in place that you're aware of to  
23 determine how much could be disposed of in these  
24 off-site pits.

25 THE WITNESS: Well, you are certainly

1 limited by the size that the rule calls for. You  
2 can't be above a certain size. But the  
3 opportunities that I have seen come up that we have  
4 had to forego is to where we could do two wells in  
5 an area and use one pit. That's the things I'm  
6 thinking of. I'm not thinking of multi wells,  
7 having a landfill or a land farm there, but the  
8 occasional opportunities lost is being able to have  
9 one pit serve two wells and bring both of them  
10 because of that 100-foot arbitrary addition kept you  
11 from doing that.

12 COMMISSIONER BLOOM: Again, on quantity,  
13 you mentioned multi-well pits. I think we will hear  
14 more about that later, but in NMOGA'S and IPA'S  
15 proposals, is there a limit to the volume of the  
16 multi-well pit?

17 THE WITNESS: I believe there is but Myke  
18 Lane, who will be addressing that, I think, can  
19 speak to that.

20 COMMISSIONER BLOOM: Do you know if  
21 there's a lifespan as well?

22 THE WITNESS: I think there is. Again,  
23 not being uniquely involved with writing that. But  
24 I thought it was something in the order of a couple  
25 years. I think he would be better to speak to that

1 to be correct, but that's my recollection, that it  
2 did have a lifespan. It couldn't be in the order of  
3 like a permanent pit would be.

4 COMMISSIONER BLOOM: These may be  
5 questions to put off for later as well, but about  
6 increased risk from proximity to water in wetlands.

7 THE WITNESS: I think you will hear the  
8 experts state to the distances that we have proposed  
9 that they are protective.

10 COMMISSIONER BLOOM: Just a couple more.  
11 I will save my questions. We will hear more on the  
12 below-ground tanks later. I recall hold those  
13 questions then. This may be a question for  
14 Mr. Smith here, our counselor, but is there an  
15 opportunity for us to get -- to keep the record open  
16 at the end to allow more financial information to  
17 come in? We had a number of questions about how you  
18 came up with costs and you're not the accountant.  
19 You pose that question to your staff. Is there a  
20 way that we can get more information on that before  
21 we close the record?

22 MR. SMITH: Yes, you may do that.

23 COMMISSIONER BLOOM: That would be  
24 wonderful. Finally -- correct me if I'm wrong --  
25 did I see in the current rule when there's burial

1 marker at the position, does that continue in your  
2 proposed rule?

3 THE WITNESS: I think some sort of marker  
4 continues. I might be wrong, but I think the thing  
5 that was taken out was that you had to have this  
6 piece sticking out of the ground. In fact, when we  
7 do it on a private surface, a lot of landowners  
8 don't want anything on their property. We have  
9 occasionally gotten approval to put a plate or  
10 something as an exception. But I think we took out  
11 to where you had a marker of so high.

12 COMMISSIONER BLOOM: My concern would be  
13 for state and federal lands just in the future if  
14 the land was put to other use.

15 THE WITNESS: Right.

16 COMMISSIONER BLOOM: If somebody went down  
17 to the liner. Thank you. No further questions.

18 CHAIRPERSON BAILEY: I have a few. Are  
19 you the right person to talk to about the definition  
20 of sump?

21 THE WITNESS: I believe that's Mr. Hasely  
22 who is going to talk about that. I'm familiar with  
23 it.

24 MR. FELDEWERT: If you can answer the  
25 question.

1                   CHAIRPERSON BAILEY: The question has to  
2 do with the definition where it says "with a  
3 capacity equal to or less than 500 gallons which  
4 remains predominantly empty and serves as a  
5 receptacle for de minimis releases." But there's a  
6 contradiction with Section L-H when we are talking  
7 about de minimis releases into a sump and the  
8 definition, and in L-H when we are talking about --  
9 let me find it. It talks about drying pads  
10 associated with closed-loop systems and 11 H 2  
11 requires a sump to facilitate the collection of  
12 liquids derived from drill cuttings. Now, that may  
13 not be de minimis.

14                   THE WITNESS: Yeah. I think again, the  
15 intention, a sump needs to be large enough to  
16 collect whatever drainage you may have and allow you  
17 a prompt time period to empty it into the right  
18 venue. So if there's a conflict, I'm not sure. But  
19 that was the intent, and you had to distinguish  
20 between what's a below-grade tank and a sump because  
21 you always had to have some break to where you knew,  
22 you know, where a sump began and where a below-grade  
23 tank was.

24                   CHAIRPERSON BAILEY: Right, which is the  
25 volume but not necessarily the use. You did bring

1 up the definition for temporary pit.

2 THE WITNESS: Right.

3 CHAIRPERSON BAILEY: The last sentence of  
4 that definition says, "Any freshwater containment  
5 structure such as pond, pit or other impoundment is  
6 not a temporary pit." Now, the inference is that  
7 that's an untreated freshwater containment system.

8 THE WITNESS: Yeah. I think the reason I  
9 brought up that we have had issues in some districts  
10 is somebody was saying well, that's covered under  
11 the Pit Rule. If it's a freshwater pit, in our  
12 minds it's not received cuttings, not received  
13 waste, so it's freshwater so it is not covered.

14 Now, I think you are speaking of if I take  
15 water and treat it and put it into there. I mean,  
16 if it was produced water I would say it would still  
17 be produced water until we got a determination from  
18 the district that it's no longer produced water. To  
19 me, produced water always remains produced water  
20 until the division says it's not.

21 CHAIRPERSON BAILEY: So would you object  
22 to the insertion of the words "untreated freshwater  
23 containment system"?

24 THE WITNESS: No, I don't see a problem.

25 CHAIRPERSON BAILEY: To go to Section 10

1 for siting requirements, where it talks about  
2 changing the distance. Now, that's not going to be  
3 your area, is it?

4 THE WITNESS: Well, I spoke to why they  
5 said what we did. In terms of protective of the  
6 public health and the environment, that will be the  
7 experts that will say that those distances are  
8 protective. I'm just speaking to why we set these  
9 distances up.

10 CHAIRPERSON BAILEY: My concern has to do  
11 with protection of unconfined as opposed to all  
12 waters protected by -- designated by the State  
13 Engineer.

14 THE WITNESS: I think that question would  
15 be best deferred to the experts.

16 CHAIRPERSON BAILEY: Well fluid management  
17 pits? Somebody else?

18 THE WITNESS: That's Myke Lane is the one  
19 who will address that.

20 CHAIRPERSON BAILEY: Okay. Then let's go  
21 to your slides. Exhibit 3-3 and we already talked  
22 about inserting the word "untreated" for any  
23 freshwater containment. Exhibit 3-4 gives a  
24 definition of low chlorides as 15,000 milligrams per  
25 liter threshold for low chloride drilling fluids.

1 THE WITNESS: Right.

2 CHAIRPERSON BAILEY: Somebody else would  
3 be a better person to question about that or are you  
4 the best person?

5 THE WITNESS: Well, I relayed to you where  
6 we came up with the number. I referred to we looked  
7 at Texas and we looked at Colorado. If you want a  
8 different number, and whether that's protective, it  
9 would be best addressed. But what I reference is to  
10 why we came up with that number and where we get it.  
11 The experts would relate that that would be  
12 protective. If you had a different number in mind  
13 then they could address that.

14 CHAIRPERSON BAILEY: Okay. Can you talk  
15 about process knowledge for determination of the  
16 chloride content?

17 THE WITNESS: Right.

18 CHAIRPERSON BAILEY: Isn't the test for  
19 chlorides in the field a very simple, easy test?

20 THE WITNESS: Yes, it is. The reason I  
21 was thinking process knowledge, the very thing I  
22 mentioned where you had a 2 percent KCL in water,  
23 you can calculate pretty carefully what that would  
24 amount to without testing it. But you are right,  
25 it's not a high cost test.

1 CHAIRPERSON BAILEY: You reference  
2 water-based drilling fluids with these tables. What  
3 about standards for diesel-based drilling fluids?

4 THE WITNESS: Are we talking about  
5 oil-based fluids?

6 CHAIRPERSON BAILEY: Yes.

7 THE WITNESS: I would say -- I mean, the  
8 way the rule is written, they wouldn't qualify for  
9 that reduction. So I think that's certainly  
10 different animal in terms of protective.

11 CHAIRPERSON BAILEY: So would those  
12 standards be the same as what we have in place now?

13 THE WITNESS: I would presume so.

14 CHAIRPERSON BAILEY: Those are all the  
15 questions I have for you. Mr. Carr, do you have  
16 redirect based on the questions that were asked?

17 MR. CARR: I do not.

18 CHAIRPERSON BAILEY: Then the witness may  
19 be excused. Call your next witness.

20 MR. CARR: At this time Mr. Feldewert will  
21 take over the direct examination and I will be back  
22 later.

23 MR. FELDEWERT: We would call Ed Hasely.  
24 Madam Chair, so you are ready, as we go through his  
25 testimony, we will be referencing in NMOGA's Exhibit

1 1 various points throughout his testimony as well as  
2 NMOGA's Exhibit No. 5, so we are going to flip back  
3 and forth.

4 ED HASELY

5 after having been first duly sworn under oath,  
6 was questioned and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. FELDEWERT

9 Q. Mr. Hasely, would you tell the Commission  
10 by whom are you employed and in what capacity?

11 A. I'm with Energen Resources as a senior  
12 environmental engineer.

13 Q. How long have you been a senior  
14 environmental engineer with Energen?

15 A. Coming up on five years with Energen  
16 Resources.

17 Q. What has been your area of responsibility  
18 during that five-year period?

19 A. All aspects of environmental, air, water  
20 and waste issues.

21 Q. In terms of location in New Mexico, has  
22 your area of responsibility included the San Juan  
23 Basin?

24 A. Yes, I have been in Farmington, associated  
25 with the San Juan Basin the whole time.

1 Q. Now, how long have you been with Energen?

2 A. Five years.

3 Q. So you have been with Energen five years  
4 as an environmental engineer?

5 A. Yes.

6 Q. Prior to that before you joined Energen,  
7 by whom are you employed?

8 A. I was with Burlington Resources, which  
9 then turned into ConocoPhillips, for ten years.

10 Q. Was that up in the San Juan Basin?

11 A. Yes, all in Farmington.

12 Q. What was your -- maybe I missed it. What  
13 was your job responsibility with Burlington and then  
14 ConocoPhillips?

15 A. Environmental specialist, I think was my  
16 title. More or less the same as I'm doing now, air,  
17 water and waste issues.

18 Q. Throughout that period of time that we  
19 just spoke to, did your job responsibilities include  
20 the siting, installation and management of  
21 below-grade tanks?

22 A. Yes, it did.

23 Q. And is that the topic that you're going to  
24 be addressing with the Commission here today?

25 A. Yes, below-grade tank issues.

1 Q. Now, what did you do prior to joining  
2 Burlington?

3 A. I was with Phillips Petroleum Company for  
4 15 years in several locations, including the San  
5 Juan Basin.

6 Q. In what other locations were you employed  
7 by Phillips?

8 A. I was in Casper, Wyoming; Lafayette,  
9 Louisiana; Borrowsville, Oklahoma; and Farmington,  
10 New Mexico.

11 Q. Were you then in Farmington with Phillips  
12 prior to joining Burlington?

13 A. Yes.

14 Q. How long were you responsible for the  
15 Farmington activities for Phillips during this time  
16 frame?

17 A. With Phillips I was in Farmington for a  
18 little over five years.

19 Q. Did your job responsibilities with  
20 Phillips include the siting, installation and  
21 management of below-grade tanks?

22 A. Yes.

23 Q. Approximately how many years, Mr. Hasely,  
24 have you been involved with below-grade tanks in the  
25 San Juan Basin?

1           A.     Approximately 20 years.

2           Q.     In addition to your experience with  
3 below-grade tanks, do you have any formal education  
4 in oil and gas engineering?

5           A.     I have a petroleum and natural gas  
6 engineering degree from Penn State University.

7           Q.     In addition to this education, do you have  
8 any work experience as a petroleum engineer?

9           A.     Five of my years with Phillips Petroleum  
10 was as a production engineer up in Wyoming.

11          Q.     Did you then utilize your engineering  
12 background and experience during the succeeding 20  
13 years in your jobs as an environmental engineer and  
14 specialist?

15          A.     I would say yes. My knowledge from  
16 petroleum and natural gas engineering and my time  
17 working as a production engineer helps me at least  
18 understand better the equipment and operation that  
19 goes on.

20          Q.     Would you please for me quickly turn to  
21 what's marked as NMOGA Exhibit No. 4. Do you  
22 recognize this, Mr. Hasely?

23          A.     Yes, I do.

24          Q.     Would you identify it for the Commission,  
25 please?

1           A.     I was asked to provide a brief resume and  
2 this is what I came up with.

3           Q.     Is this an accurate summary of your  
4 education and experience?

5           A.     Yes, it is.

6           MR. FELDEWERT: Madam Chair, I move the  
7 admission of Exhibit 4 into evidence.

8           CHAIRPERSON BAILEY: Objections?

9           MR. JANTZ: No.

10          MS. GERHOLT: No.

11          DR. NEEPER: No objection.

12          MR. FORT: No objection.

13          CHAIRPERSON BAILEY: So admitted.

14          (Note: Exhibit 4 admitted.)

15          MR. FELDEWERT: At this point, Madam  
16 Chair, I tender Mr. Hasely as an expert witness in  
17 petroleum engineering and in the siting,  
18 installation and management of below-grade tanks  
19 used in the oil and gas industry.

20          CHAIRPERSON BAILEY: He is so qualified.

21          Q     (By Mr. Feldewert) Would you please  
22 describe for the Commission, Mr. Hasely, the  
23 below-grade tanks and what purpose it actually  
24 serves in the oil field?

25          A.     Yes. First and foremost, it's, as in the

1 name, it's a tank. It's not a pit, it's a vessel.  
2 It's a tank. Exact construction is what's set on  
3 the surface of the ground and then the other part of  
4 the definition is it's below grade so it's located  
5 down in an excavation. And the main reason to have  
6 it below grade is to allow gravity drainage, like I  
7 think Mr. Gantner mentioned. A lot of the wells in  
8 the northwest, low pressure, and so draining water  
9 off the separators, draining water off of -- water  
10 that gets to the produced oil tank, gravity drainage  
11 allows that to go not sit in the pipe which causes  
12 freezing problems, operational problems. So it's a  
13 below-grade tank and it's used to collect and store  
14 the water, produced water.

15 Q. What type of device is gravity-drained  
16 into a below-grade tank?

17 A. Well, the two that stick in my head would  
18 be draining water off the tank. Your separator is  
19 not 100 percent so you can end up getting a little  
20 bit of produced water in your oil tank. Drain that  
21 water off to this below-grade tank. So that's a  
22 gravity drain. And a similar situation with -- we  
23 have environmental skid rails around our compressors  
24 that collect fluid, and they can be piped in and  
25 gravity drained to a below-grade tank also.

1 Q. Would you please turn to what's marked as  
2 NMOGA Exhibit No. 5, which, Madam Chair, has already  
3 been admitted into evidence.

4 CHAIRPERSON BAILEY: Yes.

5 Q. Mr. Hasely, using this picture that's been  
6 provided, would you please just kind of walk the  
7 Commission through what is shown on here with  
8 respect to the usage of a below-grade tank, and I  
9 guess first start with identifying the picture on  
10 here where you see the below-grade tank.

11 A. Okay. Obviously, in the tank that is  
12 sitting down almost at ground level, in the  
13 foreground is the below-grade tank that we are  
14 talking about. What I just mentioned before about  
15 draining water off the oil tank, in the background  
16 there, that's above ground, an oil storage tank.  
17 You can see the line coming off the right-hand side  
18 of that that comes over, and that would be the  
19 gravity drainage draining the water off that oil  
20 tank.

21 These other lines that you can see all go  
22 to the center of that tank, and there's an enlarged  
23 pipe there. They call it a diffuser to dissipate  
24 the energy because those lines can discharge into  
25 that tank under pressure. So they would come off

1 the separator. Like the separator water dump, which  
2 does have some pressure behind it, would be tied  
3 into that. And so the water dump line, a vent valve  
4 on the separator, normally called a B valve that  
5 sometimes has to vent. We route that to this  
6 below-grade tank also.

7 I'm not exactly sure on all these lines,  
8 but as I mentioned before a skid drain from a  
9 compressor or a compressor scrubber dump. It also  
10 has pressure behind it so that's tied into the  
11 diffuser to dissipate the energy and allow the  
12 fluids to fall down into that tank. The one line --

13 Q. Let me stop you here. I have a pointer.  
14 Will that help?

15 A. That would be great.

16 Q. I will give it to you if you promise not  
17 to point to Mr. Jantz.

18 A. I will try not to. As I discussed, this  
19 line here is the one that I was referring to that  
20 would drain the water off the oil tank. These other  
21 lines that go into this vessel here is what we are  
22 calling the gas diffuser, and that's to dissipate  
23 the energy, because all these other lines that are  
24 tied directly into that may discharge with pressure,  
25 and that's to help so it wouldn't blow liquid out of

1 the tank or anything like that.

2 This line here, based on what it looks  
3 like, I would say it's the liquids removal line.  
4 That would have -- that would L right here and go to  
5 the bottom of the tank and a water truck driver can  
6 grab it, tie into it there and suck the liquids out.  
7 These other lines, like I said, the compressor  
8 scrubber dump would have an automatic dump on it.  
9 As the liquid levels build up it would dump in  
10 there.

11 These are probably coming off the  
12 separator, a water dump line and the B valve that I  
13 mentioned before. Another possible line that a lot  
14 of people tie into the below-grade tank is the swab  
15 line. When you are swabbing a well in to remove the  
16 liquids, it's safer to swab into an open-top tank  
17 than going into an oil storage tank.

18 You will notice that there's corrugated  
19 metal here that's holding the dirt back from the  
20 walls of the below-grade tank itself. That's one  
21 way it's done. Another way it's done is we just  
22 slope the sides of the dirt off to the side. You  
23 need a little bit more room, but slope the walls and  
24 not have that corrugated metal.

25 Q. Mr. Hasely, is this a typical setup that

1 you see in the San Juan Basin?

2 A. Yes. I see this setup, and then the other  
3 setup that I mentioned with the dirt walls along the  
4 side instead of the metal.

5 Q. Can you tell from the picture -- can you  
6 give us an idea how big the tank actually is that  
7 you see sitting in the ground?

8 A. I can't tell exactly, but the majority of  
9 the tanks are between 90 and 120 barrels. I would  
10 guess this one is a 15-foot diameter and four foot  
11 deep, which would make it a 120-barrel tank.

12 Q. What would that translate to in terms of  
13 gallons?

14 A. I can't do it in my head.

15 Q. Roughly 5,000 gallons?

16 A. Sounds good.

17 Q. Why don't we turn to the second page of  
18 NMOGA Exhibit 5.

19 MR. FELDEWERT: Again, Madam Chair, this  
20 is admitted into evidence.

21 Q. I don't think we need to go into great  
22 detail since we have seen a picture, but can you  
23 start left to right and identify for the Commission  
24 how a typical below-grade tank is used in the field  
25 in terms of an overall well site project?

1           A.     Okay. Starting on the left, I will try to  
2 go through briefly. This line here would be the  
3 line coming in from the separator dumping to -- this  
4 would be the above-ground oil tank. Briefly  
5 mentioned there, that's an earth and berm or a berm  
6 to provide secondary containment to the tank. This  
7 would be the fence post. So moving over to the oil  
8 tank, this line coming off there would be the  
9 gravity drainage line from the water, from the oil  
10 tank that we talked about earlier. This obviously  
11 is the below-grade tank.

12                     These are the other lines that I already  
13 discussed that tie into this diffuser or header to  
14 dissipate the energy that you can see on the  
15 picture.

16                     This one specifically, I think they have  
17 marked -- I can't read it without my glasses on --  
18 that's the skid drain from the compressor. So it  
19 does not tie into the middle gas diffuser. That  
20 would be another gravity drainage line.

21           Q.     Mr. Hasely, in your experience, has there  
22 been at times confusion among operators and  
23 regulators about what constitutes a below-grade  
24 tank?

25           A.     Yes, there's been confusion between

1 operators, between operators and OCD and internal to  
2 my company there's been confusion, yes.

3 Q. What has the confusion centered around  
4 first with respect to the tanks?

5 A. The main confusion I have run into is if  
6 on this side of the location, if that was a hillside  
7 or a slope going up like that, and this tank was  
8 sitting on top of the ground but right off of that  
9 the slope of the hillside goes up, under the  
10 existing definition that could be interpreted as  
11 that is a below-grade tank when, in fact, it's  
12 really a surface tank sitting on top of the ground.

13 Q. Has there also been a problem at times  
14 distinguishing between a below-grade tank and a  
15 sump?

16 A. Yes, there's been lots of discussions on  
17 that.

18 Q. What has been the concern there?

19 A. Basically do you have a sump or do you  
20 have a below-grade tank is the main discussions that  
21 I have been in. It's still going on.

22 Q. Maybe this will help. Let me turn to  
23 what's the third page of Exhibit 5, which has not  
24 yet been admitted. Mr. Hasely, I want to ask you a  
25 little bit about this particular page, the third

1 page of Exhibit No. 5. Are you aware, Mr. Hasely,  
2 that the Division currently has within its rules a  
3 definition of below-grade tanks?

4 A. Yes, I am.

5 Q. I'm going to represent to you that's  
6 actually in another section. It's found in Section  
7 19.15.2.

8 A. Correct.

9 Q. Does this particular exhibit here, NMOGA's  
10 Exhibit No. 5.3, does it depict the actual language  
11 change NMOGA proposes to the existing definition?

12 A. Yes, it does.

13 MR. FELDEWERT: Madam Chair, this is one  
14 of the initial modifications we filed with respect  
15 to the definition of below-grade tank just -- I  
16 think initially when the application was filed, we  
17 crafted a definition of below-grade tank. We then  
18 having gotten comments from various parties,  
19 including the OCD. Our first set of proposed  
20 modifications include a revision of the existing  
21 definition.

22 So we are not confused, when our first set  
23 of modifications was filed, we then took this red  
24 line strike-out version as a whole, incorporated it  
25 into the modifications. So if we look at Attachment

1 A, for example, under below-grade tanks it looks  
2 like a whole new definition. Now it's just working  
3 with the construction that we had. This exhibit  
4 actually depicts NMOGA's modifications to the  
5 existing definition.

6 MR. SMITH: Is this then the April 16  
7 modification?

8 MR. FELDEWERT: This will be the first set  
9 of modifications. Yes, that would be the first set  
10 of proposed modifications.

11 Q (By Mr. Feldewert) So Mr. Hasely, just to  
12 wrap this up, this Exhibit 5-3 actually sets forth  
13 the proposed modification to the existing  
14 definition, correct?

15 A. That's correct.

16 MR. FELDEWERT: Madam Chair, I move the  
17 admission of NMOGA's 5-3.

18 CHAIRPERSON BAILEY: Any objections?

19 MS. GERHOLT: No objections.

20 CHAIRPERSON BAILEY: So admitted.

21 (Note: Exhibit 5-3 admitted.)

22 Q. With this out in front of you, Mr. Hasely,  
23 would you please explain to the Commission what this  
24 language change is designed to do?

25 A. Okay. The first change, the underlying

1 part there that talks about with greater than  
2 500-gallon capacity, that ties back into where there  
3 was some confusion between what's a sump and what's  
4 a below-grade tank. A sump had been identified as  
5 less than 500-gallon capacity, so we took it the  
6 other way and said if it's over 500-gallon capacity  
7 it would be a below-grade tank.

8 Q. Now, the below-grade tank we saw in the  
9 picture was roughly 5,000 gallons; is that correct?

10 A. Yes, that sounds correct.

11 Q. So under this proposed language change,  
12 the distinction between a below-grade tank and a  
13 sump would be based upon 500 gallons, and 500  
14 gallons being the sump and anything greater would be  
15 a below-grade tank. If it was less than or equal  
16 500 it would be a sump, correct?

17 A. Correct.

18 Q. Is there then a corresponding language  
19 change to the definition of sump in the NMOGA's  
20 proposed modification?

21 A. Yes, there is.

22 Q. So if I keep a hand on Exhibit No. 5 and  
23 flip over to what's marked as Exhibit No. 1 and turn  
24 to the third page, Attachment A, we see some  
25 language changes to proposed definition of sump,

1 correct?

2 A. Correct.

3 Q. And what NMOGA has proposed to add to the  
4 definition, again, differentiated from below-grade  
5 tank is set forth in this Page 3 of Attachment A?

6 A. Yes.

7 Q. Do you believe, Mr. Hasely, that this  
8 combined language change will assist operators and  
9 regulators to differentiate between a sump and a  
10 below-grade tank?

11 A. Yes, I do.

12 Q. If I go back to NMOGA's Exhibit No. 5-3,  
13 what language here has been proposed by NMOGA for  
14 the purposes of differentiating a below-grade tank  
15 from a surface tank?

16 A. The second change in that definition is we  
17 struck the words "where a portion of the tank's  
18 sidewalls is" and put in "installed within an  
19 excavation or burden." And that goes back to my  
20 comment where a surface tank sitting next to the  
21 location where the natural topography went up on the  
22 hillside, if that was a surfacing tank where it  
23 wasn't dug down in and set in the excavation, that  
24 would make that clear that that's an above-ground  
25 tank versus a below-grade tank with the adding of

1 the words "installed within an excavation."

2 Q. And based on your experience, do you think  
3 that this language change will assist both operators  
4 and regulators to differentiate between a  
5 below-grade tank and a surface tank?

6 A. Yes, I do.

7 Q. Now, I want to now turn back to -- I think  
8 we are done with Exhibit No. 5. We are now going to  
9 focus on Exhibit No. 1, particularly Attachment 1 to  
10 Exhibit No. 1. I want to start first with how  
11 NMOGA's proposed changes seek to document  
12 below-grade tanks. What is it that these changes  
13 seek to do with respect to below-grade tanks in  
14 terms of documentation?

15 A. NMOGA's proposal for below-grade tanks is  
16 to go through a registration process instead of an  
17 actual permitting process.

18 Q. What is the reason for seeking to register  
19 below-grade tanks rather than permitting them?

20 A. Mainly it would be a time-saver. We would  
21 not have to wait for approval coming back. We would  
22 supply all of the information that's necessary and  
23 show that we are doing it right and then we could go  
24 on and not wait for approval. It should be a  
25 simpler process.

1 Q. So you are still, under your proposed  
2 registration, going to provide information to assure  
3 that you meet the siting requirements and the design  
4 requirements, correct?

5 A. Yes, that's in here somewhere.

6 Q. That would be done under a registration  
7 process rather than a permitting process?

8 A. Correct.

9 Q. If I turn then to Page 4 of NMOGA's  
10 Exhibit No. 1, Section 17.8 A, we see "below-grade  
11 tank" struck in that provision. Is that for the  
12 purposes of again registering rather than permitting  
13 the tank?

14 A. Yes. That sentence is specific to a  
15 division-issued permit, so we struck the words "or  
16 below-grade tank."

17 Q. If I look at what has now become 17.8 C on  
18 Page 4 of NMOGA Exhibit No. 1 --

19 CHAIRPERSON BAILEY: If you would, wait  
20 just a second.

21 Q. That then is some specific proposed  
22 language that would result in the registration of  
23 below-grade tanks with the district office; is that  
24 correct?

25 A. That's correct.

1 Q. Then if I turn to the next page of this  
2 exhibit, Exhibit 5, and I look at 17.9 A, there's  
3 some language changes there. What's the end result?  
4 How are below-grade tanks registered with the  
5 district office?

6 A. It states in that paragraph that we would  
7 still be using the C 144 form, which is the same  
8 form that we would be using for permitting temporary  
9 pits and such. And it also provides -- I guess in  
10 that paragraph it's mainly specific to we will be  
11 using the C 144 form which will provide that  
12 information.

13 Q. Okay. I think if you turn to the next  
14 page of Exhibit No. 1, which is Page 6 of Attachment  
15 A, we then go to the bottom and we have a provision  
16 Subsection 3 that deals with below-grade tanks,  
17 correct?

18 A. Yes.

19 Q. Again, setting forth the requirements for  
20 registering below-grade tanks?

21 A. Correct.

22 Q. Does it still require that there be a  
23 hydrogeologic report to demonstrate compliance with  
24 siting requirements?

25 A. Yes, it does.

1 Q. And in the process, does it allow  
2 registration of standardized plans and designs?

3 A. Yes. The language towards the bottom of  
4 that allows to get a standard design and plans,  
5 closure plans, maintenance plans, approved by the  
6 OCD and refer to those standard plans instead of  
7 submitting them each time.

8 Q. So is the hope here that you would be able  
9 to streamline the process?

10 A. Yes.

11 Q. If we then turn to, still within that same  
12 section, 17.9 D as in dog, and I believe that's over  
13 on Page 8 of Attachment A. We see there in D 2 that  
14 term "below-grade tanks" is struck, correct?

15 A. That's correct.

16 Q. Again, is that solely for the purpose of  
17 being consistent with the fact that below-grade  
18 tanks would be registered rather than permitted?

19 A. Yes, D is filing of permit applications,  
20 so if we went with registration it shouldn't be  
21 mentioned there.

22 Q. Okay. If we continue on then we go to the  
23 siting requirements for below-grade tanks. What has  
24 the language change in 17.10 A 1 done or  
25 accomplished?

1           A.     It removed the below-grade tank and that's  
2     specific siting criteria associated with the  
3     temporary pit.

4           Q.     So rather than having the siting  
5     requirements be the same for temporary pits, you  
6     have now removed below-grade tanks from the siting  
7     requirement. We also put together a new provision  
8     for below-grade tanks, correct?

9           A.     That's correct.

10          Q.     So if we turn to the section 17.10 A 4,  
11     which is on the next page, Page 10 of Attachment A  
12     of NMOGA's Exhibit 1, in that section you set forth  
13     the siting requirements for below-grade tanks,  
14     correct?

15          A.     Correct, in No. 4.

16          Q.     And would you agree that because of the  
17     nature of the vessel that below-grade tanks should  
18     have different siting requirements than temporary  
19     pits?

20          A.     Yes. I feel that way. As I mentioned in  
21     the beginning, it is a tank, it's not an earthen  
22     pit. It's the same vessel that sits on top of the  
23     ground. It just happens to be in an excavation, so  
24     to me there's an added layer of protection there on  
25     protecting the environment, therefore justifying

1 different siting criteria.

2 Q. Will this afford your company some  
3 flexibility in terms of siting below-grade tanks it  
4 currently does not have?

5 A. Yes, it will.

6 Q. If you then turn to Design and  
7 Construction, which is the next section of the rule  
8 beginning on Page 13 of NMOGA's Exhibit No. 1, I  
9 want to address the fencing provisions which we find  
10 towards the middle and bottom of Page 13 of  
11 Attachment A. What has NMOGA proposed with respect  
12 to below-grade tanks when it comes to the  
13 requirements in Section 17-11 D 2?

14 A. We removed the term "or below-grade tank"  
15 in D 2 and that was the D 2 specific to six-foot  
16 high chain link security fence with two stands of  
17 barbed wire at the top, and we removed below-grade  
18 tank from that requirement. There is requirements  
19 in 1 or 3 that talks about it does have to be fenced  
20 but No. 2 was specific to the security fence.

21 Q. So just so we are clear here, below-grade  
22 tanks still have to have the fencing perimeter  
23 around them?

24 A. That's correct.

25 Q. And what you eliminated then is the chain

1 link fence, six-foot with two barbed wire stands on  
2 top?

3 A. Correct.

4 Q. Deb, could you bring up the picture of the  
5 below-grade tank? Would you explain, Mr. Hasely,  
6 why you think it's unnecessary to require a six-foot  
7 high chain link fence with two barbed wires across  
8 the top for every below-grade tank in the San Juan  
9 Basin?

10 A. Basically, a below-grade tank doesn't have  
11 the potential hazards to human health and public as  
12 a temporary pit would have, a lined pit. Like we  
13 said, there is going to be a four-foot fence around  
14 this below-grade tank. There's going to be warning  
15 signs. The tank is covered -- required to be  
16 covered with netting or a mesh. So bottom line, I  
17 don't see where there's the hazards associated with  
18 the below-grade tank that there could be with a  
19 temporary lined pit.

20 Q. So in your opinion, in your experience,  
21 will a fenced below-grade tank like we see here  
22 provide a reasonable deterrence for unauthorized  
23 access?

24 A. Yes, it should.

25 Q. And given the nature of below-grade tanks

1 and how they are constructed, do you think it would  
2 provide a reasonable level of protection to the  
3 public?

4 A. Yes, I do.

5 Q. If we then turn to the next topic within  
6 this section. It's on Section 17.11 I, which begins  
7 on Page 17 of Attachment A. If you look towards the  
8 bottom of that particular page, the 17.11 I, those  
9 are design requirements for below-grade tanks in  
10 Paragraphs 1 through 4, correct?

11 A. That's correct.

12 Q. I want to turn to the next page and look  
13 at Subsection 4 A, which is carried over to the top  
14 of Page 18 of NMOGA's Exhibit 1. And you will see  
15 that the NMOGA proposes added language "or alarm."

16 A. Yes.

17 Q. Would you please explain to the Commission  
18 why NMOGA has proposed this alternative control  
19 device for below-grade tanks?

20 A. Yes. We added "or alarm" into this  
21 statement about having automatic high level shutoff  
22 control device or alarm. And what we mean by an  
23 alarm is a call-out system that's going to notify  
24 our operator, via text or a phone call, however they  
25 set that up. And what that allows us to do is if we

1 had that alarm set to come on at 75 percent of the  
2 tank full, that allows our operator to respond to  
3 that, go out and find out if the tank needs pulled,  
4 what's going on, does the well need shut in or can  
5 we just get a water tank out, pull the tank down and  
6 continue operation? So it's a way to allow us to  
7 continue operating and not just have it shut in and  
8 still protect the environment by notifying our guy  
9 and letting him out there.

10           Once the well gets shut in, it can cause  
11 operational problems. If that happens in the  
12 wintertime you have freezing problems. A lot of  
13 wells in the San Juan Basin, once they are shut in  
14 you can't just open up the valve and have them come  
15 again. You have to bring in a rig, have a swab rig  
16 to remove the liquid and get the rig flowing. So  
17 this alarm allows us the operational flexibility to  
18 still monitor the level of the tank and get notified  
19 before there's a problem and address that and allow  
20 the well to continue to operate.

21           Q.     I noticed you mentioned the swabbing  
22 issues. Is there also concern that in the  
23 wintertime you would have some freezing issues if  
24 you just had the automatic shutoff as an option?

25           A.     Yes, that's correct.

1 Q. So in essence, this gives an operator  
2 another option for dealing with and protecting  
3 against overflow that may avoid some unnecessary  
4 shut-in?

5 A. Yes, that's the way I feel.

6 Q. Now I want to turn to the new topic, and  
7 that is the provisions of the rule requiring current  
8 operators to remove below-grade tanks in the field  
9 that does not meet the design requirements of the  
10 current rule. And if we turn back to Page 17 of  
11 this NMOGA Exhibit No. 1 in dealing with Subsection  
12 I involving below-grade tanks, we have Paragraphs 1  
13 through 4 that impose design requirements on newly  
14 installed tanks, correct?

15 A. That's correct.

16 Q. And NMOGA, other than the change in the  
17 alarm that we just talked about, hasn't proposed any  
18 changes to the new design requirements?

19 A. Correct.

20 Q. Then if we continue over to the next page,  
21 we see that NMOGA has proposed some changes to what  
22 are Subparagraphs 5 and 6 of this provision of the  
23 rule, correct?

24 A. Yes.

25 Q. First off, are these the provisions that

1 address below-grade tanks that are currently in  
2 place, but because of their age and time that they  
3 were installed do not meet the current design  
4 requirements?

5 A. Yes. These in both 5 and 6 are associated  
6 with tanks that do not meet the current design  
7 requirements.

8 MR. FELDEWERT: Madam Chair if I may, in  
9 going through this the other day with Mr. Hasely, I  
10 found it helpful to have a copy of the existing rule  
11 in front of me first to understand what the existing  
12 rule requires before we deal with the changes. So  
13 if I may, I have additional copies of the pertinent  
14 pages of the existing rule that I would like to hand  
15 out.

16 CHAIRPERSON BAILEY: Yes, thank you.

17 MR. FELDEWERT: If anyone else wants, it's  
18 the current rule.

19 Q. This is comprised of Pages 7 through 10 of  
20 the current rule. If you look at Page 7, we see the  
21 Subsection I at the bottom. If we turn to the next  
22 page, we see Subparagraphs 5 and 6 of the current  
23 rule. Mr. Hasely, looking at those two  
24 subparagraphs, what is the problem with the way that  
25 the current rule, as drafted, treats existing tanks

1 that do not meet the design requirements for  
2 below-grade tanks?

3 A. The main problem is concerning having to  
4 remove a tank that we can demonstrate integrity.  
5 The language in 5 and 6 does allow that to remain  
6 only if the sidewalls of that tank are visible, so  
7 our concern is if we have a below-grade tank that  
8 the operator can demonstrate integrity even though  
9 the sidewalls are not visible, we feel that tank  
10 should be able to be left in place.

11 Q. So if I look at Subsection 6, I 6 of the  
12 current rule on Page 8, is that the provision that  
13 apparently says you must remove a tank by a certain  
14 period of time if it is single-walled and you cannot  
15 see any of the sidewalls?

16 A. That's correct. That's what No. 6  
17 discusses. We have five years or until June of 2013  
18 to remove those.

19 Q. And that would apply even if the tank has  
20 integrity, correct?

21 A. Correct.

22 Q. The way it's currently crafted?

23 A. That's correct.

24 Q. Are there ways for operators to  
25 demonstrate integrity of below-grade tanks even if

1 the sidewalls are not open for visual inspection?

2 A. Yes, there is.

3 Q. Can you explain those?

4 A. Some operators have their single-walled  
5 tank and they took a heavy duty plastic liner and  
6 wrapped that around the tank, sealed it at the top  
7 with a band to hold it together and then it has a  
8 leak detection pipe that goes into that. So it's  
9 essentially building a double-walled tank but the  
10 one wall is a liner, actual liner. And then the  
11 sidewalls can be covered with soil then and you have  
12 this liner wrap around the below-grade tank and you  
13 have a pipe that goes down into that angular space  
14 between the liner and the bottom of the tank and you  
15 can monitor that fluid. So if that main vessel, the  
16 tank itself, does have a leak, you will see that in  
17 that liner wrapper in the leak detection pipe.

18 Q. Under the current rule, even if you had  
19 that system in place, if your sidewalls aren't open  
20 and you have single-wall, do you have to remove it  
21 even if you can demonstrate integrity?

22 A. That's the way it reads, yes.

23 Q. If I turn to the similar provision found  
24 on Page 10 of the current rule, Section 17.13 A 5,  
25 under this current language of this rule, it

1 prevents, does it not, Mr. Hasely, an operator from  
2 having a change of operator if that operator has any  
3 tanks that don't meet the current design  
4 requirements?

5 A. Correct. I think prior to sale or change  
6 of operatorship you had to bring all tanks up to the  
7 current design standards.

8 Q. That would include even tanks for which  
9 you could demonstrate the integrity?

10 A. That's correct.

11 Q. So are these provisions requiring  
12 operators at the current time to incur the cost of  
13 removing perfectly good tanks?

14 A. Yes, it does.

15 Q. How much does it generally cost to remove  
16 an existing below-grade tank and replace it with a  
17 new one that meets the design requirements?

18 A. Well, specifically with Energen Resources,  
19 we have not been putting in any more below-grade  
20 tanks so we are averaging about \$20,000 to take that  
21 tank that is below grade and move it above grade, so  
22 about \$20,000 average.

23 Q. And for a company like Energen, what  
24 budget is impacted by these type of expenses where  
25 you are removing a perfectly good tank?

1           A.     Well, I think any time you have any  
2 expenses, the bottom line is it goes to our capital  
3 budget which includes that.

4           Q.     Knowing the problem, what has NMOGA  
5 proposed?

6           A.     NMOGA reworded or added to No. 5, and I'm  
7 looking back on Page 18.

8           Q.     Wait for everybody to get to that.

9           A.     We struck No. 6 all together, because we  
10 can address that in No. 5. No. 6 was the wording  
11 that said if you cannot see the sidewalls of the  
12 tank that you have to remove them within five years.  
13 So we addressed that issue up in No. 5. Weren't we  
14 going to remove language here?

15          Q.     Let me ask you, just at the 30,000 foot  
16 level, with the changes on Page 18, what's the end  
17 result? What are you proposing?

18          A.     The end result should allow us to leave in  
19 a below-grade tank that does not meet the design  
20 criteria as long as we have a method to demonstrate  
21 integrity. We do our monthly inspections and we can  
22 demonstrate it has integrity, so it eliminates us  
23 spending money to remove a perfectly good tank.

24          Q.     Then is it up to the operator to ensure  
25 that he has the means necessary to demonstrate

1 integrity?

2 A. Yes.

3 Q. If you have a below-grade tank where you  
4 cannot demonstrate integrity for one reason or  
5 another, do the changes still require that tank be  
6 removed?

7 A. That is correct.

8 Q. Talk about how we got to that point.  
9 First off, you mentioned that you eliminated the  
10 language in Subsection 6 on Page 18 which required  
11 you to remove those tanks unless they had the  
12 sidewalls open for visual inspection.

13 A. Correct.

14 Q. And then did you then modify the language  
15 in Subsection 5 to allow all existing tanks to  
16 remain so long as the operator can demonstrate  
17 integrity?

18 A. That's the intent, yes.

19 Q. And you believe you accomplished that with  
20 the changes made to Subsection 5?

21 A. I don't think so with the current language  
22 I'm looking at.

23 Q. So where are we then at this point if the  
24 operator of a below-grade tank installed prior to  
25 the effective date of this amendment has the

1     sidewalls open for visual inspection? That didn't  
2     get us there, did it?

3             A.     That is correct. That language is still  
4     up in No. 5.

5             Q.     So after finding that out, did NMOGA then  
6     file a second set of proposed modifications?

7             A.     That's what I understand, yes.

8             Q.     And those were the ones that were recently  
9     filed. Under the second set of proposed  
10    modifications, which I think the Commission has as  
11    Exhibit No. 20, did you then on the same Page 18 of  
12    the second set of proposed modifications, did NMOGA  
13    add an additional modification, and what NMOGA had  
14    proposed is to strike the language "and the  
15    sidewalls open for visual inspection," correct?

16            A.     Correct.

17            Q.     Okay. With that change then, do these  
18    provisions with the filed modifications that we  
19    proposed in this provision, would that allow a  
20    perfectly good tank to remain in use as long as the  
21    operator can continue to demonstrate integrity?

22            A.     That's the way it's worded now, yes. As  
23    long as it demonstrates integrity it can remain.

24            Q.     Now, in addition to this language change,  
25    because these rules are interrelated, there were

1 some other corresponding changes that had to be made  
2 to the Pit Rule, correct?

3 A. Yes.

4 Q. I want to first then turn back to Exhibit  
5 No. 1 and we go to Page 37 of Attachment A. That  
6 would be Section 17.1. E 4 and 5 on Page 37 of  
7 Attachment A. NMOGA proposes to strike those two  
8 paragraphs; is that right?

9 A. Yes, it is.

10 Q. Again, is the purpose here to allow  
11 below-grade tanks to remain as long as the operator  
12 can demonstrate integrity?

13 A. That's correct.

14 Q. And if these two provisions remain within  
15 the rule, that goal cannot be reached, correct?

16 A. Correct.

17 Q. And in particular, if I look at  
18 Subparagraph 5 of this section on Page 37, this  
19 eliminates the provision, one of which we have  
20 talked about, where an operator could not transfer  
21 its wells if it had a below-grade tank that didn't  
22 meet the current design requirement?

23 A. That's correct. That's what No. 5 talks  
24 about, that prior to any sale or change of operator,  
25 that we would have to close any tank that doesn't

1 meet the current requirements.

2 Q. Even if that tank was perfectly good and  
3 you could demonstrate integrity?

4 A. Yes.

5 Q. So that's, again, why you struck  
6 Subparagraph 5?

7 A. Yes.

8 Q. Subparagraph 4 dovetails what you have  
9 previously testified to?

10 A. Yes.

11 Q. I think one more, Mr. Hasely. In addition  
12 to trying to -- in order to meet this goal we  
13 recently discovered an additional change that needed  
14 to be made, correct?

15 A. Yes.

16 Q. If we turn to Page 48 of Attachment A,  
17 which for the record is Section 17.16 F, there's  
18 some language there about transferring the permit  
19 again along the lines that we have previously talked  
20 about, change of operators and transferring the  
21 permit. There's some language in there, beginning  
22 in the second sentence that says, "Except for  
23 existing below-grade tanks that do not meet the  
24 requirements of Paragraphs 1 through 4 of Section  
25 I."

1           A.     Correct.

2           Q.     Again, referencing the design  
3 requirements, correct?

4           A.     Yes.

5           Q.     In order to meet our goal of being able to  
6 transfer properties that have below-grade tanks that  
7 don't meet the design requirements but for which an  
8 operator can continue to demonstrate integrity, that  
9 language needs to be struck?

10          A.     Yes. I think that's specific to  
11 transferring the permit, that we can transfer that  
12 permit. If the OCD approves the well transfer, the  
13 permit registration of the below-grade tank would go  
14 to that without additional paperwork and we should  
15 be allowed to leave them in place if they can  
16 demonstrate integrity.

17          Q.     That particular language change is then  
18 another component of NMOGA's second set of  
19 modifications that were filed on May 10th and it's  
20 reflected on the corresponding Page 48 of that  
21 second set of limitations; is that correct?

22          A.     Yes.

23                 MR. SMITH: Excuse me. Just for  
24 clarification, you have in Attachment A on Page 48  
25 language stricken from F, right?

1 MR. FELDEWERT: Correct.

2 MR. SMITH: Now, do I understand that that  
3 language was not stricken in the April 16 filing but  
4 was stricken in the May 2 whatever filing it was?

5 MR. FELDEWERT: No, to make it hopefully  
6 clear -- and it isn't and I apologize. I recognize  
7 what happened is NMOGA filed their application for  
8 rule change and had their proposed modifications  
9 attached to the application. There was then a  
10 period of time that went by in which other parties  
11 filed suggestions or modifications to the proposed  
12 language change. At the end of that process, NMOGA  
13 then filed their first set of proposed  
14 modifications.

15 MR. SMITH: April 16th?

16 MR. FELDEWERT: I would have to check but  
17 I believe that's correct. Part of that first set of  
18 proposed modifications to their application, the  
19 language that you see on Page 48 deletes all of  
20 Attachment A, what was included in the first set of  
21 proposed modifications.

22 MR. SMITH: Okay.

23 MR. FELDEWERT: Then having looked at the  
24 rule again for the umpteenth time and finding yet  
25 another provision that was inconsistent with some of

1 the prior changes, that resulted in the filing of  
2 the second set of proposed modifications in May, and  
3 you will see if you look at Page 48 of the second  
4 set of proposed modifications, it maintains the  
5 language that was struck at the latter part of this  
6 rule to deal with the design requirements. But it  
7 strikes the additional language that we just went  
8 through and makes sure it remains consistent.

9 MR. SMITH: That's where I am confused. I  
10 apologize.

11 MR. FELDEWERT: Mr. Smith, the way it was  
12 differentiated is on the second set of proposed  
13 modifications, all of those modifications were  
14 identified in the comments to the side.

15 MR. SMITH: I'm looking at what you all  
16 filed on May -- I guess it's May 10th.

17 MR. FELDEWERT: Yes. If I go to the very  
18 last page --

19 MR. SMITH: But that's not Page 48, right?  
20 That's Page 25.

21 MR. FELDEWERT: It should be Page 48.

22 MR. SMITH: No, I am looking at what was  
23 actually filed. Is what was actually filed  
24 different from Exhibit 20?

25 MR. FELDEWERT: Can I take a look at what

1 you're looking at?

2 MR. SMITH: Got it.

3 MR. FELDEWERT: Does that answer your  
4 question?

5 MR. SMITH: Yes.

6 CHAIRPERSON BAILEY: Let's take a  
7 ten-minute break.

8 (Note: The hearing stood in recess at  
9 2:40 to 2:52.)

10 CHAIRPERSON BAILEY: We will go back in  
11 the record. We have had requests for witnesses and  
12 attorneys and commissioners to speak up so that the  
13 people in the back can hear what's being said here  
14 at the front of the room. So if we would all keep  
15 in mind that we need to speak up.

16 MS. FOSTER: It was recommended that I put  
17 something on the record concerning the fact that the  
18 IPANM's petition is under a different case number  
19 than the NMOGA modifications. However, the  
20 modifications that I have filed up until this point  
21 have been almost identical to the NMOGA  
22 modifications, except for a few little tweaks. So  
23 in my presentation under my case number, what I am  
24 intending to do and asking the Commission for is I  
25 would like to adopt all of the testimony that NMOGA

1 is presenting today and then I will present just two  
2 of my witnesses to talk about the differences that  
3 we have in those few little minor items.

4 So again, I want to make sure that the  
5 record is clear because we had a question earlier  
6 about different case numbers and adopting the record  
7 and all that. So I hope that we will be able to do  
8 that in this case and I just spoke to counsel about  
9 that.

10 MR. SMITH: I think that's fine, but I  
11 think they will have to adopt the entire record, the  
12 OGAP witnesses and cross and so forth, not just --

13 MS. FOSTER: Yes, thank you for the  
14 clarification. That's correct. I would adopt the  
15 entire record from the case number that ends in 84.  
16 That is the NMOGA case, and then the IPANM witnesses  
17 would layer on top of that under my case number,  
18 which ends in 85.

19 CHAIRPERSON BAILEY: That may speed this  
20 along.

21 MS. FOSTER: Yes, hopefully.

22 MR. SMITH: To make it clear on the  
23 record, it is a contemporaneous case with virtually  
24 the same changes.

25 CHAIRPERSON BAILEY: Thank you. If you

1 would like to continue with your witness.

2 MR. FELDEWERT: I would, please.

3 Q (By Mr. Feldewert) I just want to then  
4 wrap this up, this particular part, Mr. Hasely.  
5 Under these changes that we just kind of  
6 painstakingly walked through dealing with the  
7 integrity of below-grade tanks, under NMOGA's  
8 changes, if there is an existing tank that does not  
9 meet the design requirements, an operator cannot  
10 demonstrate the integrity of the tank, what happens  
11 under NMOGA's proposed amendments?

12 A. That does not change. If we cannot  
13 demonstrate integrity it must be closed and removed.

14 Q. If it can demonstrate integrity under  
15 NMOGA's modifications, it can remain as long as the  
16 operator can demonstrate integrity?

17 A. That is correct.

18 Q. Based on your experience, Mr. Hasely, if  
19 an operator can demonstrate that a below-grade tank  
20 maintains integrity, is there any reason to incur  
21 the cost of removing the tank?

22 A. No. Unnecessary cost.

23 Q. Does the tank that continues to maintain  
24 integrity provide a reasonable level of protection  
25 to the groundwater and the environment?

1 A. Yes, it does.

2 Q. I want to now then turn to the operational  
3 provisions of the rule, which is 17.12 D which  
4 begins on Page 23. I'm sorry, 22 of NMOGA's Exhibit  
5 No. 1 in Attachment A. I want to address the change  
6 to Paragraph D, which begins over on bottom of Page  
7 23. What we want to focus on is D 3 which carries  
8 over to Page 24, okay?

9 A. Okay.

10 Q. So again, we are dealing with a provision  
11 that specifically addresses below-grade tanks?

12 A. Yes.

13 Q. NMOGA has proposed to add language that an  
14 operator shall inspect the tank for leakage. Do you  
15 see that?

16 A. Yes, I do.

17 Q. Now, the Oil Conservation Division in  
18 their comments and modifications to what NMOGA has  
19 proposed has suggested that the operator inspect the  
20 below-grade tank for leakage and added the  
21 phrase "and damage." Do you recall that?

22 A. Yes, I do.

23 Q. Do you agree that makes sense here?

24 A. Yes, I think that's what we would be  
25 doing.

1 Q. Then if we continue on in the changes,  
2 there is a requirement that they maintain a written  
3 record of the integrity test. Do you see that?

4 A. Yes.

5 Q. And going through this and reviewing this  
6 with me, you made a comment about the problem with  
7 the word "test." Can you please explain to the  
8 Commission what that is?

9 A. Yes. And it's really just that it can be  
10 confusing when we use the word "integrity test." A  
11 lot of times people assume a test is a pressure test  
12 or something like that. We are demonstrating the  
13 integrity by visual or other means, and I didn't  
14 want that to get confused with an integrity test.  
15 You obviously can't pressure up on a below-grade  
16 tank that's open-top. It's not going to hold  
17 pressure obviously. So the word "test" was  
18 confusing to me and we are demonstrating integrity  
19 but it's not necessarily a test.

20 Q. So then on May 10th NMOGA, as part of  
21 their second set of modifications that had been  
22 filed with the Division, has proposed to take out  
23 the term "test," correct?

24 A. Yes.

25 Q. But nonetheless, the operator must still

1 demonstrate the integrity of the tank by some means?

2 A. That is correct.

3 Q. Then if we move on to Subparagraph D 5 on  
4 Page 24 of Attachment A, NMOGA again took out the  
5 reference to the design requirements that exist  
6 within the current rule, correct?

7 A. That's correct. We figured this should  
8 apply to all below-grade tanks, not just below-grade  
9 tanks that do not meet the requirements.

10 Q. So this particular provision deals with  
11 repairing?

12 A. Yes.

13 Q. What you saw was that as read, it could  
14 technically be read to just include only tanks that  
15 meet the design requirements, right?

16 A. The way it read, it would only apply to  
17 the ones that did not meet the design requirements.

18 Q. I'm sorry.

19 A. And we are saying, you know, obviously any  
20 below-grade tank that doesn't meet integrity, we  
21 should address it.

22 Q. And then NMOGA's proposing adding language  
23 in that paragraph "repair the damage or close." Do  
24 you see that?

25 A. Yes, I do.

1 Q. What's the purpose of that?

2 A. What we were thinking there is -- and  
3 looking at northwest anyway, bullet holes. We can  
4 have a perfectly good steel tank. There can be a  
5 bullet hole in the side. The way it read before we  
6 would have to replace the tank or close the tank.  
7 If we can adequately repair that tank and  
8 demonstrate integrity, we wanted that option.

9 Q. And then NMOGA is proposing to strike the  
10 last portion of Paragraph 5 on Exhibit 24 of Exhibit  
11 1 which begins with "and install a below-grade  
12 tank." Do you see that?

13 A. Yes, I do.

14 Q. What's the purpose of the language change?

15 A. The reason there is the operator may not  
16 want to install another below-grade tank. As I  
17 mentioned before, Energen a lot of times is closing  
18 the tank and putting a surface tank in. So the  
19 important part is it's going to be closed and then  
20 what we replace it with should be up to our office.

21 Q. In Subparagraph 6 on Page 24 there are  
22 changes. First off, again, we struck the reference  
23 to the design requirements. Why is that?

24 A. That we looked at as just redundant  
25 language, because this No. 6 talks about

1 retrofitting an existing tank to comply, so we  
2 struck the wordage or verbiage that it does not meet  
3 the requirements, because if it met the requirements  
4 we obviously wouldn't be retrofitting the tank.

5 Q. Then if I go down to the latter half of  
6 Subparagraph 6, it looks like there are some  
7 striking of some language here. What is the purpose  
8 of this language change? What is being accomplished  
9 here?

10 A. The main part there is to reference you  
11 back to the Table 1 that Mr. Gantner went over with  
12 the limits in Table 1 so it references back to Table  
13 1.

14 Q. Mr. Carr in his opening was pointing out  
15 the fact that a lot of language changes were  
16 necessitated by using the tables and allowed the  
17 rule to actually be shortened by referencing the  
18 table rather than putting a lot of language like you  
19 see in Subparagraph 6. Is this one of those  
20 circumstances where the language is bringing the  
21 table into play here with the below-grade tanks?

22 A. Yes, it is.

23 Q. Okay. And I believe finally I want to  
24 turn to the Section 17-13, Closure Provisions. And  
25 what I want to address with you, Mr. Hasely, is the

1 time frame for closing below-grade tanks that are no  
2 longer in use. I believe those are found on Page 37  
3 of Exhibit No. 1. Just to orient the record, that  
4 would be -- if I look at Page 36 of Attachment A,  
5 you will see 17.13, what is now the new E, the  
6 timing requirements for closure there at the bottom.  
7 That carries in from Page 37. If we look at  
8 Subparagraph 7 of this Page, Page 37 on Exhibit No.  
9 1, that deals with below-grade tanks should be  
10 closed, correct?

11 A. Yes, it does.

12 Q. Now, first off, you will see that it  
13 starts off with an operator shall close a permitted  
14 below-grade tank, again, six months. Do you see  
15 that?

16 A. Yes.

17 Q. Now, the Oil Conservation Division has  
18 proposed that the language change here be such that  
19 an operator shall close a permitted or registered  
20 below-grade tank. Is that consistent with what  
21 NMOGA is proposing?

22 A. Yes, that covers the old and the new.

23 Q. Okay. Because you may have an older  
24 below-grade tank that was permitted and then under  
25 these new provisions that they are adopting we would

1 have below-grade tanks that would be registered.

2 A. That's correct.

3 Q. All right. Second change here is that the  
4 time period for closing a below-grade tank is  
5 modified from 60 days to six months. Do you see  
6 that?

7 A. Yes, I do.

8 Q. Would you please explain to the Commission  
9 why NMOGA is proposing this additional time period?

10 A. That gives the operators additional  
11 flexibility on closing. As we talked before, a  
12 temporary pit is allowed to be open for six months  
13 and we didn't understand why a below-grade tank that  
14 has that additional protection and everything had a  
15 shorter time frame. So we extended the time frame  
16 to close the below-grade tank up to match the  
17 temporary pits.

18 Q. Because of equipment availability, et  
19 cetera, is it difficult at times to meet a 60-day  
20 removal and closure requirement for below-grade  
21 tanks?

22 A. It forces you to move pretty quick at  
23 times, depending on the availability and another  
24 tank being ready, yes.

25 Q. Is there a certain scenario where you

1 would run into closure concerns for example that  
2 could prevent this type of work?

3 A. Yes, that could come into play here just  
4 like with the pits.

5 Q. Mr. Hasely, you testified that you have  
6 been in charge of installing, maintaining and  
7 dealing with below-grade tanks in the San Juan Basin  
8 for almost 20 years, correct?

9 A. Yes.

10 Q. Drawing upon that experience, in your  
11 opinion will NMOGA's proposed modifications dealing  
12 with below-grade tanks still afford a reasonable  
13 level of protection of groundwater and to the  
14 environment and public health?

15 A. Yes, I believe that.

16 Q. And based on your experience, will the  
17 proposed changes that we just reviewed allow Energen  
18 and other oil and gas operators in New Mexico to  
19 more efficiently and economically produce oil and  
20 gas?

21 A. Yes, I do.

22 Q. That concludes my examination of this  
23 witness.

24 CHAIRPERSON BAILEY: Ms. Foster, would you  
25 like to cross-examine the witness?

1 MS. FOSTER: I would. Thank you.

2 CROSS-EXAMINATION

3 BY MS. FOSTER

4 Q. Good afternoon, Mr. Hasely.

5 A. Good afternoon.

6 Q. Just a few quick questions. Looking at  
7 the OCD recommendations to Section 19.15.17.12 D 6,  
8 I believe it is?

9 A. Can you give me a page number to speed it  
10 up?

11 Q. I'm looking at the OCD page numbers so  
12 it's different. Might be 21.

13 A. Could you give me the number again?

14 MS. GERHOLT: Page 24.

15 Q. That section talks about specifically a  
16 below-grade tank and inspection, visual inspection  
17 of the area beneath the below-grade tank during  
18 retrofit.

19 A. Yes.

20 Q. The OCD made a recommendation that if the  
21 operator discovers wet or discolored soils then you  
22 shall automatically implement the action pursuant to  
23 Rule 19.15.30. Do you see that?

24 A. I don't know if I'm looking at the  
25 right -- are you looking at the OCD's recommended

1 changes?

2 Q. Yes.

3 A. I don't have that that I'm aware of.

4 Q. So the OCD did their changes and comments  
5 on the side. Do you have to use your reading  
6 glasses?

7 A. Yes, I do. Okay. I'm there.

8 Q. So are you familiar with what rule  
9 19.15.30 is?

10 A. Yes, I am.

11 Q. And what rule is that?

12 A. It's mainly for groundwater abatement.

13 Q. And under the abatement plan, is there any  
14 sort of a minimum volume or testing requirement  
15 required before you put yourself into an abatement  
16 plan?

17 A. I guess I'm not well enough versed to  
18 answer that.

19 MS. GERHOLT: Excuse me, Madam Chair. If  
20 I may interject a moment, the OCD will be providing  
21 evidence but the OCD did make a mistake and it's  
22 supposed to reference Rule 29 and not Rule 30 and we  
23 will provide evidence of that but I wanted to  
24 provide you with that clarification now.

25 Q. Are you familiar with Rule 29, the spill

1 rule?

2 A. Yes.

3 Q. Are there minimum volume or testing  
4 requirements in this spill rule?

5 A. Yes.

6 Q. Do you know what those requirements are?

7 A. There are certain levels in there that if  
8 your soils pass that level then you do not have a  
9 spill or you do not have remediation concerns.

10 Q. So what the OCD is recommending, though,  
11 here, however, is that if there's wet or discolored  
12 soil. Would that normally push you into a rule  
13 situation?

14 A. No.

15 Q. So this is the changing the requirements  
16 for the spill rule requirements?

17 A. That's the way I would see it, because a  
18 wet spot shouldn't drive you into the spill  
19 guidelines.

20 Q. Normally when an operator finds a wet spot  
21 on location, what would you normally do?

22 A. Test the soils and see what it is, see if  
23 it's a concern.

24 Q. Thank you. I have no further questions of  
25 the witness. Thank you.

1 CHAIRPERSON BAILEY: Mr. Jantz?

2 CROSS-EXAMINATION

3 BY MR. JANTZ

4 Q. I want to start off on Page 23, Section 12  
5 B 3. "Operator shall file a copy of inspection log  
6 to the appropriate division district office when the  
7 operator" -- I'm sorry, let me retract that. That's  
8 probably not for you since you are talking about  
9 tanks.

10 A. Not me.

11 Q. Okay. So in your direct testimony you  
12 talked about the fluids that generally go into these  
13 tanks and you talked about fluids from the oil  
14 separator. You pointed that out on the slide,  
15 right?

16 A. Yes.

17 Q. You said it was produced water?

18 A. Normally.

19 Q. What's in produced water generally?

20 A. Some of it can be pretty fresh. It can  
21 have some higher chlorides.

22 Q. Just generally chlorides? Hydrocarbons?

23 A. It can have some hydrocarbons.

24 Q. And it's going to have other organic or  
25 inorganic compounds? Solvents?

1           A.     It could get into the produced water if it  
2     went through some system that had that chemical,  
3     yeah.

4           Q.     Other sorts of constituents that you might  
5     found in the ground? Arsenic? That's something  
6     that you wouldn't encounter in the drilling process?

7           A.     I'm not aware of that.

8           Q.     We will leave it at that. You also said  
9     fluids from -- I think it was environmental skids?  
10    Was that the word you used?

11          A.     Around our compressors, yes.

12          Q.     Yeah, what --

13          A.     Environmental rail.

14          Q.     Environmental rail. So what is the water  
15     from the environmental rail or the fluids from the  
16     environmental rail? What's in that generally?

17          A.     Storm water, rainwater obviously, and  
18     anything that could drip off of the compressor.

19          Q.     So it's additional stuff like  
20     hydrocarbons?

21          A.     They could have hydrocarbons, yes.

22          Q.     So the contents of a tank are often,  
23     unless I'm wrong, the same or similar to what's in a  
24     pit; is that correct?

25          A.     Produced water usually does not go to a

1 temporary pit anyway.

2 Q. Aside from the temporary pit, the same  
3 constituents? Hydrocarbons, chlorides, what have  
4 you?

5 A. Yes.

6 Q. That stuff, would you agree, it's probably  
7 generally not a good idea to get to the freshwater,  
8 groundwater?

9 A. I would agree with that.

10 Q. Further on in your direct testimony, you  
11 talked about some of the operators who used leak  
12 detection when the sidewalls weren't visible. You  
13 mentioned a liner with a tube stuck in it?

14 A. Yes.

15 Q. Are there any other leak detection methods  
16 that operators use?

17 A. Other than the visual?

18 Q. Yeah. So we have visual and that's  
19 generally only --

20 A. Sidewalls.

21 Q. -- where the sidewalls are visible?

22 A. Correct.

23 Q. And then when the sidewalls aren't visible  
24 you have these liner leak detection systems. Are  
25 there any others? Any other ways that an operator

1 can demonstrate integrity?

2 A. There may be, but I cannot think of an  
3 example. Double-walled -- obviously a double-walled  
4 tank.

5 Q. Sure.

6 A. But I can't think of anything offhand but  
7 I won't say there isn't.

8 Q. But you are not familiar with it?

9 A. Correct.

10 Q. Okay. So going to the leak detection  
11 system with the liner, doesn't that assume that the  
12 liner is properly installed and that there aren't  
13 any rips or tears in the liner?

14 A. Yes. That assumption would have to be  
15 there.

16 Q. If there were a leak or tear in the liner,  
17 then the leak detection system probably wouldn't  
18 work?

19 A. That's correct.

20 Q. So how long are these tanks usually used  
21 in your experience?

22 A. I don't know if I have an answer. If it's  
23 demonstrating integrity, I guess it could be the  
24 life of the well.

25 Q. How long is that?

1 A. A well could produce 20, 30 years.

2 Q. So it could be a 20, 30-year tank. Assume  
3 you have a below-grade tank that has a liner leak  
4 detection system. There's a rip in the center of  
5 that and you also have a leak in the center of the  
6 tank itself. Am I right that that would be hard to  
7 detect? That would be a difficult thing to detect  
8 because you don't have the benefit of the visual  
9 inspection?

10 A. Unless it was a significant or larger leak  
11 you would obviously see it would not hold fluid.

12 Q. Sure.

13 A. But if you had a small leak in the tank  
14 and a leak in the liner, yes, you would not notice  
15 that.

16 Q. Generally what do operators use to protect  
17 their tanks from corrosion? I'm assuming these are  
18 metal tanks, right?

19 A. A lot are metal and a lot are fiberglass.

20 Q. How do you protect them from corrosion?

21 A. On the metal -- obviously you don't have  
22 to on the fiberglass.

23 Q. Sure.

24 A. Metal tanks, I don't know if I can answer  
25 that. I don't know enough about cathodic protection

1 and stuff to speak intelligently on it.

2 Q. And let me ask one last question. As the  
3 rationale for the closure requirements being moved  
4 from 60 days to six months, you said you wanted to  
5 put it in a line with temporary pits.

6 A. Well, it made sense to me. I didn't  
7 understand why there will be a quicker time frame to  
8 close the below-grade tank that obviously has good  
9 protection, why we would have to close that in a  
10 quicker time frame than a temporary pit.

11 Q. So is it NMOGA's position now that tanks  
12 will be closed within a year? Because you are  
13 advocating for closure of pits within a year rather  
14 than the six months.

15 A. I don't know. Ask that again, please.

16 Q. NMOGA is asking in its proposed  
17 modifications to the Pit Rule that the time for  
18 closure for pits, temporary pits, be extended from  
19 six months to a year.

20 A. Okay.

21 Q. Are you advocating the same for tanks to  
22 keep the two in line?

23 A. No, I don't -- I would think six months  
24 gives everybody enough time to not rush around too  
25 bad and we would be able to close the below-grade

1 tank in six months.

2 Q. During that six months are there going to  
3 be fluids in the tank or no?

4 A. There could be. There shouldn't be if we  
5 remove it from service. Depending on what we are  
6 doing with the well location we would suck it out.  
7 But if the well is operating we're going to have an  
8 operator there and we would have it removed -- have  
9 the fluid removed.

10 Q. Actually, one more thing occurred to me.  
11 You talked about adding the provision for an  
12 alarm --

13 A. Yes.

14 Q. -- to notify an operator that there's an  
15 overflow or close to an overflow; that the tank is  
16 reaching capacity. There's nothing in the  
17 regulations, is there, that I may have missed that  
18 specifies the type of alarm system that you referred  
19 to, one that would notify an operator by text or  
20 E-mail or telephone call?

21 A. No. I think the only wording in there  
22 is "or alarm." So that's correct.

23 Q. So that could be like a bell on the tank  
24 itself.

25 A. Right. That was my original thought, too,

1 and I said that's not going to work. There may be  
2 need for a wording change there to a call-out  
3 system.

4 Q. Thank you. I appreciate that. That's all  
5 I have.

6 CHAIRPERSON BAILEY: Okay. Ms. Gerholt?

7 CROSS-EXAMINATION

8 BY MS. GERHOLT

9 Q. As a follow-up to the last question, do  
10 you believe NMOGA would be willing to submit  
11 additional language to clarify "or alarm" so there's  
12 not confusion for any operator or the division that  
13 it might be a fire alarm bell? That it could be  
14 more specific?

15 A. I would say think so, because I brought  
16 that concern up and they said no, we mean a call-out  
17 system, so I would think we would be open to submit  
18 more wording changes.

19 MR. CARR: Thank you. No further  
20 questions.

21 CHAIRPERSON BAILEY: Is Mr. Bruce here?  
22 Okay. Mr. Dangler?

23 CROSS-EXAMINATION

24 BY MR. DANGLER

25 Q. Apparently we are all interested in the

1 alarm because I have the same issue. Is there any  
2 opposition to some required response time? Because  
3 one of the things that concerned me in the frontier  
4 area, if you don't have a crew out there, how fast  
5 can you get out there? I mean, what I think you  
6 said is in my mind can still monitor before there's  
7 a problem, but the alarm is kind of telling you  
8 there is a problem. Can we limit the damage under  
9 an alarm system?

10 A. I think -- and I don't know about  
11 wording -- verbiage or anything -- but an operator  
12 should set the alarm maybe even at half full. You  
13 have half full and you have to respond. The  
14 operator should also know how much fluid normally  
15 goes to that tank or pit, but like I said, I don't  
16 know about verbiage. But yes, we should have  
17 something that whether we set it up that way or  
18 there's verbiage that we can respond adequately  
19 before any chance of overflow.

20 MR. DANGLER: Thank you. No further  
21 questions.

22 CHAIRPERSON BAILEY: Dr. Neeper?

23 CROSS-EXAMINATION

24 BY MR. NEEPER

25 Q. Just a few questions. I can do it from

1 here. I'm returning to this still, to me, unclear  
2 question of sump versus tank. I understand -- am I  
3 correct in understanding a sump requires no netting?  
4 It has only an annual inspection and it's supposedly  
5 to be empty most of the time and if something goes  
6 into it the operator should empty that out at his  
7 earliest convenience? Is that the notion of a sump?

8 A. I'm not sure. I thought all open-top  
9 vessels had to have some sort of netting or screen  
10 across it whether it's sump or not. I'm not  
11 positive of that. But what you said in addition to  
12 that is correct.

13 Q. All right. I will pose a hypothetical  
14 situation because if I describe the situation, I  
15 would be giving testimony and I can't do that. Let  
16 us suppose instead of your 15-foot diameter tank  
17 that you showed there was something that looks like  
18 a tank that's five feet in diameter or a little less  
19 perhaps, is also subsurface, maybe also covered with  
20 a steel mesh, has pipes leading to it, fluid in it,  
21 has the pipes even coming out of it that an operator  
22 can hook onto and suck the fluid out of it, but it's  
23 less than 500 gallons. It may contain a fluid that  
24 looks greenish.

25 Now, is there anything in the rule that

1 addresses this as a routine operation? Doesn't  
2 sound like a sump to me.

3 A. No, and I agree with what you are saying.  
4 That specific scenario is not addressed in this  
5 rule.

6 Q. So would the rule be improved and even  
7 more clear for operators if we did not define a tank  
8 as being limited by 500 gallons but instead by how  
9 it is used? That is, routinely collecting liquids  
10 until emptied, something with an alarm and it's  
11 below grade? If we just didn't do it by size, would  
12 that be acceptable?

13 A. I can't speak for everybody, but to me  
14 that would help address that gap that we have now  
15 that does not address that specific tank.

16 Q. Thank you. In terms of the fluids that go  
17 into tanks, I understood at some point that fluids  
18 from dryers and dehydrators could go into tanks; is  
19 that correct?

20 A. Yes. I'm not familiar with the dryers.  
21 We used to have dehydres up in the San Juan Basin.

22 Q. Would those fluids contain things like  
23 Glycol?

24 A. There's a possibility with a dehyde that  
25 has Glycol in it if there was a leak of some sort

1 that you could have Glycol carry over to the tank,  
2 yes.

3 Q. The closure conditions on a wet spot under  
4 a tank currently are given by Table 1, I believe.

5 A. Yes.

6 Q. And Table 1 has as one of its major  
7 conditions a chloride condition. And it has some  
8 hydrocarbons but it does not, for example, have  
9 other chemicals like Glycol; is that correct?

10 A. That's correct, Table 1.

11 Q. So would it be possible that you would  
12 find a wet spot under a tank caused by something  
13 like a Glycol leak and it could be a very large  
14 leak, let us say, but it certainly then would not  
15 violate Table 1 in the soil under the tank? Is that  
16 possible?

17 A. I'm not familiar enough with the contents  
18 of Glycol, whether that would show up on any of the  
19 other analysis. I do not know.

20 Q. Would any other chemical that's not either  
21 a hydrocarbon or chloride show up?

22 A. I would guess not since those are not the  
23 parameters we are testing for.

24 Q. No further questions. Thank you.

25 CHAIRPERSON BAILEY: Mr. Fort?

## CROSS-EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. FORT

Q. Mr. Hasely, I understood from your testimony when you all had removed the below-grade tanks, you put them and made them above-ground tanks; is that correct?

A. That's correct.

Q. Why was that? I would assume that you would have dug out around them?

A. The cost issue of making them meet these requirements with the automatic shutoffs and all of that, my company decided to put them above ground and just stay away from the below-grade tanks. It does cause other operational problems since we now do not have gravity drainage, but we are addressing them on an individual basis.

Q. Do you find the rules, the current rules regarding below-grade tanks to be confusing?

A. The current rules? Yes.

Q. Why is that?

A. Well, a lot of it was how it was written without the tables and trying to figure out what -- you had to read paragraphs to figure out what you needed to test for and how to follow it.

Q. Do you find the material redundant?

1           A.     There was a lot of redundancy before, yes.

2           Q.     Is that part of the problem about covering  
3 everything as we went through? You would find  
4 something in another paragraph that --

5           A.     Yeah, we found a lot of that.

6           Q.     Thank you. No further questions.

7                           EXAMINATION BY THE COMMISSION

8           CHAIRPERSON BAILEY: Mr. Bloom, questions?

9           COMMISSIONER BLOOM: Back again to what  
10 Mr. Fort was talking about, below-grade tanks,  
11 above-grade tanks. If these changes were adopted  
12 would you move back to below-ground tanks? Would  
13 they be affordable?

14          THE WITNESS: We would not put in any new  
15 below-grade tanks.

16          COMMISSIONER BLOOM: How come?

17          THE WITNESS: Mainly the cost of the  
18 automatic shut-off control devise or call-out alarm.  
19 I won't say we wouldn't, but the scenarios that we  
20 have, we have tanks that may see one barrel a week  
21 get discharged to it. To spend 7- to \$12,000 to put  
22 an automatic alarm or shutoff, my management won't  
23 justify that.

24          COMMISSIONER BLOOM: Some of the distances  
25 out in the oil field are pretty considerable. Do

1 you feel that the alarms give you enough time to get  
2 out should there be an emergency?

3 THE WITNESS: Yes, depending on how you  
4 set it. Like I said, you should know about how much  
5 fluid that well makes and you can set your alarm or  
6 call-out to trigger it to give you enough time to  
7 respond.

8 COMMISSIONER BLOOM: Will those alarms  
9 show the rate at which the tank is filling or just  
10 let you know --

11 THE WITNESS: I think it just lets you  
12 know that it's reaching a certain level.

13 COMMISSIONER BLOOM: The above-ground  
14 tanks that you are using to replace the below-grade  
15 tanks, do they have alarms or shut-offs?

16 THE WITNESS: No, sir.

17 COMMISSIONER BLOOM: You generally gave us  
18 the 30,000 foot overview and I appreciate that.  
19 That's so you can leave the tanks in the ground  
20 until they are no longer -- until they lose  
21 integrity?

22 THE WITNESS: No longer demonstrating  
23 integrity.

24 COMMISSIONER BLOOM: No longer  
25 demonstrating integrity. So you suggest not

1 requiring these below-grade tank to be removed at  
2 sale or transfer?

3 THE WITNESS: My feelings are if you have  
4 a tank you can demonstrate has integrity that you  
5 are throwing money away to remove a perfectly good  
6 tank.

7 COMMISSIONER BLOOM: So rather than  
8 regulate it, the owner would do the due diligence  
9 and go out and inspect that tank?

10 THE WITNESS: Yes.

11 COMMISSIONER BLOOM: Lastly, Page 10 of  
12 Attachment A we see where -- and I think this  
13 permeates the proposed modifications here. We see  
14 decreases in distances between pits and tanks and  
15 water. 4 A at the bottom says, "An operator shall  
16 not locate a below-grade tank within 100 feet of a  
17 continuously flowing watercourse or any other  
18 significant watercourse or lakebed, sinkhole or  
19 playa lake." We don't have a tremendous amount of  
20 sinkholes in New Mexico, but would you put a  
21 below-grade tank 100 feet, 33 yards from a sinkhole?

22 A. I have never dealt at all with a sinkhole  
23 so I don't know if I can answer that. I have seen  
24 some pictures and they were pretty big.

25 COMMISSIONER BLOOM: No further questions.

1 Thank you.

2 CHAIRPERSON BAILEY: Mr. Balch?

3 COMMISSIONER BALCH: I have a couple  
4 mostly follow-ups. The cross-examination answered  
5 most of my questions. Following up Dr. Neeper, can  
6 you perceive any reason why you would not define a  
7 below-grade tank and a sump by their use rather than  
8 their size? Is there any reason to have a 50-gallon  
9 tank and a 2,000 gallon or a 20,000 gallon sump?

10 THE WITNESS: Well, no, I don't see that.  
11 But I do see some concern on the use. You know,  
12 when you define something predominantly empty, de  
13 minimis, those are not defined terms so there still  
14 could be some confusion.

15 COMMISSIONER BALCH: You don't think  
16 there's an accurate cause for confusion just by  
17 having a set size based on the vessel, and based on  
18 that size you end up with a definition of what its  
19 purpose is?

20 THE WITNESS: Similar to what we just  
21 talked about there?

22 COMMISSIONER BALCH: Right.

23 THE WITNESS: Yes, sir. There's obviously  
24 a gap the way everything is worded right now. I  
25 don't have a solution in my head right now on how

1 to -- but there is a gap.

2 COMMISSIONER BALCH: Going to the issue of  
3 tank registration, I think I got from your testimony  
4 that there would be a standard plan for tank  
5 permitting and closure essentially that would be on  
6 file on any tanks that would be registered and use  
7 one of those existing plans?

8 THE WITNESS: Yes, that's an option that  
9 an operator would have.

10 COMMISSIONER BALCH: What current OCD form  
11 would be used to register the tanks?

12 THE WITNESS: We have been using the C 144  
13 and then we attach a lot of pages to that to back up  
14 everything that's in there, including closure plans,  
15 operational plans.

16 COMMISSIONER BALCH: If you were to go to  
17 a registration scenario instead, would you still  
18 fill out a complete C 144 for each tank or simply  
19 register from a list?

20 THE WITNESS: I was hoping there would be  
21 a list but the verbiage in here says we will still  
22 use the C 144 for registration.

23 COMMISSIONER BALCH: It would just not  
24 have the regulatory oversight of having to review  
25 the form?

1 THE WITNESS: Right.

2 COMMISSIONER BALCH: If there was already  
3 a tank site plan and a closure plan in place?

4 THE WITNESS: Right. You should be able  
5 to reference that on the C 144.

6 COMMISSIONER BALCH: On grandfathering a  
7 below-grade tank that do not meet the new criteria  
8 from 2008, your testimony was that there would be  
9 monthly inspections and annual integrity  
10 demonstrations, not tests, right?

11 THE WITNESS: Correct.

12 COMMISSIONER BALCH: How would you go  
13 about doing the annual -- how would you propose  
14 going about doing a monthly inspection and the  
15 annual demonstration?

16 THE WITNESS: To me, the monthly  
17 inspection and the annual demonstration are the same  
18 thing. I think what it states in here, we're going  
19 to document it on an annual basis, but we are going  
20 to be inspecting no leakage and damage and integrity  
21 on a monthly basis, and then what's proposed is to  
22 document that annually. We do that similar with  
23 like SPCC inspections where we do our inspections  
24 and once a year we document an inspection.

25 COMMISSIONER BALCH: All right. So this

1 documentation, is that primarily going to be kept  
2 in-house or would it also be filed with the  
3 Division?

4 THE WITNESS: I'm not sure what's required  
5 in here. I don't know.

6 COMMISSIONER BALCH: It's unclear to me  
7 whether the proof would be promulgated to the  
8 Division.

9 THE WITNESS: I don't think there was  
10 anything in here that said we had to submit it to  
11 you on an ongoing basis. I don't know during a  
12 closure whether there's a requirement to submit it  
13 or not. I don't know. I think we had to hold the  
14 records for five years, so thinking out loud, I  
15 think there's not a requirement to submit that to  
16 OCD unless requested.

17 COMMISSIONER BALCH: At some point in the  
18 process they would have to demonstrate that the tank  
19 had integrity to the OCD before there was closure,  
20 even under the modified rule?

21 THE WITNESS: Right. If we, during  
22 monthly inspection or the annual inspection that we  
23 are documenting, any time during the year if we find  
24 that it does not demonstrate integrity we have to  
25 take action and close.

1 COMMISSIONER BALCH: I believe that's all.

2 CHAIRPERSON BAILEY: All of mine were  
3 taken up. Do you have any redirect?

4 MR. FELDEWERT: I have one redirect. I  
5 think it stems out of apparently some confusion here  
6 between closure requirements for temporary pits and  
7 below-grade tanks.

8 REDIRECT EXAMINATION

9 BY MR. FELDEWERT

10 Q. Mr. Hasely, would you look at Page 37 of  
11 NMOGA's Exhibit No. 1.

12 A. Okay.

13 Q. Which again is Section 17.13E of the  
14 proposed provisions. Over here on E 7.

15 A. Yes.

16 Q. It deals with, as you pointed out, close a  
17 permitted below-grade tank within six months of  
18 cessation of the operation; is that correct?

19 A. That's correct.

20 Q. Now, I want you to go up to Subparagraph  
21 5, two above it, okay?

22 A. Okay.

23 Q. And it requires, did it not, continues to  
24 require that an operator shall close any permitted  
25 temporary tank within six months from the date that

1 the operator releases the drilling and work order.

2 A. That's what I see in that first sentence.

3 Q. That's a temporary pit, permitted  
4 temporary pit, correct?

5 A. Yes.

6 Q. So the time frames in terms of closure  
7 under NMOGA's proposed modification, they maintained  
8 the closure time frame for permitted temporary pits  
9 as they are now, correct? They haven't changed  
10 that?

11 A. That's what it shows in No. 5, yes.

12 Q. The only thing that changed is they  
13 changed the time frame -- what we are proposing is  
14 they change the time frame for permanent below-grade  
15 tanks to match what it is for temporary pits  
16 currently in the rule?

17 A. To move it to six months.

18 Q. Okay. We are not -- NMOGA is not changing  
19 and proposing a modification where temporary pits  
20 would -- that you would have a year to close  
21 temporary pits. This says you would do it in six  
22 months, correct?

23 A. That's what it says in 5 and I'm not  
24 familiar with the rest of it as far as temporary  
25 pits.

1 MR. FELDEWERT: That's all.

2 CHAIRPERSON BAILEY: Your witness may be  
3 excused. You may call your next witness.

4 MR. FELDEWERT: Myke Lane.

5 MICHAEL LANE

6 after having been first duly sworn under oath,  
7 was questioned and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. FELDEWERT

10 Q. Mr. Lane, would you please identify for  
11 the Commission your employer and explain your  
12 current job responsibilities?

13 A. I'm currently employed with WPX Energy,  
14 formerly Williams Production. I'm the EHS,  
15 environmental health and safety supervisor for the  
16 San Juan Basin operations.

17 Q. And you mentioned that WPX was recently  
18 spun off of Williams Companies, correct?

19 A. Correct. It spun off from the Williams  
20 Companies. It was the production business unit.

21 Q. Okay. Did your job responsibilities  
22 change as a result of this corporate structural  
23 change?

24 A. No, it does not.

25 Q. Then how long have you held your position

1 as a senior EHS specialist for Williams in the San  
2 Juan Basin?

3 A. I joined Williams in 2002, initially on  
4 the midstream operation side and then transferred  
5 over to the production side in December of '04,  
6 January of '05.

7 Q. Do you deal with environmental and  
8 regulatory compliance issues?

9 A. I do.

10 Q. And permitting for waste management  
11 systems?

12 A. Permitting waste management systems, all  
13 of the typical environmental issues, including air,  
14 waste and water issues.

15 Q. Now, what topic will you be addressing  
16 with the Commission here today?

17 A. It will be the multi-well fluid management  
18 pits.

19 Q. Did you assist in drafting the provisions  
20 that deal with multi-well fluid management pits?

21 A. I did. I assisted in authoring most of  
22 the provision.

23 Q. Let's talk a little bit more about your  
24 background. Have your responsibilities since  
25 Williams included the design, installation and

1 management of oil field waste management systems?

2 A. It has, including discharge permits and  
3 permitting for pits and below-grade tanks.

4 Q. What did you do prior to joining Williams  
5 in 2002?

6 A. I was a consulting and principal engineer  
7 with two environmental firms in the San Juan Basin  
8 from 1990 until 2002.

9 Q. Which two firms were they?

10 A. Envirotech from roughly '90 through 2004  
11 and then subsequent to that OnSite Technologies,  
12 later Souder Miller right before I left.

13 Q. Was this principally in the Farmington  
14 area?

15 A. It was all in the Four Corners area.

16 Q. Were you an environmental engineer with  
17 these companies?

18 A. I was. I was actually the principal  
19 engineer with both firms.

20 Q. And did your -- you mentioned those were  
21 consulting companies, correct?

22 A. Correct.

23 Q. Did those consulting services in the San  
24 Juan Basin since 1990 include the siting design,  
25 installation and management of oil field waste

1 systems?

2 A. It did. In Envirotech I was involved in  
3 the permitting of their land farms as well as  
4 managing modifications to the Pit Rule. In 1992 I  
5 was involved in managing the assessment projects for  
6 numerous operators and the permitting of pits up  
7 there.

8 Q. Have you had experience with oil field  
9 waste management systems in other states?

10 A. I have. I have done some permitting up in  
11 Colorado, also Utah, a little bit in Arizona.

12 Q. Have you had any experience in California?

13 A. I have, mostly with underground storage  
14 tanks. There prior to moving to the Four Corners I  
15 was with a Geotechnical Earth Systems firm that  
16 looked predominantly at underground storage tanks  
17 and management of waste and the assessment of  
18 groundwater and all of that. And prior to that I  
19 was a development engineer with Shell Oil for five  
20 years.

21 Q. Let's talk then about that period prior to  
22 your consulting work in 1990. Can you summarize  
23 that for us?

24 A. Prior to 1990, I graduated college in '82  
25 from New Mexico Tech and went to work for Shell Oil,

1 worked for them as a petrophysical and development  
2 engineer in the Bakersfield area roughly from --  
3 let's see. '83 is when they hired me through '88.  
4 Then I went to work for Earth Systems. At Earth  
5 Systems I was a consulting -- technically a  
6 geological engineer but an engineer focusing on  
7 hydrology soils and geotechnical work along with  
8 underground storage tanks.

9 Q. You mentioned that you got your degree in  
10 geological engineering from New Mexico Tech in 1982.

11 A. That's when I graduated.

12 Q. Was there any particular emphasis?

13 A. My degree was geological engineering. It  
14 was a bachelor's and I emphasized mining and  
15 petroleum, actually worked at Petroleum Recovery  
16 Research Center as an undergrad.

17 Q. Throughout your career have you also taken  
18 courses in topics related to oil and gas waste  
19 management?

20 A. I have. I have gone to additional  
21 training on everything from solid waste management,  
22 landfill design, environmental management, risk  
23 management, hydrogeologic training.

24 Q. Are you a member of any professional  
25 organizations?

1           A.     I am currently a member of the Society of  
2     Petroleum Engineers and the American Society of  
3     Safety Engineers.

4           Q.     How long have you been a member of the  
5     Society of Petroleum Engineers?

6           A.     Since I was in college, so roughly 30  
7     years.

8           Q.     Do you hold any professional  
9     certifications?

10          A.     I'm a registered professional engineer in  
11     all Four Corner states, so New Mexico, Colorado,  
12     Utah, Arizona along with California.

13          Q.     Have you received any other certifications  
14     during your career?

15          A.     I have. I have held -- well, I currently  
16     have a registered remediation specialist credentials  
17     in Arizona and I have been a NORMS oil and gas  
18     inspector in New Mexico. That's inactive. I was a  
19     certified environmental scientist while being a  
20     consultant in New Mexico, but that too is inactive,  
21     and I have been a registered environmental  
22     consultant in Colorado.

23          Q.     Would you turn, please, to what's been  
24     marked as NMOGA Exhibit 6.

25          A.     I am there.

1 Q. Do you recognize that?

2 A. I do.

3 Q. Would you please -- is that your resume,  
4 Mr. Lane?

5 A. It is.

6 Q. Was it prepared by you?

7 A. It was.

8 Q. Is it an accurate summary of your  
9 education and experience?

10 A. It is.

11 MR. FELDEWERT: At this point I would move  
12 the admission of NMOGA Exhibit No. 6.

13 CHAIRPERSON BAILEY: Any objection?

14 MR. JANTZ: I would like to ask what area  
15 of expertise Mr. Lane is going to be qualified in?

16 CHAIRPERSON BAILEY: That's after  
17 admission of the exhibits.

18 MR. JANTZ: I think that whether I object  
19 to the admission of the exhibit is going to be  
20 contingent on the area of expertise. We can maybe  
21 take care of both at the same time is what I'm  
22 saying.

23 MR. FELDEWERT: I'm confused about why he  
24 would object to the resume prepared by someone that  
25 contains an accurate description of his education

1 and experience. I mean, I am trying to admit the  
2 document. If he wants to object to the expertise he  
3 can certainly do that at the proper time. At this  
4 point I am trying to admit the exhibit.

5 CHAIRPERSON BAILEY: Do you have a  
6 response to that?

7 MR. JANTZ: I will withdraw my objection  
8 to the resume.

9 CHAIRPERSON BAILEY: Okay. Any other  
10 objections?

11 MS. GERHOLT: No objection.

12 CHAIRPERSON BAILEY: The exhibit is  
13 accepted.

14 (Note: Exhibit 6 admitted.)

15 MR. FELDEWERT: At this point I tender  
16 Mr. Lane as an expert witness in petroleum  
17 engineering and in oil field waste management  
18 systems.

19 CHAIRPERSON BAILEY: Any objection?

20 MR. JANTZ: No.

21 MS. GERHOLT: No objection.

22 MS. FOSTER: No objection.

23 DR. NEEPER: No objection.

24 CHAIRPERSON BAILEY: He is admitted as an  
25 expert.

1 Q (By Mr. Feldewert) I'm again going to be  
2 working off of NMOGA's Exhibit No. 1. Mr. Lane, I  
3 want to turn to what's marked as NMOGA's Exhibit No.  
4 1, Page 2, because 17.7 K contains a definition of a  
5 multi-well fluid management pit. Do you see that?

6 A. I do.

7 Q. I want to give the Commission and perhaps  
8 yourself a time just to read that and reflect on  
9 that and then we will talk about it. Now, Mr. Lane,  
10 did you help craft this definition?

11 A. I did.

12 Q. Would you then, knowing now how it's  
13 defined, would you please explain what multi-well  
14 fluid management pits are intended to do and the  
15 benefits that you believe they will provide to New  
16 Mexico operators?

17 A. Well, they are intended to be a fluid  
18 storage pond or kit to enable operators to have an  
19 opportunity to store large quantities of water,  
20 predominantly produced water or water that's  
21 recycled so we can stimulate numerous wells and have  
22 a reliable source of water. The intent is to  
23 replace the current practice or at least augment  
24 what we currently do with temporary storage tanks or  
25 track tanks.

1 Q. Do you intend -- is your vision that these  
2 multi-well fluid management pits would be part of an  
3 overall development plan?

4 A. That would be the strategy is that we  
5 would identify all of the wells in a plan of  
6 development and that these would be centralized  
7 facilities or a centralized point at which we could  
8 service numerous wells minimizing the footprint of  
9 trying to establish either water storage or fluid  
10 storage facilities at individual well sites.

11 Q. Just along the lines of getting our first  
12 general understanding of the concept, when would  
13 these type of multi-well fluid management pits be  
14 closed?

15 A. The intent is to service all of the wells  
16 in that plan of development. So all of the wells  
17 named in the permit, as we intend here, they would  
18 be permitted and all of those wells with that plan  
19 of development would be fully described in the pit  
20 permit. So the intent would be that the pit would  
21 remain open over the life of that development  
22 project.

23 Q. Is this a surface waste management  
24 facility?

25 A. It is not.

1 Q. Why is that?

2 A. Well, for one, we have identified it as  
3 separate from that. It's more consistent with a  
4 temporary pit.

5 Q. Do you intend to dispose of waste within  
6 these pits?

7 A. No, the intent is simply to store those  
8 fluids so they may be utilized for that plan of  
9 development and then once the plan of development is  
10 completed, the intent here and the way it's proposed  
11 in this rule is that we would remove all of the  
12 remaining fluids, dispose or transfer them for  
13 recycling appropriately off-site. The liner would  
14 be removed and the entire pit area would be  
15 reclaimed so there would be essentially no waste  
16 left behind.

17 Q. Now, you mentioned the fluids. Does the  
18 concept here include disposal or long-term storage  
19 of drilling or completion waste? Or is the  
20 constituents of the pit going to be defined?

21 A. Well, the constituents are going to be  
22 essentially water, as identified both in the pit and  
23 as kind of spelled out here. These are not intended  
24 to be drilling pits. You are not going to be making  
25 up mud. You are not going to be transferring

1 cuttings or solids into these pits.

2 Q. And what's the benefit that you see to New  
3 Mexico operators and to the State of New Mexico for  
4 these types of pits?

5 A. Well, one benefit is we should be able to  
6 be more efficient in the way that we store water,  
7 stage water prior to completion of wells. We won't  
8 have to -- or it is an opportunity to replace use of  
9 frac tanks or temporary storage tanks for the water.  
10 The intent of these are to be fairly large, so we  
11 are talking larger than the temporary pits.  
12 Something on the order of, say, 20 acre feet or so.  
13 But that would allow operators to efficiently  
14 stimulate the wells.

15 One of the things we struggle with right  
16 now is that on temporary tanks we have to refill  
17 those tanks because we don't have enough reserve  
18 capacity, especially if we have a multi-well or a  
19 multi-stage completion like we might in a horizontal  
20 frac.

21 Q. Do these types of multi-well fluid  
22 management pits reduce the need for freshwater  
23 supplies?

24 A. They should. The intent is to be able to  
25 recycle and store produced water.

1 Q. Are similar centralized facilities like  
2 this being used in other states to promote the  
3 recycling of stimulation fluid?

4 A. Yeah. Essentially what's proposed here,  
5 WPX Energy, formerly Williams, uses these types of  
6 pits up in the Piceance Basin, so essentially we are  
7 just transferring that technology or proposing to  
8 transfer the technology here.

9 Q. I want to then have you turn to what's  
10 marked as NMOGA Exhibit No. 7. I want to bring up  
11 the first page on the screen. Do you still have  
12 that pointer?

13 A. I do.

14 Q. Okay. First off, do you recognize this  
15 picture, Mr. Lane?

16 A. I do.

17 Q. Where did you get it?

18 A. Well, this is a picture provided by our  
19 engineering and operations group up in the Piceance  
20 Basin. It is one of their water management  
21 facilities.

22 Q. Do you recall or do you know when this  
23 picture was taken?

24 A. I believe it was taken last summer.

25 Q. And was this taken from their records?

1           A.     It is provided to me from their records,  
2     yes.

3           Q.     So does this picture accurately depict the  
4     location at the time it was taken?

5           A.     I didn't take the picture, but I assume  
6     that it is.

7           Q.     Because it's kept in the company records?

8           A.     It is kept in the company records.

9           Q.     Does this picture provide a representative  
10    sample of the type of multi-well fluid well fluid  
11    management pits that you seek to have permitted  
12    under the NMOGA proposed modifications?

13          A.     It does and it is conceptually consistent.

14                   MR. FELDEWERT: I move the admission of  
15    NMOGA Exhibit 7-1.

16                   CHAIRPERSON BAILEY: Any objection?

17                   MR. JANTZ: No.

18                   MS. FOSTER: No.

19                   MR. CARR: No objection.

20                   MR. NEEPER: No objection.

21                   CHAIRPERSON BAILEY: So admitted.

22                   (Note: Exhibit 7-1 admitted.)

23          Q.     Would you outline for us, perhaps point  
24    out the different aspects of this multi-well fluid  
25    management system?

1           A.     You will notice here it's lined, or at  
2     least you may see that it's lined with an anchor  
3     trench around the outside of this. Slopes are  
4     fairly consistent with what we have here or what we  
5     are proposing, about two to one. There is an  
6     integrated net and fencing system around it anchored  
7     so it can hold the netting over this.

8           This particular pond, if I ran my  
9     calculations correct, it encompasses about two acres  
10    in area and stores about 20 acre feet of water. In  
11    the background there's some tanks here. Those are  
12    used to both prefilter the water into it and also  
13    stage the water out and skim any impurities before  
14    they enter the pit.

15          Q.     Is there a pumping system associated with  
16    this pit that connects it to wells in the area?

17          A.     Well, this particular pit is not actually  
18    located on a single or a given well site. All of  
19    the well sites this particular pit will stage or  
20    service are actually on other remote pads. The  
21    pumping facilities are over where the tanks are as  
22    well.

23          Q.     Roughly how far away are some of the wells  
24    that utilize these pits?

25          A.     Somewhere on the order -- can be as far

1 away as a mile or more.

2 Q. Would you then turn to the second page of  
3 NMOGA Exhibit No. 7. Do you recognize this diagram?

4 A. I do. I drew it.

5 Q. I'm sorry?

6 A. I drew it.

7 Q. You authored this diagram?

8 A. I did.

9 Q. Is this a sample plan of development using  
10 a multi-well fluid management pit?

11 A. It's a schematic of how the process would  
12 work, yes.

13 Q. Will this diagram assist you in further  
14 explaining how a multi-well fluid management pit can  
15 be utilized as part of an overall development plan?

16 A. I hope so.

17 MR. FELDEWERT: Move the admission of Page  
18 2 of NMOGA Exhibit No. 7.

19 MR. JANTZ: No objection.

20 MS. GERHOLT: No objection.

21 CHAIRPERSON BAILEY: So admitted.

22 (Note: Exhibit 7-2 admitted.)

23 Q. Mr. Lane, would you please explain how  
24 this multi-well fluid management pit concept can be  
25 utilized as part of an overall development plan?

1           A.       Well, in the schematic, essentially it's  
2 depicting a plan of development in which there  
3 consists multi-well pads. I'm depicting a drill rig  
4 here in which there are somewhere around five wells  
5 on each of the pads. Could be as many as 10 to 20.  
6 In the Piceance they put as many as 20 in a given  
7 pad.

8           The idea is you have a centralized staging  
9 area for the well stimulation and well completion so  
10 that the drill rig can essentially do what they call  
11 simultaneous operations, drill and while you are  
12 drilling on the location come back and also  
13 stimulate the newly drilled wells so you kind of  
14 have a continuous process.

15           Producing wells would -- the water from  
16 producing wells, again, trying to recycle the  
17 produced water instead of using freshwater  
18 resources, would then be stored in the multi-well  
19 fluid management pit along with possibly some  
20 flowback water coming in from some of the more  
21 recently completed wells.

22           What I'm depicting here with the trucks is  
23 simply that the staging pad would also be the  
24 location for all of the pumping equipment and other  
25 equipment that's required to do the completion.

1           So essentially all of the tanks, all of  
2 the trucking and everything else that normally is  
3 staged and placed on a well pad could be staged off  
4 the well pad allowing for a safer drilling  
5 operation, safer completion operation and also  
6 reducing the individual footprint required for each  
7 of the stimulations by the multi-well sites.

8           Q.     Mr. Lane, do any of the storage options  
9 that are currently available under the Pit Rule  
10 provide New Mexico operators with a practical means  
11 to store and recycle stimulation fluids for use at  
12 multiple wells?

13          A.     Well, currently, aside from possibly  
14 permitting these as permanent pits -- and again, the  
15 permanent pit provisions limit us in size -- we  
16 essentially get stuck using multiple frac tanks.

17          Q.     So temporary pits don't work because they  
18 are too small in size?

19          A.     Temporary pits and permanent pits.

20          Q.     Let me ask you this:  Maybe you already  
21 answered this.  What have New Mexico operators up to  
22 this point been forced to do given the limited  
23 options available to them under the current rule?

24          A.     We use a header system, tying in multiple  
25 frac tanks.

1 Q. If I turn to then the third page of NMOGA  
2 Exhibit No. 7, do you recognize this picture, Mr.  
3 Lane?

4 A. I do. It's the -- it's actually the  
5 stimulation of one of our Rosa 634 -- I believe it's  
6 634 A is the well they are stimulating now, but the  
7 two red circles on the diagram up there are where  
8 the two wellheads are.

9 Q. Before we go into the picture, where did  
10 you get it?

11 A. I got this picture from our operations and  
12 engineering group in the San Juan Basin.

13 Q. Do you know when the picture was taken?

14 A. About 2010, I believe the fall.

15 Q. Was this kept in the company records?

16 A. Kept in the company records.

17 MR. FELDEWERT: Move the admission of  
18 NMOGA No. 7.

19 MR. JANTZ: No objection.

20 MS. FOSTER: No objection.

21 MS. GERHOLT: No objection.

22 CHAIRPERSON BAILEY: It's admitted.

23 (Note: Exhibit 7-3 admitted.)

24 Q. Explain to the Commission what's shown in  
25 this picture.

1           A.       What's shown in the picture, we have about  
2 a five-acre, four-and-a-half acre well site here.  
3 We have two wells that were drilled and completed.  
4 They were horizontal Mancos wells. This is the  
5 process of completing one of them. All these things  
6 on the diagram right are frac tanks that were filled  
7 by truck with freshwater in this particular case as  
8 we were exploring and testing the Mancos to see what  
9 would work.

10                   They are completing -- I believe it's well  
11 A, 634 A and 634 B. You notice all of the pumping  
12 trucks are staged here behind them. The crane  
13 that's being used to hold the equipment for the  
14 stimulation, and then not much else to show except  
15 that you can see that the track area is quite tight  
16 in trying to move water in here.

17           Q.       Now, this was an operation of a  
18 single-well location?

19           A.       This actually has two wells on it right  
20 here.

21           Q.       Okay.

22           A.       Let me just say that we stripped all the  
23 other wells. There's actually, I believe, three  
24 other wells on this pad that that were stripped and  
25 covered to allow us to do this operation.

1 Q. If you were going to try to do this for  
2 multi-wells, would you need even more equipment than  
3 what is shown on here?

4 A. We might not. We would just have to slide  
5 the equipment around. But if we are to complete  
6 multiple wells on another location we have to do the  
7 same type of footprint on another location. This  
8 particular one, the wells that we talked about, we  
9 shut in production on all of those, so during the  
10 life of the drilling operations and everything, all  
11 of the other wells were not producing during this  
12 time.

13 Q. Okay. Can you put the comparison slide  
14 on? This is comparison of the first page of NMOGA's  
15 Exhibit No. 7 with the last page of NMOGA's Exhibit  
16 No. 7. Would you please then tell the Commission  
17 why you believe that New Mexico should allow for the  
18 permitting of multi-well fluid management pits?

19 A. If we are successful in permitting  
20 multi-well fluid management pits and actually it  
21 might not be a bad idea to go back to my schematic  
22 but I'll just stick with this here. We are hoping  
23 and actually have requested and permitted with the  
24 BLM to be able to take and drill ten wells on one  
25 well pad with a disturbed surface area of

1 approximately 2.5 acres. So we are talking numerous  
2 wells.

3 So in the scenario that I painted there a  
4 minute ago, we are talking four well pads with  
5 around 40 wells on them all being serviced from one  
6 well pad or one multi-well fluid management pit and  
7 the associated staging area, which we have currently  
8 submitted for application. That total disturbed  
9 area would be only five acres.

10 Q. Is there less surface disturbance  
11 associated with a multi-well fluid management pit  
12 than there would be for what is currently the option  
13 under the Pit Rule?

14 A. Certainly. We wouldn't have to move the  
15 tanks. We wouldn't have to make the surface area  
16 necessary to allow us to put those tanks there.

17 Q. This snapped on me when we talked about  
18 this earlier. You had the surface aspect of the  
19 pit, but the other benefit is the depth, correct?

20 A. Correct. If we were able to permit a  
21 multi-well fluid management pit of, say, 30 acre  
22 feet, 40 acre feet, you are talking about the  
23 surface disturbance of the pit itself is somewhere  
24 around two to three acres. Just to stage one stage  
25 of tanks -- well, to stage the equivalent surface

1 area for that in temporary tanks, you are talking --  
2 I think I ran the calculations and you are talking  
3 about 3.3 acres, something like that. You're  
4 talking about 480 plus frac tanks, ten feet wide, 30  
5 feet long, ten feet high.

6 Q. From an operations perspective, is it  
7 safer to have the option of a multi-well fluid  
8 management pit rather than the current option that  
9 you see in the right-hand corner of the comparison  
10 slide?

11 A. In my opinion, yes. You have less  
12 trucking. You have less valving. You have all of  
13 that. Just to add a note, the way that these  
14 multi-well fluid management pits would be staged  
15 into or the fluids brought over to complete those  
16 wells, it's on high pressure welded pipe.

17 Q. Now, the State Land Office submitted their  
18 prehearing statement prior to the hearing and they  
19 had a discussion in there about the emerging  
20 technology associated with reclaiming water for use  
21 of well sites.

22 A. Okay.

23 Q. Will this type of facility assist in that  
24 effort? I mean, do you need a facility, an economic  
25 facility to store reclaimed water if you are

1 actually going to go through the effort of  
2 reclaiming it for use in other sites?

3 A. The advantage of a multi-well fluid  
4 management pit is essentially as water is produced,  
5 so as Mr. Hasely mentioned, some wells produce a  
6 handful of barrels of fluid. We have coal bed  
7 methane wells that produce over 100 barrels a day.  
8 Being able to pump -- collect all of that water and  
9 place it in the multi-well fluid management pit  
10 would allow us to capitalize on the fact that we  
11 have the fluids available to us. They're going to  
12 need to be filtered and I don't like the word  
13 "treated" because we are not treating them for  
14 contaminants but treating the water so it can be  
15 used for the stimulation jobs.

16 Q. I want to move to another type of pit, and  
17 that is how NMOGA proposes to regulate these pits.  
18 Under your -- I want to just talk about -- let's  
19 start at the 30,000 foot level. Under NMOGA's  
20 proposed modifications, essentially how will these  
21 multi-well fluid management pits be regulated?

22 A. Well, they would essentially be regulated  
23 like a temporary pit with the exception that they  
24 are not to have fluids or solids or waste disposed  
25 of or stored in them other than produced water. The

1 siting criteria for where to place these is  
2 consistent with the temporary pit siting criteria.  
3 There's no proposed modification in that siting  
4 criteria unique to these that I can recall.

5           The size of the pit is essentially the  
6 only real significant difference. They will be  
7 fenced, they will be netted. The requirements for  
8 netting -- excuse me -- the requirements for  
9 inspections are all essentially the same. The  
10 requirements for reclamation less the fact that you  
11 can't bury any waste in place, so they will be  
12 closed or reclaimed. They are essentially a  
13 temporary pit.

14           The last caveat to that is again, since  
15 the idea is to utilize the water on multiple wells  
16 would be that it may be there longer than a year.  
17 The development plan of 40 wells is probably going  
18 to take -- depending on closure and other  
19 limitations -- may take us up to five years. So  
20 again, I'm kind of drilling back into the details.

21           So what NMOGA is proposing here is that  
22 since these are going to be there for an extended  
23 period of time, that the design would include a leak  
24 detection or a double liner system. Actually, a  
25 double liner system with leaks detection. I take

1 that back.

2 Q. Okay. And let's turn then to the  
3 permitting provisions of the rules, so let's take a  
4 look at Attachment A, Page 5, which is Section 17.9.  
5 So under NMOGA's modifications to Section 17.9 A,  
6 what is going to be utilized to permit a multi-well  
7 fluid management pit?

8 A. Essentially we will use Form C 144.

9 Q. Will that C 144 then identify the  
10 development plan and the wells that are associated  
11 with the multi-well fluid management pit?

12 A. That is the intent is that all of the  
13 wells that would be serviced by the pit would be  
14 identified.

15 Q. Okay. Then if I take a look at 17.9 B 4,  
16 which is over on Page 7, that would contain then the  
17 permitting requirements, at least the requirements  
18 for the permitting for multi-well fluid management  
19 pits, correct?

20 A. Correct. And they are -- if you look,  
21 they are essentially identical to the siting  
22 criteria that's identified in permitting process  
23 associated with temporary pits under B 2.

24 Q. Okay. Then there are some -- on this  
25 particular page of Attachment A, there are some

1 provisions that are unique to multi-well fluid  
2 management pits with respect to closure, correct?

3 A. Correct.

4 Q. Where do we find that?

5 A. Actually, C 1. The closure plans for  
6 multi-well fluid management pits shall describe the  
7 procedure protocols for the removal of all unused  
8 stimulation liquids and the disposal of liner  
9 materials and any other pit contents, possibly  
10 netting, fencing, that type of stuff.

11 Q. So essentially under the closure plan,  
12 nothing is left behind?

13 A. Nothing is left behind.

14 Q. Then if we look at 17.9 D 2 which is on  
15 Page 8, the very next page, Permit Application,  
16 where are they filed?

17 A. The permit would be filed or the  
18 applications would be filed with the appropriate  
19 district office.

20 Q. So we would add multi-well fluid  
21 management pits to the pits that are falling under  
22 Subsection D 2?

23 A. Correct.

24 Q. If we turn to the siting requirements, the  
25 very next page, Attachment A, which is on Page 9 of

1 Exhibit 1, if I look first at the siting  
2 requirements for temporary pits in 17.A 1, we have  
3 just added to those requirements multi-well fluid  
4 management pits?

5 A. That's correct.

6 Q. So they are the same?

7 A. Yes.

8 Q. If I go to the very next section, 17-11,  
9 which begins over on Page 13, we have all the  
10 general specifications, correct?

11 A. Correct. You notice in A it's  
12 construction of a pit, so fluid management pits  
13 would fall under all of this.

14 Q. All of these provisions?

15 A. All of these provisions.

16 Q. Then if we look over on Page -- staying in  
17 the section over to Page 19, NMOGA's proposal does  
18 have a particular provision in there that deals in  
19 addition to the general requirements, deals with  
20 multi-well fluid management pits, correct?

21 A. Correct.

22 Q. These, again, would be designed as  
23 construction requirements, correct?

24 A. They are.

25 Q. Now, have you compared the design and

1 construction requirements for multi-well fluid  
2 management pits with the design and construction  
3 requirements for temporary pits which exists in  
4 Subsection F, Page 14?

5 A. I have.

6 Q. Are they essentially identical with some  
7 exceptions?

8 A. They are essentially identical. The only  
9 additions to the multi-well fluid management pits is  
10 the addition of the leak detection system which is  
11 down in 9, J 9.

12 Q. And then is there also reference to the  
13 leak detection system in Subparagraph 3?

14 A. That's the one I was looking for, yes.  
15 First sentence.

16 Q. All right. Again, those were added  
17 because you are dealing with potentially larger  
18 volumes and a longer period of time?

19 A. Correct.

20 Q. Other than that, are Paragraphs 1 through  
21 8 of Subsection J identical with Paragraphs 1  
22 through 8 of Subsection F dealing with the  
23 temporary?

24 A. That was the intent.

25 Q. Then if we look beginning then with

1 Paragraph 10, J 10, which is over on Page 20, there  
2 are some changes there, correct?

3 A. Correct.

4 Q. If you compare it to temporary pits?

5 A. Correct. We essentially just removed the  
6 size limitation of ten acre feet, which is F 10, and  
7 then F 11, which is the operator shall maintain --  
8 I'm on the wrong page.

9 Q. Did we eliminate the provision dealing  
10 with flaring?

11 A. Correct. I was looking at the permanent  
12 pits. Anyway, we eliminated the balling requirement  
13 and because the pits are not intended to be used for  
14 drilling or completion or those types of returns  
15 where you would have possibly flaring, we removed  
16 that provision in the design stipulations.

17 Q. It doesn't apply?

18 A. It didn't apply.

19 Q. While we are on the design and  
20 construction specifications for multi-well fluid  
21 management pits, there was a concern expressed by  
22 the New Mexico State Land Office about the grading  
23 effects of solar radiation on liners. Are those  
24 addressed in Subparagraph J?

25 A. Actually, they are in both F and J. If

1 you look at Subparagraph J 3, and I just saw it.  
2 Second to last sentence reads, "The liner material  
3 shall be resistant to ultraviolet light," and the  
4 same language is in F. Essentially that's to  
5 address concerns about the solar degradation of  
6 liners.

7 Q. So the current rule under the temporary  
8 pits has a provision in it to avoid the degrading  
9 effects of solar radiation?

10 A. That's to be part of the liner design.

11 Q. And you carried that over to multi-well  
12 fluid management pits?

13 A. We did.

14 Q. Maybe you answered this question. Are the  
15 multi-well fluid management pits subject to the same  
16 fencing requirements as temporary pits?

17 A. Yes.

18 Q. And we see that in 17-11, which is on Page  
19 13?

20 A. Yes, all of the general design criteria.

21 Q. And do they have the same netting  
22 requirements?

23 A. They do.

24 Q. In fact, if I look at 17-1 1E on Page

25 14 --

1           A.       Actually, I take it back.  Temporary pits  
2       don't necessarily need the netting but they have the  
3       same netting requirements as permanent pits.

4           Q.       Looking at 17-11E on Page 14, you have  
5       added to the netting requirements the multi-well  
6       fluid management pits?

7           A.       Correct.

8           Q.       Let's turn to the operation requirements.  
9       They begin on Page 22 of Exhibit 1.  Are multi-well  
10       fluid management pits subject to the same general  
11       operational requirements?

12          A.       They are.

13          Q.       And then we have special provisions in  
14       this section for multi-well fluid management pits,  
15       or I should say special additional provisions  
16       dealing with multi-well fluid management pits on  
17       Subsection F, which begins on Page 25 of the  
18       attachment?

19          A.       That's correct.

20          Q.       Now, one thing we did notice in going  
21       through this again with you was that there was a  
22       typo in the heading.

23          A.       Correct.  It should have had "multi" in  
24       front of "well fluid management pits."

25          Q.       Does NMOGA's second set of proposed

1 modifications include adding the term "multi" to the  
2 heading here in Subsection F?

3 A. It did -- does.

4 Q. Okay. With that, would you walk the  
5 Commission through the additional operational  
6 requirements that are applicable to the multi-well  
7 fluid management pits?

8 A. Essentially, no operator shall place any  
9 substance in the pit other than stimulation fluids,  
10 produced water used for stimulation and drilling and  
11 flowback from multiple wells. Operator shall remove  
12 any visible layer of oil from the surface of the  
13 pit. The operator shall maintain at least two feet  
14 of freeboard, pretty consistent with temporary pits.  
15 The operator shall inspect the pit weekly while the  
16 pit has fluids and document at least monthly until  
17 the pit is closed. Inspections will include  
18 monitoring of a leak detection.

19 So this is the additional inspection.  
20 It's not enough of just inspecting the pit itself  
21 and the fluid levels but we are also looking at the  
22 leak detection system. The operator shall maintain  
23 a log of such inspections and make the log available  
24 for appropriate division, district office review  
25 upon request. Stimulation fluids may remain in the

1 pit until the operator ceases all stimulation  
2 operations as identified in the pit permit. There  
3 we are talking about the plan of development, all of  
4 those wells identified in that.

5 Q. So the pit will remain active and in use  
6 until the wells associated with the development plan  
7 at the time it's permitted have been completed?

8 A. Correct.

9 Q. Then continuing on to the closure  
10 requirements, at a high level, how do these closure  
11 requirements differ from, for example, temporary  
12 pits?

13 A. Well, at a very high level, essentially --  
14 and we pointed it out previously. It's a little  
15 redundant in here because we keep repeating it, but  
16 essentially we are closing these by removing all of  
17 the fluids that remain that were unused for off-site  
18 recycling or disposal. The liner material, the  
19 fencing, the netting, everything will be removed and  
20 then the site will be reclaimed.

21 Q. Under what circumstance will sampling be  
22 required?

23 A. The provisions in here for sampling are --  
24 and you can find that in 13 A 3 -- that we would not  
25 be required to do any sampling under the liner if

1 there was no evidence -- if there was no leak  
2 detected in the leak detection system. In all other  
3 circumstances we would have to sample under the  
4 liner following the protocols outlined below.

5 Q. Now, the Oil Conservation Division in  
6 their modifications have proposed adding to this  
7 particular paragraph that you are required to sample  
8 not only -- you are not required to sample -- let's  
9 see if I can get this right. You are not required  
10 to sample if there's no leak detected, number one.  
11 That's what we proposed, right?

12 A. Right.

13 Q. They added to that that you are not  
14 required to sample as long as no visual evidence is  
15 present at the time that the liner is removed.

16 A. That would make sense.

17 Q. Does that make sense to have that  
18 addition?

19 A. Yes, that's fine.

20 Q. All right. So essentially, the operator  
21 would be required to test upon the closure of a  
22 multi-well fluid management pit if there was a leak  
23 that was detected or if there was visual evidence  
24 present at the time the liner was removed.

25 A. Correct.

1 Q. Then just so there's no confusion, does  
2 17.13 B apply at all to multi-well fluid management  
3 pits?

4 A. No, because there's going to be no end  
5 place burial, no waste that's going to be left  
6 behind. So B does not apply.

7 Q. Then dealing with the timing for closure,  
8 which is over on Page 36 of the Attachment A, and I  
9 think we are getting close to the end -- in 17.13E,  
10 which begins at the bottom of Page 36 and carries  
11 over to Page 37, multi-well fluid management pits  
12 are addressed in Subparagraph 8, which I guess  
13 continues over to Page 38, correct?

14 A. That's where I show it.

15 Q. Okay. And essentially when is a  
16 multi-well fluid management pit to be closed?

17 A. It's to be closed within six months of the  
18 date that we cease drilling and stimulation  
19 operations of all the wells identified in the  
20 permit. So when we complete the plan of  
21 development, we would have -- that last well, we  
22 would have six months from that time to close the  
23 pit.

24 Q. Same period of time that's currently  
25 allowed for for temporary pits?

1 A. Correct.

2 Q. If I look on Page 38 there's provisions in  
3 Subparagraph F for reclamation.

4 A. Right.

5 Q. Are they identical to all of the pits?

6 A. Multi-well fluid management pits have not  
7 been excluded from this.

8 Q. So they would apply equally then to  
9 multi-well fluid management pits as they do to other  
10 pits?

11 A. Contouring, soil cover, reclamation,  
12 revegetation. None of that has changed. Or we are  
13 not proposing a change anyway.

14 Q. And I have one final topic, Mr. Lane.  
15 That is, there has been some suggestion in some of  
16 the prehearing comments that there's no need to  
17 modify anything in the current rule -- and I guess  
18 including this -- because a company can always seek  
19 an exception or a variance under the proposed  
20 provisions. From your perspective, is it practical  
21 to seek from the division an exception or a variance  
22 for each circumstance in which you deem it  
23 appropriate to use a multi-well fluid management pit  
24 for the purposes of recycling fluids?

25 A. Well, exceptions and variances are -- or

1 exceptions are, needless to say, take a long time  
2 and are quite expensive just in the process and you  
3 are not guaranteed that those exceptions will fit  
4 into your plan of development. Here we are trying  
5 to provide some type of regulatory framework that  
6 appears to be consistent with what we envision a  
7 multi-well fluid management pit. Looking at models  
8 from Colorado, some stuff done in Oklahoma -- I'm  
9 not too familiar with the Texas stuff -- but we were  
10 trying to provide something where you don't have to  
11 go before the Commission nor the Division for an  
12 exception.

13 Q. Now, you mentioned that exceptions or  
14 variances take a long time. Has your company had  
15 experience with trying to seek an exception or  
16 variance under the current configuration of the Pit  
17 Rule?

18 A. We have formerly as WPX -- excuse me, as  
19 Williams Production.

20 Q. In the way the rule is currently  
21 configured, how difficult was it to get an exception  
22 or variance from the Pit Rule in terms of the time  
23 that it took to allow it to be considered?

24 A. We started specific to our Salt Water  
25 Disposal No. 2 well, we approached the Commission --

1 well, we approached the Division for a -- let's see.  
2 Our initial temporary pit application was submitted  
3 in November of 2009. With some wrangling it was  
4 decided that we needed to go to exception and that  
5 was in March of 2010, and --

6 Q. Wait. It took four months under the  
7 current configuration of the Pit Rule for someone to  
8 decide that you needed to seek an exception from the  
9 Commission?

10 A. We were told after a couple different  
11 applications. We modified the application at the  
12 district direction and it still came back that we  
13 needed to -- a decision was made that we needed to  
14 go to exception so we prepared the exception and  
15 attempted to go to hearing shortly after March, and  
16 it wasn't until -- July 29th I think is when we came  
17 before the Commission and an order was issued in  
18 September and we were unsuccessful in that exception  
19 request.

20 Q. So using the current process in the Pit  
21 Rule as currently drafted, it took your company over  
22 eight months to get a decision on your proposed  
23 exception?

24 A. Yes. That process took us eight months,  
25 yes. That's why nobody goes for exceptions.

1 Q. Mr. Lane, drawing upon your experience, in  
2 your opinion are the provisions that NMOGA has  
3 provided for regulating multi-well fluid management  
4 pits sufficient to provide a reasonable level of  
5 protection to groundwater and to the public health  
6 and the environment?

7 A. Oh, I believe so, yes.

8 Q. And in your opinion, will allowance of  
9 multi-well fluid management pits as part of the  
10 permitting process encourage operators to recycle  
11 stimulation fluids?

12 A. Absolutely.

13 Q. And in your opinion, will the proposed  
14 changes that we just reviewed allow WPX and other  
15 operators in New Mexico to more efficiently and  
16 economically produce oil and gas in this state?

17 A. Based on our current development plans, it  
18 definitely enhances the economics; makes them more  
19 favorable, I should say.

20 MR. FELDEWERT: That concludes my  
21 examination of the witness.

22 CHAIRPERSON BAILEY: Since it is 4:30, I  
23 believe we should delay our cross-examinations until  
24 tomorrow morning. At this time we can look to see  
25 if there are any public comments for people who have

1 signed up to make the public comments today. We do  
2 have one person who would make to make a comment.  
3 Amanda -- I can't make out the names. Do we have a  
4 person who has signed up as representing Wild Earth  
5 Guardians ready to make their public comment?

6 Apparently not.

7 We will meet again and continue this case  
8 until tomorrow where we will pick up  
9 cross-examination of the witness. Is it possible to  
10 begin earlier than 9:00 o'clock? No? Okay. Then  
11 we will be here at 9:00 o'clock in the morning.

12 (Note: The hearing was adjourned for the  
13 day at 4:32.)

14

15

16

17

18

19

20

21

22

23

24

25

## REPORTER'S CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, JAN GIBSON, Certified Court Reporter for the State of New Mexico, do hereby certify that I reported the foregoing proceedings in stenographic shorthand and that the foregoing pages are a true and correct transcript of those proceedings and was reduced to printed form under my direct supervision.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case and that I have no interest in the final disposition of this case.

---

JAN GIBSON, CCR-RPR-CRR  
New Mexico CCR No. 194  
License Expires: 12/31/12