

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPLICATION OF THE NEW MEXICO OIL AND GAS
ASSOCIATION FOR AMENDMENT OF CERTAIN PROVISIONS OF
TITLE 19, CHAPTER 15 OF THE NEW MEXICO
ADMINISTRATIVE CODE CONCERNING PITS, CLOSED-LOOP
SYSTEMS, BELOW-GRADE TANKS AND SUMPS AND OTHER
ALTERNATIVE METHODS RELATED TO THE FOREGOING
MATTERS, STATEWIDE.

CASE NOs. 14784 and 14785

ORIGINAL

VOLUME 3

May 16, 2012
9:06 a.m.

Oil Conservation Commission
Wendell Chino Building
1220 South St. Francis Drive
Porter Hall, Room 102
Santa Fe, New Mexico 87505

RECEIVED OGD
2012 MAY 31 A 11:33

THE COMMISSION:

JAMI BAILEY, CHAIRPERSON

GREG BLOOM, COMMISSIONER

DR. ROBERT S. BALCH, COMMISSIONER

MARK A. SMITH, ESQ.

FLORENE DAVIDSON, COMMISSION CLERK

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102

1 APPEARANCES

2 FOR NEW MEXICO OIL & GAS ASSOCIATION (NMOGA):

3 ERIC L. HISER, ESQ.
4 JORDEN, BISCHOFF & HISER, P.L.C.
5 7272 East Indian School Road, Suite 360
6 Scottsdale, Arizona 85251
7 (480) 505-3927
8 ehiser@jordenbishcoff.com

9 and

10 MICHAEL H. FELDEWERT, ESQ.
11 HOLLAND & HART
12 110 North Guadalupe, Suite 1
13 Santa Fe, New Mexico 87501
14 (505) 988-4421
15 mfeldewert@hollandhart.com

16 FOR OIL & GAS ACCOUNTABILITY PROJECT (OGAP):

17 ERIC D. JANTZ, ESQ.
18 NEW MEXICO ENVIRONMENTAL LAW CENTER
19 1405 Luisa Street, Suite 5
20 Santa Fe, New Mexico 87505
21 (505) 989-9022, Extension 23
22 ejantz@nmelc.org

23 FOR NEW MEXICO OIL CONSERVATION DIVISION (OCD):

24 GABRIELLE GERHOLT, ESQ.
25 NEW MEXICO ENERGY, MINERAL & NATURAL RESOURCES
DEPARTMENT
OIL CONSERVATION DIVISION
Office of General Counsel
1220 South St. Francis Drive
Santa Fe, New Mexico 87505
(505) 476-3210
gabrielle.gerholt@state.nm.us26 FOR INDEPENDENT PETROLEUM ASSOCIATION OF NEW MEXICO
(IPANM):27 KARIN V. FOSTER, ESQ.
28 K. FOSTER ASSOCIATES, LLC
29 Chatham Partners, Inc.
30 5805 Mariola Place, Northeast
31 Albuquerque, New Mexico 87111
32 (505) 238-8385

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR THE NEW MEXICO CITIZENS FOR CLEAN AIR & WATER:

DONALD A. NEEPER, Ph.D.
2708 B. Walnut Street
Los Alamos, New Mexico 87544
(505) 662-4592
dneeper@earthlink.net

FOR JALAPE-O CORPORATION:

PATRICK A. FORT, ESQ.
Post Office Box 1608
Albuquerque, New Mexico 87103-1608
(505) 242-2050
patrickfort@msn.com

FOR NEW MEXICO WILDERNESS ALLIANCE:

JUDITH CALMAN, ESQ.
142 Truman Street, Suite B-1
Albuquerque, New Mexico 87108
(505) 843-8696
judy@nmwild.org

FOR NEW MEXICO STATE LAND OFFICE:

HUGH W. DANGLER, ESQ.
New Mexico State Land Office
Office of the General Counsel
310 Old Santa Fe trail
Santa Fe, New Mexico 87504-1148
(505) 827-5756
hdangler@slo.state.nm.us

FOR NEARBURG PRODUCING COMPANY:

JAMES G. BRUCE, ESQ.
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol.com

	VOLUME 3 - INDEX	PAGE
1		
2	WEDNESDAY, MAY 16, 2012:	
3	WITNESSES (Cont'd):	
4	JAMES DANIEL ARTHUR (Cont'd):	
5	Continued Direct Examination by Mr. Hiser	532
	Cross-examination by Mr. Jantz	607
6	Cross-examination by Mr. Dangler	649
	Cross-examination by Dr. Neeper	683
7	Cross-examination by Commissioner Bloom	711
	Cross-examination by Commissioner Balch	742
8	Cross-examination by Chairperson Bailey	759
	Redirect Examination by Mr. Hiser	765
9		
10	Notice of Hearing by Mr. Smith	765
11	Public Comment by Mr. Robb Hirsch	766
12	Evening Recess	771
13	Certificate of Court Reporter	772
14		
15		
16	EXHIBITS OFFERED AND ADMITTED	
17	NMOGA Exhibits 14, 14A and 15	606
18		
19		
20		
21		
22		
23		
24		
25		

1 CHAIRPERSON BAILEY: Good morning. This is
2 a continuation of the Oil Conservation Commission
3 hearing on Consolidated Cases Numbers 14784 and 14785.
4 All three commissioners are here today, so we do have a
5 quorum.

6 We broke yesterday afternoon with Daniel
7 Arthur who was giving his testimony. We will resume
8 with the direct testimony of Daniel Arthur.

9 You are still under oath.

10 And, Mr. Hiser, if you would begin your
11 examination.

12 MR. HISER: Thank you, Madam Chair.

13 JAMES DANIEL ARTHUR,
14 after having been previously sworn under oath, was
15 questioned and testified as follows:

16 CONTINUED DIRECT EXAMINATION

17 BY MR. HISER:

18 Q. Mr. Arthur, yesterday we were discussing some
19 of the historic statistics surrounding pit failures;
20 were we not?

21 A. Yes, we were.

22 Q. And as a result of that evaluation, you were
23 looking at -- you were talking about why it was
24 important to consider those historic problems that had
25 been in pits, but also looking at where there hadn't

1 been problems with pits; is that correct?

2 A. Yes.

3 Q. And why is that important for you when you look
4 at the changes in the proposed rule? I believe that we
5 were at slide 1114-7.

6 A. Yes. So when -- when we look at those -- you
7 know, we talked a little bit yesterday, you know, about
8 historical perspectives and, you know, understanding how
9 things have changed over the years from, you know, maybe
10 some of the very early pits and over time to, you know,
11 newer regulations, newer activities and so forth, to
12 looking at both the current and proposed rule.

13 You know, there are a few key things that
14 the rules include that you want to look at for any --
15 really any pit program, and that includes, you know,
16 permit and/or registration requirements, siting
17 requirements, design and construction requirements,
18 operational requirements, closure and reclamation
19 requirements. And also, because, in my experience, in
20 any regulatory program -- this is common through states,
21 the federal government, EPA -- it is -- it's really
22 tough to have any set of regulations encompass any
23 possible thing that can happen. You try to -- you try
24 to do, you know, the best that you can to get a rule to
25 address the vast majority, but, you know, there's always

1 situations that are a little different, and so having an
2 exception of variance program is also an important part
3 of a regulatory program. So those are kind of the key
4 things that I looked at from that perspective, I guess.

5 Q. And so a good variance or exception program is
6 able to address sort of the overinclusive,
7 underinclusivity that otherwise might arise in a
8 regulatory program?

9 A. Correct.

10 Q. What I'd like to do now is turn from the slides
11 back to our Exhibit A, our attachment one, which is
12 the -- Attachment A, which is the provisions to the
13 rule, and to flip, then, to Attachment A, which is the
14 definitions. And there's been some discussion in this
15 hearing already, Mr. Arthur, about the difference
16 between confined and unconfined groundwater. And the
17 definition of groundwater is found in Section D, on page
18 1, and the definitions of unconfined groundwater are on
19 page 3.

20 Can you tell us what confined versus
21 unconfined groundwater is, and why that's an important
22 distinction for us?

23 A. I think that, you know, outside of getting into
24 a debate of definitions, you know, we have a definition
25 here of confined groundwater: "Means water contained

1 within soil or rock below the land surface that is
2 saturated with water where there are layers of
3 impermeable material both above and below" the water is
4 under -- "above and below and the water is under
5 pressure so that when penetrated by a well, the ground
6 water will rise."

7 So, you know, I've seen, you know, slightly
8 different interpretations of confined groundwater, but
9 in the terms of the rule, we're looking at, you know, at
10 a confined groundwater aquifer that is really protected
11 by impermeable layers both from above and below, but
12 most importantly, relative to the rule, from above.

13 So the thing that that provides us and is
14 really a vast difference to an unconfined groundwater
15 aquifer, where there is no impermeable barrier from the
16 surface, and, hence, would have a greater susceptibility
17 to risk or endangerment by contamination or something
18 like that.

19 Q. So does the impermeable layer between the
20 confined groundwater and the upper environment, or the
21 land surface, provide protection to that water as
22 opposed to the water that might be above that confining
23 layer?

24 A. That's exactly the point and I think why the
25 two are differentiated in the rules.

1 Q. And this definition actually is a double
2 trigger, is it not, both with confining layers and with
3 the pressure in a confined aquifer?

4 A. Yes, sir.

5 Q. And does the difference in pressure between the
6 confined aquifer and the surficial aquifer make any
7 difference?

8 A. Well, clearly in the way that this definition
9 is, is that the aquifer would be an artesian aquifer so
10 that if there were any sort of penetration in that
11 impermeable barrier, flow would be from down to up. So
12 if there were a situation where -- where, for some
13 reason, there was groundwater contamination, flow would
14 be going into the -- into the above aquifer as opposed
15 to into the confined aquifer.

16 Now, you can look at this on a case of a,
17 you know, significant time period. You know, will --
18 will an artesian aquifer or confined aquifer be confined
19 forever? And certainly that may or may not be the case.
20 So it could be that a thousand years from now or
21 whatever years from now, that it's somehow tapped and
22 pumped or whatever, so it could change from that. But
23 the point is, is that as we look at the time period
24 where we are most seeing susceptibility of risk from
25 pits or multiwell fluid management systems, during those

1 periods when we're siting those pits, that's the
2 situation.

3 So if we have even a confined aquifer that
4 may go from artesian to nonartesian, you know, 100 years
5 from now, at that point, it really doesn't matter. So
6 the key point is that at the time we're doing this, when
7 we're siting, when we're operating that impoundment,
8 that's really -- you know, that's where we see the --
9 you know, the most risk, the most issue of problems,
10 really virtually all. So at that point, in that time
11 period, is important in why this definition comes into
12 play and why we're also not trying to say it's going to
13 be, you know, where -- where -- where the pressure is
14 going to rise for 1,000 years or -- there is not a need
15 to look at it from that perspective.

16 Q. On page 2 of Attachment A, there is a
17 definition of a couple different types of watercourses,
18 and let's just sort of -- there is a continuously
19 flowing watercourse. There is a significant
20 watercourse, and there is a playa lake. Why are these
21 terms defined?

22 A. Well, for practical matter, I think that as we
23 get into the proposed rules -- and we'll talk about this
24 more as we go forward. But the rules have really tried
25 to be -- I think, be developed using a risk-based

1 methodology, which I like. And as we -- as we get into
2 defining some of these, as we're putting into
3 perspective some of the definitions that can be used
4 relative to setback siting and implementing the other
5 parts and rule. So that's why they're significant.

6 Q. And does the definition of continuously flowing
7 watercourse seem appropriate based on your experience as
8 a regulator and as a person who does hydrogeology and
9 all?

10 A. You know, if you look at definitions of -- I
11 mean, there are a lot of definitions that change over
12 time, and, you know, waters of the state and -- I mean,
13 it gets tough to find definitions, and they're certainly
14 not always consistent throughout the country.

15 What I like about this is, we define a
16 continuously flowing watercourse, meaning "a river,
17 stream or creek that is named or delineated by a solid
18 blue line on a USGS quadrangle map...." So if -- if --
19 you know, if you look in practical terms, when we're
20 doing siting and that, you know, I mean, in industry and
21 really in a lot of activities where, you know, you want
22 to say -- you know, you don't want to have a blue line
23 pit, you know. So it makes it kind of an easy thing
24 from a planning perspective. And -- and we put some
25 details on that.

1 And also we say: "That typically has water
2 flowing during the majority of the days of the year.
3 This does not include," you know, "washes, arroyos, and
4 similar depressions that do not have flowing water
5 during the majority of the days of the year." So I
6 think from that, it gives you a pretty good definition
7 that I think is easily understandable and followable.

8 Q. This would, in fact, be helpful to the Division
9 as well because what's on the USGS map -- it's centered
10 around the USGS map, and so at that point it creates a
11 presumption that the Division can use to say, Well, this
12 has to be set back from here, and if the operator wants
13 to do anything else, the burden obviously shifts to the
14 operator?

15 A. Obviously, yes.

16 Q. The definition of playa lake, does this comport
17 with your understanding of what a playa lake generally
18 is?

19 A. Yes, it does.

20 Q. And the definition of significant watercourse,
21 the major change here is the definition of bed and bank.
22 Why is that important? This is on the top of page 3.

23 A. It really -- for me, this is a -- this is a
24 clarity issue for me, and the issue of, you know,
25 defined -- with the defined bed and bank makes it more

1 easily identifiable to make sure that you're addressing
2 those. So to me, this is a clarification.

3 Q. And then back on page 2 -- I apologize for
4 jumping back and forth -- there is a definition of
5 low-chloride fluids. And what's the reason that the
6 proposed industry revisions differentiate between low
7 chloride and nonchloride fluids?

8 A. You know, when -- when you're -- when you're
9 dealing with water, really, from a number of different
10 perspectives, and not just with pits, but in this
11 perspective pit, is that if I have a low-chloride fluid
12 versus a fluid that maybe is very high in chlorides,
13 200,000 milligrams per liter TDS, treating those the
14 same, managing those the same, it really doesn't make
15 sense technically.

16 So if he can put something in place where
17 we're managing waters based on their characterization
18 appropriately, that makes a lot of sense. And it takes
19 an unnecessary burden from treating a low-chloride
20 solution similar to what you would with a very
21 high-chloride solution, for example. So the idea is,
22 this really kind of sets the basis so that you can
23 understand how to differentiate the two and then
24 implement details of a rule, and then, furthermore, how
25 it's implemented in the field based on, really, the

1 types of risks or endangerment that you're looking at.

2 Q. And as both a petroleum and environmental
3 engineer, does the level at which this distinction is
4 set, 15,000 milligrams per liter, make sense to you?

5 A. It does. You know, when -- and I could just
6 think of a number of different contexts, but relative to
7 what we're dealing with and what I've seen from EPA and
8 a number of states, that's a pretty good cutoff.

9 I mean, you know, seawater is maybe, you
10 know, 30,000, you know, milligrams per liter TDS, mostly
11 chlorides, you know. So this is really trying to scale
12 that down to something that is meaningful. And probably
13 you could look at other different definitions, like the
14 underground source of drinking water, something like
15 that, as being low chloride.

16 Q. Thank you.

17 If we turn ahead, then, Section 19.15.17.9,
18 Permit Application and Registration, there has been some
19 discussion on pages 6 and, really, 7 of this about how
20 does one appropriately determine depth to groundwater.
21 So this is found, I believe, first off, in Section B(2)
22 for temporary pits. And the same language appears in
23 B(3) for below-grade tanks, and B(4) multi-well fluid
24 management pits.

25 And the rule provides that there are

1 certain things that can be used in the absence of
2 site-specific groundwater data. Are the information
3 sources that are provided things that would typically be
4 looked at by a professional in the field of depth to
5 groundwater in the absence of site-specific information?

6 A. Yes.

7 Q. Do they provide reasonably good data that you
8 have reasonably good assurance that the data will give
9 you a good value?

10 A. It may not give you an exact value, but it
11 should give you a good idea of where that is.

12 Q. And is there a safety valve built into this,
13 when you use an alternative method, that the Commission
14 can review and concur that that method is reasonable?

15 A. Of course.

16 Q. Does that seem to you to be an appropriate way
17 to address the depth to groundwater in siting purposes
18 found in this rule?

19 A. It not only does, and it also is consistent
20 with what I've seen in other states.

21 Q. Thank you.

22 If we turn, then, to Section 17.10, Siting
23 Requirements, there's been a lot of discussion about
24 siting and whether it's appropriate. I was wondering if
25 you could answer a question about siting or temporary

1 pit or a multi-well fluid management pit, both of which
2 are found at page 9 of our exhibit, under Section A.
3 And the first thing is, they talk about combining the
4 multi-well fluid management pit with the temporary pit.
5 Is it appropriate to use the temporary pit siting
6 criteria or, as Mr. Dangler from the Land Department
7 suggested, maybe look at the permanent pit siting
8 criteria? Which is more appropriate in your mind?

9 A. You know, I've been involved in a number of --
10 of kinds of pits, both temporary pits and a lot of
11 multi-well fluid management pits and other pits even
12 used for containment or infiltration, but to me, there
13 seems to be a very big gap between temporary pits and
14 multi-well fluid management pits versus permanent pits.
15 They seem to be very different.

16 In both cases, both the temporary pits,
17 obviously in their name, but the multi-well fluid
18 management pits, are temporary in nature and probably
19 not going to be around for, you know, 20 or 30 years.

20 What I've typically seen -- and I know
21 there was discussion about, well, they could be around
22 for years. But yet when I look at the criteria that we
23 have for the temporary pits, I've seen multi-well fluid
24 management pits used in a number of different places.
25 Certainly, you can have situations where one of those

1 pits could be around for, you know, five years, maybe,
2 you know. I mean, it really -- it really depends. But
3 more so what happens is that when -- you know, when
4 you -- when you look at how those pits are used, they're
5 generally staged within a set of well pads.

6 If you look at even industry planning for
7 their well pad sites and generally from a -- from a lot
8 of these continuous reservoir plays -- do you mind if I
9 draw a picture to -- would that be acceptable?

10 CHAIRPERSON BAILEY: Of course. Be sure to
11 label it clearly, because it will become a part of the
12 record.

13 THE WITNESS: Okay.

14 A. So one of the differences that's happened, as
15 we've gotten into unconventional resource development
16 versus historic, kind of, conventional resource
17 development, is that you're developing a region, which
18 may be your acreage. And how you develop that may
19 depend on if you're, you know, a small operator and you
20 have a little bit of acreage versus a big operator that
21 maybe has a big-acreage play. And also there could be
22 variations if you're doing, you know, kind of
23 exploration to prove up production versus when you get
24 into what's more of a -- more of a kind of a
25 hydrocarbon -- almost a hydrocarbon mining process.

1 So you may have pads that you put a well
2 on, where you're proving up reserves, versus when you
3 get to the point where you know what's there and you're
4 putting pads in with lots of wells on them and moving
5 forward. When you -- when you -- when you actually get
6 to that point, that's when -- when you use the pad.

7 So what you might do is, you might have,
8 you know, a pad (drawing) and the wells from the pad,
9 you know, and you could have -- you know, you could look
10 at this as -- you know, I call it like a candelabra,
11 that comes off itself (drawing). But that's generally
12 how the wells will come off the pad.

13 And you really can't -- it's pretty tough
14 to do this sort of thing from one wellbore, so they'll
15 typically do these from individual wells at the surface
16 that may be real close to each other. But when you
17 think about that and how they wind up developing these
18 is -- and once you -- you know, so this is kind of when
19 you get into the more -- the perspective when you're
20 needing multi-well fluid management pits. Okay?

21 So when you do that, then you start
22 thinking, okay, I'm going to have my other pad
23 (drawing), you know. And you kind of -- you kind of get
24 the idea here (drawing). And that may go on to, you
25 know, multiple pad sites. So unlike if you're trying to

1 explore an anticline or some trap in these continuous
2 reservoir plays, you're looking at trying to get your
3 acreage set up so you can do that. And this might vary
4 based on jointing or compartmentalization of the
5 reservoir itself, but this is what you have.

6 So when you start looking at this, you go,
7 Okay; I want to have a multi-well fluid management pit
8 that I can -- that I can easily access multiple pads.
9 You know, so the example that was given, you know,
10 earlier in the testimony was one multi-well fluid
11 management pit servicing four -- four pad sites. So if
12 you kind of look at that -- and, you know, if I'm
13 looking here (drawing), I might -- I might put my pad
14 site here (drawing), so "multi-well fluid management
15 pit."

16 And I'll look at that depending on
17 topography, roads, you know, all that, you know, on just
18 how I locate it, as well as setbacks, and I may set up
19 either where I can get to this with trucks. But,
20 ideally, what you'd like to do is to be able to minimize
21 truck traffic and all the other things that you have to
22 deal with, you know. And considering that it's kind of
23 a temporary thing in nature, I might set fast lines. I
24 might set below-ground lines. But a lot of times, what
25 I've seen around the country is, they'll set up fast

1 lines. So fast lines are aboveground pipelines. So I
2 might build it to run, you know, a pipeline pretty
3 easily to those four -- you know, to those four pads.

4 Where it may be -- if I try to -- you know,
5 let's say that there's a river here (drawing), you know,
6 or some feature that I don't want to cross with a
7 pipeline, I may not be able to do that. So I've got to
8 be able to consider all those things as I'm -- as I'm
9 looking at how I do that. So I might build a -- you
10 know, get this to go to a pad down here (indicating),
11 but that's going to depend on my acreage and the
12 topography.

13 And what winds up happening is that usually
14 four or five pads, you know, I'd say in general, are
15 about what you can manage with a single multi-well fluid
16 management pit.

17 I will tell you that in some places like in
18 the Marcellus Shale, you've had some of the larger
19 companies that have really big leaseholds; they've put
20 in and have done stuff where they've actually put in
21 permanent pipelines to manage water. So they can manage
22 both produced water and freshwater that they may get or
23 water from other sources.

24 But in doing this (indicating), they
25 really -- from -- from how -- if you can use these --

1 you know, what I look at is mostly from an environmental
2 perspective and a feasibility of putting them in.
3 They're about that.

4 So -- so -- so ultimately, when you look at
5 the idea of, well, it could be there for years and years
6 and years, typically what happens is, you may have these
7 pads. And let's say while this is going on, I drill one
8 well here (drawing), and I drill one well maybe here
9 (indicating). On those, I don't -- I'm not into this
10 situation here. So what I've done on these, because I'm
11 not ready for this, I just put in some temporary, you
12 know, pit, or I'm using tanks and stuff, so I haven't
13 gone to that next step of having a multi-well fluid
14 management pit that's going to sit there for five or ten
15 years or some indefinite amount of time. And typically,
16 that's what I've seen. You know, so when I look at kind
17 of the -- that's why and how I'm distinguishing that.
18 So in my view, I look at the temporary pits and the
19 multi-well fluid management pits more similarly than
20 maybe might be obvious.

21 So to your question --

22 Q. Okay. Thanks.

23 In the first section here under 1A, we talk
24 about changing the depth to groundwater from 50 to 25
25 feet below the pits. And there is a distinction there

1 for low-chloride fluids, and again for 50 feet if it's
2 not a low-chloride fluid. What's the rationale for that
3 change?

4 A. When we look at some of the setback
5 requirements -- and this occurs, Eric, really kind of
6 throughout these -- this part of the rule section. But
7 what we're really trying to do is distinguish -- really
8 a couple of things. But one is that we have
9 low-chloride fluids versus fluids that are not
10 low-chloride fluids. So we're trying to adjust for
11 those, and then to look at what is appropriate based
12 on -- based on what we believe is appropriate.

13 Q. And why would be it appropriate to have a lower
14 depth to a low-chloride fluid?

15 A. Because there is less -- less risk, less -- you
16 know, less perceived risk, less endangerment. It's a
17 fresher water.

18 As you even start looking at -- at -- at
19 what you think about when you -- when you -- when you
20 look at -- at kind of the design of setbacks and -- and
21 managing risks and all that, what happens and what you
22 want to try to plan for is -- if you have a pit or
23 something, you don't typically see, you know, if the pit
24 has, you know, 15,000 milligrams per liter chlorides
25 versus 100,000 milligrams per liter chlorides and some

1 fluid, let's say, even if we put it in a worst case, you
2 know, during operation. You wouldn't typically see, you
3 know -- you know, from a -- from a closure and all that,
4 that you're going to have, you know, that slug flow
5 moving.

6 What typically happens, even if you have,
7 say, some leak or something like that, unless it's a
8 drastic leak, you want to have -- you want to be able to
9 have time to be able to respond, and the importance and
10 significance of response, you know, I think depends a
11 little bit on the chloride content.

12 But even from a longer-term period after
13 closure, when we talk about, you know -- you know, once
14 we've gotten a closure, you know, and just what you see
15 is, you don't tend to see from, say, a closed pit that
16 you're going to have 100,000, say, milligrams per liter
17 chlorides moving down and going on forever. It -- it --
18 you know, it goes -- it equalizes. It disperses. It
19 dilutes, you know. So we see it getting smaller and
20 smaller over time. And that's less of an issue with a
21 low-chloride fluid than a high-chloride fluid.

22 Q. And everybody talked about some of the specific
23 mechanics of how --

24 A. Yes.

25 Q. -- the groundwater on Table 1 and, I believe,

1 Table 2 in the closure standards.

2 A. Yes.

3 Q. But for purposes of siting, the other thing
4 that we're really looking for is to be able to provide a
5 response time?

6 A. Yes.

7 Q. So does this -- in your view, does this
8 distance provide for a response time?

9 A. Yes, it does.

10 Q. When we look at the continuously flowing
11 watercourse, there are some changes there. Is that a
12 similar concept looking at risk? Once again, we've made
13 it closer for a low chloride fluid?

14 A. Yes, exactly.

15 Q. Does that seem effective, in your view, as a
16 environmental engineer, environmental professional?

17 A. It does.

18 Q. So the primary concern here with the
19 continuously flowing watercourse is a seepage into that
20 watercourse, or is there overland flow into it?

21 A. Generally, the concern is overland flow.

22 Q. And in your experience, would the distance
23 there provide time for the prevention and probable
24 prevention of that release reaching that continuously
25 flowing watercourse?

1 A. You know, I've -- I've -- I've -- you know, one
2 of the things I've done over time in the last couple of
3 decades has been emergency response, so I've actually
4 responded to a number of instances where they've had
5 leaks, overflows.

6 The other thing that I did more recently --
7 and it's not necessarily a pit, but I think it's a good
8 example. I was one of the professionals that got to
9 respond to the -- to the Chesapeake's ATGAS blowout in
10 Bradford County, Pennsylvania. And what we saw there
11 was kind of, you know, a number of things that -- you
12 know, a massive rainstorm, a blowout occurring, and
13 still, yet, we're able to -- Chesapeake was able to
14 respond pretty quickly within that. So the setbacks
15 that you have from that, in my experience, is more than
16 adequate to allow a response.

17 Q. In Section D, there are setbacks from private
18 domestic freshwater wells, and there is a distinction
19 made for low chloride. And also there is a deletion of
20 "less than five households." Does the deletion of "less
21 than five households" make this more a protective number
22 in some ways or --

23 A. Yeah. I think by -- you know, really by doing
24 that, if you look at this, we're really saying any
25 spring, as opposed to one that's -- so this is actually

1 really a more stringent setback.

2 Q. And in your view, is the setback here an
3 appropriate protection --

4 A. Yes.

5 Q. -- to provide time for response?

6 A. Yes, sir.

7 Q. And we'll talk about the groundwater mechanisms
8 when we get to Table 1 and Table 2.

9 And then in Section E, there is a change
10 from "fresh water well field" to "well head protection
11 area," as defined by New Mexico Code Section 3-27-3.
12 What's the purpose of that change?

13 A. Really, I think this is a -- in my view, this
14 is really a clarification and, I think, something to
15 allow to be better defined.

16 Q. And that's because the wellhead protection area
17 has a regulatory definition?

18 A. Exactly.

19 Q. So it eliminates some of the ambiguity in the
20 term "well field"?

21 A. Uh-huh.

22 Q. In F, there is 100 feet of wetland. And this
23 is the same type of idea. In your mind, is this an
24 appropriate distinction between low-chloride and
25 high-chloride fluids?

1 A. Absolutely.

2 Q. And do these levels seem to be protective --

3 A. Yes, they do.

4 Q. -- and to provide adequate time for response?

5 A. Yes.

6 Q. I believe that that is the extent of the
7 industry changes to Section A(1).

8 If we flip the page over to page 10, there
9 is discussion about excavated materials from a pit's
10 construction. There are a couple of changes here. Do
11 you see any risk that would increase from having the
12 excavated [sic] material stockpiled --

13 A. No.

14 Q. -- to be setback distances?

15 And then there is new paragraph 4, which
16 talks about the location criteria for a below-grade
17 tank. In your experience and based on your knowledge of
18 what those tanks are used for in these setback levels,
19 are they protective?

20 A. Yes.

21 Q. Do they provide adequate time for response?

22 A. Yes.

23 Q. Do they provide a reasonable assurance that we
24 would be able to prevent contamination of freshwater and
25 protect public health?

1 A. Yes.

2 Q. If we then turn on to page number 11, we've now
3 reached a point where we're going to implement an
4 on-site closure method. Here there is, in Section C(1),
5 a change to unconfined groundwater, which I believe
6 you've already discussed, and the change is in the
7 bottom distance. Do you believe that these are still
8 protective?

9 A. Could you repeat the question?

10 Q. Absolutely.

11 In Section C, which addresses where an
12 operator may not implement on-site closure methods --
13 this would be where you would be leaving pit solids on
14 site -- there has been a change to the distance to
15 groundwater from 15 to 25 feet. There's also
16 concentration limits that are set forth in Table 1 and
17 Table 2, which will play into this table, too.

18 In your opinion, is the combination of the
19 distance provided here and the concentration limits
20 provided to Table 1 and Table 2 going to be protective
21 of the public health and the groundwater?

22 A. Yes.

23 Q. And when we talk about Table 1 and 2, you're
24 going to talk about the mechanics of exactly how that
25 protection occurs; is that correct?

1 A. Yes.

2 Q. Now, there are a couple of deletions in
3 paragraph one and paragraphs two through four. And in
4 large part, are those provisions now being carried over
5 and into Table 1 and Table 2 where we have the
6 gradations and depth of groundwater?

7 A. Yes.

8 Q. So the substantive table and text are narrative
9 provisions found in the existing rule?

10 A. Yes.

11 Q. And then there is a series of siting criteria
12 starting on new paragraphs two through five, and these
13 seem similar to the criteria for a basic pit; is that
14 correct?

15 A. Yes.

16 Q. And rather than go through each one, I'll
17 simply ask the generic question: In your opinion, are
18 those going to be protective of groundwater and public
19 health?

20 A. Yes.

21 Q. So they provide adequate time for response?

22 A. Yes.

23 Q. If we then turn to Section 11, which is Design
24 and Construction Specifications, I want to direct your
25 attention to the provisions of E, which is found on page

1 14. There's been some discussion about netting for
2 pits, and certainly there's been discussion for the
3 multi-well fluid management pits that Mr. Lane spoke
4 about. Do you have an opinion on netting?

5 A. Yes. Netting has been a controversial issue
6 forever; I think as long as we've had birds. But, you
7 know, if you look at netting from the perspective --
8 especially a lot of western states, the Bureau of Land
9 Management and so forth, you know, the idea of
10 netting -- and I know that, you know, you've had some
11 discussion about, you know, whether it's impossible or
12 possible or feasible or whatever. And really, netting
13 winds up being a bit of an issue almost, I think, on a
14 site-by-site basis, and that's just in my opinion.

15 Because what -- what happens is, when you
16 start looking at -- at -- say, Well, if you don't net,
17 you just go count dead birds. Well, if you put netting
18 on, you may be counting dead birds. So you can have
19 impacts to birds from netting.

20 But the other thing that happens is,
21 netting can be a real tough thing, depending on where
22 you are, to maintain. It can be -- in some cases, it
23 can be pretty easy, but in some cases, it can also be a
24 maintenance nightmare. And so what you want to look at
25 with netting is, you want to have netting where it's

1 appropriate, and you want to have netting -- I mean, if
2 you -- and depending on the type of fluids that you
3 have.

4 You know, one of the -- one of the first,
5 you know, netting issues that I got to deal with was at
6 Rocky Mountain Arsenal, and they had -- they were
7 storing hazardous fluids. And the birds would fly in,
8 and they had video of them just dying by the time they
9 got to the water. And that's not necessarily what we're
10 talking about here, but you can have some pits that
11 have -- that have oily waste in them that certainly is a
12 problem. And I've seen that -- I've seen that be an
13 issue.

14 But when we look at the types of pits, you
15 want to make sure that you've got pits where there's an
16 endangerment issue or where there is something that you
17 need to be worried about for those birds. If you have
18 some of the larger pits, netting can be really tough.
19 Wind is an issue, you know. So it just depends where
20 you're at, how you're sited. There are a lot of those
21 things that can be a challenge.

22 So my -- my feeling on netting is that you
23 need to look at the situation. You need to look at the
24 size of your pit. You need to look at what's in the
25 pit, and you need to make a decision based on those

1 sorts of things to decide, Okay; do I need to have
2 netting here? And if you say -- well, based on the
3 contents of the pit, regardless of how big it is or
4 whatever, you know, you've got -- you know, this is
5 storing, you know, oily waste or something like that,
6 you need to have netting.

7 But if you're looking at, say, a large
8 multi-well fluid management pit, in my mind, those
9 are -- those are types of things really that, you know,
10 to me, don't need netting. You're generally looking at
11 taking produced water and other waters, and so what you
12 generally see is the TDS not really being that great.
13 And you don't -- you typically also don't see something
14 where those are having oily waste on top of them, or if
15 they do, they're cleaned up pretty quick.

16 So the risk that you're posing from having
17 netting, say, on a -- you know, just simply saying,
18 You've got to have netting, is that you're going to have
19 instances where you're doing it really without a basis,
20 and, in actuality, you may be causing more harm than
21 good.

22 So that's, you know, part of why I say that
23 it should be -- you know, there should be, you know, a
24 basis for when you look at that and, you know, where you
25 require netting. I mean, you know -- so that's really

1 my thought on that.

2 Q. But for purposes of this rulemaking proceeding,
3 the industry's position is that we simply want the
4 multi-well fluid management pits to conform to the
5 existing netting rules and regulations of the state?

6 A. And so I think that what we have right here now
7 seems -- seems very appropriate.

8 Q. And then in the case where, as you're
9 indicating, there may be greater risk, that would be a
10 possible case where a variance or an exception could be
11 taken to the Commission and an appropriate decision
12 made?

13 A. Exactly.

14 Q. One thing struck me as I was thinking and
15 getting ready to go on to designs and things. Maybe we
16 should come back and answer a question that Commissioner
17 Bailey had asked yesterday of Dr. Thomas. And she had
18 said, in the context of the case of the chemical
19 exposure that may exist in pits, can you take them and
20 compare it to something else that is part of everyday
21 life? Is there a similar-type thing we can do with
22 siting restrictions so that it's more of an
23 everyday-life thing in looking at the comparative risks?

24 A. On multi-well fluid management pits?

25 Q. Or for regular pits or whatever. I was

1 thinking, for example, if you were to compare a pit
2 with, say, a septic tank, what would you see?

3 A. You know, those are a couple of interesting --
4 interesting things, and if I can address them
5 separately, that's how I'd like to do that.

6 First, if I look at septic tanks -- you
7 know, I've been a member of the Ground Water Protection
8 Council now since about 1986. That's where I met Dick
9 Samans at, initially. He was, I think, the first
10 president. And the -- and the GWPC came out with, I
11 think, an interesting statement, that they said that
12 septic tanks were probably the greatest risk in America
13 to groundwater.

14 And as I -- and as I look at that -- you
15 know, I've actually done a number of studies relative to
16 septic tanks that I think are kind of interesting. As
17 you look at -- even in New Mexico, you can have a septic
18 tank within four feet of groundwater, and that's not
19 really unlike what a lot of other states are. And what
20 I've seen -- I've done three site investigations now
21 where there was a homeowner complaint about their water
22 well, that their water well began tasting bad, and it
23 was salty. And they were in a historical oil and gas-
24 producing area. They made a complaint to the state, and
25 an investigation ensued.

1 And what we found in the three cases that
2 we looked at was that the homeowner had a septic tank.
3 In all these cases, they were pretty nice houses, but
4 kind of out, you know, where you weren't on city sewer
5 and so forth. And in each case, the homeowner also had
6 a water-softening system.

7 And what we found is that there wasn't
8 confinement between where they were getting their
9 groundwater from their water well and their septic
10 system. They were backflushing their water-softening
11 system, and those salts, as well the other things that I
12 don't really want to talk about that go into a septic
13 tank, were getting down into their groundwater. And the
14 septic tank, you know, has a head, so it was pushing
15 downward. And what we found is, it wasn't -- it wasn't
16 oil-and-gas activities, even though it was right in the
17 middle of -- one of them was in an Oklahoma City field,
18 where there was a lot of historic practices that would
19 never be tolerated today. But in all three of the cases
20 that we looked at, it was the septic tank.

21 And, you know, so when I looked at some of
22 the concerns of those issues, that's certainly one that
23 really pops out to me as, you know -- we're looking at,
24 you know, pits that have liners and we pull the water
25 out and solidify, et cetera, et cetera, versus -- versus

1 septic tanks. And I see the septic tanks as much more
2 of a threat.

3 In relation to the pit contents, if you
4 look at -- you know, I've done a good bit of analysis on
5 fluids used for drilling and hydraulic fracturing, and
6 I've been involved in the sampling of produced water
7 from flowback all over the country. And as you start
8 looking at the types of fluids that you use in hydraulic
9 fracturing, it's -- it's -- it's kind of interesting.

10 So you may -- you may have acid, you know,
11 so you may -- you may pump down a well hydraulic -- HCL
12 acid, and you start thinking, well, you know, that's bad
13 stuff. But what happens is, you inject that down. It
14 goes through the perforations, reacts with the cement
15 and, essentially, changes into saltwater. So it turns
16 into a brine.

17 When you -- when you look at your -- the
18 injection portion of hydraulic fracturing -- we're
19 actually -- my firm is doing a research study. It's
20 kind of a permaron [sic;phonetic] hydraulic fracturing
21 for a couple of Canadian research organizations. But
22 when you look at it, about 99-and-a-half percent of
23 fracturing fluid is generally water and sand. It has
24 chemical additives. And -- and -- and -- and when you
25 look at the process, you're trying to inject water and

1 sand into a formation in a gel. So you have things like
2 guar gum in there.

3 And in relation to what you were talking
4 about, Eric, is, you know, guar gum is something that --
5 nobody knew it -- you can find in Jello and ice cream.
6 That's what, you know, gels that stuff up for us, and
7 the same thing is used in fracturing.

8 You can have things to reduce friction,
9 because, as you can image, you're pumping and that. And
10 in historic time, I'd say one of the chief friction
11 reducers was diesel fuel. When I was employed with
12 Halliburton, that was -- that was the friction reducer
13 that they used.

14 And really, as we come into more modern
15 times, and what EPA has done, diesel fuel has really
16 been eliminated from everywhere, because if you use that
17 now, you're going -- you're going to get an EPA UIC
18 permit for that process. So they've substituted other
19 things. So I've seen mineral oil used as a friction
20 reducer. I've actually seen -- kind of interesting, but
21 I've seen service companies mix up a batch of water and
22 a bottle of Dawn dish soap in there. And you may have
23 other things like biocides. So you can have -- a
24 primary biocide that you may have is glutaraldehyde. So
25 you certainly don't want to drink glutaraldehyde.

1 But what happens with -- when you look at
2 the injection of those chemicals versus what's produced
3 back, most of the biocide gets expended in there. So
4 you may -- it's not to say that you're not going to see
5 glutaraldehyde in the produced water. You may. But
6 keep in mind that we have biocides in our bathroom
7 cleaners that we're exposed to. I put biocides -- I
8 don't know, you know, if anybody here has a swimming
9 pool, but I put biocides in my swimming pool. You know,
10 chlorine is another biocide. So there are a number of
11 things that we have that we utilize in really our
12 everyday lives that -- you know, that -- you know, it's
13 not like there's these chemicals we import from Mars to
14 come in to use for hydraulic fracturing.

15 The other -- the other big advantage that
16 I'm surprised nobody's talked about here is -- I was
17 really -- I don't know if everybody understands the
18 significance of what Williams was talking about. You
19 know, I spent a lot of time -- and really where I first
20 met Glen was dealing with coalbed methane issues. And,
21 you know, we've done some Department of Energy projects
22 on BMPs for coalbed methane development and, you know,
23 beneficial use of produced water for coalbed methane.
24 And, you know, Steve Henke, back in his BLM days,
25 actually worked with us a good bit in the San Juan

1 Basin, because we did multiple basins.

2 But if you look at fracturing, one of the
3 big pushes here is to reduce the amount and type of
4 chemicals that you utilize. And a key factor of that is
5 the water that you use. So, for instance, we did a U.S.
6 Department of Energy research project that multiple
7 companies participated in. Probably the chief one was
8 Southwestern Energy. But what we looked at was -- and
9 this kind of came from -- Southwestern Energy's CEO said
10 they had two -- two chief concerns. One is, they wanted
11 to get where -- if they could get to where they could
12 use a service company to only pump water and sand and
13 they didn't have to have any chemicals, they would be
14 really happy. And, furthermore, they said their two
15 chief concerns or issues with -- with shale gas
16 development in the Fayetteville Shale -- so this is not
17 in New Mexico, but I think it plays into that -- was
18 bacteria and scale.

19 So what you can do with water in a
20 multi-well fluid management pit is that by blending, you
21 can actually engineer water to have less scaling
22 tendencies, for example, so that you can add less scale
23 inhibitor. I mean, there are things, that by having a
24 tool like a multi-well fluid management pit, that --
25 that -- that allows you to reduce truck traffic and air

1 emissions and all that kind of stuff, but it also aids
2 your ability to do other things with fracturing that you
3 may not -- that may not always work but has the
4 opportunity to work.

5 So I don't want to take up the whole day
6 here. I know we're in a hurry, so I'll get off my
7 soapbox.

8 Q. Thank you.

9 But just to return to my setback question,
10 for example, in New Mexico, it's like four feet to
11 groundwater for a septic tank, 100-foot to a private
12 well; is that correct?

13 A. Yeah. It seems a little ridiculous, but yeah.

14 Q. And that's for a discharging body as opposed to
15 a pit, which is a confined?

16 A. Yes.

17 Q. If we flip back, then, to where we were,
18 looking at the construction and design -- or design and
19 construction standards, yesterday there were a number of
20 questions from Commissioner Bloom about liners and
21 stress upon liners and whether we should simply stick
22 with the two horizontal feet to one vertical foot of
23 repose. Now, you said that in your past environmental
24 and engineering experience, you've worked with liners;
25 is that correct?

1 A. Yes.

2 Q. And from the engineering perspective, when you
3 specify a performance standard, normally you stress the
4 kind of liner. Is that a well-understood term within
5 the oil and gas industry?

6 A. Yes.

7 Q. So there is not ambiguity of what they need to
8 do?

9 A. Correct.

10 Q. And why is the performance standard with other
11 entities cookie-cutter stuff of the standard of the
12 two-foot, one-foot?

13 A. Well, I think it winds up getting into,
14 perhaps, a little broader point of discussion than you
15 might think. So when you look at -- at pits and
16 construction of pits, generally what you want to do
17 is -- and I think what at least most of the larger oil
18 and gas developers are trying to do is, they have --
19 with their shareholders, which may be everybody or some
20 of the people in this room, is, they're trying to
21 continue their development on an -- on an
22 environmentally sustainable basis, you know. So there's
23 a lot of pressure, whether you think it or not, on every
24 oil and gas company to -- to improve and have a
25 continuously improving environmental program in how they

1 do things. It's just a -- you know, it's a massively
2 huge deal.

3 So you may -- you know, the -- the --
4 the -- one of the -- you know, I made a presentation at
5 a shareholder meeting for an oil and gas company to a
6 fund that was actually the State of New York Workers --
7 I can't remember exactly what it was, but it was, you
8 know, their state -- all the state employees, their
9 fund, their retirement fund. And they wanted -- you
10 know, they were pushing the gas company that they were
11 investing in to continue -- they wanted a continuously
12 improving program. The company took that seriously.
13 And that relates into many areas, but it specifically
14 relates to the pits and how they're constructed.

15 So if we have a standard -- you know, what
16 I see as a standard, kind of, arbitrary basis that might
17 be easy to -- you know, or may be perceived to be easier
18 to look at and measure compliance, it also may take away
19 from us the best way that we can design, construct and
20 operate that pit.

21 So by doing this, it may mean that, okay,
22 in a number of circumstances where we have competent
23 rock, where we can -- can -- can -- can design it to
24 where we can maybe have a smaller footprint, the
25 existing rule leaves us no option but to have a bigger

1 pit than we need, so bigger footprint, more disturbed
2 acreage, more difficulty in, say, netting something,
3 more maintenance. You know, the -- you know, the bigger
4 you get, it just -- there's more things -- you know,
5 it's just a bigger area to manage.

6 So ideally, we want to try to put things
7 into perspective. We may want to make them, you know,
8 smaller, if we can, or if there is a reason to have it
9 big, to be able to have that, if I can have steeper
10 slopes based on the rock and soil and so forth that I'm
11 dealing with; really what is best from an
12 environmentally perspective.

13 And -- and -- and I used to work with EPA,
14 and I've been doing this a long time, but, you know --
15 you know, I know there is a lot of focus on, say, well,
16 any time you change anything, well, does that mean it's
17 going to be cheaper or more expensive or whatever? And
18 I don't look at -- I look at the point of -- really, the
19 focus for me is, you know, do what makes sense, you
20 know. And to me, being able to have the flexibility to
21 be able to say, I can make a smaller pit, or depending
22 on where my pad is. And I may want to do something that
23 has a different slope or whatever that's going to work
24 best for me, to be able to provide me the best
25 environmental assurances that I can. That's what I want

1 to do. And so I think that's where we are here.

2 Q. I'd like to turn your attention, under the
3 Design and Construction standards, to Section J, which
4 is the multi-well fluid management pits, which is
5 Section J(1). One of the questions that came up is
6 whether the design standards --

7 A. Hang on.

8 Q. I'm sorry. I'll let you get there.

9 A. I'm slow. I'm sorry.

10 Okay.

11 Q. One of the questions that came up is whether
12 the design standards of the multi-well fluid management
13 pit really contemplates a double-liner requirement. In
14 your experience, does a liner system require that design
15 standard?

16 A. No. And I don't think -- you know, I think
17 that was, you know, perhaps a misinterpretation from
18 earlier testimony.

19 So with a multi-well fluid management pit
20 and the leak-detection system that you have here, you
21 can have a double liner. You're not precluded from
22 that. And a design engineer that is putting one of
23 these together may decide that that's what he wants to
24 have, but the proposed rule would also allow if you
25 wanted to have a compacted clay base or something else

1 to serve as that secondary liner. So it doesn't mean
2 that you have to have, you know, a double -- a double
3 liner, in that sense.

4 Q. But you do have to have a fairly impermeable
5 underneath stratum to catch the -- for the leak
6 detection system to the work, correct?

7 A. I wouldn't say -- it doesn't have to be some
8 impermeable bathtub, but you want something that is, you
9 know -- that's -- that's going to give you that idea and
10 be relatively impermeable; that's going to serve as a
11 good base and a good, you know, secondary liner or
12 equivalent.

13 Q. Does a leak in the liner and also having a
14 leak, if you did have a geomembrane, actually
15 necessarily result in a significant release from that
16 system?

17 A. No. And, you know -- and it -- it's
18 interesting to me. It's like, you know, when you --
19 when you -- when you start thinking about stuff -- and I
20 think about stuff a lot, but -- but -- you know, you
21 have to -- you have to put things into perspective. So
22 if I had even a double -- a double-liner system and I
23 got a leak in the upper liner, and I snuck underneath
24 and I cut a hole in the bottom liner, you've got to keep
25 in mind that even if it's a double liner or if it's

1 clay -- you know, they're compacting these things;
2 they're building them to a pretty good standard. So if
3 you're seeing a major release, the leak-detection system
4 is going to show it. If you're seeing a very minor
5 release -- just because you may have a leak in both
6 doesn't mean that you're not going to see it.

7 So if you have a double liner, you're going
8 to have to have that fluid go across that leak, and then
9 it's going to have to be able to escape.

10 And I've seen tons and tons and tons of
11 situations where you had a minor leak, you know, during,
12 say, an operational perspective -- and keeping in mind
13 this is really, generally, a temporary situation.
14 But -- but you don't typically see stuff going, you
15 know, in some major perspective. And if it is a major
16 leak, you're going to -- you're going to notice in the
17 leak-detection system; you're going to see your fluid
18 dropping. And if you get this minor leak, you know,
19 whatever we want to talk about, you know, even if it's
20 the perspective of passing through the liner itself,
21 it's temporary. I have time to be able to come in
22 after, do a minor -- do my testing, just like I have
23 here, and I address it.

24 Q. And then the last question I have for you here
25 is -- there was a concern, I think perhaps expressed by

1 Mr. Jantz, that we could build a multi-well fluid
2 management pit in the bottom of an arroyo, and, I think,
3 allow everything to wash out. Do the design standards
4 allow that?

5 A. You know -- you know, keep in mind that -- that
6 we can come up with any number of -- of -- of -- of
7 theories of what you can or can't do, but -- but -- but
8 we have setbacks; we have a process where you've got to
9 do design setbacks, submit to the state for approval.
10 It is beyond my imagination to think that you're going
11 to have a multi-well fluid management pit in an arroyo.
12 And, furthermore, you know, as -- as -- as we look at
13 kind of where we want to have these and how we're using
14 them, that's just not going to work to our advantage.

15 Now, you know, when you -- when you -- when
16 you look at those, you know, one of -- one of the
17 concerns that you have in here is, you may have, you
18 know -- you know, multiple, you know, arroyos out there
19 that -- that some may be minor or -- you know, I mean,
20 how small do you want to go to where you have a concern?
21 So you may be looking at, really, the situation, what's
22 out there, where you want to put stuff. And -- and,
23 generally, you know -- you know, when you think about,
24 well, you have maybe more flexibility on a multi-well
25 fluid management pit, but a lot of times you don't,

1 because, you know, you've got to deal with the normal
2 setbacks, but then you have to be out there looking at
3 things like arroyos and other things to be able to say,
4 Okay, I've got to put it right here or something. Those
5 are the kind of constraints that I have. And you don't
6 want it washing out.

7 Q. And then, in addition, if you look at the top
8 of page 20 on Attachment A, you're going to see
9 paragraph ten. Doesn't that provide for run-on
10 controls?

11 A. Yes, it does.

12 Q. And so as a practical matter, would not the
13 run-on control requirement of paragraph J(10) really
14 preclude location of an arroyo or other feature that
15 would have a significant waterflow?

16 A. That would -- yeah. That would -- and again, I
17 don't want to say that there's, you know -- I think in
18 the context of what we're talking about, yes, but -- but
19 keep in mind -- I mean, you could have, you know -- I
20 don't know how we all determine or think of -- of -- of
21 arroyos, just in general what they could be, but, I
22 mean, you could have some very small arroyos that really
23 are meaningless, where -- where run-on or erosion --
24 erosion sediment control are not really an issue. So --
25 so -- so in my -- in my opinion, what we have here

1 addresses the issues of concern while also giving you
2 the ability to properly locate.

3 Q. If we move, then, on to Condition K, which is
4 burial trenches for closure, is it your understanding
5 that any substantive change is intended by the wording
6 changes in K, paragraphs one and two?

7 A. Could you repeat?

8 Q. Is it your understanding whether there is any
9 substantive change to the requirements of the existing
10 Pit Rule intended by the wording change as seen in
11 paragraphs K(1) and (2)?

12 A. No.

13 Q. If we come to paragraph four, there is a
14 striking of the requirement that liner material be
15 resistant to ultraviolet light, and this is for burial
16 trenches. Why is that appropriate?

17 A. It's just in -- in this one, it's just not
18 necessary. I mean, this is going to be buried.

19 Q. And if it's buried, is it exposed to
20 ultraviolet light?

21 A. No. It's going to have at least four feet of
22 cover on it.

23 Q. If we move to paragraphs nine and ten, there is
24 a deletion of the provisions for a geomembrane cover.
25 Why is it important to delete the geomembrane cover?

1 What is that doing, and what are the issues?

2 A. You know, I understand academically the idea of
3 the geomembrane cover, and if I'm, you know -- you know,
4 trying to, you know, contain radioactive -- nuclear
5 waste or something like that, I want to have as many
6 barriers of protection as I can. But when we really
7 look at pits and if you've explored pits that have been
8 closed, you know, in New Mexico, across the country, you
9 know, in my opinion, you're better off not having a
10 geomembrane cover.

11 So what this allows is, by not having that,
12 you know, some of your -- your lighter volatiles, like
13 benzene, that may -- you know, may be in there but that
14 are probably already gone, are going to escape. But
15 you're also going to be taking advantage of not trapping
16 fluids or anything below that cover that are -- that are
17 going to be positively impacted by -- you know, by the
18 climate that we're in. So, one, it's unnecessary, and,
19 two, I think you're really better off, environmentally
20 speaking, without it.

21 Q. And then it's been noted that in the bottom of
22 paragraph eight, there is an error in what the industry
23 had proposed, in that it still refers to "the
24 installation of the geomembrane cover." And should that
25 really come out if we're proposing to remove the

1 geomembrane cover?

2 A. Yes.

3 Q. So the "prior to the installation of the
4 geomembrane cover" should probably come out as well?

5 A. (No response.)

6 Q. Now, sometimes if I take off the cover, but I
7 leave a liner on the bottom, is there a concern that
8 there's going to be precipitation that will be coming
9 down and actually turn my pit into a giant bathtub?

10 A. You know, in my experience, in a whole bunch of
11 places, including areas that get a lot more rain than
12 New Mexico, I've never seen that. I also believe, based
13 on what we're doing here and what happens in the water
14 cycle, that that's -- it's really not a possibility. It
15 just doesn't happen.

16 Q. So it's your opinion that removal of the
17 geomembrane cover in this case is not going to increase
18 the water buildup right along that lower membrane?

19 A. Correct.

20 Q. And so you do not believe that the elimination
21 of the geomembrane cover will change the migration
22 pattern of salts that might be in the pit in terms of
23 whether they are going to go further down towards the
24 groundwater?

25 A. Correct.

1 Q. We then proceed to Section 12, which is the
2 Operational Requirements. There's been a little bit of
3 discussion about the repair and replacement requirements
4 in paragraphs four and five. Is it possible to repair a
5 pit liner's integrity if it's had a puncture, if it's
6 above the water level, for example?

7 A. If it's above the water level, yes.

8 Q. And is that repair going to be functionally as
9 good as the liner was prior to the repair?

10 A. Yes, if it's done properly.

11 Q. If you come to the next section, which is
12 Section 8, I believe that Commissioner Bloom asked a
13 couple of questions about the oil absorbent boom.
14 What's the impact of the oil absorbent boom exposed to
15 the environment for a period of time?

16 A. Can I address the booms just in general, if
17 that's acceptable?

18 When we think of -- when we think of booms,
19 we tend to think that these are, you know, kind of a
20 complicated thing, and typically they're not. I mean, a
21 lot of times, it's some absorbent material and netting
22 and that. And when we think of even shortages of them
23 or not being able to get them, even with, you know, the
24 BP oil spill -- you know, the types of booms that they
25 were looking at in the Gulf and having a shortage of

1 those versus what we might use here is a couple of
2 different things. And we actually used some booms
3 within that time frame and didn't have any trouble
4 getting them.

5 But when you -- when you you start looking
6 at the management of booms, having them out there on an
7 ongoing basis, what I see is a typically -- they
8 typically don't get handled that well. They're
9 generally exposed to sunlight, you know, so they're
10 not -- you know, they're not necessarily made to some,
11 you know, high-tech engineering standard that's
12 whatever.

13 And, you know, we've done a couple of
14 these. I know one -- one -- one site that we worked on
15 in Elk Basin, of northern Wyoming, right on the
16 Wyoming-Montana border; we had booms that had been out
17 there that we had maintained, and we had an issue to
18 need them. We threw them out, and they, essentially,
19 disintegrated.

20 You know, so -- so when you -- when you
21 look at the handling and all that, in my experience,
22 it's better not to be -- not to be having them where
23 they're just out, exposed, getting dirty and all that.
24 And, furthermore, when you -- when you make the decision
25 of whether or not to use a boom, you know, keep in mind,

1 if I have a small, you know, spill, which I think, you
2 know, maybe some oil's getting on a pit, I've got a
3 little bit of time. I've got enough time to call a
4 vacuum truck that's going to be there in a few hours to
5 suck that out and that can go -- that can be managed in
6 a normal method.

7 If I try to absorb that small amount of
8 fluid with a boom, one is, my boom has to actually, you
9 know, work. And I may throw it out there. I've been
10 hauling it around from 15 other wells, and now it's
11 dirty and whatever, and it's not really being effective.
12 So now I've got it all kind of oily. I still haven't
13 gotten everything up, and maybe -- you know, maybe it is
14 keeping, you know, whatever oil I have in the pit
15 contained within a small amount of pit that it was
16 probably going to be contained in anyway. Now I have to
17 dispose of that. So how do I do that?

18 Well, now I'm going to have to send it
19 somewhere. They're probably going to want me to
20 incinerate it. It's going to cost me a bunch of money
21 unnecessarily. When, in fact, in a matter of hours, I
22 could have had a vacuum truck out there just to manage
23 it.

24 Now, I will say that I've been in
25 instances -- and I referred to this just recently on two

1 blowouts that I've handled in the last year, and we used
2 booms. And in both cases and in states that are big
3 states that certainly, you know, don't have, you know,
4 let's say, the oil and gas infrastructure that
5 New Mexico has, and we were able to have booms on site
6 within two or three hours, so -- you know.

7 And -- and -- and -- and in the event that
8 you have -- and you think about this from a -- from a
9 safety, from an environmental. So let's -- let's say
10 that I've got some boom out there, you know, and, you
11 know, kind of the thought process is that I'm going
12 to -- I'm going to be able to contain, you know, some
13 leak or some discharge or something from -- from the
14 well or whatever we have. If it's a -- if it's a
15 significant -- like if it's a -- we have a well blowout,
16 you know, and now I've got, you know, all sorts of
17 fluid; that boom isn't going to be enough, you know.
18 And so I'm going to -- I'm going to -- I'm going to make
19 calls to order the stuff I need.

20 But, furthermore, by the amount of time
21 that -- even before -- let's say that it's, you know,
22 four hours, maybe, before I can even, you know -- that
23 it's some large amount of time before I'm going to be
24 able to get a boom and that kind of equipment out there,
25 I'm probably going to take other methods to do some

1 earthen work that's going to preclude -- you know, if
2 I've got an ongoing -- you know, a well has blown out;
3 there's stuff, you know, I'm going to -- I'm going to
4 build trenches or, you know, whatever I have to contain
5 that, if there's a nearby river or whatever that is from
6 either the well or from a pit or whatever it is.

7 So having the -- this on-site thing might
8 kind of give us a little bit of, you know, feeling of
9 security, but it's really -- it really is a false sense
10 of security. And, furthermore, I'd almost say that
11 it's -- you know, by requiring that, you're probably
12 going to have equipment that's not going to, you know,
13 be able to do what you're hoping it could do.

14 Q. Moving on to Section B(1), there's a proposal
15 to allow petroleum hydrocarbon fluids to go into a
16 temporary pit. Does that cause you any concern?

17 A. No.

18 Q. Again, when we discuss Table 1 and Table 2, can
19 you talk about the rationale for why that does not cause
20 you concern?

21 A. Yes, sir.

22 Q. If you move on to B(2), there's been some
23 discussion about "under normal operating circumstances."
24 Why is it important in your view as a former regulator
25 to clarify the "under normal operating circumstances"?

1 A. You know, if you -- if you -- and I understood,
2 you know, one of the -- one of the prior notes was
3 about, you know, if you take a kick or something. But I
4 think it's -- you know, really, you've got to think it's
5 kind of broader than that. And, you know, you have --
6 you have freeboard for a purpose. You know, if you have
7 a pit regulatory program, you want to have freeboard.

8 And when you start thinking about why, you
9 know -- well, if you get a big rainstorm, you know, you
10 want to be able to have sufficient freeboard to do that.

11 If -- if you -- you know, you may even
12 say -- like we used to kick, but when you think of where
13 you can have a kick, you know, sometimes you can have a
14 freshwater kick. You can -- you can be -- or a -- or a
15 nonhydrocarbon-bearing zone kick. You may be able to go
16 in some -- you know, at some depth and have a zone
17 that -- that -- that's artesian, I guess if you think of
18 it that way, but maybe is higher pressure than you
19 thought, that might give you a bunch of returns back,
20 and it's going to take you a little bit to get that
21 under control or whatever.

22 So it could be a hydrocarbon zone that you
23 have to close off. It could be a rainstorm. It could
24 be, you know, any number of things. And really the idea
25 is, that's why you have that that. So if you -- if you

1 have one of those situations, you don't want to -- you
2 don't want to show up and say, you know, Well, we just
3 got six inches of rain, and you don't have your -- and
4 maybe you had a vacuum truck or something on the way,
5 but technically you're in compliance for having the
6 freeboard that -- for the purpose that you had it.

7 So under normal operating circumstances,
8 you maintain that freeboard, and it's kind of your
9 emergency protection. I look at it as a -- as a barrier
10 of protection, a level of -- a layer of protection. So
11 you want to make sure that you're not dinging people for
12 things that are really the whole purpose of it.

13 Q. If we move to D(3), which addresses below-grade
14 tanks, on page 24 of Attachment A, in your opinion, is
15 the substitution for the integrity demonstration a
16 better approach for inspection and maintenance of these
17 below-grade tanks?

18 A. Yes, I believe it is.

19 Q. And is it feasible, in perception, to repair a
20 below-grade tank should it generate a leak, as opposed
21 to necessarily take it out and replace it?

22 A. I mean, it kind of depends. But, you know,
23 what I've seen in my experience is, the majority of what
24 you see and the kind of things that you can repair --
25 you can do certain repairs on there. I mean, I've come

1 up to some of these tanks, and you get bullet holes, or
2 you've got maybe a piece of equipment backing in and you
3 accidentally or inadvertently puncture a hole into it.
4 And really a lot of those repairs are, you know, benign
5 repairs. They're just a normal operating thing that you
6 should be able to do, and the repair would be more than
7 adequate and not compromising to the ongoing operation
8 of the tank.

9 Q. And if we move, then, on to paragraph F, which
10 deals with the multi-well fluid management pits, do you
11 believe that the provisions that are written here are
12 going to be protective of public health and to
13 groundwater and freshwater?

14 A. I do. And I will note that this confused me
15 initially, because in the title, it says "well fluid
16 management pits," and it should be multi-well fluid
17 management pits. But, yes, I believe this is
18 protective.

19 Q. And then in paragraph three, right now there is
20 this absolute requirement to maintain at least two feet
21 of freeboard for the pit. Is that really just like it
22 is for a temporary pit, just sort of under normal
23 operating circumstances?

24 A. Correct. So this was, to me, I think, an
25 oversight in putting these together. It needs to be

1 similar to the temporary pit.

2 Q. And how likely do you believe it would be that
3 there would be an environmentally significant release
4 without the leak-detection system determining that or
5 identifying that occurring, under one of these
6 multi-well fluid management pits? In other words, how
7 likely is there to be a release from the primary system
8 of the multi-well fluid management pit that the release
9 would not be detected by the leak-detection system?

10 A. If I can -- if I can maybe kind of clarify that
11 in steps. I would say that for any significant leak,
12 you would detect it 100 percent of the time. And I
13 would say, under no situation would you not.

14 Under a minor leak, I would say that you
15 would detect that 100 percent of the time.

16 If you had -- I mean, if you had -- if you
17 think about it, almost like, you know -- there could
18 be -- there could be a leak that was so minor that it
19 didn't really, you know, aggregate enough water for
20 flow, but it's technically, you know, a leak. You
21 probably would not detect that.

22 So if we look at the -- at the steps of
23 what I see as significant versus an insignificant leak,
24 I think any significant leak you would detect.

25 Q. And would an insignificant leak be a threat to

1 public health or to the groundwater?

2 A. No.

3 MR. HISER: Madam Chair, I'm going to
4 switch now to closure, and that's going to be sort of a
5 whole different line of inquiry. So if you were looking
6 at a break, this would be a good point.

7 CHAIRPERSON BAILEY: Perfect timing. Let's
8 take a break for ten minutes.

9 (Break taken, 10:26 a.m. to 10:40 a.m.)

10 CHAIRPERSON BAILEY: We'll go back on the
11 record.

12 MR. HISER: Thank you, Madam Chair.

13 Q. (BY MR. HISER) Mr. Arthur, we are now going to
14 turn our attention to Section 19.15.17.13, which
15 addresses closure, and this is found at page 26 of
16 Attachment A.

17 Now, Mr. Arthur, is it your understanding
18 that the industry revisions preserve the fundamental
19 division of closure into two parts, one of which is
20 closure by removal, and the second of which is closure
21 in place?

22 A. Yes.

23 Q. And the closure by removal is now also
24 consolidated in Section A of this draft of the proposed
25 revisions, and closure in place is now in Section B?

1 A. Correct.

2 Q. Are there any real changes to closure by
3 removal other than the substitution of Table 1 of the
4 previous narrative standards that were in the rule?

5 A. That's certainly the primary change.

6 Q. And the other addition is the addition of
7 multi-well fluid management pits, which are solely and
8 only in the closure-by-removal aspect; is that correct?

9 A. Correct.

10 Q. And the only other change that's been proposed
11 is that if the multi-well fluid management pit
12 leak-detection system has never detected a leak, they're
13 not required to do sampling beneath the pit; is that
14 correct?

15 A. Correct.

16 Q. And in your understanding of how the
17 leak-detection system works, is that protective of the
18 public health and groundwater?

19 A. Yes.

20 Q. When we turn, then, to paragraph B, this is for
21 waste that would be buried in place, and the only
22 materials that can be buried in place are those from a
23 temporary pit or a trench; is that correct? For
24 example, if you're taking drying pad material and
25 putting them in a temporary pit.

1 A. (No response.)

2 Q. I'm sorry. I confused you.

3 A burial place is for a temporary pit; is
4 that correct?

5 A. Correct.

6 Q. And then the materials from drying pads and
7 tanks associated with closed-loop systems; is that
8 correct? That's the second part of the instruction of
9 the Section B?

10 A. Correct.

11 Q. And the major change here is that a number of
12 numeric standards that were in the previous rule have
13 been moved to Table 2; is that correct?

14 A. Correct.

15 Q. And in the interest of full disclosure, the
16 levels that are found in Table 1 and Table 2 are
17 different from the levels that were found in the
18 previous narrative discussions?

19 A. Correct.

20 Q. What I'd like to do, with the Commission's
21 permission, then, is to go ahead and flip forward to
22 page 41, which is Table 1 and Table 2, because this is
23 really the crux, I think, of the changes that the
24 industry has changed as part of this revision.

25 Mr. Arthur, as you look at Table 1, what is

1 being done here in Table 1?

2 A. The general -- the general format for Table 1
3 is really setting it up on what I would define as kind
4 of recognizing a risk basis, where we're looking at
5 those risks based on a depth to unconfined groundwater.
6 So we've separated or categorized what we're doing based
7 on either less than 50 feet, 50 to 100 feet, or greater
8 than 100 feet. And we're looking at that based on four
9 particular constituents and then -- and then looking at
10 particular levels for each four of those constituents
11 under these three different categories.

12 And if we look at kind of how the
13 constituents are, based on the limits that we specify, I
14 think it's first important to recognize that as we look
15 at BTEX and benzene, those constituents typically
16 volatilize and move through pores to the atmosphere when
17 present, you know, at, say, less than ten milligrams per
18 kilogram. So if we look at those particular ones, we've
19 kept a consistent limit for those two constituents
20 throughout each of the different depth categories.

21 If we focus on the other two, chloride and
22 TPH, what we've really done is -- looking at chloride
23 being something that is really kind of our identifier,
24 it can be mobile. What we've said is, under -- if less
25 than 50 feet, we've set a limit of 5,000 milligrams per

1 kilogram. And then at 50 to 100 feet -- so we're
2 further away from that aquifer. We've doubled that
3 limit and then doubled it again, if we're more than
4 100 feet. So we're recognizing on really an
5 environmental risk basis what those can be.

6 What we've done on TPH and really looking
7 at its tendencies, we've started at less than 50 feet,
8 at being 100 milligrams per kilogram. In recognizing
9 its tendencies, we've multiplied that times ten, in the
10 next category, to 1,000 milligrams per kilogram, and
11 then times five, in over 100 feet, to 5,000 milligrams
12 per kilogram.

13 Q. Now, Mr. Arthur, you've talked about the
14 impact, in large part, to groundwater, and you've talked
15 about the possible volumination of benzene and BTEX
16 fractions [sic]. Why weren't you concerned about the
17 direct exposure to these constituents? Is it because
18 there's always a cover over them?

19 A. Yeah. Keep in mind, as we -- as we close
20 this -- because this is -- this is for closure. So
21 we've removed, in Table 1, the contents. We're sampling
22 the soil below, and as we do our closure, we're putting
23 four feet of soil on top of this. So from a -- from
24 a -- from a content per contact perspective, it's really
25 a nonissue. I think one of our prior experts testified

1 similar to that.

2 Q. The four-foot of closure is if we're doing a
3 burial in place, but it may just be a foot for whatever
4 background soil it is, if it's a below-grade tank or a
5 multi-well fluid management pit; is that correct?

6 A. Correct.

7 Q. And those actual setbacks are set forth in
8 Section F of the proposal; is that correct?

9 A. Yes.

10 Q. Why, in your viewpoint, do you believe that
11 these levels that are set forth here, the 5,000 to
12 20,000 milligrams per kilogram of chloride, and 100 to
13 5,000 milligrams per kilogram of total petroleum
14 hydrocarbons -- hydrocarbons minus GRO plus DRO -- are
15 appropriate?

16 A. One is, you know -- I think it's -- I don't
17 know -- maybe unrealistic to -- to be able to sit there
18 and think of: Can I test for every conceivable thing
19 that's going to be in place, versus recognizing what it
20 is we're dealing with?

21 And as we've heard, I think, in prior
22 testimony, and also based on my experience, is, Table 1
23 captures the primary constituents that are going to give
24 you an idea if there is a problem. Chlorides are really
25 the first thing that you typically see and that you've

1 seen in every case that I've been involved in, and is a
2 very good indicator. So we've got, I think, a good
3 range of constituents here to be able to look at.

4 As we look at, you know, their
5 protectiveness and appropriateness for the different
6 categories, you know, I look -- look at my experience,
7 the research I've done and believe, in each of these
8 cases, that they provide really probably -- honestly, an
9 overly conservative basis.

10 Q. So at one level, if we were to look and not
11 find these four constituents in an area, would you be
12 reasonably comfortable that no release has occurred?

13 A. Yes.

14 Q. And given the depths to groundwater that are
15 here, even if a release had occurred and these
16 constituents were found at this level, are you
17 reasonably comfortable or have a high degree of
18 certainty that we would not find these constituents at
19 levels of concern to the groundwater where people might
20 use that water in the future?

21 A. You mean -- you're saying if we sampled these
22 and found these?

23 Q. If we were to sample these constituents, found
24 them less than these concentrations, these depths to
25 groundwater, would you be highly certain that you would

1 not subsequently find them at levels of concern in the
2 groundwater?

3 A. Yes, sir.

4 Q. And would that also be true for other
5 constituents in the pits if these constituents were
6 found at these levels?

7 A. Yes.

8 Q. If we move, then, and look to Table 2, what is
9 the difference of Table 2 and Table 1?

10 A. Well, first, I guess, and most obviously, is,
11 Table 2 is set up for a really different circumstance,
12 where the pit materials are left in place, and
13 recognizing that as we've come up with a similar kind of
14 basis to Table 1, but for a different circumstance. So
15 because one is removal and the other is left in place,
16 two tables were felt necessary. And this one addresses
17 using, really, a similar approach on categorizing things
18 by distance to unconfined groundwater, and the
19 details -- the depths are slightly different, and the
20 limits and methods are slightly different.

21 But within this, if -- if I -- if we look
22 at both BTEX and benzene being essentially similar, if
23 we look at the TPH being similar, the one bigger change
24 that you're going to see, or difference, is that we're
25 now using a different method by which to assess

1 chloride.

2 And if we look at the reasoning, I think
3 it's mostly common sense. If we look at the SPLP
4 method, it's really designed to determine the mobility
5 of both organic and inorganic compounds, and that's kind
6 of intrinsic of the method.

7 And so as someone, you know, like me, who
8 is looking at trying to evaluate these pits, I want the
9 most appropriate method. And so we changed the method
10 in this one not necessarily to make numbers look bigger
11 or smaller, but really to have the appropriate data in
12 place to evaluate.

13 Q. Is that because the milligram per liter here is
14 looking more at leaching capability --

15 A. That's correct.

16 Q. -- as opposed to just milligrams per
17 kilogram --

18 A. Correct.

19 Q. So is it your testimony that if we have, for
20 example, chloride at 2,500 milligrams per liter at
21 25- to 50-foot and at 5,000 milligrams per liter over
22 50-foot, that we would not expect to see chloride in the
23 groundwater at a reasonably foreseeable place of use in
24 excess of 250 milligrams per liter or the water-quality
25 standards of New Mexico?

1 A. Absolutely not. So if we -- you know, in
2 reality, I think that, you know, Table 2 is awfully
3 conservative, because the one thing that, you know, you
4 look at in here is, we have greater than 50 feet. So at
5 some distances, even -- even this sampling is
6 questionable as far as necessity.

7 But if we look at having these compared to
8 the water-quality standards, you would -- you would not
9 expect, you know, closure of pits like this to exceed
10 the state's water-quality standard.

11 Q. Now, in the existing Pit Rule 17 for burial
12 trenches only, there is an additional requirement that
13 for -- that the industry needs to sample all of the 3103
14 constituent lists and show that they stay below certain
15 levels. Is it necessary or appropriate to look at that
16 constituent going to be protecting the groundwater at a
17 reasonably foreseeable place of future use?

18 A. Honestly, I have no clue as to what the
19 scientific basis or need for that is, and have thought
20 long and hard about it and see no -- no technical need
21 or driver or regulatory purpose of doing that that.

22 Q. So it's your opinion that in order to protect
23 the groundwater, we don't actually need that list of
24 3103 constituents to the testing regimen?

25 A. It's not even applicable.

1 Q. When you say it's not applicable, I mean, the
2 water-quality standards certainly apply in the
3 groundwater --

4 A. Yes, but not for where you would sample -- not
5 where that would be proposed to the place of point of
6 sampling.

7 Q. So it's not appropriate to try to apply those
8 standards up in the pit waste --

9 A. Exactly.

10 Q. -- because that deals -- that applies down here
11 in the groundwater?

12 A. Where it may potentially be used, yeah.

13 Q. So it's your testimony today that if we were to
14 adopt criteria level -- criterions of levels and depths
15 that we see at Tables 1 and 2, that we would be
16 protective of public health?

17 A. Yes.

18 Q. And of freshwater?

19 A. Yes.

20 Q. And of the environment?

21 A. Yes.

22 Q. Now, in the siting criteria, we talked a little
23 bit about the importance of response time. Is response
24 time a critical element in the post-closure phases that
25 we are talking about here with Table 2, or is that more

1 of an issue during the operational phrase, when we have
2 liquids in the pit for the multi-well fluid management
3 pit?

4 A. Well, I think, clearly, to me, and based on my
5 experience and in my opinion, the issue is during
6 operations, you know. Then we've got -- we've got a
7 head. You know, we've got issues to be concerned about.

8 In post-closure, you know, I, for the life
9 of me -- I mean, based on everything that we're doing in
10 a closure process, this stuff isn't going anywhere. So
11 the response time related to that is -- is not -- not an
12 issue of concern.

13 Q. And in the many, many pits that you said that
14 you've worked with -- and I believe you said your
15 experience was with 6,000 pits, not all of which you've
16 probably looked at the depth -- have you ever seen a
17 substantial amount of chloride that has gone up or down
18 in that pit, from the pit, and if so, how far?

19 A. Well, keep in mind, some of the pits that I
20 have experience with were filtration pits. You know,
21 that was what they were proposed as. So the answer to
22 your question is, yes, in general. But to clarify, for
23 the types of pits that we're talking about right here, I
24 have not.

25 Q. You have not seen any migration, or you've only

1 seen the migration to a limited extent?

2 A. Well, I guess my statement, to clarify, would
3 be significant, in my opinion.

4 Q. Significant migration.

5 And now you mentioned an infiltration pit.
6 That's not a term that many of us here are going to be
7 familiar with. Explain a little bit to the Commission
8 what an infiltration pit is.

9 A. Well, the first infiltration pits that I did
10 were for Walt Disney World, and they had infiltration
11 pits in Florida to allow -- slow-rate filtration pits.
12 It was designed to access treated effluent and allow it
13 to percolate in the ground.

14 But moreover, in -- in -- in oil and gas
15 and water management, I've dealt with pits where the
16 idea of the pit is to allow water to actually migrate
17 downward. In some of the very, very early days, you
18 know, around the turn of the last century, in the early
19 1900s, in many oil and gas-producing states, you had
20 disposal pits, to where -- you know, there was one that
21 we were working on, had been working on for some time,
22 in the Wichita, Kansas facility where maybe over a
23 period of 20 or 30 years operators disposed of their
24 brine into a pit that just filtrated --

25 Q. And the purpose of that was actually to --

1 A. Yeah.

2 Q. -- move the water out of the pit and downward?

3 A. Right.

4 Q. And that's not at all related to the types of
5 pits we're talking about?

6 A. Absolutely not.

7 Q. If we return, then, to slide -- I think it's
8 going to be Exhibit 14-21 of the presentation. If we go
9 back to that original dichotomy that you drew between
10 operational closure and post-closure phases, in your
11 opinion, have we addressed the various release
12 pathways [sic] that are going to be potentially present
13 through the proposed rule -- or the existing rule even
14 with the proposed revisions?

15 A. Well, if we look at the various possibilities,
16 you know, we look at, you know, spills and overland
17 releases, you know, the siting and design requirements,
18 operational requirements, freeboard repair seem to
19 address those concerns and provide for a quick response.

20 Direct contact from -- if we look at this
21 from a, you know, public health or a safety perspective,
22 they appear to be addressed. Punctures and leaks in the
23 liner, you know, we addressed those through a variety of
24 means. So I'm confident that -- that, you know, based
25 on the various criteria we've looked at, the rules are

1 certainly more than adequate.

2 Q. What about in the post-closure phase?

3 A. If we look at post-closure, again, in my
4 opinion, the couple of things that we look at -- you
5 know, if we look at, first, kind of erosion and exposure
6 issues, you know, we've got, you know, siting to prevent
7 location high-risk areas, you know, so we're not going
8 to, you know, put it right next -- that's kind of why we
9 have setbacks. We've got a cover in the case of all of
10 them. We've got contouring, which is another, really, I
11 mean, one of the more important aspects of all of this
12 so that we -- you know, that we can contour, revegetate
13 so that we don't have some significant erosion later on.
14 I'd say that if there is an issue that I've seen that,
15 you know, has, you know, caused me concern is areas
16 where that wasn't done, and you can get highly erodible
17 soils. And I can walk up to the site, and I can see the
18 pit at surface. So that's an important aspect of the
19 rules.

20 Bleaching aspects, from the minimum
21 distances for buffering, the limits, in both Tables 1
22 and 2, and contouring to minimize hydraulic head and so
23 forth, so I think really we've -- the proposed rules, I
24 think, do address things, I think, you know, more
25 appropriately than the existing rules, and the proposed

1 rules address the things that you would be concerned
2 about from a public health and environmental safety
3 perspective.

4 Q. And how would New Mexico's rules stack up
5 against other major producing states even with the
6 industry revisions included in them?

7 A. Well, one of the things we tried to do as part
8 of this is -- I wanted to look at exactly that. So if
9 you -- if you -- if you look just very generally at the
10 oil and gas-producing states, you know, there's -- you
11 know, there's about 33 states that -- that -- that
12 really do this. And if we look at the -- if you
13 remember, kind of, you know, what I talked about earlier
14 in going through is that we looked at kind of the
15 components of the proposed Rule 17 and how that -- how
16 that compares to other states. We see that states that
17 have -- permits are required to construct or use, about
18 19 other states have that that. Liners required for at
19 least some pits, 23 states. Requires some sort of
20 minimum freeboard, 16 states. Setbacks from surface
21 water, only 10 states. Pits are prohibited in the water
22 table, 12 states. Regulate the duration of use, 16
23 states. So if we look at that, I think, you know, these
24 stack up pretty well.

25 Q. All right. Did you look at any states in even

1 greater detail?

2 A. Yeah. What I tried to do is, I chose really
3 kind of six states that I, you know, felt had, you know,
4 a good bit of production and would be a good comparison,
5 at least in my opinion.

6 But New Mexico's liner requirements are
7 more stringent than four of the six states that I chose
8 in this comparative analysis. New Mexico's freeboard
9 requirements meet or exceed all other of the six states.
10 New Mexico has more detailed setback requirements than
11 all the other six states, and New Mexico has more
12 stringent requirements for setback from the groundwater
13 than five of the other six states.

14 Q. And that would be even with the revisions that
15 are proposed in the industry proposal; is that correct?

16 A. Yes.

17 Q. And so if you were to summarize, do you believe
18 that the Commission can conclude that the proposed
19 revisions to the rule are going to be protective of
20 public health and freshwater and the environment?

21 A. Yes.

22 Q. How do you reach that conclusion?

23 A. Well, if we kind of look through, you know, my
24 analysis, you know, the history of temporary pits with
25 incidents which could impact groundwater is pretty

1 small, you know, 0.0125 percent of the pits that have
2 been in the state. You know, from a -- from a risk
3 perspective on environmental rules, that's -- that's
4 pretty darn good.

5 The current proposed Rule 17 uses siting,
6 design, construction, operation, closure, reclamation
7 requirements that I think do a good job of ensuring
8 public health and the environment.

9 Q. And even with the revisions to proposed Rule
10 17, does that have impact on New Mexico's leading
11 position in how they regulate the impacts of pits, or
12 does that leave us still as one of the leading states?

13 A. I would say that with the proposed rules -- the
14 proposed Rule 17 is more detailed and stringent than
15 regulation rules in most of the other states managing
16 oil and gas production and especially with high levels
17 of current oil and gas development.

18 The Commission, I think, can and should
19 conclude that the proposed Rule 17 is protective of
20 public health and the environment.

21 You know, I'm just one guy, but, you know,
22 I've looked at a lot of pits. I've been on a lot of
23 different sides of the table. I have experience with
24 the various details of this from both a regulatory
25 perspective and trying to help implement these, and

1 these seem like a very good take at rules that I think
2 meet what the state is trying to accomplish.

3 Q. If you turn back to the NMOGA exhibit book and
4 flip to Exhibit 15, there is a document called "Expert
5 Report on Proposed Revisions to the Pit Rule." Did you
6 prepare this report?

7 A. Yes, sir, I did.

8 Q. Does it summarize the testimony that you gave
9 to the Commission today?

10 A. Mostly. We got a little bit beyond what's in
11 my expert report with the testimony, but, yes, in
12 general, it does.

13 MR. HISER: Madam Chair, I would move that
14 NMOGA Exhibit Number 14, which are the slides that you
15 saw; NMOGA Exhibit 14A, which is the drawing of the
16 multi-well fluid management pit; and NMOGA 15, which is
17 the report of Mr. Arthur be admitted.

18 CHAIRPERSON BAILEY: Any objections?

19 MS. CALMAN: No objection.

20 MR. JANTZ: No objection.

21 MS. FOSTER: No objection.

22 MS. GERHOLT: No objection.

23 CHAIRPERSON BAILEY: Then they are
24 admitted.

25 (NMOGA Exhibit Numbers 14, 14A and 15 were

1 offered and admitted into evidence.)

2 MR. HISER: And I've completed my direct.
3 I'll turn it over to you.

4 CHAIRPERSON BAILEY: Ms. Foster, do you
5 have any questions of this witness?

6 MS. FOSTER: Madam Chair, no, I do not.
7 Thank you.

8 CHAIRPERSON BAILEY: Mr. Jantz, do you have
9 questions?

10 MR. JANTZ: Yeah, I do have questions.

11 CROSS-EXAMINATION

12 BY MR. JANTZ:

13 Q. Good morning, Mr. Arthur.

14 A. Good morning.

15 Q. Let's just start off at the beginning with
16 the --

17 A. On the presentation?

18 Q. On the presentation, yeah.

19 Looking at your overview of the pits --
20 historic pits, could you explain to me the process you
21 used to evaluate the historic pits statistics that you
22 present here? Step one, what did you do?

23 A. We estimated the number of pits that have been
24 constructed in the state. We looked at past testimony
25 conducted by the OCD of the 4- to 500 pits. We

1 attempted to then research those and evaluate, really,
2 available information to come up with the statistics
3 that we had, including review of individual data on
4 the -- you know, the subject smaller number of pits that
5 had alleged issues.

6 Q. Okay. So the number of pits that have been
7 constructed is an estimation, right?

8 A. Yes, 80- to 100,000.

9 Q. And that's based on -- what do you base that
10 estimation on?

11 A. We've seen that -- we've seen that number used,
12 but also looking at the number of wells that have been
13 in the state and so forth. So it's in that -- it's in
14 that range.

15 Q. So is it based on historical data of wells
16 drilled?

17 A. Yes.

18 Q. And that information was available from public
19 records? Is that what --

20 A. Yeah.

21 Q. And you said you reviewed testimony from the
22 OCD. What testimony did you review?

23 A. I reviewed the presentations and stuff from the
24 last hearing.

25 Q. So the Pit Rule hearing in 2007, 2008?

1 A. Yeah.

2 Q. You reviewed testimony from the OCD?

3 A. Uh-huh.

4 Q. Did you also review Dr. Stephens' testimony
5 from --

6 A. I reviewed his slides.

7 Q. You did review his slides. You didn't review
8 the testimony?

9 A. No, I didn't go through and review whatever --
10 written testimony.

11 Q. So in your review of OCD's testimony from 2007,
12 2008, do you recall the percentage of reporting that
13 operators do in terms of leaks and tears in liners?

14 A. No.

15 Q. Would you be surprised if I told you that
16 Mr. Michael Bratcher, the field supervisor in Artesia,
17 estimated that 80 percent of the time those breaches
18 aren't reported?

19 A. That would surprise me, and it sounds like what
20 you're suggesting is an estimate, too, but --

21 Q. It was based on his experience.

22 So let's just assume, for the sake of
23 argument, that that's true, and it was sworn testimony
24 in the Pit Rule hearing, which you say you reviewed. Is
25 it possible that this information that you have

1 doesn't -- is a very -- is underreporting the number of
2 groundwater impacts to -- to groundwater for pits?

3 A. I would be surprised if it's very far off of
4 that.

5 Q. But it's possible?

6 A. Could you be more specific?

7 Q. Is it possible, assuming for the sake of
8 argument, that 80 percent of the time these things
9 aren't reported by operators, that this data set that
10 you used represents an underreporting of --

11 A. So my reporting is on potential instances where
12 there's alleged groundwater contamination.

13 Q. Right.

14 A. You're trying to provide something that, to me,
15 sounds very different; so any time there is a leak or
16 tear. So I can have a tear in something that is above
17 the waterline or that doesn't result in a groundwater
18 issue, and to me those are two different things. So I'm
19 not sure where you're going.

20 Q. Well, the tears that were noted by Mr. Bratcher
21 did result in some impact to soils underneath the pits.
22 So I'm sorry --

23 MR. HISER: I think that I would object to
24 that.

25 MR. JANTZ: I can read the testimony. And

1 Mr. Arthur said that he reviewed --

2 A. I didn't review everybody's testimony. I
3 reviewed presentations, I think is what I told you. So
4 I haven't read the whole testimony from the last
5 multi-week Pit Rule hearings. Sorry.

6 Q. (BY MR. JANTZ) Let me rephrase. Assuming that
7 80 percent of the time operators do not report tear --
8 liner breaches that result in impacts to the soil
9 underneath the pit, is it possible then, making that
10 assumption, that this could represent an under-
11 reporting -- that the data set you used could represent
12 an underreporting to the impacts of pit contents on
13 groundwater?

14 A. Well, what I -- how I can respond to that,
15 really, is going to be based on my experience in a
16 number of different states, including New Mexico, but
17 certainly all around the country. I have seen many
18 instances of pits becoming compromised. I would say
19 that, in general, those compromises are very minor and
20 not something that is going to be jumping to the
21 conclusion that if I have a tear or a leak in a pit that
22 goes unreported is automatically a cause of groundwater
23 contamination. I think that is a massive jump on your
24 part, and it's not something that I agree with. And I
25 think that my numbers that I have here, even recognizing

1 with what you're saying, are probably not going to vary
2 significantly.

3 Q. Did you run a statistical analysis on this data
4 set?

5 A. Could you be more specific?

6 Q. Did you -- well, let me ask this: Does the
7 data set that you used conform to generally accepted
8 scientific standards for a reasonable -- for a
9 legitimate data set upon which to base conclusions?

10 A. Is there a -- is there a reference that --
11 that -- that you're having, or are you asking, is this,
12 in my professional opinion and experience, acceptable?
13 I'm confused of what you're really asking.

14 Q. Okay. I'm trying to --

15 A. Is there an ASTM standard or something? Is
16 that what you're looking for, or what?

17 Q. I'm trying to find -- I'm trying to find out if
18 there is some objective standard upon which to base --
19 to compare the data set that you're using, to determine
20 whether it is a valid data set.

21 A. I would say -- one is, I can only answer based
22 on my experience.

23 Q. Okay.

24 A. And in my experience, the analysis that we did
25 is not like analysis that I've been involved in and that

1 I've seen done in other rulemaking endeavors both at the
2 state, federal and local level.

3 Q. So in your experience, there's no objective
4 statistical analysis or other type of criteria upon
5 which to compare this data set with what might be a
6 scientifically or statistically acceptable data set?

7 For example, sample size, that's
8 generally --

9 MR. HISER: Madam Chair, perhaps it would
10 be helpful if Counsel could clarify if he's trying to do
11 the Student's t-test to compare whether two sets of data
12 are the same, or what exactly he's trying to compare,
13 because there are many ways you can use statistics.

14 MR. JANTZ: Sure.

15 Q. (BY MR. JANTZ) For example, with respect to
16 groundwater samples pursuant to RCRA. EPA has certain
17 standards that are required to be met, and you have to
18 designate the data as normal, lognormal, averages. Is
19 there a similar process for evaluating data such as
20 this, or did you just take a look at the records, do a
21 simple arithmetic -- did simple arithmetic and present
22 your conclusions?

23 A. You know, I've done a little work in the RCRA
24 and Superfund programs, and I've seen statistical
25 analysis done by accounting agencies. And I think

1 there's probably many standards of how statistics are
2 done, can be done, may be done, and, in general, when
3 you see some of these standards and bases, they're based
4 on a program where you're dealing with many
5 similarities.

6 And what I'm trying to do in this case is
7 use a method that has the data that I saw as available,
8 the actual data and results from this data from
9 estimating the number of wells and more recent events.
10 So as opposed to looking at this as some, you know,
11 documented statistical analysis approved by the FDA or
12 whoever, what I tried to do was use the data that was
13 available, my best engineering judgment, my experience
14 and my understanding of the area to come up with -- with
15 data to be able to present in a fashion that I thought
16 was most applicable to the rulemaking process.

17 Q. Okay. Let me ask you this: When you looked at
18 this data set, did you look at the depth to groundwater
19 for each site where contamination was found?

20 A. I looked at the summary reports, and so I think
21 that had the depth to groundwater, yes.

22 Q. So I imagine -- can you give me a range, to
23 your recollection, of the depth to groundwater?

24 A. I don't remember, but what I can tell you is
25 that in all the cases that I reviewed here, all occurred

1 during the operational phase. All were tears in the
2 liner. And I don't believe that in any of the cases
3 it -- I just -- I can't, off the top of my head, recall,
4 but I don't remember the depth to groundwater being real
5 significant. You know, I can't remember those numbers
6 off the top of my head.

7 Q. So what do you mean by distant?

8 A. Not hundreds of feet.

9 Q. Okay. But it could be closer than hundreds of
10 feet?

11 A. Yeah.

12 Q. Did the data set you reviewed have information
13 about the size of the pits in terms of volume?

14 A. I don't recall.

15 Q. What about the age of the pit?

16 A. I believe it had that, but I don't remember
17 that data. It's been a couple of days since I looked at
18 the specific details on all that.

19 Q. Sure. Did the data set you looked at mention
20 the type of liner?

21 A. Yes. They all had some liner. So this was --
22 in all of these cases -- this was really before Rule 17.
23 So in those cases, what I looked at was that under the
24 existing rule or the proposed rule, that, you know, the
25 proposed rule would be more protective of the incidents

1 that I saw.

2 Q. Did it talk about what thickness of liner it
3 was?

4 A. I recall some liners. I believe that I saw 12
5 mil thickness on some of them, but I can't remember
6 specifically. I was looking more at, you know, how they
7 were put together.

8 Q. The data set you looked at, the reports you
9 looked at, did they mention how the violations -- or how
10 the contamination was discovered?

11 A. I don't recall.

12 Q. So you don't remember if it was self-reported?

13 A. I don't remember that, no.

14 Q. The estimation of the number of pits, the 80-
15 to 100,000 that you estimated here, are those the same
16 kind of pits that are -- that you evaluated in the data
17 set?

18 A. Would be all pits.

19 Q. Huh?

20 A. All pits.

21 Q. They're all pits.

22 And they're the exact same kind?

23 A. All pits. That's what I'm estimating. So that
24 would be the historic pits. There's been temporary
25 pits, permanent pits, et cetera.

1 Q. Uh-huh. So it's a one-to-one comparison, is
2 what you're saying? You evaluated all pits, temporary
3 permanent, whatever. That's the same kind of pits as
4 the 100,000 in the estimate, right?

5 A. (No response.)

6 Q. Let me rephrase that that. Are there different
7 kinds of pits that have been used historically that are
8 used now?

9 A. You know, I'm thinking about both of your
10 questions, sir. And in oil and gas development over the
11 years, I think that, in general, the pits were similar.
12 I mean, not to say that they were all permanent or, you
13 know, all temporary or anything like that. There's
14 that -- I mean in that universe of pits used for oil and
15 gas development. So in that light, similar.

16 And when I think about -- when you say, Are
17 all pits the same? You know, I mean, I'm trying to
18 think of what other sorts of things the oil and gas
19 industry might have used a pit for 50, 100 years ago.
20 And I think even if I explore back to those times, it
21 would have been for relatively similar purposes,
22 although I'd say that you might even have had some of
23 those pits, in many of the early days -- one of the
24 things that's interesting in New Mexico's history is,
25 they used to produce oil and put them in pits. And

1 they -- you know, so some of the early -- when they were
2 looking for workers from the East, they'd send postcards
3 out of these pools of oil, and some of the Easterners
4 thought that how you explored for oil was by going
5 around searching for pits.

6 So certainly there could be -- there could
7 be instances where you could have pits that probably, I
8 would say, are more environmentally endangering than
9 what we're talking about here, which I think leads to my
10 overall conclusion that having relatively a small number
11 of groundwater impacts or alleged groundwater impacts
12 makes me feel positive about that.

13 I'll also state that if -- if, you know,
14 many -- in my experience, where you see pits that have a
15 leak or a tear or maybe an overflow or, 100 years ago,
16 an intentional overflow, but -- but for the most part,
17 you know, if you had an ongoing issue of groundwater
18 contamination, I think that in most cases you would see
19 it, you know. Even if something went unreported, you
20 know, there would have been an impact, and we don't
21 necessarily see that.

22 So, you know, I think that the state would
23 have -- if there were, you know, out of the 80- to
24 100,000, 50,000 or maybe 80,000 that caused groundwater
25 contamination, you know, I'm going to guess we would be

1 doing pit hearings well in advance of 2008 or 2012, or
2 even from the Rule 50, because there would have been a
3 mass outcry from people of groundwater contamination,
4 and we haven't seen that.

5 And honestly -- I mean, I'm not making this
6 up -- is that in most of the pits that I've seen, even
7 historic pits -- and I've seen pits that in infiltration
8 pits that certainly caused real problems, but most of
9 the pits that I've seen, even unlined pits, you know,
10 the migration from those has really not -- you know, I
11 mean, not been that significant.

12 Q. So what's --

13 A. So I'm confident with these numbers.

14 Q. So what's the point, then, of the -- what's the
15 point of NMOGA's proposed revisions to the Pit Rule,
16 then? If what we have is protected -- I mean, I don't
17 want to put words in your mouth, but what we have is
18 protected.

19 A. Well, first, thank you for not wanting to put
20 words in my mouth.

21 Q. (Laughter.)

22 A. I think you've done a little bit of that here
23 the last couple of days.

24 But from my perspective, when I look at the
25 existing rules compared to the proposed rules -- okay?

1 And I'll give you my professional opinion. One, I think
2 the proposed rules address some things from a
3 clarification perspective. They address some things to
4 incorporate a risk-based infrastructure, which I think
5 is important. They address and allow the issue of
6 multi-well fluid management pits. They, I think,
7 improve some things from an environmental perspective.

8 I really think not having a geomembrane
9 cover over the pits when we're burying those is a good
10 idea and actually better.

11 You know, so it does a number of things
12 that improve them, I think, makes them more easily
13 regulatable, which, I think, to me, is important, more
14 implementable by industry. And I can't tell you how --
15 how important that is. When you're, you know -- if I'm
16 a regulator, I do not want to make a rule that is harder
17 than hell to implement, because what's going to happen
18 is, people are not going to be able to do it. So I want
19 to do something that's clear, that's concise, that makes
20 sense, that's not -- you know, that's not making
21 requirements that costs industry money; it costs them
22 time; it costs the state time, and it costs the taxpayer
23 money that is not providing an environmental benefit.

24 So I think that the proposed rules really
25 meet on a number of different levels to improve the

1 rule. And I think, in part, one of the ways that
2 it's --

3 (Cell phone ringing.)

4 THE WITNESS: Okay. I apologize. I
5 thought I got this turned off.

6 A. But -- but it also bases on a little bit of
7 experience in trying to implement those rules, on both
8 sides, for the last couple of years. So I think that
9 there is a need for the proposed rules, and the proposed
10 rules, I truly believe, are an improvement.

11 Q. (BY MR. JANTZ) But that wasn't my question. My
12 question was --

13 A. I thought it was.

14 Q. -- in your professional opinion, are the
15 current pit rules protective of freshwater?

16 A. Yes.

17 Q. Public health?

18 A. Yes.

19 Q. Livestock?

20 A. Yeah.

21 Q. And the reasons for the change -- the proposed
22 change, if I understand, in your professional opinion,
23 are: Cheaper to implement?

24 A. Well, you're all about cost on everything, and
25 I don't think -- that's not -- that's not really my --

1 the main focus of what I'm even seeing here nor is it
2 what I said.

3 Q. But that's a consideration; is it not? And you
4 did mention, if I heard you correctly, that they are
5 cheaper to implement; is that not true?

6 A. I haven't done or tried to do an economic
7 analysis or assessment of this. What I've tried to do
8 is to look at the implementability of it, the adequacy
9 of it, you know, those sorts of functions as opposed to,
10 you know, the burden from a -- from a time and those
11 perspectives. So I would say that overall, the proposed
12 rules are probably cheaper to implement for the
13 companies and the state and more easily to regulate
14 managed compliance, which is a positive thing, I
15 believe.

16 Q. Sure. And if that's the case, given the
17 success rate with even unregulated unlined pits, why
18 don't we just go back to that? That would be much
19 easier to regulate, wouldn't it?

20 A. You know, over the formation of our country and
21 the implementation of oil and gas development, energy
22 development, really, of any type, there is -- there has
23 been a much more growing need to have, I'd say, more
24 highly regulated, more accountable regulatory
25 infrastructure on everything we do.

1 And I think that from a societal
2 perspective, that in 2012 -- or 2008 is that -- is that
3 rolling back -- irregardless [sic] of risk and not
4 showing regulation, even if the regulation maybe is --
5 is -- is overly conservative most of the time, it serves
6 to address the minority of the time.

7 We have speed limits, you know. Well,
8 you're probably not going to speed. I'm probably not
9 going to speed, but the Commissioner, you know, might
10 have a lead foot. So we're going to put in a speed
11 limit to make sure that we're all on the same path.

12 So how I see it is that -- is that, you
13 know, even though we've seen the statistics that we've
14 had, it's important for us to have a good implementable
15 infrastructure so that we can demonstrate that we have a
16 regulated industry, that the regulatory infrastructure
17 from which they work is good and that can be regulated.
18 So it's, I think, a lot of accountability and a number
19 of different things.

20 So I would not agree that we should roll
21 back to no rules or whatever. But what I will say is
22 that if you look at from what I've seen from a number of
23 other states, New Mexico is much more stringent in
24 exhibiting Rule 17, and even the proposed Rule 17, than
25 many other states. So there are a number of things

1 aren't necessarily implemented in other states that
2 are [sic]. And that's not across the board. But, in
3 general, if you look at the whole, these are pretty --
4 pretty good rules that I think are protective.

5 Q. And you come at that from risk-based
6 perspective; is that right?

7 A. From an experience perspective. I guess risk,
8 too.

9 Q. Have you done a rigorous risk analysis on that?
10 When I see risk analyses, I'm used to seeing, well,
11 there is 1 in 1,000 chance of something bad happening,
12 or 1 in 100,000 chance of something bad happening, but I
13 haven't seen that yet in this hearing. Have you done
14 that?

15 A. So are you talking a human-health risk
16 assessment?

17 Q. Yeah.

18 A. So I think, you know, when you look at -- and I
19 understand your lack of knowledge and not a risk
20 assessor, but when you look at -- when you look at risk
21 assessment -- and I've seen a number of those done both
22 while I was at the EPA and in my consulting career.
23 When you look at, you know, kind of the risk-exposure
24 limit, you have a pathway. You have -- you know, you've
25 got something that's -- you're doing a RCRA closure, so

1 you're going to put a housing development on a former,
2 you know, smelting company.

3 You know, the Wyoming Oil and Gas
4 Conservation Commission's office is on a former
5 Superfund site. So they did risk assessments there.
6 They're going to have an office building there. You
7 have people that are going to be driving around here.
8 And what they decided is, they looked at the use of
9 that, and turned it into a golf course and so forth to
10 be able to have a basis from a risk assessment.

11 In looking at what we're doing here, we
12 looked at Dr. Thomas' testimony on risk. He handled
13 that. I think he did that well. I didn't do a
14 human-health risk assessment. When you start looking at
15 the surface, we looked at lot of the components of that,
16 but we didn't try to come down with a particular number.
17 It would be awfully low.

18 Q. Are there -- and forgive me, because you're
19 right; I don't do risk assessment. I'm just a lawyer --

20 A. Sorry.

21 Q. -- so I rely on what guys like you tell me.

22 Are there risk assessments done for
23 nonhuman-health type things? Like, what's the risk of
24 impacted groundwater from this particular source of
25 contamination -- or potential source of contamination?

1 A. You can -- I mean, if you use the term "risk
2 assessment" broadly, you can do risk probability
3 analysis.

4 Q. And did you do that here?

5 A. I think that what -- you know, depending on how
6 you want to define a risk assessment or risk probability
7 analysis in broad terms -- and I didn't try to call it
8 that, but I think that, you know, some of the
9 statistical analysis that we did, you know, just, you
10 know, looking at data that exists, could probably be
11 determined, in a broad sense, a risk assessment.

12 Q. And can you explain the statistical analysis
13 that you did?

14 A. So I'll use the last one, for instance, you
15 know, about looking at the number of wells that were
16 drilled, that those would have had pits, that 95 percent
17 of them would have had temporary pits, and that there
18 were six alleged cases of -- or six cases of alleged
19 groundwater contamination to that. So you could do a
20 real basic probability analysis or -- or -- or -- or
21 any -- just an analysis. I don't know that you have to
22 call it a risk analysis or a probability analysis or
23 anything like that. It's just, that's the data that is
24 there.

25 Q. And based on your -- based on this estimate of

1 80- to 100,000 wells, are all the pits tested for
2 release?

3 A. All the 80- to 100,000 pits?

4 Q. Right.

5 A. Probably not. I'm sure not.

6 Q. Okay. Let's move on to the -- some of the
7 siting requirements.

8 CHAIRPERSON BAILEY: Why don't we have one
9 more question, and then we'll stop and ask for public
10 comment?

11 MR. JANTZ: Well, since I'm going into the
12 siting requirements, this is a whole line of
13 questioning.

14 CHAIRPERSON BAILEY: Maybe we should break
15 right now.

16 Any people who signed up for public comment
17 today? We have no one?

18 All right. Then why don't we take a lunch
19 break and be back here at five to 1:00?

20 (Lunch recess, 11:40 a.m. to 12:58 p.m.)

21 CHAIRPERSON BAILEY: We are back on the
22 record for cross-examination of Mr. Daniel Arthur.

23 I believe, Mr. Jantz, you were in your
24 cross-examination.

25 MR. JANTZ: Right.

1 Q. (BY MR. JANTZ) One other question I forgot to
2 ask you about the data set that you looked at regarding
3 historical pits. Is that the same data set that OCD
4 used back in 2007, 2008?

5 A. Yes.

6 Q. You didn't add any information to that, any
7 data points, anything like that?

8 A. It depends on what part of the analysis you're
9 talking about. So we did the -- I did the additional
10 analysis of the 2005, 2007. We looked at the 500 to see
11 what we could find from that, that was alleged
12 groundwater. So we didn't add any new data points, I
13 guess.

14 Q. Okay. And that was my question. Thank you.

15 So I want to go to the siting requirements
16 and ask you a couple of questions about that. Now, you
17 testified that the siting requirements of the setbacks,
18 as well as the distances to groundwater, were
19 protective, in your estimation; is that right?

20 A. Yes.

21 Q. And in terms of, for example, the distance to
22 groundwater, both confined and unconfined, was that
23 based on any modeling that you did,
24 contaminant transport --

25 A. First, there aren't distances to confined

1 groundwater.

2 Q. Okay.

3 A. So I'm trying to not let you put words in my
4 mouth, here, again.

5 But on the -- on the separation from
6 unconfined aquifers, we did not do -- I did not perform
7 any sort of fate and contaminant transport modeling as
8 part of this.

9 Q. Okay.

10 A. I reviewed the modeling that was done before.

11 Q. And which models were those?

12 A. The stuff that Daniel B. Stephens did.

13 And I also -- really, probably the thing
14 that I -- beyond the modeling, you could just about
15 make -- you know, do whatever you want to in a lot of
16 situations. But I looked at my experience over the
17 years to look to see if those, I felt, were reasonable,
18 and I thought they were.

19 Q. And in your experience, has that involved
20 modeling any of these things in other circumstances,
21 fate and contaminant transport -- contaminant fate and
22 transport?

23 A. Are you asking if I've ever done fate and
24 contaminant transport models?

25 Q. For a particular pit, anything consistent with

1 that.

2 A. What kind of pit?

3 Q. A temporary pit, permanent pit, multi-well
4 fluid management pit, any or all of those.

5 A. Yes.

6 Q. And how many times?

7 A. How many models or models off of how many pits
8 and runs on an individual pit?

9 Q. How many pits have you modeled?

10 A. That I have personally modeled, or managed the
11 modeling and -- and -- and modeled?

12 Q. Personally modeled, we'll say.

13 A. Pardon?

14 Q. Personally modeled.

15 A. Less than 30. On an individual pit, I've also
16 done some, you know, more regional models and that, that
17 would have encompassed larger numbers, but on an
18 individual pit basis, less than 30.

19 Q. With regard to the confined groundwater, isn't
20 it the case that confined groundwater -- well, let me
21 back up.

22 It's my understanding that your testimony
23 was that that really only refers to artesian water,
24 artesian sources; is that right?

25 A. In the -- in the definition of the proposed

1 rule --

2 Q. Yes.

3 A. -- it would be, you know, confined from below
4 and above and have -- I can't remember the exact -- the
5 exact wording. Until that one penetrated, the
6 groundwater would rise, which would be suggestive of
7 artesian properties; not necessarily artesian to the
8 surface, but --

9 Q. Uh-huh. Okay. So if a -- if there were
10 confining layers above a groundwater source, above which
11 a pit rule -- or a pit were located, and there wasn't
12 pressure, would that be unconfined groundwater, or would
13 that be considered groundwater under this rule, in your
14 opinion?

15 A. It would depend on if it met the definition.

16 Q. So if there were no pressure, that's
17 unconfined, because the definition --

18 A. I don't know what you mean by no pressure. The
19 definition doesn't say pressure, so you're kind of
20 changing the definition of what I'm looking at here. So
21 if you want to look at the definition, it says what it
22 is.

23 Q. Yeah. Let's look at the definition.

24 A. I think confined groundwater means what the
25 definition says.

1 Q. The water is under pressure. So if the water
2 isn't under pressure but is confined, but does have a
3 confining layer above it --

4 A. Okay. Yeah, I'm incorrect. So, yes, you're
5 right. Yeah. "Under pressure so that when penetrated
6 by a well, the groundwater will rise."

7 Q. Is it possible to have confined groundwater as
8 it meets the definition here if there are faults or
9 fissures within a confining layer?

10 A. Faults or fissures?

11 Q. So suppose -- assume you have a groundwater
12 source, and there is a confining layer below, a
13 confining layer above. Okay? And it's under pressure.
14 It meets the definition of confined groundwater as it is
15 in the proposed regulations. Would that be confined
16 groundwater, as I've described it, under this
17 definition? A confining layer above, a confining layer
18 below, under pressure.

19 A. Yes.

20 Q. Okay. Now, assume, then, that there are faults
21 or fissures, and/or fissures, in the uppermost confining
22 layer. Would that necessarily mean that there was --
23 would it depressurize, necessarily, the groundwater?

24 A. Well, we're getting real hypothetical here, but
25 let's just say, for practical purposes, that there was a

1 fault or something there that had been there. I'm
2 assuming, since you're using geological references, that
3 it would have been there from a geologic time
4 perspective, but yet we have confinement above and
5 below, and if penetrated, it would pass fluid above and
6 not downward into that aquifer. So it would meet those
7 conditions. So either the fault or fissure would be
8 sealed, or there would be flow out of the aquifer and
9 enough pressure so as not to allow fluid to flow into
10 it.

11 Q. Okay. So it could be a faulted or fissured
12 uppermost confining layer and still meet this
13 definition, hypothetically? And you have been qualified
14 as an expert, so you are allowed to --

15 A. I think that's just what I said.

16 Q. Okay. I was -- I was just making sure I
17 understood it properly. That's all.

18 A. But still, it's in the basis of what I'm
19 saying. So you could have a sealed fault, where there
20 is no movement, or an open fault, although I will say
21 that it, technically, would meet that definition. But
22 if that was the case, my guess is, it would not be under
23 pressure and -- I mean, I'm trying to think of a
24 circumstance where that hypothetical situation would
25 exist, and I'm not sure there is one. But academically,

1 yeah.

2 Q. Sure.

3 And generally, how does one determine
4 faults and fissures in a particular area? So assume you
5 have a pit. There's a groundwater source underneath,
6 confining layers above and below. How did you go about
7 figuring out whether that confining layer is really a
8 confining layer?

9 A. I'm really -- honestly, I'm kind of confused
10 about the line of questioning, and I don't mean to be
11 smart, you know, about this. But, you know, you're --
12 you're -- you have a confined aquifer, and now you're
13 saying, Well, if there was something where it wasn't
14 confined, would it still be a confined aquifer? So I
15 don't quite understand it.

16 So if you had a fault or some sort of
17 something there that would have been there in geologic
18 time to allow that pressure to dissipate, it probably
19 wouldn't -- I mean, it wouldn't be in existence.

20 So a lot of the map -- geological mapping
21 has that. There are generally people that have drilled
22 water wells that have some ideas of what that shallow
23 geology is. And we're not talking about faults and
24 fissures at 15,000 feet. We're talking at 50 feet or
25 something like that, and, generally, you can see that

1 sometimes at the surface, or the USGS has seen that,
2 or -- you know.

3 So I'm not sure -- I don't understand where
4 you're going or how -- I'm trying to answer in what I
5 think is -- is -- is a sound manner, but you're asking
6 me to almost like tell you that -- that it's -- I don't
7 understand. I'm having trouble understanding how to
8 answer this question.

9 Q. I'm not looking for a particular answer. All
10 I'm looking for is your professional opinion. And where
11 I'm going with it is, you know, irrelevant to the
12 purpose. I would just like an answer to the question.

13 You have an aquifer underneath a given pit.
14 Generally, how does one figure out whether that aquifer
15 has confining layers or not?

16 A. Typically, there's a lot of published data, you
17 know, in the shallow geology that it's going to have
18 some of that information for you. I mean, if it's going
19 to be a confined aquifer, it may be mapped. It may have
20 some name from drillers. There are a number of
21 different sources that geologists or hydrogeologists
22 would look for in that. And that's just partly what you
23 would go through -- that process that you would go
24 through in siting a pit to see if you could find that
25 information.

1 Q. And do those -- do those reports -- you
2 mentioned USGS. Do they often -- are they often
3 accurate on an acre-by-acre scale?

4 A. It depends on the area. And it may be -- you
5 know, sometimes you may be looking at a number of
6 reports and doing field geology and so on and so forth.
7 It's not just, Well, I trust in this, you know, one
8 publication that has one well in 100,000 square miles,
9 in making that determination. I think that any
10 professional is going to do a much better job than that
11 to try and identify it.

12 Q. So assume you're that professional. Walk me
13 through what you would go through to figure out whether
14 a particular area under a pit was confined or
15 unconfined, absent doing a pump test to determine the
16 pressure.

17 A. Well, you could find it out without doing a
18 pump test, but I would probably start out, you know,
19 looking at publications for the area or region, whether
20 from the USGS or the state geologist or other
21 information. We commonly would look at water-well
22 drilling records. We've, in the past, talked to
23 drillers. And where that information isn't available
24 and there are residences in the region, we may and have
25 talked to that. That's another thing that you wind up,

1 in essence, doing a little bit anyway here, because you
2 have setbacks to the water wells. I may do field
3 geology, if necessary. And I don't have a good feel for
4 that, but I would go through those processes until I had
5 a pretty good comfort level.

6 Q. In terms of the USGS maps, which is a part of
7 the significant watercourse definition, 7.5 in the
8 quadrangle map, what sort of scale does that equate to
9 in terms of one inch equals two miles? That's sort of
10 the way I'm used to dealing with it.

11 A. I don't remember that off the top of my head.
12 I've looked at a number of those maps. It's been awhile
13 since I've looked at one. I mean, in more recent times,
14 I've got staff that I'll have doing that, and I just
15 can't remember off the top of my head the actual scale.

16 Q. Do you remember, in looking at those maps,
17 whether those maps identify ephemeral streams on them?

18 A. I don't recall if they do.

19 Q. Are you aware of whether the State Land
20 Office -- New Mexico State Land Office has identified
21 ephemeral streams, for example, in Lea County?

22 A. I'm not sure. I haven't asked them.

23 Q. If you'll give me just a second here.

24 A. No problem.

25 Q. Okay. Thank you.

1 In terms of the siting requirements, you
2 testified, if I remember correctly, that the multi-well
3 fluid management pits would never be sited in an arroyo;
4 they'd never be located in an arroyo.

5 A. Well, what -- what I think I said is that, you
6 know -- you know, when I look at this, you're certainly
7 not going to do -- you're not going to site a pit -- and
8 there are rules -- run-on rules here that you have to
9 account for. But if you -- you know, if you start
10 looking at arroyos, I mean, you know, we're talking
11 about a creek bed that could have flow in it. So there
12 may be, you know -- you know, certainly a broad spectrum
13 of arroyos. So I would not say never, but any --
14 certainly any significant one, no.

15 Q. Okay. So the rules don't prevent --

16 A. Oh, I think they do. I think, you know, with
17 the run-on requirements and siting and design
18 standards -- that's what I'm saying. Maybe not any.
19 You know, I mean, if you have, you know, some -- some
20 small arroyo that's really not going to be a run-on
21 requirement or a run-on problem, I'm not sure that would
22 necessarily be an issue, but -- but for the most part, I
23 think the run-on rule is going to address anything of
24 significance.

25 Q. Okay. But my question was: The rules don't

1 prohibit a multi-well fluid management pit for being
2 sited in an arroyo?

3 MR. HISER: He's asked and answered that
4 already.

5 A. I think they do.

6 MR. JANTZ: Well, he actually didn't answer
7 my question.

8 A. I did. I think I did.

9 Q. (BY MR. JANTZ) Could you point me to where, in
10 the regulations, that's prohibited?

11 A. Okay. On the run-on rule. So if you're in an
12 arroyo --

13 Q. Could you point me to that rule, so I know
14 where to look?

15 A. There you go. Number -- number 10, at the top
16 of page 20.

17 Q. But that's not a siting requirement. That's a
18 design and construction specification.

19 A. You know, in designing pits like this -- and I
20 understand where you're coming from. Okay? I do. But
21 sometimes design requirements impact how you site
22 things. So you have -- you may have siting limitations
23 that are trying to address, you know, kind of, let's
24 say, high-priority environmental areas, but you may have
25 other design requirements that might also limit on where

1 and how you're going to design a pit.

2 Q. Going to these multi-well fluid management
3 pits --

4 A. Yes, sir.

5 Q. -- I'm a little confused about what exactly
6 goes into these pits, because Commissioner Bloom
7 referred to this article from the Artesia paper and that
8 it refers to two pits in the fracking operation that
9 they talk about, I guess, in Texas, one for a fracking
10 flowback and one for reusing water for fracking. Is
11 that a typical setup, and is that -- well, let me ask
12 you: Is that a typical setup?

13 A. Could you repeat the question?

14 Q. Sure. The article refers to, in this fracking
15 operation, two pits, one for fracking flowback fluids
16 and one for reusing water used in the fracking process.
17 Is this a typical setup, in your experience?

18 A. I didn't -- I didn't read the article. Does it
19 say for reusing or recycling, or could you read the
20 article, please?

21 Q. Sure. And actually, I'll give you this copy.

22 A. Okay. Great.

23 MR. JANTZ: If I may approach?

24 CHAIRPERSON BAILEY: Yes.

25 Q. (BY MR. JANTZ) And it's on the first page,

1 Mr. Arthur, third column, second full paragraph.

2 A. (Reading.)

3 What I would say is that, you know -- and
4 typical to me is a -- is a -- is a challenge more, and
5 I've been asked, you know: What's the average depth of
6 an oil and gas well? And it's another one of those kind
7 of catchy questions.

8 But what I can tell you that I've seen is
9 overall -- and this has, I would say, evolved, to some
10 extent. Depending -- and some of this is kind of
11 location dependent. So if you can have a -- a single
12 pit from which you can -- that you could, you know --
13 and you're hoping to blend and recycle -- you may have a
14 pit that you're putting both produced water back into,
15 as well as freshwater, you know, or maybe -- you know,
16 in the case we had earlier, you may be taking fresher
17 produced water from a coalbed methane play, maybe
18 groundwater or surface water and produced water, and
19 blending it.

20 But depending on where you are, you may not
21 have one of those sorts of pits available. So what I've
22 seen is flowback during that process; is produced water
23 going into tanks. And for the most part -- well, I will
24 say, I've seen pits, also, that have been used for
25 staging flowback water when -- and oftentimes those may

1 be smaller than a larger one, where you're trying to
2 centralize water for re-use, maybe by a treatment
3 system. It may be by a disposal-well facility.

4 So as far as the norm or typical, I don't
5 know about that. I've seen several different
6 configurations.

7 Q. So in the definition in the proposed
8 regulations, would both of these types of pits be
9 multi-well fluid management pits or only one kind of
10 these pits?

11 A. I think it -- I think it would -- I think it
12 would depend. So let's say you had a pit that was at a
13 single well pad, and you were -- you were producing --
14 producing -- or flowing back your produced water into
15 that pit, and you were going to be using that water and
16 maybe blend it for another well on the pad. I would say
17 that would be -- you know, that would be included in
18 there.

19 If this was just like a, you know -- and
20 I'm trying to think of a situation where you're going to
21 just have flowback from a single well that's not
22 re-used, and my guess is that -- I guess I'm having a
23 hard time with that definition, because even the ones
24 that I've seen in Texas is, they may stage to have
25 produced water for multiple wells come in. They may

1 blend there, but they may also have another pit where
2 they may have mostly freshwater, where they're -- where
3 they're staging mostly freshwater and then blending
4 produced water into that to get it to a level. So then
5 they'll use that and maybe fill more freshwater and then
6 blend.

7 So you could have, you know, multiple -- I
8 guess, in your terminology, multiple kinds of multi-well
9 fluid management pits that are all really kind of the
10 same, in my mind.

11 Q. This article also mentions, in the second
12 column, that these multi-well pits in Texas are lined
13 with 30 to 60 mil liner. That's thicker than 20 mil; is
14 that right?

15 A. Yes. You are sharp. That's --

16 Q. Well, I appreciate you acknowledging that
17 (laughter). I get the affirmations when I can.

18 A. Anytime.

19 And they are thicker.

20 I would -- I would just note on here that,
21 you know, we've been involved heavily in the Eagle Ford
22 play with water. It looks to me like part of this
23 article was written by someone who builds pits, and, you
24 know -- so I -- I take this as a little one-sided, but
25 I've seen, you know, different companies having

1 different specifications with the type of thickness of
2 liners that they use. But what I'll say is, thicker
3 doesn't necessarily always mean better. Really, the
4 best thing is to have a good design and a good operation
5 of the pit itself.

6 Q. One more question -- or one more series of
7 questions, I guess.

8 A. Excellent (laughter).

9 Q. We've got plenty of time.

10 A. Yeah. Me, too.

11 Q. On the multi-well fluid management pits, you
12 mentioned the fluids that go in there, the fracking
13 fluids, because I guess Mr. Lane testified that they're
14 primarily used for frack jobs.

15 A. I separate the two. So what I would say is,
16 fracking fluids, or hydraulic fracturing fluids, are the
17 fluids used in the fracking process, and this is not
18 those.

19 Q. Don't some of those come back in the flowback?

20 A. You flow -- well, flowback is a process. So
21 during the flowback process, you produce water from the
22 well that has utilized -- that's fracked the formation.
23 It's a little more complicated than that, but you can
24 get some of the additives and so forth that you put in
25 back in the flowback process.

1 Q. Okay. So you're going to get some --

2 A. Yeah.

3 Q. -- frack fluid in the flowback?

4 A. Well, no. I said some of the chemical
5 additives. I wouldn't say that that's frack fluid back.
6 I look at it differently, but it's a technicality.

7 Q. Okay. The guar gum that you mentioned, what is
8 that? One of those chemical additives?

9 A. I mean, you could get probably a little bit
10 back of most any of the additives you put in there,
11 maybe, except for the hydrochloric acid.

12 Q. So any of the other chemical additives that go
13 into fracking fluid could come back in flowback --
14 flowback water?

15 A. To some degree.

16 Q. And does that includes the breakers?

17 A. Yes. But, I mean, generally what you see, from
18 what you put in to what you get out, is a very small
19 fraction of that.

20 Q. What is that fraction?

21 A. It depends on the well, on the formation and
22 all that, and sometimes you don't -- a lot of times you
23 don't see any of the chemicals that you put in.

24 Q. Can you give me a percentage range based on
25 your experience?

1 A. On -- on -- I would say from -- if you looked
2 at it on an individual chemical, zero to five percent.

3 Q. And, presumably, in your experience, you've
4 done the chemical analysis on these flowback fluid --
5 the fluids that come from flowbacks to --

6 A. I've been involved in and produced water
7 analysis following hydraulic fracturing in many states
8 around the country, yes.

9 Q. You talked about the setbacks -- going back to
10 the siting requirements, you talked about the setbacks
11 from -- the setbacks for pits being adequate to allow an
12 operator to catch a leak, if there were one, a breach of
13 some sort, if there were one. Be able to catch that
14 breach before it contaminated surface or groundwater.
15 Is that a fair characterization of your testimony?

16 A. Yes.

17 Q. Is that statement based on any studies that
18 you've reviewed on response time?

19 A. I would say that that's based on my experience.

20 Q. In terms of the burial in place and trench
21 burial, you talked about the need or lack of need for a
22 geomembrane cover. Did I hear you correctly that water
23 infiltration is impossible -- water infiltrating into
24 the pit contents without the geomembrane is impossible
25 as long as you have that four-foot earthen cover?

1 A. Could you repeat that?

2 Q. Sure. Is it impossible for water,
3 precipitation, flooding, what have you, to reach pit
4 contents, to infiltrate through the four-foot barrier,
5 the earthen barrier, that the pit rules would require?

6 A. Not impossible, but not likely.

7 Q. Not likely.

8 And that's based on what data?

9 A. My general experience.

10 Q. Is it also based on your review of
11 Dr. Stephens' model?

12 A. I would say that would go into my experience.
13 I've looked at his model -- at his presentation of his
14 model.

15 Q. And you agree with his methods and conclusions?

16 A. No.

17 Q. You don't agree with his methods and
18 conclusions?

19 A. I think his -- I think his were overzealous,
20 that he was overestimating what you would see through
21 the model. And you see that, I think, a lot of times in
22 models.

23 Q. So you don't agree with his assumptions. Is
24 that what you're saying?

25 A. I'm trying to be careful here to tell you what

1 I think as opposed to what you're telling me.

2 Q. Well, if you don't -- don't let me tell you
3 anything. You don't listen to me.

4 A. Well, I'm trying -- but you're asking the
5 question as did I beat my wife, you know.

6 So what I would say is that, you know,
7 Dr. Stephens, I think, is a smart guy, and I think he
8 did his best to make his best reasonable assumptions as
9 you could on a complicated issue. But yet what I --
10 what I see from -- from a pretty broad experience at
11 looking at pits, at looking at pits that have been
12 closed is that a lot of models are based on, you know,
13 this perfect-world situation that never happens. And
14 what I've seen from my experience is that that doesn't
15 typically match the model.

16 So you can -- you can run a model, and
17 you're going to make these assumptions that you're going
18 to have all these particular factors that are going to
19 happen and you model it. But what really happens is
20 that, you know, you go through droughts or this or that,
21 you know, and what the model says doesn't necessarily
22 happen.

23 And, in general, what you wind up seeing in
24 a lot of these pits -- and if you look at digging them
25 up, you see, you know, a dry bentonite clay that isn't

1 an issue.

2 Q. So again, my question is, though: Do you
3 disagree with his assumptions?

4 A. I don't know how to answer the question.

5 Q. Well, let's just take a specific assumption
6 about infiltration rates.

7 A. I don't remember what his infiltration rates
8 were. What I'm telling you is that I looked at the
9 model. I saw his assumptions. I looked at the results,
10 and determined, within that, that was a good try to
11 model, but really probably wasn't a very accurate
12 representation of what happens in real life.

13 MR. JANTZ: You know what, I think that's
14 all I have for this witness.

15 CHAIRPERSON BAILEY: Ms. Gerholt?

16 MS. GERHOLT: I have no questions for this
17 witness.

18 CHAIRPERSON BAILEY: Mr. Dangler?

19 MR. DANGLER: Thank you, Madam Chair. I do
20 have more questions.

21 CROSS-EXAMINATION

22 BY MR. DANGLER:

23 Q. Good afternoon, Mr. Arthur. Is that correct?

24 A. Yes, sir.

25 Q. Great.

1 A. Good afternoon.

2 Q. I did warn you that I was going to start out
3 with a compliment, so --

4 A. Yes, you did.

5 Q. -- we'll just get that out of the way. You
6 sound very knowledgeable and very reasonable, like the
7 kind of person I like to have sitting at my kitchen
8 table.

9 A. Thank you.

10 Q. And I want to try to honor that with you.

11 I do want you to understand -- from a
12 couple of your comments, I want to make sure we're on
13 the same page here.

14 Have you testified before?

15 A. Ever or here?

16 Q. Let's say starting with a court, an actual
17 district court. Have you testified in a district court?

18 A. Yes.

19 Q. So when you complain about, on
20 cross-examination, somebody putting words in your mouth,
21 you do realize that is the essence of cross-examination?

22 A. Thank you.

23 Q. I'm just saying.

24 A. Okay.

25 Q. I, myself, have been unprotected

1 cross-examined, and it's a hideous experience. But I
2 think you've got some wonderful gentlemen here
3 protecting you. And, certainly, if you want to explain
4 yourself, we want you to do it, and you've had an
5 opportunity on direct.

6 A. Thank you.

7 Q. That's how it works, right, because you've
8 testified before?

9 A. Uh-huh.

10 Q. Okay. Because I don't want you accusing me of
11 saying, Did I beat my wife? I want to just clear that
12 right off the bat.

13 A. Excellent.

14 Q. Great. Okay. Now we're set on that.

15 I tried to limit the number of points that
16 I've got here, but let me just start with something you
17 were just addressing, because this will help us get it
18 out of the way and maybe orient some of my concern.

19 A. Okay.

20 Q. Now, I heard you say that that top cover, the
21 geothermal [sic] --

22 And if I'm misspeaking, please correct me,
23 because I do not know this field as well as you do.

24 The geothermal [sic] cover on top --

25 A. The geomembrane.

1 Q. -- geomembrane -- thank you -- the four-foot
2 layer of dirt that protects it is what re-assures you
3 that the water is not going to percolate through and
4 create a problem from above. Is that a fair --

5 A. I think it's a little more complicated than
6 that.

7 Q. Okay.

8 A. But, you know, one of the things that I liked
9 about not having another geomembrane is that by not
10 having that, you know, I get to -- I get to take
11 advantage of any, you know, liquids being able to
12 dissipate to the surface and not attempting to
13 accumulate or being limited from that by a geomembrane.

14 Q. And I thought that was completely interesting,
15 but I do want to understand. If there is a problem
16 coming down from above, you're not concerned about it
17 because of that four-foot layer. Am I right in
18 understanding that?

19 A. By some cover, and it doesn't even have to be
20 four feet. But by having a cover and vegetation that's
21 going to be utilized in the water and that zone, all of
22 those things together.

23 Q. That sounds great, but I also heard you
24 testify -- and you volunteered this. You said it was
25 something that concerned you, that sometimes the

1 gradients left behind are so poor that, I think you
2 testified, you can just see into the contents of a pit.

3 A. Well, what I was referring to is erosion.

4 Q. Correct.

5 A. So when you -- when you close a pit, you need
6 to have -- you need to have a cover. You need to
7 contour it. You need to have vegetation so that you're
8 doing that in such a manner that you're preventing
9 erosion. And the areas where that has concerned me is
10 where that hasn't been addressed, and the soil erodes.

11 Q. So in your experience, you have come across a
12 pit where there has been an erosion problem --

13 A. Yes.

14 Q. -- and you've seen the contents?

15 A. And I would say, in the cases that I have seen
16 that, there was not a -- the company that closed the pit
17 did not -- did not take care in placing a cover, in
18 contouring or revegetating. They really didn't do an
19 appropriate reclamation of the surface.

20 Q. And I appreciate that concern. My problem, if
21 I have a problem -- and I really don't know if I do,
22 because I really haven't considered your testimony about
23 the geothermal cover. And it's interesting to me, but
24 I've got to say, I don't have a dog in this fight.

25 A. Uh-huh.

1 Q. But my problem is, when your reassurance, on
2 the one hand, is a cover, and on the other hand,
3 sometimes there isn't a cover, then I'm confused about
4 your risk analysis overall.

5 A. So -- so what -- if you look at this from my
6 perspective -- and that's all I can give you.

7 Q. That's right.

8 A. The important thing here to me is looking at
9 the proposed rule holistically. I'm a big holistic
10 analysis sort of guy.

11 Q. Right.

12 A. And what the rule does include is putting a
13 cover, recontouring, revegetating so as to avoid that.
14 And I think that those things, I guess, give me comfort
15 that the -- the situations where I've seen this be a
16 problem shouldn't occur.

17 Furthermore, it also goes into the
18 points -- if you look at, you know, not only the closure
19 situations, but you also have, you know, for instance,
20 the run-on rule that we just went into. So now I can
21 have some security in my mind that, in this case, we're
22 not putting this in a -- you know, someplace that's
23 going to be flooded. So, you know, we're doing -- we're
24 doing the steps holistically so that hopefully that
25 shouldn't happen.

1 And keep in mind -- you know, this was the
2 arguments we used to get into when I was at EPA, that
3 I've seen in several states, is that regulation -- you
4 can't make a regulation that will never allow anything
5 to happen. You can't say, Okay, we're going -- we're
6 going to have a speed limit, and from now on, no one
7 will speed, you know. But what you try to do in
8 regulation is, do something to the best of your ability,
9 so you're using multiple different things to give you
10 comfort that you're being protective of public health
11 and the environment. And these regulations do that.
12 They don't just say, Do this one thing. They include
13 multiple different factors. And from my perspective,
14 that's a positive thing.

15 Q. Yes, that is a positive thing. And still, when
16 things that should not occur sometimes do occur, then
17 your risk analysis would have to shift to take account
18 of that. Isn't that fair to say? There are a lot of
19 things that should not occur but, in fact, do occur, and
20 you have to take that into consideration, as well as
21 take that into consideration of design?

22 A. Well, that's when you have --

23 Q. You have a fair question -- just answer that
24 one by itself. Is that a fair thing to say?

25 A. Repeat the question, please.

1 Q. Okay. Is it fair to say that when there are
2 things that should not occur but actually do occur, that
3 we should take those into consideration?

4 A. Into consideration how?

5 Q. As we're designing our risk-assessment models
6 of any particular part of a rule. Because as I
7 understand --

8 A. I'm not sure I agree with you.

9 Q. Okay.

10 MR. HISER: Madam Chairman, if the attorney
11 would give the witness the courtesy of being able to
12 respond before he continues on.

13 CHAIRPERSON BAILEY: I'm sure you will give
14 him enough time to answer.

15 MR. DANGLER: I sure hope I do. Thank you,
16 Madam Chair.

17 Q. (BY MR. DANGLER) If you say it should occur,
18 that there is four feet on top, but, in fact, sometimes
19 there is not four feet on top, could you say that
20 sometimes what should occur does not occur?

21 A. You're looking at it --

22 Q. I'm only using your experience.

23 CHAIRPERSON BAILEY: Mr. Dangler, please
24 give him enough time to answer.

25 MR. DANGLER: Thank you.

1 THE WITNESS: Can I ask you a question? Is
2 it okay for me to give him my -- my opinion on what I --
3 what I think he's asking? I'm not -- I'm not sure how
4 to specifically --

5 CHAIRPERSON BAILEY: I think you need to
6 ask your attorney.

7 MR. HISER: I think if you don't understand
8 the question, you should ask Mr. Dangler to say what
9 your issue is and rephrase the question for you.

10 A. I'm -- I'm -- if I can explain kind of how I
11 feel, and maybe that'll answer your question, if that's
12 acceptable to you.

13 Q. (BY MR. DANGLER) That's not exactly acceptable
14 to me, but let's break it down as tightly as we can.

15 A. Okay.

16 Q. So when you're having an opinion about
17 something, anything --

18 A. Uh-huh.

19 Q. -- you have assumptions that go into that
20 opinion. Is that fair to say?

21 A. Yes. Yes.

22 Q. And an assumption might be that because part of
23 the rule calls for four feet of soil on top, there
24 should be four feet on top; is that correct? The rule
25 calls for it?

1 A. I don't -- I don't look at it that way, so I
2 really kind of say no.

3 Q. Okay. You don't think that means there should
4 be four feet on top, if the rule says so?

5 A. I think, technically speaking, that you're
6 going to try to put four feet as close as possible, but,
7 you know, if you had four feet mostly over it and you
8 had 3.99 feet in one little spot, does that mean that
9 you're -- that you're not complying? I don't think
10 that's -- you know, technically speaking, if we're
11 getting into exact numbers, you know, it -- that's why
12 I'm having a hard time with that.

13 Q. Okay. I'm trying not to make this technical.
14 And to help us with this example, we can say --

15 A. And I want to --

16 Q. -- four feet, a little less, a little more, but
17 substantial compliance with four feet. That's a working
18 assumption.

19 A. Yes.

20 Q. Okay. If you know, from your own experience,
21 that occasionally there have been pits where that has
22 all eroded down to nothing and you could see what's in
23 the pit, what you have testified to, would that now
24 challenge that assumption that you have made that there
25 is four feet on top?

1 A. If there's not four feet at closure, there was
2 supposed to be four feet -- are you talking immediately
3 upon closure or 50 years from now, or what --

4 Q. Well, I'm not sure when that occasion might
5 happen, but what I'm wondering is, if, within that
6 change, you're thinking about the risk model.

7 A. No, because in most regulatory programs,
8 there's an enforcement arm, just like a police officer
9 that gives you a ticket if you break the speed limit.
10 So when those cases -- and there are certainly cases
11 when things happen that don't [sic], and there's an
12 enforcement program, and people come -- you know, they
13 address the compliance.

14 Q. Okay. Do you know much about the enforcement
15 programs in New Mexico?

16 A. A little bit.

17 Q. Do you think they're adequately staffed?

18 MR. HISER: I'm going to object. He may
19 not have a basis for giving that. He didn't testify
20 about enforcement.

21 CHAIRPERSON BAILEY: I'll sustain that.

22 Q. (BY MR. DANGLER) You used some terms that --
23 you talked about sustainable practice.

24 A. Yes, sir.

25 Q. And I don't think you used the term "best

1 practice," but I think you talked about continuous
2 improvement, in your direct.

3 A. Uh-huh.

4 Q. Do you remember using those terms?

5 A. (No response.)

6 Q. Are you familiar with this National Petroleum
7 Council study, Prudent Development (indicating)?

8 A. Yes.

9 Q. And they recommend that, don't they? They
10 recommend continuous improvement?

11 A. Uh-huh.

12 Q. And they also recommend something called "State
13 Review of Oil & Natural Gas Environmental Regulations,"
14 STRONGER. You're familiar with that organization --

15 A. Uh-huh.

16 Q. -- that comes in and looks at practices and
17 sees what's good?

18 And you're also familiar that they
19 recommend councils of quality assurance for various
20 regions? They kind of think that's a good practice.

21 A. Say that again, to have --

22 Q. One of their recommendations is that, you know,
23 you have local councils that would look at the regs in
24 different locations.

25 A. Okay.

1 Q. Does that make sense to you?

2 A. Uh-huh.

3 Q. Councils of quality is usually what they're
4 called.

5 A. (Indicating.)

6 Q. You've had experience in a number of different
7 places, correct, not just here, not just New Mexico?

8 A. Correct.

9 Q. Have you had any experience in the Bakken of
10 North Dakota?

11 A. Yes.

12 Q. So you're aware of the big snowmelt they had
13 last spring that overwhelmed a bunch of pits?

14 A. Uh-huh.

15 Q. That was not -- that was not an anticipated
16 event, was it?

17 A. No. I think -- I don't think it was an
18 anticipated event.

19 Q. In fact, local guys said they were real
20 surprised at the level of snowmelt, that it was much
21 higher than normal. And there were about 50 pits that
22 flooded, and there was some millions of dollars of fines
23 levied against a bunch of companies.

24 A. Uh-huh.

25 Q. When we're talking about New Mexico and

1 New Mexico's groundwater and New Mexico's situation, how
2 comfortable are you with our situation in New Mexico,
3 our water situation?

4 A. I'm not exactly sure what you're asking.

5 Q. Well, let's start with: How many years have
6 you practiced in New Mexico?

7 A. I probably did my first project here in about
8 1990.

9 Q. And you haven't been here exclusively since
10 1990?

11 A. No.

12 Q. Because you go to different places?

13 A. Right.

14 Q. There was a line of inquiry about the
15 government maps. Excuse me for not having my GPS [sic]
16 language right, but I think you knew -- USGS maps. And
17 I think you had testified on direct that it was easy to
18 mark, because the USGS maps already showed it, correct?

19 A. For the blue lines, yeah.

20 Q. Yeah, for the blue lines.

21 And since you've referenced that, I thought
22 that that might be a good idea. I think the question
23 about -- I'm not going to ask you, again, the precise
24 question about the ephemeral streams, but there is a
25 marking for intermittent streams on that map; it's

1 dotted, broken.

2 A. Uh-huh.

3 Q. So if your theory was that you wanted to
4 distinguish something that could be easily read by an
5 administrator and operated on, wouldn't it also be easy
6 to include the intermittent streams in the siting
7 criteria?

8 A. Typically -- I mean, just from what I've done,
9 those are usually things you'd like to go out and look
10 at, but certainly that could be helpful in the process
11 of identifying those.

12 Q. And I want to take a couple of things off the
13 table, because I think you -- on the last cross, I think
14 you would like to not be there, and I want to make sure
15 that I'm not missing something. I think I understood
16 you to say that you're not the economist here.

17 A. No.

18 Q. Okay. So you don't have any information about
19 the economics of all these things that you testified
20 about?

21 A. I've not done an economic analysis of that,
22 right.

23 Q. So it's fair if I don't ask you any questions
24 about that. Is that fair?

25 A. Great.

1 Q. I have another kind of big- -- big-term
2 question. Maybe we'll eliminate some other questions.
3 And I think you were asked this, so it's definitely been
4 asked and answered; but I do want to make sure I
5 understood it. And that is, are you relying on new
6 information since the last Pit Rule was done?

7 A. On developing my opinions or --

8 Q. Well, I'm sure you've had four more years of
9 life experience to add to your opinion. I'm not talking
10 about that. Excluding that, is there any study that you
11 want to reference? Is there anything, in the last four
12 years, that is important that I have missed?

13 A. You know, it's hard for me to answer that
14 because I wasn't involved in the last Pit Rule. But I
15 looked at, you know, some of the presentations. I
16 looked at the data, myself. We looked at some of the
17 data that had -- you know, like the number of wells that
18 have been drilled and so forth and that estimate. So
19 I'm not sure if you would count that as new data or not,
20 but certainly looked at this relative to -- you know,
21 from my perspective today, not from that time period.

22 I would say that one other thing that would
23 be of further significance relative to that is that I
24 did have the opportunity to talk to industry who had
25 been working under the existing Pit Rule, and asking

1 them questions about their experience with it, that I
2 thought was valuable.

3 Q. Okay. But in terms of a systematic study or
4 you looked at all the pits that have been done in the
5 last two years --

6 A. No.

7 Q. -- that's not information that --

8 A. No.

9 Q. One of the -- one of the recommendations of the
10 Prudent Development study that you're somewhat familiar
11 with is a discussion of prescriptive rules versus
12 flexibility, which, I think, has come up several times
13 during our hearings, and they recommend some sort of
14 balance between the two. Why would they recommend a
15 balance between prescriptive rules and flexibility, if
16 you know?

17 A. You know, that's a discussion that I think has
18 been going on with regulatory agencies and industry for
19 a long time. And I think that, you know, the discussion
20 from the MPC study and what I've seen in other
21 rulemaking or NEPA analysis-type things is trying to
22 find a balance so that you could -- so that as industry
23 and regulators, you could have some thresholds, but
24 recognizing that it's tough to build a very specific
25 regulation that is going to account for every possible

1 situation or thing that can happen.

2 Q. Right.

3 A. And so having some flexibility within that is
4 generally a positive thing, but there -- there is a
5 balance.

6 Q. And you've said you've thought about stuff, and
7 I really mean for this to be a little bit of a
8 thoughtful colloquy.

9 A. And I'm happy to do that.

10 Q. I'm really not trying to trap you on this,
11 because I've been trying to figure this out myself, and
12 it's fascinating to me.

13 Do you think there is sometimes a
14 prescriptive rule just to make it easier for a regulator
15 to just drive on by and see what you've got, whatever
16 you've got, or don't have whatever you've got? Do you
17 follow my question? If everything is a creative,
18 innovative solution to whatever the problem is, then it
19 might be harder to monitor?

20 A. You know, I can --

21 Q. I'm just asking.

22 A. And again, I can kind of testify to this from
23 my -- the bulk of my experience. I've seen things go
24 both ways, to where you can have a regulatory program --
25 and one of the first ones that I was real exposed to was

1 the underground injection control program. And in that
2 program, if you look at how it's structured, it's a
3 risk-based and a performance-based program. So based on
4 higher degrees of risk, more protection, but you have
5 performance measures that you adhere to, and that in
6 different pieces of the program, you can still have
7 things like a mechanical integrity test or a pressure
8 test that has a particular, more prescriptive readout.
9 You know, you have to have -- you have to bill [sic] it;
10 you know, have a pressure that's going to hold at a
11 certain level for this type.

12 So some of that -- I mean, there's
13 similarities in what we have here, from Tables 1 and 2,
14 from the liners, from -- you know, from -- from some of
15 that, while trying to provide some flexibility.

16 I've seen other programs that -- that --
17 you know, where -- where due to whatever situation,
18 they've been, perhaps, I think, overly prescriptive, and
19 those can have their -- you know, their problems. But
20 I'd say that in my experience what I saw is that
21 typically as a regulator -- and I was guilty of this,
22 too, is that you generally start out wanting to have
23 something that has a pass/fail. You know, I need to be
24 able to know that it passes or it fails. And then
25 generally, through that process of getting to know the

1 answer, you wind up going, Oh, well, it's really not
2 that easy. I'd be failing stuff that should pass and
3 passing stuff that should fail.

4 And -- and -- and for that reason, that's
5 why -- you know, that's why regulatory agencies aren't
6 staffed by, you know, accountants or something like
7 that. That's why we have, you know, geologists here and
8 engineers and different environmental scientists and
9 biologists, to be able to provide that stuff, and even
10 field people that have experience and know-how and can
11 have that ability.

12 So if we made them prescriptive enough that
13 you could just do that, you know, I think, you know -- I
14 don't think that would be good, or trying to simplify it
15 or just make it easy.

16 Q. Right. And I'm not suggesting that we always
17 make it easy, but my suggestion to you is, sometimes
18 there might be a prescriptive rule just because it might
19 be easier to monitor, just because it might be easier to
20 see, just check on it.

21 A. I mean, hypothetically, I guess you could --
22 you certainly could have a rule that you did that way.

23 Q. One of the interesting things in your direct is
24 that you were asked about the boom requirement that's
25 been eliminated. And I'm doing it an injustice to call

1 it the boom requirement, because I think -- I don't know
2 if you heard all the testimony, or should I catch you
3 up?

4 A. I've been here.

5 Q. Okay. So you know the testimony about the
6 boom. That rule is currently written -- that one little
7 section does allow for alternatives to the boom,
8 correct? Its main requirement is that something's on
9 site?

10 A. It does, but when you're requiring something on
11 site, you're typically -- what that leaves you with, in
12 the way that it's written, is a boom.

13 Q. Right. And that may be the shortcut that the
14 industry chooses, but let me ask you this: If you did
15 have a boom on site and you had a spill, and you didn't
16 want to use the boom, you could still call the truck and
17 have them come suck the oil off; there's nothing in the
18 rules that stops you?

19 A. No.

20 Q. Okay. So the rule is just about having
21 something on site and maybe just to make everybody feel
22 a little more comfortable that you even suggest it. And
23 it may not be the most effective way of handling that
24 problem. Is that fair to say?

25 A. Yes.

1 Q. But it is something to monitor, to see if
2 you've got one there or not, and doesn't do any harm.
3 It may not be necessary. I'm going away from that.

4 A. I'm really not a believer in having needless
5 requirements, and -- and -- and this one -- it just
6 seems like it's a requirement that serves no purpose.

7 Q. I understand that is your opinion, but does it
8 do any harm?

9 A. Honestly, I think it could, and I think it
10 could by -- by -- there could be really two views at the
11 false sense of the security that I gave you. So, one,
12 it could be a false sense of security to the public or a
13 regulatory agency, but it could also be a false sense of
14 security to an oil and gas operator. They'll say, We
15 have a boom, so we don't need to worry about that. And
16 then we use the boom, and then it's not adequate, or
17 it's really not what we need, as opposed to, if you do
18 have an issue or a need, immediately getting the right
19 equipment there to handle it.

20 Q. Now, you've been qualified as an expert
21 geologist -- I mean, hydrologist, correct?

22 A. Uh-huh.

23 Q. So you're a scientist?

24 A. Uh-huh.

25 Q. And I, myself, did very poorly in science, so I

1 have to ask you some questions about science, because I
2 want to make sure I understand it. I didn't get it in
3 the fifth grade.

4 A. Oh, come on.

5 Q. No, I didn't; I promise you.

6 My understanding of science is, you state
7 something, a hypothesis, and then you go about proving
8 it. Is that fair?

9 A. I'd say that's one thing you can do in science.

10 Q. The way it was always taught to me is that, you
11 know, you state something; you try it out a few times;
12 do it to see if it's true or not. And constantly
13 science changes. Is that fair to say?

14 A. Not necessarily.

15 MR. HISER: I'm going to object on the
16 grounds of relevance, unless Mr. Dangler would like to
17 tip his hand as to where we're going.

18 MR. DANGLER: Absolutely. I'd be happy to
19 tip my hand, Madam Chair.

20 CHAIRPERSON BAILEY: Please do.

21 Q. (BY MR. DANGLER) I'm just wondering, if all
22 your testimony is based on your own experience, where
23 the science part comes in; backing it up with the
24 testing and the experiments and all of that.

25 A. Well, I'm surely not suggesting that my

1 experience is not science-based, but through my
2 experience, my experience has involved research work
3 that we've done with the Department of Energy and the
4 state agencies on impoundments and some of the issues
5 we've done here. We've done studies on pits. We've
6 done, you know, closure reports that have gone to
7 agencies. We've done internal audits. We've done all
8 sorts of -- I mean, a number of different things that
9 certainly have included technical and scientific
10 analysis, through my experience, including -- as you
11 probably know, I was one of the task managers on the MPC
12 study you're referring to.

13 Q. Right. And I'm not questioning your experience
14 at all or your right to have probably very relevant
15 opinions. I'm just wondering that we haven't seen any
16 of these studies or any of this science. That's all my
17 confusion is. And I was offering you yet another
18 opportunity to tell us if you've got anything that we
19 could review, because that's what peer-review stuff is.

20 A. Well, one of them is the study you're referring
21 to, because I helped author a portion of that document.
22 And, you know -- I mean, you know, experience comes in a
23 number of different ways, Counselor, through studies,
24 reports, documents, field experience. So do I have
25 scientific analysis of this? No. I've used my

1 experience to come to those conclusions, and it's not
2 without basis.

3 Q. I want to go back to this idea of cumulative
4 impacts and things, because that's a concern I've got
5 about the rules, in general. And I first want to make
6 sure I did hear you on direct, because I know we had a
7 question originally about the hydrocarbons going into
8 the pits, and then I think Counsel said he was going to
9 cover it more when he got into the charts and the maps.
10 And I'm afraid I didn't ever really catch up to what
11 your answer was about the hydrocarbons. Please
12 enlighten me, like, why the hydrocarbons going into the
13 pits didn't appreciably change the risk.

14 A. If we have -- are we talking about, you know,
15 the hydrocarbon drilling muds, I assume is what
16 you're --

17 Q. What I'm referring to is, there is a rule
18 change, if I'm correct, if I can get that citation.

19 A. And I think that's relative to the drilling
20 muds, so you can have oil-based drilling muds versus
21 freshwater-based drilling muds. And regardless of
22 whether or not we're dealing with water-based or
23 oil-based muds, the general, you know, characteristics
24 of those muds, I think, are still very good and don't
25 give me any additional pause from a risk perspective or

1 a perspective of concern on my part.

2 Q. Okay. And just for your reference -- but I
3 think you already know exactly what I'm already talking
4 about -- I'm talking about the bottom of page 22, top of
5 page 23 of Attachment A. It presently requires the
6 operator to use a tank made of steel or other material.

7 A. This is under -- under -- on page -- B(1)?

8 Q. Top of page 23. Yeah. It would be B(1), and
9 it's the carry-over on the top of page 23 where the
10 change is made.

11 A. Okay. So they're removing any -- any visible
12 layer of oil from the surface of the drilling of the
13 pit.

14 Q. Right. And they're still going to remove the
15 visible layer of oil, but they're no longer as concerned
16 about making sure we have a steel tank for hydrocarbons,
17 as I read this, unless I'm reading this wrong.

18 A. Right, for drilling fluids.

19 Q. So that would allow hydrocarbons to go into one
20 of these pits?

21 A. Like an oil-based drilling mud.

22 Q. Yeah. And that would, presumably, create a
23 different mixture in the pit?

24 MR. HISER: Asked and answered.

25 CHAIRPERSON BAILEY: He's just getting

1 clarification.

2 MR. DANGLER: Yeah, I am. Thank you, Madam
3 Chair.

4 Q. (BY MR. DANGLER) That would create a different
5 mix in the drilling pit?

6 A. The characteristics, though, you know, with the
7 mud -- I mean, you know, whether it's fresh- or
8 oil-based mud, they do the same thing. So, again, it
9 doesn't give me any additional concern.

10 Q. So now we're adding new things, maybe. Not of
11 great concern, but new things, and we're extending the
12 life of the pit, correct? It can be kept open longer
13 now under the rule changes?

14 A. Uh-huh. Uh-huh.

15 Q. And we're also shortening the distances to
16 water -- various water bodies to the pit. Is that fair
17 to say?

18 A. We're utilizing a risk-based approach, yes.

19 Q. I like the risk-based approach. I agree with
20 you. That's the kind of thing that is modeling off of
21 that study, like that. But now you've got three
22 different risk factors changing all at once. Do you see
23 why I'm saying that?

24 A. No.

25 Q. Okay. Well, one risk factor would be, you're

1 introducing different fluids into the pit. You may find
2 that not to be a significant risk factor, as I
3 understand your testimony.

4 A. A significant difference?

5 Q. You may not find that to be a significant risk
6 factor.

7 A. Or difference.

8 Q. Or difference.

9 A. (Indicating.)

10 Q. But it is a change?

11 A. From the industry revisions -- it is a change
12 from the existing rules, yes, sir.

13 Q. And it's a change from existing rules that the
14 pit's going to be open longer, which has --

15 A. Yeah.

16 Q. -- a possible increase for the chance for
17 something going wrong?

18 MR. HISER: I'm going to object to the
19 factual predicate for that, because I don't think it's
20 correct.

21 Q. (BY MR. DANGLER) Well, let's break that one
22 down.

23 MR. HISER: Thank you.

24 Q. (BY MR. DANGLER) That would help us.

25 Is time a factor in the durability of a

1 pit?

2 A. Could you be more specific?

3 Q. Sure. Do things like pit liners degrade over a
4 long period of time, just to start with that question?

5 A. So are we talking tens and hundreds of years?

6 Q. Let's talk 50 years. Do they degrade over
7 50 years?

8 A. It depends.

9 Q. As a general proposition, would you say that
10 things tend to degrade over time, with the exception of
11 plutonium?

12 A. Well, that's such a generality. I don't know
13 if I agree in general. I mean, I can have cement on a
14 well at a certain level that the temperature doesn't
15 change, and it may go on for hundreds of years, and it
16 will never change or degrade. I can have a pit material
17 that is buried, you know, for 500 years, and, likely,
18 its degradation is going to be maybe minimal. If it's
19 in the sunlight, sitting out, you know, they're going to
20 have life expectancies. So it really depends on the
21 situation, sir.

22 Q. Okay.

23 THE WITNESS: Hey, Eric, I hate to be a
24 pain in the butt, but I need to use the restroom.

25 CHAIRPERSON BAILEY: Why don't we take a

1 ten-minute break?

2 (Break taken, 2:16 p.m. to 2:33 p.m.)

3 CHAIRPERSON BAILEY: Mr. Dangler, you were
4 in the process of cross-examination.

5 MR. DANGLER: Thank you, Madam Chair.

6 Q. (BY MR. DANGLER) I want to talk about benzene a
7 little bit with you. Under the current rule, I believe
8 the parts per million is .2, and the suggested change is
9 up to ten parts per million. Is that an accurate
10 statement?

11 A. Uh-huh.

12 Q. That appears to me to be a 5,000 percent
13 increase in the amount of benzene allowed to be in the
14 pit. Without requesting any science or some other
15 study, just on a practical, kind of, common-sense,
16 human-condition kind of question: Why would such a
17 dramatic increase in a known carcinogen be a good idea?

18 A. Because at the levels that we propose, they
19 are -- they remain protective of public health and the
20 environment.

21 Q. Do you agree that even 100 parts per million
22 would be protective of the environment?

23 A. In the reference of what we have in Tables 1
24 and 2?

25 Q. (Indicating.)

1 A. I particularly tried looking at the -- at the
2 levels that were stated at ten, and I believe those
3 levels to be safe. So, hypothetically, going into other
4 infinite hypothetical characterizations is a little --
5 is going to take a little more thought than just off the
6 top here, but I think what we have here is appropriate.

7 Q. And the follow-up question is: Is there any
8 science, other than your experience and your opinion
9 about this, that you're relying on?

10 A. I think Mr. -- Dr. Stephens testified a little
11 bit about benzene in his last stuff, but I think that
12 it's pretty evident, in all likelihood, when we get to
13 closing pits, that benzene is going to volatilize
14 or -- volatilize into the atmosphere and really not be
15 an issue to begin with. So --

16 Q. And speaking of that testimony -- and I think
17 you had a comment on direct that you thought the risks
18 versus a hazard was good testimony. As I understood
19 what Dr. Thomas was saying, the BBs and the ping-pong
20 balls, the bentonite clay sinks and creates a seal. Do
21 you agree with that?

22 A. I have a hard time putting it into the
23 perspective of ping-pong balls and BBs, but very much I
24 agree with the tendencies of bentonite clay and so
25 forth. That would certainly add to the protectiveness,

1 the fact that that's there, yes.

2 Q. And would you agree -- and by his own
3 description -- that would tend to be at the bottom of
4 the pit, that it would settle?

5 A. I don't think he said exactly that. If you
6 look at what he said about ping-pong balls and BBs, is
7 that you're going to get some overall coverage. And if
8 you -- if you -- have you ever seen, you know, like
9 where they've, you know, maybe excavated a portion of a
10 pit, looking at it on the side? And if you've been in
11 the field looking at that, what you generally see, I
12 would say, almost without exception, maybe without
13 exception, is that you wind up seeing that bentonite
14 clay throughout the -- the entire column of that buried
15 pit. So, you know -- I mean -- so -- so, really, you
16 know, the way he described, although I wouldn't, I'd say
17 the ping-pong balls and BBs was a good description.

18 Q. Okay. You are anticipating my next question,
19 which is kind of going to be the sides of the pit. Do
20 you think the same strength of protection is happening
21 on the sides, or do you think it tends to be more up
22 above?

23 A. I think if you go to Ben's testimony on
24 ping-pong balls and BBs, maybe it's more relevant than I
25 thought. His example was kind of an all-encompassing

1 thing, which I tried to describe. So I don't -- I don't
2 really differentiate side, top, bottom. It's going to
3 be throughout.

4 Q. But you would concede that there could be leaks
5 to the side of the pit, not just to the bottom of the
6 pit?

7 A. We're talking a closed pit or an active pit, or
8 what kind of --

9 Q. I'm thinking more of an active pit. I'm
10 thinking of the possibilities of leaks not just to the
11 bottom but out to the sides.

12 A. Okay. So Ben's testimony, when he was talking
13 about that, was relative to pits under closure
14 circumstances, and what you're talking about now is
15 active pits. So we're talking a couple different things
16 here.

17 Q. That's fair to say.

18 A. So if we look at an active, operating pit, I
19 would say that probably what you're going to see the
20 most likely of some sort of tear in a liner, for
21 instance, is probably going to be on the side, either
22 above the fluid level or below, and the regs address
23 those two things. You may have, you know, no bentonite
24 mud in there. You may just have water, I suppose, or
25 something. But if you did have that, yeah -- yes, you

1 could have a leak on the side, as well as you could on
2 the bottom.

3 Q. In the other cross, you were asked a lot of
4 questions about your sample size and what you did, you
5 know. And as I understood your testimony on cross and
6 on direct -- and I want to again make sure that I
7 understand your testimony right. In terms of spills and
8 doing your first-level analysis of the risk of pits
9 leaking and stuff that you did, I understood you looked
10 at OCD records?

11 A. Yes.

12 Q. Is that fair to say?

13 You didn't review any files of the
14 New Mexico Environment Department, Groundwater Bureau?

15 A. No.

16 Q. So you didn't happen to run across a chloride
17 spill that they've been dealing with?

18 A. Is this the one you referenced earlier?

19 Q. It is. The one that's west of Hobbs.

20 A. Yeah. I don't think that's related to a pit,
21 though, is it?

22 Q. Well, the report indicates that it's caused by
23 historical oil and gas activity. But I'm just wondering
24 if knowing about that would change your opinion a little
25 bit about the overall safety?

1 A. No.

2 Q. Does knowing that there might be other
3 information out there cause you to want to go look at
4 it?

5 A. You know, I'm an engineer and a scientist, and
6 I'm curious by nature; so there's never a point in my
7 professional career where I'm not wanting to go out and
8 look at stuff. It never ends.

9 Q. That's great, and we can end on agreement.
10 Thank you very much.

11 A. Thank you.

12 CHAIRPERSON BAILEY: Dr. Neeper, do you
13 have questions of this witness?

14 DR. NEEPER: Yes, I have questions. Thank
15 you.

16 CROSS-EXAMINATION

17 BY DR. NEEPER:

18 Q. And good afternoon.

19 A. Good afternoon.

20 Q. I will attempt, if I can, first, to clarify the
21 extensive discussions we've had on statistics, and I
22 won't be fishing in this. Your slides, and as I
23 understood from your discussion, that you had found
24 ground -- groundwater contamination had been found
25 associated with six pits that had been made since --

1 2005 to 2007, and this information came in, I think, by
2 about 2011; is that correct?

3 A. Yeah. We identified six from that two-year
4 period.

5 Q. Yeah. They were created during that two-year
6 period?

7 A. Uh-huh.

8 Q. And you concluded from that that this was a
9 99.89 percent success. I believe that's the terms you
10 used.

11 A. Uh-huh. Yes.

12 Q. But does not success imply reaching a goal of
13 some kind, success in terms of something achieved?

14 A. Dr. Neeper, to be honest with you, the term
15 "success" has been the most difficult word in our
16 language that I've attempted to define in my lifetime.

17 Q. I'll be glad to pass the question and try to
18 come at this thing from a different route, if you
19 prefer.

20 A. Okay. That would be appreciated.

21 Q. Our problem is that the Commission must make
22 decisions based on the record of the hearing, and we
23 don't want to leave false impressions of statistical
24 arguments. Would it be statistically equivalent to say
25 these pits are failing at the rate of about one per

1 year; in about six years, you have about six failures?

2 A. I'm not sure that you could -- I certainly did
3 not draw that conclusion.

4 Q. But is that not the exact result of the
5 arithmetic? If you have a six-year period and six pits
6 fail, are they not failing at an average rate of about
7 one pit per year?

8 A. Keep in mind -- well, this is 2005 to 2007 and
9 six incidents, so going to an average per year is a
10 stretch that I wouldn't like to make, technically. You
11 can look at when they occurred but also recognizing the
12 situations of what those occurrences were. So they were
13 some liners and so forth. So when you say these pits,
14 the pits prior to the existing Rule 17, we identified
15 over that two-year period, the results that I presented
16 to you.

17 Q. From these data, can we infer anything about
18 the future movement of contaminants out of those pits
19 and toward either the surface or the groundwater?

20 A. So you're asking me -- well, can you clarify?

21 Q. Yes. You used the term "99.89 percent
22 success." Does this mean that in the future, no more
23 than 89.99 [sic] percent of those pits will disperse
24 contaminants, will -- let me restate that. That
25 89.99 [sic] percent of those pits will retain their

1 contaminants in such a way that they could never reach
2 groundwater; can that conclusion be drawn from this
3 study?

4 A. You know, I've -- I've -- I've looked at
5 numbers and statistics a lot, and trying to draw
6 conclusions from statistics is a dangerous thing to
7 consider.

8 Q. Yes.

9 A. So what -- what you should utilize, statistics
10 or figures, is as facts in a -- in a much broader
11 analysis.

12 So you can look at incidents from, you
13 know, the life span of oil and gas activity over a
14 particular period, over that period, and look at how
15 things changed during that period, and even looking at
16 the incidents, maybe, that you had during that period
17 and what has changed since then. And you can -- you can
18 make some estimates. You could draw your own
19 conclusions, your own theory of how you think, based on
20 what you have here, what's changed, what you believe
21 will happen in the future. Can you -- can you say that
22 with absolute confidence, that it will be that number,
23 or it could be higher or it could be lower?

24 So I'm not -- I'm not here to suggest that
25 because of that, it means that you're only going to have

1 this or something else. In my opinion, I think, with
2 the changes of the existing rule and the proposed rule,
3 that you're going to have less incidents.

4 Q. But as a technical statistical piece of data,
5 it does not allow us to project what would be a
6 contamination rate into the future; is that correct?

7 A. Well, for what purpose? I mean, you could
8 project anything with data. There's no -- there's no
9 projection police. I mean, so certainly you can
10 project. It's the confidence of the accuracy of that
11 projection that has concern. To me, you wouldn't simply
12 project to get a number without looking at that data and
13 doing that in an informed manner.

14 Q. In terms of contaminants that may be left
15 behind in pits, the proposed rule considers chlorides
16 and light hydrocarbons. If I understand you correctly,
17 you have said that the chloride moves fastest, and that
18 is the reason for using it as a prime indicator for the
19 thing you would measure.

20 A. In the context of this analysis --

21 Q. In the context of a burial.

22 A. -- and what we know about with this and how the
23 closure is done and what I would expect to see occur,
24 based on my experience with a lot of pits is -- and pits
25 that have had issues and that have not, chlorides are --

1 are -- are -- are really always the first thing that you
2 see.

3 Q. Yes. I would agree they are a leading
4 indicator, so that is not a question between us.

5 Now, my question is: If we are burying
6 these materials and we see a chloride content given
7 by -- let's say we are close to exceeding the rule, does
8 that not imply that we should look for other
9 contaminants, if the chloride is, as expressed by
10 Dr. Thomas, less biologically harmful? Isn't it serving
11 as an indicator that we should look at the other
12 contaminants?

13 A. You said if it's close to a threshold? I'm
14 confused.

15 Q. The burial standard is expressed, let us say,
16 in terms of chlorides.

17 A. Yeah. Okay. I understand.

18 Q. And you're familiar with that?

19 A. Yeah.

20 Q. If we found high chlorides, let's say,
21 approaching the limit of the burial standard --

22 A. Based on that distance to unconfined?

23 Q. Yes. Whatever is given as the standard.

24 A. Okay.

25 Q. Is that not an indication that something has

1 brought contaminants to this point, and we, therefore,
2 should look for the more harmful contaminants that might
3 be there?

4 MR. HISER: I'm going to object, Madam
5 Chair, because it's not clear what Dr. Neeper is talking
6 about. Since he's referring to the burial table, is it
7 the stuff in the pit or the stuff in the environment?
8 If he could clarify that.

9 THE WITNESS: I think I know what he's
10 asking.

11 MR. HISER: Okay.

12 A. You know, I've been looking forward to this
13 communication, because I'm getting deposed by a
14 nonattorney.

15 But what I'll tell you -- and -- and -- and
16 please believe that I mean this honestly, based on my
17 experience -- is that what I really tried to look at
18 were those levels in Tables 1 and 2, and I believe that
19 based on those levels, with those separation distances
20 from unconfined water, was that those were really overly
21 conservative. So they already -- they already included,
22 say, that depth of conservatism that you're -- you know,
23 say if you're approaching that, I felt and still feel
24 and fully believe to the bottom of my heart that those
25 meet that, and that if you were getting close to those,

1 that there would not be a necessity to be looking for
2 other things.

3 And I also say I feel confident in the
4 things that we've identified in the table are sufficient
5 and adequate for us to assess what we're doing in the
6 closure process.

7 Q. (BY DR. NEEPER) Understood.

8 A. Okay?

9 Q. I will rephrase that to be sure we understand.
10 I do believe I understand.

11 You're saying, if chloride meets the
12 standard, whatever else is there is not likely to be
13 harmful?

14 A. (No response.)

15 Q. You can say, no, that's not what you meant, but
16 that's what I understood. You feel comfortable.

17 A. I'm not -- you know, you went into that
18 different thing with "harmful," you know, so I'm trying
19 to figure out what --

20 Q. Erase the word "harmful." You would feel
21 comfortable with whatever else might have accompanied
22 the chloride?

23 A. I would feel comfortable -- I would not see the
24 need to do additional analysis.

25 Q. Right.

1 A. Okay?

2 Q. Agreed. Thanks.

3 If I understand you today, in your
4 testimony, you had suggested that only one liner would
5 really be needed in a multi-well pit?

6 A. So -- and I realize this may be a little
7 confusing, but what I consider, and I think is
8 considered in the rule, as -- it could be a secondary
9 liner. It could be, for instance, a clay-based liner.
10 So what I'm saying is, it doesn't necessarily have to
11 be, you know, a liner in the sense of what we're talking
12 about.

13 Q. All right. I will clarify that, and you tell
14 me if I'm right.

15 A. (Laughter.)

16 Q. What you meant to infer is, one might have one
17 polymer liner, but the secondary liner would not
18 necessarily have to be a polymer layer. It could be a
19 clay or something else that could enable you to have a
20 leak-detection system?

21 A. Yes.

22 Q. If one detects a leak, does the rule require
23 any particular action?

24 A. Can we refer to the rule?

25 Q. You certainly may refer to the rule.

1 MR. HISER: In the interest of speed, it's
2 page 22, Operational Requirements for pits.

3 A. I would say that in -- in -- in -- in
4 evaluating the rule overall, when we looked at tears and
5 so forth in liners, that I looked at that as -- as doing
6 this. But what I can see, it has in here about
7 inspections and so forth, but what I don't see in this
8 is an action requirement if a leak was detected.

9 Q. So would it be reasonable for a citizen, then,
10 to presume that in terms of the rule, an operator who
11 has detected a leak in his pit may proceed to operate as
12 though nothing has changed? He has to report it, I
13 believe, but in terms of operation, he continues to
14 operate?

15 MR. FELDEWERT: Madam Chair, in the
16 interest of saving time -- and I know this is in the
17 middle of Dr. Neeper's cross-examination. I'm sure he
18 doesn't mean to misrepresent the rules, but if you look
19 on page 22 of the rule, paragraph -- Section 17.12,
20 which are the general specifications and operational
21 requirements for all pits, multi-well fluid management
22 pits, there are provisions in there, Dr. Neeper, that
23 require an action be taken if there is a problem
24 detected.

25 CHAIRPERSON BAILEY: Thank you.

1 Q. (BY DR. NEEPER) I will move forward, then, and
2 presume that the operator must do something.

3 I have a very small point I want to
4 clarify. I understand, informally, people are in
5 agreement. Throughout the rule, it says "used spring,"
6 when referring to a spring, or setbacks. Would it be
7 acceptable to you, or to NMOGA, if we simply used the
8 word -- if the rule employed the words "any spring,"
9 rather than "used spring"?

10 MR. HISER: Madam Chair, NMOGA has not
11 proposed any change on the existing rule on that.
12 Therefore, I don't know that our witness is prepared to
13 address it.

14 CHAIRPERSON BAILEY: I'll have to agree
15 with that. The language of the current rule has not
16 been changed concerning springs.

17 Please continue.

18 DR. NEEPER: Thank you.

19 Q. (BY DR. NEEPER) You had described how it might
20 be difficult to maintain netting and that one rule
21 fitting too many circumstances just creates difficulties
22 for operators, one rule fitting all sizes. Would it be
23 more appropriate to require netting based on, let us
24 say, a chemical standard of the water and the amount of
25 oil on the surface; those being the real dangers to the

1 wildlife?

2 A. First, I didn't exactly say what you said that
3 I said.

4 Q. All right.

5 A. But I'll take a stab at it, in light of trying
6 to be expeditious and helpful and get to your point.

7 Netting and so forth can be an issue. It
8 can be as much of a problem with birds as not having
9 netting. And I think that how you look at a rule and
10 kind of make a rule on whether you're going to require
11 netting or not -- you know, right now, you have a
12 permitting process. You have -- the state is going to
13 have to look at that, and you don't have, at the agency,
14 a staff of accountants. I mean, you have professionals,
15 and they have a rule that gives them flexibility. And I
16 believe 100 percent that through that process, that the
17 right decision will be made for the set of
18 circumstances, and I believe that that's the most
19 appropriate way to handle it.

20 Q. The current rule does not provide a restriction
21 on the slope of the liner or the berm that holds the
22 liner, as I understand the discussion; is that correct?
23 Or, I can clarify it. Does not require a specific
24 numerical value --

25 A. The proposed rule?

1 Q. The proposed rule.

2 A. Correct.

3 Q. The rule says that some account must be taken
4 of repose. It just says some words about repose.
5 Presumably, then, is it correct that a liner could be
6 installed on a berm at its angle of repose?

7 A. If that was deemed appropriate by the engineer
8 who designed the pit, yes.

9 Q. And, in fact, if an angle of repose were
10 vertical even, that would be permissible and allowed; is
11 that correct?

12 A. Depending on the situation you're in and the
13 soils, the rock, yes. And I've seen ends of berms that
14 were -- were vertical and worked very well.

15 Q. If you had a slow but continuous leak in a pit,
16 let's say a pit containing either low- or high-chloride
17 fluids --

18 A. During the operational phase?

19 Q. -- during the operational phase, would that
20 leak cause an exceedance of soil standards that must be
21 met before the pit can be closed in place, or buried?

22 A. It seems to me that you're kind of mixing
23 things up. So let's say that we had a leak, and
24 depending on where you were with the separation -- you
25 may have exceeded that -- you wouldn't be allowed -- you

1 met the criteria of the limit to do that closure. Is
2 that what you're asking?

3 Q. I'll try a specific example to help. Suppose I
4 am drilling with 15,000 milligrams per kilogram -- or
5 liter of chloride, a high -- a low-chloride water fluid,
6 but at the top of the limit. And suppose I have a
7 continuous leak that drizzles down through this oil, at
8 some point, to the pit. If that liner were then pulled
9 up, would that spot in the soil likely exceed the
10 closure standards for burial of that soil?

11 A. I don't know.

12 Q. You have mentioned, I believe, that you prefer
13 not to have a plastic or a film cover on top of a burial
14 unit because that would allow better escape, you said, I
15 believe, of moistures or liquids toward the ground
16 surface. Did I understand correctly?

17 A. I think that's what would work best in -- in
18 keeping that dry, allowing any moisture to dissipate and
19 so forth, yeah.

20 Q. If we picture the ground in some areas having
21 enough rainfall that there is some infiltration and if
22 you had an open-lined burial unit, why would the burial
23 unit not accumulate at about the same rate as the
24 infiltration through the rest of the soil?

25 A. Can you rephrase -- clarify exactly what

1 you're --

2 Q. I can try using some of your words, in a sense.
3 An open burial unit was sort of like a bathtub --

4 A. I didn't say bathtub. He (indicating) said
5 bathtub.

6 Q. Somebody used the word "bathtub." I'm trying
7 to picture -- I've cupped my hands (demonstrating).

8 A. What I would -- what I would -- what I would
9 hope to see and likely see and have seen is that when
10 you have -- especially when you get into areas like
11 New Mexico or eastern -- you know, a lot of the Rocky
12 states that are somewhat arid, and even vegetation,
13 those plants help in pulling out moisture. You get -- I
14 mean, you get infiltration. That's part of the reason
15 why you have an unconfined aquifer. But we're not
16 making this pit a -- you know, as you're wanting to
17 think it, a bathtub for accumulation.

18 And even if there was some accumulation --
19 you know, could there be temporary accumulation? Maybe
20 a little. But what you're going to see and just where
21 this pit is located -- it's in an unsaturated zone --
22 that water is not going to -- it's just not going to
23 stay there. I have not seen that happen. I've not gone
24 into a pit and gone, Wow, there's a bathtub here, just
25 never, ever.

1 Q. But if we have a trench burial, would we have
2 something that looked like a bathtub? It has an open
3 top, and it has a membrane down the sides and into the
4 bottom.

5 A. But you're still closing that up, even that,
6 kind of like a burrito or whatever.

7 Q. Yes. You have -- you have the required
8 four-foot dirt on top --

9 A. Well, you're closing that liner, and you're not
10 keeping a big bathtub.

11 Q. Oh. Is that liner closure --

12 A. Yes.

13 Q. -- required by the rule?

14 A. That's just how -- that's how you do it when
15 you do it. I mean, you don't just leave the -- you
16 know, you fold everything. You dewater; you fold
17 every -- you solidify.

18 Q. All right. You're telling me that is the
19 practice whether or not it's required by rule?

20 A. I just don't believe that the state would even
21 approve a closure if you didn't. That, to me, would be
22 an improper closure.

23 Q. Well, if I were the operator and I did that
24 improper closure, and the state tried to make me fix it,
25 I would refer to the rule. So I'm trying to say: Why,

1 if I were an operator, would I have to fix it?

2 A. I guess I believe the rule encompasses that. I
3 mean, that's just how you --

4 Q. All right. Can you compare the 15,000-
5 milligrams-of-chloride standard for low-chloride waters
6 with something people are more familiar with so that
7 there is an easier basis for knowing what this means?
8 You had said, I believe, seawater was something like
9 30,000 total dissolved solids. How would the chloride
10 limit, for example, compare with seawater?

11 A. You asked me about a comparison, and I think
12 what's important is to think that, in practical terms,
13 we can be dealing with -- with fluids that may be --
14 that are, one, produced from different -- from different
15 areas, from different production horizons, okay, where
16 we may get water.

17 If you look at, you know, northwestern
18 New Mexico, where they're producing, you know, coalbed
19 methane, you may get a little bit of water that's in the
20 8- to 12,000 milligrams per liter TDS, most of which is
21 chlorides. All right? We may be working in other areas
22 that -- where our produced water may be, you know, 50,
23 100, 150, whatever, milligrams per liter TDS.

24 And really what you're looking at is trying
25 to kind of manage these types of waters, you know,

1 appropriately. So if you have some that really is
2 generally a lower-chloride water versus waters that may
3 be much higher in chloride, that's really the
4 distinguishment and the comparison.

5 Q. All right. I will ask another question in the
6 same vein, and you may also find it not answerable in
7 terms of how you see things.

8 Could you express any of the chloride
9 burial standards in terms of how much -- suppose it were
10 salt. How much salt would have been there in the
11 original wastes before dilution for burial? They are
12 normally diluted with a factor of three to the soil.
13 But how salty would the original wastes have been?

14 A. I don't have those -- those -- I can't answer
15 that question. I don't have those off the top of my
16 head.

17 Q. Is there any common practice, ordinary practice
18 in the oil field that's going to generate solid waste in
19 the pit that would exceed that standard? Let's say for
20 the 20,000 milligram standard.

21 MR. HISER: I'm going to object on the
22 basis that the rules prohibit us disposing of solid
23 waste in the pit. If Dr. Neeper means cuttings, that's
24 not solid waste as we use that term in the Commission.

25 CHAIRPERSON BAILEY: Would you please

1 change the language?

2 DR. NEEPER: I'll rephrase the question.

3 CHAIRPERSON BAILEY: Yes.

4 Q. (BY DR. NEEPER) Would any routine and ordinary
5 operation in the oil field be likely to generate pit
6 contents -- solid pit contents that would exceed the
7 20,000 milligrams per kilogram limit?

8 A. It's certainly possible.

9 Q. That is possible?

10 A. (Indicating.)

11 Q. All right. Can you relate the SPLP number for
12 chloride back to what might be the equivalent in a solid
13 waste milligram per kilogram so that we could understand
14 the SPLP in terms of what's required for soil?

15 MR. HISER: I'll renew my objection
16 about --

17 CHAIRPERSON BAILEY: If you could use a
18 different term.

19 A. I think I know what you're getting at here.

20 Q. (BY DR. NEEPER) I would like to know what is
21 the equivalence between the SPLP standard and what might
22 have been, let us say, the salt content in the original
23 cuttings and muds in the pit that could have generated
24 something that reached that standard? What would have
25 been the milligrams per kilograms in the original

1 content?

2 A. So in reiterating what I said earlier, what I'm
3 used to looking at in this is that SPLP method, because
4 I think it's most appropriate. If you tried to -- you
5 know, the way you do that -- there's delusion factors
6 and that, so those numbers would be higher, but I don't
7 see the relevancy. And to do that, I'm going to be
8 doing a bunch of math, and I don't want to do that on
9 the stand in my head.

10 Q. No, I understand not wanting to do it on the
11 stand.

12 But if we specify the soil conditions in
13 milligrams per kilogram and we specify closure criteria
14 in milligrams per liter of a leach test but for the same
15 contaminant, chloride.

16 A. But one where I'm removing the contents and one
17 where I'm not.

18 Q. I have to think about that. Excuse me for a
19 minute.

20 A. So Table 1 is where we're actually -- we're
21 removing the pit contents, and Table 2 is where we're
22 leaving the pit contents in place.

23 So in Table 1 -- you know, so we're
24 removing those from there, and -- and the method and the
25 milligrams per kilogram appeared most appropriate.

1 In Table 2, where we're leaving the pit
2 contents in place and we're concerned about mobility and
3 leaching and those sorts of things, having the SPLP test
4 seemed most appropriate to me from just a technical
5 method. Whether they are equivalent to the -- or the
6 salts, it really -- it doesn't seem relevant.

7 Q. In your assessment that it is acceptable to
8 leave these concentrations in the ground, have you
9 looked for significant migration of chloride below pits
10 in New Mexico?

11 A. Yes.

12 Q. Did you do this by drilling under the pit or
13 trenching a pit, or how did you do it?

14 A. I would say in every case that we've done that
15 in New Mexico and other states, typically, it's always
16 been trenching. That seems to be the most -- for me,
17 the most effective way to be able to look at it and see
18 it.

19 I have done things where we've evaluated
20 and tried to assess contaminants in an area to see if a
21 pit had been causing that, where we had drilled outside
22 of the pit, where we didn't trench.

23 Q. And did you find migration beneath the pits?

24 A. It depends on -- I've looked at a lot of pits,
25 Dr. Neeper, and the majority of the time where we have a

1 pit that is not -- was not supposed to -- wasn't an
2 infiltration pit or something --

3 Q. Yes, I'm speaking of temporary --

4 A. These kinds of pits. You know, have I seen
5 cases in the many that I've looked at where there was
6 movement downward? Yes. And most of those, where they
7 were more than a few inches, were historic pits, that
8 don't have a lot of the closure requirements that you
9 have today.

10 Q. The different closure requirement you would
11 have today if you were leaving a pit in place, then,
12 would be a required now dilution of the soil with the
13 pit material and form?

14 A. What is exactly specified in these regs.

15 Q. As specified in the regs. And you would also
16 have the four-foot cover. Is it the dilution factor
17 that would be different or the four-foot cover; do you
18 think?

19 A. Have you seen how they closed pits 50 years
20 ago?

21 Q. Yes.

22 A. So in those times, a lot of times you didn't
23 necessarily remove liquids. I mean, you didn't
24 necessarily solidify. You didn't necessarily mix. I
25 mean, there were a lot of practices that were done in,

1 you know, historic times that are simply not done today.

2 So the cases that I've looked at where I've
3 really seen problems were, for the most part, in those
4 older pits, or where there was somebody that put a pit
5 in without a liner, that was just completely not
6 following the rules, and they paid the price through --
7 through enforcement actions.

8 But when the process is done properly --
9 and I would even say, Dr. Neeper, that -- that -- and I
10 tried to allude to this earlier, is that when you look
11 at kind of the -- if you have the right pieces in place,
12 this, kind of, holistic way of doing it -- so you're
13 siting; you're having setbacks; you're doing design;
14 you're accounting for the things that -- you know, the
15 "gotchas" in your design. You're going through
16 operating to where, if you have a problem, you fix it.
17 You're inspecting. Maybe it's a multi-well. You have a
18 leak-detection system. You're closing. Is that -- is
19 that you could -- you could do probably a not really
20 perfect job at closing these pits and still not have a
21 problem, because we're looking at, you know, kind of,
22 multiple layers of protection. And that's -- and that's
23 really not -- you know, that's kind of common in the
24 environmental arena.

25 You know, in RCRA circles, the IUC program,

1 you try to do things where you plan for a number of
2 different situations. And that's what we've done here,
3 and that's why I think that -- that that overall
4 approach -- why you just don't see the problems that you
5 might imagine you would see.

6 Q. I can understand that as someone operating a
7 pit without a liner, you might get saturated flow.
8 Other than the that, is the transport necessarily
9 different beneath the pit now from what it would have
10 been historically after closure in some previous pit?
11 Isn't it simply whatever transport is going to go on in
12 the ground? It really doesn't know how the pit --

13 A. Well, I think that you see less problems now
14 because of all those things. But I think you're right
15 in that, you know, today you had bentonite muds and so
16 forth, and a lot of pits even 50 years ago may have been
17 -- may have been -- had some of the same types of fluids
18 in them and so forth. So when you look at -- if you
19 look specifically at transport, for instance, some of
20 the -- I mean, you know, the soils, maybe, are the same
21 soils as they are now, but even within that, that's
22 why -- even then -- you know, even if you look at that
23 historical perspective, from what I've seen, you still
24 don't see massive -- even when all the liquids are not
25 pulled out, you don't see massive, you know, BP oil

1 spill problems with pits.

2 Q. Do you see migration of the chloride beneath
3 the pit?

4 A. You can.

5 Q. You can.

6 A. In some of the historic cases, yeah. I've seen
7 that in pits that I've investigated.

8 Q. So there isn't anything inherently that stops
9 the migration of chloride? For instance, the fact that
10 you have bentonite in the pit material does not
11 necessarily inhibit migration of chloride out of the
12 pit?

13 A. So you're mixing a number of these things, I
14 think. So if we talk -- are we talking pits now? Maybe
15 it's better that we stick to one thing. Are we talking
16 pits that would be covered under these rules, or --

17 Q. I'm not talking about anything that is not
18 under these rules. I'm not talking about infiltration
19 galleries.

20 A. So these pits, under these rules, with what's
21 in there and what I've seen under, kind of, new era,
22 modern pits that are closed like this, I've not seen a
23 downward movement more than a few inches.

24 Q. In how much time after closure of the pit?

25 A. Some of these have been 20 years.

1 Q. Thank you.

2 I'll try one more time on this, and then
3 get off the topic. In your written document, you say:
4 Dilution of the wastes with three-to-one soil is
5 sufficient to prevent elevated chlorides. Now, I will
6 agree that reduces the chloride concentration by a
7 factor of three. Does that imply a greater safety
8 somewhere for the environment or something else we're
9 trying to protect?

10 A. Yes.

11 Q. You gave the statement that the natural
12 chloride bulge is evidence of a low infiltration rate.
13 And I presume in this you mean from Nevada, in the state
14 of Nevada?

15 A. What I meant -- and I meant that specific to
16 New Mexico -- was the fact that you see -- and really in
17 multiple western states -- is that you'll see a chloride
18 bulge. And what happens is, it kind of demonstrates to
19 me that you can get salts that move, and they don't just
20 always keep moving. Because of the environment we're
21 in -- we're in somewhat of an arid environment, and
22 stuff doesn't necessarily keep moving down. It doesn't
23 keep pushing. It's not a head. It doesn't go anywhere.
24 It may move up and down a little bit, but it doesn't go
25 anywhere. It just doesn't go seek -- you know, there's

1 not a magic, you know, lead that's pushing it to the
2 groundwater.

3 Q. And that circulation, where you have a natural
4 chloride bulge, which is what I presume you mean, nature
5 has caused it. Would you then say it reaches an
6 equilibrium situation, where -- if it's going up and
7 down, it's going at the same rate. So anything you
8 test, you get about the same result year after year?

9 A. Well, I can tell you that I'm not a chloride
10 bulge expert, and that's not really part of my, you
11 know, the overall testimony here. But from what I've
12 seen is that they generally tend to stay in about the
13 same spot.

14 Q. Yes.

15 If there is a dynamic of water moving back
16 and forth, it's such that, on the average, you get an
17 equilibrium situation, and it doesn't move very much?

18 MR. HISER: Is there a question, or is that
19 a statement?

20 DR. NEEPER: Yes, there is a definite
21 question, and I just asked whether that is a equilibrium
22 situation, because that is crucial, or will be.

23 A. (No response.)

24 Q. (BY DR. NEEPER) Are you aware of the annual
25 temperature cycle in the soil and how that can drive

1 water in one way or another in the near surface? Near
2 surface being four feet or so, or the annual temperature
3 cycle.

4 MR. HISER: He's going beyond the scope of
5 direct. He didn't testify about that.

6 CHAIRPERSON BAILEY: He's asking if he has
7 any knowledge of the cycle. He didn't ask if he had
8 testified.

9 DR. NEEPER: I'll give a reason for asking
10 that question. I do not wish to pursue the question if
11 this has not been the man's interest.

12 A. That's not something that I've looked at. I
13 know you're going to have another expert that's a soil
14 scientist that may be better to discuss that particular
15 question with, I would guess.

16 Q. (BY DR. NEEPER) All right. You're saying
17 another witness will discuss that, if it's to be
18 discussed.

19 I have a final question, then. There has
20 been a lot of discussion on this term of a "risk-based
21 rule." It's obvious that some of the questioners are
22 missing something. Has there been a study done that has
23 shown that the rates of transport, whatever they are
24 going to be out of what is proposed to be buried in
25 pits, cannot reach a place where they would have adverse

1 impact? That is if I understand the definition of risk.

2 A. So I'll give you this in kind of a two-part
3 answer. My basis is really based on my experience. So
4 I didn't do a model. I think what you're going to hear
5 later from another witness is modeling that was done
6 that I think addresses that question. But what I can
7 tell you from -- I didn't attempt to model that. I
8 looked at that from an experience basis.

9 Q. Very good. No further questions.

10 CHAIRPERSON BAILEY: Commissioner Bloom, do
11 you have questions?

12 COMMISSIONER BLOOM: Thank you.

13 CROSS-EXAMINATION

14 BY COMMISSIONER BLOOM:

15 Q. All right. Mr. Arthur, how would you feel if I
16 dropped my questions about low-chloride fluids and
17 confined and unconfined waters that we've talked about
18 already?

19 A. Okay.

20 Q. All right. We've talked about those. Those
21 questions were answered.

22 A. It's getting late in the day (laughter).

23 Q. It's been kind of heady, so how about I start
24 with an anecdote that leads to some of what we talked
25 about, a story that ends with me laying on the floor

1 with a screwdriver in my hand? Would you like that?

2 A. Excellent.

3 Q. Okay. Let me start by thanking NMOGA for, I
4 think, going back at the end of the night and looking at
5 some of the questions that we've had throughout the day
6 and bringing them up in the following day's term.

7 That's been helpful. So I want to talk about a few of
8 those things. And this is where my anecdote comes in.

9 I bought a house about a year ago. Three
10 months ago, my kitchen faucet goes out, and water's
11 leaking out of the sides. So I decide to replace it,
12 and I'm going to replace it with one of those fancy ones
13 with the pull-out hose that retracts automatically. I
14 know how that retraction thing works, so I tried to
15 install it. You know how it works?

16 There's a little weight under there, and
17 you have to attach the weight yourself on the -- on the
18 hose, because the manufacturer's not going to do it,
19 because there might be different distances. Okay?

20 A. Okay.

21 Q. And so I'm lying under the sink, and I'm
22 tightening down that weight on there with a Phillips
23 head screwdriver. And I'm doing it to excess, because I
24 do things to excess. So I'm tightening it, and it
25 slips, and that screwdriver flies into my hand, gets

1 stuck in my thumb. I scream like a four-year old.

2 Eventually, I extract myself from under the
3 sink, and I go to look for my first aid kit. And I
4 don't have any Bactine in there. I have some of that
5 triple D ointment. You're not supposed to put that on
6 puncture wounds. So I don't have anything to really
7 clean it out, and I didn't have any hydrogen peroxide
8 either. And the Band-Aids didn't really fit there too
9 well.

10 So I kind of changed my day around. I
11 decided to go to Walmart early to buy the groceries,
12 stock up on things, and I buy some Bactine and I buy
13 some Band-Aids.

14 And I'm asking myself: What's the
15 take-away from this? Is it: Keep a stocked first aid
16 kit in the house; or is it: Throw away the first aid
17 kit and just get stuff when I need it? That's what I
18 think the take-away is.

19 A. Oh, I understand where you're going.

20 Q. Where am I going?

21 A. The boom.

22 Q. The boom, yeah.

23 So you're out in Montana, and you needed
24 some booms, right? And you threw a couple of them down,
25 and they didn't work. What is your conclusion today?

1 A. One is -- is -- is just on the issue of the
2 booms and the conclusion. And I fully understand the
3 story, and I appreciate the humor a lot. That was
4 hopefully lightening the day.

5 But again, you know, from the take-away --
6 and, you know, like I said, in the last two years, I've
7 worked two blowouts, too, which you don't want to
8 happen. But I guess you learn different things in life
9 in just what you see, and oftentimes -- you know, and
10 this is from when I was a regulator, when -- you know,
11 at different parts of my life. I've seen good
12 intentions that don't necessarily always work.

13 And, you know, as much as I respect the
14 Band-Aids and all that, what -- what you tend to have
15 happen in this is, you're looking for different kinds of
16 solutions and what you're going to use those for.

17 -- And I've had -- I've had experience with a
18 boom up there that -- actually in Wyoming -- didn't
19 work; essentially disintegrated when they put it out
20 there, because it wasn't cared for and wasn't used. And
21 ultimately what we did is, we called a vacuum truck that
22 was out there in about two hours, and we wound up being
23 much more effective at what we did.

24 So I think that, you know, in what I've
25 seen is -- even in the companies that I've worked for,

1 in helping them, you know, assess a post-blowout, is
2 that they didn't come to the conclusion then to say, We
3 need -- we need to have booms on site. What they
4 ultimately did is, they came to the conclusion that, you
5 know, even though everything that we needed wasn't, you
6 know, sitting right there, we were able to get it pretty
7 rapid, in an area where you don't just have stuff
8 everywhere.

9 You know, the guys that had the stuff
10 certainly wanted to make money and were there, and
11 they're available, and the oil industry works 24 hours a
12 day, which, if you're working in it, can drive you
13 really crazy, because you wind up being out somewhere at
14 2:00 in the morning.

15 And maybe there are situations where --
16 where you want to have a boom or some device, if you're
17 in some likely sensitive area that you want to be
18 prepared for, but, for the most part, in my experience,
19 I just haven't seen the need for it. And you may
20 disagree, and that's okay. You guys are -- you know,
21 it's your Board, not mine. But in my opinion, having
22 that stuff there is just -- it's unnecessary, and I
23 think it can provide a couple false senses of security.

24 Q. But in that case, you could have made the call
25 to the vacuum truck, right? You wanted these things,

1 but they didn't work?

2 A. Well, the thing with the booms is that they
3 went to the booms first, because it was the guys in the
4 field, and that was just -- that was what they were
5 supposed to do. Subsequent to that, they changed the
6 procedure; quit having booms, and those guys had a
7 different procedure.

8 And that's how a lot of the -- and when you
9 look at how the operations work in the field, you have
10 an engineer or a regulatory supervisor, probably one of
11 the guys in here. They may write up procedures like,
12 Okay, here's our emergency response stuff that we're
13 going to have; here's how we're going to handle it. And
14 if the guy in the field says, Okay, take boom from
15 garage; throw on water, you know, then that's what
16 they're going to do. Versus, if you have this,
17 depending on this, call somebody and get instructions;
18 call back vacuum truck, or whatever is necessary.

19 Q. Sensitive areas. I believe you talked to
20 siting a bit, and are we reducing the distance
21 between some of these sites from 300 to 100 feet?

22 A. Yes.

23 Q. Would that be a case where you want to have a
24 boom?

25 A. I -- I -- I -- I still think -- even in those

1 cases and, for that matter, any of the cases that we
2 have in here, I don't think that there's a generic case
3 where we would have or want to have, necessarily, a
4 boom.

5 I can tell you, if I was, you know, in some
6 super-high, you know, sensitive area that -- you know, I
7 mean, we've done wells right on the banks of a lake, you
8 know. We had that stuff in place; I mean, put in place,
9 the hay bales and all that. And you do that sometimes
10 with soil and erosion, sedimentation, plants, where you
11 may have some of that stuff there to give you that
12 protection, as well as how you're siting.

13 So even if you're within that much of a
14 wetland -- you know, and -- and I would say -- part of
15 my experience is, even from wetlands -- and part of the
16 work that I'm doing is in East Texas; and you have a lot
17 of wetlands in there right there on the Louisiana
18 border, and there is a lot of oil and gas development
19 that's there. And we use a 100-foot setback. And in
20 that particular area, I've handled maybe 20 spills that
21 have occurred, and in every case, that 100-foot setback
22 was more than adequate for us to respond and address the
23 issue.

24 Q. Going back to one other issue, another concern
25 I have, with the slope of the side of the pits. And

1 your comments were helpful from the viewpoint of
2 regulators, and thank you.

3 A. You're welcome.

4 Q. People and critters are my concern now.

5 A. Okay.

6 Q. How steep could the side of the pit be?

7 A. You have pits in the United States where you
8 may have -- you may have one end of a pit that could be
9 a vertical slope.

10 Q. Could all four sides be vertical, like a
11 swimming pool-type effect? I was worried about people
12 falling in, or animals.

13 A. You could have that. And keep in mind -- you
14 know, I would say it would be unusual where I've seen a
15 pit that has four -- you know, four vertical sides.
16 Just because, how would you construct it? I mean, how
17 would -- that would be difficult. I've seen that in
18 Russia.

19 But I think that even in there, we would
20 have, you know, other access issues, like fencing, that
21 would -- that would help to keep out people, and any --
22 really any critters of -- well, I'm -- you know, I guess
23 a deer could jump a fence, you know. But if they got in
24 a fence, even with a slope, depending on, you know -- I
25 mean, any pit could be an endangerment from that

1 perspective.

2 Q. I don't want to belabor that anymore.

3 I appreciate your time and experience
4 having been at EPA and having been a regulator, so I
5 want to come back to the multi-well fluid management
6 pits.

7 As someone that's being asked to change
8 regulations, or create new regulations in this case,
9 perhaps you can sympathize with my concern about the
10 size and volume of these -- of these pits. Is there any
11 limit on their size currently in the proposed --

12 A. Not in the proposed rules.

13 The only thing I'd offer in that is that as
14 you start looking at the utilization of those -- of
15 those multi-well fluid management pits, there isn't a
16 size limit. But I think that what you'll find and what
17 I've seen just in different areas is, they're kind of
18 purpose limited, you know.

19 So, you know, like the example I had is
20 that, you know, you're using -- you're using, you know,
21 that pit for a particular area. And, generally, it's
22 not -- it's not reasonable, you know, to use this pit on
23 wells way -- you know, that are far away. So what you
24 do is, you wind up closing that one and maybe building
25 another one.

1 You know, so you're not likely to just go,
2 Well, we're just going to make it bigger and bigger, and
3 all of a sudden, it's the size of Pittsburgh.

4 Q. You've probably seen we have a lot of
5 acquisitions and --

6 A. Yeah.

7 Q. -- mergers in New Mexico, and you've seen
8 bigger and bigger units being built.

9 A. Yes. I've done a lot of environmental work on
10 exactly that.

11 Q. So we could essentially have -- I could imagine
12 a pit that has 100 acre-feet of water in it, and it's
13 serving multiple frack jobs at once that cross a sizable
14 extension of land. And I guess my questions are: One,
15 could we end up regulating something the size of a small
16 dam, and, you know, the regulations for that? I don't
17 know if these are questions that you would have to do
18 some research on. Or are we going to get so big that
19 we're talking about something that goes beyond a pit?

20 A. I would say -- just from a basic management
21 perspective and what I have seen is that I have seen
22 freshwater ponds that have been built that have been
23 sizable, where -- where -- I'll give you an example.

24 Chesapeake Energy -- this was a few years
25 ago -- built a major pond, with a dam, and they had to

1 go through all sorts of permitting with the state
2 engineer and all that, because they did do that with the
3 idea of -- in that case, they did it so that they could
4 kind of work like an aquifer storage and recovery well.
5 So what the intent was was to take water out of the
6 river during the rainy season, capture it in this giant
7 impoundment so that they wouldn't have to -- they could
8 minimize the water take out of the life cycle during the
9 nonrainy period.

10 So you can have some of those, but that's
11 not typically what you would see in a pit that you're
12 using to -- you know, for supplying water, in recycling
13 and so forth. In those cases, really like kind of the
14 case that I put up here, I think, is what is more the
15 norm. And they're kind of limited on kind of how far
16 they can do [sic].

17 So even with acquisitions -- so, you know,
18 if somebody comes and buys in additional acreage or
19 whatever --

20 Q. We need the rate based on all possibilities,
21 not just what might be a norm, correct?

22 A. Sure. I mean, but --

23 Q. My next question is going to be about -- about
24 age. And drawing on your experience as a regulator, are
25 questions about minor performance at two years,

1 five years and ten years, for a multi-well fluid
2 management pit, of interest to a regulator?

3 A. I think everything is of interest to -- I'm
4 having a hard time thinking of a case where it wouldn't
5 be of interest. What I can say is that the liner
6 material, the siting and design specifications that are
7 in your rule -- and that is really -- you know, that
8 I've seen in other -- it's specific to multi-well fluid
9 management pits and are pretty good -- I shouldn't say
10 pretty good. Are generally well engineered, that can
11 have the ability to have a safe and effective life span
12 that could go multiple years.

13 COMMISSIONER BLOOM: Could we pull up slide
14 4-3 -- I'm sorry -- 14.3, please, 14-3?

15 Q. (BY COMMISSIONER BLOOM) Mr. Arthur, you were
16 looking at this earlier. You said that New Mexico has a
17 good safety record. Is that a fair assessment of what
18 you were saying?

19 A. I didn't say a good safety record, but what I
20 thought is, based on -- and, you know, just summarizing
21 this slide, is that looking at this relative to
22 groundwater, the results that you see are pretty good.

23 Q. Have we had any contamination to groundwater
24 with this new Pit Rule that you're aware of?

25 A. Not that I'm aware of.

1 Q. When we were in slide 4-25 -- I'm sorry --
2 14-25, you said that -- it was after we were talking
3 about some comparisons -- that New Mexico is a leader in
4 dealing with pits.

5 MR. HISER: That was -- technically,
6 Counsel said that, not the witness.

7 COMMISSIONER BLOOM: Okay.

8 Q. (BY COMMISSIONER BLOOM) Would you agree with
9 that?

10 A. I believe that. I think even right now -- I
11 think that probably everybody in the country is looking
12 at what you guys are doing with this Pit Rule right now,
13 and I think you know that.

14 Q. So you're asking us to make changes. Why would
15 we make changes to this?

16 A. Well, I'm not an operator, and I'm not sure
17 that that's not, you know, maybe more appropriate to
18 them. But in reference to my opinion, which I think
19 you're asking, is that -- is that I think that from the
20 existing rule to the proposed rule, the proposed rule
21 addresses some things that I think that are -- that are
22 probably less than ideal, in my opinion, from a
23 regulatory perspective. There's clarifications and --
24 and a -- I guess a number of points that I would say
25 that would be suggestive of that. I like what we've

1 done in Tables 1 and 2. I like the identification and
2 recognition of, say, low-chloride fluids.

3 Even if you -- if you don't -- you know, if
4 you looked at that not compared to something else, but
5 compared to the water you're dealing with and the
6 relative risks of not doing a one-size-fits-all sort of
7 thing -- but recognizing that, I think that adding the
8 multi-well fluid management pits to that, I think, will
9 ultimately be a very -- a very positive thing that has a
10 lot of environmental benefits; probably more benefits
11 than has been brought up at the hearing.

12 So overall, when I look at why change, I
13 think it's -- it's an improvement. It makes the rule, I
14 think, more straightforward, understandable to
15 implement, which, from my regulatory side, means that
16 I'm going to get better compliance.

17 Q. So we're allowed to make a change, and we have
18 economic, scientific and environmental data that would
19 help us know if there are wastes of resources, correct,
20 or if we're not protecting correlative rights, which is
21 part of what we do here, or the impact on the
22 environment -- impact on the environment, correct?

23 A. Uh-huh.

24 Q. Seem fair?

25 So I want to talk about setbacks. And I

1 don't know --

2 COMMISSIONER BLOOM: Ma'am, could you pull
3 up the slide from presentation number three? I think it
4 was pretty helpful.

5 MS. TUPLER: From Exhibit Number 3?

6 COMMISSIONER BLOOM: Yes.

7 THE WITNESS: I think it's a different
8 presentation.

9 COMMISSIONER BLOOM: 3-6.

10 MS. TUPLER: Which page are you looking
11 for?

12 COMMISSIONER BLOOM: 3-6, slide number six.

13 Q. (BY COMMISSIONER BLOOM) Mr. Arthur, you're our
14 hydrologic expert here today?

15 A. Yes, sir.

16 Q. So how do we -- so the current rule is a
17 setback for 50 feet and -- and horizontal of 50 feet,
18 and then the setback for near a watercourse is 200 feet
19 and 300 feet, 500 feet for a water well, and 500 feet
20 for a wetland. And we're going to change some of those.
21 We're going to change depth to 25 feet, watercourse, to
22 100, water well to 100, and wetland to 100. What data
23 have we seen that shows that that's a conclusion that
24 would be acceptable, provides for safety?

25 A. What I -- what I looked at and -- and -- and --

1 and part of what I based my -- my assessment of this --
2 I didn't -- I didn't come up with the numbers. I
3 evaluated the numbers and made -- and drew an opinion
4 from that, but -- but I would say that it's not
5 without -- without data. So I've been in multiple
6 hearings with Pit Rule development; have testified
7 before, for instance, with Tom Richmond and Montana Oil
8 and Gas, and have looked at Pit Rule.

9 Other things with setbacks that we've seen
10 is like the state of Ohio. Rick Simmers there led an
11 effort looking at their setbacks from different things
12 and tried to come up with a basis for that.

13 I also recently worked with the Delaware
14 River Basin Commission on how they came up with their
15 setbacks, working with the U.S. Army Corps of Engineers
16 and the National Park Service on setbacks within that.

17 And -- and I would say, I've also done
18 supporting work with the New York DEC's Supplemental
19 Draft Generic Environmental Impact Statement, where we
20 have discussed and evaluated setbacks. And -- and
21 within -- that, and as well as experience in responding
22 to spills. So part of what I do as a consultant and did
23 back in my EPA days and so forth was emergency response.

24 And setbacks is a challenging thing,
25 because there's not -- there's not a -- an actual way to

1 come up with a right or wrong solution, you know. So
2 you can start studying setbacks in a number of different
3 perspectives, and what you find is, there's not an
4 equation. There's not, you know, something that says,
5 Here it needs to be 100 feet, because, you know, exactly
6 this.

7 What it generally is is based off of
8 operating, regulatory and resource management
9 experience. So even in many of like -- I've done a few
10 oil and gas Environmental Impact Statements for the
11 Bureau of Land Management. It's been a lot of the same
12 thing.

13 So they come up with those sorts of things,
14 and I think there are a lot of reference documents that
15 you could probably have in the record as a reference
16 that suggests that, beyond just what other states are
17 doing in regulation that might be able to help you.

18 Q. So 500 feet used to be what we were told was a
19 safe distance from a water well. Now we're at 100 feet.

20 A. For low chloride, yeah.

21 Q. What I would like to have is an understanding
22 of how quickly a plume could move through -- move
23 through soil.

24 In a previous life, I worked on
25 military-base issues, and one of the things we had in

1 Albuquerque, an issue we still have, is the fuel plume
2 out at Kirtland Airforce Base. Eight million gallons of
3 fuel spilled. It went down 500 feet in, say, 50, 60
4 years, and then it went a mile horizontally. You know,
5 it probably had quite a head on it.

6 But how do I know that a plume isn't going
7 to move 100 feet in 20 or 30 years?

8 A. So I'll give you a similar reference and a
9 distinguishment, if that's okay.

10 I'm a petroleum engineer, but I've had one
11 experience in being able to build a dam, and that's been
12 -- that was at Elmendorf Air Force Base in Alaska. And
13 they had a gas -- a JP-4 fueling area called
14 Four-Million Gallon Hill, and it was on a big hill. So
15 they actually had four one-million underground storage
16 tanks, and then they built soil [sic] above that.

17 One of the things I learned with the Air
18 Force and working at multiple Air Force bases on
19 environmental projects around the country is that in the
20 Air Force, jet fuel tends to get treated like water.
21 Historically, that's -- that's what you saw. And in
22 this case, I saw -- I noticed jet fuel leaking out the
23 side of this hill, going in a creek, while people were
24 wondering why there was a sheen on the sound. So we
25 built a dam, collected that, and it's still a problem

1 today like that.

2 Now, we're not necessarily dealing with
3 JP-4, and it's not an air force base. But what you see
4 when you look at the type of setbacks that we're at,
5 keep in mind -- and from my testimony, and hopefully
6 you'll put some -- some -- at least a little bit of
7 credence on the experience I've had in working with a
8 lot of regulatory agencies, a lot of companies on pits,
9 is that really the primary time when you're going to
10 have some sort of incident is during the operational
11 phase.

12 Most of the time when you're looking at
13 setbacks to, let's say, a wetland or a watercourse is
14 going to be overland flow. So certainly we had an
15 event, you know, that occurred in the Bakken of massive
16 snowmelt and, you know, flooded Lake Sakakawea. There
17 was water everywhere. The entire western portion of the
18 state was flooded. We can have those anomalies. That
19 happens sometimes, you know. Sometimes a hurricane hits
20 New Orleans and takes out the whole city.

21 Typically, that's not what we design -- we
22 don't plan for worst case. So even when we do an
23 Environmental Impact Statement, you don't guess the
24 worst possible case, what could happen, and design for
25 that.

1 So if we look at those things, the two
2 issues that we had on a watercourse or a wetland, you're
3 looking at mostly overland flow. So we've got a couple
4 of things that happened to us in those particular cases.
5 One, if we get overland flow, what we're probably going
6 to see -- and what I've seen in really every case that
7 I've been in is that we're going to see infiltration as
8 that water moves. We're going to see pooling. And the
9 likelihood of that moving even 100 feet is going to be
10 slight.

11 Furthermore, as that -- let's say that that
12 did reach a wetland or a watercourse, whether it was
13 100 feet, 300 feet, 500 feet -- you know, in the
14 low-chloride opportunity -- or the low-chloride
15 situation, the chances of that -- of that being a
16 significant impact may be even less.

17 And if we look at the case of the Bakken --
18 and I can tell you that this was the instance of one of
19 the blowouts that we looked at. They got 20 inches of
20 rain in one day. And what we had in that case and what
21 you had even in some of the situations in the Bakken is
22 that you had fluid, that that fluid -- you know, let's
23 say our flow-chloride fluid was 15,000 milligrams per
24 liter of chloride. But by the time you have this
25 massive event, there's so much dilution that even in the

1 case of the ATGAS blowout, when we got very far off the
2 pad, we could not even measure the -- the -- a
3 difference in the floodwater that was leaving the area
4 that we knew was impacted by flowback versus areas that
5 were unaffected by the well.

6 So as we look at the possibilities of an
7 overflow, you know, in a dry situation or even that
8 massive, you know, Bakken flooding thing that sounds
9 bad, but really -- you know, people got fined, and they
10 deserved to be; that was the rules. But when you look
11 at the environmental impact of that, it was pretty
12 benign.

13 If we look at the other ones, where we look
14 at a residence or a water well, you know, now we're
15 primarily looking at a situation where, again, you
16 know -- and if we even look at the history here in
17 New Mexico, I can tell you, based on my experience, it's
18 pretty identical. I mean, it's the same sort of
19 industry. Things happen during that operational phase.
20 I have witnessed -- a guy -- this was actually in the
21 Bakken area -- got fired. He picked up a drill bit and
22 threw it in the pit. It hit the side of the pit,
23 created a big rip, you know, went down to the bottom,
24 and, you know, it was an unfortunate thing, you know.
25 But what I would say is, in an immediate response, they

1 called a vacuum truck out there; emptied that; pulled
2 things back; addressed the situation like you would
3 expect; notified the state and addressed that.

4 So even in these situations, you know, I
5 think you're really not giving up much.

6 And although -- in this case, I like the
7 idea that we're having low chloride versus other, which
8 is really, you know, a high-chloride solution. You're
9 giving yourself a little bit more buffer. But I think
10 either of those are safe.

11 I think the 500 feet -- you know, when you
12 start looking at -- and this was an issue we came up
13 with at the Delaware River Basin Commission. When they
14 started out, they wondered, well, maybe we should have
15 1,000-foot, you know, setbacks and everything. And what
16 we wind up doing and what we've done -- we've done this,
17 gosh, I think four or five times -- is what we call
18 buffer analysis, where when you start looking at where
19 you're going to be able to put things, if you start, you
20 know, pulling out all the setbacks, you wind up, perhaps
21 unknowingly, impacting how wells can be drilled and what
22 resources perhaps can be accessed.

23 You know, we heard -- I heard, I think, on
24 the first day, someone saying that, you know, you
25 could -- hey, they're drilling wells five miles,

1 horizontals, now. Well, I think that -- you know, if
2 you had a five-mile horizontal well, I can tell you, the
3 only purpose of that well is to hold production, because
4 in trying to complete that well, to get it to produce
5 and to clean it out at the end of five miles is
6 impossible.

7 The longest horizontal in unconventional
8 resources that I've seen that has been really producible
9 has been 12,000 feet, about two miles, and they still
10 estimate that only about half of the horizontal is
11 producing. So it's tough to do that.

12 So what winds up happening is, you wind up,
13 perhaps unknowingly, limiting and actually maybe
14 unknowingly make resources unavailable.

15 Q. So you addressed the horizontal flows there?

16 A. I tried to address both, I think.

17 Q. Twenty-five feet to groundwater. I mean, is
18 there -- if a liner is punctured, do we have any
19 understanding of if a plume could move 25 feet? Is
20 there data out there to support that it won't?

21 A. You know, in the -- so what we're really
22 talking about, I think, is in a catastrophic event,
23 correct? So if we had a catastrophic event -- because
24 that's what we're saying. Twenty-five feet, right?

25 Q. Yeah. Okay.

1 A. So catastrophic event: The guy throws the
2 drill bit in there. All right? And now, for the
3 25 feet thing to be an issue, I'm going to see -- I'm
4 going to physically see the fluid in that pit escaping.
5 So I'm going to have a volume of that pit. I'm going to
6 know that. I'm going to know what's happening. And
7 through that, what you're really looking at is buying
8 time.

9 So now, in the 25 feet of the low-chloride
10 solution, I've now had a catastrophic event. I know
11 about it, and I have the ability to immediately take
12 action.

13 So that's part of the reason why I believe,
14 especially in the low-chloride situation -- and I really
15 honestly think that you could do 25 feet on either of
16 them, but I recognize there is still a perception, you
17 know, of higher chlorides, that maybe you have a greater
18 potential impact if something did happen. But
19 nonetheless, I think in that, if you look at that, that
20 it's really -- what your concern is, on that
21 catastrophic event, that the 25 feet is much more than
22 adequate.

23 Q. That's helpful. Thank you.

24 Just a couple more quick things --
25 hopefully quick.

1 What is the cost of the setbacks? Is
2 waste -- do we have waste because there is this setback?
3 Are we wasting resources? Is there oil or gas we're not
4 able to access because of these setbacks?

5 A. I have not done -- as I noted before, I've done
6 a lot of buffer analyses. I didn't do a buffer analysis
7 related to these regulations, but what I can tell you is
8 that many times, handling setbacks is a very delicate
9 situation that you have to do, because the setbacks that
10 you have can limit resource access and could mean that
11 you're going to have unrecoverable resources because of
12 that.

13 And I'm not saying that -- you know, I
14 didn't -- I didn't look at this, so I don't -- you know,
15 I haven't done the modeling here to be able to answer
16 that particular question. But what I can tell you, in
17 every other situation where I have, is, that's been an
18 issue, and that's led to a lot of negotiation on, you
19 know, how do we make the setbacks effective so that
20 we're confident that they're enough, but they're not too
21 much? Because, you know, you don't want to -- I mean,
22 you want to be able to do your job whether you're the
23 State Land Office, or, you know, the OCD or whatever, or
24 even a water basin commission or the BLM. It's a
25 balance. And certainly that can happen.

1 Q. Two things on just a portion of your
2 presentation where you were talking about comparisons
3 with other states.

4 A. Uh-huh.

5 Q. How are comparisons helpful?

6 A. You know, for me -- I have a son that plays
7 baseball, and he's a catcher. And Monday, because of
8 the perfect timing of the hearing, I missed him at a
9 major league draft showcase. And what they did is, they
10 run the players through, and they have them run a
11 60-yard dash; and they have them -- he's a catcher, so
12 they have him throw to second, and they have him hit.
13 And what they do is, they put those numbers out, and
14 then they compare, and you kind of see where you are.
15 And I think that's -- you know, that's the same sort of
16 situation that you have here.

17 And I think that -- I know when I was --
18 when I was at EPA -- I've also -- some of my clients are
19 state agencies, so we consulted. Two states, for
20 instance, Artie Bingwell [phonetic] in Arkansas and Tom
21 Richmond in Montana, they use us. We're kind of a
22 technical expert for them. So we may come in when
23 they're doing rulemaking or permitting or whatever, and
24 they'll ask us to assess something.

25 But comparisons, you know, as you do that,

1 you typically -- you know, you don't -- you want
2 to -- generally, you don't want to be somebody who is
3 way out of line with something. We're going to have
4 5,000-foot setbacks, you know. Because, you know, you
5 don't want to be an undue burden, all those sorts of
6 things. So the comparisons just really kind of help you
7 know, okay, How are we in here? Maybe this is more
8 important to us -- like, even like when you look at, you
9 know, my slide 23, where I kind of said, How many other
10 states are doing these sorts of things? It's not
11 necessarily a win -- a contest that you want to be the
12 top in every one. You know, the whole reason that
13 states say, Hey, states need to be able to regulate oil
14 and gas activities, or whatever it is, as opposed to the
15 federal government, is that they want to have a program
16 that is fit for them.

17 So in those different things and the
18 setbacks and the comparisons, looking at those in other
19 states can help you assess that. So what we try to do
20 is look at the states overall, and then we compare it to
21 a smaller subset of states, to be able to say, Okay,
22 that's all of them. But what if -- you know, what if
23 you even just looked at the ones that we felt had a lot
24 of similarities to New Mexico, as opposed to saying,
25 Well, you guys were just way out of line, or, Everybody

1 else was ahead of you. I mean, you fared pretty well in
2 even that sort of analysis.

3 So I don't know exactly what you do with it
4 other than use it in your decision-making process in
5 deciding what to do with a rule, and if, you know, you
6 think that helps you --

7 Q. We compare ourselves with, say, five states
8 that we can see as being -- having lax standards,
9 perhaps, or we might come out looking like we were a
10 very tightly regulated state?

11 A. I agree.

12 Q. Or perhaps that we compare ourselves with six
13 countries in the world that had the most restrictive
14 standards, we'd come out looking like we had a pretty
15 good show here in New Mexico, right?

16 A. You can make that stuff do whatever you want.
17 And I didn't try to do that. I tried to --

18 Q. I believe what we're aiming for, then, is to
19 maybe look at other states to see what they're doing to
20 help us get towards a goal of adequately regulating
21 industry in our state.

22 A. Right. And also, I think, it's different --
23 maybe different areas, because Pennsylvania, they have a
24 lot more rainfall. There may be some parts of their
25 regulations that they want to have more stringent than

1 you do in New Mexico, and vice versa.

2 Q. And lastly, you had percentages, looked at
3 percentages, and we saw a success rate -- call it a
4 success rate of 99.98 percent. Doesn't -- I guess the
5 failures, do they -- you have to look at their
6 magnitude, right, to understand if that's a success,
7 right?

8 A. Well, where there was alleged -- where there
9 was alleged groundwater. Okay. So you could -- you
10 know, I think if you said, Where has there ever been a
11 tear in a liner? So let's say -- and, you know, I've
12 seen this done in a number of ways. You can make
13 statistics, you know, do what you want. But if you
14 said, Okay, I'm going to -- maybe there's been 50,000
15 incidents where there was a tear in the liner above
16 the -- above the fluid. Even though it was fixed and
17 not an incident, do you count that, you know?

18 So what we tried to do in this -- and maybe
19 you want to look at statistics beyond even what I
20 presented, but to look at them with a purpose.

21 So in this case, you know, my portion of
22 the testimony is kind of as a hydrologist and so forth,
23 so really kind of the main thing I was looking at was
24 water. So to me, and even looking at past information
25 provided by the OCD, the stuff that's available, you

1 know, I focused on those particular things. So that's
2 not to say that that's any event or whatever and so
3 forth.

4 Q. Let me pivot for a minute. What I'm asking is:
5 What is the potential cost of a failure? And let's look
6 at the Gulf, for example. There are 3,500-some wells in
7 the Gulf, right? If they have one bad accident, what
8 can it cost? You might have -- there are 3,000 wells,
9 and you have one failure. That's a 99.97 percent
10 success rate. One failure can be big, and it would cost
11 you, right? Let's look at the cost of these failures.

12 A. You know, two months ago, I gave a presentation
13 on the risk of hydraulic fracturing to a government
14 organization in New Zealand. The majority of their
15 production is offshore. And they have a new shale play
16 there, and they've got a little bit of onshore
17 development. And one of the things that I did as part
18 of that was discuss the difference between onshore and
19 offshore development and the difference in risks.

20 So the BP incident was a massive incident.
21 It got our entire nation's attention, and it provided a
22 situation, because of the depth and all that and because
23 it's offshore, that you can't respond to, in many ways.

24 What I saw now -- in two instances, I've
25 been the environmental guy on site for, let's say,

1 equivalent blowouts. And the difference that we have
2 when we're on site in these equally catastrophic events
3 is that we have a number of different things available
4 to us. We have berms. We have roads. We have all
5 these other things. So when you look, it's like,
6 well -- maybe that -- you know, if you had just that
7 one -- you know, you had 100,000 wells. If you had one
8 of them, it could be this really bad thing, so you don't
9 even want to have one.

10 Well, in here, you know, what you really
11 look at is, you know, what are the really potential --
12 worst case, what could happen? And what I saw in the
13 ATGAS blowout, which the representative from the state
14 of Pennsylvania, in one of their -- one of the news
15 reports that they gave, said that this was the worst
16 environmental catastrophe in Pennsylvania's history of
17 oil and gas wells. And you think: That's where the
18 Colonel Drake well was, you know. And we've had a
19 22-inch rainfall. We lost about 500 barrels of fluid
20 from the well. There was a river within, oh, probably
21 3- or 400 feet. It happened at 2:00 in the morning, you
22 know. This wasn't a pit, but, you know, 20 inches of
23 rain, you know, all this -- these massive things.

24 What we found out, from looking at the
25 results of that, is that the company acted pretty quick

1 in building berms below the pad. They even had --
2 because of the -- because of the berms at the pad, they
3 accumulated a lot of water, and a portion of the pad
4 actually fell and washed out. But what you saw -- even
5 with that is that we saw no -- no impacts in the
6 waterway. The area of impacted soil was really rather
7 low, because you had -- you had sheet flow, so you had
8 some that was maybe within 50 feet. It filled up a
9 cato [sic] watering pond that was just below the pad.

10 And ultimately, the biggest impacts that I
11 saw from that particular situation is, we had dead
12 crawfish from the pond, and in the area of release, at
13 the surface, we had a lot of dead worms. So things
14 moved so fast and there was so much dilution, you really
15 didn't see what you might think would be this
16 catastrophic environmental impact.

17 Q. That's all. Thank you, Mr. Arthur.

18 A. You're welcome.

19 CHAIRPERSON BAILEY: Mr. Balch.

20 CROSS-EXAMINATION

21 BY COMMISSIONER BALCH:

22 Q. Good afternoon.

23 A. Good afternoon.

24 Q. For the record, I try my hardest not to speak.

25 There's been a lot of discussion about

1 material that's left on site, so I was a little bit
2 curious, because we have a impact panel in the EPA and
3 also in the oil field. You might be able to address
4 some design standards. I know that oil and gas waste is
5 treated differently than a lot of other waste strains.

6 For example, the EPA says that CO2 is a
7 toxic substance. And part of my other work involves a
8 large CO2 sequestration project, and we have to assure
9 the Department of Energy that the CO2 that we're
10 sequestering will be in place at that site with a
11 95 percent compost for 1,000 years. That's a design
12 standard for the CO2 sequestration project.

13 Now, similarly, we can take the waste off
14 site, perhaps to a municipal landfill. Those sites are
15 also going to close someday, and they're designed to
16 some standard. Would that -- would you be able to talk
17 a little bit about those sorts of design standards and
18 how they may be applicable to the design of waste left
19 on site?

20 A. I guess there are a couple of different things.
21 And first you mention, you know, the CO2, and I've done
22 a good bit of CO2 work. We're actually doing work for
23 the Department of Energy in doing the environmental
24 analysis for several of their CO2 projects, one, I
25 believe, that you're involved in, as part of NEPA, for

1 DOE. But that sort of containment is not dissimilar to
2 other things that have been done.

3 So, for instance, in Land Ban Program for a
4 hazardous waste injection unit, they do model to show
5 that things are going to remain in place for 10,000
6 years. And the first thing that I learned when I was in
7 college for modeling is that you never model for longer
8 than you have data. And then I got to EPA, and I'm
9 trying to build a model, but I have, you know, a few
10 years of data, and I'm modeling out 10,000 years. And I
11 thought, you know, don't tell my professors, you know.

12 So -- so I think as -- as -- as -- as
13 you -- as you make those predictions, and -- and
14 ultimate faith [sic], there's a little bit of, you
15 know -- you know -- you know, judgment that you have to
16 make.

17 I remember when we were doing the land ban
18 modeling and figuring out what -- you know, what to do
19 and how to do that, our direction from the EPA
20 administrator was, you know, I want solid regulations;
21 you know, I don't want you to develop something that's
22 unattainable. And so what we tried to do, even for the
23 10,000-year modeling, was come up with some things that
24 were -- that took into account long-term things,
25 density, dependency and all that kind of stuff, but that

1 was not unachievable given our natural environment.

2 If we look at that in relation to even, you
3 know, landfills or pits -- you know, I've done -- I've
4 done landfill work in California, on the North Slope. I
5 had the -- I had the pleasure of doing an arctic
6 landfill in -- in -- in Western Siberia, under a USAID
7 contract that actually got used to take -- to take oil
8 and gas waste, as well as other waste.

9 So there are certainly some of the same
10 things that you may -- that you may want to consider in
11 doing, you know, maybe an oil and gas landfill or a
12 municipal landfill or a -- or a hazardous waste-type of
13 landfill that you might think of in relation to this,
14 but in my -- in my view, I -- I -- I really take a very
15 rigid stand that landfills are very different than what
16 we're talking about with pits. And that kind of comes
17 from just my experience with a lot of landfills.

18 And part of my job early on in my early EPA
19 days is, they make the young guys go out in the field
20 and go inspect stuff, so you get to go inspect landfills
21 and weed shade [sic] and, you know, all sorts of
22 different things, and a lot of times that wasn't very
23 fun. But when we look at those compared to this and --
24 and --
25 and -- and when I've done things like go back and

1 evaluate pits and so forth, it's been very different.
2 So when you look at the contents, you think, you know,
3 okay, I've got maybe issues with chlorides or other
4 things. But we have, you know, these other things where
5 maybe you have liners or you don't have liners and cases
6 where you either do or don't, but the base of the pit
7 has generally been -- has been prepped and compacted and
8 maybe has clay in it, maybe it doesn't, but at least
9 it's been compacted. And we have all these other things
10 going for us.

11 And then -- and then we tend to -- we want
12 to -- you know, we want to dewater. We solidify stuff.
13 You know, we've done some of the pits where we've
14 actually, you know, put mixed cement, you know. But
15 that's one of the things we do in Pennsylvania. We
16 actually mix pit contents with cement. So there's a
17 number of things you can do, whether it's soil or other
18 things to attempt to solidify to work with the bentonite
19 clay.

20 And -- and, you know -- and the -- the
21 bentonite is a -- is a really -- you know, I've had mud
22 lab, as a petroleum engineer, and have looked at how the
23 industry uses that even in -- in their bases during the
24 drilling process. They use bentonite to stop flow. So
25 I think that's, you know -- and it actually does. So

1 you filtrate out. And bentonite is these platelets, you
2 know, and it's a -- you know, all clays are not mixed
3 the same, but why they use bentonite mud, why they don't
4 say, Well, we'll just use some clays -- they use
5 bentonite clay because of its properties.

6 So within that and when you look at these
7 pits -- and then if you -- if you -- if you look how
8 we're doing that, different things we're doing from
9 design and slopeage and maybe temporary nature, and then
10 if you've had the opportunity to investigate pits -- and
11 many of the ones that I have is where -- where we've
12 looked at -- maybe there's a complaint or a
13 contamination issue or something. You know, we go back
14 in, and we're investigating a pit.

15 And what you generally see is this layer of
16 what just looks like clay. It's typically pretty dry,
17 and, you know, it's not something that you're going to
18 look at and go, Wow, that stuff is threatening the
19 groundwater. It looks like the soil. And you don't
20 necessarily see that at a landfill -- or all landfills.

21 And I will say that in the Wilson Basin,
22 we've permitted some -- some landfills that take
23 drilling waste -- and the ones that -- the ones we
24 worked with, they do -- they actually do land farming.
25 So they take a lot of the waste, land farm it, and

1 then -- and then take that waste in there. But they've
2 located it on the Bearpaw Shale, the one that -- the one
3 that we did there. So you've got 600 feet of shale
4 between you and anything, you know.

5 So it depends so much on where you are and
6 so forth, but I think that pits are different than
7 landfills. They don't act the same. They don't -- you
8 know, you don't have leak-collection systems. You don't
9 have things that you're worried about. I mean, there
10 are a bunch of people collecting methane off of -- off
11 of landfills. I mean, there's -- one of our clients
12 does that as a business. It's a different -- a
13 different situation.

14 Q. Let me ask a follow-up question, if you don't
15 mind.

16 A. I don't know if I'm helping or getting to your
17 question.

18 Q. One of the responsibilities we have as
19 commissioners is to get the information on the record
20 that we think we need, even if it's not part of your
21 direct testimony.

22 A. Uh-huh.

23 Q. Okay?

24 A. I understand.

25 Q. So my follow-up question is: A lot of

1 discussion, a lot of cross-examination was focused on
2 how far can you estimate, in 50 years or 100 years or
3 500 years or 1,000 years -- I think even a million years
4 was brought up the other day -- as to time periods you
5 might be looking at for transporting the material from
6 the waste pit to some other location.

7 From your experience, what sort of time
8 scale, really, should we be looking at to minimize the
9 hazard or to reduce the risk to a reasonable point?

10 A. You know -- and this is simply my opinion based
11 on my experience, and I've seen models. You're going to
12 get some model testimony, but I'm -- models have value.
13 You should look at models. You should consider models.
14 But from what I've seen is that -- is that -- and this
15 is, I'd say, for a variety of different kinds of pits,
16 but I would say, modern day pits, what you wind up
17 seeing -- if you were to trench out, you may see, you
18 know, a little bit of impacted soil that could be up
19 maybe an inch -- let's say zero to five or six or
20 seven inches that moves up. And I think, you know, in
21 probably -- I don't think I'm out of line even with
22 prior testimony, that you can get some osmotic pressure
23 and maybe a little bit of movements of salt.

24 Furthermore, from what I've seen is -- and
25 I'm not -- you know, I haven't been around a million

1 years to look at that. But in modern pits, you see
2 things that move just a couple of inches or a few
3 inches, generally.

4 Now, I can tell you that on older pits,
5 I've seen movement that -- where -- where, you know,
6 things weren't done as we do today, with blending, with
7 fluid removal, where you might have seen movement of
8 five or ten feet, that I've seen that has -- has --
9 has -- from pits that have been 30, 50, 80 years old.
10 But what you don't see -- and this is the problem I have
11 with a lot of the models and the assumptions that you
12 make, is that a lot of people make what I believe is the
13 wrong assumptions. They can say, Well, okay, that pit's
14 5 years old or 20 years old, and you had six inches of
15 movement, so in a million years, it's going to be, you
16 know, way more than six inches. But the problem with
17 that is that, you know, at the time when we see that --
18 I mean, I'm seeing pits that aren't -- you know, it's
19 not like some -- some gooey blob, you know. And what
20 I'm looking at and what I've seen in my experience is
21 that you could look at this pit -- and, really, I would
22 say that most of what you see there occurs very close to
23 either, you know, during operation, very near to the
24 closure time, and then what you see is, you don't see a
25 lot more movement. And the mistake that gets made, I

1 think, is that you want to see that, and then you say,
2 Well, that occurred in a year or two years or ten years
3 or so; over some big time frame, it's going to be a
4 whole lot more. And that's just, I believe, a wrong
5 assumption.

6 Q. So when you're using the standards set forth in
7 the modified rule -- the proposals to modify the rule,
8 essentially, you're asserting that those materials will,
9 more or less, be in place for -- until some large
10 geologic activity moves it around?

11 A. You know, stuff -- stuff happens. I mean, you
12 know, Yellowstone National Park didn't used to be a
13 volcano. But that's -- I'd say that's accurate with
14 what my opinion is.

15 Q. I'll switch gears just a little bit here.
16 There's been a lot of discussion about the scale of
17 multi-well fluid management pits in comparison to a
18 normal temporary pit. I think the examples that have
19 been presented to us so far have been fluid management
20 pits that were two, three, maybe four times larger than
21 what's allowed by the current temporary Pit Rule in
22 New Mexico.

23 Is there some scale at which you start to
24 increase your risk as you increase the size of those
25 volumes? Is there someplace where you would start to

1 become uncomfortable having that 100 feet away from a
2 watercourse?

3 A. Really, I would say that my comfort zone is not
4 necessarily the size but more the design. So I think
5 the other Commissioner had made a good point. You know,
6 if you start getting into these things where you've got
7 a 60-foot dam, I mean, to me, that's -- and I've seen
8 impoundments in Wyoming that did that, and those --
9 those give me concern. And the ones that I saw in this
10 was in some of the coalbed methane development, where
11 they're unlined, and maybe they're even doing a
12 relatively freshwater. But when you get, you know --
13 when you into bigger things, you've got to make sure
14 that you're going to the State Engineer's Office. The
15 type of engineering and stuff that you're going to have
16 is going to be different. I'm not sure that you guys
17 want to be responsible for permitting a 60-foot dam.

18 But if I look at it from the perspective of
19 size and really based on -- on -- I mean, I've seen
20 hundreds of multi-well fluid management pits. You don't
21 see them like that. Typically, they look more like a
22 pit, and typically they're not -- they don't
23 just -- you don't see them getting, you know, bigger and
24 bigger and bigger and giant. They're pretty good size.
25 I mean, you may want to have, you know, the sizes that

1 we've referenced here, but when I start thinking, you
2 know, of 100 acre-feet, you know, just bigger and
3 gianter [sic] and all that, it doesn't make sense to me.

4 I'm not sure -- I guess my opinion is that
5 the size is not necessarily an issue to me. I think the
6 size will take care of itself with industry. I think
7 that, you know, certainly if the Commission wanted to
8 set, you know, a size limit, you could. I just don't --
9 I don't personally feel that it's necessary, and it
10 doesn't -- it doesn't -- based on what I know and a
11 familiarity with these, I don't see an added risk.

12 Q. So if you think of these pits in comparison to
13 a city, maybe an urban sprawl, where you get -- where
14 you take the same height and then you go out, versus
15 taking the same area and going deeper, you're more
16 concerned if the pits were to become taller or deeper
17 than if they were to become more laterally extensive?

18 A. Yes. I mean -- and I'm thinking-- you know,
19 when I make that statement, I'm kind of thinking to the
20 extreme. You know, when you get beyond -- when you've
21 got pit walls that get beyond a certain height, you
22 need -- you know, when we do that, I want a dam
23 engineer, somebody who has done that. And although I
24 may be, you know, a registered professional engineer
25 and, you know, worldwide from SPE, SPEC, but, you

1 know, I don't -- you know, the dam I designed, that I
2 mentioned to him (indicating), was four feet tall. I
3 was good with that. But, you know, if I'm doing
4 something that is, I mean, a big-time thing, that really
5 brings into a whole different engineering, hydraul- -- I
6 mean, there are just so many other things that you start
7 worrying about, as well as safety. And then you start
8 thinking, okay, if I lose 100, you know -- if I lose,
9 you know, whatever, a lake, you know, what can happen
10 there? Is it going to flood the town, you know?

11 Q. Would it be reasonable to ask for, rather than
12 size limitations, design limitations?

13 A. I think that that's kind of intrinsic in that,
14 because I think if you got above a certain size, you're
15 going to be required to go to the State Engineer's
16 Office, and I think that -- it would just surprise me if
17 anybody -- one, if they did have to do that, they would
18 have to go through that process. But I just cannot
19 imagine or foresee someone actually trying to go do
20 that. So I think you already have that -- those kind of
21 precautions in place. I just don't -- it's not my --
22 that's not my expertise, so those are the kinds of
23 things that make me nervous, because I'm not an expert
24 in that.

25 Q. Sure. I understand that.

1 The water-detection systems, they've been
2 talked about being put into place, but not -- I don't
3 personally have any understanding of how those function
4 and their reliability. Would you feel comfortable,
5 within your expertise, discussing what a typical
6 water-detection system might be comprised of and then
7 how reliable it might be?

8 A. So this is the leak-detection system we're
9 talking about?

10 Q. Right, leak detection.

11 A. So we may have -- you know, through these --
12 these -- you know, this kind of double liner,
13 recognizing the secondary liner could be, you know, clay
14 soil or something. And what you'll have is, you'll
15 have, you know, a pipe with holes and a base, so they
16 can collect water so that if there is a leak or
17 something, you're going to be able to see the water --
18 you know, water from the leak-detection system.

19 I think that as far as we look at
20 reliability, I can't imagine a situation where it
21 wouldn't be reliable, just how, you know, you place
22 where you're detecting, kind of. The low end of the
23 pit, that's where water's going to go. You know, that's
24 just real basic stuff. So I see those as pretty
25 dependable.

1 I think that, you know -- you know, if -- I
2 think you could see, you know, leaks where you need to
3 take action versus leaks to where you have some, you
4 know -- you know, it looks like maybe we're getting just
5 a little bit of water that you know you're going to have
6 to address when you close the pit, you know. So if you
7 do detect a leak, you're taking samples and addressing
8 things that way.

9 And in that, you know, the thing where
10 you're looking at an environmental threat is not when
11 you have a few drops, you know, over this, but when
12 you're accumulating some sort of water that's telling
13 you, Hey, something's not right. And through these
14 systems, you'll see that, and then you have the ability
15 to take action. And I think that's, you know -- that's
16 a good, I think -- a working, good, you know, reliable
17 solution.

18 Q. Low maintenance at some point?

19 A. Uh-huh. Sometimes easy is better, you know.

20 Q. Right.

21 I imagine it's in your report, in
22 Exhibit 14 or 15, but you mentioned the six other states
23 that you compared New Mexico regulations to.

24 A. Uh-huh.

25 Q. For the record, can you just list those states?

1 A. Let me go to the report. I looked at a number
2 of different states. We looked at New Mexico, Colorado,
3 Wyoming, Texas, Pennsylvania, Ohio and Montana. And
4 really, if you look at the different states around, you
5 know -- I felt that those were comparable states.
6 They're states that have -- have either a good deal of
7 activity. They have unconventional plays. They have a
8 good regulatory process. They're not -- they don't seem
9 to be the slackers or the over-the-top guys. I mean,
10 they just seem to -- and, personally, I know -- I
11 have -- I have just a lot of experience in all of those
12 states. So the data from a comparison perspective meant
13 a lot to me, and I thought it was appropriate for this.
14 So that's why.

15 Q. Thank you.

16 Mr. Jantz asked you directly or -- I'm
17 sorry -- in cross-examination about how many pits you
18 have personally modeled. You said the number was
19 somewhere under 30. How many additional pits to that
20 number would you say you've been involved in or directed
21 the modeling of?

22 A. For modeling? And if I -- if I include some of
23 this -- this is -- this is going to sound like a big
24 number, but I want to preface this with, some of the
25 modeling we've done has been regional modeling, where

1 you're looking at kind of a cumulative impact sort of --
2 sort of thing, and some of that includes modeling that
3 we did in -- like in the Powder River Basin, the
4 coalbed, that included hundreds of pits. And I'd say
5 that probably the -- you know, the -- probably the
6 closest I'm going to tell you is hundreds. But if I
7 look at individual modeling that we've [sic] done, less
8 than -- less than 100.

9 Q. So 30, personally; 100, directly with your
10 company; and perhaps 1,000 over all?

11 A. Maybe more than that. I'm not --

12 Q. We've had a lot of discussion, also, centered
13 around confined versus unconfined aquifers. One
14 question that I had was: Assuming you were able to even
15 identify a confined versus an unconfined aquifer, which
16 is pretty hard in places in New Mexico -- water data can
17 be very sparse.

18 A. Uh-huh.

19 Q. But if you had a confined aquifer and it was
20 somehow breached, over time, that would become -- I'm
21 sorry. If you had a confined aquifer and it became
22 breached, over time, that would transition into an
23 unconfined aquifer?

24 A. It could be -- in relation to what we're
25 talking about here, it may not be a confined aquifer.

1 It could still be, essentially, an artesian aquifer or
2 something like that. Okay?

3 Q. But if you open up the seal, basically, it
4 would eventually not be a -- not fit the definition
5 that's in the modified rule of a confined aquifer --

6 A. For that area, maybe?

7 Q. -- that's under pressure, essentially?

8 A. I mean, you could have localized confined
9 aquifers regionally. I mean --

10 Q. I think everybody else has asked my other
11 questions, and I think we're down to just a couple of
12 people, so I will let you --

13 A. Good questions. Thanks.

14 CROSS-EXAMINATION

15 BY CHAIRPERSON BAILEY:

16 Q. Given that OCD is charged by the legislature in
17 Statute 70-2-12.3 against contamination -- to prevent
18 against contamination of freshwater supplies designated
19 by the State Engineer and given that the State Engineer
20 has designated freshwater supplies to be anything with
21 less than 10,000 milligrams of TDS, why should this
22 Commission make the distinction between confined and
23 unconfined when we're charged with protection of all
24 freshwater?

25 A. The basic reasoning in the -- in the

1 distinction is not necessarily to protect one and not to
2 protect the other. For confined aquifer, you know, we
3 have -- you know, by its definition, that's included
4 herein, is one that is confined both above and below
5 by -- I believe it says -- well, it says "within soil or
6 rock below or above the land surface." But, generally,
7 seeing a confined aquifer, the reason it's confined and
8 may have -- be pressurized is because those barriers are
9 impermeable, or relatively so.

10 So the fact of what we're looking at here
11 and why we've distinguished them doesn't necessarily, in
12 my opinion, say that we're not protecting one and we are
13 the other. What we're doing is recognizing the
14 distinction and that, from this rule, the confined
15 aquifers are intrinsically protected.

16 Q. You mentioned the Kansas lined filtration pit.

17 A. Yeah. The early-1900 thing?

18 Q. Yes. So you used the term "brine." How is
19 that defined contrasted with seawater?

20 A. Well, the development -- I mean, one of the
21 other things that I've seen over time and in looking at
22 definitions throughout the country is, one, within many
23 states, there are inconsistencies on the definition of
24 freshwater, brackish water, brine, saline water, and
25 certainly throughout the country.

1 But in the example of Kansas and the
2 particular infiltration pit that we looked at with the
3 Kansas Corporation Commission, the produced water, at
4 the time of that production, I believe, was in the order
5 of 100- to 150,000-milliliters per liter chlorides.

6 Typically, from --

7 Q. Let me stop you there.

8 A. Okay.

9 Q. What is the commonly used concentration of
10 chlorides that would qualify a fluid to be called brine?

11 A. It varies, but what typically -- how I think of
12 that is -- in relation to even, you know, brackish or
13 saline is that typically you can look at freshwater
14 being something like up to, say, 4,000 to 6,000
15 milligrams per liter chlorides. Brackish water may be
16 deemed that, up to 10- to 15,000, and above that,
17 typically, I look at that as saline or brine.

18 In some areas of the country and even some
19 of the unconventional plays, you get produced water that
20 is relatively fresh. The term "brine" winds up being
21 used, almost, you know, in an oil-field term, a brine
22 disposal well, but may be disposing of relatively
23 freshwater. So I think it's almost analogy to produce
24 water in many ways.

25 Q. Page 9 -- maybe it wasn't page 9.

1 Diesel-based fluids with chlorides. Chlorides appears
2 to be the only determinate of the siting requirements,
3 whether or not it's freshwater fluid or
4 hydrocarbon-based drilling fluid. Is that a correct
5 interpretation?

6 A. So, yeah, low chloride versus other. So if we
7 were looking at -- at -- at something that wasn't a
8 low-chloride solution, it could fit into that other.
9 And I believe that that's why NMOGA chose not to say
10 high-chloride solution, because it could be -- or
11 high-chloride fluid was because it could be an oil-based
12 mud. So that would be treated within a nonlow-chloride
13 solution from a siting and so forth.

14 Q. Several times you mentioned the context of the
15 netting --

16 A. Uh-huh.

17 Q. -- that netting might be really necessary for
18 those pits where oily waste is stored. That immediately
19 throws up a flag. What kind of pits are we storing oily
20 waste in?

21 A. If you have -- you know, that's -- I guess,
22 just what you see -- you know, if you had an oil-based
23 drilling mud and you were using that in the pit, you'd
24 probably want to have that netted. So I guess that
25 would be my reference. But I suppose my reference, when

1 I mentioned that, I was thinking to something beyond
2 just the pit rules here, as a general statement. I
3 mean, in some states, you can have waste pits that might
4 be -- might even be oily waste from multiple wells --
5 but I don't believe you allow that in New Mexico -- and
6 those are always netted.

7 Q. I needed that clarification.

8 A. Sorry.

9 Q. Exhibit 14-22, where you stress the use of
10 vegetation to minimize erosion and exposure from
11 something and to prevent leaching as much as possible.
12 I'll make no secret; I'm a real advocate of
13 revegetation. Everybody here knows that already from
14 previous hearings (laughter).

15 A. I am, too.

16 Q. And so I am very glad to see that you are
17 stressing that we need to have the rooting zone of
18 vegetation over these areas free enough of contaminants
19 that we will be able to grow something in these
20 locations.

21 A. Uh-huh.

22 Q. And can you confirm that for me?

23 A. I'm not sure if that's a yes-or-no answer, but
24 I think it is, so, yes. And I believe that's how it's
25 structured so that you would have that. And I think

1 that -- I agree with you, that that is an important
2 piece of this to avoid erosion. If you probably -- if
3 you feel as you do, that's a key thing and part of that.
4 So I think how these are set up, it accounts for that.
5 I think we'll have a soil scientist, I think, that will
6 probably -- you know, has better expertise than me on
7 the specific subject of revegetation. But I've done an
8 awful lot of that, and if you've got to bring water out
9 there, whatever you've got to do to get things
10 revegetated, it needs to happen.

11 Q. I look forward to Dr. Buchanan's testimony.

12 But your portion would be what we need to
13 do to prevent the upward migration --

14 A. Uh-huh.

15 Q. -- of any salts --

16 A. Uh-huh.

17 Q. -- into the rooting zone?

18 A. Uh-huh. And I think that the proposed rules
19 addresses that, so you can have vegetation and not be
20 negatively impacted by a closed pit.

21 CHAIRPERSON BAILEY: That concludes the
22 cross-examination.

23 Would you like to redirect on the questions
24 that were asked?

25 MR. HISER: I only have one question,

1 mostly for clarification.

2 REDIRECT EXAMINATION

3 BY MR. HISER:

4 Q. There was a question from Dr. Neeper about
5 folding of the pit liner, and that was in the Pit Rule.
6 Would you look at page 21, the top of the page. That
7 requirement is there. Do you see that? This would be
8 Attachment A, Exhibit 1, paragraph K(8).

9 A. Yeah. Yes.

10 Q. And that's the folding that you referred to?

11 A. Yes.

12 MR. HISER: That concludes my redirect,
13 Madam Chair.

14 CHAIRPERSON BAILEY: Commission, Counsel
15 needs to make a statement.

16 MR. SMITH: The Commission has taken steps
17 today in order to place notice properly of the
18 continuance of this hearing -- possible continuance of
19 this hearing to -- I think it was June 20th. It may not
20 be inferred from the Commission doing that that the
21 Commission takes the position or acquiesces to the
22 position that that notice is legally required. It is
23 simply being done in an abundance of caution, because it
24 was either submit the notice today or not be able to.
25 So it is merely a matter of covering the Commission's

1 bases.

2 CHAIRPERSON BAILEY: Mr. Arthur, you are
3 excused as a witness now, officially.

4 THE WITNESS: Thank you.

5 CHAIRPERSON BAILEY: Rulemaking requires
6 that we set aside time for public comment. We allow
7 five minutes per person who signed up. Teresa has a
8 timer to alert everyone to the five minutes. Statements
9 may be made either as sworn or unsworn comments. We do
10 have one person who has signed up: Robb Hirsch.

11 MR. HIRSCH: Yes. Robb Hirsch.

12 CHAIRPERSON BAILEY: Can you state your
13 full -- do you want to make a sworn or unsworn
14 statement?

15 MR. HIRSCH: Sworn is fine.

16 CHAIRPERSON BAILEY: If you would like to
17 come up and have the court reporter swear you in, and
18 you are subject to cross-examination as a sworn witness.

19 ROBB HIRSCH,
20 after having been first duly sworn under oath,
21 testified as follows:

22 CHAIRPERSON BAILEY: Would you please state
23 your name and place of residence?

24 MR. HIRSCH: And you prefer me to stand?

25 CHAIRPERSON BAILEY: Well, you can sit.

1 MR. HIRSCH: That would be great.

2 (The court reporter requested a spelling of
3 Mr. Hirsch's name.)

4 MR. HIRSCH: R-O-B-B, and it's H-I-R-S-C-H.
5 And I'm sorry, what was your question? You
6 asked me to state my name?

7 CHAIRPERSON BAILEY: Yes, and place of
8 residence.

9 MR. HIRSCH: I live in New Mexico, and I
10 appreciate the chance to have public comment.

11 I represent -- well, I'm a father, first of
12 all, with three kids, I think most importantly in this
13 matter, and then a citizen of New Mexico and someone who
14 works in the wind and solar energy business. But I
15 volunteer my time with and I'm the executive director of
16 and founder of the Climate Change Leadership Institute,
17 which is a New Mexico-based nonprofit, dedicated to
18 clean energy, conservation and climate stewardship.

19 And let me just quickly say, on the solar
20 and wind energy work, it has nothing to do with my
21 comment here. I think it was suggested that I had some
22 vested interest, and that's entirely not true. In fact,
23 wind and solar energy can complement with natural gas
24 and needs to on transmission lines and with projects to
25 be effective in this day and age. But also, the wind

1 and solar projects I work with, which happen to have
2 leases which co-exist with natural gas, are for
3 renewable portfolio standard requirements of states.

4 So, in any event, I just wanted to speak,
5 though, clearly on the behalf of the Climate Change
6 Leadership Institute, and we're collaborating with the
7 Students for a Sustainable Future, along with many
8 citizens from around the state who have enlisted in a
9 joint project calling for cleaner oil and gas
10 development.

11 And I just wanted to say that it feels
12 like, from this hearing and in general, a false argument
13 to say that the public has to go along with this kind of
14 amendment in order to enable the all-important economic
15 development of oil and gas drilling. And I think that's
16 false, because we can develop oil and gas, and we can do
17 it in a more clean, responsible and cost-effective
18 manner. And I think it's also false to suggest, from
19 the industry, that the industry will vacate
20 New Mexico -- I've heard these suggestions -- if these
21 kinds of rules, like the Pit Rule, are in place as it
22 stands. And I think that's proven to be untrue.

23 And you look at the case of Colorado, for
24 example, where you have a very real, responsible public
25 disclosure of chemicals used in fracking, where the

1 industry had warned if those kinds of things were there,
2 they would vacate, and the industry is thriving and
3 doing really well in Colorado.

4 And the industry has done well and will
5 continue to do well in New Mexico with a sound and
6 effective pit rule, as it currently stands. I think
7 contrasting with Colorado on the matter of the public
8 disclosure of chemicals, New Mexico's disclosure rule
9 for chemicals is very weak and very concerning, and I
10 think it was a public relations effort to actually have
11 that rule enacted in New Mexico, which doesn't call on
12 the industry to do anything really than they have to do
13 already for federal requirements for what they have to
14 disclose. So comparing it to Colorado, I think
15 New Mexico looks, I think, embarrassing, actually, and
16 we should not have passed that.

17 Anyhow, to continue, I think that it should
18 be clear that the Climate Change Leadership Institute
19 and my comments are not trying to stop oil and gas
20 drilling nor am I trying or are we trying to stop
21 fracking. Quite the contrary, actually. We believe
22 that there should be more responsible and more
23 sustainable and cleaner oil and gas development. And
24 sustainable development is really the key.

25 And I think that this Pit Rule, as it

1 stands, is a great example of sustainable development,
2 and it's something we should be proud of.

3 And I only have one minute, so most of
4 these comments I won't be making, but maybe I can come
5 back another day.

6 I mean, my question is -- if this is -- it
7 seems like this is going to happen. It seems like the
8 OCD should be objective and nonpartisan, but,
9 unfortunately, I think each administration in power
10 appoints the commissioners, and I think that it's,
11 unfortunately, been in a partisan way. And I think the
12 Commission is likely to go along with this request to
13 amend and/or majorly gut the Pit Rule, and I think
14 that's unfortunate. And I think we should establish an
15 independent commission and an OCD that is objective on
16 the basis of science and on the basis of economic
17 analysis and not on the basis of subjective
18 administration kinds of bents.

19 And so I think we should very seriously, as
20 a public, and think about if we have kids, that it's
21 important to preserve the Pit Rule to properly contain
22 the waste from oil and gas operations.

23 And I thank you for your time and
24 consideration.

25 CHAIRPERSON BAILEY: Are there any

1 questions of this witness?

2 MR. FELDEWERT: No.

3 MS. FOSTER: No.

4 CHAIRPERSON BAILEY: No questions.

5 Thank you for your comments.

6 We will continue this.

7 (Discussion off the record.)

8 CHAIRPERSON: That looks like the order.

9 These consolidated cases will be continued until
10 tomorrow morning at 9:00 a.m.

11 (The hearing recessed, 5:05 p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, New Mexico Certified
6 Court Reporter No. 20, and Registered Professional
7 Reporter, do hereby certify that I reported the
8 foregoing proceedings in stenographic shorthand and that
9 the foregoing pages are a true and correct transcript of
10 those proceedings that were reduced to printed form by
11 me to the best of my ability.

12 I FURTHER CERTIFY that the Reporter's
13 Record of the proceedings truly and accurately reflects
14 the exhibits, if any, offered by the respective parties.

15 I FURTHER CERTIFY that I am neither
16 employed by nor related to any of the parties or
17 attorneys in this case and that I have no interest in
18 the final disposition of this case.

19



20

MARY C. HANKINS, CCR, RPR
Paul Baca Professional Court Reporters
New Mexico CCR No. 20
Date of CCR Expiration: 12/31/2012

21

22

23

24

25