

STATE OF NEW MEXICO  
ENERGY, MINERAL AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION COMMISSION

ORIGINAL

APPLICATION OF THE NEW MEXICO OIL AND GAS  
ASSOCIATION FOR AMENDMENT OF CERTAIN PROVISIONS OF  
TITLE 19, CHAPTER 15 OF THE NEW MEXICO  
ADMINISTRATIVE CODE CONCERNING PITS, CLOSED-LOOP  
SYSTEMS, BELOW GRADE TANKS AND SUMPS AND OTHER  
ALTERNATIVE METHODS RELATED TO THE FORE GOING  
MATTERS, STATE-WIDE.

CASE NO. 14784 AND 14785

VOLUME 6

June 20, 2012

9:00 a.m.

Wendell Chino Building

1220 South St. Francis Drive

Porter Hall, Room 102

Santa Fe, New Mexico

RECEIVED OGD

2012 JUL 10 PM 1:45

THE COMMISSION:

JAMI BAILEY, Chairperson

GREG BLOOM, Commissioner

DR. ROBERT BALCH, Commissioner

MARK SMITH, Esq.

FLORENE DAVIDSON, COMMISSION CLERK

REPORTED BY: Jan Gibson, CCR, RPR, CRR

Paul Baca Court Reporters

500 Fourth Street, NW - Suite 105

APPEARANCES

FOR NEW MEXICO OIL & GAS ASSOCIATION (NMOGA):

HOLLAND & HART, LLP  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
505-988-4421  
BY: WILLIAM F. CARR  
wcarr@hollandhart.com

JORDEN BISCHOFF & HISER  
7272 E. Indian School Road, Rd. Suite 360  
Scottsdale, Arizona 85251  
480-505-3927  
BY: ERIC L. HISER  
ehiser@jordenbischoff.com

FOR OIL & GAS ACCOUNTABILITY PROJECT (OGAP):

NEW MEXICO ENVIRONMENTAL LAW CENTER  
1405 Luisa Street, Suite 5  
Santa Fe, New Mexico 87505  
505-989-9022  
BY: ERIC D. JANTZ  
ejantz@nmelc.org

FOR THE OCD:

GABRIELLE GERHOLT  
Assistant General Counsel  
1220 St. Francis Drive  
Santa Fe, New Mexico 87505  
505-476-3210  
gabrielle.Gerholt@state.nm.us

## APPEARANCES CONTINUED

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FOR INDEPENDENT PETROLEUM ASSOCIATION OF NM:

K. FOSTER ASSOCIATES, LLC  
5805 Mariola Place, NE  
Albuquerque, New Mexico 87111  
BY: KARIN FOSTER  
505-238-8385  
fosterassociates@yahoo.com

FOR THE NEW MEXICO CITIZENS FOR CLEAN AIR & WATER:

DR. DONALD NEEPER  
2708 B. Walnut Street  
Los Alamos, New Mexico 87544  
505-662-4592  
dneeper@earthlink.net

FOR JALAPENO CORPORATION:

PATRICK FORT  
P.O. Box 1608  
Albuquerque, New Mexico 87103  
patrickfort@msn.com

FOR NEW MEXICO WILDERNESS ALLIANCE:

JUDITH CALMAN  
142 Truman Street, Suite B-1  
Albuquerque, New Mexico 87108  
judy@nmwild.org

FOR NEW MEXICO STATE LAND OFFICE:

HUGH DANGLER  
310 Old Santa Fe Trail  
P.O. Box 1148  
Santa Fe, New Mexico 87504  
(505) 827-5756

APPEARANCES CONTINUED

FOR NEARBURG PRODUCING COMPANY:

JAMES G. BRUCE  
P.O. Box 1056  
Santa Fe, New Mexico 87504  
505-982-2043  
jamesbruc@aol.com

INDEX

OPENING STATEMENT BY IPANM.....1316

THE WITNESSES: PAGE:

THOMAS MULLINS

Direct Examination by Ms. Foster.....1321

Voir Dire by Mr. Janz.....1326

Direct Examination Continued.....1329

Cross-Examination by Mr. Carr.....1434

Cross-Examination by Mr. Jantz.....1435

Cross-Examination by Ms. Gerholt.....1466

Cross-Examination by Mr. Dangler.....1474

Cross-Examination by Mr. Neeper.....1509

STATEMENT OF JOSE VARELA LOPEZ.....1548

STATEMENT OF SANDERS MOORE.....1550

EXHIBITS

PAGE ADMITTED

IPANM

5 through 14.....1387

16. Mullins Presentation.....1408

Reporter's Certificate.....1551

1 (Note: In session at 9:00.)

2 CHAIRPERSON BAILEY: Good morning. This  
3 is the meeting of the Oil Conservation Commission on  
4 June 20th, 2012. We are here in Porter Hall in  
5 Santa Fe, New Mexico. I am Jami Bailey, Director of  
6 the Oil Conservation Division. To my right is Greg  
7 Bloom, designee of the Commissioner of Public Lands.  
8 To my left is Dr. Bob Balch, who is the designee of  
9 the Secretary of Energy, Minerals and Natural  
10 Resources. We are gathered today and have the  
11 ability, if we have an overflow crowd, to be able to  
12 transmit audio/visual out in the lobby so we do not  
13 violate any fire restrictions for the number of  
14 people within the room. If we are not too crowded  
15 we will go ahead and shut it down so we are not just  
16 broadcasting out in the lobby just because.

17 Have the commissioners had a chance to  
18 read the Minutes of the previous meeting which was  
19 on May 14th, 2012?

20 COMMISSIONER BLOOM: Yes.

21 COMMISSIONER BALCH: I have.

22 CHAIRPERSON BAILEY: Do I hear a motion to  
23 adopt the Minutes as they have been drafted?

24 COMMISSIONER BLOOM: So move.

25 COMMISSIONER BALCH: I will second.

1 CHAIRPERSON BAILEY: All in favor?

2 DR. BALCH and MR. BLOOM: Aye.

3 CHAIRPERSON BAILEY: I will sign on behalf  
 4 of of the Commission. Today we have a continuance  
 5 of Case No. 14784 and Case No. 14785, which were the  
 6 Applications of New Mexico Oil and Gas Association  
 7 and Independent Petroleum Association of New Mexico  
 8 for the Amendment of Certain Provisions of Title 19,  
 9 Chapter 15 of the New Mexico Administrative Code  
 10 Concerning Pits, Closed-loop Systems, Below-Grade  
 11 Tanks and Sumps and other Alternative Methods  
 12 Related to the Foregoing Matters, State-wide.

13 We have consolidated these cases for the  
 14 convenience of the Commission. I will sign the  
 15 official consolidation order on behalf of the  
 16 Commission and transmit everything. I ask for  
 17 appearances today to make sure we have the same  
 18 attorneys that were previously here and to ensure  
 19 that we have all persons represented.

20 MR. CARR: May it please the Commission,  
 21 William F. Carr with the Santa Fe office of Holland  
 22 & Hart. I am appearing representing the New Mexico  
 23 Oil and Gas Association.

24 MS. FOSTER: Good morning. Karin Foster  
 25 here representing the Independent Petroleum

1 Association of New Mexico.

2 MR. JANTZ: Good morning, members of the  
3 commission. Eric Jantz for the New Mexico  
4 Environmental Law Center. I am here is our intern,  
5 Claire Dechamber.

6 MS. GERHOLT: Madam Chair, commissioners,  
7 Gabrielle Gerholt on behalf of the Commission.

8 MR. DANGLER: Madam Chair, commissioners,  
9 Hugh Dangler for State Land Office.

10 MR. NEEPER: Don Neeper representing New  
11 Mexico Citizens for Clean Air and Water. Dr. John  
12 Bartlett is also with us today.

13 CHAIRPERSON BAILEY: Mr. Fort?

14 MR. FORT: Patrick Fort for the Jalapeno  
15 Corporation.

16 CHAIRPERSON BAILEY: It may be worthwhile  
17 to repeat that before lunch. We will pick up the  
18 sign-in sheet for public comment time and before we  
19 leave in the evening we will also provide public  
20 comment time.

21 I believe we were ready for IPANM to  
22 present its case. Ms. Foster?

23 MS. FOSTER: Thank you, Madam  
24 Commissioner. I believe I deferred the opening  
25 statement at the beginning of the case and deferred

1 it to the opening of my case. I have a witness  
2 ready to go today but I would like to make a brief  
3 opening statement in that's okay.

4 CHAIRPERSON BAILEY: Please do.

5 MS. FOSTER: Thank you. May it please the  
6 Commission. I am here today on behalf of the  
7 Independent Petroleum Association of New Mexico.  
8 IPANM is a nonprofit organization that serves as the  
9 voice of the independent oil and gas producers of  
10 New Mexico. Our member companies employ nearly  
11 26,000 New Mexicans. We raise our families in New  
12 Mexico and pride ourselves on being strong leaders  
13 in our community.

14 Why are we asking for changes to Rule 17  
15 or the Pit Rule? We are small operators. We have  
16 no additional staffs. We have tight budgets and  
17 even tighter time frames. We also rely on  
18 relationships with investors to try to get wells  
19 drilled. We are very sensitive to additional costs  
20 and additional regulatory burdens. We need a rule  
21 that is easy to understand and to implement and that  
22 holds all parties accountable. The rule should not  
23 allow for speculation or misinterpretations by  
24 operators or regulators. We do need set time frames  
25 and we need a comparable regulatory scheme to other

1 states. As you know, the Permian Basin borders on  
2 Texas, so Texas regulations are very important to us  
3 in terms of a level playing field and the same thing  
4 with Colorado.

5 To understand, the cost question and  
6 energy production New Mexico is important to  
7 understand; therefore, IPANM has produced three  
8 exhibits as part of our packet for just background  
9 information. Specifically, Exhibit 2, which is the  
10 Energy News infazine that we create every two years,  
11 the Independent Petroleum Association does, and we  
12 also provided you some congressional statistics on  
13 production in New Mexico just to give you an idea of  
14 where New Mexico fits into the national picture.

15 We will also have Mr. Larry Scott testify  
16 specifically as to the economics of New Mexico in  
17 comparison to Texas economics and that of other  
18 states and drilling in other states.

19 The Independent Petroleum Association's  
20 petition proposes to change Rule 17, and our changes  
21 are based on science, are protective of human health  
22 and affords reasonable protection to freshwater as  
23 designated by the State Engineer and the  
24 environment. Looking at statutory requirements of  
25 the OCD, which I think is really important in this

1 case, the statutory requirement of the OCD is for  
2 the conservation of oil and gas. It is to prevent  
3 waste and to protect correlative rights. There are  
4 also enumerated rights concerning the disposition of  
5 produced water in a manner that will afford  
6 reasonable protection against contamination and  
7 water that is designated by the State Engineer.

8 Our concerns specifically relate to the  
9 use of closed-loop systems. The basic question will  
10 be raised, what is a closed-loop system? Is it  
11 solids control equipment or is it a tank used for a  
12 workover? IPANM believes closed-loop systems are  
13 temporary tools and, therefore, need to have  
14 engineering specifications, but that the OCD  
15 regulatory staff, because it's a temporary tool,  
16 need not be concerned about what we use in a  
17 closed-loop system, they need to be concerned about  
18 the final disposition of our cuttings as opposed to  
19 how the cuttings get there.

20 The Independent Petroleum testimony will  
21 discuss the practical and business impacts of  
22 regulatory requirements to use closed-loop systems  
23 and suggest that the use of closed-loop systems is a  
24 business decision by operators and a temporary tool.

25 We are also concerned about testing

1 requirements when completing a burial on-site when  
2 depth to groundwater is greater than 100 feet. Our  
3 modeling by Mr. Mullins will demonstrate that  
4 there's very little migration of chlorides from the  
5 contents in the buried pit. We will go through that  
6 in-depth.

7           We are also are concerned and we suggest  
8 that no liner is required on top of a pit or burial  
9 in place as in Texas. We would like to have a  
10 comparable regulation to Texas. We need regulatory  
11 certainty when it comes to air drilling and  
12 cavitation of wells. We are concerned about the wet  
13 or discolored soils requirements that the OCD seems  
14 to be looking for and we will discuss that. We are  
15 concerned about the recording of on-site burials  
16 with the county staff and believe that the  
17 information provided to the OCD is adequate.

18           Finally, we will discuss in depth the  
19 variance issue. The IPANM witnesses will testify we  
20 need certainty, accountability and transparency. We  
21 need certain time frames because OCD staff, who will  
22 be overwhelmed with applications, particularly when  
23 the price of oil is high and when the price of  
24 natural gas hopefully will come up and more drilling  
25 will occur in New Mexico, we want to work with staff

1 to get the permit applications and to get variances  
2 required but we don't want to put additional burdens  
3 on staff and, of course, we have no staff as small  
4 operators. So we need, again, to have transparency  
5 and accountability.

6 The proposal that IPANM is asking for asks  
7 for administrative approvals when OCD staff does not  
8 approve and this will encourage communication. Our  
9 concern about the additional requirements of  
10 protection to livestock and establishing public  
11 safety standards, we do not believe that is part of  
12 the OCD statutory requirements and we will discuss  
13 that as well as the notification to surface owners  
14 requirement that is a new requirement.

15 We urge you to listen to the testimony and  
16 we are confident you will adhere to your statutory  
17 duties in the balance of the standard of prevention  
18 of waste as a natural resource with the  
19 responsibilities to protect public health and the  
20 environment and to accept our recommendations. And  
21 I am ready for my first witness at this time.

22 CHAIRPERSON BAILEY: Please stand to be  
23 sworn.

24 THOMAS MULLINS  
25 after having been first duly sworn under oath,

1 was questioned and testified as follows:

2 DIRECT EXAMINATION

3 BY MS. FOSTER

4 Q. Good morning, Mr. Mullins.

5 A. Good morning.

6 Q. If you could please state your name for  
7 the record.

8 A. My full name is Thomas E. Mullins. I go  
9 by Tom.

10 Q. If you could please describe your  
11 educational experience for the Commission.

12 A. Well, my current -- my background is a  
13 petroleum engineer and I went to college at the  
14 Colorado School of Mines, obtained my bachelor's  
15 degree in petroleum engineering in that discipline.

16 I'm currently the engineering manager for  
17 Synergy Operating and also the president of my own  
18 company, Mullins Energy, Inc., which is a consultant  
19 company. And I have been working in the oil and gas  
20 industry for 20 years.

21 Following graduation from the Colorado  
22 School of Mines I moved to Farmington. I went to  
23 work for Meridian Oil at that time which became  
24 Burlington Resources. I worked for them for a total  
25 of five years. Following that time period I started

1 my own company, Mullins Energy, Inc. and Synergy  
2 Operating, LLC which is an independent producer, and  
3 I have been working for that company since then so I  
4 think I am coming up on 16 years -- 15 or 16 years.

5 I've worked throughout the Rocky Mountain  
6 region, principally Wyoming, Utah, Colorado and New  
7 Mexico. The majority of my experience operationally  
8 has been in the San Juan Basin in particular.

9 Q. Thank you. Do you have any professional  
10 affiliations?

11 A. Yes. I'm actually a registered  
12 professional engineer in the state of New Mexico  
13 licensed in the state in the discipline of petroleum  
14 engineering. I'm a member of the Society of  
15 Petroleum Engineers, the Four Corners Geological  
16 Society, which is affiliated with the AAPG where I  
17 am an associate member, and I am a member of IPANM  
18 and NMOGA.

19 Q. Now, relating to your petroleum engineer  
20 designation, what studies and qualifications or  
21 examinations did you have to go through to hold this  
22 title?

23 A. To obtain a professional engineering  
24 license and certification you have to first pass the  
25 engineering training examination. You typically do

1 that hopefully right after your schooling. That's  
2 an examination you have to pass and you have to  
3 practice in the engineering field for at least five  
4 years, obtain recommendations and sit for a  
5 professional engineering examination in the  
6 discipline that you are going to be practicing, and  
7 I sat for that examination -- I can't remember the  
8 number of years ago. It's quite a few. And I  
9 passed that and it's in petroleum engineering.

10 Q. As a petroleum engineer, what specifically  
11 do you concentrate your efforts on?

12 A. Petroleum engineering is the subject of  
13 drilling oil and gas wells as well as studying the  
14 flow of fluids through porous media -- oil, natural  
15 gas, water. That pretty much sums that up.

16 Q. And do you study economic aspects of oil  
17 and gas development?

18 A. Yes. Petroleum engineering, we  
19 specifically evaluate the economics associated with  
20 different development practices in the oil and gas  
21 industry, drilling wells, preparing AFEs, which are  
22 authorities for expenditures, as well as analyzing  
23 the cost of regulations and the impacts.

24 Q. What does it mean when someone adds the  
25 designation or signs the document as a petroleum

1 engineer?

2 A. As a professional engineer, as a PE, that  
3 designation means you are -- I guess comparing to  
4 other witnesses' testimony, it should give the  
5 regulatory bodies more certainty that that person is  
6 qualified to testify in that particular subject  
7 matter. I think that's the main point.

8 Q. And you mentioned that you were a member  
9 of IPANM?

10 A. Yes.

11 Q. Have you held any executive positions with  
12 IPANM?

13 A. I have been the Northwest New Mexico vice  
14 president and then was the president of IPANM for  
15 approximately three months before resigning that  
16 spot.

17 Q. Have you ever held a political office?

18 A. No, I have not.

19 Q. Did you testify at the 2007 or 2009  
20 hearings?

21 A. I testified at the 2007 Pit Rule hearing.  
22 I was on the stand for approximately nine hours.

23 Q. And were your credentials accepted by the  
24 Oil Commission when you testified at the 2007  
25 hearing?

1           A.     Yes.

2           Q.     Have your credentials changed since 2007  
3 when you were accepted as an expert?

4           A.     Other than an additional five years of  
5 experience, they have not.

6           Q.     So among your other areas of expertise as  
7 a petroleum engineer, do you have specific knowledge  
8 and experience in studying the movement of fluids  
9 and gases through rock formations?

10          A.     Yes.

11          Q.     Looking at IPANM Exhibit 5, is that a copy  
12 of your resume?

13          A.     Yes, it is.

14          Q.     Was that prepared by you and does that  
15 accurately represent your qualifications and  
16 experience?

17          A.     Yes, it does.

18                 MS. FOSTER: At this time I ask to qualify  
19 Mr. Mullins as an expert in the area of the movement  
20 of fluids and gases through rock formations as a  
21 petroleum engineer.

22                 CHAIRPERSON BAILEY: So qualified.

23                 MR. JANTZ: I would like to question the  
24 witness before he is qualified.

25                 CHAIRPERSON BAILEY: All right.

1 VOIR DIRE EXAMINATION

2 BY MR. JANTZ

3 Q. Good morning.

4 A. Good morning.

5 Q. Back in 2007 when we were in the Pit Rule  
6 hearing, we talked about your qualifications then.  
7 I would like to talk a little bit more about them  
8 today. At that point -- well, let me back up. Your  
9 testimony today is about your models on pollution  
10 transport and fade; is that right?

11 A. That's correct. I did the modeling  
12 basically duplicating all the modeling that was  
13 completed in 2007 by the OCD, 2009 by the OCD and  
14 then I performed my own modeling.

15 Q. And that's held in Multimed; is that  
16 right?

17 A. That's correct.

18 Q. Back in 2007, you will recall the modeling  
19 experience you testified that you had was in  
20 preparation for that hearing. That was the extent  
21 of the experience you had with the HELP and Multimed  
22 modeling?

23 A. I believe that's correct, yes.

24 Q. Has that changed the second time around?

25 A. Well, I've have a significant amount of

1 experience by running -- repeating all the models  
2 and running a number of different sensitivities  
3 specifically related to the burial of drill cuttings  
4 in New Mexico.

5 Q. Let me ask you this way. Have you done  
6 any additional modeling with HELP and Multimed other  
7 than preparing for this hearing?

8 A. No, I have not.

9 Q. So it's just the two times that you have  
10 run the HELP and Multimed medium?

11 A. I repeated the 2007 modeling, the 2009  
12 modeling and then prepared my own modeling, so the  
13 total number of runs would be several hundred  
14 different sensitivity cases.

15 Q. But for the purposes of just preparing for  
16 these two hearings; is that correct?

17 A. That's correct.

18 Q. Are you a hydrologist?

19 A. No.

20 Q. You are not a hydrologist? Okay. Do you  
21 have experience in toxicology, epidemiology, any  
22 sort of public health background?

23 A. I do not.

24 MR. JANTZ: I do object to the witness on  
25 the same grounds I objected to him in 2007 and to

1 the extent that he is not qualified as a hydrologist  
2 nor is he qualified to testify about the HELP and  
3 Multimed models based on inexperience.

4 MS. FOSTER: I believe that Mr. Mullins  
5 testified that as a petroleum engineer during his  
6 experience and education, that that's part of his  
7 education is learning about modeling. Maybe  
8 Mr. Mullins would like to talk more about how in his  
9 education as a professional engineer and as a  
10 petroleum engineer this is part of his  
11 responsibility at a well location. Would that be  
12 possible for him to respond to that?

13 CHAIRPERSON BAILEY: If you would  
14 elaborate.

15 THE WITNESS: Well, I guess in response to  
16 that, petroleum engineering is modeling basically  
17 of -- that's the business. We model the production  
18 and modeling of oil, natural gas. Specifically  
19 because of the regulations associated with the Pit  
20 Rule that were put in place and the reliance upon  
21 the HELP model and the Multimed model by the OCD, I,  
22 I guess, engrossed myself in those two particular  
23 models in particular to become very familiar with  
24 them, their input parameters, the sensitivity items.

25 I have done modeling since I was in

1 college with regard to oil and gas production. I do  
2 that daily and I think I'm capable of discussing my  
3 modeling that I prepared. If Mr. Jantz has  
4 questions about my modeling, I would be happy to  
5 answer them.

6 CHAIRPERSON BAILEY: Commissioner Balch,  
7 do you accept Mr. Mullins?

8 COMMISSIONER BALCH: Actually, I have no  
9 problems with his qualifications in that regard for  
10 using modeling software. The most important thing  
11 is understanding the mechanisms and the variables  
12 that were used rather than specific software.

13 CHAIRPERSON BAILEY: Commissioner Bloom,  
14 do you have any objections?

15 COMMISSIONER BLOOM: We are hearing  
16 testimony on hydrology. I think we have a number of  
17 good hydrologists in the state and region that would  
18 have been appropriate to bring forward but I would  
19 like to hear Mr. Mullins' testimony and questioning  
20 as appropriate on the model and how it was done.

21 CHAIRPERSON BAILEY: Mr. Mullins is  
22 accepted as a witness for IPANM.

23 MS. FOSTER: Thank you.

24 DIRECT EXAMINATION CONTINUED

25 Q. Mr. Mullins, we are here today to discuss

1 Rule 17 commonly known as the Pit Rule. Are you  
2 familiar with that existing provision in the New  
3 Mexico regulations?

4 A. Yes.

5 Q. Are you familiar with the predecessor to  
6 Rule 17, Rule 50?

7 A. Yes, I am.

8 Q. Now, did you operate actually as an oil  
9 and gas producer under Rule 50?

10 A. Yes.

11 Q. Now, for Commissioners Bloom and Balch who  
12 were not present for the prior hearing and may not  
13 be familiar with Rule 50, can you give us a  
14 thumbnail quickly as relates to this hearing, the  
15 issues that are important?

16 A. I guess the short version, Rule 50 was the  
17 rule put in place in 2005. The focus at that time  
18 was primarily the below-grade tank area. That was  
19 put in place and the industry was working well under  
20 Rule 50.

21 To jump to some of the -- I guess Rule 50,  
22 I believe, is an adequate rule that protects  
23 freshwater, human health and the environment. It  
24 was quite easy to work under, I think, from a  
25 regulatory standpoint, and from an enforcement

1 standard it allowed the tools to be put in place by  
2 the OCD to enforce tears in liners, remediation  
3 plans, those sorts of things.

4 I testified previously that I thought Rule  
5 50 was adequate but we are here dealing with Rule  
6 17, so I have experience in both of them.

7 Q. Thank you. Have you listened to the  
8 testimony provided by other parties to this hearing?

9 A. Yes.

10 Q. In preparation for this hearing did you  
11 participate in the preparation of our petition, the  
12 IPANM petition which is before the Oil Conservation  
13 Commission at this time?

14 A. Yes.

15 Q. Did you work with any members of NMOGA?

16 A. Yes, the IPANM team consisted of Larry  
17 Scott, Jeff Harvard, myself and Paul Thompson as the  
18 alternate and then the NMOGA team was Lisa Winn,  
19 Jerry Fanning, Vicki Sanchez and Bruce Gantner.

20 Q. What was the outcome of your work with the  
21 IPANM pit team and the NMOGA group on amending Rule  
22 17?

23 A. We came forward with the initial filing of  
24 the rule that both IPANM and NMOGA agreed to the  
25 provisions, and that's what we submitted.

1 Q. That was in October of last year?

2 A. That's correct. I believe the only  
3 difference in that submittal was the Otero Mesa  
4 portion, which has subsequently been removed.

5 Q. And the IPANM board, did they appoint you  
6 to that Pit Rule group?

7 A. Yes, they did.

8 Q. Did they ask you to testify today?

9 A. Yes, they did.

10 Q. Did you actually work on the language  
11 presented in the NMOGA petition as a member of the  
12 IPANM and NMOGA work group?

13 A. Yes.

14 Q. Prior to NMOGA's submittal of petitions  
15 and exhibits did you talk to or consult with the  
16 witnesses about their planned testimony?

17 A. No, I did not.

18 Q. Did you see any of the exhibits presented  
19 by NMOGA witnesses prior to their filing it with the  
20 OCC on May 4?

21 A. I did not see a single NMOGA exhibit prior  
22 to its filing.

23 Q. In preparation for your testimony for the  
24 hearings did you review the OCD 2007 computer  
25 modeling and the industry modeling?

1           A.     Yes, in detail, and duplicated all of the  
2 modeling.

3           Q.     All right. Now, relating to the 2007  
4 hearing, I think you stated you strongly oppose the  
5 adoption of Rule 17?

6           A.     That's correct.

7           Q.     What was the basis of your opposition to  
8 the adoption of Rule 17?

9           A.     I believed it was unnecessary for the  
10 protection of human health and the environment. The  
11 modeling that was done indicated it was going to be  
12 potentially thousands of years, based upon the  
13 modeling results at that time, for a contaminant  
14 that might possibly migrate below a temporary  
15 reserve pit with cuttings buried in place and  
16 numerous reasons which we will probably get into in  
17 the modeling, but the only migration point that was  
18 done and the studies that were done were in the  
19 vertical direction, basically the movement of will  
20 whether it was 50 feet or 100 feet down, and there  
21 was no discussion about the lateral movement of a  
22 potential contaminant to a receptor, someone's water  
23 well, a house, those sorts of things. And there are  
24 numerous adjustments in relation to the modeling.  
25 When you get down to it, I viewed the Rule 17 as

1 being an unnecessary rule. I was concerned that it  
2 would impact workover operations, and subsequently I  
3 think that came into place. The focus was burial of  
4 drill cuttings and now we are into regulation of  
5 workovers and whether you are using tanks out there  
6 and is it hydraulic fracturing fluids and what's in  
7 the tanks and it's expanded beyond where it should  
8 be in my mind.

9 Q. Under Rule 50 how long was the APD  
10 application as compared to what's under Rule 17?

11 A. Thank you. The APD application, when you  
12 file an APD it includes a plat of where your  
13 wellhead location is and where your pit location is  
14 on the plat so that information was already present.

15 So with regard to the new Pit Rule  
16 application, when I fill mine out they take at least  
17 26 pages for the application form, and that's for  
18 the submittal of the pit portion. So it's a  
19 significant amount of paperwork under the rule  
20 filing right now, where basically the information  
21 was already available under current operating  
22 practice.

23 There aren't these unknown locations of  
24 pits around New Mexico. They are all specifically  
25 designated and have been for as long as I have been

1 working.

2 Q. And did you previously testify that Rule  
3 17 would add costs associated with operations?

4 A. Yes, I did, and I believe it has.

5 Q. Prior to completing your modeling for the  
6 hearing did you review the 2009 OCD modeling for  
7 possible contaminant migration?

8 A. Yes, I did.

9 Q. And you are familiar with the modeling?

10 A. Yes, I am.

11 Q. Why did you find it necessary to review  
12 both the 2007 and the 2009 OCD modeling prior to  
13 your modeling for this case?

14 A. I believe it was appropriate for the  
15 commission and I guess the industry to try to focus  
16 on the same modeling that has been utilized for Rule  
17 17 that's currently in place rather than bring in an  
18 additional model and represent that. So I thought  
19 for consistency's sake it would be good to review  
20 what modeling has been done in the past and present  
21 modeling with realistic parameters as well as  
22 including that same model but now taking the lateral  
23 movement of a potential contaminant from directly  
24 underneath the reserve pit to a potential receptor  
25 which might be 100 feet laterally under the most

1 stringent criteria we have.

2 Q. Before we get into your PowerPoint  
3 presentation, if you could please look at IPANM  
4 Exhibit 2. What is it and why was it part of the  
5 IPANM submission?

6 A. I believe Exhibit No. 2 is the IPANM  
7 Energy New Mexico informational magazine. I was  
8 involved in the preparation and production of this.  
9 It has some background information, including a  
10 section on the Pit Rule, but it's more to just give  
11 some background information on the importance of oil  
12 and gas to the state of New Mexico.

13 Q. Looking at IPANM Exhibit No. 3, did you  
14 prepare this exhibit?

15 A. I did not prepare Exhibit No. 3. Exhibit  
16 3 was part of the overall IPANM submittal but it  
17 comes from the website from the Department of  
18 Energy's Energy Information Administration. It  
19 contains some additional oil and gas information.  
20 Previously in the hearing there was a discussion  
21 about natural gas prices. I believe this is where  
22 the Citygate natural gas price was referenced in  
23 some of the economic testimony.

24 Q. And what is IPANM Exhibit No. 4?

25 A. Exhibit No. 4 is actually some interesting

1 information from August of 2011 from nationally the  
2 IPAA, which I am also a member of, the Independent  
3 Petroleum Association of America. And it lists the  
4 state rankings on oil and natural gas production.

5 Looking at the first page of this exhibit,  
6 the second -- excuse me, the third column indicates  
7 the crude oil production and ranks New Mexico  
8 currently as the eighth largest crude oil producer  
9 out of the 50 states. The fourth column lists New  
10 Mexico as the seventh largest natural gas producer  
11 in the United States and this is as of August 2011.

12 Many people may recall that New Mexico is  
13 continuing to drop in the rankings nationally on  
14 production because some other areas are seeing quite  
15 a bit more activity.

16 The second page is some interesting  
17 information regarding federal congressional  
18 districts and the importance of natural gas and  
19 crude oil production. The second page covers crude  
20 oil production. It's interesting to note that New  
21 Mexico's second congressional district is the fifth  
22 largest congressional district with regard to crude  
23 oil production in the United States, and I think the  
24 further down the list, the third congressional  
25 district which would cover Northern and Eastern New

1 Mexico, which was the area that I was working to  
2 represent when I campaigned for Congress is 34.  
3 Especially with regard to natural gas production,  
4 the third congressional district on the third page  
5 is actually the third largest natural gas producing  
6 congressional district in the United States and the  
7 New Mexico second congressional district is the 19th  
8 largest natural gas producing congressional district  
9 in the United States.

10 The reason that these are before the  
11 commission is to indicate the importance, not just  
12 from a state perspective but nationally with regard  
13 to oil and gas production.

14 Q. You stated that the Independent Petroleum  
15 Association's Board of Directors asked you to  
16 complete computer modeling for this case and to  
17 testify. Why did they ask you specifically for  
18 modeling? NMOGA did not do any modeling in their  
19 case.

20 A. IPANM's board and technical committee  
21 believed that the science should support as well as  
22 the factual and the historical information. We  
23 believe that presenting computer modeling and  
24 specifically utilizing the same models that the  
25 commission, the Oil Conservation Commission and the

1 public may already be familiar with was the  
2 appropriate tool to present to the commission to  
3 consider for your ruling.

4 Q. Were you present for Dan Arthur's  
5 modeling?

6 A. Yes, I was.

7 Q. Did Mr. Arthur perform any computer  
8 modeling specifically relating to contaminant  
9 movement below temporary reserve pits for this  
10 hearing?

11 A. I don't believe Mr. Arthur presented any.  
12 I believe he commented in his written report that he  
13 had reviewed Daniel B. Stephens' testimony and  
14 presentation in 2007 and he wrote in his report that  
15 he concurred with Daniel B. Stephens' work.

16 Q. Now, you mentioned in preparing your  
17 modeling you've looked at historical data of pits.  
18 In Mr. Arthur's testimony he actually mentioned the  
19 same thing, specifically NMOGA Exhibit 14, Slide 4.  
20 Do you recall that testimony concerning historic  
21 pits in New Mexico?

22 A. Yes, I do.

23 Q. And have you reviewed the case files that  
24 he claimed were alleged contamination cases?

25 A. Yes. Just to briefly summarize that

1 slide, and in particular that portion of his  
2 testimony was in reference to a term he used 500  
3 alleged cases of groundwater contamination. I have  
4 been involved in the Pit Rule discussion since  
5 sometime in the 2006 time frame, and myself and a  
6 number of other engineers reviewed the case files on  
7 the alleged cases of groundwater contamination.  
8 There were not 500 cases, there were 421 cases. Not  
9 a single one, to my knowledge, based upon my review  
10 and the review of detail, was a case of groundwater  
11 contamination. They were cases of soil  
12 contamination and they dealt primarily with earthen  
13 production pits, which were long-term storage and  
14 effectively disposal of produced water. They were  
15 not temporary lined reserve pits, which was the  
16 primary focus of the 2007 rule. As we recall, Rule  
17 50, which was the predecessor rule, primarily dealt  
18 with the below-grade tanks to try to remove any  
19 earthen production pits at that time.

20 Q. So you believe Mr. Arthur's testimony and  
21 exhibits might overestimate the possible instances  
22 of groundwater contamination that have or might have  
23 impacted groundwater from a historical mathematical  
24 perspective?

25 A. Absolutely. I believe his numbers are

1 high. I'm not aware of a single case of groundwater  
2 contamination from an oil and gas temporary reserve  
3 pit. I'm familiar with ten cases that were  
4 understand examination in 2007. They were all  
5 located in the Southeast New Mexico, and to my  
6 knowledge, none of those cases indicated a  
7 contamination of the groundwater above any sort of  
8 background sampling. There were instances of soil  
9 contamination but there was not a single case of  
10 water contamination that I'm aware of.

11 Q. So just to clarify for the commission, do  
12 you mean to imply that there's never been a spill,  
13 release or direct impact by the industry to  
14 freshwater or groundwater resources?

15 A. Absolutely not. That has occurred, but  
16 with regard to temporary lined reserve pits used in  
17 the oil and gas industry, I'm not aware of any.

18 Q. Did you review the testimony of OCD  
19 witnesses Mr. Michael Bratcher and Mr. Brandon  
20 Powell from the prior 2007 hearing regarding  
21 instances of groundwater contamination from  
22 temporary drilling pits?

23 A. Yes.

24 Q. Did they report at that time in 2007  
25 identifying a single case of groundwater

1 contamination related to temporary drilling pits?

2 A. They both testified there were none to  
3 their knowledge.

4 Q. Turning your attention to Exhibit 6, did  
5 you prepare this for the commission?

6 A. Yes, I did.

7 Q. What is it?

8 A. Exhibit 6 is a PowerPoint presentation  
9 which is a summary of my commuter modeling that  
10 IPANM asked me to put together for presentation to  
11 the commission.

12 Q. Did you prepare this exhibit?

13 A. Yes, I did.

14 MS. FOSTER: I would move this exhibit for  
15 the purposes of presentation at this time. I will  
16 move all my exhibits at the end of his testimony  
17 into the record but at this time I didn't know if I  
18 needed to move it in for presentation purposes.

19 CHAIRPERSON BAILEY: Any objection?

20 MR. JANTZ: Just for clarification, you  
21 are moving this in for demonstrative purposes or as  
22 part of the record?

23 MS. FOSTER: So we can look at it, and at  
24 the end of the testimony I will move all of the  
25 exhibits in for the record.

1 MR. JANTZ: No objection to a  
2 demonstrative exhibit.

3 MR. DANGLER: No objection.

4 MS. GERHOLT: No objection.

5 DR. NEEPER: No objection.

6 CHAIRPERSON BAILEY: So admitted. Before  
7 you begin, Theresa, will you shut down the outer  
8 audio/visual? We have plenty of seats and we don't  
9 need to be broadcasting to the wall. Thank you.

10 Q. Please proceed with your explanation of  
11 Exhibit 6 utilized for the commission.

12 A. Thank you. Members of the commission, I  
13 want to briefly talk about what I did with regard to  
14 reviewing the modeling that was performed. I  
15 obtained the Oil Conservation Division's setup file,  
16 the information for both the HELP model and the  
17 Multimed model from Mr. Ed Hanson who E-mailed me  
18 that. The reason that I wanted to, rather than just  
19 comment on prior modeling, I think it's appropriate  
20 that you duplicate the modeling that has been done  
21 or represented so you have a good understanding of  
22 the parameters and what the inputs are, because a  
23 good portion of any sort of modeling is the  
24 understanding of the inputs and their sensitivity  
25 and what they mean. So I did that because I wanted

1 to understand in detail what had been done, what had  
2 been relied upon by the commission in prior  
3 hearings, and to be able to explain the differences,  
4 should the commission have any questions between my  
5 modeling and the modeling that had been done  
6 previously that the commission relied upon.

7 Q. Mr. Mullins, to interrupt you, the  
8 modeling done in 2007 and 2009, that was considered  
9 by the old Conservation Commission at that time in  
10 the passage of Rule 17; is that correct?

11 A. That's correct.

12 Q. So it would have been accepted as  
13 appropriate modeling to establish the policy behind  
14 Rule 17?

15 A. I believe that's what it was used for,  
16 yes.

17 Q. Thank you. Moving to slide 2.

18 A. Slide No. 2 of Exhibit 6 -- and I know  
19 there's been some discussion of risk and it's titled  
20 Risk Assessment. I believe it's appropriate for  
21 regulatory bodies and decision-makers to understand  
22 the risk, and I think what we are looking at here in  
23 this instance is the risk to freshwater resources,  
24 human health and the environment.

25 So that's the standpoint from where I

1 think we need to look at it with regard to the  
2 burial of drill cuttings, which is what we are  
3 talking about, and any residue materials that are  
4 associated with oil and gas.

5           The first sentence here indicates that  
6 saturated flow of water is different from  
7 unsaturated flow. The focus of the modeling that  
8 was done and the discussion that Dr. Neeper had was  
9 also focusing on unsaturated flow. Saturated flow  
10 of water or hydrocarbons is a different animal from  
11 the unsaturated flow. That's basically what we are  
12 looking at is the vadose zone area which is the area  
13 above the groundwater, for instance.

14           So we have the surface area. Then we have  
15 the section of soil that's above a groundwater  
16 reservoir, so we are looking at that dry soil.  
17 We're not talking about right along the river bank  
18 where the soil could become fully saturated and  
19 analyzing the flow.

20           Q. Does that mean your unsaturated flow  
21 modeling has a hydraulic head on it or not?

22           A. Correct, it does not have a hydraulic head  
23 on it. I'm sure we will get into discussions of  
24 liner quality and different things like that, which  
25 will be a little different from what I am presenting

1 here. I am talking about the long-term storage of  
2 cuttings and the movement of water through those  
3 cuttings that might move contaminants.

4           So what I did, the second item indicates I  
5 utilized similar assumptions and conservative  
6 modeling parameters used by the Oil Conservation  
7 Division in 2007 and 2009 here. What I mean by that  
8 is I didn't tweak any of the soil characteristics.  
9 I didn't change the liner quality or style. I  
10 basically tried to keep everything that was on the  
11 conceptual model, the input parameters, the same. I  
12 made a few adjustments but we will go through those  
13 in detail, but I didn't want to get into the concern  
14 or people may have concern that I changed the soil  
15 characteristics so it would slow down the movement  
16 of a potential contaminant. I didn't do that. I  
17 didn't change any parameters.

18           An important concept that I want to talk  
19 about, and its presence is actually listed in the  
20 ConocoPhillips report from Dr. Buchanan. It's  
21 important because it talks about the salt bulge.  
22 The salt bulge is actually the natural salt profile  
23 in the soil, and what you see in the -- obviously, I  
24 defer to Dr. Buchanan's greater experience in that,  
25 but what you see is a depth where you have higher

1 salt concentrations, anywhere from four to seven  
2 feet down below the soil. What that means is that's  
3 where the salt deposited. Above that level, the  
4 actual movement of water, not of the contaminant,  
5 but of the water was up primarily.

6 So what that indicates is in most of New  
7 Mexico there has not been a lot of movement through  
8 the unsaturated portion of the soil for 10,000 to  
9 16,000 years, based upon those salt bulges in the  
10 natural profile. I'm not talking about the profile  
11 that would be with the contaminant already in place.  
12 That's just the natural movement.

13 Geologically, the discussion on that  
14 primarily relates to the last time glaciers -- when  
15 we were covered by ice is effectively when that was.

16 The next bullet point that I have  
17 indicates infiltration rates, and that's an  
18 important topic and probably the primary item of  
19 concern with regard to how water or a potential  
20 contaminant could move.

21 Walvoord and Scanlon in 2004 is one of the  
22 primary references. It was in Dr. Daniel B.  
23 Stephens' testimony in 2007, but it indicates that  
24 your infiltration rate could be as low as .03 to .01  
25 millimeters per year. Basically, that would be the

1 movement. So when you factor in the 10,000 to  
2 16,000 years and the depth of the soil profile,  
3 those kind of all correlate.

4 The reason that's important is I wanted to  
5 see where my results came out in my modeling, also  
6 compare that with the results that the OCD had in  
7 their modeling and see where this falls in place.

8 What I included in the model that's  
9 different for our hearing today in 2012 from the  
10 prior modeling in 2007/2009 is the horizontal  
11 movement. In addition to the contaminant moving  
12 vertically, moving the contaminant horizontally, 100  
13 feet to a potential person's well at their house or  
14 a stream bed or something to that effect.

15 Q. Why did you use the 100-foot marker?

16 A. I used the 100-foot marker because it was  
17 the most stringent criteria that the industry was  
18 recommending for siting requirements in place.  
19 That's why I used that. I could have picked any  
20 number, but I used 100 feet.

21 The Oil Conservation Division technically  
22 uses three feet because they use one meter in their  
23 model so it wasn't directly underneath the pit but  
24 in order to have a number in the model to make it  
25 work they use one meter, so a little over three

1 feet.

2 Q. And what does that mean conceptually? It  
3 means that you have to be directly underneath the  
4 pit? If you have vertical contamination down to the  
5 groundwater you have to be directly under the pit?

6 A. The results that were presented in 2007  
7 and 2009 were basically going underneath the pit and  
8 measuring that point right there at that point and  
9 then comparing that to drinking water quality  
10 standards. And I didn't believe that, from a risk  
11 assessment standpoint, likely for the public anyone  
12 to encounter, you know, that at that point. I mean,  
13 they were going to encounter it either at their  
14 water well or the nearest closest horizontal  
15 distance.

16 Q. Mr. Mullins, shouldn't the commission be  
17 concerned about the degradation standard; in other  
18 words, when there is any contaminant that hits  
19 groundwater for the purposes of this rule?

20 A. No, I don't believe so. We have asphalt  
21 out here on the pavement and the rainwater hits the  
22 asphalt and runs off and we are not writing  
23 additional regulations to control that.

24 Q. So pertaining to your risk assessment  
25 comment, the rule that we are looking for is not a

1 complete non-degradation standard, correct?

2 A. That's correct. It's not saying that the  
3 salt is not going to move. It's going to move.  
4 It's just going to move at such a slow rate and at  
5 such a very small concentration that it does not  
6 pose risk to human health or the environment.

7 Q. Thank you. Your last point concerning  
8 flux, please?

9 A. Something that's important to note, and  
10 there was discussion previously about reaching  
11 equilibrium. Dr. Neeper had that discussion. It's  
12 effectively why we have a salt bulge in the natural  
13 soil profile is you can reach equilibrium. The HELP  
14 model, in particular, which is the portion that  
15 drives the upper part of the conceptual model, it  
16 will not allow you to have total upward movement or  
17 negative flux in the model. It will always drive  
18 the resultant going down. So the instances -- you  
19 can have instances where, as I believe Dr. Buchanan  
20 testified, you reach some sort of equilibrium. The  
21 model isn't going to allow that equilibrium to  
22 occur. The model is actually going to move it down.  
23 It will not just sit there for 200,000 years and not  
24 move. It will move it.

25 Q. According to the modeling?

1           A.     According to the modeling and the  
2 equations and set parameters within the modeling.

3           Q.     Looking at Slide No. 3 concerning the  
4 actual modeling?

5           A.     The third slide of Exhibit 6 is a brief  
6 overview of the predictive models that have been  
7 used previously in discussion of the Pit Rule.  
8 There were two models that were used, the HELP,  
9 which stands for the Hydrologic Evaluation of  
10 Landfill Performance model that was prepared by the  
11 Army Corps of Engineers for the EPA. And it's  
12 what's called a water balance model. Just to  
13 briefly reference with Dr. Neeper's model, it did  
14 not include that basically upper portion. He had an  
15 upper boundary condition.

16                 The HELP model which was utilized by  
17 myself and the Oil Conservation Division takes into  
18 account what's going on on the surface physically.  
19 It's counting storage, which means do you have a  
20 little pond there? Do you have snow melt that's  
21 freezing during certain times of the year? It  
22 handles runoff at the surface because not every drop  
23 of water is going to go directly down through the  
24 soil. It can run sideways. It handles  
25 evapotranspiration, which is the movement of water

1 out of vegetation. It handles evaporation. It  
2 handles vegetative growth. It handles the different  
3 amount of soil moisture that can be stored. It's  
4 capable of handling lateral subsurface drainage, so  
5 if you have an additional layer, a clay layer or  
6 something below the surface, it can move things  
7 laterally.

8 It models unsaturated vertical drainage.  
9 It handles leakage through soil, geomembranes,  
10 geomembrane liners, leaks through liners. It  
11 handles all that sort of thing and it's been used by  
12 many states in the United States and specifically  
13 within the industry and most recently, obviously,  
14 was part of the 2007/2009 hearing that it was relied  
15 upon.

16 The second portion of the model -- so  
17 running that HELP model you get an output from the  
18 model and the output is the infiltration rate, which  
19 is an important item that I discussed. You take the  
20 infiltration rate and you put it into the second  
21 portion of the model, which is a two-dimensional EPA  
22 model called Multimed. Effectively at the 2007 and  
23 2009 hearings, the Oil Conservation Division only  
24 used one dimension of that two-dimensional model.  
25 They used the vertical portion. Basically what

1 would move from underneath the reserve pit down to  
2 the top of the groundwater. They did not model the  
3 additional 100-foot lateral distance which was  
4 capable of being modeled in the Multimed model but  
5 it was never presented to the commission from a risk  
6 assessment standpoint in either 2007 or 2009.

7           Its principal use is for vadose zone  
8 movement, which is below the bottom of the temporary  
9 pit down to the aquifer, and then it will model the  
10 contaminant movement in the aquifer laterally. Its  
11 importance is you can determine the concentration of  
12 the contaminant. Dr. Neeper's model did not measure  
13 concentration, which I believe is an important item  
14 for concern to the commission. It's not that the  
15 contaminant is not going to move, it's the  
16 concentration of the contaminant that will arrive or  
17 potentially arrive at the receptor. So this model  
18 is capable of determining the concentration and how  
19 it moves over time through the aquifer.

20           Q.     Thank you. Moving to Slide 4.

21           A.     Slide 4 is probably the busiest slide that  
22 I have for the commission. I put it up on the  
23 screen. This is effectively the conceptual model,  
24 and I've tried to include all of the HELP and  
25 Multimed modeling conceptually on this one slide,

1 and it lists 2007, 2009, 2012. You're going to see  
2 a slide that shows the current modeling. That will  
3 just be 2012.

4 In summary, the sun indicates that we  
5 obviously have sun. The cloud indicates that we are  
6 going to have rain. The arrows pointing down  
7 indicate that the rain comes down. The little  
8 grasses that I have growing are the vegetation  
9 and/or lack of vegetation.

10 Q. So the sun means that you are concerned  
11 about solar input at various locations in New Mexico  
12 in your modeling?

13 A. That's correct. You are concerned about  
14 solar as well as temperature data, soil  
15 temperatures, moistures, humidity.

16 Q. Do you concern yourself with climatology  
17 as well, precipitation?

18 A. Yes, you concern yourself. That's one of  
19 the principal drivers, obviously, is how much  
20 moisture is put into the model. On the left-hand  
21 side is the vertical representation. I want to note  
22 that this is a conceptual drawing. It's not drawn  
23 to scale. But on the left-hand side of the graph,  
24 the top portion is the cover material and the  
25 modeling that had been done today was either two

1 feet of cover material or four feet of cover  
2 material that was put in place. Of course, since  
3 the Pit Rule was put in place the standard has been  
4 four foot of cover. The industry is not  
5 recommending any changes to that, but I think it's  
6 important to note when you look at past  
7 representations that were done that you understand  
8 that it was a potentially different amount of soil  
9 cover on the surface, which has different effects.

10 We move from the two or four foot of  
11 surface cover to 12 1/2 feet, which is the vertical  
12 representation of the waste, and that was consistent  
13 in the models in all three hearings. The portion  
14 below that, 50 feet or 100 feet, is basically where  
15 the focus was at prior hearings. Fifty feet was the  
16 primary focus in 2007. The modeling that was done  
17 both by OCD and industry, the overall focus was  
18 really at the 50-foot depth. There were  
19 presentations up to 350 feet of depth and even down  
20 to 25 feet and there might have even been one at  
21 ten, but conceptually for the purpose of where the  
22 regulation was, 2007's regulation was 50 feet;  
23 2009's regulation, the amendment to the Pit Rule,  
24 focused on the 100-foot depth. So that's the reason  
25 that that's there. The aquifer under all situations

1 was modeled as being 63 feet in height.

2 Moving to the next column, there were some  
3 soil types effectively that were used. I have loam  
4 or sandy loam, just a descriptor, drill cuttings and  
5 waste and then the vadose zone, which was  
6 consistent, sandy loam. And then you reach down to  
7 what's called the mixing zone of the aquifer. On  
8 all of the modeling, 2007, 2009, 2012, there have  
9 only been two different depth changes of the mixing  
10 zone. Four inches was used in 2007, so all of the  
11 modeling that was done in 2007 was based upon four  
12 inches of mixing zone. That's a very important area  
13 and we will get into some discussion on that.

14 The 2009 modeling that was done by the OCD  
15 used ten feet. I also used ten feet in my modeling  
16 in 2012. You could argue that it should be the  
17 entire 63 feet could be an effective mixing zone  
18 depth, but I stuck with what they used in 2009 and I  
19 am happy to answer questions on why I did that.

20 Up at the upper right-hand portion there's  
21 a very important comment there. It says "20 inches  
22 or 48 inches of evaporative zone." This is the  
23 principal -- one of the principal differences in the  
24 modeling is the evaporative zone depth in the  
25 modeling.

1           For vegetation to be put in place, in the  
2 modeling that was done by the OCD and just  
3 conceptually, the top six inches was considered to  
4 be a root zone depth. That is different from the  
5 evaporative zone depth. The evaporative zone depth  
6 is basically the upper portion of the soil where the  
7 water movement could go up. We just recently  
8 discussed the salt bulge and where the salt bulge  
9 is. Effectively, you could go to everywhere in the  
10 salt profile and find the point above the salt bulge  
11 and say that's the specific evaporative zone depth  
12 or basically where the water has been moving up at  
13 that specific point.

14           The Oil Conservation Division in both 2007  
15 and 2009 used a 20-inch evaporative zone depth. I  
16 used 48 inches of evaporative zone depth in my  
17 modeling. The reason I used 48 inches is because I  
18 am effectively limited by the amount of soil cover  
19 that we put on top of the pit. So 48 inches is the  
20 equivalent of four feet. The way the model  
21 functions, it will actually not allow me to make a  
22 deeper evaporative zone depth than my material above  
23 the waste.

24           We are going to get into some discussion  
25 on why I relied upon the 48 inches rather than the

1 20 inches for evaporative zone depth, but it's the  
2 critical parameter. But conceptually that's  
3 different from a root zone depth. Dr. Buchanan  
4 talked about root zone depths, shrubs and things  
5 that could even go down into the pit waste. He is  
6 right. That could also be concerned with an  
7 evaporative zone depth. But the true evaporative  
8 zone depth is actually deeper than the root zone  
9 depth that's in place.

10           The horizontal distance I have in the  
11 lower right-hand portion of the graph, I mentioned  
12 in 2007 and 2009 the Oil Conservation Division used  
13 three feet of lateral movement so basically they are  
14 measuring right underneath the pit waste. I used  
15 the 100-foot distance, which would be the closest  
16 distance to the receptor. Then the black lettering  
17 says -- the top portion of the model has a HELP  
18 input, and what comes out of the bottom of the  
19 drilling cuttings or the waste, that is the HELP  
20 output which then becomes the Multimed input which  
21 then goes into the second portion of the model.

22           What the slide is trying to do is put all  
23 the modeling and all of the discussion briefly on  
24 one slide for discussion. We can get into all of  
25 the details and parameters of all of the runs and

1 I'm happy to do that. But I thought this would give  
2 everyone at least a simplistic representation of the  
3 differences in the modeling.

4 Q. Thank you. Slide No. 5 talks about the  
5 HELP model and the model input parameters?

6 A. Yes, that's correct. Slide No. 5 deals  
7 with what can you put into the HELP model. This has  
8 quite a bit of capability but it handles daily  
9 values. This is the important thing. Because as we  
10 all know in New Mexico, one day it could be sunny  
11 and the next day you could have a torrential  
12 downpour. So the water input is not consistent. It  
13 doesn't just come in at the same level. It has a  
14 extreme degree of variability based on the time of  
15 year and a number of different things. So the HELP  
16 model handles all of those various inputs.

17 Actually, you input a set average wind  
18 speed. It doesn't change the wind speed every day.  
19 I'm sure it's capable of doing that and some of the  
20 newer models are probably capable of doing that, but  
21 this version has one wind speed. It uses daily  
22 temperature data, and humidity data is actually  
23 based on a quarterly basis. It uses daily solar  
24 radiation indexes based on -- kind of goes with some  
25 of the temperature data, and uses daily evaporation

1 indexes, so it creates basically a daily dataset to  
2 work from. That's consistent with what Dr. Neeper  
3 utilized in his modeling based upon a Julian  
4 calendar year, which is 360 days.

5           So there's weather data and that's one  
6 portion of the input. You also have soil data  
7 inputs, which include the number of layers you are  
8 going to model, the type of layer material, the  
9 layer thickness, the soil types in particular that  
10 they are using, and these are some of the other  
11 parameters that you can adjust: Soil porosity,  
12 field capacity, wilting point, initial soil  
13 moisture.

14           The initial soil moisture is an important  
15 item if we are referencing Dr. Neeper's testimony on  
16 how he stabilized his model. The way I understood  
17 his model was that he had a groundwater aquifer  
18 underneath it and then he ran it to obtain the  
19 initial soil moisture effectively coming from below.  
20 And I'm sure he will correct me on that. But in  
21 this particular model, you can input initial soil  
22 moisture contents or it can be calculated. I stuck  
23 with the same parameters basically that have been  
24 used in the majority of these items by the Oil  
25 Conservation Division in the prior modeling. We can

1 get into why you would select one or the other.

2           Type of cover material. This gets into  
3 the discussion of whether you put a liner on top of  
4 the pit. If there's plants, you know, the  
5 vegetative quality on top of the area. The slope of  
6 the cover material. We currently -- we try not to  
7 have a bowl. We like to have some sort of slope on  
8 the surface for surface water to move, and the  
9 important parameter that I mentioned, the  
10 evaporative zone depth, which is how deeply down,  
11 basically, will the water move. Those are the  
12 principal parameters for the HELP model.

13           Going to the next slide, Slide 6 of the  
14 Multimed model, which basically takes the output of  
15 the HELP model, which we will see here in a second,  
16 and then you have these additional parameters that  
17 go into the Multimed model. You have the thickness  
18 of the vadose zone, the saturated hydraulic  
19 conductivity, the effective permeability through the  
20 vadose zone. You have an effective porosity, and  
21 the reason the effective porosity is important is  
22 it's different from total porosity. Total porosity  
23 is a larger figure than effective porosity. You may  
24 have certain portions of the space that nothing  
25 moves through, but the effective porosity is the

1 accessible porosity.

2           Residual water content in the soil,  
3 dispersivity, longitudinal dispersivity. What we're  
4 getting into now is that now that we are coming down  
5 in our model conceptually below the pit, you could  
6 very easily expand the flow radially or in an  
7 ellipse or in some particular pattern that would  
8 come out the bottom of the pit. In all of the  
9 modeling done that was by both the Oil Conservation  
10 Division and myself, we limit that. We don't allow,  
11 I guess, an X/Y elliptical, radial, any sort of  
12 movement. We take it in a straight beeline pattern.  
13 It comes out the bottom of the pit and then there's  
14 a receptor well location and we go straight in that  
15 line. There's no degradation, no elongation, no  
16 delay in the movement of the contaminant. It just  
17 goes straight in that line. But you can model that  
18 in this particular model, but that's what was put  
19 in.

20           Percent organic matter is allowed to be  
21 put into that section. What that will do is  
22 effectively retard the contaminant movement. In all  
23 of the movement done both by the Oil Conservation  
24 Division and myself, we did not allow for any  
25 organic material to be involved or to degrade any

1     contaminant.

2                 Bulk density of the soil is an input. It  
3     kind of correlates with porosity.

4                 Biological decay coefficient. You can  
5     have degradation of the contaminant over time. In  
6     all of the Oil Conservation Division modeling and my  
7     modeling we did not allow biological decay of any  
8     contaminant. Does it occur in the real world? Yes.

9                 So those are the vadose zone variables.  
10    The source-specific variables, and this is basically  
11    where we get to the infiltration rate, which is the  
12    output of the HELP model becomes the input to the  
13    Multimed model. That's where I get that item from.  
14    You can change the area of the waste disposal in the  
15    source-specific variable. I tried to keep  
16    everything the same that the Oil Conservation  
17    Division used on the area of waste disposal.

18                Duration of the pulse. This is an  
19    important concept and it was discussed in the prior  
20    hearings and was pointed out in the initial  
21    modeling. Concerns by industry that we were moving  
22    more of a contaminant out of the bottom of the pit  
23    than even exists in the contamination in the pit to  
24    begin with. And the 2007 and 2009 modeling by the  
25    Oil Conservation Division, they used a 50-year

1 pulse. I have some more material to get into that,  
2 but you can change the number of years that the  
3 material is moving out of the pit or you can even  
4 have a continuous -- you know, if you have a  
5 dripping source you can model a dripping source.  
6 But duration of the pulse is important. Fifty years  
7 was used by the Oil Conservation Division. I used  
8 20 years in my model because I tried not to  
9 substantially take more waste out of the pit than  
10 exists in the pit in the first place. I didn't  
11 think that was appropriate from a representation  
12 standpoint to the public to say you're getting five  
13 times the amount of waste potentially migrating than  
14 is even in existence in the pit to begin with.

15 The initial concentration, and for this  
16 particular modeling I stuck with the 100,000  
17 milligrams per liter. The 100,000 milligrams per  
18 liter correlates to the table that IPANM and NMOGA,  
19 Table 2, it correlates to the 5,000 milligrams per  
20 liter SPLP figure.

21 How you get to that 100,000 is the 20 to  
22 one dilution amplification factor, the 20 to one  
23 ratio. What we are saying is what is coming out of  
24 the bottom of the reserve pit is 100,000 milligrams  
25 per liter of a contaminant. Arguably, 10 percent

1 contaminant coming out of the bottom of the pit. Is  
2 that realistic? I don't know.

3 Saturated brine, as Dr. Neeper knows, is  
4 probably 180 to 200,000 milligrams per liter. I  
5 don't know if we are going to be moving that, but  
6 that's the figure that we are analyzing from a  
7 protective standpoint.

8 Aquifer-specific variables that are  
9 allowed. Now we are down into the very bottom  
10 portion of the model. It has an effective porosity,  
11 bulk density, thickness which we said was 63 feet.  
12 It has a conductivity, a gradient which is an  
13 ability to actually have a far-field input so you  
14 can actually bring additional fluid in to move it  
15 through the model and/or dilute it. There was no  
16 gradient or degradation in the model to dilute the  
17 concentration. So, I mean, that setup was not  
18 allowed.

19 Dispersivity, as we were talking about,  
20 allowing it to elongate or move, we didn't allow  
21 those but the model is capable of handling that, and  
22 you can set the well distance or effectively the  
23 receptor distance. I said in 2007/2009 I was  
24 effectively right underneath the pit at three feet  
25 rather than the 100-feet, which is the most limiting

1     siting criteria. So those are the Multimed modeling  
2     inputs.

3           Q.     Moving to slide No. 7, which is actually  
4     your modeling that you did for this hearing in 2012?

5           A.     Correct.

6           Q.     Which model input parameters did you use?

7           A.     The important characteristics in what I  
8     modeled and what I am presenting to the commission  
9     in support of IPANM's recommendation and the  
10    industry's recommendation, in the modeling I used an  
11    evaporative zone depth of the top 48 inches. The  
12    reason 48 inches is used, I could use a higher  
13    depth, but 48 inches is the amount of cover material  
14    that we're recommending for soil cover. I don't  
15    think the model will not allow 50 inches, 60 inches.  
16    Sixty inches is the recommended maximum in the  
17    model. In New Mexico in the general literature or  
18    material, the representation is the maximum in the  
19    model is 48 to 60 inches that you can put it across  
20    New Mexico.

21                  Precipitation values. I tried to focus,  
22    especially given the 100,000 milligrams leachate  
23    concentration, that's not going to occur up in  
24    Northwest New Mexico based on the information that  
25    is available. So that focus is primarily Southeast

1 New Mexico. Rather than picking one location in  
2 Southeast New Mexico, I tried to take a diverse  
3 grouping so I picked Hobbs, Maljamar, Roswell,  
4 Carlsbad and Artesia to give a more representative  
5 sample of the Permian Basin. If we were presenting  
6 information on Otero Mesa, which we are not, I would  
7 have included information in that category.

8           The Oil Conservation Division utilized 50  
9 years of actual climate data in their modeling in  
10 both 2007 and 2009. They used that data from two  
11 locations: Hobbs, New Mexico for southeast and  
12 Dulce, New Mexico for the northwest. That dataset  
13 ran from 1951 to 2000. Effectively, those two  
14 locations are actually the highest precipitation  
15 points of any precipitation point in those two  
16 areas. I don't know -- that kind of feeds into when  
17 you continually -- when you are modeling and you  
18 continually take the highest parameters on one thing  
19 after the next, you can get a result that skews in  
20 one direction.

21           So what I tried to do in my modeling is I  
22 also utilized Hobbs, which has the highest  
23 precipitation value, but then have some comparable  
24 areas. Dulce, New Mexico in particular in the prior  
25 hearing, there isn't an oil and gas well, I believe,

1     within 13 miles of Dulce New Mexico. There's a  
2     number of additional locations that have data to use  
3     in Northwest New Mexico. One, unfortunately, is no  
4     longer collecting data, which I think may be  
5     important for the commission to know. That's in  
6     Lybrook, New Mexico. There's a natural gas plant  
7     there and that plant has been shut down here  
8     recently. I believe one of the reasons they shut  
9     down the plant has to do with some of the regulatory  
10    burdens that are being placed upon the industry in  
11    the state.

12                 But that location happens to not be  
13    collecting any precipitation or temperature data.  
14    You could say use Lybrook, Lindrith, you could have  
15    used Farmington, Aztec, Bloomfield. There's a large  
16    number of other sites that could have been used but  
17    they used Dulce.

18           Q.     Mr. Mullins, I guess this is the time to  
19    ask this question. We did prepare some rebuttal  
20    exhibits based on testimony that had been previously  
21    given, and IPANM Exhibit No. 17 is an output run  
22    that Mr. Mullins did pertaining to Aztec, New  
23    Mexico; is that correct?

24           A.     That's correct.

25                 MS. FOSTER: So we will be referring to

1     that as part of our testimony on direct today, if  
2     that pleases the commission.

3                 CHAIRPERSON BAILEY:   Yes.

4                 MR. JANTZ:   I have a quick question.   The  
5     rebuttal testimony for 17, whose testimony is that  
6     rebutting?

7                 MS. FOSTER:   Dr. Neeper's.

8                 MR. JANTZ:   Thank you.

9                 Q.     (By Ms. Foster)   So you did do a model at  
10    a later date pertaining to Aztec, New Mexico; is  
11    that correct?

12                A.     I did.   The reason is based on my  
13    attendance at the hearing, there was quite a bit of  
14    concern about the 25-foot depth to groundwater and  
15    the 100-foot lateral distance under the low chloride  
16    drilling fluid scenario, so I wanted to be able to  
17    present information to the commission to support  
18    industry's recommendations on the siting criteria  
19    specifically related to that, and because of  
20    Dr. Neeper's concerns.

21                Q.     Now, pertaining to Hobbs, New Mexico, you  
22    mentioned that that is the highest level of  
23    precipitation rate based on the dataset that the OCD  
24    had.   Did you use that same level of precipitation?

25                A.     I actually used twice as much in Hobbs,

1 New Mexico. I previously referenced the HELP model  
2 uses daily data. What occurred actually if you take  
3 the daily dataset from Hobbs, New Mexico, the  
4 highest peak daily precipitation value was 1.97  
5 inches during that 1951 to 2000 time frame. My  
6 modeling that I used by putting in the monthly  
7 average precipitation value built a curve, and in  
8 that distribution the highest peak was four inches  
9 roughly of precipitation on a single day. So taking  
10 that, you have the total amount of precipitation  
11 average for the year turns out the same but the  
12 modeling that I did actually has, on a daily  
13 specific value, specifically in Hobbs, twice as much  
14 water being present on that daily movement through  
15 the model.

16           Something that was different, and this is  
17 conceptually, I used the 50-year synthetic model for  
18 Roswell, New Mexico for the temperature profile and  
19 solar profile, and I used the actual monthly  
20 precipitation for these various locations and then  
21 adjusted it for latitude for the solar effect.

22           That's why I mention the Hobbs data,  
23 because you could say well, you pulled some of the  
24 water out that was in Hobbs before. Actually, I  
25 increased that variability twice the amount when you

1 look at the distribution and the standard deviations  
2 of the material.

3 In all instances in my modeling I used  
4 four feet of soil cover. I did not put any liner on  
5 top of the pit. I have a liner underneath the pit,  
6 which we have not brought up these terms in this  
7 particular hearing, but the taco method versus an  
8 enchilada or burrito method of covering down in  
9 Southeast New Mexico. So basically what we are  
10 recommending in both NMOGA and IPANM's position is  
11 no liner on top of the pit, that the taco method  
12 with the single liner on the bottom is protective of  
13 human health and the environment and that's where my  
14 modeling was focused.

15 Slide No. 8 is similar to the prior slide  
16 but it takes out all of the other 2007/2009  
17 information and effectively demonstrates what I am  
18 presenting for my modeling to the commission in  
19 support of the recommendations of IPANM and the  
20 industry, and I will skip past this one and move on  
21 to the results.

22 Slide No. 9 is the summary of the results  
23 for my modeling with the 48 inches of evaporative  
24 depth in Southeast New Mexico, and the first line is  
25 the annual average precipitation values. Carlsbad,

1 Roswell, Artesia, Maljamar and Hobbs moving across  
2 the top. It's interesting to note the elevation.  
3 Obviously, elevation has a slight difference on  
4 atmospheric pressure and a few other things. I'm  
5 sure the model has that capability but I wanted to  
6 make note of that because they indicate that you  
7 need to be aware of elevation differences. It does  
8 have some slight minuscule amount you are closer to  
9 the sun, but I don't think the model does much with  
10 that.

11 The key results that came out of the HELP  
12 model based upon these inputs were infiltration  
13 rates. So this is the output, which is the third  
14 line down in millimeters per year of movement. 1.53  
15 millimeters per year in Carlsbad; 1.17 in Roswell; 1  
16 in Artesia; .51 in Maljamar; and 1.42 millimeters  
17 per year in Hobbs.

18 In comparison to Dr. Neeper's infiltration  
19 rates he utilized in his, I guess, slowest case his  
20 units were .05 inches per year, which is 1.27  
21 millimeters per year. So I think if the commission  
22 was looking at comparison on some of the numbers and  
23 timing of things, based upon using the upper part of  
24 the model where Dr. Neeper did not model that  
25 section, an appropriate comparison would be to focus

1 on Dr. Neeper's lowest, longest time period because  
2 that falls in the 1.27 millimeters per year  
3 infiltration rate.

4 Dr. Neeper's highest level was 3.5 inches  
5 per year of infiltration which would correlate to  
6 88.9 millimeters per year. So there's a significant  
7 difference. And I have all the other numbers for  
8 all the other modeling that's been done and we can  
9 get into that, but just focusing on what's been  
10 presented so far.

11 So we now have an infiltration rate from  
12 the HELP model runs that we would put into the  
13 Multimed model and now we want to calculate what the  
14 concentration of the contaminant would be and how  
15 long, how fast it would move to 100 feet vertical  
16 depth of vadose zone and 100 feet laterally to the  
17 receptor. Utilizing the model, and this is the  
18 number of years, it ranges from 3100 to 9200 years,  
19 and that would be from coming out of the bottom of  
20 the pit to arriving at the receptor of someone's  
21 well 100 feet away.

22 What I'm going to touch upon next is the  
23 concentration, because that is the first arrival of  
24 the first measurable amount of contaminant, and what  
25 I defined as a measurable amount of contaminant is

1 one milligram per liter change, which is effectively  
2 the smallest unit that I could see. If I had a half  
3 of a milligram per liter change, I didn't indicate  
4 that it had arrived, so it could have arrived at  
5 3,000 years exactly in the Carlsbad case, but it  
6 might have only arrived at a .5 milligram per liter  
7 level and I said that's not statistically  
8 significant enough to say it arrived, so I used the  
9 one milligram per liter threshold cut-off so that's  
10 where that year arrives.

11 I then looked at the distribution or how  
12 the arrival of the contaminant occurs over time at  
13 the receptor and I tried to -- I looked on there at  
14 what point does it reach a peak. So the next line  
15 down where it says years until maximum chloride  
16 concentration is reached, that's the number of years  
17 it would take to reach the peak chloride level at  
18 the receptor, and that ranged from 4500 years to  
19 12,800 years.

20 Then this is the final line, probably the  
21 most important line. It's the concern of what is  
22 the level of contaminant that actually arrives at  
23 the receptor 100 feet away. This is the maximum  
24 chloride level change that comes from my model. It  
25 ranges from eight milligrams per liter change in

1 Maljamar, which is the longest time period, to 68  
2 milligrams per liter in Carlsbad.

3           This is where we need to talk about the  
4 relevance of the risk assessment. In the prior Oil  
5 Conservation Division Pit Rule hearings the  
6 assumption was made that the groundwater contained  
7 50 milligrams per liter of base salt concentration.  
8 So if we are going to make that assumption you would  
9 add these numbers at each of these locations:  
10 Carlsbad, Roswell, Artesia, Maljamar, Hobbs at each  
11 specific location. You would add 50 milligrams per  
12 liter plus that figure, 68 milligrams per liter, and  
13 you get 118 milligrams per liter.

14           If you were at the receptor well and you  
15 were measuring the chloride at that point, you would  
16 expect to see 118 milligrams per liter. It's  
17 important to note because we were concerned about a  
18 drinking water level standard of 250 milligrams per  
19 liter. I guess the point that I have is the  
20 modeling of the concentration, even given the number  
21 of years, according to the modeling does not even  
22 indicate it to be higher than what drinking water  
23 standards would be in the groundwater at that point.

24           So with regard to risk assessment, I think  
25 that should factor into the commission's decision

1 when you weigh the evidence.

2 To move to my concluding slide, based upon  
3 my analysis and review of the prior 2007 modeling,  
4 the 2009 modeling of the HELP and Multimed, the  
5 historical information, my professional opinion  
6 reviewing this is that four feet of soil cover is  
7 protective in all instances; that there's no liner  
8 that is necessary to be placed on top of the pit for  
9 adequate protection of freshwater resources, human  
10 health and the environment.

11 I believe a 100 foot siting requirement is  
12 protective of public health and the environment  
13 based on the analysis. Precipitation and  
14 evaporative zone depths will drive the infiltration  
15 rates that come from the HELP model. And that based  
16 upon the HELP modeling, the Multimed modeling of  
17 chloride, which is the most mobile constituent that  
18 we are looking at, there is negligible risk to human  
19 health and the environment and the public and  
20 accessible groundwater from even a 10 percent  
21 chloride leachate coming out of the bottom of a pit.

22 For these reasons and the information  
23 presented, IPANM and myself recommend that in  
24 instances where groundwater depth is greater than  
25 100 feet that it's not necessary to perform testing

1 and go to the same level of work to ensure that the  
2 public health is protected and the environment.

3 CHAIRPERSON BAILEY: On that note, why  
4 don't we take a ten-minute break?

5 (Note: The hearing stood in recess at  
6 10:28 to 10:45.)

7 CHAIRPERSON BAILEY: We will go back on  
8 the record.

9 MS. FOSTER: Thank you, Madam  
10 Commissioner.

11 Q. (By Ms. Foster) Mr. Mullins, you included  
12 as one of your exhibits the Soil & Groundwater  
13 Research Bulletin No. 9. Would you please describe  
14 the exhibit and its importance to the commission?

15 A. I believe this is Exhibit No. 13 in your  
16 exhibit books. This was prepared by the Groundwater  
17 Protection Council, as I recall, and it discusses a  
18 non-aqueous phase liquid mobility limits in soil.  
19 In my earlier testimony I was discussing chlorides  
20 or the salt movement, and I want to put some  
21 information and have some discussion about the other  
22 constituents that are represented in the tables and  
23 their thresholds for consideration by the  
24 commission.

25 And I believe this reference, which was

1 published in June of 2000, is relevant for the  
2 commission to review. Basically by a non-aqueous  
3 phase liquid, we are talking about the hydrocarbons.  
4 Mobility, we are talking about what level or  
5 saturation level of potential hydrocarbons would  
6 become mobile and at what level would they be a  
7 concern from a regulatory standpoint, from a public  
8 health, environmental risk standpoint.

9 I believe the data that's summarized in  
10 this report and the tables that are presented that  
11 deal with TPH, total petroleum hydrocarbon, GRO/DRO,  
12 Benzene, BTEX and any of the other hydrocarbons  
13 constituents, are relevant.

14 There was some discussion previously in  
15 the hearing about Benzene in particular and some  
16 concern about the Benzene level threshold, and the  
17 question was raised of Dr. Thomas would he consider,  
18 I believe it was, 100 milligrams per kilogram to be  
19 protective of human health and the environment. I  
20 believe he testified yes, and I believe he received  
21 a second question that said would 1,000 milligrams  
22 per kilogram be protective of human health and the  
23 environment and he responded yes.

24 The information in this particular paper  
25 would support a Benzene level of 53,000 milligrams

1 per kilogram as being protective from a mobility  
2 standpoint. It has some additional threshold  
3 levels. In particular, Table 1 of this report,  
4 which is on Page 3 of the report for the commission,  
5 at the top of this paper -- I'll see if I can zoom  
6 in for those that are here in the audience. Let me  
7 blow this up slightly.

8 In Table 1, I guess we are looking at the  
9 third column of Table 1 which is "See Residual Soil"  
10 or the residual soil concentration in milligrams per  
11 kilogram from a mobility standpoint. And the level  
12 that's indicated based upon the information in this  
13 report and from the Groundwater Protection Council  
14 for concern would be 53,000 milligrams per kilogram  
15 in the report. That differs from the saturation  
16 level, which is the next column, which is obviously  
17 significantly lower than that.

18 The reason I discuss and wanted to point  
19 out this information to the commission is because  
20 the industry does have recommendation levels in the  
21 Table 1 and Table 2 which are significantly below  
22 these thresholds, dramatically below these  
23 thresholds. The next --

24 Q. Actually, before you move on, what is the  
25 industry recommendation for the Benzene level in

1 Table 1 and Table 2?

2 A. I have to take a moment to look at Table 1  
3 and Table 2 or I might misspeak. I believe in every  
4 instance the recommendation is for a Benzene  
5 threshold level of 10 milligrams per kilogram at all  
6 depths in all of the tables.

7 Q. Okay. And actually, while you are looking  
8 at those tables, what are the recommendations for  
9 industry for TPH and GRO/DRO since you're there?

10 A. The TPH level changes based upon the depth  
11 to groundwater. The TPH level changes. In Table  
12 1 -- TPH is the summation of the GRO/DRO, GRO,  
13 gasoline range organic, DRO, diesel range organic.  
14 It starts out in Table 1 at a threshold level of 100  
15 milligrams per kilogram and moves up from 50 to 100  
16 feet to groundwater at 1,000 milligrams per kilogram  
17 and then greater than 100 feet at 5,000 milligrams  
18 per kilogram.

19 BTEX, which BTEX actually includes the  
20 Benzene portion of the range, so I believe that's  
21 why it's consistently listed at 50 milligrams per  
22 kilogram on BTEX, and obviously ten of that could be  
23 the Benzene portion but covering the other items it  
24 gets 50, and that's 50 in every instance. And I  
25 believe that covers the other constituents. We have

1 covered TPH, BTEX and the Benzene threshold.

2 To reference the other -- within Exhibit  
3 13, the other recommendation levels for the  
4 commission to consider, you need to turn to Table 2,  
5 which will be on Page 5 of the report. If you look  
6 at -- I'm going to change to a different table.  
7 Table 4, which will be on Page 7. Let me switch  
8 that. It's represented in Table 2 but it's  
9 represented more clearly in this Table 4.

10 In Table 4, which is up on the screen, on  
11 Page 7 it recommends residual soil saturation level  
12 for middle distillates in the 8,000 milligrams per  
13 kilogram range and the 8,000 milligrams per kilogram  
14 is higher than the highest recommended value, which  
15 was 5,000 milligrams per kilogram that the industry  
16 listed for TPH, so that would be the reference to  
17 utilize for that.

18 Q. Thank you. Now, as you had already  
19 discussed, did you personally perform model runs and  
20 provide your model runs as exhibits to the  
21 commission and interested parties to review for this  
22 hearing?

23 A. Yes, I did.

24 Q. Directing your attention to Exhibit 7, is  
25 this the run for the HELP model?

1           A.     Yes.   Exhibit 7 are the HELP model runs I  
2 performed for each of the locations:   Artesia,  
3 Hobbs, Carlsbad, Maljamar and Roswell.

4           Q.     And Exhibit 8?

5           A.     Exhibit 8 are the Multimed model run  
6 outputs that correspond for each of those locations.

7           Q.     Did you provide us with the model manuals  
8 for both HELP and Multimed?

9           A.     Yes, I did.   I figured that we might have  
10 a lively discussion about computer models so I  
11 thought I would include the manuals so we could go  
12 through them in-depth if so desired.

13          Q.     That is Exhibits 8, 9 and 10 -- sorry, 9,  
14 10 and 11, correct?

15          A.     Exhibit No. 9 is the Multimed model  
16 manual, Exhibit No. 10 is the HELP model manual, and  
17 Exhibit No. 11 is the HELP engineering manual.

18          Q.     Now, could you please describe Exhibit No.  
19 12 for the commission.

20          A.     Exhibit No. 12 are the climatological data  
21 sheets that I utilized from USclimatedata.com.  
22 That's the government website for the average  
23 precipitation values for Artesia, Hobbs, Maljamar,  
24 Roswell and Carlsbad on a monthly basis that I used  
25 as the inputs in the site-specific HELP model runs.

1           Q.     All right.  You already discussed Exhibit  
2     13.  How about Exhibit 14, please?

3           A.     Exhibit 14 is really a reference exhibit  
4     for the commission.  We haven't discussed arid  
5     versus semiarid environments.  Exhibit 14 is a brief  
6     USGS paper discussing burial of waste in arid  
7     environments.  It has some language and background  
8     information about burial and chloride concentration  
9     movements and indicates in the paper what industry  
10    has testified to previously, that vegetative cover  
11    is obviously an important aspect and having the  
12    vegetative cover will reduce the infiltration rate.

13          Q.     Does Exhibit 14 qualitatively agree with  
14    your modeling results?

15          A.     Yes, it does.

16          Q.     And the precipitation levels in the Mojave  
17    desert in Nevada, are those higher or lower than  
18    Northern New Mexico?

19          A.     Well, they can be similar to several  
20    locations in Northern New Mexico.  Several of the  
21    locations in Northern New Mexico may receive only  
22    eight inches of precipitation and could be in that  
23    environment.  One of the principal reasons the focus  
24    has been in Southeast New Mexico is the chloride  
25    concentrations are higher and also the precipitation

1 and just movement of contaminants would be hirer.

2 MS. FOSTER: At this time I move Exhibits  
3 5 through 14 into evidence.

4 CHAIRPERSON BAILEY: Any objection?

5 MR. JANTZ: Yes, I might have several,  
6 Madam Chair. Let me get organized here for a  
7 second. No objection to Exhibit 5. I do have an  
8 objection to Exhibit 6, Page 2 Mr. Mullins'  
9 discussion about risk assessment. Mr. Mullins  
10 wasn't qualified as an expert in risk assessment at  
11 all and he is not qualified to talk about it. For  
12 that reason, I object to that slide and ask that his  
13 testimony regarding risk assessment be stricken.

14 The only other objection I have is to  
15 Exhibit 13, the American Petroleum Institute Report  
16 on the basis that it's not relevant. In the  
17 abstract section, the last paragraph of the abstract  
18 section says, "The paper addresses immobile bulk  
19 NAPL in soils at concentrations up to the threshold  
20 of mobility. This document does not address the  
21 movement and flow of NAPL, the dissolution of NAPL  
22 chemical into soil pore water solution, nor NAPL  
23 volatilization into soil pore air." So to the  
24 extent that it's being offered to talk about  
25 standards for protecting groundwater it's entirely

1 irrelevant.

2 MS. FOSTER: Madam Chair, concerning  
3 Exhibit 13, if I could ask the witness?

4 Q. In terms of your modeling, did you do  
5 modeling of the soil core water solution and what is  
6 that?

7 A. I guess the best way to answer this is to  
8 look at how the modeling has been presented in the  
9 past. In 2007 and 2009 the mixing zone depth in  
10 particular was set to be four inches. If we were  
11 modeling, which I did not do in this particular  
12 case, the movement of hydrocarbon, it would float on  
13 top of the water so it would reside in a mixing zone  
14 that would be very narrow similar to, you know, four  
15 inches.

16 I think the relevance of Exhibit 13 is  
17 that it sets a standard for both -- and information  
18 for the commission to consider with regard to what  
19 the saturated level is within soil and a mobility  
20 level of the constituents to be of concern. It  
21 doesn't mean they are not going to move. There  
22 hasn't been any testimony that I have given that a  
23 contaminant is not going to move. Just that at what  
24 level is it going to be a risk. I believe this  
25 document is useful for the commission to consider as

1 they look at industry's recommendations of Tables 1  
2 and 2.

3 Q. As to Exhibit 6, your title of Slide No. 2  
4 is Risk Assessment. You talked a little bit in your  
5 testimony about degradation, non-degradation. Is it  
6 your job here at the hearing to tell the commission  
7 how to dictate policy on this or are you here making  
8 recommendations based on your modeling?

9 A. I am here making recommendations, and I  
10 believe that discussing the risk, especially to  
11 public health and the environment, is the focus, the  
12 primary focus of the hearing and the commission.  
13 And I think that's what we do and what I do as a  
14 professional engineer and as a petroleum engineer in  
15 the business. I assess risk. I assess the risk  
16 from the initial stages of drilling a well through  
17 the various phases of operationally drilling the  
18 well through closure and completion and  
19 rehabilitation.

20 I believe that my experience and knowledge  
21 with regard to the contaminants associated with oil  
22 and gas reserve pits and the information in  
23 particular that I presented to the commission would  
24 support my professional engineering opinion to be  
25 given on the risk of contaminant movements related

1 to oil and gas activity. So I guess I disagree with  
2 counsel's suggestion on the rejection.

3 CHAIRPERSON BAILEY: The commission will  
4 accept the exhibits but will take into account  
5 Mr. Jantz' comments and note them to give the  
6 correct evaluation of those specific exhibits.

7 MR. JANTZ: Thank you, Madam Chair.

8 (Note: IPANM Exhibits 5 through 14  
9 admitted.)

10 Q. Thank you. If you may move on. Now,  
11 Mr. Mullins, did you hear testimony by Dr. Neeper on  
12 siting and closure requirements of temporary pits?

13 A. Yes, I did.

14 Q. In fact, the Independent Petroleum  
15 Association as well as NMOGA's recommendations are  
16 as to the depth of groundwater for a temporary  
17 drilling pit there's a recommendation to reduce the  
18 minimum depth from 50 feet to 25 feet. Do you have  
19 an opinion based on your modeling experience as to  
20 the potential impacts to groundwater?

21 A. Yes. There was quite a bit of concern  
22 brought up in the hearing about the 25-foot depth in  
23 relation to the siting criteria of 100 foot,  
24 especially in the low chloride drilling fluid  
25 scenario, which the principal area for that is in

1 the Northwest. And the reason that the industry has  
2 requested the reduced siting criteria is to be able  
3 to properly function and adequately be able to  
4 exploit the oil and gas resources in the northwest.  
5 We have a great deal of existing infrastructure in  
6 the northwest, existing well pads, existing pipeline  
7 corridors. We also have a significant amount of  
8 public land resources, including archaeological  
9 resources, and we have to balance all of these  
10 resources when we need to drill a new well.

11           So what we found is that since the  
12 implementation of the first Pit Rule, we have many  
13 existing well pad locations where we are not able to  
14 twin the existing well pad location, which has a  
15 cost savings on surface disturbance, pipeline cost,  
16 just drilling access and facilitation. We are not  
17 able to actually drill a well because of the current  
18 Rule 17 restrictions on the siting criteria.

19           So given the concerns that were brought up  
20 about the 100-foot level and the 25-foot to  
21 groundwater, I prepared an additional exhibit for  
22 the commission to consider and it was a rebuttal  
23 exhibit and I'm not -- I have it here, I guess, on  
24 the computer to bring up. I'm not sure if it's been  
25 distributed.

1           Q.    It has been distributed to all parties as  
2   required, and there are five copies of the exhibit  
3   in the back of the room for the public as required  
4   by the regulations.

5           MS. FOSTER:  At this time I would move  
6   Exhibit 16 in for demonstrative purposes so the  
7   witness can discuss it.

8           CHAIRPERSON BAILEY:  Any objection?

9           MR. JANTZ:  None.

10          CHAIRPERSON BAILEY:  So permitted.

11          THE WITNESS:  If I can have a moment to go  
12   on my E-mail to pull it.  It's not on the zip drive  
13   that we have here.

14          Q.    How about we skip that and move to the  
15   other parts of your testimony and at the next break  
16   we can try to pull that up?

17          A.    I think that's appropriate.  I apologize  
18   for not having that on a hard drive ready to go.  I  
19   can talk about it but it might be useful for  
20   everyone else in the room to see it.

21          Q.    So were you present for Mr. Gantner and  
22   Ms. Mary Ellen Denomy's discussion of increased cost  
23   as related to Rule 17?

24          A.    Yes, I was.

25          Q.    Do you have any comment related to

1 Ms. Denomy's comment that only commodity pricing  
2 affects the levels of drilling in New Mexico?

3 A. I would disagree with that assertion.  
4 There's a number of factors that you look at when  
5 you decide whether to drill oil and gas wells.  
6 That's what I do for a living, and commodity prices  
7 is one of those items of concern. When you look at  
8 drilling wells and we're discussing risk, you  
9 actually discuss geologic risk on whether you are  
10 going to have the resource in place. You have an  
11 operational risk on drilling the well.

12 One of the items that really is the focus  
13 of the hearing here is we are talking about  
14 regulatory risk and/or regulatory certainty. When  
15 you go to drill oil and gas wells and you make  
16 decisions upon where you want to drill the wells,  
17 you look for as much certainty with regard to risk  
18 in every category that you can.

19 Specifically, dealing with regulations and  
20 the Pit Rule in particular, you want to have a  
21 regulation or rule that you understand, that is not  
22 subject to multiple interpretations and is not going  
23 to surprise you with several hundred thousand  
24 dollars added expenditure because it has a minor  
25 tear in a liner above the mud line or the water line

1 where the waste material is and then suddenly have  
2 to excavate the entire site and haul it off.

3 The existing rule leaves that open to  
4 subjective interpretation where that could occur.  
5 So I think when you want to decide whether you are  
6 going to drill in New Mexico to drill wells, you  
7 want to look to the regulatory environment and in  
8 particular to the Pit Rule and make sure that you  
9 have a framework that you understand, that the  
10 regulators understand, and that you can put into  
11 your economics and work from. And in my opinion,  
12 based upon the Pit Rule's implementation, it has  
13 raised cost and has deferred investments to more  
14 lucrative areas. Obviously, commodity pricing as  
15 she testified is one portion, but the regulation  
16 aspect is a significant one and why industry is here  
17 before the commission to recommend these changes.

18 Q. Do you think accountants should be  
19 involved in economic decisions pertaining to oil and  
20 gas wells?

21 A. I have two accountants at our company, and  
22 I don't think I have ever asked them where to drill  
23 a well or how to drill a well. I have asked them  
24 how to reduce my taxes and what the tax implications  
25 are, but I listened to Ms. Denomy's testimony, and

1 I'm not an accountant, but I can tell you that I  
2 rely upon geology, engineering and the professionals  
3 that work in that daily on the representations on  
4 where to drill. And I do visit with the regulatory  
5 folks, and the regulatory folks that I have talked  
6 to, the Pit Rule along with a number of other rules  
7 and regulations here in New Mexico are having a  
8 cumulative impact that defer and make people want to  
9 defer their investments. And that may be on a time  
10 basis until commodity prices improve or it may be  
11 permanently.

12 And the challenge as an independent oil  
13 and gas producer, and I am here testifying on behalf  
14 of IPANM, is we don't have regulatory departments.  
15 We don't have these additional staffs of people to  
16 just file reports and do things just because they  
17 are there. We want to be able to work under a  
18 framework and have an existing framework, I believe,  
19 here in New Mexico that when the oil and gas major  
20 companies decide to move their operations to outside  
21 the United States, that smaller Farmington-based  
22 companies, Southeast New Mexico-based companies can  
23 work with their smaller staffs and lower overhead in  
24 a manner to develop the oil and gas resources  
25 efficiently and productively so that the citizens of

1 New Mexico can benefit from the royalties that come  
2 from that. My fear is that these added regulations  
3 and added standards at every level are harming that.

4 Q. Did you listen to West Largo's  
5 presentation, public testimony concerning their  
6 costs and did you look at their AFE's?

7 A. Yes, West Largo Corporation, which is a  
8 Farmington small independent similar to our company,  
9 brought an exhibit forward and presented that they  
10 had drilled a shallow Fruitland coal well. It's  
11 important when you look at AFEs, and that's what I  
12 do for a living is prepare AFEs and analyze them, is  
13 that the portion that he presented was what's called  
14 a suspended portion of the AFE or basically the  
15 drilling portion of the AFE. It doesn't have the  
16 frac job in there, doesn't have the tubing, doesn't  
17 have the pump jack, doesn't have the separator on  
18 the material. He was looking drilling phase to  
19 drilling phase.

20 My prior testimony in the Pit Rule hearing  
21 in 2007 was that if I was going to drill a 900-foot  
22 well in-depth that I was anticipating an added cost  
23 of \$30,000. He is representing that he is drilling  
24 under a closed-loop situation a shallow Fruitland  
25 Coal well 2200 feet and he had approximately

1     \$100,000 increase in his drilling portion of his  
2     AFE.

3                   And that's what we are seeing. We are  
4     seeing those added costs for, in my opinion, very  
5     little additional protection. What that does is it  
6     actually wastes the resource. It causes small  
7     companies like West Largo, myself, other  
8     independents, not to drill. I don't think that's  
9     what we want to do if we want to move up the list of  
10    some of the exhibits where we presented where New  
11    Mexico ranks in oil and gas production.

12                  I think we can move up those ranks and  
13    still have protective regulations. But obviously,  
14    the Pit Rule is one that we feel strongly about as  
15    industry, and that's why we are here asking for  
16    these changes.

17           Q.     Now, moving on to the IPANM petition, can  
18    you point to your top six items that are important  
19    to IPANM and the changes to the Pit Rule?

20           A.     When I participated with the NMOGA work  
21    group, the key criteria that we were looking for in  
22    the new rule were a more permissive siting  
23    requirements. We believe that the recommendations  
24    that we put forward achieved those workable goals.  
25    We asked for some changes to the testing

1 requirements, specifically IPANM was asking for no  
2 testing where groundwater is greater than 100 feet.  
3 And in addition, we've got some concerns about  
4 closed-loop systems. We believe if we are utilizing  
5 closed-loop systems -- and we can get into a  
6 discussion on that -- but the cuttings are not going  
7 to reside on the well site being buried in any  
8 manner, deep trench or burial in place; that we  
9 should not have testing in those instances.

10           The other concern that we have, and it  
11 hasn't really been addressed except for Ms. Denomy's  
12 testimony, which was air drilling and cavitation.  
13 We deal with underbalanced drilling fluids in the  
14 state of New Mexico, specifically in Northwest New  
15 Mexico. And the regulation is silent in the NMOGA  
16 petition except for the word "cavitation." We want  
17 to ensure that the existing practices with regard to  
18 underbalanced drilling for air and cavitation  
19 purposes -- air, natural gas -- are appropriately  
20 handled in the rule.

21           So IPANM has some minor language that was  
22 added to ensure that existing practice is protected.  
23 And as many people may know, if you utilize an air  
24 or underbalanced drilling system you have less  
25 fluids. You have less things involved that might

1     lead to an instance of contamination.

2                 The next item of major concern was we  
3     wanted to ensure that there was no liner installed  
4     on top of the pit burials, especially for the  
5     burials in place. We were concerned that in Texas  
6     right across the border there is not the requirement  
7     for the liner on top of the pit. We think that the  
8     recommendation the industry has made to allow burial  
9     in place in Southeast New Mexico where groundwater  
10    is greater than 100 feet is a good, balanced  
11    recommendation that will allow operators to drill  
12    like they are drilling in Texas.

13                We had some concerns about the Oil  
14    Conservation Division's changes for reporting of wet  
15    or discolored soils without testing and meeting the  
16    requirements and its potential conflict with the  
17    Spill Rule. I'm not an entire expert on the Spill  
18    Rule, but we had those concerns so we wanted to make  
19    sure there was no conflict between the Pit Rule  
20    regulation that comes out and the Spill Rule.

21                Overall, we wanted to ensure that there  
22    was an ability by the regulators and the operators  
23    to have a common sense application of the rule that  
24    was based on the science and allows operators that  
25    certainty to develop their reserves. So those are

1 the main six points.

2 Q. Now, before we get into these specific  
3 concerns that you just outlined for the commission,  
4 let's look at some definition changes that are  
5 recommended by the IPANM in their application. I  
6 point the commission to the IPANM modifications of  
7 5/15/12.

8 A. As in May 15th of '12?

9 Q. Yes. IPANM's petition was based on the  
10 NMOGA petition and the specific IPANM changes are  
11 highlighted in yellow on the draft of May 15th.  
12 Those were E-mailed to all parties during the last  
13 hearing. So directing your attention to 19.15.17.7  
14 the definition section, C is the definition for  
15 closed-loop system.

16 A. Yes.

17 Q. Under the NMOGA petition if an operator  
18 uses a closed-loop system would he need to notify  
19 the OCD for use of the system?

20 A. Yes.

21 Q. And why would notification of use of a  
22 closed-loop system be relevant?

23 A. I think it's important for the regulator  
24 to know if you are going to utilize effectively  
25 really a burial in place or not on the location. I

1 don't think it's important for the regulator to know  
2 specifically what makes up your closed-loop system,  
3 how many tanks. The concern that I have, especially  
4 as a petroleum engineer, is we use the term  
5 closed-loop system in a cavalier manner and we need  
6 to be careful about the use of what I term solids  
7 control equipment versus where the burial of the  
8 cuttings occurs.

9           So with regard to the closed-loop system,  
10 I think that the important criteria is the regulator  
11 should know whether the cuttings are going to be  
12 buried on-site, not regulating whether there's four  
13 tanks or three tanks or if there's three desanders,  
14 two centrifuges, one desilter, those sorts of  
15 things. They should just know are the cuttings  
16 going to leave the site or not.

17       Q.     So, therefore, in the IPANM petition  
18 looking at Section 9, Permit Application,  
19 19.15.17.9, Permit, A, we make the recommendation  
20 along with NMOGA that an operator shall use the  
21 C-101, C-103 or applicable BLM form to notify the  
22 appropriate division office; is that correct?

23       A.     That is correct.

24           MS. GERHOLT: Excuse me, which page is  
25 that?

1 MS. FOSTER: Page 5 of the IPANM petition.

2 MS. GERHOLT: Thank you.

3 A. I'm sorry, I didn't hear the question.

4 Q. So we make the recommendation concerning  
5 the notification, but not of registration or  
6 permitting of closed-loop systems?

7 A. That's correct. It's a notification so  
8 the regulator will be notified not obtaining a  
9 permit or application, which again would experience  
10 delay, additional time.

11 Q. And IPANM specifically deletes the next  
12 line that the closed-loop system shall use  
13 appropriate engineering principles and practices.  
14 Would you explain why we made the recommendation to  
15 delete that language?

16 A. We are concerned about regulatory  
17 certainty, and we think leaving that sentence in the  
18 rule leaves open for a potential regulator at any  
19 level, whether that's the state level or the field  
20 level, to pursue, I guess, for lack of a better  
21 term, a personal concern on what types of  
22 closed-loop system materials that you have. So we  
23 would rather not -- IPANM's situation, we would  
24 rather not have that in there, because if the  
25 closed-loop system consists of a tank, we have

1 instances where closed-loop drilling occurs but we  
2 do not have desanders, desilters, centrifuges, all  
3 these items. We have steel tanks and we drill  
4 during daylight operations. We are concerned that  
5 the definition could come forward that closed-loop  
6 systems means you have to spend \$10,000 bringing in  
7 a desander, desilter, all this ancillary equipment  
8 in bins when your closed-loop system for your small  
9 shallow operational activity is the steel tank, that  
10 you are cleaning out the solids that settle to the  
11 bottom of the tank with a backhoe bucket and hauling  
12 it off. So we don't believe it's appropriate to  
13 have that in there.

14 Q. Are you talking about subjective  
15 enforcement by the regulators?

16 A. Yes.

17 Q. Pertaining to the solids control equipment  
18 that is used, would a larger company want to call  
19 something a closed-loop system differently than what  
20 a small company might use and define as a  
21 closed-loop system?

22 A. Yes. I believe I just said that, and I  
23 believe there's a lot of misinformation about what  
24 is a closed-loop system versus what I would term in  
25 an engineering standpoint solids control equipment.

1           Q.     And the definition of closed-loop system,  
2     IPANM is recommending an additional change,  
3     specifically the deletion of workover fluids to the  
4     definition. Can you explain why we ask for the  
5     deletion?

6           A.     I previously mentioned that workovers and  
7     the regulation of workovers were what I call an  
8     unintended consequence of the last Pit Rule. The  
9     focus, and I believe it's the proper focus for the  
10    commission and the regulation is what happens to  
11    solids, what happens to the drill cuttings.

12                When we start getting into regulating the  
13    workover activity we are basically having to file  
14    for every single workover operation, every pump  
15    change potentially where you might have to bring out  
16    tanks, we are having to file C 144 EZ forms or go to  
17    additional hurdles to basically perform a pump  
18    change. And it's just an added regulatory burden  
19    that I think is not only on the operators but it's  
20    also upon the Oil Conservation Division staff  
21    because the risk criteria we are looking at is the  
22    handling of solids.

23          Q.     Okay. Looking at your definition of  
24    temporary pit, which is Definition Q in the IPANM  
25    petition Page 3, IPANM added the language "and

1 solids," so the pit will hold liquids and solids and  
2 will be closed in less than one year from the spud  
3 date.

4 A. Correct. Under the definition for  
5 temporary pit the IPANM is recommending that we put  
6 the word "solids" because obviously the pit is not  
7 just going to hold liquids, it's going to hold the  
8 drill cuttings, and we want to make sure we are not  
9 caught in some technicality. We also make the  
10 recommendation that the pit will be closed -- when  
11 does the pit date start? We are recommending for  
12 ease of simplicity the use of the spud date so  
13 that's why we put that in.

14 Q. Now, I actually managed to download your  
15 exhibit onto your thumb drive. If you could insert  
16 the thumb drive, and it is Exhibit No. 16 so we can  
17 talk about some siting requirements. This is  
18 Exhibit 16?

19 A. Yes.

20 Q. Please walk the commission and the public  
21 through your exhibit there.

22 A. Exhibit 16 I prepared and the date is June  
23 11, 2012 so it was prior to us convening here, but  
24 it's been distributed. This was the material that I  
25 prepared in relation to the 25-foot to groundwater.

1           So looking at Slide No. 2, what I have  
2     done, all of Exhibit 16 is all of the material. It  
3     includes my main slide presentation, it includes the  
4     HELP model runs, the Multimed model runs. It's all  
5     in one package, just for description.

6           What we are looking at is the concern  
7     was -- I misspelled the word "chloride." We are  
8     concerned with low chloride drilling fluids which we  
9     defined in the regulation as less than 15,000  
10    milligrams per liter. We came up with that figure  
11    because operationally working with 2 percent calcium  
12    chloride or -- yeah, 2 percent calcium chloride was  
13    equivalent and we could work under that standard as  
14    a low chloride drilling fluid and it rolls into  
15    completions and those sorts of things.

16           But the concern was brought up about  
17    100-foot receptor distance or a well within 100 feet  
18    of the pit contents. So what I did is in this  
19    instance is I did use two different scenarios. I  
20    used Carlsbad New Mexico for Southeast, and then I  
21    included in this instance an Aztec, New Mexico run  
22    to give a relation. Because principally the low  
23    chloride siting requirement standards are in the  
24    Northwest, so I picked that standard.

25           I wanted to remind the commission that the

1 highest reading of chlorides from all of the testing  
2 that had been done by the industry and the Oil  
3 Conservation Division in Northwest New Mexico was  
4 5290 milligrams per kilogram in the Northwest. If  
5 we use the 20 to 1 delusion SPLP method, that would  
6 mean what would be a leachate coming out of the  
7 bottom of the temporary pit would be believed to be  
8 265 milligrams per liter, so that's what if we use  
9 the real world data, use the same analogy, you would  
10 use 265 coming out of the bottom of the pit.

11 The modeled leachate I used in this  
12 scenario is 1,000 milligrams per liter and that  
13 corresponds to some prior work that was done by the  
14 Oil Conservation Division both in Dulce, New Mexico  
15 at the shallower depths, but I used 1,000 milligrams  
16 per liter as the leachate.

17 The results indicate that the siting  
18 requirements that we have recommended as industry,  
19 the 100-foot in the low chloride drilling situations  
20 are protective of freshwater, human health and the  
21 environment.

22 Q. Before you move on, I think there was a  
23 mistake that you just stated. This is the modeling  
24 for the depth of 25-foot to groundwater.

25 A. Correct.

1           Q.     So your layer is not 100 feet as it was in  
2     the previous modeling runs, now it is 25 feet,  
3     correct?

4           A.     That's correct, and that's shown on Slide  
5     3.   When you look at the left-hand side of the graph  
6     there's four foot of surface cover, 12 and a half  
7     feet of drill cuttings and waste, and rather than  
8     having the 50 or 100-foot as the representation of  
9     the vadose zone depth you have 25 feet and the other  
10    parameters.   So this is the conceptual model that we  
11    are representing for two locations, one in Southeast  
12    New Mexico and one is Northwest New Mexico.

13                 Slide 4 is the summary of the results of  
14    the low chloride drilling fluid, and based upon the  
15    Carlsbad parameter, the infiltration rate was 1.53  
16    millimeters per year.   This gets into the discussion  
17    about Northwest New Mexico and the climatological  
18    data and it being quite a bit different or lower  
19    than the Southeast.

20                 Actually, my figures came in at .01  
21    millimeters per year, very on the low end of not  
22    only the historical data, but -- so I really  
23    couldn't make the contaminant move using the Aztec  
24    climatological data, so I had to assume that I'm  
25    using a higher infiltration rate.   I basically had

1 to utilize the 1.53 infiltration rate from Carlsbad  
2 in order to get some results to present to the  
3 commission.

4 If I use the Aztec data, it will move  
5 because the contaminant will move, but it's so slow  
6 and the concentration is so small that when I get to  
7 the 100 feet away I cannot detect it in the model.  
8 I mean, just my specific digits. And I am running  
9 run after run after run trying to find where it  
10 really arrives. And I think that's because, number  
11 one, under a low chloride drilling fluid situation,  
12 the contaminant source is so much less that the risk  
13 to the public and/or potential contaminant movement  
14 by the time it gets there, it's not detectable.

15 That's shown in the results that I have  
16 presented for under a Carlsbad scenario where it  
17 would take approximately 950 years to travel down 25  
18 feet and then move laterally 100 feet. And the  
19 maximum chloride would be reached at 1350 years and  
20 that concentration reading would be 2.3 milligrams  
21 per liter. So if the leachate that's coming out of  
22 the bottom of the pit is 1,000 milligrams per liter,  
23 by the time it comes down and moves 100 feet -- 25  
24 feet and moves laterally 100 feet, it would be  
25 detected at 2.3 milligrams per liter at 1350 years

1 through the vadose zone.

2 Again, this is not moving in saturated  
3 flow. This is vadose zone unsaturated flow. So the  
4 risk is the contaminant does move but it's at such a  
5 small level, I don't believe it's damaging to public  
6 health or the environment.

7 Q. Did you come to any conclusions based on  
8 your modeling?

9 A. I did. Some of these are the same. That  
10 four feet of soil cover, again, I believe as  
11 industry stated is protective in all instances.  
12 Again, no liner is necessary on top of the pit. And  
13 in locations where we have 25 foot to groundwater,  
14 for burial in place where low chloride drilling  
15 fluids are being used, that that's protective.

16 The 100-foot siting requirement which  
17 there's been some concern about, I believe it's  
18 protective in all instances but specifically where  
19 it was brought up for concern in the low chloride  
20 drilling fluid environment.

21 Q. Thank you, Mr. Mullins. Did you prepare  
22 Exhibit 16?

23 A. Yes, I did.

24 Q. Including the model runs included on Pages  
25 6 through 19 of that exhibit?

1           A.       Yes.

2                   MS. FOSTER:  At this time we move this  
3   exhibit into evidence, Exhibit 16.

4                   CHAIRPERSON BAILEY:  Any objection?

5                   MR. JANTZ:  No.

6                   MS. GERHOLT:  No objection.

7                   CHAIRPERSON BAILEY:  So admitted.

8                   (Note:  IPANM Exhibit 16 admitted.)

9           Q        (By Ms. Foster) Moving on and back to the  
10  IPANM petition, one of the changes that was  
11  recommended was on Page 2 under definition Section  
12  E, continuous flowing watercourse?

13           A.       Yes.

14           Q.       That recommendation was made and can you  
15  please explain how the changes recommended would  
16  help IPANM members?

17           A.       Well, there's been a great deal of concern  
18  where I discussed we wanted regulatory certainty.  
19  We believe that the definition that we have for  
20  continuously flowing watercourse and specifically  
21  the second portion where it says, "This does not  
22  include he ephemeral washes, arroyos and similar  
23  depressions that do not have water during the  
24  majority of the days of the year," that that gives  
25  the certainty to operators up in Northwest New

1 Mexico when we go out to site and make the initial  
2 investments, even to find a location to drill, that  
3 we are not going to come back at the time we file  
4 our application and the Oil Conservation Division is  
5 going to say, "Well, this is right next to the  
6 flowing watercourse," and you are arguing about  
7 whether it's a flowing watercourse or not, at what  
8 time of the year, and is this a real -- you know,  
9 what is a watercourse.

10 So we include the language continuously  
11 flowing watercourse, and we believe it's adequately  
12 addressed by referencing the USGS map giving the  
13 certainty both to the operator and the OCD on that  
14 definition.

15 Q. Now, in preparation for your testimony did  
16 you review the OCD recommendations on this issue,  
17 the significant and continuous watercourse issue?

18 A. Yes, I did.

19 Q. Are you aware the OCD is recommending that  
20 in the case of a temporary pit, the excavation of  
21 materials or on-site burial that we need to have  
22 siting distances for both significant and continuous  
23 watercourses?

24 A. Yes. That's the concern. We would like  
25 to not be subject to multiple interpretations. We

1 believe that the goal -- this is where you get into  
2 significant versus continuous and we believe that  
3 this gives us the regulatory certainty to work with  
4 up in Northwest New Mexico. I believe the modeling  
5 that's been performed is protective of even if we  
6 are within 100 feet of those watercourses. So we  
7 need that certainty. We don't want to get caught in  
8 a technicality.

9 Q. In fact, the OCD recommendation makes it  
10 even more difficult than even under the current Pit  
11 Rule by adding the requirement of significant and  
12 continuous watercourse, correct?

13 A. The word "significant" is a problem for  
14 the industry.

15 Q. And IPANM added a new definition for  
16 wetlands. How does that new definition impact  
17 operators? That would be T on Page 3 of the IPANM  
18 petition.

19 A. Page 3, the wetlands definition?

20 Q. Yes.

21 A. Specifically our concern and what we have  
22 in the wetlands definition is towards the end of it.  
23 It says, "This definition does not include  
24 constructed wetlands used for wastewater purposes."  
25 The concern that we have is that if we build -- if

1   there's retention ponds or anything that are kind of  
2   built out on the land, we suddenly have changed --  
3   we have moved in that we now have a wetland. So our  
4   concern is we are trying to define wetland, what a  
5   wetland is, and that's why the full definition  
6   written under T is the recommendation we have from  
7   IPANM.

8           Q.     And IPANM also added the suggested  
9   definition of groundwater in Subsection I. Do you  
10   see that?

11          A.     Yes. I on Page 2.

12          Q.     If you would read that definition, please.

13          A.     "Groundwater means interstitial" -- I'm  
14   not sure if that's spelled right -- "interstitial  
15   water that occurs in saturated earth material and is  
16   capable of entering a well in sufficient amounts to  
17   be used as a continuous water supply."

18          Q.     Would you explain that definition to the  
19   Oil Conservation Division? Is this the definition  
20   used by WQCC?

21          A.     I believe it is. Our concern is, and  
22   there's been different terms utilized for water  
23   resources, is it perched water? We are trying to  
24   say is this a usable amount of water. That's what  
25   our desire and goal is. We don't want -- if we have

1 an unusual rain event localized in an area in an  
2 arroyo up in Northwest New Mexico and we happen to  
3 go out that day for the inspection and have some  
4 water standing there, that we are suddenly subject  
5 to that being a groundwater resource, and that's the  
6 concern.

7 Q. Now, for the purposes of clarity, the WQCC  
8 definition does not use the word continuous; is that  
9 correct?

10 A. That's correct.

11 Q. So continuous is an IPANM recommendation  
12 to the WQCC definition; is that correct?

13 A. Yes.

14 Q. And that is for the purposes of clarity.  
15 Are you aware of any operators in the northwest who  
16 had issues with this groundwater definition as  
17 pertains to working with regulators up there?

18 A. I have been told about that but I can't  
19 remember specifically at this point.

20 Q. Since we are talking about siting, there's  
21 also a new definition of low chloride versus high  
22 chlorides in the proposal. Could you address why  
23 this distinction is included in the proposal?

24 A. This gets to the concept again of having a  
25 risk-based rule; that we believe when you are

1 utilizing the base fluid systems that are nearly  
2 freshwater, 10,000 TDS being that level, that when  
3 you are at 15,000 on the liquid state that the risk  
4 associated with that is very low. If you had one  
5 part freshwater at 50 milligrams per liter and you  
6 mix the two together, it's diluted to such a level  
7 that it's not going to be as much of a concern.

8           So what we have tried to do is have the  
9 regulation of Rule 17 focused in application of the  
10 rule where the concern is, at the higher chloride  
11 levels, the higher contaminant levels. So by  
12 setting the low chloride drilling fluid standards it  
13 gives everyone the comfort that we are working with  
14 safer fluids.

15       Q.     Let's move on to Section 19.15.17.13, the  
16 closure section, which would be Page 26 of the IPANM  
17 application. You mention that in the IPANM proposal  
18 operators will no longer need to test pit contents  
19 that have depths of greater than 100 foot to  
20 groundwater.

21       A.     Correct.

22       Q.     Can you explain how an operator will  
23 determine what the depth to groundwater is?

24       A.     Yes. We have a number of ways to do that.  
25 Consistently right now we are researching what the

1 depth is to groundwater. We can research the  
2 available databases from the State Engineer's  
3 Office. We can utilize actually nearby well  
4 locations. One of the most specific ways is to look  
5 at the well logs on existing oil and gas wells and  
6 you can get an idea from the well logs where the  
7 water formations would be.

8           You can have cathodic protection wells  
9 that are drilled in a particular area. You have the  
10 existing water wells in the water database that  
11 indicates the depths that the wells are drilled as  
12 well as the level that the water would rise within  
13 those water wells, and that gets into some of the  
14 discussion between confined and unconfined that was  
15 discussed earlier.

16           The point that the industry wants to make  
17 certain is that we are defining the depth to  
18 groundwater at the depth it is drilled into. If we  
19 drill a well and encounter groundwater at 260 feet,  
20 for instance, and there's a water well there but the  
21 level of water within the water well rises to 20  
22 feet from the surface, we don't want to be caught in  
23 the situation where the depth to groundwater is 20  
24 feet where in reality the depth to groundwater is  
25 250 feet. So that's where that language that we

1 attempted to put in by confine versus unconfined is  
2 directed. There may be a better way of saying that  
3 than we have said it.

4 Q. Based on your experience, how often will  
5 depths to groundwater in the San Juan Basin be  
6 greater than 100 feet?

7 A. Nearly -- other than within what was  
8 called the original vulnerable area and along the  
9 river areas in some canyon bottoms, it will be  
10 nearly everywhere.

11 Q. And if I look at the Office of the State  
12 Engineer, will I find depths to groundwater for  
13 wells?

14 A. Yes, you will.

15 Q. If I look at the water's database and look  
16 at the well log files, how would an operator  
17 interpret this information?

18 A. You could determine the depth to  
19 groundwater from that information.

20 Q. So if I look at the language in the  
21 proposal, the depth I need to be concerned about is  
22 unconfined groundwater greater than 100 feet from  
23 the bottom of the disposal pit or trench. What  
24 depth are we truly looking at?

25 A. We're talking about the depth that you

1 drill into the groundwater, so 100 foot below the  
2 depth of the pits. Technically, from the modeling  
3 that is presented, in that specific instance it  
4 would have four foot of surface cover, 12 1/2 feet  
5 of waste and then 100 feet below that point, but we  
6 are recommending that 100 feet is a sufficient  
7 criteria to use.

8 Q. Is there a concern about using perched  
9 water as a groundwater source?

10 A. Yes, that's the concern, that that's not a  
11 usable water resource. It's a temporary occurrence  
12 of water in that area.

13 Q. Now, you were present for Dr. Neeper's  
14 testimony and did you hear about his concerns about  
15 confined versus unconfined water and how the  
16 operator would determine those standards?

17 A. Yes.

18 Q. Do you have a comment on his testimony?

19 A. Yeah, I believe his concerns and the  
20 discussions about that are valid. It's hard to  
21 determine that, whether it's confined or unconfined.  
22 But I believe the statement -- what industry is  
23 trying to achieve is we are not talking about the  
24 level that water rises in the well, we are talking  
25 about the depth that you penetrate the formation

1 that contains the groundwater. So that's what we  
2 are trying to achieve.

3 CHAIRPERSON BAILEY: Ms. Foster, is this a  
4 good place to break for public comment and lunch?

5 MS. FOSTER: Yes, that would be fine.

6 CHAIRPERSON BAILEY: Why don't we excuse  
7 Mr. Mullins until after lunch. We will check to see  
8 if any people have signed up for public comment.  
9 No, we have no one. Well, let's just reconvene at  
10 1:00 o'clock.

11 (Note: The hearing stood in recess at  
12 11:46 to 1:00)

13 CHAIRPERSON BAILEY: We will go back on  
14 the record. On the pre-hearing statement of the New  
15 Mexico Citizens for Clean Air and Water, both  
16 Dr. Neeper and Dr. Bartlett were named for offering  
17 technical testimony and for cross-examining  
18 witnesses. Dr. Bartlett has been unable to  
19 participate up until this time. He would now like  
20 to participate with both his testimony and his  
21 cross-examination of witnesses at the appropriate  
22 time. I just want to have that in the open so  
23 nobody is surprised when Dr. Bartlett begins  
24 cross-examining witnesses.

25 There has also been a notice of intention

1 to present rebuttal testimony filed by New Mexico  
2 Oil and Gas Association for intention to recall  
3 Dr. Bruce Buchanan to present rebuttal testimony. I  
4 believe that we will have rebuttal testimony after  
5 everybody has had a chance to present their cases so  
6 they can rebut everybody at one time. Now we  
7 will -- yes, Ms. Foster?

8 MS. FOSTER: Yes, Madam Chairwoman. Since  
9 we were doing housekeeping matters here, during the  
10 last day of the testimony in May there was a  
11 question that was posed by Commissioner Bloom  
12 regarding operations by Chesapeake. I think it was  
13 after the public comment of Mr. Irving Boyd. I have  
14 contacted Chesapeake and they have provided me with  
15 a letter in response to the question about  
16 closed-loop operations and I have made copies and  
17 given them to counsel, and I would like to give them  
18 to you as a comment from Chesapeake Energy in  
19 response to the question posed by Commissioner  
20 Bloom.

21 MR. JANTZ: Madam Chair, a quick question.  
22 Is the commission going to consider this a written  
23 public comment?

24 CHAIRPERSON BAILEY: It is a response to  
25 the question by the commissioner so it will be

1 treated as a response to a question.

2 MR. SMITH: I don't think it could be  
3 treated or accepted as a public comment because it  
4 was submitted after the deadline that you set last  
5 for public comment. Not this public comment but  
6 written comments, I think.

7 MR. JANTZ: At the same time, Madam Chair,  
8 if it is a response to the question for Commissioner  
9 Bloom, it does seem like we should have the  
10 opportunity to test the voracity of the information  
11 therein, and we are unable to do so without a  
12 witness.

13 MR. SMITH: I think that's right.

14 CHAIRPERSON BAILEY: How is it accepted  
15 then?

16 MR. SMITH: I think you're going to have  
17 to get the witness in for that. Is it technical  
18 testimony?

19 MS. FOSTER: No, it's not. It's in  
20 response to whether Chesapeake uses closed-loop  
21 systems in all their operations nation-wide. It is  
22 basically a statement that they do not and how they  
23 come to the decision to use a closed-loop system.  
24 It's a question posed by Commissioner Bloom of a  
25 laywitness, a public commenter, and the question was

1 left out there as to Chesapeake's operations.

2 MR. SMITH: So it was a follow-up on a  
3 public comment?

4 MS. FOSTER: A follow-up to Commissioner  
5 Bloom's question, and I did speak to Commissioner  
6 Bloom off the record asking him how he would like to  
7 respond to the question and we agreed that just a  
8 simple letter would suffice to just answer the one  
9 issue as to Chesapeake operations.

10 COMMISSIONER BLOOM: I think you asked me  
11 if I would be interested in knowing that, and I said  
12 sure.

13 MR. SMITH: I think it's too late.

14 CHAIRPERSON BAILEY: We have to give it  
15 back. Sorry. We can resume with Mr. Mullins'  
16 testimony on direct.

17 MS. FOSTER: Thank you, Madam  
18 Commissioner.

19 Q (By Ms. Foster) Mr. Mullins, directing  
20 your attention to your second issue, which is the  
21 air drilling/cavitation question.

22 A. Yes.

23 Q. IPANM is making another minor change in  
24 the rule in Section 19.15.17.10.1A, which I direct  
25 your attention to a specific page, Page 9 of the

1 IPANM application.

2 A. Yes.

3 Q. After the words "coal bed methane well" we  
4 are adding the language "or for underbalanced  
5 drilling, workover or completion operations."

6 A. Correct. It's not reflected on the copy  
7 that I have but we will be adding that for the  
8 reasons that we talked about. We wanted to make  
9 sure that the existing practices with cavitation and  
10 the underbalanced drilling in completion operations  
11 were not impacted.

12 Q. Could you please explain to the  
13 commission -- underbalanced drilling has not been  
14 discussed. Air drilling has not really been  
15 discussed at this hearing. Why is this issue  
16 important?

17 CHAIRPERSON BAILEY: Could you first  
18 please tell us exactly where this language should go  
19 in this 10A1?

20 MS. FOSTER: Yes. 10A1A on the fourth  
21 line after the words "coal bed methane well" and  
22 before "and," please add the language "or for  
23 underbalanced drilling, workover, or completion  
24 operations."

25 CHAIRPERSON BAILEY: Thank you.

1 Q. (By Ms. Foster) Mr. Mullins?

2 A. Yes.

3 Q. Air drilling as opposed to regular  
4 drilling, discussing the type of systems used.

5 A. As I briefly said before, especially in  
6 Northwest New Mexico we drill many of our wells  
7 through a portion of the horizons with air or  
8 natural gas or nitrogen in some instances in an  
9 underbalanced situation. Of course, nitrogen is an  
10 in earth substance. Air is nearly all nitrogen, and  
11 if we are using natural gas as a drilling medium  
12 there's not liquids in that natural gas stream.  
13 That's a dry natural gas, so it would not have the  
14 liquids of concern for potential groundwater  
15 impacts.

16 So current operational practices that are  
17 in place in the San Juan Basin and throughout New  
18 Mexico utilize underbalanced drilling, workover and  
19 completion fluids of air, nitrogen or natural gas,  
20 and we want to make sure that the regulation allows  
21 for a pit that might handle those instances. So  
22 that's why we are recommending that change.

23 Q. Moving to your concern about no liners on  
24 top, in the 2007 hearing and in some exhibits  
25 there's been discussion regarding burrito,

1   enchilada, taco, whatever you want to call it. Can  
2   you explain what this means?

3           A.     Yes. The differences, under the current  
4   regulation under Rule 17, in Northwest New Mexico we  
5   do not have liners on top of the burial-in-place  
6   enclosures. In Southeast New Mexico under the  
7   current Rule 17 a liner is required on top of the  
8   trench or burial. That's the difference, I guess.  
9   The burrito or enchilada has the cover on the top.  
10   The taco does not. It only has the liner on the  
11   bottom.

12                  What we are recommending, and based upon  
13   the modeling and the historic practices, is that we  
14   take the taco method from Northwest New Mexico. I  
15   know they make like enchiladas and burritos in the  
16   southeast but to also allow for the use of the taco  
17   closure, which was in place under the prior rule,  
18   Rule 50.

19                  The caveat to that is we are only  
20   requesting that in areas where groundwater is  
21   greater than -- or groundwater resources are greater  
22   than 100 feet to allow for that to occur.

23           Q.     Did you hear Dr. Buchanan's testimony  
24   regarding the amount of soil necessary to cover  
25   vegetation?

1           A.     I heard Dr. Buchanan's testimony and I  
2 believe it's been consistent from the first Pit Rule  
3 hearing through this one that four feet of cover has  
4 been sufficient and that agrees with my modeling  
5 work.

6           Q.     Looking at page 24 of the IPANM petition,  
7 there's some changes recommended by IPANM to section  
8 19.15.17.12.D6?

9           A.     Yes.

10          Q.     And the changes that IPANM added were  
11 pertaining to the removal of the below-grade tanks?

12          A.     That's correct.

13          Q.     And the situation pertaining to wet and  
14 discolored soils.

15          A.     That's correct.

16          Q.     The added language that IPANM is putting  
17 in there is for testing and sampling of wet and  
18 discolored soils, correct?

19          A.     That's correct.

20          Q.     And do you agree with this change?

21          A.     Yes.

22          Q.     And why would you agree with it?

23          A.     We believe that you should test, be able  
24 to test the soil, so that's what we are recommending  
25 here at this point.

1 Q. Okay. But is there not a Spill Rule in  
2 New Mexico?

3 A. Yes, there is, but it's Rule 29 or 30. I  
4 don't recall which one offhand.

5 Q. And under the Spill Rule, are there not  
6 major and minor release quantifications in the rule?

7 A. Yes.

8 Q. And below which -- are you familiar with  
9 the minor spill release?

10 A. Yes, there's a five-barrel threshold, as I  
11 recall.

12 Q. Does an operator need to report if there's  
13 less than a five-barrel spill under the Spill Rule?

14 A. No.

15 Q. So this seems to be a little bit different  
16 from the Spill Rule in that you are looking at wet  
17 or discolored soils, correct?

18 A. Correct.

19 Q. And you need to report upon visual  
20 inspection of a wet or discolored soil?

21 A. I guess that's where we want to reduce the  
22 reporting. We want to make sure we are testing it  
23 but not necessarily having to report.

24 Q. Okay. Have you reviewed the OCD expert  
25 exhibits regarding reporting of wet or discolored

1 soils?

2 A. I have.

3 Q. And how would they be different from the  
4 IPANM recommendation as to this section?

5 A. I'm a little bit confused from their  
6 presentation. It appears that they are requiring  
7 reporting almost at -- maybe even an abatement plan  
8 just upon notice of discolored soil. So that's what  
9 the concern is.

10 Q. Well, let me clarify your language here.  
11 It's not notice of discolored soil, it's observation  
12 of discolored soil.

13 A. Correct.

14 Q. And no notice necessary?

15 A. That's my understanding.

16 Q. So one of the last concerns that you have  
17 is the common sense application supported by science  
18 and certainty that the IPANM petition wants to  
19 address?

20 A. Yes.

21 Q. Why is this important to you as an  
22 operator? Can you explain that statement?

23 A. Well, I believe that we need to --  
24 especially with regard to the Pit Rule there's been  
25 a lot of characterization both in the news media

1 about pits and we have utilized a general term.  
2 There are different types of pits utilized in the  
3 oil and gas industry. The regulations on those pits  
4 have evolved over time and improved. And the  
5 specific concern that we have with the Pit Rule for  
6 common sense application is to be able to drill oil  
7 and gas wells and to be able to bury your cuttings  
8 in place as they are doing in Texas and other areas  
9 where it is not going to be a concern to the public  
10 health or the environment.

11 So we don't believe that closed-loop  
12 systems are necessarily applicable everywhere. When  
13 I use that term closed-loop system, that means to  
14 remove the cuttings and haul them to another  
15 location. So I believe the operators and the  
16 on-the-ground conditions, the presence of  
17 groundwater, the distance of siting requirements,  
18 the things that we have in the rule, will allow for  
19 regulators and operators to have a common sense  
20 approach to the Pit Rule.

21 Q. Now, I would like to direct your attention  
22 to variances in the rule in general. How many  
23 places or how many different times can an operator  
24 ask for a variance under the NMOGA a proposal?

25 A. I believe an operator can ask for a

1 variance three different times: At the time of  
2 application can ask for a variance; they can also  
3 ask for a variance during the operational phase; and  
4 ask for a variance during the closure phase.

5 Q. Why is the option of having variances in  
6 this rule important?

7 A. It's important because it allows the  
8 district office in the proposal that we have before  
9 us the flexibility to manage the conditions with the  
10 operator on the ground.

11 Q. For example, there are set time frames in  
12 the variance provisions?

13 A. Yes. If you can direct me to which  
14 section, that might help.

15 Q. Okay.

16 A. That's Page 43.

17 Q. Correct. The variance section, which is  
18 19.15.17.15 talking about variances. So when an  
19 operator is asking for a variance, according to this  
20 proposal he needs to go through a couple of steps,  
21 correct?

22 A. Yes.

23 Q. And one of those steps is notifying the  
24 surface owner?

25 A. Yes. That's a burden that I don't know is

1 applicable because the Oil Conservation Division has  
2 the -- in my opinion has been given that authority  
3 to regulate the activity so the notice to the  
4 surface owner for every single variance which  
5 potentially could be three different variances, I  
6 don't know if that's necessary.

7 Q. Okay. And actually, for the commission,  
8 on Page 43 on Section A 1 -- sorry, B 3 of Section  
9 19.15.17.15, it is red-lined Sub A, Proof of  
10 Notification of Surface Owner for the Location of  
11 the Regularly Requested Variance. That is taken  
12 out. That is an IPANM change. That should have  
13 been highlighted in yellow.

14 And the operator must also, under  
15 Subsection C, give the OCD a statement in detail  
16 explaining why the applicant believes that the  
17 variance will provide reasonable protection of  
18 freshwater, public health and safety, livestock and  
19 the environment. Do you agree with that statement?

20 A. I don't agree with the safety and  
21 livestock portion. I don't know if that's within  
22 the statutory provisions for the Oil Conservation  
23 Division.

24 Q. And, in fact, throughout the entire rule  
25 IPANM deleted the word "livestock"; is that correct?

1           A.     I believe that's correct.

2           Q.     And how about in the fencing requirements?  
3     Did we delete wildlife or livestock protection?

4           A.     It may actually remain in that section.

5           Q.     So can you explain, as an operator in the  
6     Northwest, how asking for a variance would impact an  
7     application that you have concurrently with the BLM?

8           A.     Well, if the BLM is the surface owner, the  
9     way the order is written, to notify them could cause  
10    an additional conflict of jurisdictional powers  
11    between the BLM and the Oil Conservation Division.  
12    In my opinion as an operator, we like certainty. We  
13    like to report and do things properly, and I think  
14    by having the requirement of notifying the surface  
15    owner it could put us in a difficult position in  
16    trying to please two different parties and not sure  
17    where we are going to end up.

18          Q.     Well, doesn't the BLM have an MOU with the  
19    OCD where there's one regulatory body that decides  
20    on technical issues when it comes to permitting?

21          A.     I don't recall that off the top of my  
22    head, but likely so.

23          Q.     All right. So if the OCD is the  
24    regulatory body and yet you have to continually have  
25    to go back to the your surface owner, the BLM, with

1 additional changes, do you think that could cause a  
2 delay?

3 A. Yes. I believe there's still ongoing  
4 discussion, especially in the interim reclamation,  
5 that's ongoing even today about those issues. So we  
6 would like to have some certainty, so that's why we  
7 have removed that notification to the surface owner.

8 Q. Looking through the rule here on the  
9 closure section for the time frames, if an operator  
10 needs to have an extension on the time frame for  
11 closure, under this proposal is there an extension  
12 that could be granted?

13 A. Yes. As I recall, the IPANM proposal left  
14 the time-specific approval in place for the variance  
15 request, whereas I recall I think NMOGA was  
16 recommending just moving the time to the variance  
17 section.

18 Q. And why is it that IPANM would oppose  
19 moving that to a variance section?

20 A. Again, we would rather not wait 60 days on  
21 getting a variance request. We would like to know  
22 that's what the time period is and have that  
23 specified.

24 Q. Now, you heard me asking questions of  
25 Mr. Fanning regarding standards for operators?

1           A.     Yes.

2           Q.     And did you hear him say that there was a  
3 conversation with the Cattle Grower's Association?

4           A.     I believe NMOGA had some discussions with  
5 the Cattle Grower's, yes.

6           Q.     As a member of the IPANM Pit Rule group,  
7 were you part of those conversations?

8           A.     No.

9           Q.     Now, are you aware of any statutory  
10 authority that the legislature has given a body  
11 pertaining to livestock protection in New Mexico?

12                   MS. GERHOLT:  Objection.  Mr. Mullins is  
13 not an attorney.  I think that calls -- I actually  
14 withdraw my objection.

15                   CHAIRPERSON BAILEY:  You withdraw the  
16 objection?

17                   MS. GERHOLT:  I withdraw the objection.  I  
18 thought through the rest of it.

19                   CHAIRPERSON BAILEY:  Please proceed.

20           Q.     Are you familiar with the Livestock Board  
21 in New Mexico?

22           A.     Yes, I am.

23           Q.     And what would their statutory authority  
24 be, if you know?

25           A.     I don't know specifically but I know we

1 have regulations that deal with livestock.

2 Q. Looking at Page 47 of the IPANM petition,  
3 this is Section 19.15.17.16 pertaining to additional  
4 conditions that the division may impose, IPANM put  
5 in some additional language in there that the  
6 conditions must be for the reasonable protection of  
7 freshwater as designated by the State Engineer,  
8 public health, has deleted "safety or the  
9 environment" and added the language, "provided the  
10 conditions or requirements are based on provisions  
11 of the Oil and Gas Act or current OCD regulations."  
12 Do you see that?

13 A. Yes. I see it under Part C.

14 Q. Do you agree with this change?

15 A. Yes.

16 Q. Why?

17 A. Well, I believe that safety again was not  
18 in the statutory authority and we are demonstrating  
19 our compliance with the conditions on the ground.

20 MS. FOSTER: I do not recall if I moved  
21 Exhibit 16 into evidence. I think I did. If I have  
22 done that, then I would be ready to pass the  
23 witness. I pass the witness.

24 CHAIRPERSON BAILEY: Mr. Carr?

25 CROSS-EXAMINATION

1 BY MR. CARR

2 Q. Dr. Mullins, just a couple questions.

3 A. Not doctor. Engineer.

4 Q. Engineer Mullins, you presented two  
5 models. Did either of the models take into account  
6 the chemical composition of any of the individual  
7 constituents?

8 A. No.

9 Q. One more question. If I understood your  
10 testimony a few minutes ago, you were concerned or  
11 did not think that when you were seeking an  
12 exception of variance you could notify the surface  
13 owner. Is that what you said?

14 A. Yes. I was concerned that it could cause  
15 more difficulty and conflict, and rather than having  
16 the regulatory certainty we desire, could actually  
17 cause more problems.

18 Q. Your concern is with the BLM?

19 A. In the instance that I discussed, yes.

20 Q. This deletion would also mean that you  
21 wouldn't notify an individual rancher; is that  
22 correct?

23 A. In this instance, that's correct. Unless  
24 they have a different agreement under the Surface  
25 Owner's Protection Act, that's correct.

1 Q. All this is is a notification, a courtesy  
2 to them telling them that you are going to be seeing  
3 this change?

4 A. Yes.

5 Q. That's all I have.

6 CHAIRPERSON BAILEY: Mr. Jantz?

7 CROSS-EXAMINATION

8 BY MR. JANTZ

9 Q. Thank you, Madam Chair. Mr. Mullins, good  
10 afternoon. When you started your testimony you  
11 began by saying you reviewed the OCD records  
12 regarding contamination from pits; is that right?  
13 Did I hear that right?

14 A. Yes.

15 Q. In that database, do the records indicate  
16 what kind of pit specifically is responsible for the  
17 spill or the contamination?

18 A. Yes.

19 Q. So does it go into detail such as reserve  
20 pit, drill pit?

21 A. In a similar fashion. You can look at the  
22 records and it indicates whether it is an earthen  
23 production pit associated with dehydrators,  
24 separators or surface production equipment, if it is  
25 a pipeline drip, it is a pit, a number of other

1 possibilities, but the specific records do  
2 demonstrate what type of pit it is.

3 Q. Okay. And that sort of specificity,  
4 whether it's a reserve pit, drill pit, workover pit?

5 A. Yes, so that's why I can tell you that  
6 there are not any temporary lined reserve pits or  
7 unlined ones that dealt with the drilling operation.

8 Q. So let's talk about that for a minute.  
9 These are just the ones where there's evidence of  
10 some sort of contamination, whether it's soil,  
11 whatever; is that right?

12 A. Well, normally they were identified during  
13 the closure process, principally under the prior  
14 rule, so during the replacement or the installation  
15 of that vintage of below-grade tank, the remediation  
16 activities, that's when those reports were put  
17 together.

18 Q. But it doesn't necessarily mean that every  
19 instance out of the hundreds or thousands of wells  
20 or 100,000 wells in New Mexico -- that there may be  
21 contamination instances that haven't been caught?

22 A. I wouldn't necessarily say that. As I  
23 recall, there were over -- the BLM began, along with  
24 the Oil Conservation Division, began closure of the  
25 earthen production pits which many times there was

1 more than one on each location. There was one  
2 associated with the pipeline company and one  
3 associated with the oil and gas production company.  
4 In those instances, I think the original figure that  
5 I saw was close to 80,000 of those earthen pits that  
6 would have been closed under the regulations, so  
7 they would have been sampled and analyzed during  
8 that time.

9 So I think when you look at those  
10 particular 80,000 earthen production pits, finding  
11 421 of them with soil contamination is not unusual.

12 Q. Is there an OCD inspector at each one of  
13 those closures during each one of those closures?

14 A. I don't know.

15 Q. Let's talk a little bit about your  
16 modeling. I guess it's -- bear with me just a  
17 second if you would. So your Exhibit 6, Page 5 and  
18 6, talking about the input parameters.

19 A. Yes.

20 Q. Now, I'm assuming that for modeling  
21 purposes input parameters are fairly important; is  
22 that right?

23 A. That would be a fair statement.

24 Q. And the outputs often depend on the  
25 inputs?

1           A.     That's correct.

2           Q.     I imagine that that's probably the same --  
3     that those two statements are the same for modeling  
4     contamination transport into vadose zone?

5           A.     Yes.

6           Q.     And the mixing zone as well?

7           A.     If you are referencing the mixing zone in  
8     the aquifer that's a portion of this model, yes.

9           Q.     How did your assumptions, your inputs,  
10    differ from those modeled by OCD back in 2007 for  
11    the vadose zone and the mixing zone or were they  
12    identical? Did you use the identical data?

13          A.     Well, I tried to use the identical  
14    information in nearly every occurrence. The  
15    principal difference -- I'm trying to answer your  
16    question -- the vadose zone is different from the  
17    evaporative zone. So one of the principal  
18    differences was the 20 inches of evaporative zone at  
19    the top and I used 48 inches. So that's a  
20    difference but it's not in the vadose zone. I  
21    believe the vadose zone parameters were identical.

22          Q.     Are mixing zone parameters identical?

23          A.     The mixing zone depth of ten feet which I  
24    used in my modeling is the same as the ten-foot  
25    mixing zone depth that was used in the 2009 modeling

1 by the OCD.

2 Q. But not the 2007?

3 A. Correct. They used four inches at that  
4 time.

5 Q. How did you make a determination to use  
6 the ten-foot rather than the four-foot?

7 A. Four inches.

8 Q. Four inches?

9 A. Right. Well, there was some discussion at  
10 the 2007 hearing -- the HELP model will actually  
11 calculate what the mixing zone depth will be but the  
12 Oil Conservation Division fixed that at four inches.  
13 What that does is that leaves a higher contaminant  
14 level obviously in the four inches than if you mixed  
15 it in the top ten feet. That was pointed out at the  
16 2007 hearing, and I believe the Oil Conservation  
17 Division made the adjustment to ten feet.

18 If you look at what the true mixing zone  
19 depth could be, it's obviously a time. It could be  
20 the full 63 feet of the depth of the aquifer but I  
21 used ten feet. I thought that was a conservative  
22 number that the OCD had used.

23 Q. But you are really not qualified to make  
24 that determination, though, are you?

25 A. Well, I believe I can give a good

1 estimate. I mean, my opinion, I would like to use  
2 the 63 feet just given what I believe the gradient  
3 difference was in the contaminant. If you have  
4 100,000 milligrams per liter of leachate moving  
5 down, it's obviously of a higher density than the  
6 groundwater it's going to mix into. So I think  
7 gravity mixing, I think it would mix over the entire  
8 distance. That's where I commented that the  
9 four-inch interval that the OCD utilized might have  
10 been appropriate for the hydrocarbon analysis for a  
11 mixing zone, but I didn't think it was appropriate  
12 for a chloride analysis.

13 So ten feet, I think, is actually a very  
14 conservative number. Most models that work for  
15 groundwater will select a 10 to 15 to 20-foot  
16 probably maximum receptor. The reason they select  
17 those depths is normally the joints of casing,  
18 joints of PVC that are drilled on a water well,  
19 normally they are 20-foot joints. They are cut in  
20 slots and set a certain distance. So my analysis,  
21 looking at the Oil Conservation Division, is because  
22 of those joint dents and receptors, ten feet was a  
23 very reasonable number to use.

24 Q. But again, my question was, you don't  
25 really have the expertise to make the determination

1 whether ten feet or 63 feet is more important, do  
2 you?

3 A. I disagree. I could run the model. I did  
4 not run that particular instance and I believe it  
5 will calculate a depth of mixing.

6 Q. That's not what you testified to in 2007,  
7 is it? I mean, you conceded then that you didn't  
8 have formal training or expertise in groundwater  
9 zone or in mixing zone contaminant migration in  
10 groundwater.

11 A. I don't recall that.

12 Q. Let me refresh your recollection. If I  
13 may?

14 CHAIRPERSON BAILEY: Yes, you may.

15 Q. Read this.

16 MS. FOSTER: What page of the testimony,  
17 please?

18 MR. JANTZ: 3262 of the Pit Rule  
19 transcript in 2007. Would you read the question and  
20 answer, Mr. Mullins?

21 A. Yes. At this time that would have been  
22 correct.

23 Q. So you have been boning up since then?

24 A. Let me clarify this. In 2007 -- I had not  
25 run the HELP model and the Multimed models in 2007.

1 Since that point in time I have run all these models  
2 multiple times, so I now can answer that question  
3 yes.

4 Q. So you have boned up on it in the  
5 intervening four years? When before you testified  
6 you don't have any formal training or experience in  
7 mixing zone groundwater contaminant transport, now  
8 you do?

9 A. Yes.

10 Q. Based on the intervening four years and  
11 the model runs you conducted in preparation for this  
12 hearing?

13 A. That's correct. My testimony in 2007  
14 dealt with -- I believe I was pointing out that the  
15 mixing zone depth was set at four inches in the  
16 model and that I didn't believe four inches at that  
17 time was appropriate for the mixing depth. I think  
18 when you look at how that has changed to the 2009  
19 modeling that the Oil Conservation Division did,  
20 they recognized that deficiency.

21 Q. So let's talk about some of the inputs for  
22 your modeling this time around. You said that --  
23 please correct me if I am mischaracterizing your  
24 testimony. For the most part you used identical  
25 inputs as the OCD used in 2007/2009?

1           A.     As a general statement, that's correct.

2           Q.     But there were some differences. As I  
3 understand, one of them was infiltration rate?

4           A.     No.

5           Q.     No? Okay, what were the differences just  
6 to help me out here so we can get this clear for the  
7 record?

8           A.     The differences were in the precipitation,  
9 the locations, obviously, Hobbs, Maljamar, Carlsbad,  
10 Artesia. The precipitation datasets that were  
11 utilized by the Oil Conservation Division for Hobbs  
12 in particular is different from the precipitation  
13 dataset that I utilized. And I think I commented  
14 that on a daily basis the precipitation values that  
15 I used were twice -- had twice the occurrence. I  
16 could tell you the ones that were the same.

17          Q.     Well, is it a shorter list than the ones  
18 that are different or not?

19          A.     It's -- I mean, those are basically -- you  
20 know, the difference was in the precipitation, the  
21 solar portion and the evaporative zone depth.  
22 That's the primary one, the difference between 20  
23 inches and 48 inches.

24          Q.     So maybe explain to me what goes into the  
25 infiltration rate. Because isn't precipitation one

1 of the ingredients in determining the infiltration  
2 rate?

3 A. Correct. It's the original input that  
4 goes in, and obviously -- let's start with rain  
5 water, for instance. So it's raining. The rain  
6 hits the ground. Some of the water runs off the  
7 surface of the ground. That's the surface slope.  
8 The rest of it is starting to sink into the ground.  
9 Some of it is absorbed by the plant material that is  
10 present. Then it dries out. The sun comes up the  
11 next morning, sets at night. That water dries out  
12 or moves, and the information that I'm presenting is  
13 that the end result of the HELP model that includes  
14 all the items on Page 5 of this exhibit, the end  
15 result of that is the infiltration rate, which is  
16 the net water that moves below the pit.

17 Q. So let me see if I understand what you are  
18 saying then. Even though you did change some of the  
19 inputs into the HELP model which gives you your  
20 infiltration rate -- so you put all the inputs in  
21 the HELP model. The output of the HELP model is the  
22 infiltration rate?

23 A. Correct.

24 Q. Was the infiltration rate from the HELP  
25 model identical to the infiltration rate that the

1     OCD calculated back in 2007?

2           A.     It was on the cases that I utilized their  
3     exact input data. I was able to duplicate that.

4           Q.     So you did duplicate it?

5           A.     Yes.

6           Q.     But for the purposes of your testimony  
7     today and your new recommendations you did change  
8     the precipitation values against the solar radiation  
9     values, the evaporative rate values, so you did get  
10    a different output from the HELP model than Oil  
11    Conservation Division did?

12          A.     The main difference that caused the change  
13    is the difference in the evaporative zone depth from  
14    20 inches to 48 inches. The other general  
15    precipitation numbers were about the same. I mean,  
16    I think it was 16 inches of Hobbs precipitation and  
17    I have 18 inches in my model. The numbers were, you  
18    know, comparable. So I'm not sure of your question,  
19    if you could repeat it.

20          Q.     Yeah, so my question is maybe those  
21    inputs, those initial inputs in the HELP model may  
22    have been comparable except for the evaporation  
23    zone, but your output, which was the infiltration  
24    rate, was different from what OCD arrived at in  
25    2007/2009?

1           A.       Correct. The principal reason for that is  
2       the difference in the evaporative zone depth.

3           Q.       And the evaporative zone, is that  
4       different from mixing zone and vadose zone?

5           A.       That's correct.

6           Q.       What is the evaporative zone then?

7           A.       As I testified earlier, at the top part of  
8       the soil column in the particular HELP model, the  
9       representation was that the top six inches was a  
10      root zone where grass would grow. As Dr. Buchanan  
11      testified to, roots can extend and shrubs, I believe  
12      it was, up to six feet. The evaporative zone is the  
13      depth of the soil. It is always greater than the  
14      root zone of six inches, but it is that depth in the  
15      soil column where water can evaporate and basically  
16      move up. So the Oil Conservation Division utilized  
17      20 inches in their analysis and I utilized 48  
18      inches, which is the full cover of the soil  
19      material. And the reason I limited it to 48 inches  
20      rather than using a higher value is because that is  
21      the cover material. We are basically placing new  
22      cover material and depositing it on top of our pit  
23      location, then planting our vegetation on top of  
24      that. So that interval, obviously, has been more  
25      recently disturbed and so it is available for more

1 evaporation, has a little more porosity value in it  
2 because it hasn't been packed geologically over  
3 time.

4 Q. So is the thickness of the evaporation  
5 zone the only variable you changed?

6 A. No, that's the principal variable.  
7 Obviously, the --

8 Q. In terms of the evaporative zone. Because  
9 it sounds to me like porosity is another variable.

10 A. It's the same. Porosity was the same,  
11 soil texture was the same, wilting point was the  
12 same, hydraulic conductivity was the same. Every  
13 other valuable was the same.

14 Q. Same as the OCD?

15 A. That's correct. I tried not to get into  
16 the discussion of that.

17 Q. I appreciate that for sure. When you do  
18 your inputs, these are based on data from USGS in  
19 some cases? Let me see, weather service? Like the  
20 weather data, precipitation data, those are publicly  
21 available documents; is that right?

22 A. I obtained the data from the U.S. Climate  
23 Data Network, yes. It's publicly available  
24 information.

25 Q. Okay. There are instances, at least 400,

1 of pits that have contaminated soil. Some have  
2 contaminated groundwater. They may not be lined  
3 pits, as you see?

4 A. I'm not sure that's correct. I'm still  
5 not aware of a pit contaminating groundwater  
6 that's -- especially a temporary reserve pit.

7 Q. We will leave the testimony as it is with  
8 respect to that. However, why didn't you take the  
9 actual data from one of these existing pits and use  
10 those as the inputs for your model and see if you  
11 could replicate what happened on the ground?

12 A. Well, I think my modeling almost does  
13 that. If you look at the study that was performed  
14 by ConocoPhillips that Dr. Buchanan worked on and  
15 presented, he analyzed it. I believe it was a pit  
16 that had been an unlined earthen temporary reserve  
17 pit that had been in place for years. If you look  
18 at the -- it's an electrical conductivity profile of  
19 the soil. He has a background profile and then a  
20 profile of the soil, and I think that representation  
21 of that exact occurrence models well and fits well  
22 with what I have presented.

23 Q. But you did say that you almost did that.  
24 Why not actually do that? Why not actually take all  
25 of the variables from a situation where a pit has

1 led to soil contamination, perhaps groundwater  
2 contamination -- I know that's under dispute -- and  
3 essentially reverse-engineer that and see how that  
4 works with your model, see if you can get an  
5 accurate modeling based on that?

6 A. I believe you could approach that and do a  
7 site-specific model. Obviously, engineers like data  
8 and the more data you have, the more information and  
9 more accurate site-specific information you can  
10 place into the model. The purpose of the model that  
11 I have prepared and had presented, and I think the  
12 models that had been presented previously, give a  
13 very good representation of what would occur under  
14 those scenarios. Not an exact figure but a very  
15 good representation.

16 Q. Did you, in the course of modeling, did  
17 you take a look at the -- and maybe this is building  
18 on Mr. Carr's question. Did you take into account  
19 any of the unique transport characteristics of  
20 particular contaminants, for example NAPLs?

21 A. No, I didn't. I modeled chlorides. I did  
22 not model the salt portion specifically but you may  
23 recall that I did not -- in my modeling I did not  
24 allow for any decay, for any retention or  
25 dispersivity, so I only allowed the contaminant to

1 fully moved rather than to be retained.

2 Q. What were the liner installation  
3 assumptions that you used for your model?

4 A. I might have to refer to one of my  
5 exhibits in order to answer that question. First  
6 statement, I utilized the same liner criteria and  
7 parameters as has been used in both the 2007 and  
8 2009 presentations.

9 Q. Which ones were those because there were  
10 several? There were good installation scenarios and  
11 poor installation scenarios.

12 A. That is correct with regard to the liner  
13 quality.

14 Q. Yes.

15 A. I utilized what would be called the good,  
16 in relation to the prior hearings, the good liner  
17 installation, not the poor installation or the  
18 unlined situation which were the prior two. And the  
19 information that's associated with that on liner  
20 deficiencies that I modeled was a pinhole density of  
21 one hole per acre and installation defects of four  
22 holes per acre. So I modeled the same liner defect  
23 conditions as occurred in 2007, 2009 and 2012. They  
24 were all the same.

25 The Soil Texture No. 36 in the HELP model

1 was the liner material that I utilized with the same  
2 thickness of .02 inches.

3 Q. That was the same as in 2007, 2009?

4 A. Correct, and the same hydraulic  
5 conductivity.

6 Q. Let's talk a little bit about -- and I  
7 just -- hopefully this part will be brief. You  
8 talked about the increased costs of using  
9 closed-loop systems for the Pit Rule versus pre-Pit  
10 Rule, and if I recall your testimony correctly, you  
11 said that in some cases the Pit Rule will cause  
12 drillers to forego permanently a resource. You do  
13 drilling; is that right?

14 A. Yes.

15 Q. Have you ever permanently foregone a  
16 resource because of the Pit Rule?

17 A. As a matter of fact, yes.

18 Q. Do you have the documentation for that?

19 A. Well, I presented that documentation in  
20 the 2007 --

21 Q. Before the Pit Rule was actually enacted?

22 A. No. I presented that information at the  
23 2007 Pit Rule hearing about a shallow Fruitland Coal  
24 well program at a 900-foot development depth and  
25 what the added cost would be to that program. When

1 you look at the added cost in conjunction,  
2 obviously, with some of the commodity price  
3 activities, we have had to discontinue that program,  
4 weren't able to drill the wells and those leases  
5 expired and returned back to the federal government.

6 Q. But that doesn't mean somebody else  
7 couldn't lease those when the commodity price rises  
8 again and drill profitably?

9 A. That's possible, but in my instance I  
10 suffered that.

11 Q. But you understand the Pit Rule isn't  
12 meant to satisfy the interest of particular  
13 drillers; it's meant to make sure there's no waste  
14 and protect correlative rights overall?

15 A. I understand that. In my particular  
16 instance you could argue it wasted the development  
17 of that resource.

18 Q. For your company, not for the State of New  
19 Mexico?

20 A. In my particular situation, yes.

21 Q. Let's talk about confinement. We talked a  
22 little bit about the definition of confined  
23 aquifers. I was confused because I didn't quite  
24 understand your interpretation of the definition of  
25 confinement versus Mr. Arthur's definition of

1 confined aquifer, confined groundwater. My  
2 understanding, and I believe this is the  
3 understanding that Mr. Arthur had, was that the  
4 confined aquifer is an aquifer that has an  
5 impermeable layer above or below the groundwater; is  
6 that right?

7 A. In general, I believe most aquifers would  
8 have some sort of impermeable layer above -- at  
9 least above. They may not necessarily have one  
10 below, but I believe what I testified to earlier is  
11 that I recognize the concern that has been brought  
12 up, that industry's desire and the clarification,  
13 the purpose of why I believe the term confined was  
14 being used versus unconfined is we did not want to  
15 have the depth to groundwater be determined as the  
16 level that the water might rise to within a well.

17 Q. Couldn't you just say that in the  
18 definition of depth to groundwater?

19 A. That might be the solution that the  
20 commission works with on that, and I believe that  
21 would work well.

22 Q. So I guess in the course of your modeling  
23 you didn't take into account whether an aquifer is  
24 confined or not?

25 A. In my particular instance, whether it was

1 confined or unconfined, it was the aquifer at that  
2 depth. I would suspect that it has a ceiling strata  
3 above it.

4 Q. Just actually going back to the modeling  
5 for a minute, did you calculate any preferred  
6 pathway? Did you model any kind of preferred  
7 pathways, fractures, faults, root systems, anything  
8 like that?

9 A. No, I did not. I believe the HELP model  
10 in that top six-inch interval slightly speeds the  
11 movement of fluid down that first six inches.

12 Q. So going back, do you have in any of your  
13 exhibits any AFE? Is that what they are called?

14 A. Authority for expenditures?

15 Q. Yes, do you have any of those as an  
16 example of itemized costs of the Pit Rule?

17 A. I did not bring any of those in this  
18 hearing. I believe I presented that information in  
19 2007.

20 Q. Before the Pit Rule was actually --

21 A. At the 2007 Pit Rule hearing in relation  
22 to the 900-foot shallow Fruitland coal wells, what  
23 those costs and burdens would be.

24 Q. But you don't have any actual operational  
25 AFEs here?

1 A. That's correct.

2 Q. In the waste concentration or contaminant  
3 concentration Tables 1 and 2 --

4 A. Of the rule?

5 Q. Of the proposed rule, yes. Let me find  
6 the page.

7 A. Page 41 of the IPANM version.

8 Q. Were you one of the people that worked on  
9 this for IPANM?

10 A. Yes.

11 Q. Can you tell me what the rationale is that  
12 IPANM used to arrive at these numbers? For example,  
13 in terms of the Benzene it's 50 times higher than  
14 the current levels for Benzene concentration in the  
15 Pit Rule. How did IPANM arrive at that number?

16 A. Well, we worked with NMOGA and their  
17 positions on those figures. Obviously, that's why  
18 we have two different organizations, because some of  
19 the organizations may want to request higher  
20 thresholds than others. I indicated that I was  
21 comfortable having a higher Benzene threshold. For  
22 instance, we had quite a bit of discussion about  
23 what was workable and we ended up with these  
24 numbers.

25 Q. What do you mean by workable?

1           A.     Well, with regard to specifically  
2     chloride, for instance, which has probably been --  
3     you can pick one of them. That's been one of the  
4     larger items of concern. Chloride itself is not a  
5     contaminant. We looked at -- it really comes in two  
6     parts. I guess I want to take a step back.

7           Q.     Okay.

8           A.     In 2007 the modeling testimony of Daniel B  
9     Stephens, he reverse-engineered the figure. So he  
10    came up with the vadose zone depth of 50 feet.  
11    Remember the 2007 hearing was the 50-foot focus.  
12    And so he said what concentration will not exceed  
13    groundwater quality standards right underneath the  
14    pit, not laterally but underneath the pit, at a  
15    three to one mixing ratio. And he  
16    reverse-engineered that with the VDSAT model and  
17    came up with a figure of 4960.

18                 The Oil Conservation Division was also  
19    recommending initially in the 2007 Pit Rule hearing  
20    the 5,000 milligrams per liter SPLP threshold. So  
21    we took those numbers obviously into consideration  
22    in addition to modeling work that I had done and  
23    looking at the chloride levels and that's how we set  
24    that threshold.

25                 Now, in the less depth -- for instance,

1 Table 1 as lower the standard, make it the closer  
2 you are to groundwater, instead of 5,000 milligrams  
3 per liter he said well, half that number, 2500  
4 milligrams per liter would be acceptable in that  
5 instance. And that level, 2500 milligrams per  
6 liter, is sufficient in Northwest New Mexico. I  
7 mean, by probably an order of magnitude you're not  
8 going to encounter that. Where it comes into play  
9 is in Southeast New Mexico. So we worked with those  
10 levels to come up with what's protective.

11 So in my modeling, which I can talk about  
12 specifically, I modeled the threshold at 5,000  
13 milligrams per liter SPLP which relates to 100,000  
14 milligrams per liter of leachate coming out of the  
15 bottom of the pit which at a three to one mixing  
16 ratio would relate to 400,000 milligrams per  
17 kilogram in the raw drill cut. So that's -- we  
18 looked at that based upon the sampling and the  
19 protection and worked it backwards, worked it  
20 forwards to ensure that that standard was protected.  
21 So that's how we arrived at the number.

22 Q. So if I understand you correctly  
23 basically, say, the 5,000 for chloride was based on  
24 the initial proposals by industry and OCD back in  
25 2007?

1           A.     We tried not to deviate significantly or  
2     really in any manner from what had been presented  
3     previously and had been supported by the evidence  
4     and the testimony. So the 5,000 milligrams per  
5     liter was supported in 2007 by both the OCD and  
6     industry. It was 4960, basically 5,000.

7           Q.     Close enough.

8           A.     So it was jointly supported I believe  
9     until about the last day of the hearing. I'm not  
10    sure how it changed.

11          Q.     But the commission didn't support it, did  
12    it?

13          A.     The commission did not write the rule with  
14    that level in place but that's what the modeling and  
15    the testimony that was presented -- you can look at  
16    the conclusion slides of both parties and I believe  
17    it states that.

18          Q.     Was this process, looking back at the  
19    proposals from 2007, is that how you arrived at each  
20    of the other contamination limits? For example, the  
21    TPH, total TPH 100 milligrams per kilogram for soil  
22    that's 50 feet or less?

23          A.     As I recall, there were discussions with,  
24    in particular, Bruce Gantner who was on the team,  
25    and those thresholds were workable and protective.

1 So that's -- I obviously was arguing for some higher  
2 thresholds but I didn't get my way.

3 Q. Sometimes that happens. But I guess my  
4 question was: Were the remainder of these  
5 contaminant concentrations, TPH, BTEX, Benzene, were  
6 those based on the recommendations from the NMOGA  
7 industry committee and IPANM back in 2007?

8 A. Just off the top of my head, I don't  
9 recall on those ones in particular. I know they are  
10 definitely similar.

11 Q. Similar.

12 A. I would have to pull out, you know, the  
13 numbers to look. Particularly in Benzene. I would  
14 definitely push for a much higher standard and I  
15 don't get my way.

16 Q. How much higher would you go?

17 A. I think I was recommending -- well, let me  
18 be careful. I would defer to Dr. Thomas' testimony,  
19 but with regard to contaminant movement I do not  
20 anticipate the movement of hydrocarbons as readily  
21 in the scenario that we are modeling, specifically  
22 because there's wettability of the soils as you move  
23 oil or hydrocarbons phase through water-saturated  
24 rock. It's either oil wet or water wet and the  
25 retention of those hydrocarbon constituents can be

1 substantial. I mean, that's why when we remediate  
2 oil contaminated soil we tend to roll other clean  
3 soils in with that to mix it up.

4 Q. But you didn't end up modeling Benzene or  
5 BTEX?

6 A. No, I did not because I don't think they  
7 would move. Their mobility and migration in this  
8 instance would be dramatically lower.

9 Q. Have you ever done any modeling on any  
10 hydrocarbons, either DNAPL or LNAPL?

11 A. I have not. I have done a significant  
12 amount of reading about that. You know, obviously,  
13 there's some contamination cases here in New Mexico  
14 at the Air Force Base in Albuquerque. But again, we  
15 are looking at a different model of movement of some  
16 of those things than movement through the vadose  
17 zone.

18 Q. So you didn't really --

19 A. And if you look at the volatilization and  
20 degradation of hydrocarbons, most of them were  
21 volatilized. They break down and evaporate to the  
22 atmosphere, which when you place a liner, especially  
23 in New Mexico's climate, when you place a liner on  
24 top of the pit contents it prevents that  
25 volatilization and removal of the constituents.

1           Q.     Now, did you take into account when you  
2     were making recommendations to the Independent  
3     Producers working group and the working group that  
4     joined with NMOGA and the IPANM working group, did  
5     you take that volatilization into account?

6           A.     I can tell you I asked about it and I  
7     believe the numbers we have are protective of human  
8     health and the environment. I believe much higher  
9     figures would be protective.

10          Q.     But you didn't personally do any  
11     calculation about volatilization, how much is lost  
12     to volatilization?

13          A.     I'm trying to remember the -- it's called  
14     the residence time of Benzene and it's very low.  
15     It's in the hour range. I can't remember if it's  
16     more than -- these evaporate is what I am saying.  
17     Benzene in particular, unless it's confined.

18          Q.     Did you have any input into the setbacks,  
19     the setback provisions for this rule?

20          A.     Yes.

21          Q.     And I'm talking about setbacks from both  
22     surface waters and residences in addition to those  
23     from groundwater. Did you have any input on either  
24     or all of those setbacks?

25          A.     Yes.

1           Q.     In terms of the setbacks from surface  
2 water, did you take into -- what factors did you  
3 take into account when you determined setbacks from  
4 surface water?

5           A.     I believe the main focus -- again, I'm an  
6 operator in Northwest New Mexico and our focus --  
7 because we also added the low chloride fluid  
8 definition in conjunction with the siting  
9 requirement reduction, especially for localized  
10 drilling fluids, we took into account the risk of  
11 that contaminant. And in relation to surface bodies  
12 of water there aren't that many bodies of water up  
13 in Northwest New Mexico but that was our concern  
14 about the definition, what an arroyo, ephemeral  
15 stream, all sorts of things in there. That's why we  
16 wanted that clarification in certainty there  
17 combined with the siting requirements because they  
18 kind of go hand in hand. It would be a workable --  
19 more workable solution for industry to allow us to  
20 balance being able to drill on existing well pads.  
21 That was one of the biggest concerns we had is we  
22 had infrastructure in place on the ground where we  
23 weren't able to access and drill.

24           Q.     So one of the considerations that you  
25 looked at when fashioning the proposed amendments to

1 the Pit Rule was what infrastructure was already in  
2 place? Is that what you were just saying?

3 A. No, I had we had discussions about the  
4 impacts obviously of the existing Pit Rule and the  
5 challenges of working with that. And one of the  
6 items that came up continually, especially in the  
7 northwest, was the siting requirements. So we  
8 looked at -- and I tried to look at specifically in  
9 my modeling the most restrictive siting requirement  
10 case, which was 100 feet. And looking at that and  
11 the time frames involved, is it leads me to believe  
12 why we should have the rule in the first place, but  
13 maybe we should go back to Rule 50. It leads you to  
14 that discussion because Rule 50 had protections in  
15 place for vulnerable areas and areas around rivers  
16 and streams and that sort of thing.

17 Q. So did you look at any studies or data  
18 from New Mexico or any other state about situations  
19 where surface water may have been contaminated by a  
20 pit from flooding? I mean, I guess North Dakota  
21 might be a good example.

22 A. I did not.

23 Q. Did that come up in the discussions?

24 A. I don't believe it came up in discussions.  
25 I'm aware obviously of the instances where pits have

1    overflowed but that's been -- that's a spill.  
2    That's not what we are talking about when we are  
3    modeling the long-term fate transport of  
4    contaminants that are buried in the oil and gas  
5    reserve pit. That's a very, very unfortunate  
6    incident of operation activity, and I'm sure in  
7    those instances they remediated that to the best of  
8    their ability.

9        Q.     So actually I want to go back to your  
10    model again. Would your model encompass a situation  
11    of in a multi-well fluid management, these enormous  
12    pits could be greater than ten acre feet? There's  
13    been testimony they could be as much as 40 or  
14    50-acre feet of fluids. Did your modeling take into  
15    account those situations?

16        A.     No, it does not, because that will be  
17    modeling storing liquid in a multi-well fluid  
18    management pit. What I am modeling is the burying  
19    of the drilling fluids in a temporary drilling.  
20    They are different animals.

21        Q.     I want to get one more point for  
22    clarification and then I think I will be done. In  
23    your discussion about notification to the surface  
24    owners for variances, you said it wouldn't be -- you  
25    talked about conflicting jurisdictions between BLM,

1 I guess, and New Mexico. But isn't that a legal  
2 conclusion?

3 A. I've just encountered in my experience  
4 that when I am required to notify another party it  
5 tends to go beyond their notification and suddenly  
6 involves their involvement in the matter. I, as an  
7 operator, and I believe as an industry, we want to  
8 do what's right and we want to report to the  
9 governing authority, and I think in instances where  
10 that notification is mandated it could cause  
11 additional delay and difficulty in either  
12 remediating a situation, because I am now -- if the  
13 surface owner comes in and says well, do this, and  
14 the regulatory body is saying do this, I am in a  
15 no-win situation. I can argue well, I just notified  
16 the surface owner and the surface owner might say,  
17 "Well, I'm just going to notify my attorney."

18 Where does that leave me in the situation?  
19 I'm trying to comply and do what's -- follow the  
20 regulation and do what's appropriate. And that's  
21 what I want to do, and I think this opens up that  
22 box.

23 Q. So from the industry perspective,  
24 notification to the surface owner isn't necessary or  
25 desirable?

1           A.     I believe the Oil Conservation Division  
2     has the authority to regulate the operator.

3           Q.     But do you think you could see where it  
4     may be necessary and desirable from the view of the  
5     surface owner?

6           A.     I could see where certain surface owner  
7     agreements may have those provisions and I think  
8     they would be involved in those situations.

9                   MR. JANTZ: I think that's all I have.  
10    Thank you.

11                   CHAIRPERSON BAILEY: Ms. Gerholt? Wait.  
12    Let's take a ten-minute break.

13                   (Note: The hearing stood in recess at  
14    2:17 to 2:30.)

15                   CHAIRPERSON BAILEY: Mr. Jantz has  
16    concluded his cross-examination. We are ready for  
17    Ms. Gerholt to begin her cross-examination of  
18    Mr. Mullins.

19                               CROSS-EXAMINATION

20           BY MS. GERHOLT

21           Q.     Mr. Mullins, as you see, the OCD exhibit  
22    book is before you. If I could have you turn to  
23    Exhibit 2 within the Oil Conservation Division  
24    notebook. If I could also request of you to have  
25    IPANM's May 15th modifications before you to have

1 comparison.

2 A. I have them both.

3 Q. Directing your attention to Page 4 of the  
4 OCD's proposed modifications, and specifically  
5 19.15.17.9, Notification Required. If you will read  
6 the small print in that box.

7 A. In the comment box?

8 Q. In the comment box?

9 A. Yes. "An operator shall use a C-101,  
10 C-103 or applicable BLM form to notify the  
11 appropriate division district office of construction  
12 or use of a closed-loop system." Part B -- that was  
13 Part A section. Part B is "A closed-loop system  
14 shall use appropriate engineering principles and  
15 practices and follow applicable manufacturer's  
16 requirements or the equivalent thereto."

17 Q. Mr. Mullins, does this agree with IPANM's  
18 suggestion notification requirement for closed-loop  
19 systems?

20 A. I don't believe it does fully. I think  
21 the portion that deals with the closed-loop system  
22 shall use appropriate engineering principles and  
23 practices, the B section, I think we were asking  
24 that be removed. I believe NMOGA had that in  
25 theirs.

1 Q. Okay. But the Division and IPANM are in  
2 agreement that closed-loop systems should be -- you  
3 are using one to notify, using the permit or  
4 register?

5 A. Correct. Section A, I believe IPANM  
6 agrees with and Section B is where we had the  
7 concern.

8 Q. Then if I could draw your attention to  
9 IPANM's filing, Page 1, definition of a closed-loop  
10 system. I just have a clarification question. On  
11 direct it was unclear to me. Is IPANM requesting  
12 that "or workover fluid" be deleted from the  
13 definition or are they requesting that "or workover  
14 fluid" remain in the definition?

15 A. I guess that has two pieces to it. To a  
16 certain degree, it needs to be in the rule, and to a  
17 certain degree the workover operation or the pump  
18 changes or the various day-to-day maintenance type  
19 activities, you may have some workover fluids in use  
20 with them, but concurrently we are having to file C  
21 144 EZ forms.

22 Q. If I could stop you right there. Isn't it  
23 that you have to file a C 144 EZ because currently  
24 closed-loop systems are permitted?

25 A. My understanding in my practice is with

1 the office up in Aztec and when we are utilizing  
2 tanks out on the -- which every time we put a rig on  
3 a well we have a rig pit, a small -- it varies in  
4 volume, a rectangular square tank. And the concern  
5 is that it's a tank. It's out on location. It has  
6 fluids that are going to be put in it. Do you want  
7 to get in trouble with the Oil Conservation Division  
8 or do you need to file a C 144 EZ form saying, "I'm  
9 out here doing this workover operation because I  
10 have a tank out here. All I'm putting in it most  
11 likely is produced water that's coming from the  
12 well."

13 The well may be flowing back and I am  
14 working within that tank rather than the well. Then  
15 when I am done with the well I haul the fluids off  
16 like I normally do and dispose of them. But if an  
17 OCD inspector should show up on my well location and  
18 I don't have a C 144 EZ form, my understanding is I  
19 am not in compliance with the current Pit Rule.

20 Q. Okay. But the current Pit Rule does  
21 require closed-loop systems to be permitted?

22 A. Right. Under that definition. That's  
23 where I have the concern about closed-loop systems  
24 being solids control equipment, dealing with the  
25 solids and where the solids end up, whether they end

1 up on that location or are they hauled off to some  
2 other facility. And under the current Pit Rule, we  
3 are burdening the -- my understanding of the rule, I  
4 am filing a C 144 Form EZ when I move from pump  
5 change to pump change to pump change to pump change.  
6 I am moving every single day. Sometimes I move from  
7 more than one well in a day with the same operation.

8 And that's what I mean that that was an  
9 unintended consequence of the prior Pit Rule where  
10 everything is being handled as it normally has.  
11 There's not any debris, solids or liquids being left  
12 on the well location. But if I don't file the C 144  
13 EZ form I am not in compliance and I want to be in  
14 compliance.

15 MS. FOSTER: This is extremely awkward.  
16 He has his back to the commission and he is twisted  
17 around in the witness seat. Could I ask Ms. Gerholt  
18 if she has more questions to get in front of the  
19 question so the witness can speak to both the  
20 commission and the attorney at the same time?

21 MS. GERHOLT: I can move.

22 Q (By Ms. Gerholt) Mr. Mullins, I heard you  
23 testify today that it's important to have clarity in  
24 the rule so the regulated body and the regulator  
25 both understand what's required of them; is that

1 correct?

2 A. Yes.

3 Q. And would you agree with me that having  
4 clear and concise definitions is important for that?

5 A. Yes.

6 Q. And if I could draw your attention to Page  
7 3 of OCD's Exhibit 2.

8 A. Yes.

9 Q. The definition for significant  
10 watercourse. Again, the small box to the right.

11 A. Is that Comment Box A5?

12 Q. Yes, sir, it is. After you have had a  
13 moment to read that to yourself, would you say that  
14 that is a clear definition?

15 A. I don't know what a watercourse is and I  
16 guess that's why --

17 Q. If I could then draw your attention to  
18 IPANM's exhibit, Page 3 and looking at IPANM's  
19 definition for significant watercourse, isn't it  
20 correct that IPANM also uses watercourse in the  
21 definition?

22 A. Yes.

23 Q. So if that needs to be clarified it would  
24 need to be clarified in all of the proposed  
25 modifications?

1 A. I would say so, yes.

2 Q. If I could then request you turn to Page  
3 43 of the Oil Conservation Division's proposed  
4 modification and then also to Page 43 of IPANM's  
5 proposed modifications.

6 A. Yes, I have them both out.

7 Q. There are similarities between the two  
8 proposed modifications, correct?

9 A. Yes.

10 Q. And you would agree that an exception is  
11 an exception granted by the Environmental Bureau in  
12 Santa Fe to depart from permanent pit requirements;  
13 is that correct?

14 A. Yes. I believe at least on the permanent  
15 pits every one is on the same page as that being the  
16 same thing.

17 Q. And then a variance would be authorization  
18 from the district office for anything other than a  
19 permanent pit; is that correct?

20 A. Yes, I believe that's the desire is to  
21 have the local offices be able to grant variances.

22 Q. My first question to you is in regards to  
23 IPANM's suggested language of reasonable, so  
24 specifically Paragraph B as in boy, 2.

25 A. Yes.

1 Q. Reasonable protection.

2 A. Instead of equal or better.

3 Q. What is reasonable?

4 A. I think that reasonable would have to be  
5 looked at on the site-specific basis for that  
6 particular variance. The question becomes -- I  
7 think the concern we had is equal or better. There  
8 may be an instance I could foresee where you could  
9 not achieve equal or better protection but you could  
10 achieve some reasonable level of protection, so I  
11 think that was the reason for that.

12 Q. I realize this is putting you on the spot.

13 A. I'm not an attorney.

14 Q. No, I understand.

15 A. I know we are on that cusp there.

16 Q. I understand that. I know I am putting  
17 you on the spot. Do you have a specific example you  
18 can think of?

19 A. If I think about it for a longer than  
20 anyone wants to sit here, I could probably come up  
21 with one.

22 Q. Fair enough. Now drawing your attention  
23 back to OCD's Exhibit B as in Boy, 3A, the notice  
24 requirement to the surface owner.

25 A. Yes.

1 Q. Paragraph 3 states that "If the division  
2 district office denies the requested variance or  
3 fails to grant the requested variance, an operator  
4 may file an application for hearing." Is that  
5 correct?

6 A. Yes.

7 Q. So notice to the surface owner of a  
8 variance would only go out if either the division  
9 has denied the request or has failed to act; is that  
10 correct?

11 A. It appears to be that if they have denied  
12 the request, yes.

13 Q. I have no further questions for you,  
14 Mr. Mullins.

15 CHAIRPERSON BAILEY: Mr. Dangler? Do you  
16 have questions for the witness?

17 MR. DANGLER: Yes, Madam Chair.

18 CROSS-EXAMINATION

19 BY MR. DANGLER

20 Q. Mr. Mullins.

21 A. Good afternoon. We are in the afternoon  
22 already.

23 Q. Yes, we are. Let me ask the Chair a  
24 question, too.

25 MR. DANGLER: There is a rebuttal exhibit

1 and I heard you say we were going to handle rebuttal  
2 all at once. Would that include Mr. Mullins  
3 discussing the rebuttal exhibit or should I ask  
4 those questions now?

5 CHAIRPERSON BAILEY: He is presenting  
6 direct testimony which rebuts previous testimony.  
7 As part of his direct testimony, that's fine.

8 MR. DANGLER: I didn't want to jump ahead  
9 of the horse.

10 Q. Let's start with that then, if you  
11 wouldn't mind, which is Exhibit 16. I would like to  
12 talk to you a little bit about Page 3.

13 A. Okay. If you will give me just a minute I  
14 will get that exhibit up.

15 Q. I'm not sure how the order goes but it  
16 appears to be in the back of my packet. Rig count  
17 monthly averages?

18 MS. FOSTER: Madam Chair, this is not this  
19 witness' exhibit. This is Mr. Scott's Exhibit.  
20 Mr. Mullins' Exhibit is 16.

21 MR. DANGLER: Thank you for that  
22 clarification.

23 Q. I heard you say something that I thought  
24 was pretty interesting and I want to make sure that  
25 I understood what you were saying. We are talking

1 now about your model. I thought what I heard you  
2 say when you talked about the dailies was that in  
3 previous modeling they had taken all the high  
4 numbers and that you had tried to take a more  
5 average kind of number. Was I hearing correctly?

6 A. No, I don't think you heard me correctly.  
7 I think I have a slide, Slide 7, where I tried to  
8 discuss what we are dealing with here are the input  
9 parameters to the HELP model and specifically the  
10 climatological datasets that were utilized by the  
11 Oil Conservation Division and then the ones that I  
12 utilized. So that's where we are focusing on.

13 The Oil Conservation Division used actual  
14 data for Hobbs, New Mexico for 50 years, from 1951  
15 through 2000. They did that for precipitation and  
16 they did that for temperature. I believe average  
17 mean temperature for the day. Obviously, there's a  
18 high temperature and a low temperature for the day.

19 They took that dataset, combined with  
20 solar inputs, the humidity inputs -- which are not  
21 daily, they are input on a quarterly basis -- to  
22 generate a synthetic or 50 years of synthetic data  
23 to build a distribution. Out of that distribution  
24 comes water movement that goes into the model to  
25 represent what an average yearly infiltration rate,

1 or which is the output, how much water comes out,  
2 averaged over 50 years based on that data. That's  
3 what the Oil Conservation Division used in their  
4 setup.

5 I used the monthly average temperature and  
6 precipitation information for each of those specific  
7 locations: Hobbs, Maljamar, Roswell, Carlsbad and  
8 Artesia. The monthly data is then converted to  
9 daily data because the HELP model works in daily  
10 data points and it generates a synthetic based upon  
11 the sun and everything in place, and your output is  
12 an infiltration rate, so many inches per year.

13 Those were the two different techniques.  
14 They mirror the same design criteria. What I was  
15 stating is that the distribution, the peak on the  
16 distribution, rather than using the actual daily  
17 data for 50 years because maybe we are in a dry  
18 spell and maybe we are in a wet spell for 50 years,  
19 the generation of a synthetic allows for a wider  
20 range of possibilities so that's what I utilized in  
21 mine as opposed to just utilizing the Oil  
22 Conservation Division data. I made some runs with  
23 that but I didn't bring those ones here today.

24 Q. I wrote down the words "highest  
25 parameters," and maybe it was more of a throw-away

1 comment that you made, and it may have had to do  
2 with the locations. But what I got the sense of  
3 from that was that you were somewhat critical of  
4 using kind of worse case scenarios all the way  
5 through and that you were trying to take a more  
6 reasoned approach to the inputs. That's kind of the  
7 overall sense that I got from listening to you. Was  
8 I wrong on that?

9 A. I believe that would be a fair statement.

10 Q. And you're a businessman.

11 A. Yes.

12 Q. And you have to make decisions all the  
13 time maybe on these wonderful AFEs that we have  
14 heard about. You have to make decisions, correct?

15 A. Yes.

16 Q. And you have to make a certain risk  
17 assessment decision?

18 A. Yes.

19 Q. And generally speaking, those risk  
20 assessment decisions are based on a business cycle;  
21 is that fair to say?

22 A. I think the business cycle is one portion.  
23 I think that we are all in business to mitigate the  
24 risks that are involved, whether -- at whatever  
25 level. And we want to do that in the most

1 appropriate manner.

2 Q. Right. Let me ask you a couple questions.  
3 Have you had experience as a regulator?

4 A. No.

5 Q. Have you had experience in insurance, in  
6 the insurance industry?

7 A. No.

8 Q. When you are doing your risk assessment, I  
9 think you said on cross that you use the good model  
10 of the liner?

11 A. And good was a relative term. It was --

12 Q. As opposed to bad or no liner?

13 A. It effectively dealt with a specific  
14 numerical value of defects or pinholes in a liner.

15 Q. Okay.

16 A. And I use the same terms that the Oil  
17 Conservation Division used. It would qualify in  
18 their good category.

19 Q. So you are essentially crediting your  
20 model with that liner?

21 A. I believe that the liner installations  
22 that the industry is using, in addition to the  
23 increased liner thickness, we have what I would call  
24 the good liner installation for this model.

25 Q. And are you aware that the EPA and most

1 regulators require you to have liner failure in your  
2 model?

3 A. I recall that in many instances you model  
4 without the liner being present as a background, for  
5 instance. So if you model these models without the  
6 liner present it makes a very minor difference in  
7 the calculations because of the flow through the  
8 vadose zone. We are talking about a liner of .02  
9 inches in thickness. I believe from the standpoint  
10 of why we have liners, it's to hold the liquids, not  
11 necessarily for any solids transport related issue.  
12 I mean, the contaminant will move through the solid  
13 liner.

14 Q. Let me ask you this: Have you had other  
15 risk assessment training besides what might be  
16 considered for this?

17 A. Other than dealing with the risks of being  
18 in business every single day and then specifically  
19 the oil and gas business, dealing with the  
20 regulations of the Spill Rule, the Pit Rule, the two  
21 grams per horsepower hour on my pump jack engines,  
22 from one thing to the next it's a full-time job  
23 dealing with the risks of being in this business.

24 Q. That makes sense, but no formal risk  
25 assessment training?

1           A.     I'm not aware that's there is any. I have  
2     done Monte Carlo distribution, you know, statistics  
3     stuff that normally is in my engineering training  
4     and regular work.

5           Q.     Because I also heard you say on cross that  
6     although you are aware about the flooding that  
7     happened in North Dakota. That wasn't considered in  
8     your models either?

9           A.     Correct, because I am modeling -- we are  
10    looking at two different items. I mean, I guess  
11    that's my short answer for that.

12          Q.     That did have to do with pits?

13          A.     It did have to do with pits, but it dealt  
14    with an oncoming volume. But if I was going to make  
15    a back-of-the-envelope calculation you would  
16    obviously look at the contaminant being the volume  
17    of the pit, liquids and solids, and then you would  
18    bring in the runoff water of whatever quality and  
19    type, and obviously those two are mixing together.  
20    I'm assuming that at the end of the day -- and I  
21    don't know this, but up in North Dakota I would  
22    assume the solids were probably in the bottom of the  
23    pit. The solids that were there originally might be  
24    in the bottom of the pit. The liquid portion, I  
25    think, obviously had been deleted and --

1 Q. Sent to the fields?

2 A. Went different places. I would hope that  
3 we are not constructing -- and I think under the  
4 current rule, both the current rule and the proposed  
5 rule, we are not constructing any sort of  
6 burial-in-place temporary pits in any sort of flood  
7 plane condition like occurred in North Dakota.  
8 That's one of the reasons we have the definitions  
9 that we do.

10 Q. And I did hear you say that you didn't  
11 really examine the contaminants and maybe their  
12 effects on each other?

13 A. No, I utilized chloride as the most mobile  
14 constituent in the modeling as it has been done  
15 previously, but I didn't test specifically for  
16 barium or arsenic or those sorts of things in  
17 particular.

18 Q. One other question but I can't remember  
19 right now. It appears from your answers to these  
20 questions that your model is not based on worse case  
21 scenarios but based on kind of an average, a norm.

22 A. I don't think that's correct. The HELP  
23 model distribution, you put in -- for instance, we  
24 use the average. Let me turn to the specifics. For  
25 instance, you have the annual average precipitation

1 in Carlsbad being on this Slide No. 9, being 14.1  
2 inches. That doesn't mean that on an annualized  
3 basis over 50 years and we could look to the model  
4 runs that there wasn't, I don't know, 22 inches of  
5 total precipitation for that year when you look at  
6 the output file run. That's one of the differences  
7 between the OCD and my model. Theirs is the exact  
8 amount every single day for those 50 years. Mine  
9 allows for higher figures to be put in, so I think  
10 it gives you a distribution. Your output gives you  
11 a distribution. So when the infiltration rate is  
12 determined, that's the average infiltration and  
13 there's a standard deviation associated with that.

14 Q. Now, the runoff event that happened in  
15 North Dakota, that's an extraordinary event. I  
16 think even North Dakota recognizes that they had a  
17 particularly really bad snow melt and it flooded  
18 everything. So that's a pretty extraordinary even.  
19 Wouldn't you say with the advent of fracking  
20 technology and what we are trying to know in oil  
21 fields, fractures might be considered a more mundane  
22 and common event?

23 A. I guess I'm not following your question  
24 because you're discussing fracturing.

25 MS. FOSTER: Madam Chairwoman, I'm going

1 to object to the line of questioning. If he wants  
2 to get into hydraulic fracking, we are here for the  
3 Pit Rule so I am curious to know what his questions  
4 are but this has to do with the Pit Rule.

5 CHAIRPERSON BAILEY: Please rephrase.

6 Q. This would just be common knowledge that  
7 we are in a period of time when fracking is being  
8 utilized. I'm not trying to get into the  
9 controversy of fracking. That's not where I am  
10 trying to go.

11 A. Well, I believe hydraulic fracturing,  
12 especially in the state of New Mexico, has been  
13 going on for 50 years. I mean, some of the first  
14 hydraulic fracturing was done in the San Juan Basin.  
15 We have even got a nuclear bomb that we set off at  
16 project Gasbuggy in the San Juan Basin.

17 Q. That question then is the predicate to  
18 that. Fracturing under the ground of all sorts  
19 would be a more common event than the flooding in  
20 North Dakota.

21 A. I guess I would answer that by saying  
22 hydraulic fracturing, that process, is utilized in  
23 nearly every well drilled in the Continental United  
24 States and obviously it's being utilized more so in  
25 some of the shale gas developments and shale oil.

1           Q.     And if I understood your testimony, you  
2     did not consider fractures in your modeling?

3           A.     That is correct, except for you're talking  
4     about a difference between hydraulic fracturing and  
5     fractures. When you are looking at the term that  
6     Mr. Jantz used, preferential pathways, with regard  
7     to soil, those were not considered. There were no  
8     preferential pathways in the top four feet plus the  
9     top twelve and a half feet of the waste and then the  
10    vadose zone portion until it gets to the  
11    groundwater. I'm not aware of any fractures there.

12                 But if you look at if there was a fracture  
13    in the vadose zone, it would make no difference in  
14    the movement of the fluid. It would just sit there.  
15    It would be fracture.

16                 Now, if you had liquid, if you had a  
17    hydraulic head it would be a different situation,  
18    but you don't have that occurrence through the  
19    vadose zone portion.

20           Q.     So if there were one of these pockets of  
21    liquid that sometimes exists and the chemicals got  
22    into those pockets of liquid, then they could move  
23    much faster?

24           A.     I don't think that's correct in your  
25    statement or the representation that I have put

1     forth.

2           Q.     As I understood your testimony, and there  
3     was a question about it before you were qualified,  
4     the modeling that you have done is the modeling that  
5     you are familiar with. You don't have other  
6     familiarity with modeling?

7           A.     I have other models that I run. I run the  
8     Aries model daily, which is an oil and gas modeling  
9     of production and performance. So I utilize that.  
10    There's several other different production models  
11    that I've run, more geared towards production of oil  
12    and gas.

13                   Now, the vadose zone modeling, I have  
14    looked at the modeling that Dr. Stephens has done,  
15    which he used the VADSET model and  
16    reverse-engineered that, but I didn't think -- I  
17    thought it was more appropriate to utilize the same  
18    modeling system parameters that the Oil Conservation  
19    Division had used.

20           Q.     My question is a little broader about the  
21    modeling. That is, are you aware of modeling  
22    success rates in predicting actual events and  
23    modeling failures? Are you aware of those?

24           A.     I guess I'm not sure about your question  
25    in regard to what subject matter. I believe models

1 are a very good tool in predicting future  
2 performance.

3 Q. So you are aware of Los Alamos modeling,  
4 the modeling they have done?

5 A. I'm aware of some of that. I'm aware of  
6 the groundwater issue up there in general, but not  
7 specifics.

8 Q. And they have done some fairly substantial  
9 modeling that will suggest that nothing would get  
10 through of 1300 feet that they have between them and  
11 their groundwater?

12 MS. FOSTER: Madam Chairwoman, the witness  
13 stated he is not aware of the specifics of the Los  
14 Alamos modeling. While I don't want to question the  
15 statement Mr. Dangler just made, I don't know  
16 whether the facts that he just put forward are  
17 actually accurate. The witness can't testify to  
18 that. I would object to the question concerning the  
19 Los Alamos modeling.

20 MR. DANGLER: I could ask one more  
21 question in this line and end it.

22 CHAIRPERSON BAILEY: And the witness may  
23 answer that he does not know the answer if he  
24 doesn't.

25 Q. (By Mr. Dangler) Are you aware that Los

1 Alamos admitted there has been groundwater  
2 contamination?

3 A. I don't know.

4 Q. Since you are not aware of that, let me  
5 ask you if you are aware of the alleged plume that I  
6 have discussed before and you have been here to hear  
7 me ask the questions before, the alleged plume  
8 taking place not far from Hobbs right now in the New  
9 Mexico Environmental Department?

10 A. I heard you mentioned that but I don't  
11 know anything more than what you just mentioned.

12 Q. Okay. But it might be important to you to  
13 know whether models actually reflect what's real?

14 A. Well, I believe it's appropriate when you  
15 go into running a model, and that was my testimony  
16 about you need to have a good understanding of the  
17 historical aspects of what has occurred in the past,  
18 how everything is put together so that your model  
19 accurately represents the conditions to the best of  
20 your ability so that you get an output that is  
21 reasonable, and you need to be able to check that  
22 output with information that's available on  
23 infiltration rates, for instance. And the  
24 infiltration rates that I calculated, I believe, are  
25 available within the range of infiltration rate

1 data.

2 Q. I believe you testified, and I wrote it  
3 down and hopefully I got it right, closed-loop  
4 systems are not applicable everywhere; is that  
5 correct?

6 A. I believe I said that. That's correct.

7 Q. That sounds about right to me, too. Why  
8 don't I turn your attention to one of the exhibits  
9 that has been admitted now. It would be Exhibit 2,  
10 the Energy New Mexico publication in the Independent  
11 Petroleum Association and direct your attention to  
12 Page 17.

13 MR. JANTZ: Madam Chair, point of  
14 clarification. I don't recall Exhibits 1 or 2 from  
15 the Independent Producers being moved into the  
16 record.

17 MS. FOSTER: That's correct, I didn't move  
18 that into the record, I moved Exhibits 5 through 14  
19 and 16 into the record.

20 MR. DANGLER: Is it possible for me to ask  
21 a question about something not in the record yet?

22 CHAIRPERSON BAILEY: I don't believe so  
23 because he has not testified to that exhibit.

24 MR. DANGLER: I think he did testify to  
25 working on that specifically. That's why I wanted

1 to ask him about it. But I don't actually -- just  
2 sticking with the quote that you had.

3 Q. I want to make sure I heard the testimony  
4 correctly when I was listening earlier in the Pit  
5 Rule hearings. We had a witness who does work with  
6 ConocoPhillips in the San Juan Basin.

7 A. I'm confused as to what witness. If you  
8 could tell me which witness that was, that will help  
9 me.

10 Q. I am actually forgetting the gentleman's  
11 name. I need to look it up but I think he was one  
12 of the few witnesses that testified about economics.

13 A. As I recall, Bruce Gantner testified about  
14 that, who is sitting in this it room.

15 Q. I am guessing it was Bruce Gantner.

16 A. Obviously, I am not Bruce Gantner.

17 Q. No, of course not. What I thought I  
18 heard, and you have been listening as well and I  
19 want to make sure I am not way off the chart here, I  
20 thought he was talking about his company or one of  
21 his companies that he works for using Pit Rule --  
22 using the closed-loop system in approximately 20  
23 percent of their wells, either 19 or 20 percent. Do  
24 you remember that?

25 A. I recall him presenting some testimony

1 related to the percentages. You know, specifically  
2 I think it's listed on his slides and what that cost  
3 burden was for them to drill those wells with the  
4 closed-loop system.

5 Q. Okay. So I'm just having a little  
6 language problem here. That seems to be 80 percent  
7 of their wells they were still able to bury on-site.

8 A. You know, I can't speak for Bruce Gantner,  
9 but in Northwest New Mexico, because of the low  
10 chloride drilling fluids, we are able to bury  
11 on-site with the testing requirements and going  
12 through these things. One of the provisions that  
13 IPANM is asking for is where groundwater is greater  
14 than 100 feet that no testing would be necessary.  
15 But yes, we can drill and bury in place in Northwest  
16 New Mexico.

17 Q. So just in terms of that area and that  
18 testimony that we have heard, that's kind of what we  
19 know, that would be an example of closed-loop  
20 systems not being applicable everywhere. One out of  
21 five.

22 A. Right, but I believe that even his  
23 testimony was stating even there were many of those  
24 wells that they believe they should be able to  
25 drill, bury in place and not be required to have the

1 closed-loop system, and especially with this  
2 commodity price, those are rigs not running and  
3 people that are not working.

4 Q. I think you testified moving up a list of  
5 states that are producing. Aren't some of those  
6 states that are producing now because there has just  
7 been huge discoveries like the Bakken?

8 A. The Bakken technically has been around for  
9 a long time so I don't know if I agree with your  
10 statement.

11 Q. Isn't it true that there's been huge  
12 development in the Bakken in the last three or four  
13 years to the extent that the state can't even keep  
14 up?

15 A. I don't know if the state can keep up or  
16 not.

17 Q. This is really just a completely  
18 open-ended question because I really don't  
19 understand it and I really want to understand it.  
20 If I am asking you to repeat yourself and it draws  
21 an objection, that's fine. I am hoping I can  
22 understand it a little bit better. I am trying to  
23 understand this air drilling and cavitation and  
24 unbalanced concept that's new to me. Do you mind  
25 running that by how that fits into everything else?

1           A.     I will try to give you an example.

2           Q.     This would help.

3           A.     In a significant portion of the San Juan  
4 Basin we drill with multiple fluid systems. For  
5 instance, when we start and spud a well we have  
6 what's called spud mud which has -- there was some  
7 testimony about bentonite. It's a significant  
8 amount of bentonite clay in that and that's where we  
9 drill the surface section of the hole. That is mud  
10 drilled. We then encase the section and cement that  
11 section. We follow that by drilling, typically for  
12 a Mesaverde well, eight and three-quarter hole, I  
13 believe, and mud drilled into the top of the Lewis  
14 shale formation. We set a string of seven-inch  
15 casing, cement that in place, protect the  
16 groundwater.

17                   At that point in time we normally, in a  
18 large portion of the basin, switch to an  
19 underbalanced drilling fluid: Air, natural gas,  
20 nitrogen. In the specific instance of the Mesaverde  
21 formation we do not use nitrogen very often. We  
22 then remove all the liquid from the well so there's  
23 no more mud in the well, no more water in the well.  
24 Then we drill the next section of the hole from the  
25 base of the Lewis shale formation through the

1 Mesaverde formation, which is one of the most  
2 productive units in the San Juan Basin. We drill  
3 that with an underbalanced drilling fluid being air  
4 or natural gas, so we have compressors on the  
5 surface. We compress that air or we take natural  
6 gas out of the pipeline, elevate the pressure, put  
7 it down the drill pipe. The drill bit actually  
8 rotates on the bottom of the hole and the rock  
9 actually removes itself. The bit clears a new rock  
10 face but then because the drilling medium is  
11 underbalanced, the rock particles, the cuttings then  
12 come out next to the bit and move up the annular  
13 area of the casing in the hole. Then they come up  
14 to the surface.

15 Obviously, you cannot put -- or it's  
16 extremely difficult to put the air or the drill --  
17 the air and the drill cuttings and the debris and  
18 any potential natural gas flowing into the mixture  
19 and bring it up the annular area and it comes up to  
20 the surface through the blowout preventer stack, and  
21 typically it's sent through a relief line or a bluey  
22 line, it's called. It's typically seven inches in  
23 diameter. It has to run, I think, 180 feet from the  
24 wellhead for safety purposes.

25 Then that empties out into what

1 historically has been an earthen berm area. And  
2 then that segment or that section of the area of the  
3 pit -- that's the berm section of the pit --  
4 obviously the air goes into the atmosphere. The  
5 drill cuttings come out the end of the line, hit the  
6 back of the dirt wall. In some instances we have  
7 what's called a -- it's not a flowback tank but like  
8 a catch tank system. It can catch some of that  
9 debris and/or liquid, but the design of the pit, the  
10 pit design and the construction area -- because  
11 sometimes we are flaring it. For safety purposes we  
12 light that on fire.

13 Q. Right.

14 A. Obviously, you cannot have a liner there  
15 because if it's burning the liner would not exist.  
16 But what does happen is the rock crystalizes on the  
17 surface. The sand and those sorts of things. And  
18 the fluids that come back, the liquids, come out  
19 into the earthen section of the pit and they drain.  
20 They drain over to the lined section of the pit.

21 What also happens is the majority of the  
22 liquid that comes out, especially when you are  
23 flaring, evaporates because you are just cooking it  
24 and burning it. That same process goes on in  
25 different functions during a workover process

1     because that's how we work. Because if you put mud  
2     and fluid down on a well you could damage the  
3     reservoir. You could damage the resource. So you  
4     want to be able to have a regulation that the  
5     unintended consequence is not that you have suddenly  
6     banned air and underbalanced drilling operations  
7     because you forgot to include it in the rule,  
8     because I don't think that's the intention of  
9     anybody here.

10        Q.     So would you suggest a separate rule for  
11     that kind of situation that isn't -- maybe it's  
12     stricter than the Pit Rule or similar to the Pit  
13     Rule because it's really a different situation?

14        A.     I think we have more than enough rules  
15     personally. I think that with regard to pits and  
16     activities, that the language that we have proposed  
17     to be inserted, which is minor, would be appropriate  
18     and handles the existing conditions, and I would  
19     just recommend that it's not left out of the  
20     commissioner's decision.

21        Q.     One other little area, and it's kind of an  
22     area where I'm going to express agreement and then a  
23     little disagreement. So I don't want you to confuse  
24     you because I know when I agree it's kind of  
25     confusing.

1           You talked about how, first of all, we use  
2 terms kind of too generally and I would argue  
3 actually we use the Pit Rule too generally but  
4 within that the closed-loop system, I think you were  
5 talking about. For the purposes of the point you  
6 were making, I think you were at least defining it  
7 down to two separate things, one being the machinery  
8 on the surface -- am I being fair?

9           A.     I believe that what I was concerned about  
10 was that many people believe that closed-loop  
11 drilling is this nirvana, this panacea that  
12 everything is wonderful; that from an engineering  
13 perspective what we are dealing with is solids  
14 control equipment. The sanders, desilters,  
15 centrifuges, tanks, tubs, all the various equipment  
16 is really a solids control item.

17           Then the purpose in my mind of the rule  
18 and what we're doing is what do you do with the  
19 solids, which is different than some of the  
20 questions that you have asked me relating to the  
21 liquids. I think that's the focus of what the Pit  
22 Rule should be about, in that it's how you handle  
23 the cuttings, whether they are hauled off because of  
24 the risk criteria or is it acceptable for them to be  
25 buried in place at the well site.

1           Q.     That makes sense. But you went a little  
2 further and I was interested in where you went  
3 because of just regulatory issues. I thought I  
4 heard you say that really the industry should be  
5 free to do whatever they are going to do in terms of  
6 processing, and what I'm thinking of is there's a  
7 lot of technological innovation going on with the  
8 processing right now, but I heard you say that was  
9 not the greatest place for the Pit Rule to be  
10 applied for each of those machines. Was I wrong?  
11 You were concerned with the final thing buried or  
12 not buried, that that was appropriate, but that it  
13 wasn't so appropriate to regulate which kind of  
14 truck you used, which kind of tank you used. Was I  
15 correct in hearing that?

16          A.     I believe that the focus of the regulator  
17 and their attention should be to the disposition of  
18 the drill cuttings. It should not be flow process  
19 through that and defining what each criteria piece  
20 is because it's different. It's so different every  
21 single time, and it should be -- you don't want to  
22 set a standard that one operator may Cadillac it and  
23 another operator may not and they achieve the same  
24 goals with the same protections to public health and  
25 the environment.

1 Q. And that actually encourages innovation?

2 Is that fair to say?

3 A. I think as an independent company, I think  
4 the independents are the innovators many times in  
5 the oil and gas industry, whether you look at the  
6 shale gas development or the shale oil development,  
7 so it's important to make sure those capabilities  
8 are available for smaller producers.

9 Q. So I agree with you up to there, and then  
10 you said something about how you didn't like -- I'm  
11 sorry that I don't remember the exact language, but  
12 there was an appropriate something that you were  
13 afraid was going to be misinterpreted by a  
14 regulator.

15 A. Yes. And it dealt with that language  
16 about appropriate engineering standards because who  
17 is going to determine what an appropriate  
18 engineering standard is? And is it even necessary  
19 to determine it or is it better to leave that  
20 engineering decision, equipment decision to the  
21 operator who is drilling the well?

22 Q. But would you not agree that there's a  
23 difference between a standard, like an appropriate  
24 engineering standard that definitely leaves a little  
25 vagueness, I accept that, and the regulation of each

1 and every truck in the process that you're rendering  
2 the final tailings. Do you see what I'm getting at?

3 A. I'm not sure if I do, but maybe you can  
4 rephrase it.

5 Q. Okay. It's a hard concept. I'm sorry.  
6 For me, too. I'm not making fun of anybody else,  
7 just myself. If we are measuring the tailings --  
8 now, this is not assuming part of your argument  
9 because I am assuming we measure the tailings and  
10 find out what's in them.

11 A. Can I ask a question? You are saying the  
12 tailings as in the --

13 Q. Whatever is left from the cuttings after  
14 we process with the trucks and all. If we measure  
15 that, we have a definite standard, correct?

16 A. Where are we measuring that? At what  
17 point?

18 Q. Not necessarily that you are conceding  
19 this is a good idea, but say we measured after you  
20 finish processing it to make the decision whether to  
21 bury it or not. Say you do certain measurements of  
22 that product.

23 A. Right. That kind of drives my concern.  
24 Who is going to determine -- am I testing every  
25 single truck load, you know? And different things

1     like that. That's where I'm --

2           Q.     Pretend we could leave that to a  
3     subcommittee and we say we did some testing that  
4     would give you a standard for which all the other  
5     activity that happened with the rendering of that,  
6     whatever the company decided to do to get their  
7     particular tailings at this particular site so  
8     hopefully they could bury them on-site. We won't  
9     regulate all that. That still sets a standard,  
10    correct?

11          A.     I guess I'm confused, because I guess the  
12    simplistic question that I have is are we removing  
13    the cuttings from the well site or are we burying  
14    the well cuttings in place at the site?

15          Q.     I guess I'm saying that would depend on  
16    the level of things in the tailings. If the levels  
17    are low enough then we are burying them on the site.  
18    If they are too high we are probably having to take  
19    them off-site.

20          A.     I believe what we tried to put forward in  
21    the rule in IPANM's recommendation is risk-based,  
22    based upon siting criteria and depth to groundwater.  
23    In our instance no testing would be necessary for  
24    burial in place.

25          Q.     Correct. So that would be your position,

1 but all I'm saying is in this hypothetical world if  
2 you did that testing you would have a standard. Is  
3 that fair to say?

4 A. I believe that's what we tried to set in  
5 Table 1 and 2 were standards for the instances where  
6 the testing would still occur.

7 Q. So let's take those. Those are the  
8 standards. Similarly to that, the idea of an  
9 appropriate engineering standard is a standard. You  
10 don't like the language but it's a standard,  
11 correct?

12 MS. FOSTER: I'm going to object to the  
13 question. I'm not quite sure what he is asking for  
14 here. He is using the word "standard"  
15 interchangeably and I think he means two different  
16 things on the word "standard." Mr. Mullins  
17 testified that the table has certain levels that are  
18 established that industry is recommending, and now  
19 Mr. Dangler is moving into engineering standards,  
20 which is a completely different meaning of the word.  
21 I would ask him to clarify the question.

22 CHAIRPERSON BAILEY: Would you please?  
23 Because I am also confused as to where you are going  
24 and why.

25 MR. DANGLER: It's really tough. I'm

1     sorry. If you remove that language as you wish to  
2     remove that language, then there is absolutely no  
3     way to judge what you are doing other than what you  
4     judge it as.

5             MS. FOSTER: I'm again going to object to  
6     the question. I think he is talking about -- if he  
7     could point us to the part of the rule where we are  
8     saying that we are removing the engineering  
9     standards and limiting it to that part of the rule,  
10    that will be fine. But his question is extremely  
11    open-ended.

12            MR. DANGLER: Let me try in another place.  
13    Maybe it will be clear in another place.

14            MR. SMITH: May I ask a question here?  
15    Going back to where you began, is what you are  
16    attempting to do, to draw a distinction between  
17    setting a standard and micro-managing operations?

18            MR. DANGLER: Yes, I am. I am attempting  
19    to draw that distinction that it's great to leave  
20    micro-managing and a lot of those decisions to the  
21    industry because they then can innovate, but that  
22    without any standard my question is, is there a  
23    failure of regulation. The second example I wanted  
24    to use maybe clearer and it was asked by someone  
25    else about the difference -- I think counsel for the

1     OCD -- about the difference of reasonable or the  
2     standard of equal or better.

3           Q.     Equal or better has a particular meaning  
4     to most of us and reasonable had no particular  
5     meaning and we were asking you about reasonable,  
6     and --

7           MS. FOSTER:  Again, I object because I  
8     believe counsel is asking in the context of  
9     reasonable had to do with the language of reasonable  
10    protection of freshwater as designated by the State  
11    Engineer.  That is the part of the rule that she was  
12    pointing to as opposed to the part of the rule that  
13    Mr. Dangler is talking about here, which is Section  
14    19.15.17.9A that talks about IPANM's recommendation  
15    of the deletion of appropriate engineering  
16    principles and practices.  He is mixing apples and  
17    oranges in the question.

18           CHAIRPERSON BAILEY:  Can you rephrase so  
19    we are not mixing apples and oranges?

20           Q     (By Mr. Dangler) I guess what I was  
21    thinking when I was listening to you talk about  
22    those things was that you had a fear that  
23    enforcement would be peculiar and you were asked if  
24    you had any examples of enforcement being peculiar,  
25    and the reason I asked you about regulatory

1 background is I was wondering if you were familiar  
2 with the concept of substantial compliance.

3 A. I'm somewhat confused. You used the word  
4 peculiar and then substantial --

5 Q. Well, I think you gave an original example  
6 of water from a special downpour getting on the  
7 ground and someone declaring, based on that very  
8 unusual rainfall, that this was suddenly a wetland  
9 or some other kind of overly zealous regulatory  
10 action.

11 A. Let me tell you -- and this isn't  
12 polite -- what I can envision happening. You're  
13 very proud. You're a small operator, very proud of  
14 the job that you've got. You come out and for one  
15 reason or another, unbeknownst to you, your  
16 regulator has an axe to grind for some reason. I'm  
17 not saying that's occurred or anything like that.  
18 You just got done showing what a great job you are  
19 doing and then that regulator stops and decides to  
20 take a leak -- to go to the bathroom, take a leak  
21 right there.

22 Q. Discolored sand?

23 A. And gets down and says, "You know, you  
24 have done all that great work but I have my camera  
25 here. I am looking at discolored soil you have

1     there. I expect you need to do that stuff." I'm  
2     not saying that's occurred in the past, but when you  
3     get into some of these discussions about what's  
4     going on and we want to have some regulatory  
5     certainty, what do we do as an operator of that  
6     hypothetical? Again, that's totally hypothetical.

7             I believe that what we put forward in the  
8     language modifications that we have recommended that  
9     they are protective of human health and the  
10    environment, make a rule that can be enforced and  
11    operated under by the industry. You know, when you  
12    say peculiar, I just don't get that word in this  
13    context.

14        Q.     It's a wonderful word that lawyers use  
15    because it doesn't mean very much. Do you think you  
16    can legislate in a Pit Rule hearing, whatever  
17    hearing we are in, do you think you can legislate in  
18    such a way that you're going to stop that rogue  
19    person from peeing on the ground? It sounds like a  
20    stupid or facetious question but it's a serious  
21    question.

22        A.     I think that the purpose of the regulation  
23    of what we are trying to do, both from a regulatory  
24    body standpoint and the industry and all of the  
25    parties, is to get a functional rule that meets the

1 statutory requirements of the Oil Conservation  
2 Division, and I don't know if we are ever going to  
3 be able to cover every single incident, but I think  
4 we should take practical, common sense steps to  
5 approach the various situations that occur.

6 Q. I'm in complete agreement. My problem was  
7 taking away a standard that I can understand and  
8 replacing it with one I can't understand and saying  
9 that that's more regulatory certainty. Because I  
10 don't understand reasonable and I do understand  
11 equal or better. Equal or better gives you the  
12 chance to innovate but leaves the level of  
13 protection the same. Reasonable means we are in a  
14 different universe, and as a regulator I wouldn't  
15 know where I was. That's where I was trying to draw  
16 a distinction, between the places we are  
17 overregulating, which I really understood when you  
18 were talking about the trucks and things on the  
19 surface, and areas where we have a standard and it  
20 appears that you might want to just take that  
21 standard away because of imagining a parade of  
22 horrors that might happen.

23 A. I believe where we recommended the change  
24 in language of reasonable, number one, is in the  
25 variance section, and that's an appropriate word to

1 be placed in there in the variance section, which  
2 gives the site-specific ability of the local OCD  
3 office to work out what's reasonable.

4 MR. DANGLER: I have no further questions,  
5 Madam Chair. Thank you for everyone's indulgence.

6 CHAIRPERSON BAILEY: Dr. Neeper, did  
7 Dr. Bartlett have to leave?

8 MR. NEEPER: Yes, he will be back tomorrow  
9 morning.

10 CHAIRPERSON BAILEY: Would you like to  
11 cross-examine the witness?

12 MR. NEEPER: Yes, I would. I have some  
13 questions for the witness.

14 CHAIRPERSON BAILEY: Would you mind coming  
15 up?

16 MR. NEEPER: I had intended. Since my  
17 questions are lengthy, I bring up the point, would  
18 this be time for a break if we are going to have one  
19 in the afternoon or would you prefer to go ahead?

20 CHAIRPERSON BAILEY: It's been an hour  
21 since the last break. Why don't we take ten and  
22 then we can go all the way to 5:00.

23 (Note: The hearing stood in recess at  
24 3:31 to 3:41.)

25 CHAIRPERSON BAILEY: We will go back on

1 the record.

2 CROSS-EXAMINATION

3 BY MR. NEEPER

4 Q. Good afternoon, Mr. Mullins.

5 A. Good afternoon, Dr. Neeper.

6 Q. I recognize that you are actually doing  
7 the job of three people here. You are serving as an  
8 author of the rule and talking about words in the  
9 rule; you are serving as a modeler and explaining  
10 your detailed models; and at the same time you are  
11 having to deal with questions almost on the  
12 philosophy, how do we do things, what makes a good  
13 rule. So I appreciate you wearing three hats.

14 I will take the first set of questions  
15 pretty much taken in the order from which I heard  
16 things in your oral testimony. That will  
17 occasionally overlap dealing with the rule or  
18 dealing with details in the model but I'll try to  
19 keep the boundaries separate where I can.

20 Early in your testimony you mentioned that  
21 the APD carries a location that specifies pits and  
22 then you said -- I heard words of wanting to remove  
23 that. I had the question why remove the  
24 specification where you are going to have a pit,  
25 especially if you are going to bury waste in the

1 pit?

2 A. I'm not sure if you might have misheard me  
3 or if --

4 Q. I probably did.

5 A. What I was stating is the prior rule, Rule  
6 50, already basically had the location of the  
7 temporary reserve pit identified and still does. On  
8 every single application to drill, the location of  
9 the temporary reserve pit within probably a foot or  
10 two, for all practical purposes, specifically  
11 identified with GPS coordinates, latitude and  
12 longitude, is already being filed, was filed under  
13 Rule 50, was filed previously prior to Rule 50.

14 So there were many statements, whether in  
15 the media or representations, that there were these  
16 unknown locations of these temporary reserve pits.  
17 I was not aware, specifically since I have been  
18 working and researching the records, I'm sure  
19 there's probably a few out there that are difficult  
20 to determine where they are, but they are probably  
21 50, 60 plus years old.

22 Q. So you were not advocating that the  
23 specification be taken off the APD?

24 A. No.

25 Q. Okay. That answers that question.

1           A.       But to come back to that, it drives to the  
2 point of why do you fill out the C 144 document to  
3 begin with? Why do you put the information in,  
4 filing of the deed of notice, the recommendations,  
5 when all this information is already available?  
6 It's already been prepared. It's already on file.  
7 It's just duplication of paperwork, in my opinion.

8           Q.       Would that be simplified by a simple  
9 marker on the pit location as you have on -- I can't  
10 think of the word now. I want to say a field well,  
11 a plugged and abandoned well?

12          A.       We have issues, unfortunately, relating to  
13 placing above-ground dry hole markers or  
14 above-ground temporary reserve pit markers. Number  
15 one, they are a hazard driving, especially when you  
16 are working on an active well location, to drive  
17 into it. Again, it serves what purpose when we have  
18 a wellbore, a well that's drilled 10,000 feet in the  
19 ground with a steel marker 10,000 feet down and  
20 above ground with a wellhead on it. Then we have a  
21 drawing, a plat with footages to scale where the pit  
22 location is. We are already filing those documents.  
23 And so the necessity of doing some of these things,  
24 which we are currently doing under Rule 17, escapes  
25 me sometimes is just my point.

1           And what I was trying to say, it's already  
2   been given, so the necessity -- one of the prior Pit  
3   Rules, well, we need to know where the pits are  
4   going to be, we already know where we are at in that  
5   instance.

6           Q.     In the future would people know where a  
7   multi-fluid pit would be?

8           A.     Yes, because it's filed in the paperwork.

9           Q.     It's in the paperwork but not in the  
10   location.

11          A.     Right. Maybe at that point in time we  
12   will all have phones that will allow us to bring up  
13   the records right there.

14          Q.     You have mentioned that it was very  
15   important to understand the inputs in the modeling  
16   process. I would raise the question: Is it not  
17   even more important to understand the algorithms  
18   internal to the model?

19          A.     Yes, I believe, it's very important to  
20   understand what is occurring conceptually as well as  
21   obviously mathematically. I am not a writer of the  
22   code and the algorithms that are used in the models.  
23   I'm a user of these models and I hope to be able to  
24   answer many of your questions. I know you write  
25   code, so I will do my best to answer your questions

1 if they go into that category.

2 Q. That's past history. When it got tough I  
3 would get somebody else to do the actual writing.

4 A. And I was a physics major initially when I  
5 went to college, as an aside.

6 Q. That's a good start. That's where I  
7 started. Everything that happens in your model  
8 starts with the top. There's rainfall, there is  
9 snow, there is something, and you talk about the  
10 transport through the water moving down. A big part  
11 of whatever happens to the water input happens  
12 within that top layer. I think you call it the  
13 evaporative layer because water goes in and comes  
14 out in various ways. Is this handled by a recipe or  
15 is it actually handled by modeling point by point  
16 the movement of little drops of water?

17 A. I believe it's handled in the term that  
18 you would use, a recipe, but that's why I tried to  
19 include the modeling documents so we could address  
20 each category as so needed.

21 Q. I think it's important to recognize then  
22 that this is a recipe-driven code, not a simulation.  
23 We understand the difference?

24 A. Yes.

25 Q. It brings up the question then of accuracy

1 in that what happens at the top of your modeling  
2 eventually results in some small amount of water  
3 coming out the bottom. You put, roughly speaking,  
4 14 inches of water a year in the top and, roughly  
5 speaking, a millimeter a year out in the bottom.  
6 That's accuracy of about 0.2 or 0.3 percent. Can  
7 you address the accuracy of this code?

8 A. I'm not sure I understand your question.

9 Q. Okay. Fourteen inches of rain is about  
10 355 millimeters, so your output of your code is  
11 about one in 355, very crudely?

12 A. That is correct.

13 Q. You miss it by a millimeter and you've  
14 lost something.

15 A. I'm not sure I understand your statement  
16 there if you miss it by a millimeter.

17 Q. All right. If you get the output wrong by  
18 one millimeter, you have either doubled the delivery  
19 to the ground or cut it to zero.

20 A. In the representation that you have put  
21 forth, that's correct. In the representation where  
22 you have 355 -- you converted the units --

23 Q. The results that you showed.

24 A. The 355 millimeters per year --

25 Q. Per year.

1           A.     Going into the model. Now, of course, the  
2 model is working on a daily basis.

3           Q.     Yes.

4           A.     We extrapolate that out and get an average  
5 yearly infiltration rate.

6           Q.     Right. Your results are on a yearly  
7 basis.

8           A.     It's basically saying you are putting 14  
9 inches of rain in the top evaporative zone, if we  
10 are going to segment that out, and then we have the  
11 recipe, as you indicated, and out of the recipe  
12 based on my modeling you are getting around a  
13 millimeter out instead of 355, correct. And that is  
14 in these locations in New Mexico.

15                   Obviously, if you are in different  
16 climatological areas, different soil conditions,  
17 different things. Such as Louisiana, it could be  
18 your result would be significantly different. You  
19 may have 355 millimeters coming out the bottom. Or  
20 likely less, but you are going to have a different  
21 number.

22           Q.     So do you have any feel or have you done  
23 any investigations or have you done any comparisons  
24 with tests that could tell you what is the accuracy  
25 in this regard? Because with your information, you

1 are needing a pretty accurate result.

2 A. Well, what I tried to do was compare the  
3 results of the HELP model, the resultant  
4 infiltration rate, with the published literature  
5 infiltration rates that were available to me.  
6 Predominantly, those came from Dr. Daniel B.  
7 Stephens' testimony in 2007. He had gone through  
8 and summarized the infiltration rates from  
9 Dr. Stone, from New Mexico Tech, all the other  
10 studies that have been done that represent  
11 infiltration rates in the state of New Mexico.

12 In addition to that, that's where I was  
13 looking for some other confirmation which I  
14 reference the Walvoord reference, which Dr. Daniel  
15 B. Stephens did. That's not actual infiltration  
16 rate data, but that's based upon their modeling of  
17 what those infiltration rates are, millimeters per  
18 year.

19 Given that, given the review of the salt  
20 bulge condition, the natural salt bulge condition, I  
21 believe the numbers, the infiltration rates, the  
22 HELP model output to be reasonable.

23 Q. Are you maintaining that those  
24 infiltration rates are characteristic of other  
25 places in New Mexico than just the specific

1 locations listed?

2 A. No. I tried to, rather than one pick one  
3 location per basin, which the Oil Conservation  
4 Division did, specifically my initial focus was in  
5 Southeast New Mexico, so I tried to take a  
6 distribution of available locations that had data to  
7 work from, and so that's what I tried to do.

8 Q. But the rule applies to the entire state  
9 of New Mexico; is that right?

10 A. Yes, the rule applies to the state but the  
11 oil and gas development in the state is concentrated  
12 in those particular areas. In the Southeast New  
13 Mexico portion, I tried to take Maljamar, for  
14 instance. I think the only other person might have  
15 been President Obama to visit Maljamar and many of  
16 the rest of us, so I thought it would be interesting  
17 to include that data.

18 Q. I have been close but never been there.  
19 But isn't that very different from someplace like  
20 Mora or somewhere in Rio Arriba County where  
21 drilling has come? We are trying to apply these, a  
22 general result of the things you have shown, to the  
23 entire state.

24 A. I believe that the rule, the way it's  
25 written to handle the low chloride drilling fluid

1 systems and the remaining fluid systems, is  
2 appropriate. Obviously, we could go to Mora and we  
3 could run some modeling to represent what we believe  
4 the conditions would be in Mora. That's not what I  
5 did here, but we could obviously do that, but I  
6 don't think that's necessarily think that's  
7 necessary for the modifications that we are making  
8 to the existing Rule 17.

9 Q. Clarification on the model. You have said  
10 that the model is two dimensional. It calculates in  
11 terms of Multimed --

12 A. Correct.

13 Q. You think of the whole package as the  
14 model?

15 A. Correct. The Multimed is two-dimensional.

16 Q. Is it not one-dimensional vertically until  
17 you reach groundwater and then one-dimensional  
18 horizontally?

19 A. Yes. In the instance I ran it, yes. But  
20 if we include the dispersivities or the elongation  
21 effects and things, you could lessen the contaminant  
22 by running the Multimed model. I could dilute the  
23 contaminant. I could dilute the contaminant with  
24 the Multimed model and I'm telling you that I did  
25 not dilute the contaminant nor did the Oil

1 Conservation Division.

2 Q. You used 48 inch of evaporative zone.

3 A. Yes.

4 Q. Does the liquid actually evaporate there  
5 or is the recipe representing the unsaturated flow  
6 of liquid up to ground surface where it evaporates?  
7 What's going on there?

8 A. My understanding of the evaporative zone  
9 in the HELP model and how it's utilized is that is  
10 the limitation depth where evapotranspiration and  
11 evaporation effects would move water up out of the  
12 system.

13 Q. By a formula that somebody invented  
14 somewhere?

15 A. Some code that's in the book right next to  
16 me here, yes.

17 Q. Right. Can you tell us when that code was  
18 developed?

19 A. I would have to look at the reference. I  
20 know the dates and the reference material is listed  
21 in there, but I did not go back and line up the  
22 prior base papers that were sourced in the  
23 preparation of this.

24 Q. The manuals were written about 1990, one  
25 of them published in 1994; is that correct?

1           A.     I believe that's correct, yes.

2           Q.     And do you have a sense you can share with  
3     us of what were the limitations that were based on  
4     the development of that code? What was confining  
5     the developers or what were they trying to do and  
6     what were they -- they've admitted this somewhere.

7           A.     Yeah, that's a very good question. The  
8     purpose of the, I guess, the two-tier model, the  
9     HELP model and the Multimed model, was specifically  
10    to be utilized to give regulators an idea and  
11    designers an idea of the adequate protection of  
12    groundwater resources and a better understanding of  
13    the concentration specifically that a design, for a  
14    landfill design in particular, that would be  
15    protective.

16                Their generalized statement, and I'm  
17    generalizing, was that an appropriate design, an  
18    appropriate design for a facility would allow for a  
19    reduction of the contaminant, the leachate, coming  
20    out of the bottom of the lined area, of at least, I  
21    believe it's 100 to one, 100 to one design ratio.  
22    So when you look at the inputs and the outputs of  
23    what goes into the Multimed model in particular,  
24    when we start with 100,000 milligrams per liter of  
25    leachate and our highest value at 100-foot lateral

1 distance, 100-foot vertical distance from the  
2 location specified was 68 milligrams per liter.  
3 That is a design criteria well above what the EPA,  
4 as I understand, would consider to be an acceptable  
5 design, acceptable protection.

6 So the models utilized together were put  
7 there to give some level of comfort that the  
8 appropriate conditions were being analyzed. And in  
9 our particular case in both the 25 foot to  
10 groundwater and the 100 to groundwater situation,  
11 regular 100,000 milligrams per liter situation and  
12 the 1,000 milligrams per liter appears to be  
13 protective.

14 Q. The results are protective as long as the  
15 model is sufficiently accurate?

16 A. Right.

17 Q. I'll give you an answer and say with the  
18 implication, is this right, is this reasonable to  
19 you? Was that model, the numerical model, not your  
20 particular input, and the recipes that went into it,  
21 designed because the designers were very limited in  
22 the kind of computer power they had at the time and,  
23 in fact, that was designed to run on an IBM PC at  
24 the time and that's why we have the recipe for the  
25 given code?

1           A.     You know, I don't know what the  
2     designers -- I mean, they have some literature. In  
3     the material they explain why they did it. But I  
4     don't know. I do know that I have to run it on my  
5     old computer because it's DOS-based and I can't get  
6     it to run on the new Windows system. So it's that  
7     vintage of use. This model is being used today in  
8     many states, Wyoming specifically, for quite a bit  
9     of work.

10          Q.     Your arrival of chloride at the receptor  
11     assumes, does it not, that there are no other pits  
12     anywhere?

13          A.     Within 100 feet, that's correct. I only  
14     modeled this one instance.

15          Q.     You modeled 100 feet, but if downstream,  
16     down gradient, hydrologically speaking, there is  
17     another pit, then you would double the input; is  
18     that right, of the stream?

19          A.     I don't know if that's correct. I know  
20     with that receptor location it would probably be  
21     appropriate, assuming that the receptor is, let's  
22     say, a drinking water well that is removing fluid,  
23     that the receptor would likely receive a  
24     contribution from both contaminant sources. But  
25     given that we now added another dimension most

1 likely to the way the aquifer is, if we have one pit  
2 here and then another pit here but then the receptor  
3 is here, then one of those two has got to be closer  
4 than 100 feet to the receptor. So if I have one pit  
5 at 100 feet, the other must be 200 feet or 300 feet  
6 away. I mean, there's a cumulative impact, I guess  
7 is what I'm saying, but I didn't model that.

8 Q. No. But did you consider it in terms of  
9 the impact results in the rule? If you have got  
10 four pits per square mile, what's the effect on the  
11 groundwater?

12 A. I did not consider that case specifically,  
13 but my opinion is that there is likely not a large  
14 cumulative impact at that one receptor from those  
15 four instances. If they were all equal distance --  
16 I'm hypothetically trying to think through your  
17 supposition. If we have four identical pits, all  
18 100 feet away identically, I would suspect that the  
19 contaminant that would arrive at the receptor would  
20 be four times the contaminant. So it would be six  
21 times 68 milligrams per liter at that receptor.

22 Q. And so can you understand the concern of  
23 those who fear many pits across a whole landscaping?  
24 We now have what, 90,000 presumably in New Mexico?  
25 And the cumulative impact versus an isolated case of

1 one pit and showing that one pit will have only  
2 minimal effect on somebody that lives 100 feet  
3 downstream?

4 A. I understand your question. I don't know  
5 if, from a risk assessment basis, that it would be  
6 much concern.

7 Q. Whether it would add or not?

8 A. I personally believe that it wouldn't be  
9 of any additional concern.

10 Q. You concluded that no top liner is needed.  
11 You repeatedly stated that. And yet your model can  
12 transport contaminants downward only.

13 A. That's correct.

14 Q. So your conclusion is not based on any of  
15 your modeling; is that right?

16 A. I don't believe that's exactly correct. I  
17 believe that it's in conjunction with some of the  
18 input material. If the pits that we were burying in  
19 place -- if we were in Louisiana, for instance, my  
20 recommendation would probably be different on  
21 whether to put a liner on top of it. But in the  
22 climate and the regions here in New Mexico, I don't  
23 see any reason to place the liner on top of the pit.

24 Q. That's a personal recommendation though.  
25 It was on the slide that showed conclusions from

1 your modeling. It is not a conclusion from your  
2 modeling; is that right?

3 A. In the way you phrased that, from my  
4 modeling I probably need to rephrase my conclusion.  
5 A liner is not necessary on top of the pit in New  
6 Mexico to ensure protection of freshwater resources,  
7 groundwater, human health and the environment.

8 Q. I now understand better. Thank you. I  
9 think I can clarify the question. Through the last  
10 ten years of discussions here we have often looked  
11 on that word, protection of the environment, as  
12 meaning only groundwater. And I have often brought  
13 in, "Wait, there's a place where people and animals  
14 and plants live, and that's the surface."

15 So my question that I was driving at was  
16 you have concluded a top liner is not needed, and I  
17 failed to point out that I was meaning to protect  
18 the ground surface. You have not considered that in  
19 any of your estimates; is that correct?

20 A. I think that's taking that into that top  
21 five-foot zone, and I would defer to Dr. Buchanan's  
22 expertise in that interval.

23 Q. But all of your statements about things  
24 being safe, whatever that may mean, 100 feet, are  
25 based on transmission by groundwater at the

1 specified depth?

2 A. Correct.

3 Q. It's not considering any other possible  
4 environmental insult?

5 A. I don't know if that statement is correct.  
6 I want to clarify here. The primary movement, as  
7 you said, in my analysis is down and then over,  
8 where some of the prior discussion has been about  
9 salt migration potentially up and whether that comes  
10 to the surface or not. I didn't model that portion.

11 Q. Right. I'm just clarifying that's not  
12 part of your conclusions.

13 A. Right.

14 Q. I got into that through the top liner  
15 question, but you were thinking of top liner as  
16 protective down. You had mentioned and firmly  
17 stated that you want a rule that's not subject to  
18 multiple interpretations. The example you gave  
19 immediately from that was that if you had a tear  
20 above the water line and the underlying soil was  
21 clean, you didn't want somebody coming in and making  
22 you excavate it. I believe I have your example  
23 correct. Do you remember giving that example? You  
24 might not.

25 A. Yes. Let me, I guess, go to that

1 occurrence and give a hypothetical.

2 Q. Okay.

3 A. You have a temporary reserve pit that was  
4 used to drill a well. It took seven days to drill  
5 the well. Operationally it was used during those  
6 seven days. You waited five additional days and  
7 then you started to dewater the pit so we have the  
8 bentonite solids settle out. The next week later  
9 you bring in some trucks and they haul off the  
10 hydraulic head. They haul off the water and the  
11 fluids. So we are leaving the remaining drill  
12 cuttings in place.

13 At that point hypothetically the last  
14 water truck to leave drops his metal hose that he  
15 was using to drain the pit and tears the liner above  
16 the mud line area in a fully drained pit. And that  
17 happens to be the day that the Oil Conservation  
18 Division inspector arrives on the location to look  
19 at things and they see that tear and they tell me,  
20 "Tom, you have a tear in your liner above the mud  
21 line. You didn't tell me about it. You didn't  
22 notice me about it. I would like for you to  
23 excavate the entire pit and test underneath the  
24 liner and prove it has not leaked."

25 That's where my concern is with regard to

1 regulatory risk, because I could see that  
2 possibility occurring. And I think when I talk  
3 about a common sense application in the rule, we  
4 need to take a look at that and understand that we  
5 are going to cut the liner off above that mud line  
6 portion, probably below where the tear is that we  
7 had and remove that upper portion of the liner and  
8 leave the other part in place.

9           And my concern that I have is we have a  
10 regulation that has the potential enforcement which  
11 becomes an abuse that doesn't offer any additional  
12 protection to human health and the environment; that  
13 you need to have some practical understanding of  
14 looking at where the tear is and seeing that it's  
15 above the mud line, above where the line of the  
16 material is. So that's my hypothetical concern.

17           Q.     Where I was coming from was saying where  
18 does it say in Rule 17 if you haven't had a release  
19 that you have to excavate?

20           A.     My understanding is that the existing Rule  
21 17 could be interpreted to indicate that you may  
22 have had a release, and the only way to check that  
23 might be for you to excavate all of it and take a  
24 five-spot soil sample underneath where the liner  
25 was. And I can tell you that that specific fear is

1     why the majority of the parties, especially in  
2     Southeast New Mexico, are utilizing closed-loop  
3     systems.

4           Q.     Thank you for explaining that. I thought  
5     of something as you repeatedly said you need a rule  
6     that's simple enough, need a rule that's direct  
7     enough, need a rule that is directly interpretable,  
8     all of these features. And I scribbled down for one  
9     moment an ideal rule, so I just want to try it on  
10    you really hopefully for the benefit of the  
11    commission, who has the authority to change words  
12    and simplify and improve things as they see fit.  
13    This is not a trick question at all.

14           MS. FOSTER: I'm going to object to this.  
15    Dr. Neeper and the Citizens for Clean Air and Water  
16    are not proponents to the rule. This sounds to me  
17    like this is a proposed amendment coming from  
18    Citizens for Clean Air and Water through this  
19    question.

20           CHAIRPERSON BAILEY: Objection overruled.

21           Q.     The question was: Would you accept or  
22    like or be in favor of --

23           A.     First of all, is this a hypothetical?

24           Q.     This is a hypothetical case. It's putting  
25    us both on the same side of the table is what it's

1 doing. A few-line rule, a rule that occupies only a  
2 page or two that says you, as an operator, can do  
3 what you want as long as you leave no contamination.  
4 Is that the goal we are trying to get to?

5 A. I guess to answer that hypothetical, I  
6 think that's one specific concern that the IPANM has  
7 in particular; that if you are not leaving the  
8 cuttings and/or have a work -- I explained a  
9 workover situation where I am moving from well to  
10 well to well but I still have to file even your  
11 hypothetical one-page form. I don't even think the  
12 one-page form in the case of the workover that I'm  
13 talking about is appropriate.

14 Now, the notification that you are not  
15 going to be leaving any drill cuttings in place,  
16 especially in the instance that IPANM is  
17 recommending where groundwater is greater than 100  
18 feet, no testing, no closure form, reduced  
19 regulatory burden all makes a lot of sense.

20 Q. I confused you with that, because when I  
21 said one page, I meant the whole rule be one page,  
22 not what you have to fill out. Let's go ahead. You  
23 have said that there shouldn't or that the proposed  
24 IPANM proposal is there shouldn't be testing if  
25 groundwater is greater than 100 feet. Does this not

1 ignore ground surface? Or is this applied strictly  
2 as testing of something that is buried and in part  
3 contained?

4 A. I guess that portion is focused on testing  
5 of the drill cuttings and the buried portion.  
6 There's reclamation standards that are recommended  
7 in the new rule that would apply in all instances on  
8 the reclamation part of the surface and the  
9 vegetation and that would apply regardless of  
10 whether testing was done of the drill cuttings that  
11 are buried.

12 Q. And you had suggested that there not be  
13 reporting of wet soils. But if there is a wet area,  
14 if you did regard it as a spill and probably a small  
15 spill, how do you treat this release? I'm not  
16 understanding the statement of no reporting of wet  
17 soil.

18 A. It's the reporting requirements into the  
19 Oil Conservation Division. It's not to state that  
20 the operator is not taking a sample. I think that's  
21 what we are saying is we are sampling it. We are  
22 not saying we are not going to sample that, but here  
23 is the question: You have that little spill and  
24 it's something that you can take a shovel and put in  
25 a bucket and get it and get the other inch below it,

1 and maybe even two more inches for good measure and  
2 it fits in a five-gallon bucket and you can put it  
3 in the back of your pickup and be done with it. The  
4 question becomes do I need to test the clean soil  
5 underneath that? Do I need to take a test of the  
6 soil in the bucket or do I have the common sense to  
7 say, "I spilled a little bit right there. I  
8 shoveled it up and put it in the bucket and properly  
9 remediated that." And do I need to file an  
10 abatement plan associated with that? What we are  
11 trying to do is have common sense to indicate that  
12 that probably doesn't warrant filing a report, it  
13 warrants fixing it and doing the proper operating  
14 practice.

15 Q. Right. But you have to have a five-barrel  
16 spill before the abatement plan requires you to  
17 report it.

18 A. I believe that's what the rule says, yes.

19 Q. So you didn't have to report the wet area.

20 A. That's correct, except for the way IPANM  
21 is interpreting the Oil Conservation Division's  
22 modification. We are concerned about that. If it  
23 is a five-barrel portion, I think everything is  
24 okay.

25 Q. You had suggested that the date to start

1 the clock on the pit should be the spud date. Since  
2 it is a matter of regulatory language would it not  
3 be more appropriate to be the date when fluid was  
4 put in the pit? That's when the pit started acting  
5 as a pit.

6 A. It could be. I believe those dates are  
7 going to be fairly close. Just from an ease of  
8 regulatory standard, it's pretty easy to know the  
9 date you spud the well because you file it on  
10 several forms, and it's convenient and easy to  
11 track. The date that the water truck put the first  
12 load of water in the pit is generally very close to  
13 the date they installed the liner in order to keep  
14 the liner in place so the wind doesn't get to it.  
15 But they could use some other date, but I think the  
16 appropriate date is the spud date.

17 Q. This came up in the testimony. You  
18 brought up the 25-foot model, and in that model you  
19 used the 1,000 milligrams per liter leachate and you  
20 said that's because of low chloride drilling fluid.  
21 Let us picture that there is some leftover mud in  
22 some form in the ground and a little bit of water is  
23 percolating through it as your model shows. Why is  
24 the amount that comes through after water has soaked  
25 through this dependent upon the initial

1 concentration? Doesn't it depend on almost how much  
2 chloride is in the ground, how much it can possibly  
3 leach out as it soaks through?

4 A. Your statement would be correct. The  
5 reason that the SPLP method of testing is making  
6 that assumption that you can move 20 pore volumes,  
7 for lack of a better term -- not pore volumes but  
8 you're going to remove all the weight. It's fully  
9 soluble, you are putting all of it into solution in  
10 20 -- I'm having trouble with the word.

11 Q. I could fill in but that would be  
12 inappropriate.

13 A. What I am trying to do, but to come back  
14 to your question, what I represented in that exhibit  
15 was that the highest solid content measured from the  
16 sampling that I'm aware of was 5290 milligrams per  
17 kilogram and that the effective fluid coming out of  
18 that, assuming -- coming out would be 265 milligrams  
19 per kilogram on the leachate coming out of that  
20 solid. That's assuming it all comes out in 20 --  
21 mass -- I'm missing my key word.

22 I raised that threshold to 1,000  
23 milligrams per liter for the Northwest. If you look  
24 at the average criteria, the 5290, I think the  
25 average concentration was around 500 is what I

1 recall. So I have gone, taken the extreme and I  
2 have gone above and taken a leachate, 1,000  
3 milligrams per liter leachate that I am modeling  
4 into the Multimed model as the representation for  
5 the 25 foot to groundwater, 100 foot lateral  
6 distance. So those are the figures that I utilized  
7 up in the northwest.

8 Q. This one is a very significant point, so I  
9 have to stay with it. We have a layer of  
10 chloride-containing material. Water is moving  
11 through it at the rate of about a millimeter per  
12 year. That's the rate it comes out of the bottom.  
13 You are saying that the most chloride that water  
14 comes out could contain is 1,000 milligrams per  
15 liter. That doesn't have much to do with the SPLP  
16 leach test.

17 A. For the thresholds that we are setting in  
18 the tables as being protective it does, from that  
19 representation. When you look at the modeling that  
20 I did and the OCD did and talk about that pulse and  
21 what that leachate is going to be, we are making  
22 that assumption of what that initial concentration  
23 of leachate is going to be. And the model assumes  
24 it stays the same.

25 Q. Yes.

1           A.     Is that the real world case?

2           Q.     What I'm getting at is the assumption --  
3     what you put into the top of Multimed is an  
4     assumption?

5           A.     Correct.

6           Q.     At 1,000 milligrams per liter?

7           A.     Yes, from a concentration that is correct.  
8     That is an input, yes. Just as I used 100,000  
9     milligrams per liter --

10          Q.     Just as you used 100 times as much  
11     somewhere else?

12          A.     Yes.

13          Q.     So I am puzzled when we get to a case that  
14     really counts, only 25 feet to groundwater where you  
15     can assume -- why you can assume it leaches through  
16     the buried material can achieve only 1,000  
17     milligrams per liter independent of the depth, the  
18     amount of buried material or anything else.

19          A.     I don't mean to imply that that is what  
20     that amount is going to be. The 1,000 milligrams  
21     per liter is a set input that I selected. Using the  
22     analogy -- it's not an analogy. Using the  
23     mathematics that we are representing for solids to  
24     liquids, the highest reading in the northwest in the  
25     waste material is 5209 milligrams per kilogram.

1 Using that scenario under a leachate, what leachate  
2 I would expect to come out of that contaminant, I  
3 would expect 265 milligrams per liter to potentially  
4 be the leachate that comes out from that pit.

5 Does that mean that it is? No. Rather  
6 than use 265 I used 1,000 as a set point, 1,000  
7 milligrams per liter as the leachate coming out in  
8 the northwest. The reason I didn't use a higher  
9 leachate in the northwest is because we utilize low  
10 chloride drilling fluids and the solids testing  
11 would indicate that I would not expect a high  
12 salt -- excuse me, a high chloride concentration in  
13 the leachate coming out. Doesn't mean it couldn't  
14 occur, but I would not anticipate that.

15 Q. We have a difference there. I simply  
16 can't understand that. In the definition you  
17 desired for groundwater, you wanted it defined, if I  
18 understood correctly, capable of entering a well?

19 A. And that's on Page 2 of our submittal. We  
20 are recommending a definition for groundwater, yes.

21 Q. In terms of having things that are clear  
22 and understandable and not arguable, you do not know  
23 whether it's capable of entering a well until you  
24 drill a well, case it, the casing, whatever you are  
25 going to do and wait and see; is that not correct?

1           A.     I believe that based upon the information  
2     for an area, many times there are many water wells  
3     drilled throughout an area.

4           Q.     Right.

5           A.     You have a fairly good idea. I don't  
6     think you have to go drill a specific well at that  
7     location to identify that.

8           Q.     If there is a well in the neighborhood and  
9     water is coming into it, you know. But we are faced  
10    with a case where the operator says there isn't any  
11    groundwater.

12          A.     Let me --

13          Q.     And I see that as an arguable point. If  
14    the definition of groundwater is capable of entering  
15    a well and there's no well nearby --

16          A.     I think you can look at -- let's say, for  
17    instance, the location where you have existing oil  
18    and gas well logs, an SP log and some resistivity  
19    information. You probably get a very good idea if  
20    that's a groundwater interval. Now, what quality  
21    the groundwater is is an entirely different subject,  
22    but I think it would be fairly readily apparent to  
23    those working in that area and within the industry  
24    that that's where the groundwater is, especially  
25    consulting with the Oil Conservation Division, which

1 is checking this material.

2 Q. I'll try one more time. Let's have a  
3 hypothetical case. I come out with my  
4 ground-penetrating radar and run it over the ground  
5 and I say, "There's groundwater down here at 20  
6 feet." You say, "I'm going to drill anyway because  
7 that's not capable of entering the well." We have  
8 put in the rule a flat definition that is not very  
9 useful; it's arguable.

10 MS. FOSTER: Is there a question?

11 Q. The question is: Why is that then a good  
12 rule? Why does that simplify -- why does that take  
13 out this problem of interpretation?

14 A. I don't think there is quite the problem  
15 of the interpretation that you are indicating. I  
16 think using your hypothetical, your hypothetical  
17 also has an Oil Conservation Division regulator. So  
18 when you put those together, the Oil Conservation  
19 Division is reviewing this material in your  
20 application, and if it doesn't meet the standards  
21 they can deny your application. So that's what I  
22 would consider occurring. I think it is appropriate  
23 to define groundwater and to utilize the definition  
24 that's utilized elsewhere within regulations, so I  
25 think that was our attempt to do that.

1           Q.     I recognize there's been much discussion  
2     already regarding confined versus unconfined in  
3     terms of definitions. Did I understand you  
4     correctly that you said it is hard to determine a  
5     confined versus unconfined?

6           A.     That's correct.

7           Q.     If it's hard to determine that, why does  
8     that make it a good rule?

9           A.     I think I testified that it probably  
10    wasn't the best choice of wording. I believe that  
11    the industry was trying to define that depth to  
12    groundwater and not have it confused with the depth  
13    that the water may rise to within a well. So I  
14    listened to your prior testimony and I believe your  
15    concerns are legitimate.

16          Q.     Do you have any other suggestion? Because  
17    I heard you say we could use something from a well,  
18    and I think that was a mistake because you are  
19    saying we want to be careful about using that in the  
20    well and having that confuse us.

21          A.     I have had a lot of questions asked of me  
22    today. I recall one earlier, I believe, from  
23    Mr. Jantz that had some language that sounded  
24    acceptable, but off the top of my head I can't give  
25    you the answer.

1 Q. I appreciate the difficulty. I will ask  
2 the question about variances because they were  
3 discussed. As I understand, you find it a burden to  
4 notify the landowner and perhaps other people when  
5 you are seeking a variance. It adds difficulty to  
6 the paperwork. Am I understanding that correctly?

7 A. I believe that's a fair way of saying  
8 that. It could cause confusion and difficulty where  
9 I don't believe it's necessary.

10 Q. And you used the word that you were  
11 seeking certainty; is that correct?

12 A. Yes.

13 Q. Certainty in the regulation. Can you give  
14 us any reason why the surface owner or the public  
15 should not have equal certainty? Because they trust  
16 the rule. The only time they get to talk about it  
17 is when the rule is adopted so when you go for a  
18 variance you are changing the rule basically.

19 A. I believe that's why we have the Oil  
20 Conservation Division. That's why we have the Oil  
21 Conservation Division and the staff that review  
22 those items and decide whether they are going to  
23 approve the variance or not. My concern is that the  
24 notice to the surface owner suddenly becomes the  
25 approval of the surface owner. So I think the

1 division is capable of handling that in the best  
2 interest of protecting human health and the  
3 environment.

4 Q. And in your proposal, this would be  
5 handled at the field office level?

6 A. For a variance, that's correct.

7 Q. For a variance. Is there anything in the  
8 current rule that says if the landowner is notified  
9 he has some sort of authority to become an authority  
10 in the process? Some way to become an authority?

11 A. You will have to put the rule, the current  
12 rule, in front of me and we can go through that.  
13 What I have relayed is that the notification  
14 provisions tend to sometimes cause more difficulty  
15 than I think what their purpose was for.

16 Q. Very good. I understand your purpose for  
17 that. You had several times referred to the siting  
18 or setbacks of 100 feet and you referred to that as  
19 though it were justified by your modeling which  
20 involves transport in an arroyo -- excuse me,  
21 transport in an aquifer.

22 A. I believe the model gives a reasonable  
23 representation of the concentration that would be  
24 received at a receptor, 100 feet from a buried  
25 reserve pit.

1           Q.     Does that give us any reason to use that  
2     same number or evaluation in setbacks from arroyos  
3     or other geographical physical things?

4           A.     I believe that what was put in conjunction  
5     with that is the type of fluid, and that's one of  
6     the changes that we are recommending to the rule is  
7     the utilization and classification of a low chloride  
8     drilling fluid system. The 100-foot level was where  
9     that low chloride fluid system is utilized. In the  
10    other instances, because of whether it's a spill or  
11    a release or proximity, the siting requirements are  
12    larger and I think that's reasonable, and have some  
13    common sense also involved in that.

14          Q.     There was some controversy over used  
15    springs versus unused springs. Has that term been  
16    changed in the IPANM suggestion?

17                MS. FOSTER: If Dr. Neeper could maybe  
18    point us to the language that he is addressing?  
19    Because I don't remember any springs language.

20          A.     I don't recall testifying about that and I  
21    don't recall --

22          Q.     You did not testify about that.

23          A.     So I'm having -- you might have to assist  
24    me in reminding me in the rule, but that doesn't  
25    come to mind off the top of my head.

1 Q. I'm at a disadvantage because I don't have  
2 this version, I have only the earlier version so I  
3 can't deal with that because I can't site it. There  
4 is one question where I can recite the case.  
5 Revegetation is not required for pits, tanks and  
6 trenches. That would be 19.15.13F3C right at the  
7 very end?

8 A. F3C, which I show on the IPANM Exhibit 34.

9 CHAIRPERSON BAILEY: Page 39.

10 A. Would you repeat your question,  
11 Dr. Neeper?

12 Q. Yes. I would interpret the words in there  
13 as saying revegetation is not required for pits,  
14 tanks and trenches. There are words about  
15 contouring. I can read that into your testimony if  
16 that's a help.

17 A. I'm looking on Page 39, Reclamation,  
18 Revegetation, Part 3C, and I see, "Reclamation of  
19 all disturbed areas no longer in use shall be  
20 considered complete when all ground surface  
21 disturbing activities at the site have been  
22 completed and all disturbed areas have either been  
23 built on, compacted, covered, paved or otherwise  
24 stabilized in such a way as to minimize erosion to  
25 the extent practicable, or a uniform vegetative

1 cover has been established that reflects a life form  
2 ratio," which was Dr. Buchanan's information, "of  
3 plus or minus 50 percent of the pre-disturbance  
4 levels and a total percent plant cover of at least  
5 70 percent of the pre-disturbance levels excluding  
6 noxious weeds."

7 Q. So the revegetation comes after the word  
8 "or." It is not required; is that correct?

9 A. I believe unless it is built on,  
10 compacted, covered or paved and being utilized in  
11 some other fashion.

12 Q. It would be sufficient to compact it?

13 A. That appears to be correct. If it's being  
14 utilized for additional operation, that's possible.  
15 It could have a covered compressor building over the  
16 top of it. I don't know.

17 Q. And in your modeling, I think was  
18 vegetation assumed?

19 A. Vegetation was assumed at a -- I believe  
20 it was the pore condition utilized by the Oil  
21 Conservation Division. I will have to refer back to  
22 the model but it was not assumed to be a growing  
23 crop land or anything to that effect.

24 Q. So the model then did not cover conditions  
25 that would be allowable under the rule state-wide?

1           A.     I don't think that's correct. I believe  
2     it's applicable -- I could very easily remove all of  
3     the vegetation and have 100 percent bare ground.  
4     Obviously, that would increase the effective net  
5     infiltration rate that would come out of the model.  
6     I did not do that.

7           Q.     You did not --

8           A.     In this case but it could be done very  
9     easily.

10          Q.     Then comes down to clarifications of just  
11     what the model has. As I believe we said, the top  
12     piece is the HELP model. It calculates some  
13     transmission and then Multimed takes that  
14     transmission or infiltration, lets the leachate  
15     travel down to the receptor, the thing at the  
16     bottom, which could be an aquifer.

17          A.     Yes.

18          Q.     Now, could we not replace fundamentally  
19     what Multimed does just by giving ourselves the  
20     assumption there is one millimeter, however much  
21     water you specify, coming in at the top? It will  
22     flow at a given velocity down through the soil and  
23     we need to know what that velocity is. If there is  
24     very high saturation it will go slow, but low  
25     saturation where there are not many channels for the

1 water, would it not run fast? So the one thing  
2 Multimed has to tell us in some fashion, has to  
3 solve for us is just the degree of saturation of the  
4 soil because it assumes the water is just flowing.

5 A. Well, Multimed said -- you said soil  
6 moisture as I recall, saturation level in there.

7 Q. Degree of saturation?

8 A. So it's not solving, as my understanding  
9 of your model did, you calculate what the saturation  
10 level would be coming up from the aquifer. So the  
11 Multimed model that I ran has a set assumption at  
12 what that saturation is.

13 Q. And so once you know the saturation, you  
14 can know the speed of motion of the water and you  
15 can write down the answer?

16 A. In general you could probably do it on the  
17 back of a napkin if you have the effective porosity  
18 handled correctly and assuming that all of the  
19 decay, real world co-efficients of degradation don't  
20 occur.

21 CHAIRPERSON BAILEY: Do you have many more  
22 questions?

23 MR. NEEPER: I do. I realize I am taking  
24 your time and if you find them burdensome and not  
25 making progress you are welcome to cut me off. I am

1 happy to stop at any time and that would give me an  
2 evening to condense.

3 CHAIRPERSON BAILEY: Let's stop and we  
4 will reconvene at 9:00 o'clock in the morning. We  
5 can take public comment at this point. Mr. Mullins,  
6 you will remain under oath until you are dismissed  
7 sometime tomorrow.

8 We have two people who would like to make  
9 public comment. The first one is Jose Varela Lopez.  
10 We have a time limit of five minutes. Would you  
11 like to make a sworn or unsworn?

12 MR. LOPEZ: Unsworn statement. I'm not a  
13 technical person.

14 CHAIRPERSON BAILEY: And then we will not  
15 cross-examine you either. Okay. If you would  
16 please come up where we can all hear you. State  
17 your name and where you reside.

18 THE WITNESS: Good afternoon, Madam Chair,  
19 members of the Oil Conservation Division. My name  
20 is José Varela Lopez and I reside in Santa Fe County  
21 at 86 Villa Los Romero in La Cienega, New Mexico. I  
22 am here today as a board member of the New Mexico  
23 Federal Lands Council. I served on the previous Pit  
24 Rule task force as an alternate in 2008, I believe,  
25 and given that the hearings came up again I just

1 wanted to make a few short comments on behalf of the  
2 Federal Lands Council.

3 I believe that the existing rule provides  
4 a sound process for ensuring the rights of the  
5 surface and subsurface owners to function in a  
6 manner that is respectful of the interests of both.  
7 Also I believe that it seems that the existing rule  
8 is not adversely affecting the oil and gas industry  
9 which seems to be thriving in spite of the overall  
10 economy.

11 As a rancher in New Mexico, I am keenly  
12 aware that our arid environment dictates that we  
13 collectively be as responsible as possible to ensure  
14 the long-term health and stability of the land and  
15 being a descendant of some of the original Europeans  
16 to settle New Mexico some 400 years ago, I know if  
17 our ranch lands had not been treated appropriately,  
18 they would not be as healthy and productive as they  
19 are today.

20 In conclusion, I believe while it may be  
21 desirable to make some practical changes to the rule  
22 to address oversights that were made previously and  
23 are part of the current rule, I don't believe that  
24 the rule should diminish the current safeguards that  
25 have served the state and its oil and gas and

1     ranching industries so well. Thank you.

2                 CHAIRPERSON BAILEY: Thank you for your  
3     comments. Sanders Moore? Would you like to make a  
4     sworn or unsworn?

5                 THE WITNESS: Unsworn statement.

6                 CHAIRPERSON BAILEY: State your name.

7                 THE WITNESS: Madam Chair, Commissioners,  
8     my name is Sanders Moore and I'm with Environment  
9     New Mexico. On behalf of our 15,000 members and  
10    supporters around the state we stand in support of  
11    the current Pit Rule. I understand it has been very  
12    effective at protecting our water quality, which we  
13    obviously are in an arid state so we don't have a  
14    ton of water, an abundance, so I think we should  
15    protect what we have.

16                I'm aware that prior to the Pit Rule we  
17    had many instances of contamination of groundwater  
18    sources but it has proven to be effective. The  
19    current Pit Rule has proven to be very effective.  
20    Because of those reasons I stand in solidarity with  
21    the current Pit Rule. Thank you.


22                CHAIRPERSON BAILEY: Thank you. We will  
23    see each other again at 9:00 o'clock in the morning.

24                (Note: The hearing was adjourned for the  
25    day at 4:55.)

## REPORTER'S CERTIFICATE

I, JAN GIBSON, Certified Court Reporter for the State of New Mexico, do hereby certify that I reported the foregoing proceedings in stenographic shorthand and that the foregoing pages are a true and correct transcript of those proceedings and was reduced to printed form under my direct supervision.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case and that I have no interest in the final disposition of this case.

  
JAN GIBSON, CCR-RPR-CRR  
New Mexico CCR No. 194  
License Expires: 12/31/12