

STATE OF NEW MEXICO
ENERGY, MINERAL AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

ORIGINAL

APPLICATION OF THE NEW MEXICO OIL AND GAS
ASSOCIATION FOR AMENDMENT OF CERTAIN PROVISIONS OF
TITLE 19, CHAPTER 15 OF THE NEW MEXICO
ADMINISTRATIVE CODE CONCERNING PITS, CLOSED-LOOP
SYSTEMS, BELOW GRADE TANKS AND SUMPS AND OTHER
ALTERNATIVE METHODS RELATED TO THE FORE GOING
MATTERS, STATE-WIDE.

CASE NO. 14784 AND 14785

VOLUME 9

June 27, 2012
9:00 a.m.
STATE LAND OFFICE
310 Old Santa Fe Trail
Morgan Hall
Santa Fe, New Mexico

2012 JUL 10 P 1:48

RECEIVED OCD

THE COMMISSION:

JAMI BAILEY, Chairperson

GREG BLOOM, Commissioner

DR. ROBERT BALCH, Commissioner

MARK SMITH, Esq.

FLORENE DAVIDSON, COMMISSION CLERK

REPORTED BY: Jan Gibson, CCR, RPR, CRR
Paul Baca Court Reporters
500 Fourth Street, NW - Suite 105

1 APPEARANCES

2 FOR NEW MEXICO OIL & GAS ASSOCIATION (NMOGA):

3 HOLLAND & HART, LLP
 4 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 5 505-988-4421
 BY: WILLIAM F. CARR
 6 wcarr@hollandhart.com

7 JORDEN BISCHOFF & HISER
 8 7272 E. Indian School Road, Rd. Suite 360
 Scottsdale, Arizona 85251
 9 480-505-3927
 BY: ERIC L. HISER
 10 ehiser@jordenbischoff.com

11

12 FOR OIL & GAS ACCOUNTABILITY PROJECT (OGAP):

13 NEW MEXICO ENVIRONMENTAL LAW CENTER
 1405 Luisa Street, Suite 5
 14 Santa Fe, New Mexico 87505
 505-989-9022
 15 BY: ERIC D. JANTZ
 ejantz@nmelc.org

16

17

FOR THE OCD:

18

GABRIELLE GERHOLT
 19 Assistant General Counsel
 1220 St. Francis Drive
 20 Santa Fe, New Mexico 87505
 505-476-3210
 21 gabrielle.Gerholt@state.nm.us

22

23

24

25

APPEARANCES CONTINUED

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR INDEPENDENT PETROLEUM ASSOCIATION OF NM:

K. FOSTER ASSOCIATES, LLC
5805 Mariola Place, NE
Albuquerque, New Mexico 87111
BY: KARIN FOSTER
505-238-8385
fosterassociates@yahoo.com

FOR THE NEW MEXICO CITIZENS FOR CLEAN AIR & WATER:

DR. DONALD NEEPER and DR. JOHN BARTLETT
2708 B. Walnut Street
Los Alamos, New Mexico 87544
505-662-4592
dneeper@earthlink.net

FOR JALAPENO CORPORATION:

PATRICK FORT
P.O. Box 1608
Albuquerque, New Mexico 87103
patrickfort@msn.com

FOR NEW MEXICO WILDERNESS ALLIANCE:

JUDITH CALMAN
142 Truman Street, Suite B-1
Albuquerque, New Mexico 87108
judy@nmwild.org

FOR NEW MEXICO STATE LAND OFFICE:

HUGH DANGLER
310 Old Santa Fe Trail
P.O. Box 1148
Santa Fe, New Mexico 87504
(505) 827-5756

APPEARANCES CONTINUED

FOR NEARBURG PRODUCING COMPANY:

JAMES G. BRUCE
P.O. Box 1056
Santa Fe, New Mexico 87504
505-982-2043
jamesbruc@aol.com

INDEX

THE WITNESSES: PAGE:

TOM MULLINS

Direct Examination by Ms. Foster.....2014
Cross-Examination by Mr. Jantz.....2022
Cross-Examination by Dr. Neeper.....2033

DONALD NEEPER

Direct Testimony.....2046
Cross-Examination by Ms. Foster.....2056
Cross-Examination by Mr. Jantz.....2058
Cross-Examination by Mr. Dangler.....2059
Cross-Examination by Mr. Fort.....2064
Examination by the Commission.....2066

SWORN STATEMENT OF GARRETT VENEKLASEN.....2079

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

IPANM

18. Mullins' Rebuttal Exhibit.....2021

NEEPER

R2-6. Graph.....2056

Reporter's Certificate.....2083

1 (Note: In session at the 9:00)

2 CHAIRPERSON BAILEY: Good morning. This
3 is the meeting of the Oil Conservation Commission on
4 Wednesday, June 27th in Morgan Hall in the State
5 Land Office building in Santa Fe, New Mexico. We
6 are here for a continuation of consolidated cases
7 14784 and 14785. We do have sign-in sheets in the
8 back of the room for public comment. Anyone who
9 will be making public comments today, we will break
10 before lunch and at 3:00 today to allow for public
11 comments.

12 At this time we will be hearing direct
13 testimony from Tom Mullins. You are still under
14 oath from the previous meeting.

15 CHAIRPERSON BAILEY: Ms. Foster, you may
16 present your witness.

17 TOM MULLINS

18 (being previously sworn, testified as
19 follows:)

20 DIRECT EXAMINATION

21 BY MS. FOSTER

22 Q. Good morning, Mr. Mullins.

23 A. Good morning.

24 Q. I remind you you are under oath and this
25 testimony today will be extremely limited. As a

1 result of the conversations or your testimony
2 previously you were asked specific questions by
3 Commissioner Bailey pertaining to your modeling; is
4 that correct?

5 A. That is correct.

6 Q. As a result did you prepare Exhibit No.
7 18?

8 A. Yes.

9 Q. You prepared the exhibit and provided it
10 to counsel who distributed it?

11 A. That's correct.

12 MS. FOSTER: And so at this time I would
13 move in for the purposes of discussion?

14 CHAIRPERSON BAILEY: Any objections?

15 MR. JANTZ: No.

16 Q. If you could please walk the commission
17 through the new exhibit.

18 A. Yes, I'm going to be referencing Exhibit
19 18, which is basically three PowerPoint slides
20 followed by some Multimed model outputs referencing
21 basically Slide 2 in response to Commissioner
22 Bailey's question. She was asking -- she asked me
23 with regard to 25 foot to groundwater.

24 One thing I want to point out to the
25 commissioners in relation to the two models that

1 have been discussed, the HELP model and the Multimed
2 model --

3 Q. Before you go on, I want the record clear.
4 The reason we are discussing the 25-foot level now,
5 is that referred to in the IPANM petition?

6 A. It's referenced within the tables
7 associated with the amended version of Rule 17 and
8 specifically it was directed towards the low
9 chloride drilling fluids.

10 Q. As it pertains to the siting requirements
11 of temporary pits?

12 A. Yes, as the siting requirements as well as
13 the tables that are in the document.

14 Q. Thank you. You may continue.

15 A. Something that I wanted to point out that
16 we were discussing. I'm referencing Page 2 of the
17 exhibit, Conceptual Model. We previously discussed
18 it had four foot of soil cover, 12 1/2 feet of waste
19 and then had the vadose zone material. The HELP
20 model generates the infiltration rate which is the
21 input for the Multimed model.

22 Looking at the depths, one of the reasons
23 that the Oil Conservation Division also in the prior
24 rule utilized the 50-foot depths and the 100-foot
25 depths, they had the same conceptual mode. That

1 infiltration rate is effectively running from the
2 surface of the ground down, so when we are talking
3 about -- we had some different discussion about what
4 those depths were, whether we had the four foot of
5 soil cover to the 12 1/2 feet to the 25 feet to get
6 where we are at. In reality, we need to look at
7 that as the output of the HELP model is the
8 infiltration rate and that effectively would be
9 mobilized from the surface because it's the
10 effective infiltration rate down 25 feet to where it
11 would encounter the groundwater.

12 The question I was asked was what was the
13 time period in addition to what I believe is very
14 important, is also the concentration of the chloride
15 that will be reached, so I am moving now to Page 3
16 of the exhibit 18 that I prepared.

17 This is very similar to the slide on
18 Exhibit 16 that I testified to previously. The
19 difference is when we move down to the third line --
20 let me start at the top. This summarizes the 25
21 foot to groundwater for low chloride focus which is
22 1,000 milligrams per liter of leachate with 48
23 inches of cover, and I presented both Carlsbad and
24 Aztec, New Mexico. So a southeast and a northwest
25 representation.

1 The HELP model calculated infiltration
2 rates of 1.53 millimeters per year for Carlsbad and
3 very small, very low infiltration rate, .0107 for
4 Aztec, New Mexico.

5 The question then became what was the time
6 period in concentration basically directly
7 underneath the pit or one meter or three foot
8 lateral distance of 25 feet. For Carlsbad that
9 would be 775 years, and that's principally
10 associated with that infiltration rate.

11 In order to calculate the Aztec time
12 period, 111,367 years, I could not resolve that.
13 That's more a technical term utilized in the model
14 so I had to base that off of the infiltration rate
15 itself, so 1.53 infiltration rate divided by the
16 .0107 infiltration rate effectively it was 143.7
17 mathematically with all of the digits that were
18 carried in the math. So Aztec was effectively 143.7
19 times as long for the contaminant to travel.

20 Something that jumps out when you compare
21 the difference between my prior slide or Exhibit 16
22 was the number of years, and the difference between
23 the prior slide was 950 years for Carlsbad versus
24 775, so that would be a difference of 175 years.
25 The reason that I'm pointing that out to the

1 commission is effectively that time period would be
2 the same from when you reach the groundwater and you
3 would move over 100 feet for all of the models.

4 Q. Mr. Mullins, if you could please clarify
5 the statement you just made because I'm getting
6 confused on your testimony. You stated in Exhibit
7 16 you had a number of 950 years. That was for the
8 contaminant to go through the bottom of the pit, hit
9 groundwater and move 100 feet to the receptor. That
10 was the 950 years, correct?

11 A. That's correct.

12 Q. Okay. Now, in this exhibit, Exhibit 18,
13 the Carlsbad reaching a three-foot lateral 25 foot
14 depth is 775 years, so you are explaining the
15 difference between the 950, and the difference
16 really is that it's not moving laterally?

17 A. Correct.

18 Q. Thank you.

19 A. So that time period, if you wanted to
20 reference for all of the various numbers that I have
21 presented in my modeling, the aquifer is basically
22 modeled the same throughout all of the cases. So it
23 would be approximately 175 years to travel from
24 three feet out to 100 feet, so 97 feet of additional
25 distance would be 175 years.

1 The next item down was the years until
2 maximum chloride concentration, and what I had in my
3 representation is 1120 years for reaching the
4 maximum chloride level. In the prior Exhibit 16
5 with 100 foot lateral distance it was 1350 years is
6 the number that I had for my time step. The maximum
7 chloride concentration that would be expected to be
8 encountered in Carlsbad would be 13.3 milligrams per
9 liter so we would be starting with 1,000 milligrams
10 per liter of leachate traveling down 25 feet and
11 resulting after 1120 years would be 13.3 milligrams
12 per liter.

13 The Aztec, New Mexico northwest model was
14 a little more challenging to work with. I wanted
15 to -- I gave testimony previously that the
16 contaminant would move and it would move in all
17 instances, it just would move at a concentration
18 that would be nearly impossible to detect.

19 The Multimed model has the capability to
20 determine the maximum contaminant concentrations, so
21 I ran that feature for Aztec, New Mexico for the
22 infiltration rate presented and I obtained a
23 contaminant concentration that would be likely
24 measured after 111,367 years mathematically of .0006
25 milligrams per liter. So effectively this kind of

1 brings up that discussion that it's nearly
2 impossible to resolve the contaminant being
3 detected. It's a very low infiltration rate.

4 The material behind Slide 3 is the HELP
5 model runs that support the information that I have
6 summarized here for the 25 foot to groundwater.

7 Q. So the record is clear, that's Pages 4
8 through 15 of Exhibit 18 were prepared for you and
9 are output for the Multimed model?

10 A. That's correct.

11 Q. And the four slides of your presentation
12 were also prepared by you?

13 A. That's correct.

14 MS. FOSTER: At this time I move Exhibit
15 18 into evidence, please.

16 CHAIRPERSON BAILEY: Any objections?

17 MR. JANTZ: No objection.

18 MR. FORT: No objection.

19 CHAIRPERSON BAILEY: The exhibit is
20 admitted.

21 (Note: IPANM exhibit 18 admitted.)

22 MS. FOSTER: Thank you. I have no further
23 questions of the witness.

24 CHAIRPERSON BAILEY: Cross-examination?

25 MR. CARR: No questions.

1 MR. JANTZ: I have a few, yes.

2 CROSS-EXAMINATION

3 BY MR. JANTZ

4 Q. Good morning, Mr. Mullins.

5 A. Good morning.

6 Q. I want to clarify a couple things both in
7 my own mind and for the record. The input for the
8 25 feet to groundwater low chloride focus -- and
9 this is the Multimed model; is that right?

10 A. That's correct.

11 Q. Okay. So the inputs for this were
12 identical to the inputs you used for the other runs
13 that you did? I guess that's Exhibit 7?

14 A. Well, these would be identical to Exhibit
15 16.

16 Q. Exhibit 16. Okay. And are those inputs
17 the result of the modeling for the HELP model which
18 is Exhibit 7?

19 A. Yes. The output of the HELP model became
20 the input for the Multimed model, that's correct.

21 Q. And that's Exhibit 16 and now 18; is that
22 right?

23 A. 16 and 18 is what I was focused on talking
24 about today.

25 Q. Okay.

1 A. Yes.

2 Q. So just to be clear, in terms of the
3 precipitation values that you used, those were a
4 result of the HELP model as well and that's an
5 average; is that right? You used an average
6 precipitation?

7 A. I used the U.S. Climate Data information
8 for both Carlsbad and Aztec. I input the average
9 monthly values and the HELP model would calculate a
10 daily synthetic precipitation value for that, and
11 that was utilized within the HELP model, the daily
12 information.

13 Q. Okay. So is that like an average steady
14 drip of water through the waste pit and the ground?

15 A. It varies daily based upon the -- what the
16 synthetic -- how the synthetic is created.

17 Q. It's an everyday thing?

18 A. Yes. It's based upon, similar to
19 Dr. Neeper's Julian calendar year, 360 days rather
20 than 365.

21 Q. And that's some precipitation every day?

22 A. If there's no precipitation that day,
23 which frequently occurs in New Mexico, it would have
24 a zero.

25 Q. It would be zero?

1 A. It would have a zero precipitation value.

2 Q. And the liner permeability, was that --

3 MS. FOSTER: I'm going to object is to the
4 line of questioning, Madam Commissioner. Mr. Jantz
5 had the opportunity to cross-examine the witness on
6 all of the IPANM exhibits. We are here today
7 specifically to talk about the exhibits of Exhibit
8 18 so, you know, Mr. Jantz seems to be going into
9 the underlying factors and everything back into the
10 HELP model questions and the Multimed questions and
11 I would object to that line of questioning.

12 CHAIRPERSON BAILEY: Mr. Smith, since this
13 is direct testimony, are cross-examinations allowed
14 for the entire direct testimony or only for this
15 exhibit that's brought forth today?

16 MR. SMITH: I think that if work that he
17 had previously done supports this exhibit, that can
18 be gone into. I think that the models, questions
19 about the models can be gone into. I don't know
20 that Mr. Jantz can go back and cross-examine about
21 Exhibit 16 unless it's laying a foundation for 18.

22 MR. JANTZ: If I may, Madam Chair, the
23 basis the inputs for Mr. Mullins' -- the inputs, as
24 I understand it, for Exhibit 18 rely on the inputs
25 that were the outputs from Exhibit 7, the HELP

1 model. And in order to evaluate this or in order to
2 help us evaluate this, we need to be able to be
3 clear on what's going on with respect to those
4 inputs and outputs as they relate to the exhibit.

5 CHAIRPERSON BAILEY: Mr. Smith has given
6 us our guidance on that.

7 MR. JANTZ: Thank you, Madam Chair.

8 Q (By Mr. Jantz) So I need to be reminded,
9 Mr. Mullins. When -- I believe it was Dr. Balch
10 talked to you about sensitive parameters in the
11 context of the HELP model. Was liner permeability
12 one of those sensitive parameters?

13 A. No.

14 Q. It wasn't. Okay. So in terms of the
15 results for Exhibit 18, let's just take years until
16 maximum chloride contamination. The liner
17 sensitivity, the parameter, not being sensitive,
18 would it be my understanding -- was my understanding
19 correct that an unlined pit would have the same
20 travel time -- unlined pit would have the same
21 travel time --

22 MS. FOSTER: Objection.

23 Q. -- as a lined pit?

24 MS. FOSTER: Again, these questions were
25 asked previously concerning lined and unlined pits.

1 Mr. Mullins made it clear that this exhibit was in
2 response to Commissioner Bailey's question and he
3 stated that the inputs were exactly the same. So
4 any questions about the HELP model really are
5 inappropriate at this time because he stated the
6 inputs are exactly the same. The output, therefore,
7 the numbers will be the same and what he is going to
8 be using for the Multimed model might have been
9 different.

10 So if Mr. Jantz wants to ask questions
11 about the Multimed model and those factors, fine.
12 But now we are getting into giving him an additional
13 opportunity to cross-examine the witness based on
14 questions the commissioner made after OGAP already
15 asked questions.

16 MR. SMITH: These were questions that you
17 were asking about the HELP model; is that correct?
18 Input for Exhibit 18?

19 MR. JANTZ: Let me rephrase the question.

20 Q. Would the contaminant travel times for a
21 lined pit be identical to an unlined pit in this 25
22 foot to groundwater scenario?

23 A. No.

24 Q. They would not. What would the difference
25 be?

1 A. If you had a liner it would be slower.

2 Q. How much slower?

3 A. I didn't run that particular case. It
4 would be marginally slower. If I was going to
5 estimate, it would be a few years.

6 Q. Hundreds of years or less than that?

7 A. Probably less than 100 years.

8 Q. So for the time frames we are talking
9 about, greater than 100,000 years, it would be
10 negligible between a lined and unlined pit?

11 A. That would be correct, especially in
12 Northwest New Mexico, yes.

13 Q. Now, you said you didn't do that run. Did
14 you do a range of other runs with various change in
15 various variables in your Multimed model?

16 A. I believe I already testified to that to
17 Commissioner Balch.

18 Q. Could you remind me of the answer, please,
19 for the record?

20 A. You will have to ask those questions
21 again. I remember that was already asked. I will
22 be sure to remember that and --

23 Q. I appreciate that. My memory isn't so
24 good. For this Multimed scenario, did you run --
25 did you model for liquid in the pit?

1 A. No. I think that you're misunderstanding.
2 There is liquid in the pit, obviously, because it
3 has the initial saturated level. I think you are
4 mixing apples and oranges between the liquid in a
5 lined pit versus the solid drill cuttings, which is
6 what I modeled.

7 Q. Okay. So you didn't model it with any
8 appreciable liquid in the pit?

9 A. Well, what's your definition of
10 appreciable? If you look at the saturation levels
11 that are in the initial conditions and you add that
12 up, that could be a significant water level. I
13 think that's represented in the HELP model, the
14 total inches of water in the system.

15 Q. How many total inches was that?

16 MS. FOSTER: Objection.

17 A. You will have to reference the exhibit.

18 Q. Okay. On Page Hand No. Page 6 of Exhibit
19 18 you say the bulk density of soil is 1.73 grams
20 per centimeter? Is that correct?

21 MS. FOSTER: Mr. Jantz, where are you
22 pointing to on the exhibit? There are a lot of
23 numbers on the Page.

24 MR. JANTZ: I'm sorry, the 1.73 bulk
25 density, the second to last category from the bottom

1 of the page.

2 MS. FOSTER: Thank you.

3 MR. JANTZ: You are welcome.

4 A. And your question was? I'm sorry.

5 Q. Well, my question was: You cited the bulk
6 density of 1.73 and is it grams per centimeter?

7 A. Grams per CC.

8 Q. That's the bulk density for -- is it
9 loamy -- a silty loam?

10 A. Really the Multimed model takes into
11 account two different parameters. First of all, I
12 didn't vary any of the parameters from the Oil
13 Conservation Division model in 2007 and 2009 so I
14 want to state that. But the bulk density has
15 multiple effects in the Multimed model. If we were
16 utilizing organic decay factors and different things
17 like that, then the bulk density of the soil would
18 have an impact on biological decay factors which
19 were not included.

20 But in general, the model of Multimed and
21 HELP interrelate both the density of the soil and
22 the porosity, so those two kind of go together.
23 Specifically when one is input over the other, it
24 kind of takes charge in control of the model in
25 certain instances. As I recall porosity and its

1 input takes charge in the Multimed model unless you
2 are dealing with decay-related issues. So I input
3 the exact same figures that were input by the Oil
4 Conservation Division but I'm not exactly sure where
5 your question is going.

6 Q. Well, I just want to get a sense of the
7 kind of soil that you are looking at in terms of the
8 bulk density as well as the other --

9 A. I would have to specifically refer to the
10 Multimed model. There's different classifications
11 of soil characteristics within USDA classifications.
12 So you can have more than one soil called a sandy
13 loam, for instance, with different parameters
14 associated with it. So rather than speak
15 incorrectly, I would refer you to the Multimed model
16 material, which should reference that.

17 Q. Was it your intention to have the same
18 kind of soil throughout the vadose zone, the zone
19 that water was traveling through?

20 A. Yes. The assumption -- I stuck with the
21 same assumptions used by the Oil Conservation
22 Division which was a homogeneous vadose zone
23 material in the Multimed model.

24 Q. Okay. Let's see here. I think I have one
25 more line of questions. Can we look at Page 7?

1 Hand-numbered Page 7? I guess we have the area of
2 the waste disposal unit is what, 167 square
3 features? Is that right?

4 A. Yes, I didn't vary that from what the OCD
5 put in.

6 Q. Is that a typical size of a pit?

7 A. Off the top of my head, you would have to
8 do -- I didn't vary it specifically, but pits come
9 in different sizes.

10 Q. Is this a typical size area for a trench
11 or did you model trenches, I guess is a better
12 question? Did you model trenches? Did you do a
13 trench model for this?

14 MS. FOSTER: Again, I object. This is
15 going back into cross-examination of IPANM's regular
16 case. Mr. Jantz had full opportunity to
17 cross-examine at that time. He also has opportunity
18 to put a rebuttal witness on two months from now, so
19 that witness can be discussing these issues. Again,
20 we are here today specifically to talk about Exhibit
21 18 where this witness was asked specifically by the
22 commission to do additional modeling using the same
23 coefficient and the same parameters and come up with
24 a different output based on the lateral distance.
25 That's really the only variation here is the lateral

1 distance.

2 MR. SMITH: I think the only objection you
3 really have at this point is asked and answered.
4 And if the question has been asked, then you can
5 make that objection. But if he hasn't asked the
6 question, even though he had the opportunity
7 earlier, I think he can still ask the question
8 because we're talking about cross-examination. This
9 is an opening of the direct again and I think that
10 he can move forward with questions that have not
11 been asked. Now, if he has asked them, you have
12 your objection.

13 MR. JANTZ: Let me rephrase the question.

14 Q. For Exhibit 18 and the model run that you
15 did, did you model trenches?

16 A. Effectively it would be yes, because the
17 amendments to the Rule 17 would allow for trench
18 burial under these burial-in-place conditions.

19 Q. And is the area of the waste disposal unit
20 that you have here, the 167 square meters, is that a
21 typical trench?

22 A. I don't know off the top of my head.

23 Q. Okay. That's all I have. Thank you.

24 CHAIRPERSON BAILEY: Ms. Gerholt, any
25 questions?

1 MS. GERHOLT: No questions.

2 CHAIRPERSON BAILEY: Dr. Neeper, do you
3 have any questions?

4 MR. NEEPER: I have about three questions,
5 Madam Chair.

6 CROSS-EXAMINATION

7 BY MR. NEEPER

8 A. Good morning, Dr. Neeper.

9 Q. Good morning, Mr. Mullins. Your printout
10 of Exhibit 18 did not include a print of the HELP
11 model output. Am I correct?

12 A. That is correct. It was included earlier
13 in the Exhibit.

14 Q. It was in the earlier exhibit?

15 A. Yes.

16 Q. What we did is catch me up on that because
17 I couldn't find it. So the inputs here were the
18 same as before we heard, except that the rainfall is
19 different in Aztec than it was in the southern five
20 problems; is that correct?

21 A. Let me be careful. The representation of
22 Aztec, New Mexico's HELP model was presented in
23 Exhibit 16, which encompasses not only precipitation
24 but the evaporative zone effects and things like
25 that.

1 Q. Yes. But the difference -- we have heard
2 the words today that said all things were the same.
3 I'm getting to the real difference is the rainfall
4 was different in Aztec. You have expressed that
5 your liners and soils and things were the same
6 across the model?

7 A. The latitude, of course, would be
8 different. The solar effects would be different.
9 Specifically, I would have to reference if the
10 humidity information was different but they were
11 representative of Aztec, New Mexico. And that
12 creates a daily synthetic which the HELP model
13 utilizes for Aztec.

14 Q. Since Aztec was not printed in this
15 exhibit, are you able to tell us what was, say, the
16 annual average or the average peak thickness of the
17 saturated layer on the liner in the Aztec model in
18 the model that was run here today?

19 MS. FOSTER: I'm going to object. I think
20 in discussion to Exhibit 16 there is information on
21 Aztec, New Mexico. So I'm a little confused as to
22 which exhibit Dr. Neeper is speaking to today.
23 There was information and HELP model inputs and
24 outputs on Exhibit 16, so I would ask him to clarify
25 his question.

1 CHAIRPERSON BAILEY: Would you clarify so
2 we can see the distinction between Exhibit 16 and
3 Exhibit 18?

4 MR. NEEPER: I'm sorry, I can't state it
5 any more clearly. I will have to withdraw the
6 question. That's all. Thank you.

7 CHAIRPERSON BAILEY: Dr. Bartlett?

8 DR. BARTLETT: No questions.

9 CHAIRPERSON BAILEY: Mr. Dangler?

10 MR. DANGLER: No questions.

11 CHAIRPERSON BAILEY: Mr. Fort?

12 MR. FORT: No questions.

13 COMMISSIONER BLOOM: One question for you.
14 Turn to Page 4 of Exhibit 18 and also Page 10 at the
15 same time. Page 4 of Exhibit 18 under Carlsbad.
16 Looks like there's some notes there on the run and I
17 see this is the 20-year average, loam cover, good
18 liner, chloride, mixing zone.

19 THE WITNESS: Yes.

20 COMMISSIONER BLOOM: Turn to Page 10 for
21 Aztec. That mentions a 20-year pulse. I just want
22 to know if that would affect what you modeled.

23 THE WITNESS: It meant the same thing.
24 These comments I type in every run. I change 20
25 year -- 20-year pulse is effectively what that was.

1 COMMISSIONER BLOOM: All right. Thank
2 you.

3 CHAIRPERSON BAILEY: Commissioner Balch?

4 DR. BALCH: I have one question as well.
5 Just out of curiosity and you may not know the
6 answer, what's the lifetime of the liner for the
7 grades beyond its useful --

8 THE WITNESS: I should know that off the
9 top of my head because it was previously testified
10 to. There was a study and I want to say it's in the
11 range of -- it was previously testified and
12 represented by Dr. Stephens in his testimony. I
13 want to say it's about 275 years. In his modeling
14 he said the failure, meaning that the liner would
15 effectively fail, so he presented testimony so that
16 and that's where I would get that piece of
17 information.

18 DR. BALCH: Thank you. That's all I have.

19 CHAIRPERSON BAILEY: I like quick, easy
20 summaries. Once more. The model that you presented
21 today does have vegetation?

22 THE WITNESS: Yes.

23 CHAIRPERSON BAILEY: What percentage of
24 vegetation would be considered important to these
25 calculations?

1 THE WITNESS: In all the calculations,
2 first of all, I used the same vegetation standard,
3 which was a poor vegetation condition specifically
4 related to a leaf area index, I believe, of what's
5 called 1.2 within the molds. It's a very minuscule
6 amount of vegetation. I don't know how to
7 characterize it from a view of the land, what it
8 would look like, but its conditions were poor.

9 CHAIRPERSON BAILEY: So vegetation is
10 important and this model run shows results with very
11 poor cover of vegetation?

12 THE WITNESS: Yes.

13 CHAIRPERSON BAILEY: The maximum chloride
14 concentration at the most direct route from the
15 surface or the bottom of the pit to groundwater at
16 25 feet below the bottom of the pit, the maximum
17 chloride is 13.3 parts per million? That's what the
18 study says?

19 THE WITNESS: That's correct. With an
20 initial leachate of 1,000 milligrams per liter, yes,
21 that's correct?

22 CHAIRPERSON BAILEY: Do you know what the
23 Water Quality Control Commission standards for
24 groundwater for chloride concentration is?

25 THE WITNESS: I don't know off the top of

1 my head. If I was going to hazard a guess I believe
2 it was around 250.

3 CHAIRPERSON BAILEY: That's right. That
4 the Water Quality Control Commission doesn't
5 consider it contaminated in chloride until it
6 reaches 250 parts per million and this contributes
7 13 parts per million.

8 THE WITNESS: According to my modeling,
9 that's correct.

10 CHAIRPERSON BAILEY: That does put
11 perspective here, doesn't it?

12 THE WITNESS: I believe it does.

13 CHAIRPERSON BAILEY: So these results
14 require some vegetation. They require a bottom
15 liner but no top liner.

16 THE WITNESS: That's correct.

17 CHAIRPERSON BAILEY: And the contents of
18 the pit stabilized.

19 THE WITNESS: Yes.

20 CHAIRPERSON BAILEY: And it passes the
21 paint filter test?

22 THE WITNESS: Yes, three to one ratio, I
23 believe.

24 CHAIRPERSON BAILEY: That's my quick
25 soundbite. Thank you. That's all I have. You may

1 be excused. Do you have redirect?

2 MS. FOSTER: No, I don't. Thank you.

3 CHAIRPERSON BAILEY: That concludes direct
4 testimony today. So I think, Mr. Smith, you wanted
5 to have some discussion about rebuttals since we had
6 scheduled to have rebuttal by Dr. Neeper?

7 MR. SMITH: No, I am hoping we can avoid
8 the rebuttal argument until later. I think we
9 should wait and see if it arises in the context of
10 Dr. Neeper's testimony. I think the concern over
11 rebuttal that arose from the rebuttal witness that
12 Mr. Jantz intends to put on is better discussed once
13 everyone has seen the statement of intent that
14 Mr. Jantz produces. And if the rebuttal issue
15 arises in the context of Dr. Neeper, we will have to
16 deal with it in that context, but I think a general
17 discussion of rebuttal is probably not going to be
18 as useful as if we wait until we see the statement
19 of intent from Mr. Jantz.

20 CHAIRPERSON BAILEY: Mr. Jantz, when will
21 you be able to submit that?

22 MR. JANTZ: I can get it to you mid week
23 next week. Is that sufficient?

24 MR. SMITH: I do think when we spoke last
25 Mr. Jantz said a week. I don't know whether that

1 meant five days or seven days but that would have
2 been -- I don't know, what was a week from when we
3 met last?

4 MS. FOSTER: Friday.

5 MR. JANTZ: If I said Friday last time I
6 will do it by Friday.

7 CHAIRPERSON BAILEY: We will look to that
8 by Friday. Mr. Fort?

9 MR. FORT: Thank you. Madam Chair, I do
10 have a problem about rebuttal, and it's a procedural
11 problem. Last week had I talked with y'all about
12 the substantive issues about how rebuttal is drawn
13 up, and to back up about Dr. Neeper, he's
14 basically -- to put it in perspective, he testified
15 before Mr. Mullins did. They actually testified out
16 of order because he is an opposing party. I'm using
17 this for the basis of getting to the real issue of
18 what is rebuttal, because I believe that Dr. Neeper
19 testified -- and I wasn't present. I understood it
20 was on the Friday of the first week that testimony
21 was taken and that the applicant -- there's two
22 applicants, NMOGA and IPANM.

23 Applicants get to present their
24 case-in-chief and then the opposing parties. Not
25 all of us that are opposing parties were parties,

1 but then the defendant's or opposing parties'
2 case-in-chief gets to go forth, and I believe
3 Dr. Neeper is presenting his testimony in response.
4 This is part of his case-in-chief, if you will. It
5 is not rebuttal.

6 Now, getting back to what rebuttal is in
7 terms of it follows -- I looked up a couple
8 definitions, and this is what caught my attention.
9 Most of the cases I was looking at what constituted
10 rebuttal, it was done by the plaintiff or
11 prosecution in response to the defendant's case when
12 the defendant brought up new matters or new theories
13 and that's what the rebuttal went to.

14 Now there's another term not found in your
15 regulations called surrebuttal. And surrebuttal is
16 the ability of the defendant to bring up new
17 evidence that was brought up in the plaintiff's or
18 applicant's rebuttal. Rebuttal belongs to the
19 applicant. Surrebuttal belongs to the opposing
20 party.

21 With that in mind, that is also -- there's
22 three places that the word "rebuttal" appears in the
23 oil and gas regulations. One is the one we are
24 discussing today, and I will point out it says,
25 "Unless you identify a witness or exhibit in your

1 prehearing statement, i.e. through your
2 case-in-chief, you cannot admit it unless a party is
3 presenting it for rebuttal or there's good cause
4 shown why they did not include it in their
5 prehearing statement."

6 That statement doesn't give a person or a
7 party the right to rebuttal. Rebuttal is, in terms
8 of -- well, let me go on. I will show you what
9 rebuttal is because it shows up in the regs, which
10 is surprising.

11 Again, it appears for adjudicatory
12 hearings in the same manner. It doesn't give
13 anybody a right to rebuttal. It just says they may
14 present it if it is rebuttal, in rebuttal.

15 Now, under -- I believe it's the rule for
16 compulsory pooling and in that rule it says there is
17 a presumption in favor of a risk charge, but if a
18 party opposes that they should present that evidence
19 in a prehearing statement. But if a party or his
20 attorney shows up on the day of hearing and they
21 present evidence, it's going to be technical or
22 geological evidence as to where the risk charge
23 should not be the 200 percent. Then the hearing
24 examiner, if requested, will grant a continuance on
25 behalf of the applicant so the applicant can present

1 rebuttal evidence.

2 Those are the only three times it appears
3 in all your regs, and they do explain what rebuttal
4 evidence is. It's on behalf of the applicant, not
5 the opposing party. The opposing party gets
6 surrebuttal but only to issues brought up in
7 rebuttal because once you finish your case-in-chief
8 you are done basically, except for new matters.

9 So that's the problem. That's why when I
10 look at Dr. Neeper and he is not doing rebuttal, he
11 is actually doing part of his case-in-chief because
12 he went out of order with Mr. Mullins. He did, I
13 guess -- Mr. Mullins has had two parts to his
14 direct. That's what he is doing here. However, for
15 OGAP to present a rebuttal witness, they don't get
16 to present a rebuttal witness, they present a
17 surrebuttal, but there's nothing for them to -- we
18 haven't presented or I should say the applicants
19 haven't presented any rebuttal to OGAP's testimony.
20 OGAP had an economist. I wasn't present.

21 That's the procedural issue I have. In
22 addition to the substantive issues I raised, one, if
23 it's admissible in your case-in-chief; and two, if
24 it, in fact, has a direct bearing on the issues of
25 the case.

1 The other thing implicit on the case, they
2 don't say directly, but it has to be something new
3 that was brought up in the opposing party's case
4 that the applicant gets to rebut. I've said my
5 piece.

6 CHAIRPERSON BAILEY: Please give us
7 guidance here.

8 MR. SMITH: I guess I wasn't real clear.
9 I don't want the commission to take up generally
10 right now the notion of rebuttal in the context of
11 what OGAP wants to put on. Mr. Fort, I think that
12 your observations about Dr. Neeper are very helpful
13 in the context of the hearing today but I do think
14 everyone here should remember that this is not an
15 adjudication. It is a rulemaking, and the two
16 guiding principles will be to educate the commission
17 so they can make a good determination on the
18 petitions, and fairness, and those are the guiding
19 principles.

20 Some of the aspects of what is and isn't a
21 rebuttal I think will be helpful in determining what
22 is or is not fair. But I think we need to take it
23 up in the context of what is actually proposed to be
24 presented by OGAP instead of now in the abstract so
25 I would propose that we all come with girded loins

1 to do whatever battle we need to do about this, but
2 do it on the day that Mr. Jantz wants to present his
3 testimony or whenever it is that the commission
4 decides.

5 MR. JANTZ: Madam Chair, members of the
6 commission, just a point of clarification. I don't
7 know if Mr. Fort was conflating OGAP with New Mexico
8 Citizens for Clean Air and Water, but Dr. Neeper is
9 New Mexico Citizens' witness, not OGAP's.

10 MR. FORT: I understand that. I do
11 understand that. Thank you. I do understand that
12 Dr. Neeper is a separate party. He is the spokesman
13 for New Mexico Clean Air and Water and that's why I
14 make this distinction about the order of how, in
15 terms of the IPANM's witnesses, at least, as I
16 understand it, went after Dr. Neeper testified the
17 first Friday back in May.

18 CHAIRPERSON BAILEY: So Mr. Smith, at this
19 time do we allow Dr. Neeper?

20 MR. SMITH: I think we had planned on
21 Dr. Neeper giving testimony and we still should, and
22 if there are any objections, assuming not everyone
23 is on board with Mr. Fort's analysis, if there are
24 objections to any of the questions we will deal with
25 them when they come up. That would be my

1 suggestion.

2 CHAIRPERSON BAILEY: Dr. Neeper, are you
3 prepared to testify today?

4 MR. NEEPER: Yes, I am prepared to testify
5 today or later.

6 CHAIRPERSON BAILEY: Why don't we take a
7 ten-minute break?

8 MR. NEEPER: Madam Chair, might we have 15
9 minutes? I would like to check Exhibit 16 because I
10 could not ask that question without referring to
11 something in Exhibit 16.

12 CHAIRPERSON BAILEY: Let's take 15 and
13 come back at ten minutes after 10:00.

14 (Note: The hearing stood in recess at
15 9:53 to 10:08.)

16 CHAIRPERSON BAILEY: We are back on the
17 record. Dr. Neeper, you are still under oath from
18 the previous testimony.

19 DONALD NEEPER

20 (Being previously sworn, testified as follows:)

21 MR. NEEPER: Madam Chairman, if the slide
22 system is uncomfortable for the commission we can
23 try to go without it.

24 DR. BALCH: Do you have a paper exhibit?

25 MR. NEEPER: You have a copy of the

1 exhibits.

2 DR. BALCH: All of your testimony is based
3 on the exhibits?

4 MR. NEEPER: What I have to say is based
5 on the exhibits. There is one additional page for
6 this exhibit. The Court has a copy thereof and
7 counsel has been appraised of it. If there's
8 objection, it can be used or not used based on
9 Mr. Mullins' testimony.

10 My effort is always to clarify issues if I
11 can, and so what I am addressing here is just an
12 understanding of the situation as it is represented
13 by Multimed. Multimed, as Mr. Mullins testified,
14 starts with the input flow at the top of a long
15 column of soil and a contaminated section of water
16 here shown in blue, moves down at whatever speed
17 it's going to move. That section may disperse a
18 little, but he has taken the dispersion out of his
19 calculation on you get just the flat interface
20 moving down until it can reach groundwater at the
21 bottom. That is the simple situation of how this is
22 carried out in Multimed.

23 If there were other physics going on, it
24 could be much more complicated. The model is
25 capable of handling that, but this is a simple case

1 in our interest of how fast does it move?

2 So I tried to understand that. I say how
3 fast does it go, and what I am illustrating is that
4 we can understand this without having to run a
5 model. The volume flow rate in millimeters per
6 year, which is the infiltration, is just the
7 porosity times the saturation times the speed if we
8 picture the saturation as a little column of water
9 moving downward.

10 So I plug in some numbers, millimeters per
11 year, characteristic porosity. I'm just making a
12 guess as an illustration of .5, which is normal for
13 many soils, and I just put in an arbitrary number of
14 .3 characteristic for saturation and I say what is
15 the speed? The speed comes out in that case at
16 about 6.6 millimeters per year. The time to travel
17 100 feet is 4000 years. All right. It's in the
18 order of thousands of years. We understand. I am
19 with Mr. Mullins in understanding the results of his
20 code and with this simple arithmetic we can
21 understand what has happened.

22 I note, however, though, if the
23 infiltration is one inch per year, and that does
24 occur in New Mexico in places, the time to travel 25
25 feet by this same simple model is 46 years.

1 The point of this is that we need to
2 consider more than a single model. We need for
3 consider what's applicable for the entire state.

4 The protection inferred by the HELP model
5 includes a liner. It depends in part on the liner,
6 and I want us to remember that if a pit is buried in
7 place with stabilization, often a backhoe is used
8 and the integrity of the liner is certainly
9 questionable in that case. So the liner becomes an
10 important question.

11 Also an important question is the slope or
12 what we consider to happen on the surface of the
13 ground. Mr. Mullins stated that he used the 1
14 percent slope on the top of his pit which causes
15 some water to run off. I could print out the code
16 that shows that.

17 This is an old pit that has appeared in
18 prior testimony of mine and I think it occurred in
19 the testimony, my direct testimony this year. When
20 I first visited this old pit in 2006, as best I
21 could tell this was a flat area. I came back to do
22 deeper sampling in 2007 and noticed a change in
23 configuration. It's like there's a little gully
24 right in this area, so I put a milk bottle out there
25 just to indicate where it is so I could take a

1 picture.

2 This is up close. This is about 31 years
3 after that pit was close, and what has apparently
4 happened is a subsidence between the two years,
5 between my two visits one year apart, a little
6 subsidence in the soil to where a significant area
7 of that ground surface being drained right down into
8 the channel, into the hole.

9 So we want to remember that not all pits
10 are vegetated, not all ground has a 1 percent slope,
11 and we have to deal with all of the circumstances in
12 the real world.

13 At this point I have a slide, one more
14 page that I developed last night based on what I
15 expected Mr. Mullins to say today regarding the
16 Aztec model. I found out today that the Aztec
17 particulars were printed but they were printed in a
18 different exhibit from the southeast so I got hung
19 up in my question due to my own ignorance. If there
20 is no objection to using this slide, we can go ahead
21 and the clerk has copies for the commission, but at
22 this point there has been no prejudice in generating
23 it. Nobody has seen the picture. It deals with the
24 impact of the liner.

25 MS. FOSTER: Dr. Neeper did speak to me

1 first thing this morning and showed me the graph. I
2 have shown it to Mr. Mullins and Mr. Mullins would
3 intend to speak to it on the rebuttal testimony, so
4 it would be no problem to have Dr. Neeper speak to
5 it now if he wishes to as part of his case. We
6 would have no objection.

7 CHAIRPERSON BAILEY: Mr. Fort?

8 MR. FORT: I have no objection but I want
9 to explain that I still feel as in my previous
10 argument, he is really doing part of his
11 case-in-chief. One of the principle things that all
12 this hangs on is that he is identified in his
13 prehearing statement as part of his case-in-chief as
14 a witness and his exhibits. So this may be that new
15 testimony that Karin just mentioned for which there
16 might be rebuttal. But still, so long as what he is
17 doing is, if you will, his case-in-chief at this
18 point regarding Mr. Mullins. That is the major
19 difference.

20 Now, OGAP only had one witness listed in
21 their prehearing statement, their economist. If
22 their economist had something to maybe -- because
23 Mr. Scott, Larry Scott went after her, if she needed
24 to come back to say something, that would still be
25 part of here case-in-chief or OGAP's case-in-chief.

1 The fact that a witness is not listed on the
2 prehearing statement makes them not part of the
3 case-in-chief, and it can only be, in my opinion,
4 for surrebuttal. That's looking at what that term
5 really means. And that unless it's something to
6 rebut what any of OGAP's witness -- well, excuse me.
7 The applicants have the right of rebuttal. Opposing
8 parties have surrebuttal.

9 But again, I just want to point out why I
10 think he is still doing his case-in-chief. He can
11 bring up something new. Even though I might not
12 like what he has to say, it's still part of his
13 case-in-chief since he has identified it in his
14 prehearing statement it's his case-in-chief.

15 CHAIRPERSON BAILEY: You made a point.
16 Ms. Gerholt, any objections?

17 MS. GERHOLT: No objections.

18 CHAIRPERSON BAILEY: Mr. Dangler?

19 MR. DANGLER: No objections.

20 CHAIRPERSON BAILEY: Dr. Bartlett?

21 DR. BARTLETT: No objection.

22 CHAIRPERSON BAILEY: I need to poll
23 everyone. Could we see the new exhibit?

24 MR. NEEPER: There are copies for the
25 audience over here.

1 There is nothing on this slide that did
2 not come -- I will state that more positively.
3 Every point on this slide came from Mr. Mullins'
4 exhibit. What I have plotted is infiltration from
5 the HELP model for one of the southeastern sites or
6 for southeastern sites, and you can see points that
7 are here marked by V. That's how this is here.

8 But what we see for the most part is I can
9 draw a straight line through a plot of the
10 infiltration versus the average head on the liner.
11 The implication from that is that there is a strong
12 correlation between what the liner does and what you
13 find is infiltration in this model. What I was
14 looking for today was the final point, the Aztec
15 point, which I had not simply had overlooked on the
16 prior exhibits, and that was what I was trying to
17 get in my questions.

18 The Aztec point, as I suspected, was
19 essentially zero in infiltration and very, very
20 small head. It's a point down here, so the line
21 dribbles off, and we can say why is that? We would
22 expect that kind of behavior at some point as you
23 reduce the rainfall because you wind up essentially
24 not having head on the liner and the liner then
25 doesn't transmit until you get very little

1 transmission.

2 But what's going on in the linear part is
3 the liner is determining what is being transmitted
4 into the vadose zone underneath the liner. There's
5 a very strong correlation here. In some of
6 Mr. Mullins' printouts you can see tenths of an inch
7 and that's annual daily average. So that's saying
8 the liner is wet at times. His printouts also show
9 an annual maximum which is sometimes --

10 DR. BARTLETT: Madam Chair, acting as
11 Dr. Neeper's attorney in the odd way that we do and
12 doing the same thing that other attorneys do for
13 their witnesses, I would ask Dr. Neeper to give a
14 little more explanation, as it is not clear in my
15 mind from his talk about the meaning of the word
16 "head."

17 MR. NEEPER: Thank you, Dr. Bartlett.
18 Head is the layer of saturated liquid above any
19 reference point, and in this case the reference
20 point is the liner and head would be the layer of
21 cuttings in which the porosity is saturated so it
22 actually makes pressure, liquid pressure down on the
23 liner. And it is the model or the recipe of the
24 liner with various holes in it that then in this
25 model transmits.

1 Madam Chairman, that concludes my
2 testimony on this.

3 CHAIRPERSON BAILEY: Mr. Carr?

4 MR. CARR: No questions.

5 MR. SMITH: Excuse me, I'm sorry. Before
6 you go on, the page you just handed out is Page 4 of
7 what exhibit, Dr. Neeper?

8 MR. NEEPER: This is Page 4 of Exhibit R2.
9 It should say on each page.

10 CHAIRPERSON BAILEY: It is on the bottom
11 of the graph.

12 MR. SMITH: You might want to move this
13 in.

14 COMMISSIONER BLOOM: Looking at Page 6
15 maybe.

16 MR. NEEPER: Page 6.

17 DR. BALCH: This is Page 6?

18 MR. NEEPER: Thank you. I have again been
19 reminded that I should -- I can't move because that
20 would be practicing law without a license but I can
21 submit this exhibit for acceptance by the
22 commission.

23 CHAIRPERSON BAILEY: Any objections?

24 MR. FORT: No objection.

25 CHAIRPERSON BAILEY: It is admitted.

1 (Note: Exhibit R2-6 admitted.)

2 CHAIRPERSON BAILEY: Ms. Foster, any
3 cross-examination?

4 MS. FOSTER: Yes.

5 CROSS-EXAMINATION

6 BY MS. FOSTER

7 Q. Dr. Neeper, in preparing Page 4 of Exhibit
8 R2 concerning the HELP model, are you aware in the
9 manual there's eight pages discussing the integrity
10 of liners? Did you take any of that discussion and
11 expertise into consideration?

12 A. I did not consider what the HELP model
13 thinks is durability or performance of liners. I
14 did consider what things its model includes and it's
15 based on presumptions of pin holes and other kinds
16 of holes in the manual.

17 Q. Thank you. Just so I understand what we
18 are comparing here, in your demonstration, your
19 infiltration rate is listed in inches. Is it not
20 the case in the HELP model the infiltration rate
21 actually comes out in English units in millimeters?

22 A. The printout of the HELP model is in
23 English units, but I believe Mr. Mullins translated
24 to millimeters.

25 Q. Millimeters not inches?

1 A. In his testimony.

2 Q. That's correct, but in your table you
3 translated it into inches?

4 A. Oh, yes. This is for convenience of the
5 way we often talk about infiltration. I could have
6 said 25.4 millimeters.

7 Q. And in the review of the documentation,
8 the HELP model, are you aware of the infiltration
9 rates of 25 millimeters per year that I believe
10 Mr. Mullins testified in his review of the
11 statement?

12 A. I don't understand the question.

13 Q. Could you point to literature where it is
14 discussed that you would have 25.4 millimeters of
15 infiltration rate per year in New Mexico?

16 A. Yes, I could go find that literature
17 because it deals with the recharge rates, but I did
18 not do that. If you look back to my direct
19 testimony, I utilized different soils, and in one
20 case there was essentially no recharge. In the most
21 extreme case there were about three-and-a-half
22 inches per year of recharge all with the same
23 measured subsurface moisture versus time. It
24 depends on the soils heavily.

25 Q. I have no further questions. Thank you.

1 CHAIRPERSON BAILEY: Mr. Jantz?

2 CROSS-EXAMINATION

3 BY MR. JANTZ

4 Q. Dr. Neeper, could you go back to your
5 slide of the graph please? So could you explain for
6 me for clarification's sake the significance of
7 head?

8 A. Head is what driving moisture through the
9 liner. I do not know what recipe HELP model has,
10 but it depends on the head across the liner.

11 Q. So the more fluid you have in a pit, the
12 more it drives liquid through the liner?

13 A. The more -- the thicker the saturated
14 layer sitting on top of that layer, the more liquid
15 you will have transmitted by the liner and that is
16 the key thing. There is another feature in that
17 that you have to think about if you are doing this
18 kind of model. That is, as you build up a saturated
19 layer sitting on top of the liner, that encourages
20 more evapotranspiration. You are maintaining a
21 higher moisture potential in the region above the
22 liner and you thereby would increase the
23 evapotranspiration. But how much, you shouldn't
24 take a guess at that. You would have to do the
25 calculation to find out.

1 MR. JANTZ: Thank you. That's all I have.

2 CHAIRPERSON BAILEY: Ms. Gerholt?

3 MS. GERHOLT: No questions.

4 CHAIRPERSON BAILEY: Mr. Dangler?

5 CROSS-EXAMINATION

6 BY MR. DANGLER

7 Q. We can leave that slide up there where it
8 is. Okay. So first let me ask you about the
9 infiltration. This is like very basic, so bear with
10 me because I'm really trying to understand this.
11 Infiltration is not the same as the rainfall rate,
12 is it?

13 A. Infiltration is not the same as the
14 rainfall rate.

15 Q. Okay.

16 A. The rainfall happens on the surface of the
17 ground. Infiltration is what passes some point that
18 you name deeper in the ground.

19 Q. So is there a rough correlation? So when
20 you said one inch of infiltration, is there any
21 correlation between that and the average rainfall of
22 the area?

23 A. There may be a correlation but it's going
24 to be very dependent on the vegetation, the nature
25 of the soil, the sunshine beating on the surface,

1 and it's for that reason in my own calculations I
2 did not use rainfall, I took measured moisture at a
3 depth in the soil and used that to drive the
4 problem.

5 Q. Great. That helps me a lot. So we have
6 the infiltration rate here on this column and you
7 have the average head and this is the pressure
8 that's building up from the saturated layer over the
9 pit contents? Is that what I am interesting?

10 A. Again, this is from printouts of
11 Dr. Mullins' HELP model so this is not my data, and
12 the head is the average annual head as printed and
13 the infiltration is the infiltration average annual
14 that was used to drive the underlying Multimed
15 model.

16 Q. Okay. And then the dots going up
17 diagonally across this model, what do those dots
18 represent?

19 A. Those dots represent my drawing a straight
20 line or my attempting to draw a straight line
21 through the data.

22 Q. Then you have a blue line that jags up and
23 over, and what does the blue line represent?

24 A. The blue line connects the data points.
25 You see one, two, three, four, five data points

1 showing those are southeastern points as labeled on
2 the graph, and the Aztec point is not on there due
3 to my own not finding it when looking for it in the
4 printout.

5 Q. I guess I'm trying to understand the bulge
6 that goes up the little carrot that goes at the top
7 of the graph where it separates from the dotted
8 line. What's that?

9 A. You are saying why does one point fall
10 off?

11 Q. Yeah, I'm trying to understand that.

12 A. Yes. Not only does the average head on
13 the liner fall off at that point, so does the annual
14 average extreme point as printed by the HELP model.
15 So you can say something is different right at that
16 particular point. You don't get a perfect
17 correlation. I can make a guess at it as one who
18 works with these kinds of things, but I can't assert
19 that my guess would be the truth. My guess would
20 have to do with the frequency and intensities of the
21 rainfalls as they happen there.

22 These things are sensitive to the timing
23 because moisture comes in in pulses. If you have
24 one big pulse a year, that could build up a big
25 thickness on the liner. If you have many different

1 pulses you might not get anything on the liner, as
2 perhaps illustrated by the Aztec data. So it's not
3 surprising to find a point off the graph. What's
4 surprising to me is how close you can come, rather
5 than just a line or a smooth curve, rather than
6 having a scatter of points on the page. It's trying
7 to tell you there's a correlation here. There's a
8 cause/effect going on.

9 Q. Okay. And as I understood your testimony
10 introducing the slide, where Mr. Mullins was
11 modeling that Aztec site it's barely not even on the
12 graph there? Is that what I understood you to say
13 there?

14 A. It could be on the graph. It's down close
15 to the 00.

16 Q. And this may be really stupid and maybe
17 obvious to everybody else but I'm still trying to
18 understand this. Is your point being that as you
19 get away from that extremely low infiltration rate
20 and you start moving to different infiltration rates
21 that the risk greatly expands because the pressure
22 greatly increases? I'm trying to understand what
23 that point was.

24 A. I can't address risk. I am simply
25 addressing a feature of the model for our

1 understanding, and that is there is evidence that
2 the liner is controlling the infiltration and so we
3 must be aware of that when we set regulations. If
4 we want to use the result of the HELP model broadly,
5 we have to be aware of its limitations or what was
6 implied by it.

7 Q. So I think I'm beginning to understand.
8 Let me make sure I understand the point and
9 hopefully this isn't insulting to the commissioners
10 and helpful to them. What you are saying,
11 therefore, is to get the low infiltration rate that
12 would appear on this particular graph simply because
13 of the way you graphed it, to get down in that area
14 where the Mullins' modeling was, you have to have a
15 very, very strong liner and that if you don't have
16 that infiltration rate --

17 MS. FOSTER: Objection.

18 Q. I'm just trying to understand it.

19 MS. FOSTER: You are testifying,
20 Mr. Dangler.

21 MR. DANGLER: I'm not trying to testify.
22 I'm trying to understand it but I can stop and see
23 if I am understanding -- if that's what we are meant
24 to get from this.

25 CHAIRPERSON BAILEY: Objection overruled.

1 Q. Is that more or less what we are trying to
2 get?

3 A. I can address the 00 point.

4 Q. Okay.

5 A. If the liner is holding that -- if the
6 transmission through the liner requires a head, as
7 soon as you don't have a head on it, you wouldn't
8 get any transmission. However, if you had granular
9 soil you would still have unsaturated flow through
10 the soil. So I needed to know was there a 00 point
11 or was that point somewhere else? Indeed, it's
12 close to zero and that confirms the expectation if
13 you get the head low enough there won't be a
14 transmission through the liner by the nature of the
15 assumption of liners.

16 Q. I think I get it. Thank you very much.

17 CHAIRPERSON BAILEY: Mr. Fort, any
18 questions?

19 MR. FORT: Just a couple.

20 CROSS-EXAMINATION

21 BY MR. FORT

22 Q. Dr. Neeper, so when you get to the 00
23 point up there infiltration rate, basically no head,
24 is that -- so you are confirming what Tom Mullins
25 was testifying to?

1 A. That is correct. I'm not only confirming
2 it, the only data on that chart are Mr. Mullins'
3 data.

4 Q. Okay. Now, what difference does the four
5 feet of cover do to getting the head on top of the
6 liner?

7 A. I don't understand the question.

8 Q. Does that not reduce the infiltration?

9 A. In the four feet of head -- you are in
10 effect asking me to repeat Mr. Mullins' testimony
11 but I am then saying what I believe I heard
12 Mr. Mullins say and what I understand from the HELP
13 model.

14 Q. So you are --

15 A. In the top four feet there is
16 evapotranspiration which removes moisture to the
17 atmosphere. If you have a saturated layer in there,
18 the pressure, the -- I'm struggling for the right
19 word -- the moisture potential will be higher and
20 the evapotranspiration will be higher.

21 So in effect, having a liner can increase
22 the evapotranspiration and reduce the ultimate
23 infiltration.

24 Q. Below the liner?

25 A. Below the liner.

1 Q. I have no other questions.

2 CHAIRPERSON BAILEY: Commissioner Bloom?

3 COMMISSIONER BLOOM: Just a couple
4 questions. Good morning, Dr. Neeper.

5 THE WITNESS: Good morning.

6 COMMISSIONER BLOOM: So Mr. Mullins, when
7 he was talking about the southeast, you referenced
8 his testimony. I'm looking at Page 6 where he cites
9 Page 2, infiltration rates as low as .03 millimeters
10 a year to 0.1 millimeters per year on the high end.
11 It quotes the study by Walvoord and Scanlon 2004.
12 Those sort of infiltration rates would be depicted
13 here?

14 A. Those -- I didn't look up just which the
15 of the Walvoord and Scanlon studies he was looking
16 at. There were a number of them, I think, in the
17 Texas and New Mexico area, but the ones I looked at
18 the most were out in Nevada. In any case, they
19 weren't based on situations with liners, they were
20 looking at flowing in very arid systems. And, in
21 fact, even the IPANM -- excuse me, even the NMOGA,
22 one of the NMOGA exhibits is from one of those
23 studies. It wasn't Walvoord and company but one of
24 the people who had done them and done more studies.
25 And in that document he points out there's a wide

1 region of ground where it flows upward. So it isn't
2 always strictly downward or strictly upward. It can
3 be going both ways in the same depth of soil but at
4 a low rate and we don't always understand that. You
5 will find in one of my publications dealing with
6 that, and we were struggling to understand it at the
7 time.

8 COMMISSIONER BLOOM: Could we turn to your
9 Page 2 of your Exhibit R2, please. Look at
10 Mr. Mullins' exhibit, Page 2. On the high end of
11 the infiltration rate you see .1 millimeters per
12 year. Here you are essentially running through HELP
13 and Multimed and coming out saying if we had one
14 millimeter per year we would end up with this time
15 travel of 4500 years to 100 feet? Correct?

16 THE WITNESS: I must interpret this again.
17 This is intended to show that with a pencil and
18 paper, back-of-the-envelope calculation we can
19 understand the results of the HELP model, not
20 duplicate them. But we can get a speed just by
21 guessing, get a speed that gives us the same order
22 of magnitude time travel so we understand what is
23 going on in the Multimed model. The importance of
24 it is if you have places with higher infiltration,
25 you will get a much higher speed.

1 COMMISSIONER BLOOM: And does that make
2 the infiltration rate one inch a year which would be
3 equal to, I think you said, 25.4 --

4 THE WITNESS: 25.4 millimeters.

5 COMMISSIONER BLOOM: So that would be a
6 faster rate, correct?

7 THE WITNESS: 25.4 times.

8 COMMISSIONER BLOOM: Okay. Then the time
9 to travel that 25 feet is 46 years?

10 THE WITNESS: That's what I got. Let's
11 see. 1,000 divided by 25 is 40 so it comes out
12 pretty close.

13 COMMISSIONER BLOOM: And you said that I
14 believe in response to some questions from
15 Ms. Foster that one inch per year infiltration or
16 even more can be found in New Mexico?

17 THE WITNESS: Yes, we certainly can expect
18 that. Otherwise we would be more short of
19 groundwater than they are sometimes.

20 COMMISSIONER BLOOM: Okay. And did you
21 give us a source for that?

22 THE WITNESS: I did not. I said I think
23 we can go one up, but perhaps a more relevant
24 reference would be my own direct testimony in this
25 hearing where I showed by varying the soil and using

1 the same measure moisture level at a 20-inch depth I
2 could generate either almost no infiltration or up
3 to several inches with standard soil. That is a
4 slide back in my testimony. We can go back and look
5 at it if you want to.

6 COMMISSIONER BLOOM: I don't think that
7 will be necessary. That's all I have. Thank you.

8 CHAIRPERSON BAILEY: Commissioner Balch?

9 DR. BALCH: For the higher infiltration
10 rates that you referenced and that I think Mr. Bloom
11 was asking about, where would those be most common
12 in New Mexico?

13 THE WITNESS: They would be most common in
14 the more agricultural areas. If I were looking for
15 that and if there were data available I might look
16 at places in Rio Arriba County, places near Mora.
17 We have very arid regions and we have less arid
18 regions and I would be looking in the less arid
19 regions. I'm granting you that most of our oil and
20 gas activity is in arid regions but not all. We are
21 making rules to cover the whole state.

22 DR. BALCH: On your cross-plot, I think
23 Mr. Mullins had data for up to 1.6 inches of
24 infiltration and that gave a .3 hydraulic head on
25 the liner?

1 THE WITNESS: You are referring to a
2 slide?

3 DR. BALCH: You are plotting Mr. Mullins
4 data?

5 THE WITNESS: I am plotting Mr. Mullins'
6 data.

7 DR. BALCH: Do you think -- how far up can
8 you extend that straight line before it scattered
9 the data?

10 THE WITNESS: I have no idea. It's not
11 going to be linear because the process itself is not
12 linear, so I was surprised to see that it looked
13 linear. As you increase the level of saturation of
14 the head, you are going to get more and more
15 evapotranspiration back out the top, thereby
16 reducing infiltration somewhere -- this is a
17 non-linear process and I wouldn't extrapolate beyond
18 data in this case. All I can do is try to
19 illustrate. I'm not saying either truth or untruth
20 of the numbers. I'm saying it's telling you
21 something about how the HELP model operates.

22 DR. BALCH: One thing that I think is of
23 particular interest is concentrations of chlorides,
24 not necessarily the infiltration rate itself. What
25 do you think the impact of an increased infiltration

1 rate is going to be on chloride concentrations once
2 it gets down to the groundwater?

3 THE WITNESS: I'm giving you an opinion.

4 DR. BALCH: That's what I am asking for.

5 THE WITNESS: Yes. At the bottom of the
6 contaminated layer I would expect the infiltration
7 to be initially nearly saturated. That is many
8 thousands parts per million chloride. Why? Because
9 it has gone through some finite layer and it's able
10 to dissolve whatever salt is in there all the way
11 through. It doesn't care whether you start with low
12 chloride or high chloride. If the chloride is in
13 there it will try to dissolve it out.

14 So initially, I would expect a very
15 concentrated infiltration moving downward. As time
16 goes by, if the infiltration is adequate to begin to
17 exhaust the supply of the contaminant in the buried
18 layer, then the concentration from the downward
19 moving material will begin to fall off. You will
20 see that in my plots of the calculations I give.

21 DR. BALCH: All right. I don't think any
22 of the models presented to us predict the salt
23 bulge. Would that be correct? I know Mr. Mullins'
24 don't in the Multimed model.

25 THE WITNESS: The Multimed model cannot

1 predict the salt bulge. It's just how fast is water
2 flowing down.

3 DR. BALCH: Is there in other control in
4 the model also on salt transport?

5 THE WITNESS: The salt bulge has to do
6 with the up and down. Putting in -- if the salt is
7 coming from ground surface, as the Nevada studies
8 claim it is coming with the rainfall, then you put
9 some into the ground and then with
10 evapotranspiration it takes the moisture back out of
11 the ground leaving the salt behind and the next
12 pulse comes along and maybe washes it further down,
13 but you reach some kind of a dynamic steady state if
14 your infiltration is low enough. If your
15 infiltration is sufficient you will just keep
16 washing it on down.

17 Now, if you look at one of the
18 calculations I did in what I call a tight soil, a
19 soil containing a lot of clay, it moved down. It
20 didn't form a bulge but it formed a gradient much
21 like what you would see in Dr. Buchanan's
22 calculations on the pit we excavated. If you look
23 at the calculations I did in a more loose soil, a
24 more sandy soil, you see a pulse of chloride moving
25 down and it continues to move.

1 DR. BALCH: That leads to my last question
2 which is about pulses. Most rain events in New
3 Mexico are a pulse. They are a limited time and a
4 range. Those can be 15 years apart or one year
5 apart. At what point in your estimation are pulses
6 close enough to where they are going to impact
7 overall infiltration?

8 THE WITNESS: The only way I could answer
9 the question myself was to put in measured moisture,
10 and if you look at -- you have now backed me up to
11 my direct testimony so I acknowledge that, but if
12 you look at the slides from my direct testimony in
13 that exhibit, you will find the chart of the
14 measured moisture, volumetric moisture 20 inches
15 under the surface. And in that, at that depth you
16 will see pulses and they are different for different
17 years. What's surprising was in a fairly dry year
18 with more or less one major pulse you could still
19 drive moisture downward with it. That's because it
20 wasn't all taken back out the top, depending on the
21 type of soil we have, the soil underlying the
22 surface and the vegetation.

23 DR. BALCH: I guess I have one more
24 question. A lot of the data going up had to do with
25 time tables and for some of the models we are

1 looking at time scales on the order of thousands of
2 years. With Mr. Mullins' testimony today he
3 believed the liners would be degrading in 2- or 300
4 years, would it make more sense perhaps to model
5 without liners at all?

6 THE WITNESS: I think we should model
7 without liners at all. I modeled without liners at
8 all, and I think the process of closing the pit,
9 stabilizing the pit, stabilizing a trench fill, we
10 have a difficult time trying to believe that a
11 liner, a 20 mil liner survives all of that intact.
12 Now, sometimes parts of it will. In one pit in
13 which I participated in filling, the liner had been
14 folded over the top and we found that right under --
15 I believe I testified I found the salt cake. We
16 never found the bottom liner in that pit even though
17 it had been lined. We did find chloride moving on
18 down into the ground. I think the bottom of the
19 chloride plume was 30 feet below ground level at
20 that time.

21 DR. BALCH: I think Mr. Mullins testified
22 that his models were not impacted by 100 years for
23 the entire life of the model.

24 THE WITNESS: You and I have different
25 understandings. I understood him to say he hadn't

1 run it without a liner.

2 DR. BALCH: Thank you.

3 CHAIRPERSON BAILEY: He asked all my
4 questions. I have none for you. Dr. Bartlett, do
5 you have any redirect for your client?

6 DR. BARTLETT: No.

7 CHAIRPERSON BAILEY: You may be excused.
8 We had not scheduled any other testimony today,
9 whether we call it direct or rebuttal or whatever
10 label we want to put on it.

11 MR. NEEPER: Madam Chairman, we may have a
12 point of order. At one point you were trying to set
13 up a schedule for a meeting in August. I did submit
14 my calendar to the clerk and I am gone during part
15 of that.

16 CHAIRPERSON BAILEY: Let's pull out our
17 calendars and see when is the next time that we can
18 meet. It appears as though July 4th, which is a
19 holiday, through the 16th is not a good time. July
20 17, 18, 19th and 20th, Tuesday through Friday, is
21 anybody available or not available for July 17, 18,
22 19 and 20?

23 MS. FOSTER: I am not available.

24 CHAIRPERSON BAILEY: That's right. You
25 had a long period of time. What were your dates

1 that you were unavailable?

2 MS. FOSTER: July 15 through August 10.

3 CHAIRPERSON BAILEY: That leaves none in
4 July. August, we are looking at August 22nd through
5 the 31st. Are people not available during that
6 period of time?

7 MR. JANTZ: I have a hearing in district
8 court at some point during that time. Let me
9 quickly look at the order.

10 CHAIRPERSON BAILEY: Are we all available
11 August 22nd and 23rd?

12 MR. JANTZ: I don't have anything.

13 CHAIRPERSON BAILEY: Yes? All right.
14 Let's schedule August 22nd and 23rd for the next
15 meeting date for a continuation of these
16 consolidated cases 14784 and 14785. At that time --
17 well, by Friday we will have information from
18 Mr. Jantz so on August 22nd we will be begin with --
19 I'm not going to put a label on it -- discussions.
20 Any further testimony by anybody?

21 MS. FOSTER: Madam Chair, I am assuming
22 that Mr. Mullins -- well, Mr. Mullins will be the
23 expected rebuttal witness that I will put on to
24 OGAP's testimony. However, I would need some time
25 for Mr. Mullins to prepare rebuttal exhibits based

1 on OGAP's, so I'm guessing OGAP will go for the
2 better part of the first day and then I will need
3 time to put my rebuttal witness on if we deem it
4 necessary. At this point I don't know but it would
5 be Mr. Mullins' testimony.

6 MR. SMITH: But we do know that Dr.
7 Buchanan is going to testify?

8 MR. CARR: Yes, I assume these dates are
9 fine. I believe they are.

10 CHAIRPERSON BAILEY: Just in case, the
11 suggestion has been made to also pencil in the
12 following week, August 27th through 31st just in
13 case.

14 MS. FOSTER: That would be fine.

15 MR. SMITH: I may have difficulty on the
16 27th but I will have to check.

17 CHAIRPERSON BAILEY: Is everybody else
18 available?

19 DR. BARTLETT: This will be at the Wendell
20 Chino building?

21 CHAIRPERSON BAILEY: Yes, in our regularly
22 scheduled Porter Hall. Mr. Smith may not be
23 available the 27th. Let's pencil in the 28th, the
24 29th, the 30th and 31st if we need those dates.
25 That will conclude the hearing. On the 22nd we will

1 have Mr. Jantz' person. Then the 23rd would
2 Mr. Mullins be able to respond?

3 MS. FOSTER: I hope so. Again, I have
4 asked for OGAP's exhibits that they intend to
5 present on the 22nd and as soon as he can give us
6 the exhibits obviously we will be able to speed up
7 our response if necessary. I'm hoping, yes, ma'am.

8 CHAIRPERSON BAILEY: Dr. Buchanan on the
9 23rd possibly going into the 28th.

10 MR. CARR: Right.

11 MR. SMITH: The OGAP exhibits will be
12 forthcoming with the statement of intent on Friday?

13 MR. JANTZ: Absolutely. Yes.

14 CHAIRPERSON BAILEY: All right. Then we
15 will continue this hearing.

16 MR. SMITH: We have public comment.

17 MS. GERHOLT: Madam Chair, what time will
18 we resume at Porter Hall?

19 CHAIRPERSON BAILEY: At 9:00 o'clock.
20 Garrett VeneKlasen?

21 THE WITNESS: Madam Chair, would you like
22 me to stand here?

23 CHAIRPERSON BAILEY: Would you like a
24 sworn or unsworn statement?

25 THE WITNESS: Sworn.

1 GARRETT VENEKLASEN

2 after having been first duly sworn under oath,
3 testified as follows:

4 CHAIRPERSON BAILEY: You will be subject
5 to cross-examination. We limit public comments to
6 five minutes.

7 THE WITNESS: Madam Chair, members of the
8 committee, my name is Garrett VeneKlasen and I
9 represent Trout Unlimited as their New Mexico public
10 land coordinator. As a lifelong resident and avid
11 hunter and angler of this fine state, my
12 organization is concerned about the future of New
13 Mexico's valuable groundwater and surface waters,
14 and important and often limited quality fish and
15 wildlife habitat. TU's basic mission is to protect
16 coldwater fisheries and their watersheds across the
17 U.S. Watershed health begins at the top of the
18 highest mountains and includes all of the lands that
19 eventually lead to the bottom of any and all of our
20 precious drainage.

21 We strongly support the NM OGCC
22 maintaining the current Pit Rule, which includes the
23 closed-loop, below-grade tanks and sumps rule based
24 on its scientific and pragmatic approach protect New
25 Mexico's important resources. As oil and gas

1 development increases in this state, the Pit Rule
2 becomes even more important in providing the public
3 and the environment a moderate sense of safety and
4 well-being. The oil and gas business, by its very
5 nature, is an often dirty business. The current Pit
6 Rule provides a level of protection as well as an
7 economic investment that minimizes risk for all who
8 depend on New Mexico's resources. Not having the
9 Pit Rule is a poor economic investment with a high
10 risk return for all of New Mexicans. New Mexicans
11 sportsmen contribute nearly 500 million dollars
12 annually to our state's economy and support more
13 than 8,000 jobs state-wide. This is a sustainable,
14 rapidly-expanding economic driver that relies upon
15 healthy watersheds and large expanses of
16 unfragmented back country.

17 During the 2007 rule making hearing for
18 the Pit Rule, ample evidence was provided from the
19 numerous state agency professionals that work in
20 this state's regulatory body -- evidence supporting
21 increasing protection measures because of incidences
22 of soil and water contamination, infiltration and
23 leaks from unlined pits, temporary pit liner
24 failures and pit tears. There are many vulnerable
25 areas within the hydrogeology of this unique country

1 and the current Pit Rule helps protect all of us
2 including the oil and gas companies, from short-term
3 and long-term harm.

4 The use of closed-loop systems and
5 protective pit tanks are being used in other highly
6 productive oil and gas states, specifically Wyoming
7 in the Pinedale Anticline and Jonah fields and it is
8 a recognized part of the cost of doing business. We
9 must stress that Trout Unlimited is not against
10 energy development when done responsibly and with
11 respect to the public and private landscape.
12 However, taking unnecessary risks with our health
13 and environment and for the future of our
14 generations is something we consider irresponsible.

15 With these considerations in mind, we
16 respectfully ask the Conservation Commission to
17 maintain the status quo of the Pit Rule.

18 I want to quickly address one of the
19 committee member's comments about rain events in our
20 state. I spent a lot of time outdoors. I'm a
21 hunter and fisherman, spent a lot of time in the
22 Aztec area in the San Juan and I have seen some of
23 these three-inch rain events and I have seen the San
24 Simon Canyon run at 2,000 CFS. It's a dry wash that
25 goes from no water to 2,000 CFS. I have seen rain

1 events that cover 50 to 100 square mile area, and I
2 have seen the ground move from the rain events. I
3 have seen three inches of standing moving water
4 across miles and miles of country. And I am curious
5 to see what the rain events do. I don't know if
6 that was necessarily addressed in some of the data
7 that was presented today. These rain events happen
8 all over the state. As we develop places like Mora
9 County and Rio Arriba County that have really,
10 really fragile watersheds that affect native species
11 of trout, the cutthroat trout, for example, I am
12 curious to see what the rain events do to the
13 watersheds.

14 So I think it's important to think
15 long-term and be visionary. I think we have a moral
16 obligation to our kids to be responsible and not
17 prevent development, but do it responsibly. I think
18 that's the message I want to convey. Thank you very
19 much for your time.

20 CHAIRPERSON BAILEY: Any questions for
21 this commenter? Thank you. Any other business
22 before the commission today? Then we will see each
23 other August 22nd.

24 (Note: The hearing was adjourned for the
25 day at 11:12.).

1 REPORTER'S CERTIFICATE

2 I, JAN GIBSON, Certified Court Reporter for the
3 State of New Mexico, do hereby certify that I
4 reported the foregoing proceedings in stenographic
5 shorthand and that the foregoing pages are a true
6 and correct transcript of those proceedings and was
7 reduced to printed form under my direct supervision.

8 I FURTHER CERTIFY that I am neither employed by
9 nor related to any of the parties or attorneys in
10 this case and that I have no interest in the final
11 disposition of this case.

12

13

14

15

16

17

18

19

20

21

22

23

24

25



JAN GIBSON, CCR-RPR-CRR

New Mexico CCR No. 194

License Expires: 12/31/12