

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION COMMISSION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

AGAVE ENERGY COMPANY'S AMENDED SECOND
MOTION TO AMEND ORDER NO. R-13507,
LEA COUNTY, NEW MEXICO

CASE NO: 14720

REPORTER'S TRANSCRIPT OF PROCEEDINGS
COMMISSIONER HEARING

BEFORE: JAMI BAILEY, Chairman
DR. ROBERT BALCH, Commissioner
SCOTT DAWSON, Commissioner

October 25, 2012
Santa Fe, New Mexico

This matter came on for hearing before the New
Mexico Oil Conservation Commission, JAMI BAILEY,
Chairman, on Thursday, October 25, 2012, at the New
Mexico Energy, Minerals and Natural Resources Department,
1220 South St. Francis Drive, Room 102, Santa Fe, New
Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105

RECEIVED OGD
2012 NOV -6 P 2:33

1 A P P E A R A N C E S

2 FOR THE OIL CONSERVATION COMMISSION:

3 Bill Brancard, Esq.
 4 Assistant General Counsel
 5 1220 S. St. Francis Drive
 6 Santa Fe, New Mexico 87504

7 FOR AGAVE ENERGY COMPANY:

8 Hinkle, Hensley, Shanor & Martin, LLP
 9 Gary W. Larson, Esq.
 10 P.O. Box 2068
 11 Santa Fe, New Mexico 87504

12 ALSO PRESENT:

13 Florene Davidson

14 WITNESSES: PAGE

15 Ivan Villa:
 16 Direct examination by Mr. Larson 12
 17 Examination by Commissioner Dawson 18
 18 Examination by Commissioner Balch 19
 19 Examination by Chairman Bailey 22
 20 Redirect examination by Mr. Larson 22
 21 Further redirect examination by Mr. Larson 24

22 Alberto Gutierrez:

23 Direct examination by Mr. Larson 25
 24 Examination by Commissioner Dawson 57
 25 Examination by Commissioner Balch 60
 Examination by Mr. Brancard 67
 Examination by Chairman Bailey 72

26 INDEX

27 EXHIBITS PAGE
 28 AGAVE EXHIBIT 1 WAS ADMITTED 11
 29 AGAVE EXHIBIT 2 WAS ADMITTED 57
 30 REPORTER'S CERTIFICATE 79

1 CHAIRMAN BAILEY: It is 9:00. We are in
2 Porter Hall, in Santa Fe, New Mexico. This is the
3 meeting of the Oil Conservation Commission. All three
4 Commissioners are present, so there is a quorum.

5 To my right is Scott Dawson, designee of the
6 Commissioner of Public Lands. To my left is Dr. Robert
7 Balch, who is the designee of the Secretary of the
8 Energy, Minerals and Natural Resources Department. And
9 to his left is Bill Brancard, General Counsel for the
10 Commission today.

11 Mr. Dawson, you have something you'd like to
12 say?

13 COMMISSIONER DAWSON: Yes. I had a
14 question for all parties involved. I'll ask the
15 Commissioners -- first I'll tell you what the problem is,
16 and then I'll ask the Commissioners, and then I'll ask
17 you, the members and the applicant, if there's a problem
18 with my situation.

19 And the situation is that currently I'm
20 working for the State Land Office. But the Oil
21 Conservation Division has a job opening for a deputy
22 director, and I've applied for that job position.

23 And I just wanted to make sure with all
24 parties, both the Commissioners and the applicant, if
25 there was any kind of conflict that would arise from the

1 fact of me applying for the Oil Conservation Division.

2 And first I wanted to ask the Commissioners if
3 they have any conflict with that, with me sitting in on
4 this case and hearing this case?

5 COMMISSIONER BALCH: Maybe I'm a little
6 simple about it, but right now you work for the State
7 Land Office, and you're designated by the Land
8 Commission, so I don't see a conflict.

9 COMMISSIONER DAWSON: I haven't been hired
10 yet by the Oil Conservation Division, and I don't know if
11 I will be hired by the Oil Conservation Division, but I
12 have applied with the Oil Conservation Division.

13 COMMISSIONER BALCH: Again, you're working
14 for the State Land Office and you're the designee, and
15 you're not working for the OCD. I don't see a conflict.

16 CHAIRMAN BAILEY: I have absolute faith
17 that you will discharge whatever duty there is in this
18 case with the understanding that you are working for the
19 Land Office and primarily looking out for the
20 beneficiaries of the state trust.

21 So I am confident that you have that ability
22 to discharge the responsibilities that you have been
23 given as the designee of the Land Office.

24 COMMISSIONER DAWSON: Okay. Mr. Larson,
25 do you have a rebuttal?

1 MR. LARSON: I see no conflict whatsoever.
2 Thank you for raising it, though.

3 COMMISSIONER DAWSON: Thank you.

4 CHAIRMAN BAILEY: We have minutes of
5 previous hearings that we need to sign off on. We have
6 minutes of the meeting that was held on September 13th,
7 2012, in which I did not participate.

8 Commissioners Balch and Dawson were the
9 Commissioners for that hearing. And I ask if you have
10 read the minutes as they were prepared by the Commission
11 Clerk?

12 COMMISSIONER DAWSON: I have.

13 COMMISSIONER BALCH: And I have.

14 CHAIRMAN BAILEY: Do you have any
15 comments, or do I hear a motion to sign this?

16 COMMISSIONER DAWSON: I will motion.

17 COMMISSIONER BALCH: I'll second.

18 CHAIRMAN BAILEY: All those in favor?

19 I do not vote because I was not a member.

20 Commissioner Balch, as Acting Chairman for
21 that day, you have the responsibility to sign those
22 minutes.

23 And we also have the minutes of the meeting of
24 the Commission held on September 24th through the 27th,
25 and October 1st, 4th and 5th. Those meetings dealt

1 primarily with the Rule 17 deliberations that are
2 ongoing.

3 Have the Commissioners had a chance to read
4 the minutes as drafted by the Commission Clerk?

5 COMMISSIONER BALCH: I have.

6 COMMISSIONER DAWSON: And I did.

7 CHAIRMAN BAILEY: Do I hear a motion to
8 adopt these minutes?

9 COMMISSIONER DAWSON: I will motion.

10 COMMISSIONER BALCH: I'll second.

11 CHAIRMAN BAILEY: All those in favor
12 signify by saying aye.

13 And I will sign on behalf of the Commission.

14 Then we have an order in Case 14763, which was
15 the application of Mack Energy Corporation for compulsory
16 pooling.

17 Commissioners, have you had a chance to review
18 the draft order as it was prepared?

19 COMMISSIONER DAWSON: I have.

20 COMMISSIONER BALCH: I have, also.

21 CHAIRMAN BAILEY: Do I hear a motion to
22 accept and sign the order of the Commission in this case?

23 COMMISSIONER DAWSON: I will motion.

24 COMMISSIONER BALCH: I will second.

25 CHAIRMAN BAILEY: All those in favor

1 signify by saying aye.

2 Then you'll sign that order.

3 Commission Counsel, should I even sign that,
4 since I was not a participant in that hearing?

5 MR. BRANCARD: Yeah. You can just
6 indicate that you were not a participant on there.

7 CHAIRMAN BAILEY: Okay. All documents
8 will be given to the Commission Clerk for distribution.

9 Before us today we have Case 14720, which is
10 Agave Energy Company's amended second motion to amend
11 Order Number R-13507. And I'll call for appearances.

12 MR. LARSON: Gary Larson, of Hinkle,
13 Hensley, Shanor & Martin, on behalf of Agave Energy
14 Company. I have two witnesses.

15 CHAIRMAN BAILEY: Thank you. Shall you
16 call your first witness?

17 MR. LARSON: Actually, I have a brief
18 opening statement.

19 CHAIRMAN BAILEY: All right.

20 MR. LARSON: May I proceed?

21 CHAIRMAN BAILEY: Yes. Please do.

22 MR. LARSON: Madam Chair, Commissioners,
23 as you're aware, this is the second time Agave has
24 requested a modification of the requirement in Order
25 Number R-13507 that Agave re-enter and re-plug four

1 plugged and abandoned wells in the vicinity of the Red
2 Hills AGI Number 1 well.

3 The first time Agave requested relief from the
4 requirement that it re-plug the Smith Federal Number 1
5 was based on the well's current plugging configuration
6 and its distance from the AGI well.

7 Agave's present request for relief is
8 different, in that it's based on actual wellbore
9 conditions in the Government L Com Number 2 well that
10 neither the Commission nor Agave could have anticipated,
11 based on available plugging records.

12 Additionally, Agave's request is based on new
13 data generated by Agave which is derived from inlet gas
14 that it actually received at its Red Hills Gas Processing
15 Plant, injection testing conducted during Agave's
16 successful re-entry and re-plugging of the Sims Number 1
17 well, and new modeling demonstrating that the radius of
18 the injection plume after 30 years will be 0.30 miles,
19 rather than the 0.39 radius indicated in the Commission's
20 initial order.

21 You're going to hear testimony this morning
22 that Agave spent 22 days and \$500,000 attempting to
23 re-enter the Government L Com Number 2 well before
24 reaching the conclusion that it was impossible to reach
25 the depth necessary to place a balance plug across the

1 injection zone. And that conclusion was shared by E.L.
2 Gonzales, in the OCD's District 1 office, and by Will
3 Jones, in the Santa Fe office, who are both experts in
4 injection well matters.

5 And at the point Agave realized it was not
6 feasible to reach the depth necessary to place the
7 balance plug, it faced a dilemma. Its only option was to
8 terminate the re-entry efforts, yet Agave was bound by
9 the Commission's requirement to install the balance plug.
10 And it was without a means to immediately obtain
11 Commission approval of the termination of the re-entry.

12 And left with no other viable option, Agave
13 terminated its re-entry efforts and then filed what was
14 called its second motion to amend Order Number R-13507
15 requesting the Commission to relieve Agave of the balance
16 plug requirement.

17 And soon after Agave filed that motion, the
18 Division entered an appearance in the case and engaged in
19 discussions with Alberto Gutierrez, of Geolex, and
20 myself, regarding the proximity of the Government Number
21 2 well to the outer edge of the plume, which is indicated
22 to be .39 miles in the initial order.

23 And several subsequent developments then
24 changed the picture. First, Agave evaluated new inlet
25 gas data and determined that the composition of the

1 Treated Acid Gas, which I'll refer to as TAG, would be
2 99.8 percent CO2 and .2 percent H2S, and that the average
3 injection rate of TAG over the 30-year life span of its
4 injection authority will be 14 percent less than Agave
5 originally anticipated.

6 Secondly, Agave conducted injection testing
7 during the re-entry of the Sims Number 1 well that
8 demonstrated that its injectivity projections were overly
9 conservative and that the reservoir has significantly
10 more capacity than it originally anticipated.

11 And third, Agave performed new modeling based
12 on this data which resulted in a 25 percent decrease in
13 the radius of the injection plume after 30 years.

14 And Agave presented the OCD with the new inlet
15 gas data, the injection test results and the new
16 modeling. And the ensuing discussions between Agave and
17 the OCD resulted in an agreement that there is no threat
18 that TAG injected by Agave will migrate into the
19 Government L Com Number 1 and Number 2 wellbores, and
20 that the Commission should amend Order R-13507 by
21 eliminating the requirements that Agave place a balance
22 plug in the Number 2 well across the injection zone and
23 re-enter and re-plug the Number 1 well.

24 And that agreement was eventually memorialized
25 in a written stipulation which Gabrielle Gerholt has

1 executed on behalf of the OCD and I have signed on behalf
2 of Agave.

3 Finally, Agave will present substantial and
4 unopposed evidence demonstrating that it should be
5 relieved of the re-plugging requirements for the
6 Government L Com Number 1 and Number 2 wells, and
7 providing the Commission complete confidence in
8 concluding that there's no threat whatsoever of injected
9 TAG migrating into the welbores.

10 And before I call my first witness, I'd like
11 to draw your attention to the document marked as Exhibit
12 Number 1, which is the written stipulation between Agave
13 and the OCD.

14 And Madam Chair, I have the original of the
15 stipulation, if you'd like to place that in the record.

16 CHAIRMAN BAILEY: Yes.

17 MR. LARSON: And I would move the
18 admission of Exhibit 1 into the record.

19 CHAIRMAN BAILEY: Any objections?

20 Then it is so admitted.

21 (Exhibit 1 was admitted.)

22 MR. LARSON: Thank you.

23 I would call Mr. Ivan Villa as my first
24 witness.

25 THE WITNESS: Good morning.

1 CHAIRMAN BAILEY: Good morning.

2 CHAIRMAN BAILEY: Would you please stand
3 to be sworn?

4 IVAN VILLA

5 Having been first duly sworn, testified as follows:

6 DIRECT EXAMINATION

7 BY MR. LARSON:

8 Q. Please state your full name for the record.

9 A. Ivan Villa.

10 Q. By whom are you employed, and in what
11 capacity?

12 A. I am the engineering manager for Agave Energy
13 Company.

14 Q. Did you testify before the Commission during
15 the previous two hearings in this case?

16 A. I did.

17 Q. Did the Commission qualify you as an expert in
18 engineering during each of those hearings?

19 A. They did.

20 MR. LARSON: Madam Chair, I request that
21 Mr. Villa be qualified as an expert engineer for the
22 purposes of today's hearing.

23 CHAIRMAN BAILEY: Yes, he is.

24 MR. LARSON: Thank you.

25 Q. (By Mr. Larson) Do you recall testifying at

1 the June 28th hearing in this case that Agave would
2 complete construction of its Red Hills gas plant on
3 September 1st of this year and commission the plant on
4 October 1st?

5 A. Yes.

6 Q. Did Agave meet those projected dates?

7 A. We did not meet those projected dates.

8 Q. What is the current goal for commissioning the
9 plant?

10 A. The current goal for commissioning is by the
11 end of December 2012.

12 Q. And has the continuing plant development
13 changed Agave's timeline for drilling the Red Hills AGI
14 Number 1 well?

15 A. It has not. We're still on schedule for
16 drilling of the well in the third quarter of 2013.

17 Q. What relief is Agave requesting in its amended
18 second motion to amend Order Number 13507?

19 A. To remove the requirement for setting the
20 balance plug in the Government Number 2. And also,
21 removing the Government Number 1 from the plugging list.

22 Q. And the motion that Agave filed with the
23 Commission also requests that the Commission reduce
24 either the lifespan of Agave's injection authority or the
25 total volume of acid gas that Agave would inject over 30

1 years. Is Agave still requesting that relief?

2 A. No, we're not.

3 Q. Is Agave now withdrawing that request?

4 A. We are.

5 Q. And will Mr. Gutierrez address that during his
6 testimony?

7 A. He will.

8 Q. And do you also recall testifying at the June
9 28th hearing that Agave had begun the necessary steps to
10 re-enter and re-plug the Government L Com Number 2 and
11 Number 1 wells and the Sims Number 1 well, as required by
12 Order Number R-13507?

13 A. Yes.

14 Q. What actions has Agave taken?

15 A. We had received approval for re-plugging of
16 the wells. We also negotiated the surface use agreements
17 for each well location and also have prepped the site for
18 the upcoming work.

19 Q. And at the time of the hearing, had Agave
20 rigged up on the Government Number 2 well site?

21 A. We had.

22 Q. And was Geolex overseeing the re-entry
23 efforts?

24 A. Yes.

25 Q. Did Geolex perform that work under your

1 direction?

2 A. They did.

3 Q. And I know Mr. Gutierrez is going to get into
4 this in more detail, but could you tell the Commissioners
5 how the re-entry efforts went?

6 A. We were unsuccessful on re-entering the
7 Government Number 2 well.

8 Q. And how much has Agave spent to date on the
9 re-entry of the Government L Com Number 2?

10 A. To date, we've spent about \$500,000 on the
11 Government Number 2.

12 Q. Did Agave move forward on the re-entry of the
13 Sims Number 1 well?

14 A. We did.

15 Q. Has Agave completed the re-entry and
16 re-plugging of that well?

17 A. We have.

18 Q. Was that performed in the manner specified by
19 Order R-13507?

20 A. It was.

21 Q. Has the OCD District Office approved the
22 subsequent C-103 describing the re-plugging?

23 A. Yes.

24 Q. What was the total cost of the re-entry and
25 re-plugging of the Sims Number 1?

1 A. It was approximately \$630,000.

2 Q. And while Geolex was performing the re-entry
3 work on behalf of Agave, did you re-visit your original
4 projections of the amount and composition of the inlet
5 gas to be processed at the Red Hills Gas Processing
6 Plant?

7 A. We did.

8 Q. And were those projections based on new data?

9 A. They were.

10 Q. And what was the data based on?

11 A. The data was based on information from our
12 parent company on production curves for the producing
13 zones around the Red Hills area, and also some new
14 updated gas analyses for wells that we had tied into our
15 system.

16 Q. This data became available when?

17 A. Approximately the June time frame.

18 Q. June of this year?

19 A. Yes. June 2012.

20 Q. Could you move forward to Slide Number 4,
21 please?

22 A. (Witness complies.)

23 Q. And could you identify for the Commissioners
24 the information in the table on Slide Number 4?

25 A. Yes. The table on Slide Number 4 is a Promax

1 simulation of our updated calculation of the TAG
2 composition. As you see, to the left, that is the --
3 each component breakdown. And across the top, you'll
4 see, "TAG 1/13." That is our projected composition
5 starting in January 2013. And then we move on to July
6 2013, and then finally, when we ramp up our production to
7 120 million cubic feet a day.

8 Q. And does the composition and the process
9 streams differ from Agave's initial projections?

10 A. It does.

11 Q. What were your initial projections?

12 A. Initial projections were about 95 percent CO2
13 and 5 percent H2S.

14 Q. Could you move forward to Slide Number 5?

15 A. (Witness complies.)

16 Q. Again, would you identify for the
17 Commissioners the data in this table?

18 A. The table in Slide Number 5 is a year-by-year
19 forecast of our inlet volume coming into Red Hills, along
20 with the corresponding TAG production. And that's based
21 over a 30-year period. And that information is generated
22 from our production curves from our parent company.

23 Q. What did you compute as the average injection
24 rate over 30 years?

25 A. Average injection rate was approximately 6.7

1 million cubic feet a day.

2 Q. Does that also differ from your original --

3 A. Yes.

4 Q. What was the original projection?

5 A. A little over 8 million cubic feet a day.

6 Q. Did you provide this data to Geolex?

7 A. Yes.

8 Q. And did Geolex perform modeling based in part
9 on this new data that you provided?

10 A. They did.

11 Q. And is the reduced radius of the injection
12 plume the basis for Agave's withdrawal of its request and
13 its amended motion that the Commission reduce either the
14 lifespan of the injection authority or the total value of
15 TAG to be injected?

16 A. Yes, it is.

17 MR. LARSON: Madam Chair, that's all I
18 have on direct.

19 CHAIRMAN BAILEY: Do you have any
20 questions of this witness?

21 COMMISSIONER DAWSON: I have one question.

22 EXAMINATION

23 BY COMMISSIONER DAWSON:

24 Q. When you did the -- going back to the previous
25 slide on the calculation of the TAG composition, was

1 that -- where did you test that gas stream? Was that on
2 the line coming into the plant, or is that from the
3 wellhead?

4 A. That's at each individual wellhead. And we
5 just took a composition and threw that into the Promax
6 model, and that's how we generated our TAG concentration.

7 COMMISSIONER DAWSON: That's the only
8 question I had. Thank you.

9 CHAIRMAN BAILEY: Commissioner Balch?

10 COMMISSIONER BALCH: I have a few
11 questions, Mr. Villa.

12 Good morning.

13 THE WITNESS: Good morning.

14 EXAMINATION

15 BY COMMISSIONER BALCH:

16 Q. L Com 2, you haven't been able to plug,
17 \$500,000. Sims 1, you did plug, about 630. And the
18 other two are the Government L Com 1 and the Government L
19 Com 2. Would you expect them to come in at the same
20 price range, around a half million dollars?

21 A. I think -- yes, sir, I would. Actually,
22 500,000 is only the cost to date, since we basically
23 halted work on the Government Number 2. I would suspect
24 plugging of the other wells would probably come in at
25 about the same amount as the Sims Number 1. And I'm sure

1 Alberto could probably elaborate on that during his
2 testimony.

3 Q. I'm going to follow up on the question that
4 Mr. Dawson had on the TAG.

5 Over 30 years of production, are you likely to
6 see a variation in those CO2 and H2S ratios?

7 A. There could be a variation.

8 Q. What sort of range might you expect, from just
9 knowledge of production?

10 A. Not much. You know, the initial H2S -- the
11 initial H2S that we were seeing basically came from the
12 outer fringes of the Avalon Shale play. Those were
13 analyses that were pulled from wells for exploratory-type
14 reasons.

15 So those concentrations could change, but I
16 wouldn't think they would change by much.

17 Q. About what percentage of the total number of
18 wells that are going to eventually come into the plant
19 are in place and producing?

20 A. What percentage of the number of wells?

21 Q. If there's going to be a thousand to complete
22 the play, how many do you have now? Just a percentage.

23 A. I'm guessing probably at 10 to 15 percent.

24 Q. So another 85 to 90 percent of the wells that
25 you haven't tested yet?

1 A. Correct. But a lot of these analyses that
2 we're seeing are spread out throughout the fields, and
3 there's several producing zones that we have some pretty
4 good information for. So we feel very confident with the
5 gas compositions.

6 Q. If you had to put a variance on it, what would
7 be your estimate of a variance?

8 A. For the composition?

9 Q. Plus or minus H₂S.

10 A. I would probably guess we would probably be
11 within plus or minus half a percent to a percent H₂S.

12 Q. Could you refresh my memory on how deep the
13 injection well is?

14 A. The injection well is roughly about 6,800
15 feet, the actual injection zone.

16 Q. I'm going to ask you just a general
17 engineering question because I'm curious.

18 But if you were to drill a monitoring well
19 only for the point of monitoring CO₂ at that depth, how
20 much would that cost, about?

21 A. That's probably a little bit outside of my
22 realm. I'm hoping Alberto could probably answer that
23 question better than I could.

24 COMMISSIONER BALCH: Thank you. That's
25 all I have.

1 EXAMINATION

2 BY CHAIRMAN BAILEY:

3 Q. Since this case is predicated on a change
4 of -- or a calculation of the composition at 99.8 percent
5 CO2 and 0.2 percent H2S and an injection rate of 6.74
6 mcf/d, would you object to having those limitations as
7 part of the order, since that was the basis for your case
8 before the Commission?

9 A. No. No, I don't think we'd object to that.

10 CHAIRMAN BAILEY: Okay. Any other
11 questions?

12 COMMISSIONER DAWSON: No further
13 questions.

14 MR. LARSON: I have a couple of
15 follow-ups.

16 CHAIRMAN BAILEY: Yes.

17 REDIRECT EXAMINATION

18 BY MR. LARSON:

19 Q. Mr. Villa, has Agave submitted an alternative
20 plugging plan for the Government L Com Number 2?

21 A. We have.

22 Q. But you haven't carried forward with that
23 action yet?

24 A. Yes.

25 Q. That's pending the Commission's ruling on this

1 motion?

2 A. Yes.

3 Q. Following up on Commissioner Balch's question,
4 you have a small percentage of representative wells in
5 that Avalon Shale play. Is it your belief that those
6 wells are representative of wells that will come on line
7 throughout that play?

8 A. Yes.

9 MR. LARSON: That's all I have.

10 CHAIRMAN BAILEY: Then your witness may be
11 excused.

12 MR. LARSON: Thank you.

13 CHAIRMAN BAILEY: Shall we take a
14 five-minute break?

15 MR. LARSON: Sure.

16 (A recess was taken.)

17 CHAIRMAN BAILEY: Shall we go back on the
18 record?

19 MR. LARSON: Yes. With your indulgence,
20 I'd like to recall Mr. Villa to answer a couple of
21 questions.

22 CHAIRMAN BAILEY: All right.

23 You're still under oath, Mr. Villa.

24 THE WITNESS: Okay.

25

1 FURTHER REDIRECT EXAMINATION

2 BY MR. LARSON:

3 Q. Mr. Villa, Chairman Bailey asked you a
4 question about putting a limitation on your average daily
5 rate of TAG injection. And what is the maximum daily
6 injection rate currently in place in the original order?

7 A. Thirteen million cubic feet a day.

8 Q. Would you like to maintain that 13 million per
9 day maximum?

10 A. Yes.

11 Q. What is your reasoning behind keeping that?

12 A. One of the major reasons is during periods of
13 plant upsets or field shut-ins, there could be times
14 where we may need that extra capacity for TAG production.
15 So mainly during periods of upsets, we would like that
16 flexibility.

17 Q. And those periods of upset, would that change
18 your calculation of the average injection rate over time?

19 A. Can you repeat that?

20 Q. If you had those upset days, would that have
21 any impact on your calculation of the average injection
22 rate?

23 A. No.

24 Q. But again, you would like to maintain that 13
25 million maximum daily injection rate?

1 A. That's correct.

2 MR. LARSON: That's all I have, Madam
3 Chair.

4 CHAIRMAN BAILEY: Any questions?

5 COMMISSIONER DAWSON: No questions.

6 COMMISSIONER BALCH: No questions.

7 CHAIRMAN BAILEY: You may be excused.

8 Would you like to call your next witness?

9 MR. LARSON: I would. Alberto Gutierrez.

10 ALBERTO GUTIERREZ

11 Having been first duly sworn, testified as follows:

12 DIRECT EXAMINATION

13 BY MR. LARSON:

14 Q. Please state your full name for the record.

15 A. My name is Alberto R. Gutierrez.

16 Q. What is the name of your company?

17 A. Geolex, Inc.

18 Q. What is your title with Geolex?

19 A. I'm the president of the company.

20 Q. Did you also testify before the Commission in
21 the two previous hearings in this matter?

22 A. Yes, I did.

23 Q. Did the Commission qualify you as an expert in
24 petroleum and geology and hydrogeology in each of those
25 hearings?

1 A. Yes.

2 MR. LARSON: Madam Chair, I would request
3 that Mr. Gutierrez again be qualified as an expert
4 petroleum geologist and hydrogeologist for purposes of
5 today's hearing.

6 CHAIRMAN BAILEY: Yes, he is.

7 MR. LARSON: Thank you.

8 Q. (By Mr. Larson) What are the key elements of
9 Agave's request for relief, now that it has withdrawn its
10 request for reduction in either the lifespan of its
11 injection authority for the total volume of TAG to be
12 injected over 30 years?

13 A. I wanted to go over a little bit of an outline
14 of what we're going to go over, and then I'll go over
15 those key factors.

16 Q. Sure.

17 A. Mr. Villa has already testified to the data
18 that were provided to us on the change in the projected
19 TAG composition and volume, and you've heard that
20 already. I'll touch on that a little bit, but not very
21 much.

22 Most of my presentation will relate to what
23 did we find out about the reservoir when we were doing
24 the plugging of the Sims Number 1, and how did that
25 affect -- and what were the results of that analysis on

1 the projected plume dimension over 30 years?

2 And then I will go into a fair amount of
3 detail as to what we encountered when we attempted to
4 plug the Government Number 2, and when we successfully
5 plugged the Sims Number 1, and what we would expect in
6 the context of the Government Number 1.

7 And then I will give you a revised estimate of
8 the plume geometry and its maximum extent, based on the
9 TAG volumes and the reservoir conditions and the
10 additional new data that we have on the reservoir.

11 And I want to emphasize too that we
12 coordinated this whole process. It was really an
13 excellent example of working jointly with the agency. We
14 coordinated with District 1 and with Santa Fe pretty much
15 on a daily basis, and in some cases, more than once a
16 day, while we were going through the whole plugging
17 process, to keep the district and Will Jones, in Santa
18 Fe, apprised of what we were encountering.

19 And it was a two-way street. I mean the
20 district had their staff out there numerous times, and we
21 would discuss and try to work out what was going to be
22 the best way to accomplish the objectives that were set
23 forth in the order.

24 And in fact, it was originally the district
25 that said to us, when we were struggling with the

1 Government Number 2, "You may as well give it up. You're
2 never going to get there." So I'll talk a little bit
3 about that.

4 But I really am proud of the way we were able
5 to work and have been able to continue to work with the
6 district and with the staff in Santa Fe, which have been
7 very helpful throughout the whole process. And then I'll
8 just go through a summary of what our request is from the
9 Commission today.

10 The key elements of our request are as
11 follows: Basically we know, as Mr. Villa testified, that
12 the projected concentrations of the TAG are resulting
13 essentially about a 96 percent reduction in H2S
14 concentration in the overall TAG stream. So we're
15 basically injecting 99.8 percent CO2 and about .2 percent
16 H2S. So there's a much lower percentage of H2S than what
17 we originally anticipated.

18 Secondly, even if you take into account the
19 uncertainties that go into the determination of that, as
20 Mr. Villa testified, maybe you're talking a half to 1
21 percent difference in that H2S concentration, which
22 would, at its worst, bring us up to about 1.2 percent
23 H2S, which is still about 75 or 80 percent lower than
24 what was originally projected.

25 Now, frankly, that change in composition

1 doesn't have much of an effect on the overall size of the
2 plume because the overall size of the plume is more
3 affected by the overall volume of TAG and the reservoir
4 conditions.

5 But when we went through the new modeling and
6 projected rates, we found that instead of an average over
7 30 years of nearly 7.8 million cubic feet a day, our
8 average turns out to be more like 6.75 or 6.74 million
9 cubic feet a day. So that had a real effect on the
10 overall size of the plume.

11 In addition, we went through extensive work to
12 try to remediate and re-plug the Government Number 2.
13 And I will go through those steps and explain to you why
14 we feel that -- and so does the OCD -- feel that it is
15 not possible to achieve that in the Government Number 2
16 or in the Government Number 1, and why we don't feel that
17 those wells, as they currently exist, pose any kind of a
18 threat of escape from the injection zone of acid gas.

19 Then very importantly, and something that we
20 hadn't even thought of, frankly, when we originally
21 re-entered the Sims well, but the Sims well is the
22 closest well of all of the four that the Commission
23 required us to re-plug. The Sims well is the closest to
24 our proposed location for the AGI.

25 We were able to go and successfully plug that

1 well. That configuration in that well was significantly
2 different than what we encountered in the Government
3 Number 2. Here's the point: We never thought of this in
4 advance. I guess we probably should have.

5 But once we got down to the Cherry Canyon in
6 the Sims Number 1 well, we thought, "Wait a second.
7 We're in the injection zone that we plan to be in. Why
8 don't we do some injection tests and get some more real
9 data on the reservoir that we didn't have when we came to
10 the Commission for the original application?"

11 So we did that. And that provided some
12 additional very good data on the injectivity of the
13 reservoir. And it provided data that frankly was pretty
14 convincing to us and to the Division that the original
15 projections for the size of the plume were way, way
16 conservative, and that there is not much risk, if any, of
17 that TAG coming out of that injection zone.

18 And if you'll note on the fourth or fifth
19 bullet up there, the results of that injection test are
20 summarized. The bottom line is we did not anticipate
21 that the Cherry Canyon would be underpressured reservoir.
22 We thought it would be normally pressured. But, in fact,
23 it's underpressured.

24 The well went on vacuum at three barrels a
25 minute and remained that way throughout our injection

1 tests. And when we raised the rate to three-and-a-half
2 barrels a minute, we were only able to generate about 400
3 psi of pressure.

4 Now, just to give you a comparison, the
5 average rate of injection that Agave is anticipating,
6 that's only the rate at which this well, the Sims well,
7 took fluid on vacuum, is 148 percent of the rate at which
8 Agave intends to inject.

9 So, in fact, we believe that our injection
10 pressures are going to be very low, and, in fact, that
11 the reservoir has much greater capacity and much greater
12 porosity than what was originally anticipated.

13 In addition, we took a wider range of logs in
14 the Cherry Canyon to re-look -- after we got these
15 injection tests results, to look at the irreducible water
16 saturation. And what it appears is that our original
17 estimates were about .5 to .54 for irreducible water.
18 And when we took a wider look at Cherry Canyon, what we
19 found is that those numbers were much more around .43 to
20 .45. And that has a real effect as well in the reservoir
21 model and the prediction of the extent of the plume.

22 So basically the distance from the edge of the
23 revised plume calculations indicate that both the
24 Government Number 2 and the Government Number 1 are well
25 protected from TAG in the reservoir. And so those are

1 the key elements, and we're going to discuss those in
2 detail as we go along.

3 Q. Just so the record is clear, Mr. Gutierrez,
4 what are the parameters of the injection zone in the
5 Cherry Canyon, the depths?

6 A. The injection zone in the Cherry Canyon is
7 from approximately 6,200 to 6,500 or 6,600. We don't
8 know exactly what would be the best zones when we
9 encounter them. But that's what we anticipate.

10 Q. I direct your attention to the second bullet
11 point from the bottom of the page there on Slide 6.
12 That's a pretty strong statement, "The underpressured
13 condition of the reservoir virtually guarantees that
14 fluid will not leave the reservoir."

15 What's your basis for that statement?

16 A. It's very simple. We have a pressure gradient
17 that tends to take fluid into that reservoir, rather than
18 to allow fluid to escape from that reservoir.

19 So in fact, these injection tests were very
20 key in both my reevaluation of that reservoir and in
21 E.L.'s and Will's analyses of the reservoir. So we both
22 feel very comfortable with that condition in the
23 reservoir.

24 Q. And during Mr. Villa's testimony, I assume you
25 heard a question about a potential monitor well?

1 A. I did.

2 Q. What would your opinion be about the validity
3 of requiring a monitoring well?

4 A. Monitor wells in acid gas injection I think
5 are not a good idea in the context of penetrating the
6 reservoir. Because I think that it is far better to
7 perhaps have a look at producing wells in the nearby area
8 that penetrate that zone and look at what kinds of
9 changes there might be in the chemistry as a way of maybe
10 being an early sentinel of a problem.

11 But one of the things that you want to avoid
12 is to avoid penetrations of that reservoir as much as
13 possible, because you really want the stuff to stay in
14 there. While this is an underpressured reservoir and
15 that would not be as much of a concern, it's a very
16 expensive proposition, and I don't think it will really
17 help us assure safety.

18 Q. And could you ballpark the cost of a monitor
19 well?

20 A. Yeah. I think if you were going to drill a
21 monitor well that was going to be within the plume and
22 you have to protect that well in the same way that you
23 would protect an injection well out there at that
24 location, I'd say you're looking at 2 to \$3 million.

25 Q. And would it make sense to you to do a monitor

1 well outside the projected radius of the plume?

2 A. I don't think so. I think it would be better
3 just to look at other production in the area and monitor
4 that.

5 Q. And could you move on to Slide Number 7?

6 A. (Witness complies.)

7 Q. What is the distance from the surface location
8 of the Red Hills AGI to the Government L Com Number 2?

9 A. It's about .4 miles.

10 Q. And the same for the Government L Com Number
11 1?

12 A. It's about .72 or .73 miles.

13 Q. And what is the distance of the Smith Federal?

14 A. About .72, .73, something like that.

15 Q. So the distances of the Government L Com
16 Number 1 and Smith Federal Number 1 are very similar?

17 A. They are.

18 Q. Can you move to the next slide?

19 A. I want to point out the Sims -- you didn't
20 mention the Sims well.

21 If you look on the map -- this is just to
22 refresh the Commission's memory about the location of
23 these four wells -- you'll see the Government Number 2
24 and Government Number 1 there to the east of the proposed
25 Agave well, the Smith Federal to the southeast. And the

1 Sims you can see is pretty much directly north and is
2 approximately .25 miles away from the proposed Red Hills
3 well.

4 Q. Anything else on this slide?

5 A. No. That's it.

6 Q. And what was Geolex's original plan for
7 re-entering the Government L Com Number 2?

8 A. The Government L Com Number 2 is an abandoned
9 dry hole of which the casing -- it was a deep test. It
10 went way below the injection zone. But then it was
11 plugged back and abandoned.

12 And the 10-and-three-quarter-inch intermediate
13 casing was removed from a depth of about 800 feet to a
14 depth of 2,700 feet, approximately. I'm sorry, to a
15 depth of about 2,370 feet, approximately.

16 So the original concept and the approved
17 re-plugging plan was that we would re-enter the well. We
18 would drill out through the base of the surface casing at
19 about 800 feet, and we would re-enter the open hole,
20 which we did. Then the idea was we were going to get
21 back into the 10-and-three-quarter-inch casing at about
22 2,370 feet and then go on down to the Cherry Canyon and
23 set a balance plug because, again, we have some open hole
24 down there that is filled with heavy mud. That was the
25 original plan.

1 We attempted to do that. We had very, very
2 difficult drilling in the upper well due to the fact
3 there was a lot of metal debris and what I call junk that
4 had been dropped in that well and that we had to drill
5 through. So we spent basically almost 18 days just
6 trying to get through from the surface to the top of that
7 10-and-three-quarter-inch cutoff casing.

8 In just drilling out the open hole, we had to
9 mill a lot of steel that was in the well, a lot of just
10 junk that had been dropped in that upper portion of the
11 hole. And what would happen is there were a number of
12 plugs that we drilled through as we were going down. But
13 what would happen is you'd start milling on some junk,
14 and then it would kind of push through portions of the
15 open hole that had collapsed, and then you'd have to mill
16 on it again. It was quite a tedious process. The bottom
17 line is we had those difficulties to about 1,800 feet or
18 so.

19 Then we had a little bit easier drilling until
20 we got down to the top of the casing. And we went
21 down -- we were drilling with a 12-and-a-quarter-inch
22 bit, so that when we would encounter the top of the
23 10-and-three-quarter-inch casing, we would basically
24 arrive at the top of that casing and then be able to pull
25 out and come back in with like a

1 nine-and-five-eighths-inch bit and then re-enter that
2 casing.

3 After about three or four days of attempting
4 to re-enter that casing, we thought we had re-entered it.
5 And we kept on going down and kind of pushing and
6 drilling down to a depth of approximately 2,560 feet.

7 So I thought, "Okay, now we're home free,"
8 even though we had expended a significant amount more of
9 money than we anticipated to get there. But then we
10 encountered some resistance at that 2,500-foot depth.

11 So I consulted with E.L. We talked about it.
12 And I said to him, "You know what I'm going to do? I'm
13 going to pull out because I think I'm not in the casing.
14 I think I'm alongside of it." So I said, "I'm going to
15 pull out and put a coring bit back on. I'm going to go
16 back in, and I'm going to go to the depth where I'm
17 hitting resistance and try and get a sample and see
18 whether I'm in or out."

19 When we did that, we found indeed that we were
20 outside the casing. We cored a piece of rock from where
21 we had encountered the resistance, and the core that came
22 out had the crescent shape of where the original hole was
23 as half of the core. So we knew we were outside of this
24 casing.

25 So we pulled back up and we attempted again to

1 re-enter it, and we just couldn't do it. So we thought
2 now we want to take a look at what the top of that casing
3 looks like so we can maybe try and figure out how to get
4 into it. So we put what's called an impression block,
5 which is essentially a block of lead, this one being
6 about the same diameter as our bit,
7 12-and-a-quarter-inch.

8 And we went down with that impression block.
9 And you push a little bit on the top of the casing, so
10 then you pull it up. And you basically have a negative
11 image of what is looking up at you in the hole. When we
12 did that, we got basically a completely inconclusive
13 result. When we pulled it back out, what it looked like
14 is that this casing is actually collapsed at the top.

15 So after we did that, E.L., when I called him
16 and told him and sent him photographs of the impression
17 block, he said, "Just give it up. You're never going to
18 get there." And I agreed with him. I said, "I think
19 we've got a real problem, and I don't think we're going
20 to be able to re-enter it."

21 And we also noticed that -- because we
22 obviously were down alongside the casing there at that
23 2,300-foot depth, that what had happened is at the top of
24 that casing, where it had been cut off and pulled out,
25 there was a big washout.

1 So really what happened is that that casing
2 not only was partially collapsed, but it had almost 150
3 feet of essentially free pipe sitting in that hole at
4 that depth. And we just could not get -- it's like
5 threading a needle. We just could not thread the needle.

6 We then, in consultation with the district, we
7 said, "Why don't we just squeeze and inject cement over
8 that entire washout, fill it completely and bring the
9 cement up to about 2,300 feet above there and then
10 continue our plugging from above that zone?" Which was
11 what we proposed to the Division. And it's a plan that
12 we came up jointly with the Division of how to finish
13 plugging that well without having the ability to go down
14 there and set that balance plug.

15 That was submitted as a C-103 to the district.
16 And they accepted it for the record, but they couldn't
17 approve it because of the fact that the order trumped
18 that and said that we have to place a balance plug. So
19 that's why we're here today on that particular well.

20 That's, in short, the story of 25 days of my
21 life that I don't want to repeat.

22 Q. During the process of your communication with
23 the district office, were you also communicating with
24 Will Jones?

25 A. Yes.

1 Q. Did he concur with E.L. Gonzales' conclusion?

2 A. Yes, he did.

3 Q. And when did you rig up on the Government L
4 Com Number 2?

5 A. We were at this hearing I think on the 28th,
6 if I recall correctly, of June. And we rigged up about a
7 week before, about the 21st or 22nd.

8 So I -- actually, this was my slide that I --
9 I know this by heart, so I guess I went ahead of myself.
10 So this is a slide that lays out what I just told you in
11 a longer form. And so if you look at the -- these slides
12 all describe that.

13 Now, this is a graphical picture of what we
14 think that situation looks like now. You can see that
15 thing that looks like a mushroom. That's the washout
16 zone that is immediately above where that casing is cut
17 off. That is now completely filled with cement. We put
18 310 sacks of cement in there and filled the open hole up
19 to -- we completely covered the area alongside of that
20 casing and then up into the open hole to the 2,310-foot
21 mark.

22 And I know it looks kind of funny, but I tried
23 to do it to scale. The washout is -- our estimated
24 extent of that washout, based on our tools and then based
25 on the cement volumes, was about 24 inches. So it was

1 about twice the diameter of the open hole there. That's
2 because they cut that casing off basically in the salt,
3 and that tends to cause a bit of a washout. So that's
4 what we encountered in that well.

5 Q. This alternative plugging plan that you
6 submitted to the district and basically in abeyance,
7 pending the Commission's ruling on this motion --

8 A. Yes.

9 Q. -- have you estimated the cost of completing
10 that alternative plugging plan?

11 A. It will probably cost about another 160,000.
12 And that would be to go back -- because actually, in
13 consultation with the district, we decided -- and we did
14 this in the Sims Number 1.

15 We originally had an approved plan that had us
16 just resetting the plugs that were already existing in
17 the well. But both the Division and we felt more
18 comfortable, especially in the upper portions of these
19 holes where the salt was, not just setting plugs inside
20 the wellbore, but actually perforating it and squeezing
21 on both sides and setting the plug inside and out.

22 So that makes it quite a bit more expensive
23 because you have to perforate and squeeze, as opposed to
24 just setting balanced plugs.

25 So we proposed that in all of the plugs and

1 two additional ones than what were in the well before
2 between that 2,300 foot and the surface be set as part of
3 the revised plugging plan.

4 Q. With regard to the Sims Number 1, you had
5 better luck re-entering that well, didn't you?

6 A. Well, we had better luck in that we were able
7 to accomplish our objective and, frankly, that we were
8 able to gather additional reservoir data. But it was
9 significantly more expensive than we anticipated for
10 similar reasons.

11 In that well, we really didn't have this
12 cutoff casing issue. We had a little bit of cutoff
13 casing, but it was very near the surface and it was easy
14 to deal with. But what we did have is the same
15 encountering of a lot of junk that had been put into the
16 top of that hole, along with the mud in between the
17 plugs. So we had to spend a fair amount of time drilling
18 through that.

19 Q. Do you recall what Agave's initial estimate of
20 the re-entry and the re-plugging was for the Sims
21 Number 1?

22 A. Unfortunately, I do. It was approximately
23 250-, \$260,000.

24 So we were talking about the Sims Number 1. I
25 thought I'd give you a quick rundown of what we

1 encountered when we did that.

2 After we pulled off the Government Number 2,
3 we then moved to the Sims Number 1 and started plugging
4 it. We worked on that job about six or seven days a week
5 until we completed it on August 14th, 2012.

6 We had a fair amount of difficulty, like I
7 described, because we had to drill through a lot of trash
8 in the upper portion of the well. And we had a couple of
9 trapped gas pockets in the upper part of the well, and we
10 don't really know how those got there. I think it was
11 just during the original plugging. But it was not coming
12 from the depth, from depth, or from -- we stopped
13 encountering those before we even got to the Cherry
14 Canyon, so they were trapped up higher.

15 After nearly three weeks, we reached our
16 target depth and we circulated everything out of the
17 hole. And then we decided that we would do this
18 injection testing. As I mentioned, the injection tests
19 yielded a three-barrel-per-minute rate on vacuum and then
20 a three-and-a-half-barrel-a-minute rate at only 400 psi
21 at the surface. So we felt very good about that.

22 We also, you know, have had an experience with
23 another AGI well close to Hobbs, and this was a well that
24 we worked on very closely with E.L., as well, where after
25 we had injected for two and a half years into a similar

1 reservoir that had similar characteristics to what we had
2 tested in the Sims, we had the well go on vacuum after
3 two and a half years of injection at pretty significant
4 about a four-and-a-half million-a-day rate. So we feel
5 very comfortable about the Cherry Canyon, much more
6 comfortable even than we did when we felt it was a good
7 reservoir to begin with.

8 So we then -- this next slide shows you the
9 final approved C-103 for the remediation of the Sims.
10 And we did go -- we did set a plug across the entire
11 injection zone, as well as inside-and-out plugs all the
12 way back up that well after we tested the Cherry Canyon.

13 Q. And that C-103 has been approved by the
14 District?

15 A. Yes, it has. That's a copy of it there.

16 Q. You mentioned a change from your original
17 assessment of the reservoir capacity based on the
18 injection testing. What did you base your original
19 assessment on?

20 A. We based it on all of the logs that we had for
21 the wells in the immediate vicinity. And there were
22 really no drill stem tests in the Cherry Canyon, so we
23 had based it basically on just the log data from the logs
24 of wells that were available. And some of the wells were
25 newer, some were older. We had pretty good log data, but

1 we really didn't have good data on the pressure
2 conditions in the reservoir.

3 Q. Is that your normal procedure when you are
4 tasked to evaluate a potential reservoir?

5 A. Right. We try to get all of the data we can.
6 In some cases -- the reason why there's not much data on
7 that reservoir there is because it's been -- early on
8 they tested it a few times, and it came back straight
9 wet. So there hasn't been -- people don't pay much
10 attention to it when they look in that area because it's
11 just nonproductive.

12 Q. After Geolex terminated the re-entry work on
13 the Government L Com Number 2, did you have further
14 discussions with the OCD regarding the course of action
15 Geolex should take going forward?

16 A. We did. After the Sims Number 1, we went back
17 to the -- first of all, we -- clearly the Division was
18 very well aware of what happened, because they were there
19 when we were doing the injection testing, and they were
20 in and out of the site the whole time we were doing the
21 re-plugging. Like I said, I was communicating on a daily
22 basis with E.L. and with Mark down in District 1.

23 So when we encountered those results, I said,
24 "I think we're going to go back and re-look at this
25 reservoir with this new data." And the Division

1 encouraged us to do that.

2 Because when we first encountered the
3 inability to plug the Government Number 2 and we
4 discussed it with the Division, there was still some
5 concern on the Division's part that, you know, the
6 Government Number 2 was pretty close to the edge of the
7 30-year plume. And consequently, while they agreed that
8 it was not possible to re-enter and re-plug that well,
9 there was still some lingering concern about that. So
10 that's what generated our original motion to consider a
11 reduction of the injection rate.

12 Q. Excuse me. At that time, everybody was still
13 operating under the assumption that the radius after 30
14 years is .39?

15 A. Yes, sir. And that the well was out at a
16 distance of about .4, so it was right at the edge of the
17 30-year plume. Even though I will emphasize that as we
18 discussed in the original hearing, we felt pretty
19 comfortable and still feel very comfortable, and more so
20 now because of the conditions of the reservoir.

21 But we felt very comfortable that the plugging
22 conditions of the well, as they existed and where the
23 casing is and the heavy mud plug across there, that we
24 don't have a potential problem in the well anyway.

25 But there was still some concern that it was

1 close to the edge of the plume. So that's why we said,
2 "What if we consider either reducing the lifetime of the
3 injection or reducing the rate?"

4 And that was before -- I mean we were still
5 just in the process of plugging the Sims Number 1, and
6 that was before we got to the Cherry Canyon in the Sims
7 Number 1.

8 Then when we got these injection test results,
9 that kind of changed the whole picture, because we had
10 new data that was reliable, that was right in the area
11 testing the reservoir. When I showed that data to E.L.
12 and Will, they said, "You ought to re-look at what the
13 extent of the plume is with this new data, and there may
14 not be a need to do anything other than to not be
15 required to plug those wells."

16 Q. And then at that point, you did your new
17 modeling?

18 A. Yes, sir. At that point, we did.

19 Q. Did the subject of a monitor well ever come up
20 in your discussions with Mr. Gonzales or Mr. Jones?

21 A. No. We did discuss the potential merit of
22 putting some kind of port, if you will, in the Government
23 Number 2 that would -- and this was before, actually, we
24 had the data from the Sims. But we discussed the concept
25 of possibly putting a port that would extend to that

1 depth of about 2,300 feet and to periodically monitor
2 that.

3 But after looking at that well in detail, and
4 after the Division looked at it, we both agreed that it
5 probably was a useless effort because we don't believe
6 there's any chance that that could get up that high, that
7 the gas would ever leave the injection zone at all, much
8 less get that high.

9 So we probably thought it was better to do a
10 good plugging job on that, rather than to try and do
11 that. So we didn't discuss a monitor well, but we did
12 discuss that.

13 Q. But that went by the wayside after the
14 modeling was done; is that correct?

15 A. It actually went by the wayside before that.
16 But yes, definitely after the new modeling was done.

17 Q. It went by the wayside when the Division
18 representative saw the injection test data? Would that
19 be more accurate?

20 A. I'd say it went by the wayside even before
21 that, because we looked at the likelihood of success. It
22 was just kind of a thought that we had, and we bounced it
23 around for a while. But it was all happening about the
24 same time, so I don't really recall exactly. But yeah,
25 it was all about the same time.

1 Q. And once the Division representatives were
2 satisfied with regard to the Government Number 2, what
3 did they suggest to us regarding the Government Number 1?

4 A. The Government Number 1, as you know, is again
5 another three-tenths of a mile further, almost twice the
6 distance from the proposed well as the Government Number
7 2.

8 And we had -- as Mr. Villa mentioned, we had,
9 in good faith, obtained permission to plug all four of
10 these wells, pursuant to the order. We had filed the APD
11 with the BLM and had gotten that approved for doing the
12 work. We had actually signed agreements with all of the
13 landowners, and we had gone in and prepared the site for
14 all of the wells. That's how far we got on the
15 Government Number 1. We were going to move to the
16 Government 1 after we completed the Sims.

17 But the Division said, "We're not even
18 concerned about the Government Number 2 anymore. Why
19 would you bother going back into the Government Number 1,
20 because it's farther away? And secondly, you're not
21 going to have any better success in the Government Number
22 1, because" -- as opposed to the Government Number 2,
23 which had the 10-and-three-quarter-inch casing removed
24 from 2,300 feet to the surface, this well had the
25 10-and-three-quarter-inch -- same kind of condition, but

1 it's removed from 5,500 feet to the surface. So it would
2 have been even more difficult to re-enter this one.

3 Q. I next direct your attention to Exhibit Number
4 1, which is the stipulation.

5 A. Yes.

6 Q. Does the stipulation accurately reflect the
7 OCD's position that the Government L Com Number 1 and
8 Number 2 wellbores do not present a threat of being
9 conduits for injected TAG?

10 A. Yes, it does. And it furthermore states that
11 the Division believes it's not necessary to reduce either
12 the lifespan or the rate of TAG injection.

13 Q. And this document was the culmination of
14 discussions with the Division over the course of several
15 months?

16 A. I would say over the course of about two
17 months, yes, sir.

18 Q. And moving to Slide Number 14, is there
19 anything more you want to tell the Commission about the
20 status of the Government Number 1?

21 A. No. The Government Number 1 is sitting there
22 with the surface prepared, and we're hoping we do not
23 have to re-enter it or attempt to re-enter it.

24 Q. And next I'd like you to address the impact of
25 your injection testing during the re-entry of the Sims

1 Number 1. Could you explain to the Commissioners the
2 data that appears on Slide Number 15?

3 A. Sure. Slide Number 15 is a summary of the
4 injection conditions in the well, using the new data that
5 we obtained from the reservoir testing and the additional
6 log analysis.

7 Basically, it comes out with essentially the
8 same kind of calculation. There's slight difference in
9 the maximum allowable operating pressure because of the
10 change in composition of the TAG. That does affect the
11 maximum allowable operating pressure, but not by very
12 much. It's a few psi, basically.

13 And that's because the density of the TAG is a
14 little bit different when you have more CO2 and less H2S,
15 and so that pressure changed a little. But we're not
16 requesting any modification because we feel this
17 pressure, the maximum allowable operating pressure, we're
18 not going to get anywhere close to it because of the
19 conditions in the reservoir.

20 What this does is then on this table, in the
21 second red square there, you have outlined the
22 calculation that results in the new radius predicted for
23 the 30-year plume. And that's done exactly the same way
24 we did it before. It just inputs the new data that we
25 obtained.

1 Q. Did you use this injectivity data in
2 performing the new modeling of the reservoir plume that
3 you discussed?

4 A. Yes, we did.

5 Q. I'd ask you to move on to Number 16.

6 A. This slide now shows what we believe to be,
7 again, a still conservative prediction of the plume after
8 30 years from the Agave Red Hills well.

9 Again, I will mention that we have not, in
10 either the original modeling or in this modeling,
11 attempted to take into account the 10 to 20 percent
12 amount of mineralization that has been shown in the
13 literature to take place that binds up the acid gas.

14 Because geochemically, it's very difficult to
15 really calculate exactly what that factor is, we just
16 don't do it. Because, in fact, what it would do is
17 reduce the plume size a little bit more. But since we
18 don't feel like we can do it reliably, we just prefer to
19 be a little more conservative.

20 Q. Would it be fair to say you're comfortable
21 that the formation of hydrides in the geochemical complex
22 of CO2 occurs? It's just difficult to quantify the
23 impact on the TAG?

24 A. Yes. The literature demonstrates that it does
25 occur, and it has been noted. But it requires some very

1 extensive modeling and with data that we don't even have
2 for this kind of situation.

3 Q. And how did the new modeling factor into your
4 conclusion and the OCD's conclusion that the Government L
5 Com Number 1 and Number 2 wells are a safe distance from
6 the Red Hills AGI well?

7 A. I think the reservoir conditions, combined
8 with the -- from our perspective, as I testified in the
9 original hearing and as I testified again in the hearing
10 relative to the Smith Federal, we never felt those wells
11 presented a problem in the first place. We thought they
12 were far enough away, and that the conditions of how they
13 were plugged were sufficient to prevent an effect on
14 those overlying or underlying zones.

15 But now we have an even greater level of
16 confidence. We even have -- the Sims Number 1 well,
17 which we did successfully plug and which is the closest
18 well -- I must have misspoken when I said earlier it was
19 about a quarter of a mile away, because this radius is .3
20 miles. So it's just outside .3. It's maybe like .31 or
21 .32, something like that. Even that well, in its
22 original condition, we didn't have a concern about.

23 But I think after getting this new reservoir
24 data, the Division -- as well as our analysis, the
25 Division's independent analysis of that data came up with

1 the same conclusion.

2 Q. Directing your attention to the final three
3 slides, I'll leave it to you to emphasize any points you
4 feel you haven't sufficiently covered in your testimony.

5 A. It really comes down to these seven points on
6 Slide 17. The injection test results make us feel very
7 comfortable about a better understanding of the reservoir
8 and our revised modeling of the plume.

9 The revised TAG volume and composition shows
10 that we've got much less H2S. So while that doesn't
11 affect the composition strictly, it doesn't really affect
12 the extent of the plume, the revised volumes of the TAG
13 do. And those are based on the best available data that
14 we have at the present time.

15 Q. You heard Mr. Villa's testimony that there
16 will be some variations in the composition, particularly
17 the amount of H2S. Is it your view that that really
18 isn't the driving factor? It's the volume in the TAG,
19 rather than the composition?

20 A. That's correct. But we do have a reduction in
21 volume, too, of about 14 percent. So that affected it,
22 as well.

23 Given the reservoir characteristics and the
24 current plugging configuration of all of the wells, we
25 feel very comfortable that that protects clearly any

1 production zones and will prevent escape from the
2 intended reservoir.

3 And then of course the distance of the wells,
4 we discussed that in detail, relative to the projected
5 plume extent.

6 Then comes the unfortunate reality that it's
7 really impossible to go back in and do those wells
8 anyway. Even if we wanted to, at this point, we have
9 made a very good-faith effort. Our client has spent well
10 over a million dollars in just attempting to plug the
11 Number 2 and plugging the Sims Number 1. And we feel
12 very strongly that we could spend that much more again on
13 the Government Number 1 and never be able to plug it,
14 either.

15 And then last, but not least, the Division has
16 been a partner all along in the development and analysis
17 of this data, and they concur with our analysis and
18 support our request to the Commission.

19 Q. Anything you'd like to emphasize on the last
20 two slides?

21 A. Nope. I think they just summarize the same
22 things we've already discussed.

23 Q. In your opinion, does the Government L Com
24 Number 1, as currently plugged, present a threat of
25 becoming a conduit for injected TAG?

1 A. Absolutely not.

2 Q. Similarly, in your opinion, will the
3 Government L Com 2, as re-plugged pursuant to Agave's
4 alternative plan, present a threat of being a conduit for
5 TAG?

6 A. I don't believe so.

7 Q. And in your opinion, would a requirement by
8 the Commission that Agave drill a monitor well either be
9 necessary or appropriate under the circumstances
10 presented?

11 A. I don't think it would be prudent.

12 Q. In your opinion, will the relief requested by
13 Agave present any threat whatsoever of potential harm to
14 correlative rights, fresh water, human health or the
15 environment?

16 A. No, absolutely not.

17 The last bullet on my slide there which says,
18 "Geolex and Agave," I actually should add OCD. Because
19 Geolex, Agave and OCD are confident that the proposed
20 modified program fully protects correlative rights, fresh
21 water, human health and the environment.

22 MR. LARSON: Madam Chair, that's all I
23 have on direct for Mr. Gutierrez.

24 And I would move the admission of Exhibit 2,
25 which is the PowerPoint slides.

1 CHAIRMAN BAILEY: So admitted.

2 (Exhibit 2 was admitted.)

3 MR. LARSON: Thank you.

4 CHAIRMAN BAILEY: Commissioner Dawson, do
5 you have any questions?

6 COMMISSIONER DAWSON: I have a few
7 questions.

8 EXAMINATION

9 BY COMMISSIONER DAWSON:

10 Q. Can you go back to Slide 11, please?

11 A. Yes, sir.

12 Q. On the washout, when you cemented the plug or
13 cemented into the washout -- and I believe you said it
14 was 320 sacks is what that took?

15 A. I believe it was like 310 or 3 -- I think it
16 was 310. Yes, sir.

17 Q. Was OCD on site when you performed that
18 cementing operation?

19 A. I don't know if they were on site for the
20 entire time, but they were on site for part of the time,
21 yes.

22 Q. So after you performed your cementing
23 operation on that washout, I was wondering if they were
24 there when you tagged that plug to measure the top of the
25 plug.

1 A. I don't think they were there when we tagged
2 the plug. But that was a requirement that the District
3 was specifically very adamant about, that we go back in
4 and tag the plug. You know, we calculated the cement
5 volume based on what we thought we understood about the
6 washout, based on all of the drilling that we did, and we
7 calculated sufficient cement. Our intent was to get to
8 2,300 feet, and we got to 2,310. So we felt pretty good
9 about it, that we filled it up.

10 And we did provide all of that data to the
11 Division in a subsequent C-103, in which we requested
12 approval for this revised plugging program. And that was
13 accepted by the District, for the record. But again,
14 they couldn't approve it because of the fact that there
15 was this requirement in the order.

16 Q. Did they -- after you tagged the top of that
17 cement, did the OCD personnel feel that was sufficient,
18 that that didn't need to be cemented to the surface? Did
19 they feel that that tag at 2,310 was sufficient to
20 protect any migration upwards?

21 A. No. We have additional work to do on that
22 well, which is to plug from 2,310 to the surface, a
23 number of different plugs, like I described. So that's
24 where the additional 160,000 comes in, is that we're
25 going to have to go in and squeeze and plug at the top of

1 the salt and then at the base of the surface casing and
2 then from there to the surface.

3 Q. Roughly three to four plugs within that
4 wellbore --

5 A. Yes, sir.

6 Q. -- from 2,310 to the surface?

7 A. Yes, sir. Inside and out plugs.

8 Q. You'll squeeze those plugs? Do you plan on
9 squeezing the top one, maybe, but --

10 A. The top two, we will squeeze. The other one
11 is in the open hole, so it will be a balance plug.

12 Q. Did you consider -- whenever you did your new
13 log on the Sims 1 during your plugging operations on the
14 Sims 1, did you ever consider maybe doing a sidewall core
15 in that zone or taking a core of that zone?

16 A. We did not, because it was cased. So we
17 couldn't take any.

18 Q. So the logs pretty much -- the log data is
19 what you relied on?

20 A. We relied on the injection tests, primarily.
21 We didn't have new logs. We looked at additional logs in
22 the area to look again at the irreducible water
23 saturation. But we didn't have any new logs, per se, on
24 the Sims Number 1. We had a direct injection test.

25 COMMISSIONER DAWSON: No further

1 questions. Thank you.

2 CHAIRMAN BAILEY: Commissioner Balch?

3 COMMISSIONER BALCH: As you can imagine, I
4 probably have a lot of questions on modeling. I've
5 actually done my homework, so I'm going to give you a
6 little warning.

7 I did have a student complete his master's
8 thesis on CO2 injection in the brine aquifers in May.
9 And after the January hearing, I had him do some
10 additional work because I was curious. So I may know
11 more than I did before.

12 EXAMINATION

13 BY COMMISSIONER BALCH:

14 Q. So how deep is the Sims? Did it penetrate
15 through the Cherry Canyon?

16 A. Yes, sir. It goes actually way down below the
17 Wolfcamp.

18 Q. Where is the next plug down there?

19 A. I'm going to have to look at my --

20 MR. LARSON: Slide 13.

21 Q. It looks like there's some cement somewhere in
22 the Cherry Canyon.

23 A. Yeah. I think that's the cement that we put
24 in.

25 Q. So the next plug would be down there at --

1 A. It's just above the Wolfcamp there.

2 Q. But you have a good 1,200 feet or so? There's
3 no perfs anywhere in that interval? You didn't perf your
4 injectivity tests?

5 A. That's correct. There's no perfs in there.

6 Q. You were going through whatever current casing
7 there was, not dropping it down?

8 A. No, no. We perfed in the Cherry Canyon zone
9 to do our tests. But there were no perfs there before.

10 Q. Did you pull a water sample while you were
11 down there?

12 A. We did not.

13 Q. Water chemistry has a large impact on
14 solubility and residual CO2 saturation, as well as
15 mineralization?

16 A. It does.

17 Q. That's why I was curious.

18 I think, from looking at the table on 15, that
19 your CO2 is still going to be supercritical --

20 A. Yes.

21 Q. -- at that bottomhole.

22 A. Absolutely.

23 Q. That was my calculation. I've got about 4,000
24 tons a day. I'm used to thinking in tons because that's
25 the way the models that were built for me were done.

1 The models that the student worked on were for
2 Gordon Creek in Utah. And that's currently a saltwater
3 injection well that sucks 5,000 barrels a day of water.

4 You do see pressure increase when you add CO2
5 into that kind of an aquifer, not necessarily in your
6 wellbore, but you see it away from the wellbore.

7 A. Due to the displacement?

8 Q. Well, you're basically putting something in
9 that comes gums up the works. The CO2 doesn't move as
10 quickly. So as you go away from the wellbore, you get
11 like a doughnut of pressure that goes out. And you can
12 actually measure that with microseismic monitoring and
13 put a passive seismic array down the borehole. We
14 measured this for a CO2 flood, and that pressure flood
15 moves well ahead of any actual CO2 that you might see.

16 Your model is purely volumetric, if I remember
17 right?

18 A. That's correct.

19 Q. So there's no residual saturation? There's
20 no --

21 A. No. We take into account the residual water
22 saturation. We reduce the porosity by that residual
23 water saturation.

24 Q. What about solubility?

25 A. We don't really attempt to take solubility

1 into account. We just displace the entire amount.

2 Q. And then the third thing is mineralization.

3 And that's really something that happens over -- I mean
4 you get a little bit right away, but it's really hundreds
5 to thousands of years --

6 A. Yes, sir.

7 Q. That's kind of the ultimate fate of the CO2,
8 not anything to do with the early part. Most of the
9 early is going to be residual or soluble, and that's
10 going to reduce your effective volume of free CO2. I
11 think I brought this up in the January hearing.

12 A. Yes.

13 Q. And inherently making your model even more
14 conservative?

15 A. That's correct.

16 Q. The model that my student ran actually was
17 about three times the CO2 rate. compared to what you are
18 proposing for this well. In every case, within a couple
19 of years, even doing just CO2, you would see a pretty
20 good pressure spike. You didn't get quite up to the
21 level of the parting pressure of the rocks, but you did
22 see that spike somewhere in the vicinity of the wellbore.
23 Not at the wellbore, but where that pressure front is
24 moving through the rocks.

25 So that's why I brought up the idea of

1 monitoring or the question of monitoring. And I was
2 thinking more of passive seismic, to see if you're
3 breaking rock. And that would be a control on whether or
4 not you're exceeding pressure in the reservoir.

5 A. Could I ask a question about what you --

6 Q. Sure.

7 A. I'm curious. When his model showed the
8 movement of that pressure front during the injection,
9 what about when he would stop the injection? What would
10 happen then?

11 Q. When you stop the injection, what happens is,
12 even though you have a reservoir that's overpressured and
13 is regionally extensive, in the area that we modeled,
14 which was several square miles around the injection
15 reservoir, the net effect after, say, 1,000 years was
16 about an 80 psi increase in pressure, so a much larger
17 rate. And then also injecting 10,000 barrels a day of
18 water.

19 A. Oh, on top of that?

20 Q. On top of that. But even with the CO2, you
21 saw the same thing. It was just a little bit smaller.
22 So you do see an increase in the local pressure.

23 Now, if you draw that out to the illogical
24 extreme, like 10 million years or something, then it's
25 going to equalize much more.

1 And then also, the CO2, because it's
2 underpressured, you'll see the CO2 diffusing away from
3 the wellbore.

4 A. I was just curious. Because as an example, in
5 this other well that we worked on, the Lineham well, that
6 had a tubing leak. And we had to work over that well
7 when we killed that well. And then it sat there for some
8 period of time after we did the workover. And then we
9 went back into it and were reevacuating the well to set
10 it back up. Even after I guess it was about eight or
11 nine days, the well was still on vacuum, even in the
12 immediate vicinity of the well.

13 Q. What was your total volume of injectate to
14 that point?

15 A. It was roughly about three and a half to four
16 and a half million a day for about three years.

17 Q. mcf?

18 A. Yes. That's a fairly low rate, compared to
19 what we're talking about.

20 Q. To what you were doing there?

21 A. Yes. And I think also even to what you're
22 talking about doing at Red Hills.

23 A. Right. It's about 50 percent greater at Red
24 Hills, yeah.

25 Q. And also, our model is probably going to have

1 the same porosity permeability that you have there. I
2 just wanted you to be aware of that pressure and the
3 potential for your bottomhole to look okay, and you still
4 have a chance to break rocks away.

5 A. That's a good point. Maybe afterwards I could
6 get his thesis so I could take a look at it.

7 Q. I could give you the name, and you can go to
8 New Mexico Tech and get it. His study was actually
9 involved with the transport of CO2 through outlets, out
10 through wells, out through potential fault. And the bulk
11 of his modeling was done with an assortment of very
12 transmissive faults going up several thousand feet from
13 the injection horizon. And in part, because of the
14 underpressured reservoir, he had a difficult time getting
15 CO2 to go up in significant quantities.

16 A. Even in open faults?

17 Q. Yes, even in open faults, 100 percent open
18 faults. Basically, you're just filling up the volume,
19 because you're dealing with a largely underpressured
20 situation.

21 A. Right.

22 COMMISSIONER BALCH: And I think in the
23 original hearing I mentioned that I wasn't terribly
24 concerned about CO2 moving up through wells in the first
25 place, and that modeling makes me feel a little better

1 about that now. You're in the modeling business, so you
2 know how good a model is.

3 That's why we talk about monitoring, because
4 you want to get some well data in your process that will
5 tell you that your model is correct. Or if you want to
6 adjust your model, whether it's from microseismic or
7 sampling the water in some distant well or something, I
8 think it's probably a good idea, over a 30-year project,
9 to understand if your model is working the way you think
10 it is. Sorry about that, just a philosophical
11 discussion.

12 I think that's all I have for questions.

13 MR. BRANCARD: Madam Chair, may I ask a
14 few questions?

15 CHAIRMAN BAILEY: I'm not through.

16 MR. BRANCARD: Oh. Well, you go last,
17 unless you'd like me to go last. I don't care.

18 CHAIRMAN BAILEY: Sure. Go ahead.

19 EXAMINATION

20 BY MR. BRANCARD:

21 Q. Just so we're not off track with what the
22 Commission decided at the last hearing before us, at the
23 previous hearing you testified and the Commission relied
24 on what you called a safety factor, in which you took
25 your zone that you were projecting and then gave it a

1 three times safety factor and said that the well -- that
2 you didn't want us -- what you wanted us to drop out was
3 beyond that three times safety factor?

4 A. That's correct.

5 Q. You've not talked about safety factor in this
6 hearing.

7 A. For the Government 1, which is about the same
8 distance as the Smith Federal, which was the subject of
9 the last hearing, the safety factor would be even greater
10 now because the original size of the plume has shrunk.
11 If you applied the same safety factor to this, it would
12 encounter the Government Number 2.

13 Q. And I just did some -- just for the record, I
14 did some quick pencil and paper calculations. If you had
15 a .30 radius, three times it, I calculate it as .52.

16 Did you come up with a similar --

17 A. Well, I haven't done the calculation. But
18 it's not really a straight radial calculation. Because
19 every time that you -- as the radius expands, it takes
20 more and more volume to make it expand the same distance.
21 I don't know. I just would have to do the calculation.

22 Q. I did it based on square roots. That's how I
23 got to the .52.

24 A. Right. But you can't really just do it that
25 way. Because the fact is that you have to take into

1 account the added -- when you're talking about a safety
2 factor in this kind of application, what you're talking
3 about is boosting the amount of gas going into the
4 reservoir, and then you have to take into account how
5 much additional porosity is taking place going out. So I
6 don't know what the result would be.

7 Q. Okay. At the last hearing, you also, to
8 bolster your argument, mentioned that it may not be
9 moving in a perfect concentric circle, due to the angles
10 or the slope of the formation?

11 A. That's correct.

12 Q. Did your results from the Sims well give you
13 any indication about the formation and depths and how it
14 might differ in where the movement is and in which
15 direction?

16 A. Nothing, other than what we had before.
17 Because we already knew what the top was, and we knew
18 what the dip of the formation was. Although, again, I
19 believe that the impact of the dip -- the dip is shallow
20 enough there that it's going to have a very minor impact.

21 Q. On page 19, you indicate that the Cherry
22 Canyon zone at the top is 6,150?

23 A. That's correct.

24 Q. In your document for the Sims well, you put
25 the top of the cement at 6,197, so that's a considerable

1 difference there.

2 A. Right. But you're about .3 miles away, pretty
3 much, in the direct updip direction.

4 Q. So which -- if there's going to be a bulge in
5 the .3, in which direction are you going to see that
6 bulge, updip, downdip? Which direction is that?

7 A. The dip direction is towards the -- basically,
8 southeast. So whatever -- all things being equal, you
9 would see a kind of oblonging of that plume to the
10 northwest.

11 Q. That's the opposite direction of the wells
12 that you were working on?

13 A. Yes, sir.

14 Q. I'm glad you corrected your original statement
15 about the distance of the Smith well. Because the Smith
16 well is actually outside this .3 projected zone; correct?

17 A. Oh, yes. It was outside the .39 projected
18 zone.

19 Q. The data you're using now for the reservoir is
20 coming from someplace that is outside of where you're
21 projecting the gas to go to in 30 years?

22 A. That's correct.

23 Q. Would you be -- are you planning to do a
24 similar test on the zone when you drill the Red Hills
25 well?

1 A. No. We're planning to do significantly more
2 testing. In that well, we plan to core it and do direct
3 permeability and porosity measurements both of the
4 Caprock and the injection zone itself. And we will do a
5 long-term injection test of that zone with bottomhole
6 gauges, and we will take formation -- or attempt to take
7 formation fluid samples, as well.

8 So we're going to do significantly more
9 testing and logging of that well and have a lot more
10 information when we drill that well.

11 Q. Are you obligated at this point to recalculate
12 your estimates at that point and report it to the OCD?

13 A. That is not a current requirement, but it is
14 not a requirement that I would have any problem with at
15 all. I mean we would probably do it anyway.

16 Because it's our practice, even though we're
17 not required to do this, that on every one of these wells
18 that we complete, we submit to the OCD what we call a
19 final end-of-well report. And that report has all of the
20 core data, all of the logs, all of the modeling, all of
21 the additional work that we do. And we provide that
22 voluntarily to the Division on every well that we do, and
23 this would be no different

24 MR. BRANCARD: Thank you, Madam Chair.

25

EXAMINATION

1

2 BY CHAIRMAN BAILEY:

3

Q. Let's go to Slide 6. Several times you've
4 commented that the Government 1 will have or does have
5 similar conditions to the Government Number 2. But there
6 hasn't been any re-entry attempt, has there?

7

A. No.

8

Q. So this is based solely on forms that would
9 have been filed with the OCD to indicate where the casing
10 has been cut off?

11

A. Yes. We found, from the Government Number 2,
12 for example, that that was very accurate. I mean the
13 casing was supposed to be cut off at 2,370, and we
14 encountered the top of the cutoff casing at about 2,373
15 or so.

16

Q. Are the operators the same for the Government
17 Number 1 and Number 2?

18

A. I don't know the answer to that.

19

Q. So we don't know if the similar practices of
20 throwing junk down the hole could go for Government 1 as
21 you found in Government 2?

22

A. That's correct, we don't know. No, we don't.

23

Q. So the assumption was made that Government 1
24 is similar to Government 2. But we really don't know,
25 because nobody has made a re-entry?

1 A. I think we know, based on the plugging
2 records, that Government Number 1 will be more difficult
3 to re-enter even than Government Number 2, even if you
4 don't have all that junk in the hole, because the cutoff
5 casing is approximately almost 3,000 feet lower than the
6 cutoff casing was in the Government Number 2. So you've
7 got that much more open hole that you have to thread the
8 needle through to get back into that casing.

9 So that's the main factor that we believe
10 makes the Government Number 1 more difficult than the
11 Government Number 2.

12 Q. On Slide Number 6, you mentioned newer logs
13 for indications of the water saturation.

14 Were those newer logs in the Sims, or are they
15 from nearby wells?

16 A. We basically cast a wider net in the Cherry
17 Canyon so that we included additional logs that had not
18 been included in the original analysis.

19 Q. So these newer logs you referenced may not be
20 within the two-mile --

21 A. Oh, no. They're within two miles, yes.
22 They're not necessarily within the half mile.

23 Q. The next slide, is that a surface top hole, or
24 is that the top of the Cherry Canyon?

25 A. That's a surface top hole.

1 Q. So we can't make any inferences from the
2 Cherry Canyon from those --

3 A. No, not at all.

4 Q. My question of the day is: What is a night
5 cap as referenced in Slide 8?

6 A. A night cap is basically a welded piece of
7 steel on the top of the casing so that you can't -- so
8 that no one can fall in the hole or drop stuff in there.
9 But it's not a BOP, for example.

10 CHAIRMAN BAILEY: Those were all my
11 questions.

12 Do you have any follow up?

13 MR. LARSON: I do not have any, Madam
14 Chairman.

15 If I might ask your indulgence for a five- or
16 10-minute break so I can confer with my clients?

17 CHAIRMAN BAILEY: Sure. Take 10 and be
18 back at five after 11:00.

19 (A recess was taken.)

20 CHAIRMAN BAILEY: Back on the record.

21 Did you have any closing?

22 MR. LARSON: A brief closing.

23 Madam Chair, Commissioners, this has been a
24 prolonged process on Agave's application to inject in the
25 Red Hills AGI well.

1 As you recall, Kaiser-Francis appeared at the
2 original hearing opposing the application. We have
3 subsequently given Kaiser-Francis notice of our second
4 motion, which was withdrawing this amended motion, the
5 first motion involving the Smith Federal, and Kaiser has
6 chosen not to appear and oppose our presentation.

7 As you're aware, the OCD completely concurs
8 with the relief we're requesting today. And with that
9 said, I would ask that our motion be granted and that the
10 Commission relieve the requirement of putting a balance
11 plug across the Government Number 2 and requiring Agave
12 to re-enter and re-plug the Government L Com Number 1.

13 CHAIRMAN BAILEY: All right. Thank you.

14 We will go into executive session, in
15 accordance with the statutes and the Open Meetings Act,
16 to deliberate this case, and then we will announce the
17 decision of the Commission coming back out of executive
18 session. So at this point, we need to clear the room.

19 Do I hear a motion?

20 COMMISSIONER BALCH: I'll make a motion
21 that we go into closed session.

22 COMMISSIONER DAWSON: I will second.

23 CHAIRMAN BAILEY: All those in favor?

24 (Whereupon the Commission went into executive session.)

25 CHAIRMAN BAILEY: Back on the record.

1 In conformance with state statute and the Open
2 Meetings Act, do I hear a motion for us to go back into
3 session?

4 COMMISSIONER BALCH: I'll make the motion.

5 COMMISSIONER DAWSON: And I'll second.

6 CHAIRMAN BAILEY: The only topics that
7 were discussed had to do with this case. And we have
8 reached a decision for this case, and our Commission
9 counsel has all of the information.

10 Mr. Larson, we will ask you to create a draft
11 order based on the decisions that our Commission counsel
12 will read to you.

13 MR. BRANCARD: Okay. First of all, the
14 Commission agrees with the motion to eliminate the
15 requirement that Agave place a balance plug in the
16 Government L Com Number 2 well across the injection zone
17 and directs Agave to move ahead with the cementing and
18 plugging plan that it has proposed to finish up that
19 well.

20 For the Government L Com Number 1 well, the
21 requirement that Agave re-enter and re-plug this well is
22 delayed for a period of five years from the commencement
23 of injection of acid gas on this project.

24 Six months prior to that five-year
25 anniversary, Agave is directed to submit data and results

1 from the injection that has occurred during the first
2 four years of injection, and with that, any recalculation
3 of the models that have been developed based on the
4 current estimates of pressure or porosity, et cetera.

5 At that time, Agave may then reapply to
6 eliminate the requirement on the Government L Com Number
7 1 if it is supported by the data at that time. And in
8 that, if there is any new drilling in the area of review
9 that has occurred during that period, Agave should also
10 report that to the Division.

11 There's been a lot of discussion about the
12 percentage of H2S. There is actually no limitation
13 currently in the order with this well. The Commission
14 would like Agave to have the responsibility that if it
15 determines that the sources that are coming into the well
16 exceed the 5 percent limitation that was earlier
17 discussed, that Agave report that to the Division and
18 Commission.

19 Did I cover everything?

20 CHAIRMAN BAILEY: I believe so.

21 MR. BRANCARD: Okay.

22 CHAIRMAN BAILEY: And we retain
23 jurisdiction.

24 MR. BRANCARD: And we retain jurisdiction
25 to re-visit this.

1 CHAIRMAN BAILEY: So you will be in
2 communication with our counsel and present that draft
3 order so that we can sign it in December at our --

4 COMMISSIONER BALCH: 7th or --

5 CHAIRMAN BAILEY: -- Commission hearing
6 that's scheduled in December?

7 MR. LARSON: I will, Madam Chair. And
8 I'll try to have it to him sufficiently in advance of the
9 hearing date.

10 COMMISSIONER BALCH: That hearing is on
11 the 6th of December.

12 CHAIRMAN BAILEY: Is there any other
13 business before the Commission today? Then we can call
14 it a day.

15 MR. BRANCARD: Stand adjourned

16 CHAIRMAN BAILEY: Stand adjourned.

17 (The hearing was adjourned at 12:00 p.m.)

18

19

20

21

22

23

24

25


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on October 25, 2012, proceedings in
the above captioned case were taken before me and that I
did report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 5th day of November, 2012.


Jacqueline R. Lujan, CCR #91
Expires: 12/31/2012