

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

APPLICATION OF COBALT OPERATING, LLC
FOR AUTHORIZATION TO INJECT PRODUCED
WATER FOR DISPOSAL, LEA COUNTY,
NEW MEXICO.

CASE NO. 15241

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

December 4, 2014

Santa Fe, New Mexico

BEFORE: MICHAEL McMILLAN, CHIEF EXAMINER
GABRIEL WADE, LEGAL EXAMINER

RECEIVED OCD
2014 DEC 30 A 7:56

This matter came on for hearing before the
New Mexico Oil Conservation Division, Michael McMillan,
Chief Examiner, and Gabriel Wade, Legal Examiner, on
Thursday, December 4, 2014, at the New Mexico Energy,
Minerals and Natural Resources Department, Wendell Chino
Building, 1220 South St. Francis Drive, Porter Hall,
Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102
(505) 843-9241

APPEARANCES

FOR APPLICANT COBALT OPERATING, LLC:

ADAM G. RANKIN, ESQ.
and
JORDAN L. KESSLER
HOLLAND & HART
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505) 988-4421
agrarkin@hollandhart.com
jlkessler@hollandhart.com

ALSO PRESENT: Mr. Kenneth Goff
Mr. Brian Wood

INDEX

PAGE
3

Case Number 15241 Called

Cobalt Operating, LLC's Case-in-Chief:

Witnesses:

James D. Thompson:

Direct Examination by Mr. Rankin	4
Cross-Examination by Examiner McMillan	27
Redirect Examination by Mr. Rankin	33
Recross Examination by Examiner McMillan	37

Statement by Mr. Goff	39
-----------------------	----

Cross-Examination of Mr. Goff by Mr. Rankin	41
---	----

Proceedings Conclude	44
----------------------	----

Certificate of Court Reporter	45
-------------------------------	----

EXHIBITS OFFERED AND ADMITTED

Cobalt Operating, LLC Exhibit Numbers 1 through 3	27
---	----

1 (8:17 a.m.)

2 EXAMINER McMILLAN: The first case to be
3 heard today is Case Number 15241, application of Cobalt
4 Operating, LLC for authorization to inject produced
5 water for a disposal well, Lea County, New Mexico.

6 Call for appearances.

7 MR. RANKIN: Thank you, Mr. Examiner.

8 Adam Rankin, Holland & Hart in Santa Fe, on
9 behalf of the Applicant Cobalt Operating, LLC.

10 EXAMINER McMILLAN: Any other.

11 MS. KESSLER: Jordan Kessler, with Holland
12 & Hart.

13 MR. RANKIN: Mr. Examiner, I have one
14 witness today.

15 EXAMINER McMILLAN: Okay. Would the
16 witness please stand?

17 MR. RANKIN: Mr. James Thompson.

18 MR. THOMPSON: Hello.

19 EXAMINER McMILLAN: Good morning. You need
20 to be sworn in.

21 JAMES THOMPSON,

22 after having been first duly sworn under oath, was
23 questioned and testified as follows:

24

25

1 DIRECT EXAMINATION

2 BY MR. RANKIN:

3 Q. Go ahead, have a seat.

4 Good morning, Mr. Thompson.

5 A. Good morning.

6 Q. For the record, would you please state your
7 full name?

8 A. James Darryl Thompson II.

9 Q. Mr. Thompson, would you please tell the
10 Examiners by whom you are employed and where?

11 A. I'm employed by Cobalt Operating, LLC in
12 Midland, Texas.

13 Q. And what is your current position with Cobalt
14 Operating?

15 A. My current position is vice president of
16 business development.

17 Q. And in that role, what are your obligations and
18 responsibilities?

19 A. My responsibilities include overseeing land and
20 legal and regulatory as well.

21 Q. And have you previously testified before the
22 Division, and have your credentials as an expert in
23 environmental engineering made a matter of record?

24 A. I have.

25 Q. And are you familiar with the application in

1 this case?

2 A. I am.

3 Q. And did you prepare or oversee the preparation
4 of an exhibit -- exhibits for this case?

5 A. I did.

6 MR. RANKIN: Mr. Examiner, I would tender
7 Mr. Thompson as an expert in environmental engineering.

8 EXAMINER McMILLAN: So do you possess an
9 engineering degree?

10 THE WITNESS: I do, from the University of
11 Texas, the Permian Basin.

12 EXAMINER McMILLAN: Okay. And how much
13 experience as an engineer do you have?

14 THE WITNESS: I have worked in oil and gas
15 and completions and drilling for about 11 years now.

16 EXAMINER McMILLAN: So qualified.

17 MR. RANKIN: Thank you, Mr. Examiner.

18 Q. (BY MR. RANKIN) Mr. Thompson, can you briefly
19 summarize what it is that Cobalt Operating is seeking
20 with this application?

21 A. Yes. Cobalt is requesting authorization to
22 inject produced water into the Devonian Formation
23 through the Warren #2 wellbore. It's API Number
24 30-302526953. We anticipate an average injection rate
25 of approximately 2,500 barrels per day and a maximum of

1 3,000 barrels per day, an average pressure of 1,000
2 pounds per square inch and a maximum pressure of 2,352
3 psi.

4 We intend to do this through the end of the
5 Devonian through the formation perforations from 116 --
6 I'm sorry -- 11,760 to 11,875 and to actually drill out
7 open hole an additional 975 feet and be completed as
8 open hole and inject through that interval as well.

9 Q. Mr. Thompson, is the maximum injection pressure
10 of 2,352 pounds per square inch -- is that in
11 conformance with the OCD's guidelines of 0.2 pounds per
12 foot for the perforated interval?

13 A. Well within.

14 Q. Now, the land on which this proposed injection
15 well is located, what is the status of the land?

16 A. It's fee service and fee mineral.

17 Q. Is that a split estate situation in this case?

18 A. It is.

19 Q. And have you prepared a C-108 application with
20 this as part of this application?

21 A. We have.

22 Q. And has that been marked as Exhibit Number 1
23 that I just distributed?

24 A. That's correct.

25 Q. The exhibit sticker, I'll just note, is on the

1 inside of the interior page, at the beginning of the
2 C-108, after tab number one.

3 Mr. Thompson, does the C-108 contain all
4 the information that's required for the granting of this
5 application?

6 A. It does.

7 Q. And now this project, is it an existing project
8 or an expansion of a project, or is this a new injection
9 well project?

10 A. This is a new injection well project.

11 Q. Looking at tab number one, Mr. Thompson, which
12 is marked with one of the gray tabs, smaller gray tabs,
13 can you please review for the Examiners what that tab
14 shows, what that map shows?

15 A. This is a half-mile radius map, with the Warren
16 #2 well being at the center of that radius. It's the
17 area of review. It shows -- it's showing the location
18 of the lease and the well itself.

19 Q. Okay. So the lease is -- the well -- the lease
20 acreage is located in the center of that dotted circle;
21 is that correct?

22 A. That is correct.

23 Q. And that's where the Warren #2 is located, with
24 the arrow?

25 A. That is correct.

1 Q. And that dotted -- that circle is the half-mile
2 area of review; is that correct?

3 A. Yes.

4 Q. And are all the tracts that fall within that
5 area of review identified on this map?

6 A. Yes.

7 Q. And then, Mr. Thompson, does this also indicate
8 who the lease operators are to whom notice was provided
9 in this case?

10 A. It does.

11 Q. And are all those leasehold operators
12 identified behind tab number two on the C-108?

13 A. Yes.

14 Q. And in addition to leasehold operators, was
15 notice also provided to the surface owners as well?

16 A. Yes, it was.

17 Q. And behind the white tab number two, is that a
18 list of all the individuals to whom notice was provided?

19 A. That's correct.

20 Q. So that would include all the leasehold
21 operators and surface owners as well?

22 A. That is correct.

23 Q. And behind -- I'm sorry for a little bit of
24 confusion here, but behind 2A, the gray tab 2A, is that
25 a copy of the letter that was provided to all those

1 individuals?

2 A. Yes, it is.

3 Q. And the subsequent pages, do they show a copy
4 of the letters and the green card receipts sent to all
5 of those individuals?

6 A. That is correct.

7 Q. And behind tab number three is that a copy of
8 the Affidavit of Publication indicating that this C-108
9 application was published in a newspaper, in the "Hobbs
10 News-Sun"?

11 A. That is correct.

12 Q. And finally, with respect to the notice, behind
13 tab number three, is that a copy of the affidavit
14 prepared by our law firm indicating that notice was
15 provided to the two individuals on the following page of
16 this hearing today?

17 A. That is correct.

18 Q. And those two individuals, are those
19 individuals who protested this application?

20 A. That is correct.

21 Q. And on the last page, there is a copy of the
22 letter that was sent to those individuals from my law
23 firm indicating today's hearing?

24 A. That is correct.

25 Q. Thank you.

1 Now, with respect to the well itself,
2 Mr. Thompson, can you just give a little bit of a brief
3 background? Because this is an existing well; is that
4 correct?

5 A. That is correct.

6 Q. Give a little bit of background on this well?

7 A. Sure. The well was originally spudded in 1980,
8 and it was initially completed as a midway Devonian
9 well. It was perforated at 11,760 to 11,850. The
10 Devonian was plugged back in 1983, and it was converted
11 to a Strawn producer, perforated at 10,682 feet to
12 10,787 feet. The Strawn 1st was squeezed in 1998.

13 The well was completed a second time in the
14 Devonian, perfed from 11,760 to 11,794, also from 11,808
15 to 11,850. Cumulative production from the Strawn was
16 approximately 300,000 barrels of oil and 680 mcf of gas,
17 and production from the Devonian was approximately
18 46,000 barrels of oil and 2,000 mcf of gas.

19 Q. And Cobalt is currently the lease operator of
20 this tract; is that correct?

21 A. That is correct.

22 Q. And looking at -- let's turn to the gray tab
23 number four of Exhibit Number 1.

24 EXAMINER WADE: Which tab was that?

25 MR. RANKIN: Tab four.

1 EXAMINER WADE: Of the gray ones?

2 MR. RANKIN: Of the gray ones, yes.

3 Q. (BY MR. RANKIN) It should be the well data
4 sheet; is that correct?

5 A. That is correct.

6 Q. Would you please review for the Examiners --
7 and on the following pages, the wellbore schematic was
8 your Exhibit 2; is that correct?

9 A. That is correct.

10 Q. Would you please review for the Examiners the
11 current status of that well?

12 A. Well, currently we've got -- we have a surface
13 casing 13-to-three-eighths cemented to surface with 350
14 sets, casing set at 592 feet. The intermediate casing
15 is 8-to-five-eighths casing, which is set at 4,400 feet.
16 with cement circulating the surface. And then the
17 5-and-a-half long string is set at 11,875 feet, with a
18 calculated cement top of 2,400 feet.

19 Q. Does this wellbore injection well data sheet
20 also show the proposed completion and deepening of this
21 well?

22 A. It does.

23 Q. Can you review for the Examiners that part of
24 this well data sheet?

25 A. Certainly. We'll drill out with a four-inch

1 bit down to 12,850 feet and complete this area as open
2 hole to access additional porosity in the Devonian
3 Formation.

4 Q. And how does Cobalt intend to stimulate the
5 injection well, if at all?

6 A. We intend to stimulate with hydrochloric acid,
7 15 percent, in order to clean out the wellbore itself.

8 Q. Now, turning to tab five of the gray-green
9 tabs, would you review for the Examiners what that
10 shows?

11 A. Again, this is the two-mile radius map showing
12 the Warren #2 wellbore as the focus of the radius.

13 Q. And this -- depicted on this map are -- what
14 else is depicted on this map?

15 A. Additionally, they're all water wells that are
16 within that two-mile radius depicted on this map.

17 Q. How many water wells were identified?

18 A. There were 83 water wells identified in this
19 area.

20 Q. And were there any other injector wells within
21 a two-mile radius?

22 A. There were. There were 12 injection wells
23 and/or disposal wells.

24 Q. Now, Mr. Thompson, at the time this application
25 was filed, were there any wells producing from the

1 Devonian, the target injection zone, within a half-mile
2 area of this proposed well?

3 A. There were.

4 Q. There were at the time of the application?

5 A. Yes.

6 Q. And which well is that?

7 A. That was the Hale State 1Y, which we also
8 operate.

9 Q. Okay. And looking at -- what is page 6 of the
10 C-108? That's the third well down on that table that is
11 operated by Cobalt; is that correct?

12 A. That is correct.

13 Q. And is that in the same lease?

14 A. It is on a lease that is immediately adjacent.

15 Q. Immediately adjacent. All right.

16 So that well is operating and producing
17 from the Devonian?

18 A. That is correct.

19 Q. Now, are there any other wells that are
20 currently producing from the Devonian?

21 A. Currently producing from the Devonian since we
22 filed the C-108 is the Warren #1 well. It is on this
23 same lease, which we have re-entered.

24 Q. And that well is identified as the second well
25 on that same table operated by Cobalt?

1 A. That is correct.

2 Q. And that well had been P&A'd, but Cobalt has
3 re-entered it; is that correct?

4 A. That is correct.

5 Q. And that's currently been approved for
6 operation?

7 A. It has.

8 Q. Okay. And that's on the same lease as this
9 injection well; is that correct?

10 A. That is correct.

11 Q. Now, can you tell us a little bit about that?
12 What is the source of the disposal for that well, the
13 Warren 1, that's currently producing?

14 A. Currently we are seeking this disposal
15 application to service this Warren #1 well as a light
16 oil cut, thin oil cut. So right now we have installed a
17 750-barrel-a-day submersible pump, which we have to
18 throttle back in order to use other disposal sources,
19 trucking, in order to service this well, and that
20 greatly damages the economics of the Warren #1 well.

21 Q. You say greatly damages the economics of the
22 Warren #1 well. Is it sustainable economically for
23 Cobalt to continue to pay for disposal fees for that
24 water?

25 A. It is not sustainable.

1 Q. So as a consequence, Cobalt wants to have an
2 on-lease disposal option; is that right?

3 A. That is correct.

4 Q. How long has the Warren 1 been producing?

5 A. It's been producing approximately one month.

6 Q. One month.

7 And during that time, Cobalt's been paying
8 for the disposal fee for the produced water?

9 A. That's correct.

10 Q. Now, looking at the wells identified on the
11 table behind --

12 EXAMINER McMILLAN: Excuse me. What page?

13 MR. RANKIN: I'm sorry. So looking at the
14 table of wells, tab number two.

15 EXAMINER WADE: Gray two or white two?

16 MR. RANKIN: Thank you very much. Gray
17 number two.

18 MS. KESSLER: Page 5 of the application.

19 Q. (BY MR. RANKIN) Actually, you know what,
20 Mr. Thompson, I'm going to refer you to the green tab
21 number six. Mr. Thompson, please review for the
22 Examiners what that table shows.

23 A. This shows other wells within the -- within the
24 radius that have also -- that have also penetrated the
25 Devonian Formation.

1 Q. And these are all the P&A'd wells; is that
2 correct?

3 A. That is correct.

4 Q. And this shows the status of the well in terms
5 of -- the status of the well in terms of cement and the
6 protection within that penetrated zone?

7 A. That is correct.

8 Q. And following that -- this table is a -- are
9 the wellbore schematics of each of the P&A'd wells; is
10 that correct?

11 A. That is correct.

12 Q. And in your opinion, Mr. Thompson, are each of
13 those wells protected in the injection zone?

14 A. We believe that they are. We believe that they
15 are isolated by cement casing to protect groundwater.

16 Q. Does the C-108 contain all the information with
17 respect to the wells that penetrate the injection zone?

18 A. It does.

19 Q. And have you reviewed all the data available on
20 these wells?

21 A. We have.

22 Q. And in your opinion, is there any remedial work
23 that would be required to protect against -- protect
24 these wells from the injection -- related with the
25 proposed injection well?

1 A. No.

2 Q. Now, with respect to the injection, what is the
3 volume -- I think you touched on this initially. What
4 is the volume that Cobalt is seeking to inject into the
5 injection well?

6 A. We -- we -- we anticipate approximately 2,500
7 barrels per day and a maximum of 3,000 barrels per day.

8 Q. And, again, the source of this water that you
9 propose to inject is on lease operations; is that
10 correct?

11 A. That is correct.

12 Q. And from the same zone; is that right?

13 A. That is correct.

14 Q. So Devonian water being injected into the --
15 into the Devonian?

16 A. That's correct.

17 Q. As a consequence, do you anticipate any
18 compatibility issues, compatibility problems?

19 A. No. The nature of the water coming out of the
20 formation being disposed back would negate that.

21 Q. But nonetheless, Cobalt conducted some water
22 chemistry tests to confirm that?

23 A. Certainly we did.

24 Q. And those are depicted on what is Exhibit G to
25 the application, which, unfortunately, is not tabbed.

1 But is that correct, Exhibit G to the C-108?

2 EXAMINER McMILLAN: Please slow down and
3 tell me where it is.

4 MR. RANKIN: I'm sorry, Mr. Examiner. It's
5 not tabbed, but it's Exhibit G to the C-108 application,
6 which is actually just following the P&A'd wellbore
7 schematics.

8 EXAMINER McMILLAN: I found it.

9 MR. RANKIN: Oh, did you? Thank you.

10 Q. (BY MR. RANKIN) These are the water chemistry
11 tests; is that correct, Mr. Thompson?

12 A. They are.

13 Q. Has there been, to your knowledge, any other
14 injection that's been permitted into the Devonian in the
15 area?

16 A. Yes.

17 Q. And where is the nearest well that you're
18 familiar with that is injecting into the Devonian?

19 A. It's the Consolidated State on a lease that is
20 adjacent and to the east.

21 Q. Is that something that you can point out to the
22 Examiners on an overview map?

23 A. If you'll look at the green tab five-gray tab
24 five, the page immediately following that, it shows the
25 radius with the leases.

1 EXAMINER McMILLAN: Yes.

2 A. The Consolidated State is on the lease
3 designated as VB-2166-0000. I'm sorry. Not that
4 section, but the section immediately to the east of
5 that. It's actually noted as SWD with a small circle,
6 immediately above the Warren 2 notation on that page.

7 EXAMINER McMILLAN: Oh, okay. I see it.

8 Q. (BY MR. RANKIN) So that notation behind -- I'm
9 sorry -- behind green tab number one is the SWD
10 Consolidated #1?

11 A. That's correct.

12 Q. And that well is currently injecting into the
13 Devonian; is that correct?

14 A. That is correct.

15 Q. Is that a well that Cobalt operates?

16 A. We operate that well. Yes, sir.

17 Q. Now, with respect to the Warren #2, the subject
18 of this application, will this injection well be a
19 closed system or open system?

20 A. It'll be a closed system.

21 Q. And is that different than what is actually
22 contained in the -- stated in the C-108 application?

23 A. Yes. Initially in the application we had noted
24 and requested an open system, thinking that a commercial
25 disposal would be a possibility, but we were unable to

1 come to terms with the surface owner on that. So the
2 commercial aspect of this disposal well was -- was --
3 was dropped.

4 Q. And so based on your understanding, this would
5 be a closed system in light of the source of the water
6 and the injection zone?

7 A. That's correct.

8 Q. Now, I think you touched on this initially as
9 well on your overview, but what is the injection
10 pressure again that Cobalt is seeking?

11 A. An average injection pressure is approximately
12 1,000 psi.

13 Q. And the maximum pressure you're seeking?

14 A. The maximum pressure, again, is 2,352 pounds
15 per square inch.

16 Q. And Cobalt requires a higher pressure with the
17 OCD doing the step-rate test?

18 A. Yes.

19 Q. And that would be to confirm the fracture
20 pressure within that formation?

21 A. That's correct.

22 Q. Now, will Cobalt monitor this well? How will
23 Cobalt monitor the integrity of this well?

24 A. We'll comply with the OCD's required MIT
25 testing as scheduled. Pressure gauges will be installed

1 on all the annulus within the wellbore itself to confirm
2 that integrity has not been compromised.

3 Q. And will Cobalt use an annular fluid within the
4 annulus base as part of that pressure monitoring?

5 A. That's correct. We won't go into annular
6 spaces -- packer fluid.

7 Q. Now, in the area in which you're seeking to
8 inject, is there any fresh water within the area?

9 A. There is.

10 Q. And where are there freshwater sources?

11 A. It is the Ogallala.

12 Q. Okay. And what is the approximate depth of the
13 Ogallala output in this area?

14 A. We estimate it to be around 2- to 300 feet, if
15 I'm not mistaken.

16 Q. And so the nearest freshwater zone is the
17 Ogallala, and that's approximately 300 feet deep; is
18 that correct?

19 A. That's correct, on the surface.

20 Q. And the Devonian -- top of the Devonian is
21 approximately what depth?

22 A. Top of the Devonian is -- we're approximately
23 11,485 feet between the top of the Devonian and the
24 bottom of what's been identified as the Ogallala.

25 Q. In your opinion, will there be any threats or

1 risk to those freshwater sources as a result of this
2 injection?

3 A. No. Due to the depth and permeability of the
4 formation we're injecting in, the casing and cementing
5 program that we're implementing, we feel that -- we feel
6 that the groundwater in this area will be sufficiently
7 protected.

8 Q. Tell me a little bit about the permeability.
9 You are mentioned the permeability in the Devonian. How
10 will that help protect the fresh groundwater sources?

11 A. The more permeable the injection zone is, the
12 lower your injection pressure is. You're less likely --
13 you're actually -- if there is a mechanical failure,
14 you're actually going to have the head pressure to push
15 produced water up where it could impact -- if there were
16 other issues, could impact groundwater. So 1,000 pounds
17 per square inch, you will not -- it's physically
18 impossible to have enough head pressure -- due to the
19 static fluid level in the wellbores, you won't have
20 enough pressure to move -- produce fluids up into that
21 area where it could impact the Ogallala.

22 Q. In addition to the high permeability of the
23 Devonian, are there other geologic barriers to help
24 isolate the injection zone in this case?

25 A. There are. And there's also -- there's also

1 five anhydrite and salt zones that cumulatively
2 represent about 11,076 feet of anhydrite and salt zones
3 that are between the top of the Devonian and the bottom
4 of the Ogallala.

5 Q. And the narrative description of that geology,
6 including those impermeable geologic barriers, is
7 contained within this permit application?

8 A. They are.

9 Q. And that is located on page 7 of the C-108; is
10 that right?

11 A. That is correct.

12 Q. Does this geologic description contain all the
13 information which requires -- with respect to the
14 stratigraphy in the area?

15 A. It does. It meets all those requirements.

16 Q. It also includes a description of the formation
17 tops within the area?

18 A. That's correct.

19 Q. Now, let's talk a little bit more about the
20 fresh water in the area. You identified some freshwater
21 zones. Are there also freshwater wells that are
22 producing in the area --

23 A. Yes.

24 Q. -- a mile or so within the proposed injection?

25 A. Yes. There are four.

1 Q. Were you able to take any freshwater samples
2 from those wells?

3 A. We were, and we analyzed those also for various
4 constituents.

5 Q. And those are identified behind green tab
6 number eight?

7 A. That is correct.

8 Q. And you identified these freshwater wells using
9 the State Engineer's Web site; is that correct?

10 A. That's correct.

11 Q. And tab number eight indicates all the
12 freshwater wells within the mile; is that correct?

13 A. That is correct.

14 Q. And on the following pages are the freshwater
15 chemical analyses for those freshwater wells?

16 A. That is correct.

17 Q. And does each of these indicate with the
18 well -- I'm sorry. Forgive me, Mr. Thompson. I'm
19 trying identify -- can you identify the well or not? I
20 can't discern that in this case. Is that the case?

21 A. I'm sorry?

22 Q. I'm sorry. I was asking whether or not the
23 wells were identified. Which wells were tested?

24 A. They were.

25 Q. So following the chemical analyses, there is an

1 overview map as part of Exhibit H. Does that indicate
2 the sample sites for each of those four samples?

3 A. It does.

4 Q. Were these generally domestic wells that were
5 sampled?

6 A. Yes.

7 Q. And these would function or operate as a
8 background for the water quality in this area prior to
9 injection from the Warren #2; is that right?

10 A. We believe so.

11 Q. Now, going back to the geology, have you
12 identified any open faults or geologic areas that would
13 allow to function as a conduit for injection water to
14 reach these freshwater sources?

15 A. We have not identified any faults.

16 Q. So in your opinion, based on the geology of the
17 Devonian and the permeability and the impermeable
18 geologic barriers between the injection zone and the
19 surface and the freshwater zones, is it your opinion
20 that the injected fluid will stay in the targeted zone?

21 A. Yes.

22 Q. In your opinion, Mr. Thompson, would there be
23 any waste -- would the granting of this application
24 result in waste?

25 A. It would -- it would. It would promote the

1 waste and the production that is currently marginally
2 economic in trucking -- or uneconomic -- pardon me -- in
3 trucking from the Warren #1 wellbore.

4 Q. I think I phrased it the other way. I'm asking
5 you if this application is granted, it would -- would it
6 result in waste? In other words, would there be any
7 impairments to other wells or production in the area?

8 A. No. We don't believe so.

9 Q. But failure to grant this application would
10 result in waste, in your opinion?

11 A. It would.

12 Q. And why is that?

13 A. The lost production in the Warren #1, which
14 would be uneconomic.

15 Q. So the Warren #1 -- the current production from
16 the Warren #1 on lease is dependent upon being able to
17 dispose on lease?

18 A. That's correct.

19 Q. In your opinion, Mr. Thompson, would the
20 granting of this application be in the best interest of
21 conservation of the resources?

22 A. It would be.

23 Q. And were Exhibits 1 through 3 either prepared
24 by you or under your direct supervision?

25 A. They were.

1 MR. RANKIN: Mr. Examiner, I would move
2 into evidence Exhibit Numbers 1 through 3.

3 EXAMINER McMILLAN: Exhibits 1 through 3
4 are accepted as part of the record.

5 (Cobalt Operating, LLC Exhibit Numbers 1
6 through 3 were offered and admitted into
7 evidence.)

8 MR. RANKIN: Mr. Examiner, I pass the
9 witness.

10 CROSS-EXAMINATION

11 BY EXAMINER McMILLAN:

12 Q. Okay. The first question I have is what is the
13 Warren #1 producing from?

14 EXAMINER WADE: Is Mr. Goff here?

15 MR. GOFF: Yes, sir.

16 EXAMINER WADE: What role are you going to
17 play today?

18 MR. GOFF: I would like to make a brief
19 statement of my concerns about this well.

20 EXAMINER WADE: Do you intend to
21 cross-examine the witness?

22 MR. GOFF: No.

23 Q. (BY EXAMINER McMILLAN) For the Warren #1, it's
24 currently producing?

25 A. That's correct.

1 Q. What pool or formation?

2 A. It's producing from the Devonian Formation.

3 Q. And how about the Hale 1Y?

4 A. It is producing.

5 Q. From?

6 A. From the Devonian as well.

7 Q. Now, as an expert witness, is the production
8 from the Warren #1 -- is it correlative with the
9 injection zone?

10 A. Yes.

11 Q. I'm going to ask you the same exact question
12 for the Hale #1Y. Is it going to be correlative with
13 the injection zone?

14 A. Yes.

15 Q. The next question I have relates back to this
16 well. When I looked at the production yesterday for the
17 Warren #2, API 30-02526953, I see that it has made --
18 from September 2013 through September 2014, in the
19 midway Devonian, it has made 95 barrels of oil.

20 A. That's correct.

21 Q. And when I look at this, I see that in
22 September 2014, the Warren #2 is producing -- produced
23 nine barrels of oil; is that correct?

24 A. I believe that's correct.

25 Q. So you want to turn -- excuse me -- change a

1 producer into an injector?

2 A. A marginal producer into an injection well,
3 yes. It's marginally economic.

4 Q. Now, how do I know it's marginal?

5 A. Because the cost to run 640 pumping units on
6 the well pumping from the Devonian Formation is at its
7 economic limit in order to produce this well.

8 Q. You know, I need proof of that. I mean,
9 without a definitive statement, I believe that to be arm
10 waving. So there must -- there has -- for the process
11 to continue, there must be an engineering analysis
12 stating why it's uneconomical.

13 A. We can provide that.

14 Q. Now, the next question I have is why did you
15 emphasize water analysis? I believe it was on the
16 Snyder [phonetic], in Section 8, 16 South, 36 East. But
17 if you look at that analysis, that's for the Strawn.

18 A. The Snyder was a water well?

19 Q. It was one of your analysis. Why do you
20 emphasis the Strawn when you're not going to take water
21 from the Strawn? That really shouldn't have anything to
22 do with it.

23 MR. RANKIN: We can address that in
24 redirect, Mr. Examiner, if that would be helpful.

25 Q. (BY EXAMINER McMILLAN) And I also want to know

1 about the compliance order for the Angel #3.

2 A. Uh-huh.

3 Q. Please update.

4 A. I believe we have until the end of January --
5 I'm sorry -- until the end of February to bring -- bring
6 those wells online. We intend to bring those online as
7 working producers. We've been acquiring leases on
8 those. It's quite -- it's been an intensive process
9 acquiring the leases, and we have a certain percentage
10 of the leaseholds now that we believe we could go in and
11 produce these wells economically.

12 Q. I want to be clear. It's for the Devonian,
13 correct?

14 A. For which well? The Angel?

15 Q. For this well, you're going to inject into the
16 Devonian, right?

17 A. For which well?

18 Q. For the Warren #2?

19 A. That's correct.

20 Q. And so the San Andres was a typo? In the
21 application, you say the San Andres and you mention the
22 Devonian, and at that point, you actually mention the
23 pool code. So it is the Devonian, correct?

24 A. That's correct.

25 Q. Okay. Let's see. Now, you said the deepest

1 depth water is 300 feet. Do you have any idea what the
2 water column is?

3 A. I would have to refer to my consultant on that,
4 which is Brian Wood with Permits West.

5 MR. WOOD: It's part of Exhibit H.

6 MR. RANKIN: Mr. Examiner, if I might refer
7 you to the table behind green tab number eight. The
8 data is from the State Engineer's Office. It's the
9 water column within a one-mile area.

10 Q. (BY EXAMINER McMILLAN) So using some worst-case
11 scenario, you're looking at 425, right? I mean, the
12 water column, you're saying the max depth is 300 feet,
13 so it would be 425. And your surface casing goes to 592
14 feet, correct?

15 A. That's correct.

16 Q. Now, I just want some clarification for myself.
17 I wasn't totally clear on this. You're going to perf
18 11,760 to 11,875, right?

19 A. I believe, yes. Those are the perfs that are
20 already open, and we're going to additionally drill,
21 with a four-inch bit, to add two or three more porosity
22 zones that we've identified by log in this area to
23 further reduce any pressure that would be in the
24 wellbore.

25 Q. Now, you said in your application the volume's

1 about 100 [sic] feet thick, right -- 11,010 feet, if you
2 look at it. I just want to make sure that you don't
3 believe that there's going to be further or an addition
4 below it, right? The addition [sic] hasn't subcropped
5 out?

6 A. We believe we will be in the Devonian Formation
7 at that depth.

8 Q. I just want to make sure there will be --
9 you're not going to be at basement -- basement will be
10 well below that?

11 A. Basement?

12 Q. Yeah. I mean Precambrian. I want to make sure
13 that --

14 A. The granite?

15 Q. Yes, the granite.

16 A. Yeah. It'll be well below that. I assure you,
17 we will not drill into the granite wash with a four-inch
18 bit.

19 Q. And are you aware of any casing problems with
20 the Fasken well?

21 A. No. Whenever -- no. We don't believe we have
22 any casing problems because we were able to produce --
23 the production that we showed, had it been -- had we had
24 any kind of casing integrity problems, we would have had
25 so much water that we wouldn't be able to produce even

1 the minute amounts that we were with the rod pump. But
2 certainly we will test, as mandated, mechanical
3 integrity prior to injection to ensure the casing
4 integrity is intact.

5 Q. Okay. What I want to see is -- I expect you
6 guys to supply production figures for the Warren #1 and
7 the Hale #1Y.

8 A. Certainly.

9 Q. And you will -- you will have definitive proof
10 why this should be -- this well should be converted?

11 A. We can. We can demonstrate that.

12 Q. Okay. Those are the questions that I have,
13 unless counsel would like to redirect.

14 MR. RANKIN: Thank you, Mr. Examiner. I
15 would like to ask a few questions as follow-up.

16 REDIRECT EXAMINATION

17 BY MR. RANKIN:

18 Q. Mr. Thompson, just for a point of
19 clarification, if you would turn to the C-108, which is
20 several pages behind green tab number two -- or one page
21 behind green tab number two.

22 A. Uh-huh.

23 Q. You see on the third well down, the Hale State
24 #1Y, where it indicates that it's producing from the
25 zone -- the Strawn zone; is that correct?

1 A. That's not correct.

2 Q. Is your understanding that it's producing from
3 the Devonian?

4 A. It is producing from the Devonian. That's
5 correct. The Strawn has been squeezed off in that
6 wellbore.

7 Q. So that's a point of correction on this table,
8 then?

9 A. It should be corrected, yes.

10 Q. It's producing from the Devonian?

11 A. That's correct.

12 Q. Thank you.

13 Now, I want to talk to you just a little
14 bit about the production that's occurring from the
15 Devonian, in particular from the Warren #1 well. That
16 well is -- how is it related structurally to the Warren
17 #2 well, the proposed injection well?

18 A. The Warren #1, based on the Devonian tops that
19 we encountered in the area, is approximately 20 to 30
20 feet superior on structure. So we are updip. The
21 Warren #1 is updip from the Warren #2.

22 Q. How would that impact -- or how does that
23 impact the production with respect to the Warren #1
24 versus the production that was occurring from the
25 Warren #2?

1 A. We believe that there is not going to be any
2 impact. We've operated a number of Devonian wells that
3 are in this same proximity. We all know that the
4 Devonian is a perfect water drive. The analogy I like
5 to use is you're putting a fire hose under the ocean.
6 It's not going to impact or migrate hydrocarbons enough
7 to see any response either way.

8 Q. Okay. So the fact that the Warren #2 is
9 downdip from the Warren #1, which is currently
10 producing -- is that correct?

11 A. That is correct.

12 Q. And as I understand what you're telling me, the
13 injection into the Warren #1 is because it's downdip and
14 because its permeability on the Devonian will have no
15 impact on the production from the Warren #1, which is
16 updip; is that correct?

17 A. We believe that to be the case.

18 Q. Now, just talking about the structural
19 differences in the -- in the production zone here in the
20 targeted zone in the Devonian, the Warren #1 is updip,
21 right?

22 A. That is correct.

23 Q. So how -- does that have any effect on the fact
24 that the Warren #1 is still a producing well relative to
25 the Warren #2?

1 A. It was -- it was -- studying that strata and
2 the location on structure was one of the reasons that
3 compelled us to re-enter the Warren #1 and have been
4 able to make that a successful producer.

5 Q. So because it's updip, is it accessing a
6 greater -- a greater well zone? Is that -- is that --
7 is that true?

8 A. The geology would suggest that, yes.

9 Q. Now, I also want to touch on why -- why this
10 application was for a saltwater disposal well as opposed
11 to a pressure maintenance well, for example. Can you
12 explain to the Examiners why -- why this is a saltwater
13 disposal well?

14 A. The porosity that is shown in this midway
15 field, the Devonian in particular, and many other fields
16 prevents any type of pressure maintenance. It's the
17 perfect water drive so intervention in one area is not
18 going to affect any type of pressure in any other area.

19 Q. So the injection into the Warren #2 would not
20 function in any way to increase production or generate a
21 drive in the Warren #1?

22 A. We don't believe so.

23 Q. So that's the reason in this case you're
24 seeking a saltwater disposal application?

25 A. That's correct.

1 MR. RANKIN: No further questions,
2 Mr. Examiner.

3 EXAMINER McMILLAN: Okay. I'd like to have
4 redirect [sic].

5 RECROSS EXAMINATION

6 BY EXAMINER McMILLAN:

7 Q. The first question is -- I specifically asked
8 you if the Warren #1 is correlative with the zone.
9 Remember, in the Devonian, just because you're higher to
10 another -- another on the top of the Devonian, a lot of
11 times you've got to drill. You have to drill into the
12 Devonian to get the porosity. So the real question is
13 not the tops. It is the porosity zone.

14 My question to you: Are the porosity
15 zones, not the tops -- how are those in terms of the
16 subsurface depths?

17 A. I see what you're saying. The production
18 interval that we will be producing from in the Warren #1
19 will actually -- the primary injection zones that we've
20 seen from logs that are in the Devonian where we believe
21 we have a good perm, those are actually below what we
22 will be producing out of the Warren #1. In the Warren
23 #2, where we believe the majority of the water will be
24 disposed, will be stratigraphically low to the other
25 producing zones which are within the upper portion of

1 the Devonian.

2 Q. You know, this is what I want to see. I want
3 to see a cross section of that.

4 A. We have those.

5 Q. Okay. Are they in the application?

6 A. They are not.

7 Q. Well, I mean, I expect that to be supplied.

8 A. Very good.

9 Q. And just for the record, I've never heard of a
10 Devonian field not making water. The production is
11 weird.

12 A. Not making water?

13 Q. Yeah, not making water. I've never seen that.

14 A. That's possibly a reporting error. It is
15 making water.

16 Q. I said I'm familiar with the Devonian, and I've
17 never heard of that.

18 And same thing with the 1Y?

19 A. We can do that. The cross section that we have
20 built for this field actually includes both of these
21 wells.

22 Q. Okay. Yeah. I expect that.

23 I have no further questions at this time.

24 Thank you.

25 A. Thank you.

1 EXAMINER McMILLAN: I would like to give
2 the opportunity to Mr. Goff to please go ahead and --

3 Okay. If you would -- I believe we would
4 like to have you sworn in, too.

5 KENNETH GOFF,
6 after having been first duly sworn under oath,
7 testified as follows:

8 MR. GOFF: My name is Kenneth Goff. I am a
9 dairy and farm operator in Lea County, in this general
10 area. Our dairy is located within a two-mile area of
11 this well, and some of our farmland is less than that.
12 Our ranch land is surrounding it.

13 And I guess we're -- I'm primarily
14 concerned about any contamination. We are dealing
15 with -- one mile south of this well, there's
16 approximately 50 monitoring wells dealing with
17 contamination of the aquifer, and that's between this
18 well and our dairy operation. And we're concerned that
19 if any contamination keeps moving towards us, it will
20 devastate our operation. That water's our lifeblood.
21 And so we're -- we wonder if there are any other
22 safeguards that would -- that would help us know that
23 there is not going to be any of this contamination.

24 And my concern is the integrity of the well
25 could be compromised. Whether it is or not, I don't

1 know, but is there a way that we can find out before it
2 gets into the -- into the -- especially the Ogallala?
3 The contamination that we're dealing with now, they've
4 been trying to clean up for the last two years and have
5 not been successful yet, so we are concerned.

6 We do have some contamination further north
7 and a little east of this well, east of where the
8 wells -- the well samples that you have. I don't know
9 what the progress is in cleaning that up.

10 I'm also -- I guess I have a question or
11 two. Do we recognize the Santa Rosa as being a water to
12 be concerned about to protect? Because I believe that
13 that's going to be part of our future water source in
14 Lea County. As you know, the water table has dropped
15 severely, and there's already been talk about that
16 happening, and some of that has already happened in
17 Texas, in the -- in the Gaines County area. And so we
18 were -- I guess we were questioning is there was a way
19 that we can protect that also for something that we'll
20 probably need in the future?

21 EXAMINER McMILLAN: I can just tell you
22 from a regulation standpoint. We have a -- you just
23 can't, you know -- if we get approval, they can't just
24 go out there and do it. There are certain tests that we
25 require they run to test the structural integrity of the

1 casing program.

2 EXAMINER WADE: Maybe we could give
3 Mr. Rankin the opportunity to call another witness or
4 recall a witness if there is anything further you'd like
5 to address regarding the questions or the concerns that
6 were raised.

7 MR. RANKIN: Thank you, Mr. Examiner and
8 Counsel --

9 EXAMINER WADE: Legal counsel.

10 MR. RANKIN: -- legal counsel.

11 I just want to state for the record that we
12 object to the entry of testimony on the record as
13 evidence for the reason that no pre-hearing statement
14 was entered and no entry of appearance was entered. So
15 I just want to state that for the record.

16 If I might just ask a couple of questions
17 of Mr. Goff, and then we will rest our case.

18 EXAMINER WADE: Okay.

19 CROSS-EXAMINATION

20 BY MR. RANKIN:

21 Q. Mr. Goff, just so I'm understanding, you had
22 indicated there was some contamination a mile south of
23 your property?

24 A. A mile south of your proposed well, about a
25 mile south.

1 Q. And that's resulted in approximately 50
2 monitoring wells?

3 A. Yes, in two different locations, more or less
4 side by side.

5 Q. And there is testing or monitoring the
6 groundwater in the Ogallala; is that correct?

7 A. They're actually trying to clean it up. There
8 was and is contamination.

9 Q. And is that contamination the result of an
10 injection well?

11 A. Well, I do not know, but it is oil
12 contamination. And with what we see and how long it was
13 being contaminated before it was caught, I think
14 something isn't working. I don't know what it is, but
15 something's not working.

16 Q. Was that contamination the result of a surface
17 pipeline? Is that correct?

18 A. Surface meaning on top of the ground?

19 Q. Yeah.

20 A. No. No.

21 Q. So do you know the source of the contamination
22 in that case?

23 A. On two areas, it is -- was a pipeline
24 underground. On one area, I'm not sure. I know of
25 three that has affected our farm or our operation or

1 close to it, and I don't know what the third one is.

2 Q. Are you aware that there are 12 injection wells
3 currently operating within two miles of the proposed
4 Warren #2?

5 A. I wasn't aware of that many. That creates more
6 of a concern for me.

7 Q. Are you aware of any contamination resulting
8 from those injection wells?

9 A. Not -- not in -- not in our area. But how
10 would I know?

11 Q. Well, have you identified any contamination
12 from your drinking water sources or your water sources
13 other than the ones identified?

14 A. No, I haven't, but I think that's enough. The
15 oil plume is moving, and so they continue to have to
16 drill more water monitoring wells trying to clean it up.
17 And so that's -- again, that's a concern.

18 Q. Thank you, Mr. Goff.

19 A. I'm certainly not against the oil industry.
20 I've lived there all my life, but I do have a concern
21 about our water, and not just Ogallala but Santa Rosa.
22 And is it possible to put monitoring -- a monitoring
23 well next to that to monitor the Ogallala and the Santa
24 Rosa, say, quarterly or something to see if there is any
25 change before -- I mean, before that contamination

1 becomes so big that it's difficult to clean up? I don't
2 know the answer.

3 Q. Thank you, Mr. Goff.

4 MR. RANKIN: Nothing further.

5 EXAMINER WADE: Thank you very much.

6 EXAMINER McMILLAN: Thank you for your
7 time. We really appreciate it.

8 Okay. With that in mind, Case Number 15241
9 will be taken under advisement with the stipulation that
10 the cross sections and production and economic analysis
11 must be provided before a decision is rendered.

12 MR. RANKIN: Thank you, Mr. Examiner. We
13 will provide that information as quickly as possible.

14 EXAMINER McMILLAN: Thank you very much.

15 Let's take about a ten-minute break.

16 (Case Number 15241 concludes, 9:15 a.m.;
17 break taken, 9:15 a.m. to 9:28 a.m.)

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____,
heard by me on _____.

_____, Examiner
Oil Conservation Division

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, New Mexico Certified
6 Court Reporter No. 20, and Registered Professional
7 Reporter, do hereby certify that I reported the
8 foregoing proceedings in stenographic shorthand and that
9 the foregoing pages are a true and correct transcript of
10 those proceedings that were reduced to printed form by
11 me to the best of my ability.

12 I FURTHER CERTIFY that the Reporter's
13 Record of the proceedings truly and accurately reflects
14 the exhibits, if any, offered by the respective parties.

15 I FURTHER CERTIFY that I am neither
16 employed by nor related to any of the parties or
17 attorneys in this case and that I have no interest in
18 the final disposition of this case.

19

20


21

22

23

24

25


MARY C. HANKINS, CCR, RPR
Paul Baca Court Reporters, Inc.
New Mexico CCR No. 20
Date of CCR Expiration: 12/31/2014

Davidson, Florene, EMNRD

From: Goetze, Phillip, EMNRD
Sent: Friday, October 31, 2014 11:38 AM
To: Brian Wood (brian@permitswest.com)
Cc: Dawson, Scott, EMNRD; McMillan, Michael, EMNRD; Jones, William V, EMNRD;
Davidson, Florene, EMNRD; Dickey, Sylvia, EMNRD
Subject: Second Protest of Application for Injection - Warren No. 2

RE: Warren No. ²1 (API 30-025-26953) Sec. 8, T. 17 S., R. 37 E., NMPM, Lea County.

Mr. Wood:

OCD was notified by Mr. Ken Goff (an affected person) that he is protesting this application due to potential impacts to ground water. Therefore, you are being notified that if Cobalt Operating, LLC wishes for this application to be considered, it must either go to hearing or may be reviewed administratively if the protest is withdrawn as a result of a negotiated resolution with this party. The application will be retained by OCD, but suspended from further administrative review. Please contact OCD once you have made a decision regarding the application. Please call me with any questions regarding this matter. PRG

Contact Information:

Mr. Kenneth Goff
c/o Goff Dairy
11015 Goff Place
Hobbs, NM 88210
575-318-6879 (cell)

Phillip R. Goetze, P.G.

Engineering and Geological Services Bureau, Oil Conservation Division
1220 South St. Francis Drive, Santa Fe, NM 87505

O: 505.476.3466 F: 505.476.3462

phillip.goetze@state.nm.us