

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF FASKEN OIL AND RANCH,)
LTD., FOR A SALTWATER DISPOSAL WELLBORE,)
LEA COUNTY, NEW MEXICO)

CASE NO. 13,601

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, JR., Hearing Examiner

December 15th, 2005

Santa Fe, New Mexico

2006 JAN 9 PM 1 17
avt / 12/05

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, JR., Hearing Examiner, on Thursday, December 15th, 2005, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

December 15th, 2005
Examiner Hearing
CASE NO. 13,601

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESS:	
<u>CARL W. BROWN</u> (Engineer)	
Direct Examination by Mr. Kellahin	14
Examination by Examiner Jones	71
STATEMENT BY DR. BAYAT	85
APPLICANT'S WITNESS (Continued):	
<u>CARL W. BROWN</u> (Engineer)	
Further Examination by Examiner Jones	99
REPORTER'S CERTIFICATE	103

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	16	70
Exhibit 2	20	70
Exhibit 3	25	70
Exhibit 4	28	70
Exhibit 5	37	70
Exhibit 6	38	70
Exhibit 7	39	70
Exhibit 8	51	70
Exhibit 9	52	70
Exhibit 10	53	70
Exhibit 11	53	70
Exhibit 12	55	70
Exhibit 13	62	70
Exhibit 14	63	70
Exhibit 15	63	70
Exhibit 16	66	70
Exhibit 17	66	70
Exhibit 18	69	70
Exhibit 19	70	70

* * *

A P P E A R A N C E S

FOR THE DIVISION:

GAIL MacQUESTEN
Deputy General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

ALSO PRESENT:

Ghasem Bayat, PhD
Chief Engineer
AmeriCo Energy Resources
P.O. Box 19163
Houston, Texas 77224
10940 Old Katy Road, #100
Houston, Texas 77043

Oscar Nosrati
Co-Manager
AmeriCo Energy Resources
P.O. Box 19163
Houston, Texas 77224
10940 Old Katy Road
Houston, Texas 77043

* * *

1 WHEREUPON, the following proceedings were had at
2 8:30 a.m.:

3 EXAMINER JONES: Let's go back to page 1 on the
4 docket, and let's call Case 13,601, Application of Fasken
5 Oil and Ranch, Ltd., for a saltwater disposal wellbore, Lea
6 County, New Mexico.

7 Call for appearances in this case.

8 MR. KELLAHIN: Mr. Examiner, my name is Tom
9 Kellahin of the Santa Fe law firm of Kellahin and Kellahin.
10 I'm appearing this morning on behalf of the Applicant,
11 Fasken Oil and Ranch, LTD, and I have two potential
12 witnesses.

13 EXAMINER JONES: Any other appearances in this
14 case?

15 DR. BAYAT: Mr. Examiner, my name is Ghasem
16 Bayat, and I'm vice president of engineering, exploration
17 and production for AmeriCo Energy Resources. And I have my
18 colleague, Mr. Oscar Nosrati, who's the vice president of
19 operations for AmeriCo. And we are here to present our
20 case to you.

21 EXAMINER JONES: Okay --

22 MS. MacQUESTEN: Before we get started with the
23 testimony, I think that there are a few procedural matters
24 that we need to address --

25 MR. KELLAHIN: Yes, ma'am.

1 MS. MacQUESTEN: -- and Mr. Kellahin, I'd like to
2 start with you and ask you, you do have one or more pending
3 motions?

4 MR. KELLAHIN: Yes, ma'am, there are some
5 procedural matters for you and Examiner Jones to decide
6 before you hear any evidence in this case.

7 Fasken originally filed this as an administrative
8 application with an Application dated September 13th, sent
9 notice to all the proper parties that are entitled to
10 notice under Division Rules, which would be those for
11 operators of wells in this area, plus the surface owner.

12 The Division's notice period is a 15-day notice
13 period, as you are aware, and my review of the Division
14 records reflects that AmeriCo, by a letter dated October
15 13th, received by the Division on the 20th of October,
16 filed its first written objection to this process. It's my
17 contention that under the Division Rules, a written
18 objection filed 22 days after the objection period has
19 expired precludes AmeriCo from participating in this case.
20 So that's one issue.

21 The other issue is, I have received from AmeriCo
22 what appears to be an effort on their behalf last week to
23 file a prehearing statement. When you review that filing,
24 I came to the conclusion that AmeriCo was intending to
25 present their position pro se. In doing so, they are

1 subject to Division Rules and Regulations, including
2 procedural rules. And should they desire to attempt to do
3 that, they need to comply with Rule 1212 which, if they go
4 forward with a *pro se* presentation, by rule precludes them
5 from presenting evidence or cross-examining my witnesses.
6 They can with the discretion of the Examiner make a
7 statement.

8 We would suggest because of the timing situation
9 that we have here that Fasken is very anxious to have the
10 Division take action on its Application. It was originally
11 filed in September; it's now mid-December and their need
12 for this disposal well becomes more important every day.

13 For background, as Mr. Jones probably knows from
14 processing these administrative applications in this area,
15 there is a substantial need for the disposal of water
16 produced out of the Devonian formation. The historical
17 practice by operators in this area is to put that produced
18 water back into the Pennsylvanian. It's been done in that
19 fashion for many, many, many years, including a facility
20 operated now by AmeriCo that was originally put together by
21 Devon and then Merit, and now operated by AmeriCo, in which
22 Fasken currently participates. But the capacity of the
23 AmeriCo system is such that they cannot handle further
24 disposal of production from produced wells in their
25 disposal system.

1 So we have filed a request, with some urgency
2 associated with it, a need to have our own disposal well to
3 handle this excess water. We've applied for three possible
4 disposal wells, and once we detail the evidence for you,
5 we'll demonstrate why our engineer reached the conclusion
6 to apply for three. His intent is to utilize the first of
7 those wellbores that can successfully be utilized as
8 disposal, and have the others as approved alternatives, in
9 the event the need arises.

10 So that's our position. We are not intent on
11 having this case continued. We realize there may be some
12 question about how much compliance AmeriCo had with the
13 prehearing filing procedures, but at this point we do not
14 want to be penalized either for the fact that they have
15 failed to bring an attorney and have chosen to ignore
16 Division Rules, and would like to proceed pursuant to the
17 limitations in Rule 1212 which says they can sit here and
18 listen, but they can't present evidence.

19 MS. MacQUESTEN: Can I see the file?

20 MR. KELLAHIN: To aid you, Mrs. MacQuesten,
21 here's a copy of 1212.

22 MS. MacQUESTEN: Okay, thank you.

23 Is it Mr. Bayat?

24 DR. BAYAT: That's correct, ma'am.

25 MS. MacQUESTEN: Am I pronouncing it correctly?

1 DR. BAYAT: That's perfectly correct.

2 MS. MacQUESTEN: Mr. Bayat, I see two documents
3 from AmeriCo in the file, and I want to make sure that that
4 is accurate. I have a letter from AmeriCo objecting to the
5 Application. And then I also have a document dated
6 December 7th to Mr. Jones.

7 DR. BAYAT: That's correct.

8 MS. MacQUESTEN: Is this December 7th document --
9 was this your -- is it your intent that we treat this as an
10 entry of appearance and prehearing statement?

11 DR. BAYAT: That is correct, and that was our
12 understanding, because when -- we recognized that we filed
13 late to object to this case, and we did have our own
14 internal reasons why that happened, but that's probably not
15 important.

16 But we recognized that there is a technical
17 problem, proposal from our partners in this whole Denton
18 field, Fasken, and for that reason we ask the Commission if
19 they are going to purely judge this case on the basis of
20 the administrative error on our part and there is not going
21 to be the opportunity for us to make this technical case,
22 or is it worthwhile for us to try to do that? We were told
23 that, yes, it would be worthwhile to put a technical case
24 together and explain why we objected to this, and we are
25 here for that purpose if your rules permit that.

1 MS. MacQUESTEN: It's certainly possible for an
2 entity to make a technical case at this sort of hearing,
3 and it's also possible for an entity to represent itself
4 when it's doing that, but there are rules that need to be
5 followed in order for that to take place. The rules do
6 require that we have an entry of appearance and a
7 prehearing statement, and the rules set out what is
8 required for the prehearing statement, and I have some
9 concerns about the document that was filed, because I'm not
10 convinced that it meets all the requirements of the
11 prehearing statement rule. It certainly meets some of the
12 things that we ask for in a prehearing statement; it
13 identifies the party, it gives a statement of your case.

14 I'm reading it to give the names of the
15 witnesses, the individuals you hope to have testify at the
16 hearing, but it doesn't make it very clear to me that that
17 was your intent when you said that you were going to
18 present your case, the two of you. If you had wanted to
19 present the case and give expert testimony, we would have
20 needed additional information from you in the prehearing
21 statement on that.

22 The area that gives me the most concern, though,
23 is that the Rule says that if an entity is not represented
24 by an attorney, we need a sworn and notarized statement
25 attesting that the governing body of the entity authorizes

1 the person who's going to present the case to represent
2 that body, and that requirement shows up in two separate
3 rules in our procedural rules: in Rule 1211.B.(3) and also
4 in 1212.C, and I understand, Mr. Bayat, you are not an
5 attorney; is that right?

6 DR. BAYAT: No, I'm chief engineer of the company
7 and my expertise are entirely technical field.

8 MS. MacQUESTEN: Okay. And I looked up the
9 company on our PRC website, and I thought I saw you listed
10 as one of the organizers of the company; is that --

11 DR. BAYAT: I am chief engineer of the company.
12 Also, we've reorganized ourselves; now I'm vice president
13 of engineering, exploration and production; I'm also a
14 partner in the company. And also I have my colleague who's
15 also a principal partner in the company, as well as vice
16 president of operation of the company. And the intent of
17 placing our both of names in that document, in my mind, was
18 the intent that we are both going to be here, answer
19 technical questions and also present the technical case.

20 If that is not as clearly as you would like
21 appear in that document, perhaps that's my
22 misunderstanding.

23 MS. MacQUESTEN: The problem that we have is that
24 we do need that notarized statement for several reasons.
25 One, it gives us assurance that the right people are

1 representing the company and have authority to do so, but
2 it also gives Mr. Kellahin notice that you will be
3 representing the company and be able to present a case, and
4 Mr. Kellahin has not had that notice in the prehearing
5 statement that you gave.

6 Ordinarily when a prehearing statement is not
7 sufficient, we give the -- when the prehearing statement
8 from the protesting party is not adequate, we give the
9 Applicant the opportunity to request a continuance so it
10 can be corrected. But I understand from Mr. Kellahin that
11 he's not interested in a continuance, they would like to
12 proceed with the case.

13 MR. KELLAHIN: We'd like to proceed. The remedy
14 for us is a continuance, which is not a remedy at all for a
15 mistake that we did not make.

16 MS. MacQUESTEN: And I understand that position.
17 What we can do is allow -- Under the Rules, anyone present
18 at the hearing can make a statement. So what we will do
19 is, we'll proceed with the case and Mr. Kellahin can
20 present his case. You will not be allowed to cross-examine
21 Mr. Kellahin or present evidence. Because we don't have
22 authority to have you representing AmeriCo, we cannot
23 really have you make a statement on behalf of AmeriCo, but
24 you could certainly make a statement as an individual, as
25 could your colleague.

1 So what we will do is proceed with the hearing,
2 have Mr. Kellahin present his case, and if you -- either or
3 both of you would like to make a statement at that time,
4 you may. Now by "statement", you cannot present technical
5 evidence, you cannot -- it is not an opportunity to make a
6 technical or evidentiary case, but it is your opportunity
7 to make a statement about the proceeding and about Mr.
8 Kellahin's case. Mr. Kellahin will have the opportunity to
9 cross-examine you and ask you about your statement, if you
10 choose to make one.

11 Mr. Kellahin?

12 MR. KELLAHIN: Yes, ma'am. It is our intent,
13 despite the procedural difficulties with AmeriCo's
14 participation -- we've reviewed that document, and Mr. Carl
15 Brown, the petroleum engineer for Fasken, is going to
16 attempt to present as best he can what he thinks is a
17 clear, concise presentation that will rebut or explain,
18 hopefully to the satisfaction of AmeriCo and their
19 representatives, their concerns and put Mr. Jones in a
20 position where he can expedite approval for their need for
21 having use of disposal wells dealt with.

22 And with that, with your permission, then, we'll
23 call Mr. Carl Brown and proceed with our presentation.

24 (Thereupon, the witness was sworn.)

25 MR. KELLAHIN: Mr. Examiner, we have distributed

1 to the participants sets of exhibits for Fasken's
2 presentation. They were prepared by Mr. Brown in
3 association with Mr. Carlile and with my assistance, and
4 they present all the documents that we intend to tender to
5 you.

6 Included in the documents is another stamped copy
7 with the pages numbered of the C-108 filing. Mr. Brown as
8 an engineer has again reviewed that filing, and there have
9 been some changes and corrections that we'll identify when
10 appropriate.

11 In addition, he has participated with the
12 assistance of their petroleum geologist to prepare some
13 background geologic information to give you a better stage
14 format in which to see the issues that you're dealing with.

15 Mr. Brown has been recognized as an expert before
16 this Division on prior occasions, and with that
17 introduction I'll begin to ask him question.

18 CARL W. BROWN,
19 the witness herein, after having been first duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Brown, for the record, sir, would you pleas
24 state your name and occupation?

25 A. Yeah, my name is Carl Brown. I'm a petroleum

1 engineer.

2 Q. Where do you reside, sir?

3 A. In Midland, Texas.

4 Q. By whom are you employed and in what capacity?

5 A. I'm employed with Fasken Oil and Ranch, Ltd., and
6 I'm a petroleum engineer.

7 Q. When and where did you obtain your degree in
8 petroleum engineering?

9 A. At Texas Tech University in 1977.

10 Q. How long have you been a petroleum engineer with
11 Fasken?

12 A. Seventeen years.

13 Q. And during that period of time you've testified
14 before the Division and the Commission?

15 A. Yes, I have.

16 Q. With regards to your appearance before Examiner
17 Jones this morning, what is it you've done with regards to
18 this case?

19 A. Well, I've prepared exhibits to explain our case
20 about -- for the disposal Application.

21 Q. Based upon your review of all the available data,
22 have you been able to reach conclusions about the
23 appropriateness of having the Division issue approvals for
24 these three proposed disposal wells?

25 A. Yes, I have.

1 Q. Are the exhibits that we're about to introduce
2 exhibits that you have either prepared, reviewed or
3 supervised?

4 A. Yes, I have. They are.

5 MR. KELLAHIN: Mr. Examiner, we tender Mr. Brown
6 as an expert petroleum engineer.

7 EXAMINER JONES: Mr. Brown is qualified as an
8 expert petroleum engineer.

9 Q. (By Mr. Kellahin) Mr. Brown, let's take a moment
10 and turn to the exhibit packages, and I'll ask you to take
11 the first display, if you'll unfold that. Before we talk
12 in more detail about this area, describe for the Examiner
13 what he's seeing when he looks at Fasken Exhibit 1.

14 A. This is basically an area map of the entire
15 Denton-Devonian Wolfcamp oilfield in Lea County, New
16 Mexico. And what I've identified there in the north half
17 of Section 11 is Fasken's Denton lease. And also in the
18 yellow triangles are the four saltwater disposal wells
19 operated by AmeriCo.

20 Additionally, there are blue circles and orange-
21 colored hexagons that denote active producing wells, either
22 in the Devonian or Wolfcamp zones, that contribute water to
23 this disposal system.

24 Also, there are -- noted there are three wells
25 that are applied for, for the saltwater disposal

1 application, in the upside-down triangle. And there are
2 two disposal applications from Brothers Petroleum in the
3 south half of Section 11, with the red triangle there.

4 Q. Let me ask you, Mr. Brown, on this display in the
5 lower left-hand corner, you have coded the wells as you've
6 just described, and --

7 A. That's correct.

8 Q. -- should the Examiner desire to refresh his
9 recollection of what you've just said, he can follow that
10 index and specifically identify, to the best of your
11 knowledge, the individual wells involved?

12 A. Correct.

13 Q. Let's focus for a moment on Section 11. This
14 section has been developed in what configuration?

15 A. 40-acre proration units or production units, with
16 twin producers on each 40 acres, one for the Devonian and
17 one for the Wolfcamp zone.

18 Q. When we look at the north half of Section 11, are
19 all those wells operated by a common operator?

20 A. Yes, they are.

21 Q. And who's the operator?

22 A. Fasken Oil and Ranch, Ltd.

23 Q. When we look at the south half of Section 11, is
24 there a common operator associated with the south half?

25 A. Well, there are two operators, I believe:

1 Brothers Petroleum and -- it escapes me, there's another
2 operator to the south; I think it might be Samson.

3 Q. So when we focus on the north half of Section 11,
4 there are current wells producing from the Wolfcamp?

5 A. That's correct.

6 Q. Is there water produced in association with
7 production from the Wolfcamp?

8 A. Yes, there is.

9 Q. In addition, in the north half of the section,
10 are there Devonian oil wells?

11 A. That's correct, yes.

12 Q. Is the Devonian hydrocarbon production associated
13 with a water component?

14 A. Yes, it is.

15 Q. In between the Wolfcamp and the Devonian lies the
16 Pennsylvanian formations, right?

17 A. That's correct.

18 Q. Are there any hydrocarbon productions in this
19 area associated with the Pennsylvanian formations?

20 A. There has been none.

21 Q. What are the operators in this area historically
22 doing with their water produced from the Wolfcamp and the
23 Devonian?

24 A. It's been disposed of in the Pennsylvanian
25 interval.

1 Q. Has that been the course of conduct for AmeriCo?

2 A. That's correct.

3 Q. When we look at what you identified as three
4 yellow injection well locations, you have a disposal well
5 in Section 10, in yellow?

6 A. Correct.

7 Q. That's one of the AmeriCo-operated disposal
8 wells?

9 A. Yes, that's their Number 2.

10 Q. And -- the Number 2. And then if we go over in
11 the southwest of the southwest of 12, there is another
12 yellow triangle. What's that well?

13 A. That's the Denton SWD Number 3.

14 Q. Is that also one of the AmeriCo-operated disposal
15 wells for that system?

16 A. Yes, it is.

17 Q. And then down in Section 13 to the south there's
18 another yellow-highlighted triangle. What's that?

19 A. That's the AmeriCo-operated Denton SWD Number 1.

20 Q. Now let's set this locator aside for a moment --

21 A. Excuse me, that Number 5 to the north --

22 Q. I'm sorry, I overlooked that one. Let's look to
23 the north of -- the north half of 11, there's the last of
24 the yellow triangles. What does that represent?

25 A. That's the AmeriCo-operated Denton SWD Number 5

1 well.

2 EXAMINER JONES: Section 2?

3 THE WITNESS: Section 2, yes.

4 Q. (By Mr. Kellahin) So those four yellow-
5 highlighted rectangles are the four disposal wells approved
6 by the Division currently for -- utilized by AmeriCo in
7 their disposal system?

8 A. That's correct.

9 Q. If you'll set Exhibit 1 aside for a moment, Mr.
10 Brown, and look to what is marked as Fasken Exhibit Number
11 2, what type of display are we looking at?

12 A. This is a graph of the -- and a sum of the
13 injection, monthly injection, that is recorded in the
14 public record, and it's the monthly injection for the four
15 wells that we're talking about, the disposal wells, the
16 Denton SWD Number 1, 2, 3 and 5.

17 And it just shows you the --

18 Q. Well, before you do that, Mr. Brown, let me
19 remind you that it has confused me that we have different
20 operators with wells identified or associated with Denton,
21 and you can often have a different operator for a Denton
22 Well Number 1 in a different section. And so let's be
23 clear about -- when we talk about these wells, what we're
24 talking about.

25 On this display, then, is a tabulation of

1 injection volumes that you have obtained from public
2 records that are associated with the Denton disposal wells
3 currently operated by AmeriCo?

4 A. They are operated by AmeriCo. I did not put the
5 name on there, I apologize --

6 Q. Please continue.

7 A. -- but it's simply to show that the volume -- the
8 monthly volume of water being injected in the sum of the
9 four wells, and it's in the neighborhood of 25,000, 26,000
10 barrels of water per day.

11 Q. Does this tabulation commence with the earliest
12 water disposal into these wells?

13 A. No, it only begins in 1994 where the data is
14 available from public record. And this is from the
15 *Dwight's* or *IHS Energy Data* system, which gathers
16 information from the regulatory bodies. So it's directly
17 from the NMOCD records.

18 Q. Will there be one or more of these AmeriCo-
19 operated disposal wells that have volumes that predate the
20 1994 tabulation?

21 A. Yes, they all will predate what's on the graph
22 here. It's just -- The data is not available in the data
23 system at this point.

24 Q. Do you have a general estimate of what may have
25 been the total injected water volumes historically by the

1 system currently operated by AmeriCo that puts water into
2 the Pennsylvanian formation?

3 A. Well, the volume on this graph represents
4 approximately 100 million barrels. Historically, back to
5 the early -- or the late 1950s, it's more on the order of
6 300 million barrels.

7 Q. During that period of time, are the records
8 available for you to review concerning these injection
9 wells?

10 A. Not available in the public record, no.

11 Q. How long has Fasken produced water from the
12 Wolfcamp and the Devonian and put it into these disposal
13 wells?

14 A. Well, Fasken became operator of the Denton lease
15 in the north half of Section 11 in about 1994, but the
16 leases have been in operation since the 1950s.

17 Q. For at least the last 10 years, then, you have
18 information available to you about the disposal of water
19 from your production in the north half of 11?

20 A. Yes, uh-huh.

21 Q. During that period of time, have you become aware
22 of any failures in the disposal system such that water
23 injected into the Pennsylvanian formation would migrate
24 among wellbores and then have injection fluids move down
25 into the Devonian?

1 A. I have not seen any instance of that.

2 Q. Have you seen any instances of where there's
3 injection fluids into the Pennsylvanian that have moved
4 horizontally or laterally from the disposal wells and had
5 areas of conduit in offsetting production wells cause fluid
6 to migrate either into the Wolfcamp or down into the
7 Devonian?

8 A. I have not seen any evidence of that either.

9 Q. If that was occurring for any of these injection
10 wells, you do have producing wells in nearby association
11 with these injection wells?

12 A. That's correct.

13 Q. When we look at your Exhibit Number 1 in the
14 north half of 11, you have wells in the north half of the
15 north half of 11 that were producing from either the
16 Wolfcamp or the Devonian, right?

17 A. That's correct.

18 Q. Offsetting that to the north is one of the
19 AmeriCo-operated disposal wells?

20 A. Yes, their Well Number 5.

21 Q. Have you seen any indication from your
22 examination of the data that disposal by AmeriCo and its
23 predecessors into the Pennsylvanian has adversely affected
24 or impacted your production associated with wells to the
25 south?

1 A. No, I have not.

2 Q. Are you aware of any reason why Fasken should not
3 be afforded the opportunity to do in the north half of 11
4 with their water the same thing that AmeriCo currently is
5 allowed to do with their injection wells?

6 A. I don't see any reason we shouldn't be allowed to
7 do the same.

8 Q. Do you have an explanation, Mr. Brown, when we
9 look at the tabulation of injection water in Exhibit 2, as
10 to why it appears in '03, '04, there are a couple of points
11 where there's an absence of information about disposal?

12 A. I'm not sure why the records were not available.
13 I suspect there was failure to report the volumes at those
14 periods.

15 Q. When you look at the table and look at the dates
16 prior to mid-'02, what's your understanding of who operated
17 the AmeriCo disposal system from mid-'02 and previously?

18 A. I believe it was Devon -- I'm not sure of the
19 exact name of their company, Devon Production.

20 Q. Thereafter, who became the operator?

21 A. It was Merit Energy.

22 Q. And then after Merit, who became operator?

23 A. AmeriCo was Merit's successor in 2004, I believe.

24 Q. Do you have an estimate for us as an engineer,
25 Mr. Brown, of what your understanding is of the volume of

1 water currently being disposed of through the AmeriCo-
2 operated disposal system?

3 A. Approximately 26,000 barrels of water per day.

4 Q. Of that approximately 26,000 barrels of water a
5 day, how much of that water disposal is attributed to wells
6 that produce water by Fasken?

7 A. Fasken's portion of that 26,000 barrels is about
8 6000.

9 Q. Let's turn to your tabulation of the Fasken
10 wells. If you'll look at Exhibit 3, identify for us, Mr.
11 Brown, what you're representing by Exhibit 3.

12 A. This is just a table of well tests for Fasken's
13 wells in November, or the latest. And it shows the current
14 test date or status of each well and whether it's in the
15 Devonian. The top half are the Devonian wells, and the
16 bottom half are the Fasken-operated Wolfcamp wells. And it
17 shows which are producing, which are temporarily abandoned.
18 There are two that are plugged and abandoned.

19 And the total, then, for the well test, the water
20 at this -- in November, was about 6300 barrels of water per
21 day. It's just to identify which wells that Fasken
22 operates are active at this time, which were inactive.

23 Q. Among this population of wells, you've selected
24 three possible candidates for saltwater disposal and have
25 sought approval to do so?

1 A. That's right.

2 Q. Can you show us which of the three are shown on
3 Exhibit 3?

4 A. The three wells that were chosen for saltwater
5 disposal candidates were obviously the three -- well, they
6 would be the three wells of these that are temporarily
7 abandoned and not in service. Denton 1 was a selection,
8 Denton Number 5, Wolfcamp, was a selection, and the Denton
9 Number 11 was a selection.

10 The purpose for the three choices, the Denton
11 Number 1 we have identified a potential workover to open
12 lower Devonian production in that well. We have an
13 extensive workover to do on that well first, and that's to
14 retrieve a fish in the hole. And if we were successful
15 with returning Denton Number 1 to Devonian production, then
16 we would have to choose another disposal candidate. If we
17 were unsuccessful with Denton Number 1, we could then just
18 come up the hole and perforate and, you know, dispose into
19 the Pennsylvanian. It would be an easy recompletion.

20 If we make a successful producer, then we have to
21 find other opportunities for disposal, and the two logical
22 would be the Denton Number 5 and the Denton Number 11.
23 Those two are temporarily abandoned Wolfcamp wells, and we
24 would have to deepen those into the Pennsylvanian. The
25 reason I chose both of these being -- they are side by

1 side, they are offsets, is to prevent delay. If we get
2 into problems with the re-entry of one and the deepening of
3 one, we could move to the other without, you know,
4 extensive delay.

5 So the purpose for the three choices for disposal
6 is to get at least one disposal well, whether it's Denton 1
7 and another well or just Denton 1 itself, we wanted to have
8 the flexibility.

9 Q. Is there economy of scale of expenses and effort
10 utilized in crews and equipment if on the field they have
11 the regulatory approvals available so they can move from
12 the first well to the second and maybe to the third?

13 A. Yeah, it would be easier to continue with -- if
14 you get a rig available, you can keep it for multiple-well
15 operations rather than waiting for a time.

16 Q. The tabulation of volumes on Exhibit Number 3
17 approximates about the current volume of water produced and
18 delivered and disposed of into the AmeriCo system?

19 A. That's correct.

20 Q. Do you plan additional work in the area where you
21 would need the ability to dispose of produced water that's
22 in excess of the capacity of the AmeriCo system?

23 A. Yes, we have. In fact, the -- Let me point the
24 Denton Number 7 there. That was a workover candidate. We
25 did increase production from that well from -- lower

1 Devonian production. And so the water production from the
2 Denton Number 7 has been raised to probably over 750
3 barrels of water a day. But that was additional to our
4 6000, and we did not have capacity and we shut in one of
5 our lower producing wells to not have any additional water.
6 But we anticipate further workovers in that fashion, so
7 we'll look at -- we anticipate future increases in water
8 volume that would exceed the capacity that's available to
9 us at this point.

10 Q. In the south half of Section 11, there are
11 Devonian production associated with the south half of 11?

12 A. That's true.

13 Q. Have you received notice from other operators in
14 the south half of 11 of their desire and intent to do
15 similar things with two of their wells in the south half --

16 A. Yes.

17 Q. -- utilize those for disposal purposes?

18 A. Brothers Production has applied for two
19 additional disposal wells for their production also, for
20 additional saltwater disposal capacity.

21 Q. Turn with me now, Mr. Brown, to your Exhibit
22 Number 4. Exhibit Number 4 represents what, Mr. Brown?

23 A. This is a close-up view of the area in question,
24 with the Denton lease, Fasken-operated Denton lease, being
25 the north half of Section 11, highlighted there. I point

1 your attention to the lower left legend that shows the
2 meaning of the symbols that was -- we talked about on
3 Exhibit 1.

4 I've also included here a line that represents a
5 cross-section that we will show soon, that represents 10
6 wells, and it would include all four of AmeriCo's operated
7 wells and Fasken's proposed injectors, one of the Brothers
8 proposed disposal wells, and a couple of production wells
9 involved there too.

10 Q. Okay, let's utilize your Exhibit, Mr. Brown, to
11 assist Examiner Jones in a clear understanding of what
12 you've studied and what you've concluded. Let's start in
13 the north half of 11. If we go down to the southeast of
14 the -- I'm sorry, the southeast of the northwest, we find
15 the Fasken Denton Number 1. Do you see that?

16 A. Yes.

17 Q. This is the one you described a while ago as a
18 well deep enough to have been drilled through to the
19 Devonian?

20 A. That's right, it was a Devonian producer and has
21 been temporarily abandoned.

22 Q. So this is the first of your three disposal wells
23 that you would seek to do work on?

24 A. Yes, that's my initial candidate. First we want
25 to attempt to restore Devonian production, lower Devonian

1 production.

2 Q. In near proximity to that proposed injection or
3 disposal well, there is a producing well associated with
4 it. It's awful hard to read some of these numbers.

5 A. That would be the Well Number 8 --

6 Q. So that's the Number 8.

7 A. -- Wolfcamp.

8 Q. So the Number 8 is a Wolfcamp.

9 EXAMINER JONES: I'm sorry, can you guys -- Is
10 this the southeast of the northwest of 11?

11 MR. KELLAHIN: It's the southeast of the
12 northwest of 11.

13 EXAMINER JONES: Okay.

14 MR. KELLAHIN: It's where the line of cross-
15 section makes that --

16 EXAMINER JONES: Okay.

17 MR. KELLAHIN: -- jog.

18 Q. (By Mr. Kellahin) So the Denton disposal well is
19 the Denton 1. Right next to it is the Denton 8, which is a
20 Wolfcamp producer?

21 A. Correct.

22 Q. Moving from left to right and going up into the
23 northwest of the northeast, there's the second of your
24 choices for an injection well. That is the number what?

25 A. The Denton Number 11.

1 Q. Associated in that area with the Denton 11 as a
2 possible disposal well, there is a producing well. What's
3 the number for that one?

4 A. That's the Denton Number 3, Devonian producer.

5 Q. That's a Devonian well. And the Denton 11, then,
6 is a wellbore that would have to be drilled deeper into the
7 reservoirs to utilize it for a disposal well?

8 A. That's correct, it's a Wolfcamp producer. It
9 would have to be deepened to the Pennsylvanian -- or excuse
10 me, it's a temporarily abandoned Wolfcamp producer.

11 Q. Now we're going to move farther to the east and
12 look at the last of the three. That would be the Fasken-
13 operated Denton Number 5?

14 A. That's correct.

15 Q. And that wellbore is what type?

16 A. That's -- the Denton Number 5 is a temporarily
17 abandoned Wolfcamp producer and would have to be deepened
18 to the Pennsylvanian for disposal.

19 Q. Just to the west of the Denton 5 proposed
20 disposal well is a producing well, and I think that's the
21 Number 9?

22 A. That's the Number 9 Devonian producer.

23 Q. That's a Devonian producer. All right, let's
24 start over and go back down on this display and find A,
25 which is the western edge of your first well in the cross-

1 section, the --

2 A. That's correct.

3 Q. -- Amoco-operated Denton disposal well, and I
4 think it's the Number 2.

5 A. Yeah, AmeriCo-operated Denton --

6 Q. I'm sorry.

7 A. -- SWD Number 2.

8 Q. This is an open-hole disposal well?

9 A. Yes, it is.

10 Q. And it disposes into what formation?

11 A. Into the Pennsylvanian formation.

12 MR. KELLAHIN: Mr. Examiner, the order associated
13 with that disposal well is SWD-24.

14 Q. (By Mr. Kellahin) Let's continue on the line of
15 cross-section, Mr. Brown, and let's go up into Section 2
16 and pick up the AmeriCo State -- I think it's the State
17 Number 9?

18 A. Yes, AmeriCo State T Number 9, is the next well
19 on the cross-section line, and it's a Devonian -- active
20 Devonian producing well.

21 Q. And then the next well in the line of cross-
22 section is the AmeriCo Denton Disposal Well Number 5?

23 A. Five, yes.

24 MR. KELLAHIN: Mr. Examiner, that's been approved
25 by Division administrative order 660.

1 DR. BAYAT: Excuse me, is it possible to make
2 just an administrative comment?

3 MS. MacQUESTEN: Yes.

4 DR. BAYAT: Is it possible to make just an
5 administrative comment?

6 MS. MacQUESTEN: Go ahead, please.

7 DR. BAYAT: Yes. In the whole proceedings it's
8 constantly referred to as AmeriCo water wells or AmeriCo
9 disposal wells. This is jointly operated by -- jointly
10 owned by all operators, and AmeriCo is a minority, small
11 owner, of the actual ownership, and it just happens to be
12 the operator. And therefore, constantly referring to
13 AmeriCo is doing this, AmeriCo is doing that,
14 administratively is not correct.

15 This is something that all these operators agreed
16 long before AmeriCo turned up in place, in 2004. It was
17 just an administrative matter, so that the words would not
18 indicate as to AmeriCo approves of certain things as being
19 done before, and probably you will see references to those
20 in the note I submitted to you. Thank you.

21 EXAMINER JONES: Thank you.

22 MR. KELLAHIN: If I respond, AmeriCo is the
23 Division-designated operator for these wells, and the
24 record reflects that they're the operator. If they don't
25 want to be the operator they can resign.

1 Q. (By Mr. Kellahin) Mr. Brown, let's go to the
2 AmeriCo-operated Disposal Well Number 5. That was under
3 Order R-660?

4 A. That's correct.

5 Q. How long has that well been utilized for
6 injection, or disposal?

7 A. I believe it was recompleted for disposal in -- I
8 believe 1996 or '7, 1997 possibly.

9 Q. What's your understanding of the approximate
10 daily rate in which water is disposed of in that well?

11 A. Oh, around 8000 to 9000 barrels a day, I believe.

12 Q. Do you have an estimate of the total volume of
13 water that has been disposed of in that well since its
14 approval in --

15 A. In this well I believe it's something like 20
16 million barrels, is my estimate. It's hard to tell in the
17 records, but that's what I believe it would be close to
18 that.

19 Q. And then we go north of that, and then there is
20 the AmeriCo State T Number 7 well. That is still a
21 producer, by your notations?

22 A. I believe it's a temporarily abandoned, or at
23 least a shut-in Devonian producer.

24 Q. And then let's follow the line of cross-section
25 down and you get into the north half of 11, and you pick up

1 Fasken's Denton proposed Disposal Well Number 1?

2 A. Right.

3 Q. And we've talked about that. So follow the line
4 of cross-section and continue to identify the wells, so
5 that when we look at the actual cross-section Mr. Jones has
6 got a point of reference.

7 A. Well, the Denton Number 1 would be the fifth well
8 on the cross-section. The next would be our Denton Number
9 3 Devonian well, the next being the Denton 11 Wolfcamp
10 well, the next on the cross-section would be the Denton
11 Number 9 Devonian well, and then the Denton 5 Wolfcamp
12 well, on down to the south portion of Section 11 we have
13 the Brothers-operated J.M. Denton Number 6, which is a
14 proposed saltwater disposal well by Brothers. Next to the
15 last on the line would be the AmeriCo-operated Denton SWD
16 Number 3 in the southeast portion of -- southwest portion
17 of -- I believe that's Section 12.

18 Q. Stop there for a moment, Mr. Brown. On the
19 Number 3, is this an injection well that's injecting open-
20 hole into the Pennsylvanian?

21 A. It's open-hole in the Pennsylvanian, but there is
22 some upper portion -- or the lower portion of the Wolfcamp
23 open in that open hole.

24 MR. KELLAHIN: Mr. Examiner, for your information
25 the order associated with the Number 3 well is SWD-331.

1 Q. (By Mr. Kellahin) In reviewing the records, Mr.
2 Brown, did you see an indication that there might be a
3 difference in the reported information concerning what you
4 have identified as the Number 3 and the dryhole-symbol'd
5 well farther to the south in the same Section 12?

6 A. Yes, there was a little discrepancy. The
7 wellspot that I have in my software showed it at the
8 location that I have here. There's a possibility that this
9 wellbore is actually located in that -- 330 from the south,
10 330 from the west line, where that -- other symbol to the
11 south -- Number 5, I think it is. It's unclear from the
12 records exactly which well it is, but it's one of those
13 two.

14 Q. Is that difference in location significant enough
15 to make a material difference in any of your exhibits or
16 your conclusions or opinions?

17 A. No, it wouldn't change my conclusions.

18 Q. Let's go down, then, into the northwest-northwest
19 of 13 and pick up the last well on the cross-section.

20 A. And that is the AmeriCo-operated Denton SWD
21 Number 1 well, and it's --

22 MR. KELLAHIN: Mr. Examiner, the order associated
23 with that well is Administrative Order SWD-5.

24 THE WITNESS: And it disposes into the
25 Pennsylvanian.

1 EXAMINER JONES: Very old well, sounds like.

2 Q. (By Mr. Kellahin) Mr. Brown, let's turn for a
3 moment and show the Examiner some structure maps to give
4 him a structural relationship of -- at two different points
5 in this area, and then we'll go into the structural cross-
6 section itself.

7 Starting first with Exhibit Number 5, would you
8 identify and describe this?

9 A. Exhibit Number 5 is, again, an area view of the
10 entire Denton oilfield, and this is a structure map that's
11 on the top of the -- subsea top of the Wolfcamp zone, and
12 it just shows that the highs of the -- the high of the
13 Wolfcamp feature centers in Section 2, and there's another
14 lower, but a little -- a smaller high in the south half of
15 Section 11. So the contour interval on this structure map
16 is 50 feet.

17 Q. The marker for the structure map, again, is what?

18 A. It's the Wolfcamp formation, top of the Wolfcamp.

19 Q. And this is an exhibit that you prepared?

20 A. Yes, it is. Our staff geologist did help with
21 some of the top picks.

22 Q. But this was based upon the information available
23 to you and --

24 A. Right.

25 Q. -- and you've used industry-accepted

1 methodologies to have these prepared?

2 A. Yes, most of these Wolfcamp tops are commercially
3 available from different companies, and I believe these
4 tops were purchased and put in this database from a company
5 called GDS, I believe it is.

6 Q. And so you as an engineer, then, can generate
7 your own structure map --

8 A. Yes, the software is very useful, even for
9 engineers.

10 Q. Let's turn to the second structure map, Mr.
11 Brown, and look at that. It's your Exhibit Number 6?

12 A. Yes, Number 6 is a similar cross- -- excuse me,
13 structure map, but this is on the top of the Woodford
14 shale. The subsea, top of the Woodford shale shows
15 essentially the Devonian structure. And the high of the
16 Devonian structure centers around the south portion of the
17 Section 11 there.

18 Contour interval here is 100 feet. The Woodford
19 shale overlies the Devonian, and it's approximately 120
20 feet thick, and it's very uniform. And the top of the
21 Woodford is a very good marker to determine structure.

22 EXAMINER JONES: Is it a member of the Devonian?

23 THE WITNESS: The Woodford shale, I'm not sure
24 what the -- where it would be classified. I believe -- no,
25 it would be Mississippian rocks, I believe, but I'm not

1 sure of that.

2 EXAMINER JONES: Okay.

3 Q. (By Mr. Kellahin) All right, Mr. Brown, let's
4 turn to Exhibit 7. If you'll take a moment, let's unfold
5 that display.

6 On Exhibit Number 7, you have duplicated as a
7 locator map on that display information that appears to be
8 the same information as you've displayed on Exhibit 4?

9 A. That's right, it's an area map there, showing the
10 cross-section and where it begins, from A to A', being -- A
11 being on the left side of the cross-section, to A', being
12 the well further to the -- on the right side of the cross-
13 section. And on this map there's some yellow dots. I
14 probably should explain that those are what I've identified
15 as either plugged and abandoned or inactive wells in the
16 area. That's what that signifies. The other symbols are
17 the same as previously.

18 Q. So should we forget, we can look down here on the
19 lower left-hand corner, and you have written out in words
20 the information that you intend to depict by the color
21 code?

22 A. That's correct, down in the --I've described the
23 color-coding here that you see. Of course, this is a
24 structural cross-section, and with three different tops
25 shown on each -- on the map, the top horizon being the

1 Wolfcamp zone, the next, I think is a blue horizon, is the
2 Cisco, and that would be the base of the Wolfcamp and that
3 would be the top of the Pennsylvanian. It's called the
4 "CSCO" over there and noted on that cross-section.

5 The next horizon below the Cisco is the "MSSP",
6 and noted there it's the Mississippian. And the
7 Pennsylvanian is identified or defined, then, as the --
8 between the Cisco and the Mississippian.

9 And then below the Mississippian I have a horizon
10 which is the Woodford shale identified on that line as --
11 the green line, as "WDFD". That's Woodford shale. And
12 it --

13 Q. The Woodford shale is how much farther above the
14 top of the Devonian?

15 A. It's about 120 feet, very uniform thickness.

16 Q. When you go back and relate Exhibit Number 5,
17 which is the structure map of the Wolfcamp, find us the
18 point on the cross-section that's being mapped by the
19 structure map.

20 A. Oh, Exhibit 5, the Wolfcamp horizon is -- that's
21 the topmost horizon on the cross-section, is what's
22 represented on the structure map of Exhibit 5.

23 Q. And then when we look at 6, relate Exhibit 6 to
24 the point on the structural cross-section that we find that
25 control point.

1 A. Okay, the Woodford -- the top of the Woodford and
2 the green that's the bottom line there on the cross-section
3 is what's represented in the structural map of Exhibit 6,
4 the Woodford structure.

5 Q. Let's start with the structural cross-section and
6 start over on the far left with the A. The first wellbore
7 is the AmeriCo Denton Disposal Well Number 2?

8 A. Number 2.

9 Q. Describe for us what your exhibit displays
10 concerning that wellbore.

11 A. If I could explain some of the color-coding more
12 generally on the cross-section here, what you see on the --
13 in the pink color would be an open-hole section, an active
14 open hole. There are two -- actually two wells that are
15 actively open-hole injection wells, this one and then the
16 second to the end on the right side. Those zones that are
17 colored red are active in perforations; whether they're
18 producing perforations or disposal perforations, they're
19 active perforations in casing.

20 The green are proposed injection intervals in
21 there, the three wells that Fasken is proposing, and then
22 the third from the right is the Brothers well. Those are
23 the proposed injection intervals in the Pennsylvanian.

24 And there are some brown-colored, and those are
25 inactive perforations. And then the dark blue colors are

1 perforations that have been squeezed, cement squeezed,
2 so...

3 Q. If you go back over to the far left, there's the
4 Amoco -- AmeriCo Denton Disposal Well Number 2. According
5 to your information, disposal is taking place open-hole
6 within the area shaded by what color?

7 A. In the pink.

8 Q. When we look at their disposal interval, is all
9 that area confined within the vertical limits of the
10 Pennsylvanian formation?

11 A. Yes, it is.

12 Q. Skip over, then, to the fourth next wellbore, and
13 we see the Fasken Denton Number 1.

14 A. The fifth?

15 Q. The fifth one on the display.

16 A. Yes.

17 Q. The fifth one, and that's shaded in green?

18 A. Right.

19 Q. That is your proposed disposal interval into the
20 Pennsylvanian?

21 A. That's correct.

22 Q. Does that substantially relate to the same
23 interval that's being utilized by AmeriCo for disposal?

24 A. Yes, it is the same geological correlative
25 interval.

1 Q. And as you compare those two and their
2 correlative intervals, continue on to the right and find
3 the next wellbore, the Fasken Denton 11, which is the sixth
4 one from left to right. Do you see the green?

5 A. Yes, that's the Denton 11 --

6 Q. Yes, sir.

7 A. -- and the green represents the proposed
8 deepening of the Denton 11 and the proposed open-hole
9 injection interval in the Pennsylvanian formation.

10 Q. Once deepened and completed for injection, your
11 disposal interval, then, would be in the Pennsylvanian?

12 A. That's right.

13 Q. And it's correlative thus far to all the proposed
14 or existing disposal wells?

15 A. That's correct.

16 Q. And continue over, then, farther right to the
17 Denton -- the Fasken Denton 5, which is your third disposal
18 -- proposed disposal well, and describe its --

19 A. Well 5, of course, is a temporarily abandoned
20 Wolfcamp producer. It would have to be deepened to --
21 through the Pennsylvanian zone, and we would complete it as
22 a Pennsylvanian disposal well.

23 Q. Well, let's continue on, Mr. Brown, and look
24 farther to the east on the cross-section. And in fact,
25 we're moving to the southeast of the northeast of -- I'm

1 sorry, the southeast of the southeast of 11, down to the
2 Brothers Denton 5 or 6 -- 6. Their plan that you're aware
3 of is to dispose of water where?

4 A. Well, from their C-108 their proposed interval
5 would be essentially the Pennsylvanian formation there
6 shown in green. Those are the perforations they propose.

7 Q. Now, use whatever you want to on this cross-
8 section, Mr. Brown, to relate to us the relationship
9 between these disposal into the Pennsylvanian and where we
10 have to go to find Devonian production in these -- in this
11 area.

12 A. Well, essentially the Devonian production is
13 approximately 1000 feet below the base of the Pennsylvanian
14 zone. It varies, but it's about 1000 feet.

15 Q. Come back up and find the proposed Fasken Denton
16 Number 11 wellbore.

17 A. Okay.

18 Q. Do you see that one?

19 A. Yes.

20 Q. This is a wellbore that will have to be deepened?

21 A. Uh-huh.

22 Q. It was historically a Wolfcamp producer?

23 A. That's true.

24 Q. Look just to the left of that to pick up the
25 Fasken Denton 3?

1 A. Yes.

2 Q. That is still a Devonian oil producer?

3 A. That's correct.

4 Q. Both those wellbores are under your control?

5 A. That's right.

6 Q. Are you satisfied that upon recompletion of the
7 Fasken Denton 11 that wellbore will have good mechanical
8 integrity such that injection fluids will remain confined
9 to the Pennsylvanian?

10 A. Yes, the Denton Number 3, 5-1/2-inch casing has
11 sufficient cement behind the 5-1/2 casing up above the --
12 and across the Pennsylvanian formation to prevent any
13 migration of water out of the zone through the Number 3
14 wellbore, up or down.

15 Q. Let's make a comparison. Let me ask you to make
16 a comparison as an engineer between Well 11 and Well 3.
17 Those wells are on the same 40-acre tract.

18 A. That's correct, they're twin wells, actually
19 within 100 feet of each other.

20 Q. One of AmeriCo's concerns was an issue concerning
21 possible breach of cement by use of the Number 11 well as
22 an injector, such that fluids would migrate over towards
23 the Denton Number 3 well; do you remember that question?

24 A. Yes, they're concerned about that, and a breach
25 of the cement behind the Number 3, 5-1/2 casing.

1 Q. So if there's a breach of the cement behind the
2 5-1/2 casing in the Number 3 producing well, that fluid
3 then, according to AmeriCo's concern, would have to migrate
4 downward to a point where it impacts the Devonian oil
5 production deep into the system?

6 A. Yes, the Devonian perforations are about 1000
7 feet below the Pennsylvanian injection zone, so...

8 Q. And the concern, as I recall it, was that that
9 fluid would affect the Denton Number 3 and possibly migrate
10 through other wellbores within the Devonian formation?

11 A. That was the concern of AmeriCo's.

12 Q. That concern was also expressed as to the
13 producing wells in association with the other two proposed
14 injectors?

15 A. That's correct.

16 Q. We characterize that as the breach-of-cement
17 issue?

18 A. Right.

19 Q. Do you share the same concerns that the AmeriCo
20 engineers have on that topic?

21 A. I do not share that concern. I do not think
22 that's a risk that's -- a very high risk. It's a very
23 remote, almost -- very unlikely that it would happen.

24 Q. Is there a relationship of disposal wells and
25 producers such that Fasken is the first operator to be

1 impacted and would know that it's being impacted if that
2 should occur?

3 A. Of course, if -- a breach of the cement in Well
4 Number 3's -- allowed injection or injection water,
5 disposal water, to migrate down into the Devonian
6 formation, it would initially impact our own production,
7 and we would notice that and remedy the situation
8 immediately, long before any lateral movement of that out-
9 of-zone disposal could, you know, get across the lease line
10 and impact anybody else.

11 Q. Does that same circumstance concerning cement
12 breach currently exist in relationship to the Amoco-
13 operated injection well in Section --

14 A. AmeriCo-operated?

15 Q. I'm sorry, AmeriCo. I can't get AmeriCo in my
16 mind. -- AmeriCo-operated disposal well in the southern
17 portion of Section 2?

18 A. Yes.

19 Q. If you look at the relationship of AmeriCo's
20 Disposal Well Number 5, there's a producer northeast of
21 that, the Number 7, and there's another producer to the
22 southwest, the Number 9, the T 9?

23 A. That's right, these are the -- Well, the Denton
24 Number 5 is on the cross-section, the third well from the
25 left side. And offsetting the Denton Number 5 disposal

1 well, within 450 feet or so to the southwest, is their
2 State T Number 9 Devonian producer. To the northeast
3 approximately 460 feet, is their -- AmeriCo currently shut
4 in and inactive State T Number 7 Devonian producer.

5 And so the situation that is happening there, the
6 current operation, injection in the Denton Number 5, they
7 have the same potential of risk in their own lease, but in
8 the eight or nine years of operation of the Well Number 5
9 and 20 million barrels or so of injection, I've seen no
10 evidence that the breach of any cement occurred, and there
11 has not been an out-of-zone injection in that area of the
12 field.

13 Q. Let's continue on to look at your cross-section,
14 Mr. Brown, and let's find for me the Fasken Denton Number
15 5, which is the third of your three proposed disposal
16 wells.

17 A. Yes, the Denton Number 5 would be the fourth one
18 -- fourth well from the right side of the cross-section.

19 Q. Have you been in contact with representatives of
20 Platinum? Platinum is an interest owner in this area.

21 A. Yes, Platinum is a partner or a participant, I
22 believe, along with AmeriCo. I did talk with Platinum's
23 operations manager, and --

24 Q. What kind of concern did he express to you about
25 any of your proposed wells?

1 A. Well, the concern that he had in the original
2 proposal was a portion of the Wolfcamp zone, and that would
3 have been open in the -- our original application, in our
4 deepening of the Number -- proposed deepening of Number 5.
5 They were concerned about Wolfcamp injection offsetting
6 their lease on Section 12 and adversely affecting any
7 restored Wolfcamp production there.

8 Q. I didn't ask that very well. Platinum is the
9 only operator to have raised questions with you about
10 potential impact onto the Wolfcamp?

11 A. That's correct.

12 Q. None of AmeriCo's questions or concern dealt with
13 the relationship of the Wolfcamp to injection?

14 A. There was no mention of the Wolfcamp in their
15 concerns of that letter, December 7th.

16 Q. Let's deal, then, with the Wolfcamp. Platinum's
17 concern was about the Wolfcamp. Describe for us what you
18 propose to do to alleviate any concerns about the Wolfcamp.

19 A. The deepening of the -- proposed deepening of
20 Well Number 5 or 11, there would be a portion of the lower
21 Wolfcamp open in that open hole, and we propose to set a
22 3-1/2-inch liner and cement it across that Wolfcamp
23 interval and isolate, then, all the injection fluids to --
24 just to the Pennsylvanian zone only. And that would have
25 -- that was satisfying to Platinum, to mechanically

1 separate the Wolfcamp open hole from any disposal.

2 Q. And that proposal is acceptable to you, and
3 you're recommending that you'll do that?

4 A. Yes, and that's part of our C-108 adjustment.

5 Q. Let's go back to the second principal point that
6 AmeriCo has raised in their objection, and that had to do
7 with the acidization of these wells, the fact that there
8 may be mineral deposits and plugging up of injection wells
9 to the point where an acid treatment may not be effective
10 and subsequently you might have to fracture-stimulate these
11 wells to make them take water again. Do you remember that
12 conversation?

13 A. Yeah, I believe I understood that -- you know,
14 open-hole being hard to acidize effectively to increase
15 activity, you may have to resort to a more aggressive
16 fracture treatment, whether -- I'm not sure if they were
17 interested -- or thought about sand proppant or not, but
18 they were concerned that if you fracture-treat and increase
19 the pressure above a fracture pressure, then we would have
20 out-of-zone injection and possibly breach the cement again
21 on the nearby wells, get into the Devonian and have out-of-
22 zone injection in Devonian and detrimentally affect their
23 production.

24 Q. As a petroleum engineer, Mr. Brown, do you think
25 that's a reasonable concern?

1 A. I don't believe the open-hole section in the
2 Pennsylvanian is going to require any fracture treatments,
3 and acidizing is going to be effective, and has been, I
4 believe, in the past history of these wells, in the two
5 open-hole wells that have -- are operated.

6 Q. So as to that issue you have a principal
7 engineering difference of opinion concerning what they are
8 concerned about and your conclusions?

9 A. Well, my conclusion is that to acidize
10 effectively, it can be done, and to increase injectivity in
11 these open holes that we propose, and I believe that's been
12 done effectively in the open holes that AmeriCo operates
13 and their predecessors have.

14 Q. Let's turn now, Mr. Brown, and look specifically
15 at the schematics for the proposed three injection wells.
16 Let's turn now to Fasken Exhibit 8 and start with the
17 existing wellbore. It's the Denton 1 that you want to
18 utilize for disposal?

19 A. That's right.

20 Q. And it currently has been drilled down to the
21 Devonian?

22 A. That's correct.

23 Q. Describe for us what you're showing on Exhibit 8
24 that would be of importance.

25 A. Well, Exhibit 8 is a wellbore diagram showing the

1 casing configuration, the cement. The point I wanted to
2 show on this -- it also shows the Pennsylvanian-proposed
3 injection interval in Denton Number 1, if we're
4 unsuccessful in removing this fish that's in the hole at
5 this point.

6 So what I wanted to direct your attention to is
7 that there in the red on the right side, I've noted that
8 the first stage of the cement of the 5-1/2-inch production
9 string, first stage of the cement was circulated out of the
10 diverter tool, set a depth of 8870 feet. So cement was
11 brought from the casing shoe at 12,623 all the way up to
12 8870 and circulated out of the well. So we know we have
13 good cement from the shoe up to the DV tool, sufficiently
14 covering the Pennsylvanian proposed disposal interval.

15 Q. Let's move over, now, and let's look at the area
16 around the proposed Disposal Well Number 11. In proximity
17 to the Number 11 is the Denton 3?

18 A. That's right.

19 Q. Do you have a wellbore schematic of that
20 wellbore?

21 A. Yes.

22 Q. Is that Exhibit 9?

23 A. Exhibit 9 is a similar wellbore diagram, and as
24 previous -- and Exhibit 8, I want to direct your attention
25 to what's noted in red there. On the primary cement job

1 the 5-1/2 casing was set at 12,800 feet. Cement was -- a
2 two-stage cement job was applied with a diverter tool, DV
3 tool, at 8994. The first-stage cement job from the shoe to
4 the DV tool, a trace of the cement was circulated out of
5 that DV tool, indicating that there's cement from the shoe
6 all the way up through the DV tool -- to the DV tool and
7 across the proposed Pennsylvanian disposal interval.

8 Q. Let's look at the producing wellbore associated
9 in close proximity with the third of your proposed disposal
10 wells. Turning to the 5, let's look at that offsetting
11 producer, which is your Exhibit 10, the wellbore being the
12 Fasken Denton 9?

13 A. Yes, Exhibit 10 is a wellbore diagram of our
14 Denton Number 9 Devonian producer, and the -- direct your
15 attention to what's in red on the right side there. There
16 was 100 sacks of cement circulated on the first stage
17 primary cementing job through the diverter tool, located at
18 9062 feet, so there was cement from the shoe, 5-1/2-inch
19 casing shoe, at 12,780 feet up to the diverter tool at
20 9062. So we know we have cement across that proposed
21 Pennsylvanian disposal interval and offsetting in the Well
22 Number 5.

23 Q. Let's look at Exhibit 11 now, Mr. Brown. This
24 was taken from Division records and applies to which well?

25 A. Exhibit 11 applies to Wells 3, Denton Well Number

1 1, and Well Number 9.

2 Q. What's the point with these?

3 A. Well, these are cementing sundry notices, or
4 sundry notices of the cementing operations performed on the
5 wells. And I just noted that that's where we got the
6 information about cement circulating up through the DV
7 tools. It was reported to the OCD on the sundry notices.
8 For Well Number 3 --

9 Q. There's a minor explanation required, Mr. Brown.
10 This says the 3A.

11 A. Oh, that's true.

12 Q. Help us understand what 3A means in relation to
13 the --

14 A. I think actually our Denton Number 3 well should
15 be noted on the cross-sections and all the others as 3A.
16 It was a replacement well. The original 3 was junked and
17 abandoned, so they skidded over, and 3A is the proper name
18 for it and probably is in the OCD records as such.

19 Q. So again your point with this information?

20 A. Just to show that the OCD was reported, the
21 cement being circulated up through the diverter tools on
22 the first stage of the primary cementing jobs in Number 3.

23 And then on the next page, Number 9, I've
24 highlighted that in yellow.

25 And then the third page is our Denton Number 1.

1 On this sundry notice it was not mentioned about any cement
2 circulated up through the DV tool. However, the following
3 page -- the fourth page in this exhibit is the well history
4 in our well files, that does show that five sacks of cement
5 were circulated out of -- through the DV tool on the first
6 stage of the primary cement job.

7 So there's cement across -- in Denton Number 1, 3
8 and 9, there's cement across the Devonian -- or, excuse me,
9 from the Devonian casing shoe all the way up past the
10 proposed Pennsylvanian disposal intervals.

11 Q. Let's turn now, Mr. Brown, to what is marked as
12 Fasken Exhibit 12. On the bottom of each of these pages,
13 to help us find our way through the filing, there's a
14 number associated with the page. Have you reviewed this
15 document that was filed by Mr. Carlile of Fasken?

16 A. Yes, I have.

17 Q. Are you able to conclude from an examination from
18 this and your other work for Fasken that these three
19 proposed injection wells will be or have been drilled and
20 will be deepened as necessary in such a way that they'll be
21 properly cased in cement, such that water injection fluids
22 will remain confined to the Pennsylvanian formation and not
23 migrate up into the Wolfcamp or down into the Devonian?

24 A. Yes, that's what I believe, and that just shows.

25 Q. In addition, have you reviewed the tabulation of

1 wellbore data, which is dated, that Fasken has submitted
2 for wellbores it's inventoried in the half-mile-radius
3 areas around the three injection wells? Have you looked at
4 that data?

5 A. Yes, I have reviewed those.

6 Q. And subject to certain changes that you see in
7 the recorded information and what you have found, are you
8 satisfied that injection by any of these disposal wells can
9 be done in such a way that offsetting wells in the area of
10 review would not serve as conduits by which injection water
11 would move through and to those wellbores and then out of
12 the Pennsylvanian into either the Wolfcamp or the Devonian?

13 A. Yes, I believe that's -- can be shown.

14 Q. Geologically, have you and your geologist
15 concluded that there is sufficient geologic separation
16 between the base of the Pennsylvanian and the top of the
17 Devonian to isolate the two -- the disposal reservoir from
18 the producing reservoir?

19 A. Yes, the Mississippian zone is 1000 feet or more
20 thickness there.

21 Q. Is there any information available to you or to
22 others in Faskens that indicates that there is any open
23 faulting or faulting systems by which there is hydrologic
24 connection between the Pennsylvanian and any producing
25 reservoirs?

1 A. Not that I've indicated, no.

2 Q. You don't see any commingling or communication
3 between the Pennsylvanian and the Devonian?

4 A. No, I do not.

5 Q. Do you see any opportunity for the migration of
6 injection fluids out of the Devonian into shallow
7 freshwater sands?

8 A. No, I do not.

9 Q. What's the general belief on your part of the
10 deepest known fresh water in the area?

11 A. I believe it's about 250 feet.

12 Q. Are you satisfied that these injection wells and
13 all the wells in the immediate vicinity are -- have surface
14 casing set down through the base of the deepest known
15 freshwater source?

16 A. Yes, I believe so.

17 Q. Are you aware over any of these period of time in
18 which the Pennsylvanian has been used for disposal that
19 there have been water flows at the surface of these
20 injection wells that's attributed to leakage of injection
21 fluids up to the surface?

22 A. No, I've not known of any.

23 Q. Let's turn to page 13 of Exhibit 12. This shape
24 is drawn based upon the half-mile-radius circle around each
25 of the two proposed injection wells?

1 A. The three --

2 Q. Yeah.

3 A. -- proposed injection --

4 Q. That gives us the shape?

5 A. Right, half-mile radius.

6 Q. Within this radius have you reviewed Mr.

7 Carlile's tabulation of the wellbore information?

8 A. Yes, I have.

9 Q. Let's go through the tabulation so that you can
10 make comments to Mr. Jones, because when he reviews this he
11 may have questions that you can answer for him at this
12 point. Let's go through that and have you identify any
13 changes that you think the records may reflect that need
14 explanation.

15 A. Okay, in reviewing this, on page 14 there, if
16 you'll look at the information on the Fasken-operated
17 Denton Number 2, on the far right where it has "Completion
18 Record" and it shows 5-1/2 casing at 12,762 feet with 1130
19 sacks, there's no top of cement. I want to show you -- or
20 mention that that should say top of cement, 3250,
21 determined by a temperature survey. And this was -- there
22 is a diverter tool at 9055 feet, so this is a two-stage
23 cement job.

24 Then if you'll turn to page 16 of this exhibit,
25 the top well, the Denton Number 12, there's not a note off

1 top of cement there. And I didn't get that from my office
2 this morning, I should have made a call. But if you'll
3 note that there are Wolfcamp perforations there, 9244 to
4 9444, this well was recompleted to the Wolfcamp, and we did
5 perform a cement block squeeze across this Wolfcamp
6 interval in that well, to allow us to perforate --
7 recomplete in the zones. So I think the top of cement is a
8 few hundred feet above the top of that perforation at
9 least.

10 Q. Is there any other data that needs amendment or
11 that is unclear?

12 A. On the Number 17 well, the bottom of the page 16,
13 there's not a note of the top of cement. The top of cement
14 in our records is at 4650, and it's a temperature survey.
15 There is a diverter tool in this 5-1/2 string also at 9496.

16 Q. Any other changes or comments?

17 A. Well, there were four other wells that might
18 require comment. On page 17 there, the Denton 4 operated
19 by Brothers, in the center of the page, it shows a top of
20 cement of 4450, and it's from their records and that's a
21 calculated top. And I don't know, if you applied the NMOC
22 50-percent safety factor, you may not -- I'm not sure what
23 the calculation requirement -- or criteria was for Brothers
24 to calculate the 4450. But if you recalculate it with a
25 50-percent safety factor, you may get substantially less

1 top of cement.

2 But I do want to note that in operation of this
3 producing Devonian well, they've not had, to my knowledge,
4 casing leaks across the Wolfcamp interval, and if you don't
5 have cement there you would expect some casing problems,
6 and they have not experienced that to my knowledge, so I
7 suspect the cement is above the Wolfcamp sufficiently.

8 That will be a similar comment for the -- page
9 19, if you'll turn to that page of this exhibit. In the
10 center of the page there's -- Journey operates three wells
11 of note that I want to point out, the Lea G State Number 2,
12 the Lea G State 3, and the Lea G State 4. In every
13 instance there, there are calculated top of cements
14 recorded. And applying the NMOCD 50-percent safety factor,
15 you may calculate lower cement tops than this.

16 But my same comment would be that if there were
17 no cement across the Wolfcamp they would have, you know,
18 problems with cement -- or the casing deterioration or
19 corrosion and have casing leaks, and I don't believe
20 they've -- to my knowledge, have had those issues.

21 But those are the wells that I see as wells of
22 note in there, in this tabulation.

23 Q. Having made those notations, Mr. Brown, are there
24 any wells within a half-mile radius that you as an engineer
25 would recommend to the Examiner or what you would conclude

1 are problem wellbores that require remedial action?

2 A. No, I don't believe there are any.

3 Q. Let's turn now to Exhibit 13, and let's look at
4 the --

5 A. Oh, excuse me, Mr. Kellahin, there's one plugged-
6 and-abandoned diagram that may need to be -- there's a note
7 we should make on it.

8 Q. Let me ask you the question, I skipped part of
9 the outline.

10 A. Okay.

11 Q. In addressing the plugged and abandoned
12 wellbores, the Division requires that you prepare
13 schematics --

14 A. Uh-huh.

15 Q. -- for those wellbores and provide what you can
16 find in public records and your own about the status of
17 those P-and-A'd wells.

18 A. Right.

19 Q. When we look at the P-and-A'd wells, are you
20 satisfied that those filings are complete, or is there
21 supplementation you'd like to make?

22 A. There's only one note I want to make, and that's
23 on page 29, there's a schematic there, and this is of the
24 Atlantic Richfield Company B.C. Dickenson "B" Number 2
25 well. And if you just note there, there's a cement plug

1 that's drawn on the stub, the 7-inch casing stub, at 4788
2 feet, and it looks like there's a space between that cement
3 top and the shoe of the -- the 9-5/8 shoe at 4726. In
4 fact, that cement stub plug actually goes up into that
5 9-5/8 casing at 4670, and that's noted to the left there.
6 The 50-sack plug is at 4670 to 4810, which covers the shoe
7 and the stub, and that would be sufficient there.

8 The next page shows the data that was recorded
9 and submitted to the OCD for this information.

10 Q. Any other additions or corrections?

11 A. I think that's it.

12 Q. Okay. Let's turn now, Mr. Brown, to the proposed
13 recompletion of the Denton 11 for disposal purposes and
14 have you take us through that procedure.

15 A. Well, the Denton 11 -- this Exhibit Number
16 13, this is also a wellbore diagram of what we propose and
17 how do we -- how we propose to complete this as a
18 Pennsylvanian open-hole injector only.

19 And it just shows there -- on the left side, the
20 items in red show the tops of the Wolfcamp at 9115, and
21 then below that the top of the Cisco -- or -- top of Cisco
22 -- or -- which is a -- would be the top of the Penn, at
23 9642. So we would propose to run a 3-1/2-inch liner and
24 cement it in place there, at least to the top of the
25 Pennsylvanian, and thereby isolating any lower Wolfcamp

1 that would have been exposed in this open-hole deepening.

2 The next page is the -- the next two pages would
3 be the "Denton Number 11 Application for Authrization [sic]
4 to Inject", so the associated data in this outline, that
5 would reflect these 3-1/2-inch casing changes, and that
6 would be a correction to the C-108 that's on file right
7 now.

8 Q. Anything else about Exhibit 13, Mr. Brown?

9 A. No.

10 Q. Let's turn now to Exhibit 14, and describe the
11 revised plan for disposal into the Denton 5.

12 A. Well, this is a similar exhibit to the previous,
13 it's just specific to Well Number 5, and we propose to put
14 a 3-1/2-inch liner across the lower Wolfcamp proposed open
15 hole to cover that Wolfcamp zone and isolate the proposed
16 disposal into the Pennsylvanian open-hole zone. And so
17 this would be an addition and a correction to what's on
18 file for this well in the C-108 application.

19 The next two pages are also the associated
20 changes for that well also.

21 Q. Let's turn now, Mr. Brown, to Exhibit 15. Show
22 Mr. Jones why you're proposing to draw his attention to
23 this exhibit.

24 A. Well, Exhibit 15, this is the -- a sundry notice
25 by Hondo Oil and Gas for the -- what was -- what is the

1 Denton SWD Number 3 well. You can see that the B.C.
2 Dickinson "B" is crossed out. This is for the Denton
3 Number 3 disposal well. This was later in its life, and
4 they had to do some remedial work, and this is an open-hole
5 Wolfcamp-Pennsylvanian disposal well. And I just wanted to
6 note on the next page the continuance of this workover
7 information. The very bottom of the next page just shows
8 that an open-hole acid job was done at least one time on
9 this well. I did not find any other NMOCD sundry notices
10 about injection or acid jobs in this well.

11 Q. This is the wellbore that AmeriCo was using for
12 disposal in the far southwest-southwest --

13 A. Yes, southwest of Section 12, uh-huh.

14 Q. At one point in its history it had been acidized?

15 A. That's right.

16 And -- Exhibit 16?

17 Q. We're still back on 15, Mr. --

18 A. Oh, sorry.

19 Q. That acid job was done back in 1988?

20 A. Yes, that was a 1988.

21 Q. Is there any indication that any of the operators
22 had to acidize that wellbore again?

23 A. I believe they've been acidized before, or since
24 this time.

25 Q. This is the only filing you could find that

1 showed it?

2 A. This is the only filing we have in the OCD sundry
3 notices records available. But when Merit Energy operated
4 the SWD system, the Well Number 1 needed remedial work.
5 And I believe it's still shut in, requiring some work. But
6 at the time, Merit Energy pulled their proposal to work
7 over Well Number 1 because they had been successful in
8 maintaining injectivity in the other three wells by a
9 periodic acid program, acid-stimulation program, which
10 meant those two open-hole wells and the Number 5 perforated
11 well.

12 So acid, I think, at least in -- with Merit
13 Energy, was employed to maintain injectivity in the
14 saltwater disposal system, and on a regular basis, although
15 I don't have that evidence in well histories or sundry
16 notices filed to that effect.

17 Q. Do you share the same concern that AmeriCo has
18 that acid treatments would then be -- would not
19 successfully clear these wellbores and you'd have to go to
20 some type of fracture stimulation?

21 A. I don't think we will have to stimulate these
22 Pennsylvanian open holes beyond just an acid treatment.
23 And it's been done in the past; I think it can be continued
24 effectively to maintain injectivity without fracture-
25 treating at higher and above-fracture pressures.

1 Q. Let's turn to 16 then. Identify for us what
2 you've shown here.

3 A. Okay, Exhibit 16 is a similar sundry notice for
4 the Denton SWD Number 2 well, and this is at the time it
5 was converted, the original conversion to the open hole,
6 and this was done by Hondo Oil and Gas also, 1987. This is
7 the original stimulation. Page 2 shows that there was an
8 acid job done on this open-hole disposal in the
9 Pennsylvanian.

10 Q. And this is an open-hole disposal well?

11 A. Yes. And so Exhibit 15 and 16, just to show that
12 these wells, open-hole wells, have been acidized in the
13 past at least once, from the records, and I believe more
14 often than that in practice, and that we can continue that
15 with success to maintain injectivity in our own open-hole
16 Pennsylvanian injection.

17 Q. Mr. Brown, I'd like to direct your attention now
18 to what is marked as Exhibit 17. This is a copy of an
19 administrative approval order, SWD-998. It's approving a
20 disposal well for Platinum, for a Devonian disposal well.

21 Can you go back to Exhibit Number 1 as a locator
22 map and show us approximately where Platinum's disposal
23 well is located on Exhibit Number 1?

24 A. Well, sir --

25 Q. I've carefully confused you.

1 A. -- I don't think this is --

2 Q. It's not on there.

3 A. It talks about -- I believe -- okay, well
4 anyway --

5 Q. Let's start over. My purpose is not so much
6 where the well is located, but it's approval of a Devonian
7 well with conditions. Let's look with me over on page 2 --

8 A. Okay.

9 Q. -- and I'll represent to you that this is the
10 currently utilized administrative approval form that the
11 Division is using with its examining engineers to approve
12 disposal wells. One of the points of approval is a control
13 point, and it has to do with surface injection pressure
14 limitations. The Division's current limitation is to
15 establish a threshold of injection limitation not greater
16 than .2 p.s.i. per foot of depth to the top perforation.

17 A. Right.

18 Q. If they continue to apply that and apply it to
19 your wells, that would give you a surface pressure
20 limitation of what?

21 A. Over 1900 p.s.i., and we have applied for a
22 maximum allowable surface injection pressure of 1900 p.s.i.
23 for all three of these proposed injection wells.

24 Q. As you understand it, are any of the currently
25 approved disposal wells having to inject at pressures

1 approaching the limitation?

2 A. No, to my knowledge I believe none of them exceed
3 a surface injection pressure of over 1000 pounds, and it's
4 more like 800 pounds operating pressure, I believe.

5 Q. Are you aware of any kind of injection
6 restrictions or difficulties the injection operators or
7 disposal operators are seeing in the field that should
8 concern the Examiner that we're in an area where pressures
9 are rising and we need to monitor those limits?

10 A. I don't believe we have a problem with increased
11 injection pressure required to dispose of these volumes in
12 this Pennsylvanian zone, approaching pressures that would
13 be near that .2 p.s.i. per foot. I believe we can operate
14 substantially than that, in the 1000-p.s.i. range.

15 Q. Is it acceptable to Fasken to have the Examiner,
16 should he decide to approve this Application, provide a
17 procedure whereby Fasken can submit step-rate tests and
18 other data to the Division in order to obtain increases in
19 pressure if necessary?

20 A. Yes, I think that's a typical part of the order.

21 Q. And is it appropriate in this circumstance?

22 A. In this case I don't anticipate we would utilize
23 that.

24 Q. When you look at page 2 of this order for
25 Platinum, the operator, if approved, is required to take

1 certain actions and to make notifications to the District
2 Office concerning those operations. Have you read through
3 all these conditions of reporting and approval?

4 A. Yes, I've read through and see no reason that
5 Fasken cannot comply with all these requirements also in
6 our own order.

7 Q. The Division order proposes that the approved
8 Applicant is going to be required to give notice to the
9 District of any mechanical integrity tests, so they can be
10 observed and inspected and witnessed?

11 A. Right.

12 Q. Is it your intent to do all these things?

13 A. Yes, it is.

14 Q. Are you aware of the monthly reporting
15 requirements the Division Rules have with regard to
16 disposal wells?

17 A. Yes.

18 Q. It will be your intent to comply and to timely
19 report all the required information under the appropriate
20 rules?

21 A. Yes, it is.

22 MR. KELLAHIN: Mr. Examiner, that concludes my
23 examination of Mr. Brown.

24 In addition to his Exhibits 1 through 17 there
25 are two notice exhibits. One is Exhibit 18, which

1 currently exists in your file, and it's Mr. Carlile's cover
2 letter in which he sends you copies of his green cards for
3 the original filings of the C-108.

4 In addition is my certificate, Exhibit 19, which
5 attests to notification to those same parties pursuant to
6 the Rules.

7 And with your permission, at this time we would
8 move the introduction of all of Fasken's Exhibits 1 through
9 19.

10 EXAMINER JONES: Exhibits 1 through 19 will be
11 admitted to evidence.

12 MR. KELLAHIN: That concludes my examination of
13 Mr. Brown.

14 EXAMINER JONES: Okay, are you going to have
15 another witness?

16 MR. KELLAHIN: I think not, unless you have
17 questions for Mr. Carlile. He's here to testify if
18 required. Mr. Carlile prepared and submitted the C-108,
19 but we've relied on Mr. Brown's engineering expertise to
20 explain what we think are the technical issues that you
21 would be concerned about.

22 EXAMINER JONES: Okay, I guess we can continue
23 forward here, unless you want to take a break.

24 MS. MacQUESTEN: I'm all right.

25 EXAMINER JONES: Okay, we'll just ask Mr. Brown

1 some questions.

2 EXAMINATION

3 BY EXAMINER JONES:

4 Q. The -- I had a bunch of questions written down.
5 You guys have answered some of them, and some of them --
6 new ones maybe have arisen. But on your C-108, the latest
7 version in here of the C-108, which is Exhibit 12, your
8 water analysis back in the back, can you point out which
9 one is the Devonian and which one is the Wolfcamp? I think
10 I've got it figured out, but --

11 A. Well, okay. Page 34 is from our Denton 17, which
12 is Devonian producer.

13 Q. Okay.

14 A. It's not noted on there, is it?

15 Q. So that's a Devonian?

16 A. Yes. And then the next page, 35, is an analysis
17 from our Denton Number 8. It shows the -W there as a
18 sample point. It's a Wolfcamp well, so it's a Wolfcamp.

19 Q. All right, that was my guess. I wanted to make
20 sure. But you have no sample from the Pennsylvanian at
21 this time?

22 A. Well, it's a lost-circulation zone, and it's been
23 hard to --

24 Q. Oh.

25 A. -- get a sample. In fact, the original drilling

1 of our Devonian 3 and 9 that was on this Exhibit 7, I did
2 not -- did not show you, but there was a point of lost
3 circulation when they drilled through those, the
4 Pennsylvanian, and they lost the returns on their drilling.

5 Q. Okay, where on the Pennsylvanian?

6 A. A couple hundred feet below the top of the
7 Pennsylvanian in each of those --

8 Q. Still the Cisco?

9 A. Yes, it's the Cisco-Pennsylvanian, and that's
10 where they lost it. And that's why the wells have been
11 utilized for disposal, because it was troublesome to drill
12 through that zone.

13 And I only know of one area that this well was --
14 this zone was tested, and it's on your cross-section. It's
15 that Denton Number 1, the SWD well, that shows inactive
16 perforations in the Pennsylvanian itself, but I don't have
17 any data on what was recovered. I didn't think to research
18 that more extensively. I can provide it for you if you'd
19 like --

20 Q. No, thanks.

21 A. -- whatever I can locate.

22 Q. It looks like that's a really good injection
23 zone, with your rates for some of the wells and the life of
24 the wells that have already been out there.

25 A. Yeah.

1 Q. There is a Pennsylvanian oil pool about a mile
2 and a half to the southwest of there, so I -- you're not
3 worried about any production at all in the Pennsylvanian?

4 A. No.

5 Q. When you deepen these wells, will you have a
6 mudlogger on location?

7 A. Did not expect to, no. I expect to lose
8 circulation in the zone 2, possibly. That's why we
9 recommended to put an open hole packer on our liner, to,
10 you know, allow us to cement the liner properly.

11 Q. Okay. Are you going to log the open hole with
12 electric logs?

13 A. I had anticipated possibly a -- just a neutron
14 density log of some sort, but I had not --

15 Q. Open-hole logs?

16 A. Right, no, I guess we'd have to identify exactly
17 the tops, but not an extensive logging program, no, but one
18 at least, a resistivity log -- no, excuse me, a porosity
19 log is what we -- I would anticipate.

20 Q. Do you have to use a real drilling rig for this
21 deepening, or you can use a workover?

22 A. We can do a workover rig.

23 Q. Otherwise you might be out of luck for a while,
24 huh --

25 A. That's right --

1 Q. -- with the availability of --

2 A. -- it's difficult.

3 Q. -- rigs. We don't have our logs on file for the
4 Denton 11 and Denton Number 5, so I would ask that instead
5 of me having to put it in any order, if you guys can supply
6 that to Paul Kautz in Hobbs and make sure they get it
7 scanned -- or you don't have to make sure they scan it,
8 just send it to them with the right API number and all
9 that.

10 A. Okay.

11 Q. And any new logs that you run, they would need to
12 be sent, of course, to Hobbs.

13 This business about running a 3-1/2 liner, we
14 normally require people to have an annulus, so we may
15 require you to have tailed your injection tubing -- the
16 smaller injection tubing, in the lower part of this well so
17 that you can put a packer down inside your liner within 100
18 feet of the top -- of the bottom of the liner.

19 A. Within 100 feet of the top of the --

20 Q. -- of the bottom --

21 A. Of the bottom of the liner?

22 Q. Yes. So if that's palatable -- if that's not
23 palatable, you might consider a flush joint liner or
24 something like that, some -- a bigger liner, whatever you
25 can get in there. I was concerned about the Wolfcamp also

1 when I looked at this originally, and also the C-108 that
2 we had showed Wolfcamp -- some lower Wolfcamp-Pennsylvanian
3 injection zone proposed, but the notice in the paper only
4 said Pennsylvanian, so now I see you've remedied that.

5 Q. Yeah. Well, the notice was -- you know, we
6 looked at the Number 1 and, you know, it was --

7 Q. The --

8 A. -- overlooked on that -- the open hole, the
9 deepening wells.

10 Q. Speaking of that, which well is the one you'd try
11 first?

12 A. We will rig up and attempt a Devonian -- restored
13 lower Devonian production in the Number 1.

14 Q. The cased well?

15 A. Yes. And if we're successful there we would have
16 to consider one of the other two deepening wells for a
17 disposal candidate.

18 Q. Okay, but you want all three permitted; is that
19 correct?

20 A. Yes, just to prevent delay --

21 Q. Yeah.

22 A. -- once we get into our program, and we can go --

23 Q. I understand.

24 A. -- efficiently utilize our time and the rig
25 availability.

1 Q. Yeah, we have a one-year, you know, down time
2 limit on a permit, so you would have to start injection
3 within a year of the issuance of the permit in any of these
4 three wells. Otherwise, the permit is going to lapse or go
5 away. But you -- with the injectivity out here, you only
6 anticipate needing one well; is that correct?

7 A. Well, that was the -- The main goal was to at
8 least -- establish at least one disposal well out of these
9 three candidates. And I never anticipated that we would
10 have two open-hole disposal wells side by side. It would
11 be one or the other, and possibly Denton Number 1 and the
12 Wolfcamp deepening opening-hole well. That would be two at
13 the most, would be our ultimate, I think, in this case.
14 But our goal was to, you know, provide at least one.

15 Q. Okay. When you drill into this Devonian, if you
16 have to go -- or even if you recomplete in the Number 1
17 well, do you anticipate it standing pressure to the
18 surface, water to the surface?

19 A. No, in fact we've done a similar work in our Well
20 Number 7, which is in the location to the east, one
21 location east. We did drill out a retrievable bridge plug
22 and open -- re-establish lower production, and I believe
23 the fluid level was about 4000 feet from the surface, from
24 the lower zone --

25 Q. From the lower zone?

1 A. -- from the lower Devonian zone.

2 Q. 4000 feet from the surface?

3 A. Right.

4 Q. Okay, what about the Pennsylvanian? Do you
5 anticipate the Pennsylvanian standing fluid to the surface?

6 A. No, I anticipate that to be on, you know, a lost-
7 circulation zone.

8 Q. Even after all this injection has gone on in the
9 Pennsylvanian?

10 A. I'm interested to see what the pressure is on
11 that. There's been a lot of water in it, of course, but
12 still in all these injectors it's quite permeable. I
13 believe a larger part of the surface injection pressure on
14 the wellbore, on the surface wellheads, is friction. You
15 know, you're putting 8000, 9000 barrels a day through 3-1/2
16 tubing, to 9000, 10,000 feet, it's going to be largely
17 friction pressure at the surface.

18 Q. If you -- If we approve this with a small-tail-
19 size injection tubing, do you anticipate the friction
20 pressure making you apply for higher than a .2 p.s.i.-per-
21 foot injection pressure --

22 A. Well --

23 Q. -- limit?

24 A. -- I'd have to see how that does. Of course,
25 that's only a small part. We want to have 3-1/2-inch

1 injection tubing to the top of the liner, and you're asking
2 for a piece of tail pipe, another --

3 Q. Two inch?

4 A. -- another -- well, about 670 feet -- 600 feet
5 additional. So that is a smaller ID and a restriction.
6 I'd have to do some calculating on that. But that would be
7 a -- if that's required from the OCD we can live with it,
8 and our injectivity -- we'll have to abide by whatever we
9 can put in the well under the conditions that are
10 stipulated pressurewise, so...

11 Q. Of course you can always run a step-rate test if
12 you need to?

13 A. Yes.

14 Q. That's what we normally put in there. We would
15 -- We've been requiring the operator to gauge the pressure
16 in the injection zone prior to starting injection within
17 the last year or so, and that's -- the reason for that is,
18 that's one of the most important points, the first pressure
19 point for calculating any zone of endangering influence
20 that may need to be done in the future, so with -- if a
21 permit is issued in this case, that would be added to it.

22 A. That would be very simple to acquire that
23 information.

24 Q. You could almost do it from a fluid level.

25 A. Yes.

1 Q. Okay. If it's a nonchanging fluid level.

2 And also on the Number 1 well we would require a
3 bridge plug within 200 feet of the lowest perforated
4 interval, which shouldn't be a problem, should it?

5 A. Okay, you mean in the 5-1/2 casing?

6 Q. Yes.

7 A. Oh, that would be easily done.

8 Q. Okay. Who are the owners in the Denton Wolfcamp,
9 or the operators in the Denton Wolfcamp? Because we talked
10 -- you talked already about the potential loss of -- or
11 damage to their injection -- or their production, I'm
12 sorry.

13 A. My understanding, this is a recent -- a new lease
14 acquired by Platinum and AmeriCo together. I'm not sure if
15 they're partners on Section 12, and that's to the east of
16 us.

17 Q. Northeast. Straight east.

18 A. Well, directly --

19 Q. Straight east.

20 A. -- east of us, and they're -- according to the
21 operations manager at Platinum, who I have talked with
22 personally about it, they're going to re-enter -- either
23 re-enter and possibly have some horizontal Wolfcamp
24 production over there.

25 And so naturally with us having an open-hole

1 Wolfcamp zone in our proposal, that was a red flag to them,
2 and I understand that. And so this is our remedy for this
3 concern that Platinum expressed to us.

4 Q. Sounds like the operators in this area have
5 watched this Application pretty closely.

6 To the northeast, do you know who the operator is
7 in that section to the northeast?

8 A. Section 3? Northeast, I'm sorry. Section 1?

9 Q. Okay, in that Unit M, there -- it falls within
10 your area of review -- do you know who the operator or the
11 leasehold operators would be?

12 A. I do not know that.

13 Q. That might be a question for Mr. Carlile.

14 A. There's not a wellbore in that unit.

15 Q. I think -- There's not. However, the associated
16 question with that would be, who is the -- does the owners
17 in the Pennsylvanian, the proposed Pennsylvanian injection
18 zone, are they the same owners in the Wolfcamp, or are they
19 the same owners in the Devonian, or are they separate
20 owners in this area?

21 A. As to the Pennsylvanian zone?

22 Q. Yes.

23 A. I would doubt seriously that there's a separation
24 in the existing leases.

25 Q. I saw in our state records where the section to

1 the north and east is fee land, and it's -- it shows
2 AmeriCo as the leasee, so --

3 A. That's what on our map on page 12 of our C-108
4 Application --

5 Q. Okay.

6 A. -- is -- they may affirm that, that's their
7 lease.

8 Q. Okay, and they were notified. The -- I guess
9 there still is a question, and it's probably a redundant
10 question, but is the Pennsylvanian owners the same as the
11 owners in the Wolfcamp and the owners in the -- and the --
12 And that would relate to, did you notify all the correct
13 people in this case?

14 MR. KELLAHIN: We'll double-check that, Mr.
15 Jones. It's our belief that they're the same --

16 EXAMINER JONES: Okay.

17 MR. KELLAHIN: -- that there's not a separation
18 in ownership, but Mr. Carlile would have the -- he could
19 check that for you --

20 EXAMINER JONES: Okay.

21 MR. KELLAHIN: -- and we'll report to you.

22 EXAMINER JONES: Okay, and as far as -- and that
23 reminds me, I was going to ask Gail, what is the *ex parte*
24 rules in this case concerning communication with AmeriCo,
25 considering --

1 MR. KELLAHIN: Well, as a matter of courtesy,
2 we'll simply give them the information.

3 EXAMINER JONES: Okay.

4 MR. KELLAHIN: I don't want to --

5 MS. MacQUESTEN: That would be the safest --

6 MR. KELLAHIN: I don't want to fuss over that.

7 EXAMINER JONES: Okay.

8 MR. KELLAHIN: It's public information, and then
9 we could pay to send it to them.

10 EXAMINER JONES: So any communication, even from
11 AmeriCo, should go -- also through Fasken. If they
12 communicate things back to the Examiner for additional data
13 that's required --

14 MS. MacQUESTEN: Mr. Kellahin has volunteered
15 to --

16 MR. KELLAHIN: We've volunteered to --

17 MS. MacQUESTEN: -- to share that information.

18 EXAMINER JONES: Okay.

19 MR. KELLAHIN: Everybody's got e-mail, we're
20 happy to click it again.

21 Q. (By Examiner Jones) Okay, I think -- Normally we
22 require the -- after wellbore -- after-conversion wellbore
23 diagram. Now, in your conversion -- your wellbore diagrams
24 here don't include the tubing in them, but I think that's
25 okay in this case.

1 A. On the 5 and the 11? I have included -- or let's
2 see, I'm sure if I noted that. Yes, in the red -- on
3 Exhibit 14?

4 Q. Yeah.

5 A. 13 and 14?

6 Q. Yeah, 14 and 13.

7 A. On the right-hand side, the topmost note in
8 red --

9 Q. Okay.

10 A. -- is "Proposed 3 1/2" IPC tubing". That's what
11 I've noted there.

12 Q. Okay, so that pipe going up, the smallest
13 diameter, is your tubing?

14 A. Yes.

15 Q. Okay.

16 A. And that would be sealed into a sealed-bore
17 receptacle at the top of that liner --

18 Q. That's your proposal?

19 A. -- and we had -- Yes --

20 Q. Okay.

21 A. -- and we had anticipated a little bit of tail
22 pipe, just to, you know, get into the factor there --

23 Q. Okay.

24 A. -- had not anticipated all the way to the base of
25 that liner that you're talking about.

1 Q. So your testimony is, you're not worried about
2 any damage to the Devonian by this injection?

3 A. That's right.

4 Q. And you're not worried about any damage to the
5 Wolfcamp?

6 A. That's correct.

7 EXAMINER JONES: Okay. That's all my questions.

8 MS. MacQUESTEN: I don't have any questions,
9 thank you.

10 THE WITNESS: Clarify one other thing. We were
11 talking about our permit request on 11 and 5 being next to
12 each other. I never thought we would utilize both of them.
13 However, that's not out of the realm of possibility, if we
14 get into a development program where we see we need
15 additional, and that permit is available on the next well
16 next to us, you know, it's not impossible that we would
17 consider those two side by side, but --

18 Q. (By Examiner Jones) Okay, we normally use one
19 year as our limit.

20 A. Yeah.

21 Q. What -- Are you requesting a longer limit for
22 the --

23 A. No, I'm not requesting anything. It's just -- I
24 mentioned that -- in testimony here, that I didn't
25 anticipate to have two injectors side by side.

1 Q. Okay.

2 A. I don't anticipate it, but I don't want to say
3 that that's an impossibility.

4 Q. You want three permits?

5 A. Yes.

6 MR. KELLAHIN: Yes, sir.

7 EXAMINER JONES: Okay. I think that's all my
8 questions. Thanks a lot, Mr. Brown.

9 MR. KELLAHIN: Examiner Jones, in addition to the
10 log information, was there anything else that Mr. Carlile
11 needed to provide?

12 EXAMINER JONES: Just checking whether the
13 Pennsylvanian is owned by the --

14 MR. KELLAHIN: The ownership.

15 EXAMINER JONES: -- same owners.

16 MR. KELLAHIN: Okay, got it.

17 EXAMINER JONES: And we'll ask for statements,
18 any other statements --

19 DR. BAYAT: Yes.

20 EXAMINER JONES: -- in this case?

21 DR. BAYAT: Yes, well, thank you very much.

22 Again, for the record, my name is Ghasem Bayat,
23 representing AmeriCo.

24 I just refer to the document we sent you on
25 December the 7th. The last sentence of this paragraph, the

1 last paragraph of this document, says, AmeriCo will attend
2 the above hearing scheduled for December 15, 2005, and
3 present its case for objecting to Fasken's proposal.
4 AmeriCo will be represented at this hearing by -- my name,
5 myself, Ghasem Bayat, and Mr. Oscar Nosrati.

6 So we thought that that was amply clear that
7 these were those that are going to be here and are going to
8 present the case, and the document is signed officially by
9 us on behalf of AmeriCo. So we didn't think there was any
10 misunderstanding as far as our intent to be present here
11 and make a case.

12 And prior to sending that document, we thought we
13 communicated to your office -- myself, in fact -- and we
14 asked whether it isn't just an administrative matter, we
15 shouldn't even bother to come, and we were assured that
16 that wasn't the case and that if we come we would be able
17 to present the case. This was our understanding.

18 MS. MacQUESTEN: Mr. Bayat, just for future
19 reference in other cases, you certainly can come and appear
20 and represent AmeriCo, but what we would need under the
21 Rules is a sworn and notarized statement to that effect,
22 and that would solve the problem.

23 DR. BAYAT: That is correct. However, because we
24 submitted this on the 7th to you, we would have appreciated
25 a note saying that that was a requirement. We were not

1 aware that that was a requirement, otherwise it would have
2 not been a hard thing to do.

3 But I would like just to make several statements
4 without going through any of the -- any of the statements
5 that my colleague, Mr. Brown, has made, or Mr. Kellahin has
6 made here.

7 The first statement is that AmeriCo inherited the
8 operatorship of this project. We'd be happy to operate it,
9 but this just operates by consensus of all the parties.
10 Therefore none of the actions that have taken place prior
11 or even taking now is AmeriCo. AmeriCo is actually an
12 agent doing it with a pretty small stake in this project.

13 With regards to our relationship with our
14 partners here in the Denton project all together, is that
15 we are not objecting to people injecting water here. In
16 fact, we encourage that very much because more than anybody
17 else we are aware of the limitations of the present jointly
18 owned disposal system. And to prove that, we agreed and
19 have no objection, for example, to Brothers doing that. At
20 the same time, we objected to Platinum, who is also a
21 partner with us on this project, we do, to inject water
22 exactly adjacent to the leases that we are going to
23 operate. So we have been very consistent.

24 The heart of the matter is this, that we do not
25 think it's a good idea to inject water crestally on this

1 structure.

2 What was missed from all the presentations -- and
3 probably my colleagues may like to comment on that -- is
4 that all the water that's been injected in the
5 Pennsylvanian here, with the exception of a very small
6 amount that gets into the 5, which is sitting just to the
7 north of the Fasken operation, which only takes anywhere
8 from 4000 to 6000 barrels of water -- the bulk of the
9 30,000 barrels actually gets injected into three wells that
10 are located on the flank of this structure, if you refer to
11 Exhibit 1.

12 That's the policy that we've been pursuing, the
13 injection of water in large quantities that is going to
14 take place and, in fact, is going to become a lot more and
15 more, should take less on the flank of this structure,
16 rather than being almost crestal or mid-crest.

17 And based on that, I was in my document
18 explaining that AmeriCo and Platinum are planning to invest
19 anywhere from \$30 to \$50 million in horizontal wells in
20 those leases, trying to develop reserves of the six
21 Devonian formations that are located here. And injection
22 of water very close to them, in my document I categorically
23 said, in the first instance is harmful to Fasken itself,
24 you will see from my notes, because as Mr. Brown said, it
25 would actually kill their own wells.

1 Then it would be harmful to us as -- AmeriCo, as
2 well as to Platinum, because we are drilling horizontal
3 wells which are far more susceptible to being short-
4 circuited by water injected almost crestally on this
5 structure.

6 So these were the points that I just wish to make
7 to you, that the ideal solution would have been to have
8 been finding and completing wells off this structure,
9 either as an individual operators or as part of this joint-
10 owned system. That would have been the, if you like,
11 course of action that would have been pursued.

12 I just limit my comments to these, and I would
13 like the document that I've submitted to you to stay on
14 record, and perhaps in your deliberations, although I
15 didn't get a chance to present a lot more detail than what
16 is there, will be something that you bear in mind while you
17 look into this Application.

18 Thank you very much for your time.

19 MS. MacQUESTEN: Mr. Kellahin, did you have any
20 questions for Mr. Bayat?

21 MR. KELLAHIN: No, I -- No, I think we've
22 addressed their concerns in Mr. Bayat's comments through
23 Mr. Brown's testimony, and we'll leave it up to Examiner
24 Jones to make a decision. We think the AmeriCo technical
25 concerns are unreasonably founded, and there's no

1 justification to limit us or preclude us from injection in
2 a manner that's already being allowed by other operators.

3 MS. MacQUESTEN: Will, did you have any questions
4 for Mr. Bayat?

5 EXAMINER JONES: I was going to ask Mr. Brown
6 questions about this injection on the structure, and
7 apparently AmeriCo's wells are mostly off the structure,
8 except for -- there's a well --

9 DR. BAYAT: Not AmeriCo's wells. Denton-owned,
10 AmeriCo-operated wells are off the structure, all of them
11 with the exception of Denton Number 5.

12 EXAMINER JONES: With the exception of Number 5.

13 DR. BAYAT: And Denton Number 5 is a very small
14 injector, 4000 to 6000. In fact, often a lot less than
15 that.

16 And those would have been the type of wells that
17 we have been recommending for all operators to come
18 together, to arrive at, at the periphery of this structure,
19 the flank, not on the crest of the structure.

20 We approved -- or have removed our objections to
21 Brothers because they were too far from us to influence
22 this major investment we are just starting to make. But
23 nevertheless, we don't think what they're doing is good.
24 But it's up to them, it's not affecting us.

25 But the strategy we would follow is, on a huge

1 structure like this, with these very high porific
2 formations within the Devonian, to go on the flanks of the
3 structure rather than mid-structure.

4 EXAMINER JONES: Are you only concerned about the
5 Devonian, not the Wolfcamp?

6 DR. BAYAT: At the moment I was talking about
7 Devonian, because despite all the assurances that my
8 colleague here offered -- and I respect his views
9 absolutely -- my concern remains that injection of large
10 quantities of water, as we just heard, something like
11 20,000 barrels of water eventually, at least in two wells,
12 going there, will find its way. And it's a very different
13 case than on the flank of the structure.

14 On the flank of the structure, even if that
15 happens, it's of no consequence because the structure is
16 supported by water coming from the flank.

17 But on the crest of the structure it would be
18 very harmful to horizontal wells, which is the next
19 technology we are -- that Platinum is employing to develop
20 the reserves here.

21 And we felt also that was bad for the State of
22 New Mexico, not just for the operators here, because the
23 reserves --

24 EXAMINER JONES: The conduit -- How would the
25 conduit happen?

1 DR. BAYAT: Take place? In two methods.

2 One would be, as appears in my notes, that
3 cementing, despite all the assurances that as engineers we
4 provide, very often are not perfect, and therefore if water
5 through the Pennsylvanian moves along through these very
6 short distances -- because these wells that are considered
7 are all twinned wells -- if it moves along, it would move
8 along the imperfections or breaches in the cementing. Very
9 often as you cement, yes, you bring up a sheet of cement
10 coming out, behind it would remain muds, in some cases.
11 And as a result, the cement would not necessarily totally
12 displace the mud, and therefore, that would be very soft
13 materials to gradually over time, with water -- to be
14 influenced. So the water will find one way into the
15 Devonian through breaches in the cement.

16 The other alternative, as I've mentioned -- and
17 I'm glad my colleague Mr. Brown commented on it -- has to
18 do with the injection -- difficulties we have with our
19 injectors. We operate the system, and very often we are
20 very reluctant to go over 1400 or so. In fact, when we get
21 there we get very concerned, and at times we have actually
22 cut the rest of the operators, including ourselves, to
23 produce less water, because we do not want to go above.

24 It's because very often the water is produced
25 through various operators; they have different degrees of,

1 if you like, control over the produced water quality. And
2 this water comes through a common system, and this common
3 system carries with it a great deal of scale and debris.
4 Very often we have carry-overs, actual oil materials,
5 coming through the system, and that's why we have to skim
6 that very regularly within our tank system to try to
7 isolate it from the water. But nevertheless, it still is
8 limited. These will begin to fill the open hole, as indeed
9 these open holes happen.

10 But acidizing would do some of the job, and
11 that's what we have been doing ourselves, and before us
12 Merit and Devon and others have done that. Acidizing would
13 do some of the remedy.

14 But in case of severe plugging of these open-hole
15 completions, very often individuals, either inadvertently
16 or by error -- we are talking about possibilities, that's
17 why we wanted to excluded possibilities -- they could raise
18 the injection pressure, and it could create frac. And of
19 course as soon as these fracs are created, all the debris
20 would rush into it.

21 So I wasn't suggesting that we would do propping
22 of these. The propping would take naturally as a result of
23 these materials, loose materials, getting into the fracture
24 system. And the next time the same problem comes it keeps
25 extending. And I'm concerned that this water is somehow,

1 either through fracture planes, conduit, or through the
2 imperfections or breaches, maybe failures of the cement in
3 the future, finds its way into the Devonian. And if it
4 does, the consequence is what I've said in my notes.

5 I believe the first company to suffer from it
6 would be Fasken, because their wells will water out. So
7 then you have to find out what they are going to do. How
8 are they going to go and fix the watering of those? Are
9 they going to go and shut in those injectors? I do not
10 know of a mechanism that you can go and stop that water
11 that's already beginning to come.

12 So the only solution for them would be to shut in
13 those injectors or basically ignore those producers, just
14 shut them in. If they shut them in, the problem doesn't go
15 away. The water continues to go to the deeper Devonian.
16 If they go and shut the injectors in order to save the
17 producers, well, then they're going to come back and ask
18 for more injection permits.

19 So as you see, I felt in my document -- it was
20 technical comments to my colleagues, really; it wasn't
21 written in the format that probably you're used to receive
22 here -- that it's not good for them, it's not good for us.
23 It's particularly dangerous to us because of the large
24 investment we are going to make in horizontal wells.

25 So I've explained the two mechanisms that are

1 possible.

2 EXAMINER JONES: The wells should have been
3 cemented with cement that's resistant to sulfates, unlike
4 the current cement that will soon be used in the United
5 States, which may or may not have resistance to sulfates.

6 DR. BAYAT: We're just talking about
7 possibilities. My understanding was that at this hearing
8 we were going to explore the possibilities that this could
9 be harmful.

10 EXAMINER JONES: Is there a pressure differential
11 between the Devonian and the --

12 DR. BAYAT: I believe so. Devonian has been
13 produced since 1950, substantial volumes of it. And one of
14 the concerns, again, in my technical jargon -- I placed it
15 there for you; I'm not sure it was absolutely clear -- is
16 that the fracture gradient is also related to the stress in
17 the reservoir, which relates to pressure.

18 So when a formation is depleted, that formation
19 is more susceptible to being frac'd, frac'ing, and creating
20 these fracs within them.

21 Therefore I do believe that these differentials,
22 plus the fact that the Pennsylvanian itself is low on
23 pressure, make them a lot more susceptible to fracturing
24 than otherwise would be natural fracturing caused by -- for
25 example, cold water entering any formation would create

1 additional stress and makes it sometimes frac naturally,
2 and this has nothing to do with frac gradients that, you
3 know, convention, we talk about. You inject cold water
4 into any system, any reservoir, and you begin to create
5 microfracs around it. These microfracs are perfect
6 locations for getting fills. And then subsequent to that,
7 further water comes and further cracks and opens them.

8 So I don't wish to enter into a debate on these
9 technical matters, although I'm a specialist in all these
10 fields; that's what I've done for 30 years all around the
11 world, including the US. But put all of these together,
12 I'm not convinced that we have a foolproof system. We will
13 have a system that somehow the water will find its way on
14 the crest of the Devonian, and it would be harmful.

15 If I had the choice, I would have asked my
16 colleagues to have looked for wells on the flanks of the
17 field. I would have been happy to offer them anything they
18 needed in that direction, whether our wells or anybody
19 else.

20 In fact, almost two, three months ago, I made it
21 my business to go around all the parties to ask if they had
22 spare wells that would be on the flank of the structure
23 that could be used for this purpose so that we could do it
24 for the entire partnership, all the operators. Of course,
25 I never received any response to that.

1 But if it is not too late, I still would like
2 Fasken to consider developing these wells, and as very good
3 Devonian wells, which I want to wish them luck, I think
4 they're going to be good, the same way that we do, and find
5 alternative flank wells.

6 But if this is not available to them, then I
7 suggest that the last alternative would have been the well
8 to the south of their unit. That would be -- this is the
9 cased well, and I suggested that that well would be the
10 least, if you like, risky in this. And the well that I
11 referred to was Denton 1, and I regard the Denton 1 as the
12 least risky well for that.

13 So it just shows -- We're not saying don't do it,
14 we're just saying don't do it in a way that harms you and
15 everybody else. That's --

16 EXAMINER JONES: Okay, thank you. Thank you very
17 much.

18 Since 1982 the State of New Mexico has been
19 applying pressure limits to injection. Before 1981 or
20 1982, all of those wells that were not -- that were
21 permitted without a pressure limit were grandfathered. And
22 so your wells -- it sounds like your wells are the older --
23 at least the ones you operate for these other owners are
24 the older wells that were probably permitted under no
25 injection pressure limit, where if we do grant these

1 permits for Fasken they will have a strict pressure limit.

2 DR. BAYAT: And I was explaining that the
3 application of pressure gradient -- it's old technology and
4 we've all used it. But this is not the whole picture.
5 Injection of cold water into reservoirs that are 180, 200
6 degrees fahrenheit creates local stress cracking just by
7 simply cooling and shrinking the formation. So there is
8 nothing in the pressure gradient limits that you or I would
9 apply that would solve that problem, unfortunately.

10 EXAMINER JONES: Okay, thank you very much.

11 DR. BAYAT: Thank you.

12 EXAMINER JONES: Thank you both for coming.

13 MS. MacQUESTEN: Mr. Kellahin, because Mr. Jones
14 had further questions, do you have any other -- any
15 questions for Mr. Bayat?

16 MR. KELLAHIN: No, I don't think so. I guess my
17 position is, he's talking about possibilities, and while he
18 may be an engineer, I think his statements were largely
19 possibilities and were engineering speculations, and I
20 think there's an absence of proof as to the reliability or
21 the reasonableness of his speculations. And at this point
22 you have a record before you where I have a witness under
23 oath that's been cross-examined, that says he's doing
24 nothing different than is currently being allowed by the
25 operators. And we would like our approvals.

1 MS. MacQUESTEN: Okay. Mr. Nosrati, is that
2 right?

3 MR. NOSRATI: Yes.

4 MS. MacQUESTEN: Would you also like to make a
5 statement?

6 MR. NOSRATI: No, ma'am, I think Dr. Bayat has
7 explained our position.

8 MS. MacQUESTEN: Thank you.

9 MR. NOSRATI: Thank you.

10 MS. MacQUESTEN: Mr. Jones, because Mr. Bayat has
11 raised a number of issues, and we still do have Mr. Brown
12 here, are there any questions that you would like to ask
13 Mr. Brown?

14 EXAMINER JONES: Of Mr. Brown in this --
15 evidentiary questions?

16 Mr. Brown, I could ask you a couple of questions.

17 FURTHER EXAMINATION

18 BY EXAMINER JONES:

19 Q. Is there stress barriers between the
20 Pennsylvanian and the Devonian, such as shales, such as
21 higher stress rock, for any reason?

22 A. I believe the Mississippian sandstones and then
23 the Woodford shale are sufficient fracture barriers.

24 Q. So the conduit -- possible conduit would be
25 wellbores?

1 A. That's the way I -- Yes, I think that's America's
2 main aversion to our Application, is behind-pipe cement-
3 breach conduits down to the Devonian.

4 What I wanted to point out is that their Number 5
5 well has been active nearly ten years, say seven, eight
6 years, with similar Devonian wellbores on either side of it
7 within 500 feet, and no detrimental effects to this point.

8 Q. So injecting on the structure -- on the flanks of
9 the structure, is that a better practice than injecting on
10 top of the structure?

11 A. Well, on the crest of the Pennsylvanian, and if
12 it's isolated in the Pennsylvanian itself and doesn't go
13 above or below, I see no problem to any Devonian or
14 Wolfcamp production operations. And it will stay within
15 the Pennsylvanian, and it has, in that -- at least one well
16 on the crest.

17 Q. Those wells have been enormously good injection
18 wells in the Pennsylvanian. Do you think the water has
19 stayed in the Pennsylvanian?

20 A. Yes.

21 Q. You don't think it's moved -- found some direct
22 -- some line of conduit to move up or down into other
23 formations?

24 A. Well, I would have to say the only zone that it's
25 not in -- that's not in the Pennsylvanian is this southern

1 well, the Number 3, the Denton SWD Number 3 well. It does
2 have some Wolfcamp open-hole. However, the volume of water
3 that that well has taken is enormous, and I don't believe
4 the offset operators have seen a detrimental effect of a
5 massive amount of Wolfcamp flood-out water.

6 I believe the Wolfcamp is in the lower zone.
7 Having an open hole of the Pennsylvanian in the same open
8 hole, preferentially it wants to go in the higher-permeable
9 Pennsylvanian rock. So I believe even in the open-hole
10 section, most of the water stays in the Pennsylvanian. I
11 think we'd have seen some problems with the offset
12 operators in the -- from this well long ago, and that's
13 been there since the 1960s.

14 Q. Is it true that the Wolfcamp production zone is
15 up the hole several hundred feet, even above this well that
16 you just mentioned, that would be injecting in the lower
17 Wolfcamp and upper Pennsylvanian?

18 A. Yes, it would be a flank Wolfcamp well, yes,
19 that's true.

20 EXAMINER JONES: Okay, I have no further
21 questions. I think everyone -- the case has rested, and --

22 MR. KELLAHIN: We're ready to have you take it
23 under advisement, with permission to supplement the record
24 as you've requested with the log information to the
25 District and with the information about the ownership for

1 the offsets.

2 EXAMINER JONES: Okay. With that, we'll take
3 Case 13,601 under advisement.

4 And that was the last case in this docket, so
5 Docket Number 40-05 is adjourned. Thank you.

6 (Thereupon, these proceedings were concluded at
7 11:03 a.m.)

8 * * *

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____,
heard by me on WTP 11/2/66

_____, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 17th, 2005.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 16th, 2006