

1
2 STATE OF NEW MEXICO
3 ENERGY AND MINERALS DEPARTMENT
4 OIL CONSERVATION DIVISION
5 STATE LAND OFFICE BLDG.
6 SANTA FE, NEW MEXICO
7 28 September 1983
8 EXAMINER HEARING
9

10
11 IN THE MATTER OF:

12 Application of Sun Exploration and CASE
13 Production Company for an unorthodox 7963
14 oil well location, Lea County, New
15 Mexico.
16

17
18 BEFORE: Michael E. Stogner, Examiner
19

20
21 TRANSCRIPT OF HEARING
22

23
24 A P P E A R A N C E S
25

26 For the Oil Conservation
27 Division:

28 W. Perry Pearce, Esq.
29 Legal Counsel to the Division
30 State Land Office Bldg.
31 Santa Fe, New Mexico 87501

32 For the Applicant:

33 W. Thomas Kellahin, Esq.
34 KELLAHIN & KELLAHIN
35 P. O. Box 2245
36 Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

2

I N D E X

STATEMENT BY MR. KELLAHIN 3

NAT SUBRAMANIAM

Direct Examination by Mr. Kellahin 4

Cross Examination by Mr. Stogner 11

E X H I B I T S

Sun Exhibit One, Plat 5

Sun Exhibit Two, Map 7

Sun Exhibit Three, Cross Section 8

1
2
3 MR. STOGNER: The hearing will
4 come to order.

5 We'll call first this morning
6 Case Number 7963.

7 MR. PEARCE: That case is on
8 the application of Sun Exploration and Production Company
9 for an unorthodox oil well location, Lea County, New Mexico.

10 MR. KELLAHIN: If the Examiner
11 please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
12 on behalf of the applicant, and I have one witness to be
13 sworn.

14 MR. PEARCE: Are there other
15 appearances in this matter?

16 (Witness sworn.)

17 MR. KELLAHIN: Mr. Examiner, we
18 would request a change in the proposed location of the well
19 that will require the case to be readvertised.

20 I have already notified the
21 Commission secretary of that change and I think it will ap-
22 pear in time to be advertised for the October 12th docket.

23 The change is so that the loca-
24 tion will be 1260 feet from the north line and 1310 feet
25 from the west line.

MR. STOGNER: You do plan to go

1 ahead and put on testimony today?

2 MR. KELLAHIN: We would like to
3 with your permission.

4 MR. STOGNER: Please do.

5 NAT SUBRAMANIAM,
6 being called as a witness and being duly sworn upon his
7 oath, testified as follows, to-wit:
8

9
10 DIRECT EXAMINATION

11 BY MR. KELLAHN:

12 Q All right, sir, would you please state
13 your name and occupation?

14 A My name is Naturajan Subramaniam. I'm a
15 geologist with Sun Exploration and Production Company in
16 Dallas, Texas.

17 Q Mr. Subramaniam, have you previously tes-
18 tified as a geologist for Sun Exploration and Production
19 Company?

20 A Yes.

21 Q And have your qualifications as a geolo-
22 gist been accepted and made a matter of record with the Com-
23 mission?

24 A Yes.

25 Q And pursuant to this application have you
prepared certain geologic studies in support of your re-
quest?

1
2 A Yes.

3 MR. KELLAHIN: We tender Mr.
4 Subramaniam as an expert petroleum geologist.

5 MR. STOGNER: He is so quali-
6 fied.

7 Q Mr. Subramaniam, would you identify what
8 we have marked as Sun's Exhibit Number One and locate for us
9 the proposed unorthodox location for this well?

10 A The Exhibit Number One depicts parts of
11 Lea County, Township 23 South, Range 36 East. The said well
12 is in the northwest quarter of Section 10 in Township 23
13 South, Range 36 East, marked 116.

14 Q Section 10 is a State of New Mexico lease
15 that's held by Sun Exploration and Production Company?

16 A That's correct.

17 Q The wells immediately offsetting the pro-
18 posed unorthodox location produce from what formation?

19 A From the Queen formation, in the Langlie
20 Mattix Field.

21 Q Each of the offset 40-acre proration
22 units in the northwest quarter of Section 10 are dedicated
23 to the Langlie Mattix.

24 A Yes, that is correct.

25 Q All right, sir. What is the reason you
have proposed the location for this Abo test as you have
done?

A The test is a geological prospect based

1
2 upon studies which Exhibit Number One and Exhibit Number Two
3 and Exhibit Number Three will further testify to.

4 The reason we want to test this is based
5 on a knowledge of a producing Abo Reef well thirty miles
6 north of there and here we have reason -- causes to believe
7 that we are in a reef trend, possible reef trend.

8 Q There are no other Abo producing wells in
9 the immediate area, are there, Mr. Subramaniam?

10 A No.

11 Q And the closest producing Abo well is
12 some thirty miles away.

13 A Yes. A reef, Abo Reef well.

14 Q Yes, sir. What would be the proration
15 unit to be assigned to the proposed unorthodox Abo well?

16 A It would be the northwest quarter of the
17 northwest quarter of Section 10.

18 Q All right, sir.

19 A Township 23 South, Range 36 East.

20 Q Apart from the geologic reasons for your
21 location that we'll discuss in a moment, are there any other
22 reasons to locate this well as you've proposed?

23 A Yes. The reason we would like to locate
24 this well is not only to test the Abo, in which case, if
25 this Abo fails, we would like to use the same location in
the -- for the waterflood of the Queen or the Langlie
Mattix, which had not been applied for yet, but it is the
process of being studied.

1
2 Q If the Abo attempt is unsuccessful, then
3 it allows you to maintain a wellbore to recomplete as a
4 waterflood in the Langlie Mattix.

5 A That would be correct.

6 Q All right, sir, and that would be the op-
7 timum location for an injection well to flood the northwest
8 quarter of this section.

9 A That would be correct.

10 Q All right. What is the type log located
11 on the righthand margin of Exhibit Number One?

12 A The log on the right side shows the
13 Drinkard formation overlying the Abo formation in a well
14 called the -- which ARCO drilled last year, called the
15 Langlie Esmund Com No. 1, which is located in Section 33 of
16 Township 22 South, Range 36 East.

17 The reason the log is being attached to
18 here is to show as to where the top of the Abo would be and
19 the mapping surface on which this contour map is based on.

20 Q Okay, the ARCO well is the principal
21 well, then, you've used for your control in depicting your
22 opinion of the possible structure in the Abo as shown on the
23 exhibit.

24 A No, there are some additional wells which
25 are highlighted in the Exhibit Number Two.

Q All right, sir, let's go to that exhibit.

A The Exhibit Number Two shows three wells
which have penetrated the Abo but have not been completed in

1
2 the Abo. These would be a well in the southwest quarter of
3 Section 4, a well in the southeast quarter of Section 10,
4 and a well in the southwest quarter of Section 11, 23 South,
5 36 East.

6 These wells penetrated the Abo and gave
7 us enough control as far as the structure and the facies
8 present in the Abo.

9 Q Okay, while we're looking at Exhibit Num-
10 ber Two, let's also look at your cross section that shows
11 those wells.

12 A The Exhibit Number Three is an idealized
13 cross section across the edge of the Central Basin Platform.
14 Exhibit Number Two demarcates the edge of the Central Basin
15 Platform as it is mapped from this subsurface, and shows the
16 Well No. TPO "C" State A Account No. 1 Well No. 4, which was
17 later called 111 to be --

18 Q That's the well on the far left of the
19 cross section.

20 A The far left of Exhibit Number Three.

21 Q All right, sir.

22 A In the section A-A'. Penetrated possible
23 poor reef facies within the Abo and was cored and drill stem
24 tested; had 810 feet of free gas and 10 feet of slightly oil
25 and gas cut mud on the drill stem test.

But from the description of the core, it
resembles a fore-reef section in the Abo.

Q All right, going to the right, then, and

1 skipping the proposed location for a moment, pick up the
2 next well on the right.

3 A The next well would be the well in Sec-
4 tion -- southeast quarter of Section 10 of 23 South, Range
5 36 East. It penetrated the Abo and the control for the Abo
6 would be in the first exhibit, it penetrated at minus 4160
7 elevation and was also drill stem tested and produced 100
8 feet of free oil on the drill stem test.

9 Q This was never completed as an Abo well,
10 was it?

11 A No, it was not. It was drilled down to
12 the Morrow but came back later up into the Queen and com-
13 pleted in the Langlie Mattix Field.

14 Q All right. So in the drill stem test
15 they encountered possible oil in the Abo but it has not been
16 produced from this well at this time.

17 A Not to my knowledge.

18 Q All right, sir. What is the fourth well
19 on the cross section?

20 A The fourth well would be the well in the
21 southwest quarter of Section 11, which is the Well State "A"
22 Account No. 1 Well No. 101, which would be the right-most
23 well depicted on this cross section, entered the back-reef,
24 green shales and dolomites indicative of a back-reef facies.

25 Q Based upon your study of those logs, Mr.
Subramaniam, where you propose to perforate your proposed
well?

1
2 A It would be in the upper reef, possible
3 reef trend, which would be in the higher part of the Abo.

4 Q What is the ownership with regards to the
5 northwest quarter of Section 10?

6 A It's a Sun Exploration lease owned, I
7 mean 100 percent Sun Exploration.

8 Q All right, and the royalty, overriding
9 royalty, and working interest ownership is all common for
10 that 160-acre tract.

11 A Yes, that's correct.

12 Q All right, sir. So there's no
13 disadvantage to any of the offset proration units by located
14 this Abo well as you propose to do.

15 A No.

16 Q Were Exhibits One, Two, and Three pre-
17 pared by you or compiled under your direction and supervi-
18 sion?

19 A That is correct.

20 Q And in your opinion will approval of this
21 application be in the best interest of conservation, the
22 prevention of waste, and the protection of correlative
23 rights?

24 A That's correct.

25 MR. KELLAHIN: That concludes
our examination of Mr. Subramaniam.

We move the introduction of Ex-
hibits One, Two, and Three.

1
2 MR. STOGNER: Exhibits One
3 through Three will be admitted into evidence.

4 CROSS EXAMINATION

5 BY MR. STOGNER:

6 Q Mr. Subramaniam, on your Exhibit Number
7 One you have an orange coloring. Is this Sun?

8 A Sun held acreage.
9 The red would be mineral deed held by
10 Sun.

11 Q And that's also minerals held by Sun in
12 the Abo formation.

13 A Yes.

14 Q As well as the Langlie Mattix?

15 A Yes.

16 Q Does Sun have any injection wells into
17 the Langlie Mattix, oh, within the surrounding sections?

18 A Not within the section.

19 Q Not within the section. Would you see
20 much of a disadvantage as far as the Abo, proposed Abo pro-
21 duction may go if you situate this well in a standard forma-
22 tion in, say, the southwest quarter of the northwest
23 quarter, or Unit E of Section 10?

24 A There are two reasons for this. One
25 would be if our Abo test is not satisfactory, we would like
to use the same wellbore. Economically it would be such an
ideal case. The Abo wildcat itself will not carry the well,

1
2 so it would be not prudent to test the Abo as a separate
3 location.

4 Q Does any of the offsetting operators in
5 Section 10, do they have any injection wells or waterflood
6 projects in the Langlie Mattix --

7 A No.

8 Q -- at the present time?

9 A No.

10 MR. STOGNER: I have no further
11 questions of this witness.

12 Are there any other questions
13 of Mr. Subramaniam? If not, he may be excused.

14 Mr. Kellahin, do you have any-
15 thing further in Case Number 7863 this morning?

16 MR. KELLAHIN: No, sir.

17 MR. STOGNER: Does anybody have
18 anything further in Case Number 7963?

19 If not, this case will be taken
20 under advisement.

21 (Hearing concluded.)
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division was reported by me; that the said
transcript is a full, true, and correct record of the
hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 7963,
heard by me on Sept 28 1983.

M. L. E. Hester, Examiner
Oil Conservation Division