

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

ORIGINAL

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION COMMISSION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF HIGH ROLLER WELLS, LLC
FOR AUTHORIZATION TO INJECT, EDDY
COUNTY, NEW MEXICO.

CASE NO. 15278
(De Novo)

REPORTER'S TRANSCRIPT OF PROCEEDINGS
COMMISSION HEARING

May 19, 2016

Santa Fe, New Mexico

RECEIVED OOD
2016 JUN -3 P 2:55

BEFORE: DAVID R. CATANACH, CHAIRPERSON
PATRICK PADILLA, COMMISSIONER
DR. ROBERT S. BALCH, COMMISSONER
BILL BRANCARD, ESQ.

This matter came on for hearing before the
New Mexico Oil Conservation Commission on Thursday, May
19, 2016, at the New Mexico Energy, Minerals and Natural
Resources Department, Wendell Chino Building, 1220 South
St. Francis Drive, Porter Hall, Room 102, Santa Fe,
New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102
(505) 843-9241

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR APPLICANT HIGH ROLLER WELLS, LLC:

J. SCOTT HALL, ESQ.
MONTGOMERY & ANDREWS LAW FIRM
325 Paseo de Peralta
Santa Fe, New Mexico 87501
(505) 982-3873
shall@montand.com

FOR OPPONENT MEWBOURNE OIL COMPANY:

JAMES G. BRUCE, ESQ.
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol.com

FOR INTERESTED PARTY COG OPERATING, LLC:

OCEAN MUNDS-DRY, ESQ.
CONCHO RESOURCES, INC.
Office of General Counsel
1048 Paseo de Peralta
Santa Fe, New Mexico 87501-2736
(505) 780-8000

1	INDEX	
2		PAGE
3	Case Number 15278 Called	5
4	High Roller Wells, LLC's Case-in-Chief:	
5	Witnesses:	
6	Rick Johnston:	
7	Direct Examination by Mr. Hall	6
8	Cross-Examination by Mr. Bruce	33
9	Cross-Examination by Chairperson Catanach	39
10	Cross-Examination by Commissioner Padilla	47
11	Cross-Examination by Commissioner Balch	49
12	Recross Examination by Commissioner Padilla	56
13	Recross Examination by Chairperson Catanach	56
14	Cross-Examination by Mr. Brancard	57
15	Brian Wood:	
16	Direct Examination by Mr. Hall	58
17	Cross-Examination by Commissioner Balch	60
18	Cross-Examination by Chairperson Catanach	65
19	Mewbourne Oil Company's Case-in-Chief:	
20	Witnesses:	
21	Clayton Pearson:	
22	Direct Examination by Mr. Bruce	62
23	Cross-Examination by Chairperson Catanach	65
24	Cross-Examination by Commissioner Padilla	66
25	Nate Cless:	
26	Direct Examination by Mr. Bruce	67
27	Cross-Examination by Mr. Hall	85
28	Cross-Examination by Chairperson Catanach	89
29	Cross-Examination by Commissioner Padilla	94
30	Cross-Examination by Commissioner Balch	96
31	Travis Cude:	
32	Direct Examination by Mr. Bruce	99
33	Cross-Examination by Mr. Hall	106
34	Cross-Examination by Chairperson Catanach	108

1	INDEX (Cont'd)	
2		PAGE
3	Mewbourne Oil Company's Case-in-Chief:	
4	Witnesses:	
5	Travis Cude (Cont'd):	
6	Cross-Examination by Commissioner Balch	112
7	Recross Examination by Chairperson Catanach	114
8	High Roller Wells, LLC's Rebuttal Case-in-Chief:	
9	Witnesses:	
10	Rick Johnston:	
11	Direct Examination by Mr. Hall	116
12	Cross-Examination by Mr. Bruce	120
13	Cross-Examination by Chairperson Catanach	122
14	Cross-Examination by Commissioner Balch	123
15	Closing Argument by Mr. Bruce	124
16	Closing Argument by Mr. Hall	126
17	Executive Session/Decision of the Commission	128/129
18	Proceedings Conclude/Certificate of Court Reporter	130
19	EXHIBITS OFFERED AND ADMITTED	
20	High Roller Wells, LLC Exhibit Numbers 1 through 12	32
21	High Roller Wells, LLC Exhibit Numbers 12, 13 and 14	119
22	Mewbourne Oil Company Exhibit Numbers 1, 2 and 3	64
23	Mewbourne Oil Company Exhibit Numbers 4, 5 and 6	84
24	Mewbourne Oil Company Exhibit Numbers 7 and 8	105

1 (9:10 a.m.)

2 CHAIRPERSON CATANACH: So at this time I
3 will call Case 15278, which is the application of High
4 Roller Wells, LLC for authorization to inject, Eddy
5 County, New Mexico.

6 Call for appearances.

7 MR. HALL: Mr. Chairman, Commissioners,
8 Scott Hall, with Montgomery & Andrews Law Firm, Santa
9 Fe, appearing on behalf of the Applicant, High Roller
10 Wells, LLC. We have one witness this morning.

11 CHAIRPERSON CATANACH: I'm sorry? One
12 witness?

13 MR. HALL: One witness.

14 MR. BRUCE: Mr. Chairman, Jim Bruce of
15 Santa Fe representing Mewbourne Oil Company.

16 MS. MUNDS-DRY: Good morning, Mr. Chairman.
17 Ocean Munds-Dry, COG Operating, LLC. I have no
18 witnesses this morning.

19 CHAIRPERSON CATANACH: Any additional
20 appearances?

21 Okay. Can I get all the witnesses to stand
22 this morning, please?

23 Swear in the witness.

24 (Mr. Johnston, Mr. Pearson, Mr. Cless and
25 Mr. Cude sworn.)

1 CHAIRPERSON CATANACH: Counsel, do you want
2 to give any opening statements or go straight to the
3 case?

4 MR. HALL: Let's go.

5 CHAIRPERSON CATANACH: Is that okay?

6 MR. BRUCE: That's fine.

7 MR. HALL: Mr. Chairman, I would call Rick
8 Johnston to the stand.

9 RICK JOHNSTON,
10 after having been previously sworn under oath, was
11 questioned and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. HALL:

14 Q. For the record, please state your name.

15 A. My name is Rick Johnston.

16 Q. And where do you live, Mr. Johnston, and by
17 whom are you employed?

18 A. I live in Austin, Texas. I have a consulting
19 firm by the name of Johnston & Cloud. I'm a consulting
20 petroleum engineer.

21 Q. All right. You previously testified before the
22 Division and had your credentials as an expert petroleum
23 engineer accepted as a matter of record; is that
24 correct?

25 A. Yes.

1 Q. Would you please give the Commission a brief
2 summary of your educational background and work
3 experience?

4 A. Okay. I graduated from the University of Texas
5 in 1978 with a degree in chemical engineering. When I
6 got out of school, I went to work for Amoco Production
7 Company, worked for them for a few years and have been a
8 practicing petroleum engineer since that time. I'm
9 registered in the state of Texas. I'm not registered in
10 New Mexico.

11 Q. All right. You're familiar with the lands and
12 the application in this matter; is that correct?

13 A. Yes.

14 MR. HALL: At this point, Mr. Examiner --
15 Mr. Chairman, I'd offer Mr. Johnston as an expert
16 petroleum engineer.

17 CHAIRPERSON CATANACH: Any objection?

18 MS. MUNDS-DRY: No objection.

19 MR. BRUCE: No.

20 CHAIRPERSON CATANACH: Mr. Johnston is so
21 qualified.

22 Q. (BY MR. HALL) As a footnote, you're a
23 consultant for High Roller Wells; is that correct?

24 A. Yes.

25 Q. Could you tell the Commission just a little bit

1 about High Roller Wells, how they do business?

2 A. High Roller Wells is a company that's
3 headquartered out of Center, Texas in East Texas. Over
4 the past three years, I've worked with them, and we have
5 drilled and completed roughly 36 disposal wells in the
6 state of Texas.

7 The Gossett application, which is the
8 subject of this hearing, is their first well in
9 New Mexico, but they've drilled and completed, like I've
10 said, roughly 36 wells in the Eagle Ford Play, the
11 Permian Play and a number of plays in the Delaware Basin
12 in Loving and Reeves Counties.

13 Q. All right. And will High Roller Wells, in this
14 particular case, continue to operate the Gossett well?

15 A. What will happen, if the permit that we seek is
16 issued, is the well will be drilled and completed by
17 High Roller Wells. The facility will be built, and then
18 shortly after the thing goes operational, then a company
19 called NGL Water Solutions out of Denver will take over,
20 assuming that the OCD approves the transfer of the
21 permits to NGL.

22 Q. All right. Let's get into the substance of
23 High Roller's application. Would you briefly summarize
24 what High Roller seeks in this matter?

25 A. We seek a permit to dispose into the Delaware

1 section at the location of the Gossett #1. As a
2 function of time, the interval that we seek for disposal
3 has changed.

4 And I guess based on the issues that have
5 been raised most recently by the Protestant, I would
6 think that we probably need to go back to our original
7 proposed interval. There are a couple of wells in the
8 half-mile area that if the permit is issued, with the
9 shortened-up interval from 2,600 to 3,200 feet, there
10 are two wells that potentially could be -- or have
11 confinement issues, two wells that have been plugged.

12 The reason I designed the application
13 originally to go from 2,500 to 5,000 feet was 5,000 feet
14 is deep enough that the plugs in these two wells I'm
15 talking about so confinement issues won't be an issue.

16 Q. We should get into the record the location of
17 the well. Can you tell us where this well will be?

18 A. The well will be located in Section 33,
19 Township 23 South, Range 28 East. The calls will be 313
20 from the south line and 921 from the east line. And
21 what I'm looking at is, in your notebook, what's been
22 marked as Exhibit Number 3. And down at the page --
23 bottom of each page is a very small number, and I'm
24 looking at page 4, which is the schematic of the well,
25 and it has the calls and the location of the well.

1 Q. Now, is Exhibit Number 3 the C-108 application
2 for the Gossett well?

3 A. It is.

4 Q. All right. Did you assist in its preparation?

5 A. Yes.

6 Q. Let's, you know, look at page 4. And just
7 explain the original design and the perforation depths
8 you are proposing.

9 A. Well, what we propose to do is drill the well
10 to 550 feet, run 10-and-three-quarter inch casing,
11 cement it back to surface. Our review of the water
12 wells in the area indicated that there are no wells
13 obtaining fresh water in the area, that most of the
14 water is in the range of 100 to 200 feet.

15 We then propose to drill to 5,100 feet, run
16 7-inch casing, circulate cement back to surface, and
17 then it would be a completed -- a perforated completion.
18 And then we'll set a compression packer within 100 feet
19 at the top of the permitted interval, and we'll run
20 4-and-a-half inch tubing using N80, and it'll be
21 internally plastic coated.

22 Q. If we turn to page 8 of the C-108, it's
23 actually marked page 3 in the upper, right-hand corner,
24 page 8 at the bottom, there you refer to the average and
25 maximum injection rates that were originally proposed.

1 Are you still seeking those rates?

2 A. No. In the state of New Mexico, the standard
3 permit provision, as I understand it, is to limit the
4 maximum surface injection pressure to a .2 psi per foot.
5 So the top of our interval is at 2,600 feet. Our
6 maximum surface injection pressure will be 520 pounds.
7 That will be the limitation of the amount of water that
8 can be put into the well. I would expect it's probably
9 going to be down on the range of 5- to maybe 6,000
10 barrels a day with that sort of pressure limitation.

11 Q. All right. And let's talk about previous
12 administrative history for this application. This
13 application was heard before a Division examiner last
14 April, is that correct, April of 2015?

15 A. Yes.

16 Q. And what was the outcome of that hearing?

17 A. It would have been what's been marked as
18 Exhibit Number 2 in the notebook. A permit was issued
19 that included a maximum rate of 17,500 barrels a day,
20 maximum surface injection pressure of 520 pounds, and a
21 permitted disposal interval from 2,600 feet to 3,200
22 feet.

23 Q. All right. If we can refer to Exhibit 1, what
24 does that show us?

25 A. Exhibit Number 1 is just a little schematic I

1 put together that shows the original application sought
2 a disposal interval from 2,500 to 5,000 feet. Prior to
3 the hearing, I believe it was COG who indicated that
4 they had a problem with the disposal interval as deep as
5 5,000 feet. So we amended it in advance of the hearing,
6 the bottom to 4,500 feet, and then the order granted us
7 an interval of 2,600 to 3,200. After we exchanged
8 exhibits, for the first time anybody brought up this
9 confinement issue. That's why we're now saying we
10 probably need to seek a permit from 2,600 feet to 5,000.

11 Q. All right. So the variable column shown on the
12 far right of Exhibit 1 is what we had in our pre-hearing
13 statement before the parties exchanged exhibits; is that
14 right?

15 A. Yes.

16 Q. Okay. So we're seeking to expand from that?

17 A. Yes, from 2,600 to 5,000 feet.

18 Q. All right. We refer back to the C-108 on page
19 8, again, under your Article 7, Section 4 there. There
20 is some reference to some nearby preexisting injection
21 activities; is that right?

22 A. Yes. There are a couple of wells within a
23 two-mile area that have previously disposed into a
24 portion of the disposal interval that we seek the permit
25 for today.

1 Q. All right. What do you expect the source of
2 the disposal fluids will be going into the Gossett
3 wells?

4 A. It'll be the producing wells in the area, and I
5 would expect the majority of the water will come from
6 the horizontal drilling that's going on in the area.
7 The target of that horizontal drilling is the Bone
8 Spring, the Avalon Shale and the Wolfcamp and from the
9 horizontal wells.

10 Q. Going back to page 4, again, the wellbore
11 schematic, you briefly touched on that. Do you need to
12 expand on that further for the Commission?

13 A. I don't believe so.

14 Q. And this will be a perforated completion,
15 correct?

16 A. Yes.

17 Q. The fluids will be injected under pressure?

18 A. Yes.

19 Q. And will the well be equipped with a
20 back-pressure valve?

21 A. Yes.

22 Q. And what materials will you be using for the
23 tubing?

24 A. The tubing -- well, what I'll refer to as the
25 production casing and the tubing both will be N80-grade

1 casing, which has a higher level of corrosion resistance
2 than normal J or K grade, and the tubing will be
3 internally plastic-coated.

4 Q. All right. And you've expressed what you
5 anticipate the rates this well will be able to accept
6 once in operation, but what rates are you asking for the
7 Commission to provide for in the order itself?

8 A. 8,000 barrels a day.

9 Q. All right. And the anticipated average maximum
10 injection pressures will be what?

11 A. Oh, I would expect the average injection
12 pressure's going to range in the 400 -- 400- to
13 500-pound range, and the maximum will be 520.

14 Q. All right. And do you anticipate that
15 injection -- that those volumes and pressures will
16 remain within the fracture gradient?

17 A. Yes.

18 Q. Is this to be a closed --

19 A. Well, a better way to say it, it will be below
20 the fracture gradient.

21 Q. Below.

22 Will this be a closed or open facility?

23 A. It will be open in that it will accept water --
24 it'll be a commercial facility, and they'll accept water
25 from anybody.

1 Q. Let's turn to page 39, Exhibit 3, the C-108, if
2 you could identify that and discuss the chemical
3 analysis for the injection fluids and their
4 comparability.

5 A. Well, pages 39, 40, 41, 42, 43 and 44 are
6 analyses of produced water from wells in the area, and
7 you can see that the total dissolved solids on these
8 samples are quite high. The first one is 174,000. The
9 second one is 341,000. The next is 206,000, on page 41.
10 On page 442, it's 128,800. Excuse me. That's
11 chlorides. I don't see TDS. But it's all of the
12 produced water that will be going into this well is
13 very, very salty, with the exception of the frac
14 flowback water. Initially, when you turn one of these
15 horizontal wells on, the frac flowback water has a
16 fairly low total dissolved solid content, and as you
17 continue to produce the well, the chloride content goes
18 up.

19 Q. Do you anticipate any comparability issues with
20 the formation?

21 A. No, not at all. This is the same formation
22 that we have other disposal wells down in Texas down in
23 the Delaware Basin, and we're accepting produced water
24 and frac flowback water, and we've not had any
25 compatibility issues there. So I wouldn't expect any

1 here. It's the same formation, just a little shallower.

2 Q. Just discuss briefly for the Commission the
3 members that comprise the Delaware Formation in this
4 part of the world.

5 A. The Delaware is going to -- the shallowest is
6 the Bell Canyon. Then you have the Cherry Canyon, and
7 then you have the Brushy Canyon. It's pretty much
8 layer-cake geology.

9 Q. And you're anticipating that the Gossett well
10 will penetrate all three?

11 A. This expanded disposal interval from 2,600 to
12 5,000 feet will include the Bell Canyon the Cherry
13 Canyon and the upper portion of the Brushy Canyon.

14 Q. Okay. Again in the C-108, if we refer to pages
15 7 and 8, there is a chart there beginning at the bottom
16 of page 7, on page 8. What are those?

17 A. Those are the wells that have penetrated the
18 Bell Canyon and the Cherry Canyon within the half-mile
19 area. And, actually, since this C-108 was prepared,
20 Mewbourne has drilled some horizontal wells for the Bone
21 Spring and the Wolfcamp that would produce these
22 intervals but producing from much deeper horizons.

23 Q. All right. Let's turn to Exhibit 4. Identify
24 that, please.

25 A. Exhibit Number 4 is a map that I put together

1 using updated well data, well spots, as I understand it,
2 were obtained from the OCD. And what I've done is API
3 Number 26798 is very close to the proposed Gossett well.
4 The Gossett's not in the database, so I used that to
5 have the computer draw a half-mile radius circle to
6 identify all the wells within the half mile.

7 Q. All right. Let's turn to Exhibit 5.

8 A. So what I did is from Exhibit 4, which the
9 map -- I had -- excuse me. I had Art Hewitt [phonetic]
10 give me a list of the API numbers of all the wells
11 within a half-mile area. Well, actually, let me back
12 up.

13 If you look at Exhibit Number 6, which is a
14 similar map, except for it's a two-mile radius area, I
15 had the computer go in and identify the API numbers of
16 all the wells within that two-mile area.

17 I then went to Lasser Production Data
18 Service and had -- had them give me a listing of all the
19 wells, the well data for those wells, and that built the
20 tabulation which is Exhibit Number 7. Exhibit Number 7
21 is that data sorted by API number.

22 And then Exhibit Number 8 is the same data,
23 except for I've sorted it by upper perforation.

24 Q. All right. I understand.

25 Let's clarify Exhibit 5, though. If we

1 turn to the C-108, page 34, to what's marked in the
2 C-108 as Exhibit F --

3 A. Yes. Yes. I'm sorry. I misspoke. What
4 Exhibit Number 5 is is it's an updated Exhibit F to the
5 C-108.

6 Q. All right. So it captures the new penetrators?

7 A. It does.

8 Q. For the wells that are listed on the original
9 Exhibit F, can the Commission find the wellbore
10 schematics for certain of those wells at pages 36 and
11 38, the C-108?

12 A. Yes. They're on pages 36, 37 and 38.

13 Q. And if you look at each of those wells, those
14 are the wells that had been plugged; is that correct?

15 A. That is correct.

16 Q. Now, for the new -- the new drills that are
17 shown on updated Exhibit F, have you looked at the
18 completion information for each of those?

19 A. Yes, I have.

20 Q. And for all of those wells, were the data
21 sufficient for you to determine the casing depth and to
22 accurately calculate the cement tops and formations?

23 A. Yes.

24 Q. Was there any evidence of casing leaks in any
25 of these wells?

1 A. None was noted.

2 Q. All right. Are you satisfied that the
3 condition of those wells in the AOR such that none of
4 them will act as a conduit for fluids to freshwater
5 aquifers?

6 A. I agree with that. That's correct. They're
7 all cased and cemented in such a fashion that injected
8 fluids will not be allowed to escape the disposal
9 interval at those in the wells.

10 Q. If we turn to pages 45 and 46 of the C-108, are
11 all of the freshwater aquifers in the area identified
12 there?

13 A. Well, I believe pages 45 and 46 is a listing of
14 all the water wells from the state database within a
15 two-mile area.

16 Q. And does that chart identify the lowest depths
17 of those wells?

18 A. Yes. If you look at the depth of the well, the
19 deepest well on the tabulation is 268 feet, about midway
20 down the page.

21 Q. All right.

22 A. That's -- we believe that running 550 feet of
23 surface casing will very adequately protect the fresh
24 water in the area.

25 Q. All right. And what are the wells above the

1 red line?

2 A. Those are the wells that are within one mile of
3 the proposed locations.

4 Q. Are there any known sources of fresh water
5 below the injection interval in this case that you're
6 aware of?

7 A. No.

8 Q. What geologic criteria did you utilize to
9 evaluate the injection formation here?

10 A. A lot of it has to do with my experience
11 working the Delaware Basin in Texas. The Delaware is a
12 sandstone that has generally good porosity development
13 and good permeability.

14 Q. All right. Have you made the determination
15 that injection operations through the Gossett well,
16 through the interval proposed, won't adversely affect
17 productive -- or potential low-productive areas?

18 A. Based on what I see, it will not adversely
19 affect productive intervals in the area.

20 Q. All right.

21 A. There is production in the lower portion of the
22 Brushy Canyon, but in the interval, the Bell Canyon, the
23 Cherry Canyon and the upper portion of the Brushy Canyon
24 where we propose to dispose, there is no production.

25 Q. Let's look at Exhibit 6 again.

1 A. Okay.

2 Q. You started to get into Exhibit 6. Now let's
3 turn to Exhibit 7.

4 A. Okay. The purpose of Exhibits 6, 7 and 8 is to
5 take a look at what production is in a two-mile area of
6 the proposed disposal location.

7 So Exhibit 6 is a map that I used to
8 identify the API numbers of all the wells.

9 Exhibit 7 is a tabulation of completion
10 information for those wells within the two-mile area
11 sorted by API number, which isn't a very useful sort.

12 And then Exhibit 8 is the same data sorted
13 by upper perforation. And if you flip to the third page
14 of the exhibit, that's where you start seeing the upper
15 perforation column is populated. So there are two wells
16 that have perforations in the proposed disposal
17 interval.

18 The first would be the Pearl #1, operated
19 by Trek Operating. That was a saltwater disposal well
20 with perforations from 3,355 to 4,900 feet.

21 The second well with perforations in the
22 proposed disposal interval is the Pardue Farms 27-1,
23 operated by Parker & Parsley. It was also a saltwater
24 disposal well. It disposed from 4,394 to 4,462. The
25 next shallowest completion within this two-mile area is

1 the State JB Com #1, operated by BTA -- oop. Excuse me.
2 It's the Bucka- -- I misread that. It's the Buckaroo
3 #1, operated by Kaiser-Francis, with perforations from
4 5,626 to 6,045 feet.

5 And then you can see three are a couple of
6 other wells that have perforations up in that 57- to
7 5,800-foot range. And as you move down the page, you
8 can see the vast majority of the wells that produce from
9 the Brushy Canyon or actually down around 6,000 feet and
10 deeper.

11 On page 4, you can see that there are two
12 horizontal wells that have been drilled by Mewbourne.
13 The first is the Yardbirds 3 #1H, and it has
14 perforations from 6,465 to 10,523. That well started
15 producing in November of 2015 and has produced 6,600 of
16 oil in -- I don't know -- four, five, six months of
17 production.

18 The next horizontal well also drilled by
19 Mewbourne is the Layla 35 1H. That well has
20 perforations from 6,718 to 10,590. That's a good well.
21 It's produced 202,000 barrels of oil. It went on
22 production in December of 2012.

23 Q. And production with those two Mewbourne wells
24 is substantially below your injection interval?

25 A. Yes.

1 Q. We'll go back to page 3 -- well, any of the
2 pages, if you look at the third column from the left, it
3 shows well status. The three wells you identified on
4 page 3 are each shown to be inactive; is that correct?
5 There is no injection through the two injectors at this
6 time?

7 A. That's correct.

8 Q. Let's look at Exhibits 9 and 10.

9 A. Exhibit Number 9 is a cross section that I put
10 together using available well logs. If you flip back to
11 Exhibit 6, which is the map that has the two-mile radius
12 on it, the blue dashed line on the map shows the line of
13 cross section. It roughly goes from northwest to
14 southeast.

15 On the cross section, I've shown A to A
16 prime, which corresponds to A to A prime on the map. On
17 the cross section, you can see correlation markers for
18 the top of the Bell Canyon, the Cherry Canyon and the
19 Brushy Canyon. So our proposed disposal interval from
20 2,600 feet to 5,000 feet again includes the Bell Canyon,
21 the Cherry Canyon and the upper portion of the Brushy
22 Canyon.

23 Q. Can you identify on your cross section the
24 barriers which will serve to keep injection fluids
25 contained within the injection interval?

1 A. The upper confining interval is going to be
2 above the Bell Canyon, which is a very thick salt in the
3 anhydrite section. You can just see, oh, maybe about
4 100 feet of it on the upper portion of the cross
5 section.

6 And I guess the other thing to point out is
7 near the depth track of the wells, you can see where
8 wells produce from the lower portion of the Brushy
9 Canyon just immediately above the top of the Bone
10 Spring. So below marker number five on the cross
11 section, that is where the production is down in the
12 Brushy Canyon. There has to be some sort of a seal
13 there for that oil accumulation to have occurred. We
14 believe that there are other shales below 5,000 feet
15 that will also act to limit the downward movement of the
16 injected fluids.

17 Q. All right. Would you discuss the permeability,
18 porosity of the injection interval?

19 A. Well, if you look at the log for the Southwest
20 Royalty Witt #1, there are two logs included on the
21 cross section for all the wells. The left-hand log is
22 going to be an induction resistivity, and then the
23 right-hand log is going to be neutron density porosity
24 log. So if you look at the log, you can see that the
25 porosity in the Delaware section ranges from a high of,

1 say, 24, 25 percent down to lows of about 15 percent.
2 The porosities are a little bit higher in the shallower
3 portions, and as you go deeper, the porosity is a little
4 bit lower, as you would expect, because of the
5 compaction.

6 Q. Within your two-mile state area, can you
7 indicate to the Commission where you found Delaware
8 production?

9 A. Well, from the tabulations and so forth, you
10 can see that the majority of the production from the
11 Delaware is from the Lower Brushy Canyon. There is
12 some -- and this lower portion of the Brushy Canyon is
13 the interval between what I've shown as marker five on
14 the cross section and the top of the Bone Spring.

15 Q. In proximity to the Gossett location, where
16 does that Delaware production occur?

17 A. If you're asking me how far away the closest
18 producer is, I'm not sure I can tell you that easily.

19 Q. Tell us, does the Delaware downdip to the
20 southeast? Is that correct?

21 A. Regionally, the structure of the Delaware is,
22 as you move to the north, you go updip, and as you move
23 so the south, you go downdip.

24 Q. And so given that orientation of the structure
25 and the tabulation of wells you show in the producers in

1 your Exhibits 7 and 8, is it accurate to say that most
2 of the production from the Delaware is situated to the
3 south and east of the Gossett location?

4 A. Well, no. Actually, in the near vicinity of
5 the Gossett, most of the production is going to be to
6 the north. You can see when you look at the map, there
7 is a higher population of wells up to the northeast.
8 That is going to be updip. There is some sort of a
9 structural feature that has created some sort of a trap
10 to catch oil there. That's why all of those wells are
11 located up in the northeast. As you move to the
12 southwest, you're going to go downdip.

13 Q. Within the area of your study, how do you
14 assess the productivity of the Brushy Canyon and Cherry
15 Canyon members?

16 A. I've not identified any production within this
17 two-mile area.

18 Q. All right. And have you made an assessment of
19 the potential for further Delaware development by
20 horizontal wells?

21 A. There have been some horizontal wells drilled
22 targeting members of the Cherry Canyon and the Brushy
23 Canyon, and I've identified a couple of the Lower Brushy
24 Canyon producers in the two-mile area.

25 What I see right now is nobody's

1 established production in our proposed disposal
2 interval. I know that there was an old well drilled in
3 '54 that swabbed-tested some oil out of some
4 perforations up around 4,800 feet. That was the
5 predecessor to the Bass Production Company, Sid
6 Richardson and Bass, but nobody's ever gone back and
7 tried to commercially produce that.

8 Q. All right. Based on your examination of the
9 available geologic and engineering data for evidence of
10 open faults or other hydrologic connection between the
11 disposal zone and any underground source of drinking
12 water, are you satisfied that no connection exists?

13 A. Yes. That thick salt in the anhydrite section
14 that's deposited immediately upon the Bell Canyon is
15 going to act as an excellent upper confining interval.

16 Q. And if we refer back to the C-108 at page 53,
17 what's marked as Exhibit J there, what does that
18 demonstrate?

19 A. That is the nearest identifiable quaternary
20 fault, and it's some 53 miles away.

21 Q. All right. And, again, let's go to pages 45
22 and 46. And, again, those are all the known water wells
23 within two miles of the Gossett. We've discussed that,
24 correct?

25 A. Yes.

1 Q. If you look at pages 47 through 52, what do
2 those show?

3 A. Well, pages 48, 49, 50 and 51 and 52 are
4 analyses of water from -- water wells in the area, and
5 they show varying qualities of water. Page 48 shows a
6 total dissolved solid of 1,900. Page 49 shows a total
7 dissolved solid of 1,920. Page 50 shows a -- well,
8 that's just a hexane analysis, and it shows 34.

9 So the purpose of these couple of pages is
10 to show the quality of the ground water in the area.

11 Q. And it's not good?

12 A. No, sir.

13 Q. Mr. Johnston, have you determined the areal
14 extent of the pore space that would be occupied by the
15 injected fluids from the Gossett?

16 A. Yes. If you inject in -- if you inject into
17 the Gossett well for ten years and your injection
18 interval spans from 2,600 feet to roughly 3,350,
19 limiting disposal to that interval, a plume front
20 calculation shows a radius of roughly 700 feet.

21 Q. So there is adequate pore volume to accommodate
22 the injection volumes you anticipate through the
23 Gossett?

24 A. Oh, yes.

25 Q. Do you foresee any need to come back to the

1 Division and request a higher injection pressure in the
2 future?

3 A. Well, that depends on the results. I would
4 expect if we get the permit, the well will be drilled
5 and we'll run a step-rate test on the well to see if we
6 can justify applying for a higher injection pressure
7 than the 520 pounds that we hope to get.

8 Q. All right. Let's look at Exhibits 11 and 12.

9 MR. HALL: If I might approach,
10 Mr. Chairman. The copies in your exhibit notebooks
11 didn't reproduce very well, so I have better versions
12 you can share.

13 Q. (BY MR. HALL) But could you explain what
14 Exhibits 11 and 12 demonstrate?

15 A. Exhibit Number 11 is a conceptual schematic of
16 how we plan to lay out the truck-unloading facility and
17 the tank battery. All of the traffic areas where trucks
18 will be driven will either be concrete, or they'll be
19 asphalt-covered to try to minimize dust impact on the
20 area.

21 If you flip to Exhibit Number 12, these are
22 pictures of a facility, I believe in Reeves County,
23 which is representative of the type of facility that
24 High Roller would build if this facility is permitted
25 and we drill the well.

1 The first picture is a picture of the
2 unloading bay. It's covered. You can see that the
3 ground is concrete, and it's pitched so that any fluids
4 that are spilled during the unloading process go to a
5 sump that runs down the middle of this pitched area.
6 And that sump -- the fluids from that sump are pumped
7 into the tanks.

8 The second page of the exhibit is another
9 picture of the unloading facility with the adjacent tank
10 battery.

11 The third page is just another closer
12 picture of the unloading bay.

13 And then the last page is a picture of the
14 tank battery. The tank battery will have a concrete
15 floor. The tanks will sit on concrete. They'll have
16 concrete walls for containment. And within this
17 concrete containment will be a sump, and any fluids,
18 rain or spillage that occurs, will be pumped from there
19 into a vessel. The capacity of the -- of this concrete
20 vault will be adequate to comply with the spill
21 prevention control countermeasure requirements of the
22 EPA.

23 Q. All right. So does High Roller plan to
24 construct the Gossett facility similar to what we see in
25 Exhibits 11 and 12?

1 A. Yes. The reason they do this is the larger
2 companies like EOG, COG, Shell, Anadarko would rather
3 bring their produced water to a facility like this
4 because of the liability issues this is as good a
5 facility as I've seen, this representative facility.
6 And the 36 that they've drilled in the past three years,
7 this is representative of all those other facilities.
8 They spent a lot of money on the surface facilities.

9 Q. Now, let's refer back to Exhibit 2, which is
10 the original order issued by the Division in this case,
11 and if you could turn to page 6 of that order. And the
12 order in paragraph seven, would you read that into the
13 record, please?

14 A. "The operator shall take all steps necessary to
15 ensure that the disposed water enters only the permitted
16 disposal interval and is not permitted to escape to
17 other formations or onto the surface."

18 Q. Is it your opinion that the Gossett injection
19 facility can accomplish that requirement in the original
20 order?

21 A. Yes.

22 Q. And that's even with the expanded injection
23 interval?

24 A. It's with or without the expanded interval,
25 even including the issues that Mewbourne's going to

1 raise about confinement issues with two of the wells in
2 the half-mile area.

3 Q. In your opinion, Mr. Johnston, will injection
4 operations pose any threat of impairment to correlative
5 rights or waste of hydrocarbon reserves?

6 A. It doesn't appear that way to me, no.

7 Q. And in your opinion, can the project be
8 operated so that the public health and safety and the
9 environment will be protected?

10 A. Yes.

11 Q. Were Exhibits 1 through 12 prepared by you or
12 at your direction?

13 A. Yes.

14 Q. In your opinion, will granting High Roller's
15 application promote the interest of conservation, result
16 in the prevention of waste and the protection of
17 correlative rights?

18 A. Yes.

19 MR. HALL: That concludes my direct of
20 Mr. Johnston. I'd move the admission of Exhibits 1
21 through 12.

22 CHAIRPERSON CATANACH: Any objection?

23 MR. BRUCE: No objection.

24 MS. MUNDS-DRY: No objection.

25 CHAIRPERSON CATANACH: Exhibits 1 through

1 12 are admitted.

2 (High Roller Wells, LLC Exhibit Numbers 1
3 through 12 are offered and admitted into
4 evidence.)

5 CHAIRPERSON CATANACH: Mr. Bruce.

6 CROSS-EXAMINATION

7 BY MR. BRUCE:

8 Q. Mr. Johnston, going back to the 5,000-foot
9 depth, that would include most of the Bell Canyon?

10 A. All of the Bell Canyon, all of the Cherry
11 Canyon and the upper portion of the Brushy. If you look
12 at Exhibit Number 9, you can see that it will include a
13 little over 300 feet of the upper portion of the Brushy
14 Canyon. That's assuming you agree with my correlation
15 of where the top of the Brushy Canyon is.

16 Q. And you agree that the Brushy Canyon is
17 productive in this area?

18 A. Well, like I already said, yes, sir. If you
19 look at the cross section, the lower portion is -- does
20 have established production. That's what the red
21 perforated intervals on Exhibit Number 9 show.

22 Q. And in the Division's order, finding paragraph
23 25, the Division found that the Cherry Canyon had viable
24 potential; did they not?

25 A. You'd have to show it to me. I don't know.

1 Q. Do you have your Exhibit 2 in front of you?

2 Turn to page 4, finding paragraph 25.

3 A. It reads: "Opponent's testimony and evidence
4 supported a viable potential for occurrences of
5 hydrocarbon resources in both the Cherry Canyon and
6 Brushy Canyon formations."

7 Q. And I was unclear on this point. Are you still
8 seeking a maximum of 17,500 barrels of water per day on
9 injection?

10 A. No, sir. 8,000.

11 Q. When you're looking at whether a zone is
12 productive or how to determine if it's not productive,
13 what do you look at, you yourself personally?

14 A. I look at if anybody has been able to establish
15 commercial production within a two-mile area.

16 Q. Do you look at water saturation?

17 A. You can look at water saturations. You can
18 look at mud-log shows. But those are fairly subjective.
19 The acid test is has anybody established production and
20 reported production. A mud log shows, in my opinion --
21 should be given low weight in that sort of analysis.

22 What matters is have you established reportable
23 production to whatever agency you need to report it to.

24 Q. And if you turn to your Exhibit 3, the C-108,
25 page 9, the fourth well from the left is a Cherry Canyon

1 producer in this general area; is it not?

2 A. The Papagayo Federal #1?

3 Q. The Nel #2.

4 A. Oh, okay. It's labeled as such.

5 Q. And you also have a Bell Canyon producer,
6 although this is a distance away, is it not, the
7 Papagayo?

8 A. It's more than two miles away.

9 Q. Now, you stated that the maximum pressure under
10 statewide Division rules would be at this point, if this
11 application is approved, 520 psi?

12 A. That's my understanding. Yes, sir.

13 Q. And you might, in the future, ask permission to
14 do a step-rate test to do across that pressure; is that
15 correct?

16 A. I would expect so, yes.

17 Q. What is the frac gradient in the Delaware?

18 A. Well, that's the purpose of running the
19 step-rate test, is to determine what's the frac gradient
20 for the rock at the location of that disposal well.

21 Q. You talk about the areal extent of the
22 injection. I think you said a 700-foot radius; is that
23 correct?

24 A. Yes, sir. If you assume 490 feet of sand, 22
25 percent porosity, 8,000 barrels a day, 365 days a year

1 for ten years, it comes out to be like a 695-foot
2 radius.

3 Q. Do you expect this life -- this well to only
4 have a ten-year life?

5 A. You know, I don't know. But if the permit
6 allows them to put 8,000 barrels a day away, with that
7 pressure limitation, the 520, I doubt that they'll be
8 able to put 8,000 barrels a day away consistently.

9 Q. And this well is located 313 feet -- or it will
10 be located 313 feet away from the south line of Section
11 33, correct?

12 A. Yes.

13 Q. So 700 feet exceeds, obviously, 313 feet?

14 A. Yes.

15 Q. Looking at your Exhibit 9, you're going down to
16 5,000 feet. Where is your impermeable barrier -- fluid
17 movement?

18 A. It would be the zones that have higher
19 resistivity and lower porosity. Again, I believe that
20 the Southwest Royalty Witt #1, which is very near to the
21 Gossett, is pretty representative of what we expect to
22 encounter, and you can see that there are some lower
23 porosity intervals just below 5,000 feet.

24 Q. But if you're looking at the Witt #1, that's
25 not until you get to about 5,900 feet; is that correct?

1 A. Well, there are some higher resistivity
2 intervals just immediately above 5,000 feet, and then
3 there are some others a little bit deeper.

4 Q. But you're requesting permission to inject down
5 to 5,000 feet?

6 A. Yes. But we're not going to perforate anything
7 that doesn't have good porosity development and we have
8 signs of invasion on the resistivity curve.

9 Q. But you won't know that until you drill?

10 A. That is correct.

11 Q. And also when you mentioned the Witt #1, if you
12 look at the well to the right of that, the Trek
13 Operating, the barriers you talk about in the Witt well
14 are nonexistent in the Trek Operating well, are they?

15 A. Some of them are. Down around a depth of about
16 5,200 feet, there are some higher gamma-ray intervals
17 that have corresponding high resistivity and lower
18 porosity values.

19 Q. Looking at the Witt well again, right down at
20 5,000 feet, if you're looking at the log, the vertical
21 line, second over, is the porosity, correct?

22 A. I'm sorry. Would you say that again?

23 Q. Is the zero porosity line. If you're looking
24 at the log for the Witt well --

25 A. Okay.

1 Q. -- starting at the right-hand side of that log,
2 you move over to the first vertical line on this plot,
3 that's the zero porosity line; is it not?

4 A. Yes. Well, let me say it this way. The scale
5 on the porosity curve is minus 10 on the right to 30
6 percent over by the depth track.

7 Q. But --

8 A. So the first solid line is zero. The next
9 solid line is ten, and then the next solid line is 20.

10 Q. And you never get over to the zero percent
11 porosity line? There is no porosity at the depth of
12 5,000 feet?

13 A. Well, you're never going to go to complete zero
14 porosity, but I wouldn't expect much fluid movement when
15 you get down below 10 percent porosity. When I designed
16 these completions, I looked for intervals that have
17 greater than 15 percent porosity.

18 Q. A few final questions, Mr. Johnston, and if you
19 don't know, then you don't know. But does High Roller
20 own any mineral interests in the southeast
21 quarter-southeast quarter of Section 33?

22 A. I don't believe they do.

23 Q. Has High Roller look at drilling a Devonian SWD
24 well rather than a Delaware SWD well?

25 A. We have looked at the Devonian, and we don't

1 believe that it has very good potential for disposal.

2 Q. Have you looked at differences in AFE for
3 drilling a Devonian SWD well versus a Delaware SWD well?

4 A. Well, drilling to the Devonian is going to be
5 substantially more expensive. We're talking about
6 having to drill an extra 10,000 feet, roughly.

7 MR. BRUCE: I think that's all I have,
8 Mr. Chair.

9 CHAIRPERSON CATANACH: Ms. Munds-Dry, do
10 you have any questions?

11 MS. MUNDS-DRY: No questions, Mr. Chairman.
12 Thank you.

13 CROSS-EXAMINATION

14 BY CHAIRPERSON CATANACH:

15 Q. Mr. Johnston, you said the well will be
16 operated by a different company than the company that
17 drills the well? It's not going to be High Roller that
18 operates, right?

19 A. Initially High Roller will take it operational,
20 and then we'll seek to transfer operatorship to a
21 company by the name of NGL Water Solutions, which is a
22 publicly traded company based in Denver, Colorado.

23 Q. Can you tell me what the association is between
24 your company and NGL Water Solutions?

25 A. NGL and High Roller have a development contract

1 agreement wherein High Roller will drill, complete,
2 build the facilities, and once they go operational, then
3 they will sell the facility to NGL.

4 Q. So you won't retain an interest in the well?

5 A. No.

6 Q. It wasn't brought up, but in the initial
7 hearing, I think there were some issues with regards to
8 the surface at this proposed location. Can you tell me
9 what that -- where this facility will be as far as -- is
10 it in a town? Is it in a residential area?

11 A. As I understand it, the piece of property
12 adjacent to this, a family has built a residence on it.
13 As far as how many residences are in the area, I can't
14 tell you. I do know that one of the individuals that
15 appeared at the first hearing indicated that they were
16 in the process of building a house on the adjacent piece
17 of property. And as I understand it, it's actually --
18 if you flip to Exhibit Number 11, as I understand it,
19 that residence is being built just to the south of this
20 proposed facility diagram. And we are amenable, or
21 will, if that house has actually been built, move the
22 tank battery and the facility as far away from that
23 residence as we can.

24 MR. HALL: Mr. Chairman, if you can turn to
25 page 14 of the C-108, there is an area locator there.

1 Q. (BY CHAIRPERSON CATANACH) So the town of Loving
2 would be to the north then?

3 MR. HALL: Yes.

4 Q. (BY CHAIRPERSON CATANACH) So with regard to the
5 injection interval, you believe you need the
6 additional -- additional interval that was not approved
7 by the original order to get enough water into this
8 well?

9 A. No. Let's see. If we flip to --

10 Q. Because the original order approved 2,600 to
11 3,200. So you're seeking to go down to 5,000 again?

12 A. Yes, sir.

13 If you look at page 37 of the C-108, that
14 is a wellbore schematic for the HNG Oil Pardue Farms #1.
15 You can see that that well has a cement plug from 3,573
16 to 3,673. As I understand it, the thrust of Mewbourne's
17 protest at this point is going to be that this well will
18 allow for the movement of injected fluids out of the
19 injection interval.

20 And then if you flip to the next page, page
21 38, that's an HNG Vasquez 4 Com #1. That well had
22 7-inch casing cut and pulled. Top of the cement plug's
23 at 4,946.

24 Again, Mewbourne's -- the thrust of their
25 protest today, which is different than the original

1 hearing, is they're going to say we have a confinement
2 issue.

3 So one way to -- the best way, in my
4 opinion, to address the confinement issue is to drop the
5 bottom of the disposal interval deep enough so that both
6 of these two wells have adequate cement plugs so we
7 don't have the movement of fluid out of the permitted
8 interval.

9 Perhaps one way to thread the needle on
10 this would be to grant the disposal interval from 2,600
11 feet to 5,000 feet but put a provision in there that we
12 can't perforate any deeper than 3,350.

13 Q. Well, if you're permitted from, 2600 to 5,000
14 feet, that whole -- that whole injection interval is
15 open in the Vasquez 4 Com #1; is that correct?

16 A. Yes, sir.

17 Q. So what good would it do to confine the
18 injection to 3,300 to 5,000 feet? You're still going to
19 have that interval open.

20 A. Yes, sir. The other option is to grant the
21 permit with an interval from 2,600 to 3,350 and then put
22 a provision in there that we have to re-enter and spot
23 adequate cement plugs to obtain confinement in these two
24 wells.

25 Q. And is that something that your company's

1 willing to do?

2 A. They certainly would look at it. It's an added
3 cost, but building this facility, they're talking about
4 spending quite a bit of money anyway. They consider
5 this to be a good location because of all of the Bone
6 Spring and Wolfcamp development that's going on in the
7 area. There is a need for disposal capacity in the
8 area.

9 Q. Okay. So wouldn't that same -- wouldn't that
10 hold true for the Pardue Farms #1 well as well? That --
11 that appears to be open in the injection interval also.
12 That's the lower -- the upper plug would be 2,442, and
13 it would be open from 2,442 to 3,573. So that would be
14 the same situation, correct?

15 A. The two confinement-issue wells would be Pardue
16 Farms #1 and the Vasquez 4 Com #1. Yes, sir.

17 Q. So if your application was granted, I mean, it
18 may be that you would have to do -- re-enter both of
19 these wells --

20 A. Yes.

21 Q. -- to solve the confinement issue?

22 A. Depending on what disposal interval is
23 approved, that is correct.

24 Q. Well, you're asking for 2,600 to 5,000 feet.

25 A. If the permit's issued that way, then there is

1 no confinement issue. In the Pardue Farms, the upper --
2 or the bottom plug that spans from 4,485 to 4,585, along
3 with the cement on the side of the 7-inch, would confine
4 the lower movement of fluid.

5 Q. But if you perforate it at 2,600 feet, you
6 would still have a confinement issue there. I mean, it
7 would still allow that to go into the formation and
8 possibly migrate from there?

9 A. Well, no. I don't believe that that would be a
10 problem because that shallower interval that you're
11 referring to is going to be the salt in the anhydrite
12 section which will not take fluid. It doesn't have
13 permeability.

14 Q. Where would the top of the Bell Canyon be in
15 that well?

16 A. I'd have to look at the log. Again, that --

17 Q. Okay. I had a question on the Witt #1. I had
18 a chance to review this application before the hearing,
19 and that -- apparently the well file shows that that
20 cement was circulated on that 5-and-a-half-inch casing.

21 A. I'd have to pull the paperwork, but I
22 calculated that the top of the cement was at the surface
23 on Exhibit Number 5.

24 Q. So you did recalculate that?

25 A. I'd have to look at my notes. I don't remember

1 if I took the top of surface as being ground level or if
2 the paperwork reflected that.

3 Q. Okay. I would like to see that calculation
4 because I calculated the cement top of about 2,400 feet
5 in that well. So I'm a little concerned about the --
6 that you are portraying that to be a surface. I don't
7 know. That could be a possible issue with regards to
8 migration of fluid into the salt section, so if you
9 could provide those calculations to me.

10 A. Okay. Do you want to take a five-minute break
11 and let me see if I can find it?

12 Q. Yeah. After we finish the cross, we can take a
13 five-minute break.

14 A. Okay.

15 Q. So OCD originally didn't allow injection into
16 the Bell Canyon. You disagree with that, that it's
17 potentially productive?

18 A. I see no evidence that the Bell Canyon's
19 productive in this area. There are other areas in the
20 Delaware Basin where you do have features -- structural
21 features where the members of the Bell Canyon are
22 productive, but there are none within two miles of this
23 location.

24 Q. And you believe that also to be true of the
25 Cherry Canyon?

1 A. Yes, sir, no established production.

2 Q. Do you have an opinion as to whether those
3 zones might be productive in a horizontal completion?

4 A. If you're not able to establish production with
5 a vertical well in this sort of a reservoir where you've
6 got good porosity development and decent permeability,
7 if you're not able to make -- if you're not able to
8 establish production with a vertical well, I would doubt
9 that you're going to be able to establish commercial
10 production with a horizontal well.

11 The problem that you -- that I envision is
12 most of the oil accumulation that you have in the
13 Delaware, in particular sands, is when you have some
14 sort of a structural feature where you trap some oil as
15 it's migrating shallower. So you've got a thin oil
16 column on top of a large wet sand. Your ability to land
17 the well up in that oil column and keep it up there, you
18 know, while the well is porpoising as you directionally
19 drill it, that's tough. It's hard to do.

20 Q. Mr. Johnston, do you believe that injection
21 into this interval will cause any drilling problems for
22 wells that are drilled deeper in this area for any
23 producing wells?

24 A. It depends how close they are drilled to the --
25 to the disposal well. If you drill very close to a

1 disposal well, certainly you're going to have to drill
2 with a heavier mud weight to control the increased
3 pressure, but if you get some distance away from the
4 disposal well, that pressure increase with the injection
5 separation is causing dissipating the further you get
6 away from it.

7 Q. We've had some discussions with some operators
8 in southeast New Mexico regarding Delaware injection.
9 It is a big issue with us right now. And I don't know
10 if this is one of the areas in particular, but we've
11 been informed that some of these areas are getting to be
12 really high pressure, some of these injection intervals
13 that are being used. To your knowledge, that's not --
14 is that in this area; do you know?

15 A. I don't know. I would not expect that it's a
16 problem in this area because there hasn't been very much
17 injection.

18 COMMISSIONER PADILLA: I just have a few.

19 CROSS-EXAMINATION

20 BY COMMISSIONER PADILLA:

21 Q. Good morning, Mr. Johnston.

22 Just to clarify, on Exhibit Number 1 -- I
23 think we've established this. But for the proposed
24 hearing on May 19th, 2016 does not reflect what you're
25 actually proposing with the 34- -- 3,340 as a depth?

1 We've amended that to 5,000?

2 A. Yes, sir.

3 Q. Okay. Does that affect anything else in the
4 rest of the exhibits as it correlates to -- to what the
5 Applicant is requesting?

6 A. Well, the C-108 was originally filed and
7 continues to take the -- show drilling to 5,100 feet, so
8 I believe that is consistent with this expanded
9 interval.

10 Q. Okay. Going to your testimony about a plume
11 after ten years of operation at max rates, what are
12 those depths for the calculations? Are you talking
13 3,400 feet, or are you talking 5,000 feet in that
14 700-foot radius calculation?

15 A. That would be looking at what good sands exist
16 between 2,600 and 3,350.

17 Q. Okay. So theoretically it could be smaller if
18 you were going all the way to 5,000?

19 A. Absolutely. It would be much smaller.

20 Q. Okay. And it was touched on briefly earlier,
21 but the ownership -- I know you're not here to testify
22 about ownership, but I'm assuming this is fee surface?

23 A. They own the surface at the proposed location.
24 They purchased it.

25 Q. Okay. And you don't have any idea about the

1 mineral interest in any --

2 A. I'm not -- I don't know.

3 Q. -- in the immediate area?

4 Okay. And just to clarify,
5 4-and-a-half-inch N80 polylined injection stream would
6 be --

7 A. The tubing stream would be four and a half,
8 yes, sir. The reason they do that is to minimize
9 friction.

10 Q. And corrosion, presumably?

11 A. They run that 4-and-a-half inch -- really it's
12 a 4-and-a-half-inch casing, is what they're running for
13 tubing.

14 Q. N80 is pretty heavy?

15 A. Yeah. It's -- I believe it's the 1126 pounds,
16 is what the plan is to run.

17 Q. Okay. That's all I have.

18 CHAIRPERSON CATANACH: Commissioner?

19 COMMISSIONER BALCH: Sure.

20 CROSS-EXAMINATION

21 BY COMMISSIONER BALCH:

22 Q. Good morning, Mr. Johnston.

23 A. Good morning.

24 Q. I want to follow up a little bit on
25 Commissioner Padilla's question about the radius and the

1 expected saltwater plume. How many feet of perforations
2 did you use in that calculation, approximately?

3 A. 490.

4 Q. Out of the original -- you had 2,600 to 3,335
5 feet, something like that?

6 A. Roughly, 3,550.

7 Q. 3,550.

8 A. So if you included the entire interval, you
9 would add up a lot of sand thickness to that, which
10 would shrink that roughly 700-foot radius.

11 Q. Right.

12 You talked a lot about porosity. You
13 didn't talk about permeability -- expected permeability.

14 A. I would -- in my experience, the Delaware, with
15 this sort of porosity, it's a sandstone. It's going to
16 have not great permeability. It's not going to be
17 hundreds of millidarcies, but I expect it to be in the
18 range of 75 to 125 millidarcies, something like that.

19 Q. Of course, you need a step-rate test to get the
20 actual parting pressure of the rock, but what do you
21 calculate that -- depth to be in your injection
22 interval? What do you expect to see?

23 A. I would expect the frac gradient for this rock
24 to be somewhere in the, say, .62 to .72 range.

25 High Roller Wells just drilled and

1 completed a well a mile or two south of the state line,
2 about 15 miles south of here (indicating), and when they
3 did the pump-in test, which was a step-rate test, we saw
4 gradients up on the order of .66 psi per foot. And we
5 did not see any break-over. We were not fracing the
6 well in that analysis.

7 Q. I think that is Exhibit 7?

8 A. Yes, sir. Or 6.

9 Q. 6. Okay.

10 On your listing of wells in Exhibit 8,
11 there are a number of inactive wells that had no
12 perforations in them. I'm just curious about the status
13 of six of those wells in particular. The two nearby
14 saltwater disposal wells, Pearl #1 and the Pardue Farms
15 #1, those are inactive saltwater disposal wells, and
16 they were perfed -- Pearl #1 at 355 feet and Pardue
17 Farms at 4,394 feet --

18 A. Yes, sir.

19 Q. -- upper perforations?

20 The Pearl #1 was actually nearly within the
21 half-mile radius of your well; is that correct? Just
22 outside of the half-mile radius, on page 3 of Exhibit 8?

23 A. Yes, sir. Yes, sir. It's -- looks to be 1,000
24 feet due east of the -- of the half-mile circle.

25 Q. Right.

1 So these are inactive saltwater disposal
2 wells that are in approximately the same interval and
3 nearby. Do you know anything about the status of those
4 wells?

5 A. Just that they're not active, and I don't know
6 why they went inactive or if they've been plugged.

7 Q. Do you know approximate injection volumes that
8 may have gone into those wells or periods of operation?
9 I guess you wouldn't know the periods of operation.

10 A. No. I don't know the periods of operation.

11 If you flip to page 8 of the C-108, we
12 indicated that at least a million barrels of water had
13 been injected into that API number, 40496, which is the
14 Pearl well you're talking about, for the last two years.

15 Q. In the last two years, it's taken a million
16 barrels?

17 A. I'd have to refer to -- I'd need to ask
18 somebody something, but it's taken a million barrels. I
19 don't know specifically what the time frame was when it
20 did that.

21 MR. HALL: Dr. Balch, we do have another
22 individual available who could provide some testimony
23 about completion information on those wells' production.

24 COMMISSIONER BALCH: On the saltwater
25 disposal wells?

1 MR. HALL: Yes, sir.

2 COMMISSIONER BALCH: Okay. Perhaps you
3 might want to follow up on that.

4 Q. (BY COMMISSIONER BALCH) How about the four
5 inactive Brushy Canyon wells that are within the
6 two-mile circle? They're also unperforated. I'm not
7 sure what inactive means in that case. Drilled and
8 never completed? They're not plugged and abandoned.

9 A. I'd have to check the available records to
10 answer that. I don't know.

11 Q. In your table in Exhibit 8, I mean, there are a
12 lot of inactive that show perforations. What does that
13 generally mean?

14 A. What I did in table number eight was I went
15 through and any wells that had perforations in the --
16 any of the Delaware sands, I went and tried to populate
17 the perforated intervals. The vast majority of the
18 wells that don't have recorded perforations are for
19 Atoka, Bone Spring, deeper horizons.

20 Q. Right. But I did pick out four Brushy Canyon
21 wells.

22 A. Did I miss a couple?

23 Q. Well, there are four Brushy Canyon wells or at
24 least four wells that targeted that reservoir, Brushy
25 Canyon East, in all four cases. They're on page 3 --

1 I'm sorry -- page 2 of Exhibit 8, Layla 35, Softail BC
2 26, Yardbirds 34 PA, Speedwagon 001H 27.

3 A. Yeah. I see the wells you're talking about.

4 Q. Would your other experts also be able to
5 address those inactive wells?

6 MR. WOOD: No.

7 COMMISSIONER BALCH: Just the saltwater
8 wells?

9 Q. (BY COMMISSIONER BALCH) So you don't know what
10 the status of this well is?

11 A. Well, just that the filings -- the database
12 that I accessed showed them as inactive. It was an
13 oversight on my part not to populate what the
14 perforations are for those four wells.

15 Q. Oh. So there may be actually be perforated
16 intervals for those?

17 A. I would expect -- well, if you look at them,
18 the top one, the Layla 35 #3H, it has -- you see that it
19 has zero reported production.

20 Q. Right.

21 A. Okay. The next one is the Softail 1H. It's
22 another horizontal well. Again --

23 Q. Zero production.

24 A. -- zero production.

25 The next one is the Yardbirds 34 #2H.

1 Again, no production.

2 And then the next is -- it doesn't have a
3 fee name, but it shows it's a horizontal well and,
4 again, zero production. So I would expect what's
5 happened is the filing of the drilling permit has caused
6 these wells to go into the database, but since they're
7 not completed, that's why there is no -- or might not
8 have been drilled.

9 Q. New wells or planned wells?

10 A. Only drilling permits. The fact that there is
11 zero production in the column dated -- "FP Date" and "LP
12 Date," that's first production date, last production
13 date. Means to me it's a drilling permit that may or
14 may not been drilled.

15 Q. How long do those things stay in the record?
16 Is that forever?

17 CHAIRPERSON CATANACH: Yeah. I think they
18 do.

19 THE WITNESS: In this database, I'm afraid
20 they're going to stay there forever.

21 COMMISSIONER PADILLA: When the API
22 expires.

23 COMMISSIONER BALCH: Which is five years?

24 COMMISSIONER PADILLA: No. It's two years.

25 THE WITNESS: Two years.

1 COMMISSIONER PADILLA: I'll ask you one
2 more question quickly.

3 RECROSS EXAMINATION

4 BY COMMISSIONER PADILLA:

5 Q. I'm curious about the transfer of the facility
6 post-construction. Is that typical of the business
7 model used in Texas as well, or is it something specific
8 to New Mexico?

9 A. That is the business model that's been used in
10 Texas for the, roughly, 36 wells that I've mentioned.

11 Q. Build them, get them going, sell them?

12 A. Yes.

13 Q. So you don't retain any operations?

14 A. No.

15 And NGL, at the same time, they operate
16 nearly 50 disposal wells in Texas and a number of them
17 in Colorado, North Dakota.

18 Q. Okay. Thank you.

19 RECROSS EXAMINATION

20 BY CHAIRPERSON CATANACH:

21 Q. So just for the record, if you inject 8,000
22 barrels a day for ten years, that's 29 million barrels,
23 approximately. Just for reference, I mean, you know,
24 that one well injected a million barrels, but you're
25 talking about 29 million barrels over a period of time?

1 A. It would be a very large number. Yes, sir.

2 Q. Okay.

3 CHAIRPERSON CATANACH: Can we call the next
4 witness?

5 MR. HALL: Did we have you sworn?

6 MR. WOOD: Not yet.

7 MR. HALL: Mr. Chair, ask this witness be
8 sworn.

9 MR. BRANCARD: Mr. Chair, I'd like to
10 clarify one thing.

11 CHAIRPERSON CATANACH: Sorry, Mr. Brancard.

12 CROSS-EXAMINATION

13 BY MR. BRANCARD:

14 Q. I just wanted to clarify what High Roller
15 Wells' position is in this case. High Roller Wells did
16 not file for a de novo hearing?

17 MR. HALL: That's correct.

18 Q. (BY MR. BRANCARD) Okay. But now you are taking
19 us back to your original C-108 application as the
20 basis --

21 A. Yes.

22 Q. -- for this --

23 A. Yes, sir.

24 Q. -- for the interval but with a change to the
25 injection rate?

1 A. Yes. We're reducing it. Yes.

2 Q. Okay. Could you look at Exhibit 2, the
3 Division order? I just want to clarify for the sake of
4 the Commission and to try and develop a decision here.
5 If you look at sort of page 5 on, there is the
6 Division's orders. Obviously, you disagree with number
7 two at this point. But is there anything else here that
8 the Division has ordered as stipulations to approval
9 that you disagree with? A lot of these are sort of
10 standard conditions the Division puts into these orders.

11 A. I believe that those provisions, 1 through 19,
12 are all things that we can live with.

13 Q. Okay. Thank you.

14 CHAIRPERSON CATANACH: Thank you,
15 Mr. Brancard.

16 Let's swear in your additional witness.

17 BRIAN WOOD,
18 after having been first duly sworn under oath, was
19 questioned and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. HALL:

22 Q. For the record, state your name, please.

23 A. Brian Wood, Santa Fe, New Mexico.

24 Q. Mr. Woods, by whom are you employed?

25 A. Permits West.

1 Q. And tell us briefly what Permits West does.

2 A. We help companies acquire permits to use land,
3 principally oil and gas type uses, but we work on pumice
4 lines, radial [phonetic] lines, powerlines,
5 communication.

6 Q. Did you participate in the completion of the
7 C-108 for the Gossett?

8 A. Yes.

9 Q. Are you familiar with the well files for the
10 Pearl #1 and Pardue Farms #1 disposal wells?

11 A. The Pearl 1, in particular, when I prepared the
12 C-108, I looked at the GO-TECH database, derived, you
13 know, the injection volumes from that. So, in essence,
14 that's why I use the phrase at least 1,085,000 barrels
15 have been disposed of at that point. The application
16 was filed in December of 2014 so that probably would
17 have been up through September or October of 2014.

18 We had a question yesterday about why was
19 it inactive. I looked at the OCD Web site last night.
20 There was a sundry -- a series of sundry notices filed
21 last year, I believe late summer or early fall,
22 indicating they had a packer leak. They subsequently
23 went in and repaired the packer leak.

24

25

1 CROSS-EXAMINATION

2 BY COMMISSIONER BALCH:

3 Q. So that's an active saltwater disposal well?

4 A. Yes. I don't know that they're injecting
5 today, but, like I say, my hunch is that that's why the
6 report was inactive, was because of the packer leak.
7 But they have shut the well in. Obviously, they have
8 since repaired it. And I did not check to see if it's
9 been injecting since the repair.

10 Q. Do you know what rate they're injecting at?

11 A. I do not.

12 Q. The Pardue Farms #1, that's quite a distance
13 away, maybe two miles. Do you know anything about that
14 well?

15 A. I do not.

16 CHAIRPERSON CATANACH: No other questions?
17 Any questions of this witness?

18 Okay. This witness may be excused.

19 Let's go ahead and take a break here before
20 we proceed.

21 (Recess 10:43 a.m. to 10:55 a.m.)

22 CHAIRPERSON CATANACH: Call the hearing
23 back to order.

24 And let's see. You're going to answer the
25 question I had?

1 RICK JOHNSTON,
2 after having been previously sworn under oath, was
3 recalled, was questioned and testified as follows:

4 THE WITNESS: Yes, sir. On the Witt #1,
5 all that I have is a Form C-105, and it shows that a
6 5-and-a-half-inch casing was set at 6,299 in a
7 7-and-7-eighths-inch hole, cemented with 740 sacks of
8 premium-plus cement, using a -- I'm not sure I know what
9 premium plus in that is, but assuming a yield of about
10 1.1, I get 814 cubic feet of cement and a factor of
11 .1733 cubic foot per foot. Come up with a cement height
12 of 4,697. If you subtract that off of 6,299, that shows
13 a top of cement at 1,602.

14 Q. (BY CHAIRPERSON CATANACH) Okay. We'll take
15 another look at that, see if there is anything else in
16 the well file, see if we can find it. Okay?

17 CHAIRPERSON CATANACH: This witness may be
18 excused?

19 MR. HALL: Yes, sir. We'll reserve the
20 right to call him to provide rebuttal testimony.

21 CHAIRPERSON CATANACH: Okay.

22 CLAYTON PEARSON,
23 after having been previously sworn under oath, was
24 questioned and testified as follows:

25

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. BRUCE:

Q. Would you please state your name and city of residence?

A. Clayton Pearson, Midland, Texas.

Q. Who do you work for and in what capacity?

A. I work for Mewbourne Oil Company as a petroleum landman.

Q. Have you previously testified before the three-member Commission?

A. No.

Q. Have you testified in front of the Division?

A. Yes, I have.

Q. And were your credentials as an expert petroleum landman accepted as a matter of record?

A. They were.

Q. Could you just briefly summarize your educational and employment background?

A. I received an undergraduate degree from Texas Tech University in May of 2011. I received an energy commerce degree. And I have worked as a petroleum landman since July of 2011 full-time.

Q. And who have you worked for?

A. I've worked as an independent contractor for approximately six months, and then I started working for

1 Mewbourne Oil Company in November of 2011.

2 Q. And are you familiar with the land matters
3 involved in this application?

4 A. Yes.

5 MR. BRUCE: Mr. Chairman, I'd tender
6 Mr. Pearson as an expert petroleum landman.

7 MR. HALL: And we do not object.

8 CHAIRPERSON CATANACH: Okay. Mr. Pearson
9 is so qualified.

10 Q. (BY MR. BRUCE) Mr. Pearson, would you identify
11 Exhibit 1 and just briefly discuss its content?

12 A. Sure. Exhibit 1 is a plat showing the general
13 area. It shows Mewbourne Oil Company's leasehold
14 position. Any tract highlighted in yellow is a working
15 interest unit that we have created and operate or plan
16 to create and operate. It also shows some drilled wells
17 that we operate, as well as some staked or permitted
18 wells.

19 Any of the solid brown lines represent a
20 drilled well. Any of the dashed brown lines represent a
21 stacked or permitted location.

22 It also shows the general location of a
23 Devonian SWD well that we have recently drilled and
24 completed in Section 27 of Township 23 South, Range 28
25 East.

1 Q. Okay. Now, you talked about -- Mewbourne does
2 have an ongoing development program in this area; is
3 that correct?

4 A. We do. We're targeting horizontal wells in the
5 Delaware Formation, Bone Spring Formation and Wolfcamp
6 Formation.

7 Q. What are Exhibits 2 and 3?

8 A. Exhibits 2 and 3 are just a portion of a couple
9 of leases we have on this acreage that are being
10 reviewed today. They're fully executed and recorded in
11 Eddy County, New Mexico.

12 Q. Okay. So you do own a leasehold interest in
13 the quarter-quarter section containing the proposed SWD
14 well?

15 A. That is correct.

16 Q. Is it a partial working interest?

17 A. Yes. We own 50 percent. The other 50 percent
18 working interest is owned by COG Production, LLC.

19 Q. And will Mewbourne's engineer and geologist
20 discuss the technical reasons why Mewbourne opposes this
21 application?

22 A. Yes, sir.

23 Q. Were Exhibits 1, 2 and 3 prepared by you or
24 under your supervision?

25 A. Yes.

1 MR. BRUCE: Mr. Examiner [sic], I'd move
2 the admission of Exhibits 1, 2 and 3.

3 MR. HALL: No objection.

4 MS. MUNDS-DRY: No objection.

5 CHAIRPERSON CATANACH: Exhibits 1, 2 and 3
6 are admitted.

7 (Mewbourne Oil Company Exhibit Numbers 1, 2
8 and 3 are offered and admitted into
9 evidence.)

10 MR. HALL: No questions of this witness.

11 CHAIRPERSON CATANACH: Mr. Pearson, just
12 one question.

13 CROSS-EXAMINATION

14 BY CHAIRPERSON CATANACH:

15 Q. I don't see any proposed wells in Section 33 or
16 to the south of Section 4.

17 A. These proposed wells and drilled wells only
18 represent in the Delaware Formation. We do actually
19 have two wells. We have drilled one. It's reached TD.
20 And we created a 960-acre working interest unit, which
21 is composed of the south half of Section 33 and Section
22 4 just to the south of it, and we are currently drilling
23 a second Wolfcamp well in the east half of that working
24 interest unit as we speak.

25 Q. And those are -- that's a Wolfcamp well?

1 A. That's correct.

2 Q. You don't have any Delaware wells planned for
3 drilling in these two sections?

4 A. At this point in time, we don't have any staked
5 or permitted, but I believe it is a target in this area.

6 Q. Does Mewbourne operate these wells?

7 A. Yes. We are the operator.

8 COMMISSIONER PADILLA: Just one quick one.

9 CROSS-EXAMINATION

10 BY COMMISSIONER PADILLA:

11 Q. For the sake of clarification, with the Gossett
12 label there, I can't really see the south half of 33,
13 but I'm assuming that is all Mewbourne leasehold.

14 A. It is not all Mewbourne leasehold, but it is
15 under a Joint Operating Agreement of which we are the
16 operator.

17 Q. But the southeast quarter is part of that where
18 the label kind of sits on top?

19 A. Correct. We do have leasehold there, and it's
20 under -- we have a contractual interest under the JOA.

21 Q. Okay.

22 COMMISSIONER BALCH: I have no questions.

23 NATE CLESS,

24 after having been previously sworn under oath, was
25 questioned and testified as follows:

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. BRUCE:

Q. Would you please state your name for the record?

A. Nate Cless.

Q. And where do you reside?

A. I live in Midland, Texas.

Q. Who do you work for and in what capacity?

A. I'm a geologist for Mewbourne Oil Company.

Q. Have you previously testified before the full Commission?

A. No, I have not.

Q. Have you previously testified before the Division?

A. I have.

Q. And were your credentials as an expert petroleum geologist accepted as a matter of record?

A. Yes, they were.

Q. Can you please summarize your educational and employment background for the Commissioners?

A. Yeah. I received -- in 2007, I received my bachelor of science degree from Kansas State University in geology. I then began working for Mewbourne Oil Company in January 2008. I also received my master of science in geology from the University of Oklahoma in

1 2009, and since then I've been working full-time as a
2 geologist for Mewbourne Oil Company.

3 Q. Does your area of responsibility at Mewbourne
4 include this portion of southeast New Mexico?

5 A. Yes, it does.

6 Q. And are you familiar with the geology involved
7 in these -- in this case?

8 A. Yes, I am.

9 MR. BRUCE: Mr. Chairman, I'd tender
10 Mr. Cless as an expert petroleum geologist.

11 MR. HALL: No objection.

12 CHAIRPERSON CATANACH: Mr. Cless is so
13 qualified.

14 Q. (BY MR. BRUCE) Mr. Cless, could you identify
15 Exhibit 4 for the Examiner [sic] and discuss why, in
16 summary, Mewbourne objects to the granting of this
17 application?

18 A. In Exhibit 4, there are just a few bullet
19 points on why we object to High Roller's case. In the
20 initial hearing, we presented evidence that the Cherry
21 Canyon and the Brushy Canyon both have -- both are
22 productive within this two-mile area. We have -- which
23 I'll show you on some of these subsequent pieces of
24 evidence that we have actual production -- commercial
25 production coming out of both the Brushy Canyon and

1 Cherry Canyon.

2 We also believe that there is viable
3 potential in the Bell Canyon. We didn't get into too
4 much detail on the Bell Canyon at the first hearing, but
5 we'll get into more detail today about it.

6 The Division concluded that our testimony
7 supported that there is viable potential for occurrences
8 of hydrocarbon resources in both the Cherry Canyon and
9 the Brushy Canyon, after the initial hearing. And then
10 we just believe that High Roller will not be able to
11 keep their injection water contained to just the Bell
12 Canyon, Cherry Canyon, or now the Brushy Canyon, which
13 they're asking for. We don't believe they'll be able to
14 contain their -- the injected water.

15 Q. Why don't we move on to your Exhibit 5?
16 Identify that. It contains a lot of data. Let's roll
17 through that exhibit.

18 A. So Exhibit 5 is a little larger regional map
19 which I've gone through and I've highlighted all of
20 the -- all of the wells that produce out of the Delaware
21 Formation. So I've broken it up into four different
22 zones, the Bell Canyon, which is the uppermost part, the
23 Cherry Canyon. And I've broken it into the Upper Brushy
24 Canyon and the Lower Brushy Canyon. And these are all
25 color-coated with these production circles.

1 The Bell Canyon is blue color. So you can
2 see kind of up to the north, in the 22-28 of the little
3 Bell Canyon field up there. And then about three or
4 four miles to the southeast of the proposed Gossett,
5 there is another Bell Canyon field over there through
6 that.

7 The Cherry Canyon producers are highlighted
8 with red production circles. And so the main well that
9 we're keying off of is going to be in Section 2 of
10 24-28. It's a Cherry Canyon well. That produced 15,000
11 barrels of oil back in the '50s out of the Cherry
12 Canyon.

13 And then you can see the main field in this
14 area is, as Mr. Johnston said, the Lower Brushy Canyon.
15 It's highlighted with the light green circles. But then
16 there is also Upper Brushy Canyon production in this
17 area, and those are highlighted with the dark green
18 circles.

19 On here I've highlighted all horizontal
20 Delaware activity, so the solid brown lines represent a
21 horizontal Delaware well that has been drilled. The
22 dashed lines -- the dashed brown lines represent wells
23 that we have either staked or permitted for the Delaware
24 Formation.

25 You can see just in this immediate area, we

1 have drilled the Delaware well in the west half-west
2 half of Section 35. We have also drilled another
3 Delaware well less than a mile away from the proposed
4 Gossett SWD in the west half-east half of Section 3.
5 That well we recently drilled about six months ago.
6 Both of those are productive -- good productive,
7 economic horizontal Delaware wells, and those are
8 both -- we targeted the Lower Brushy Canyon in this
9 area.

10 If you just kind of look more regionally,
11 there is a lot of Delaware horizontal activity that's
12 taking place. And if you go -- if you look on the
13 bottom part of the map, the south half of 24-28, there
14 is a little field of Upper Brushy Canyon horizontals
15 which has been drilled there, again the dark green
16 circles. A lot of those are half-mile laterals. But
17 that's a good productive, economic field

18 In the bottom right part of the map, there
19 is a Lower Cherry Canyon horizontal field that has been
20 drilled, again a lot of those little half-mile laterals.
21 And those were some of the first horizontals that were
22 drilled in the Delaware out here in New Mexico. And
23 then there are just a lot of other Lower Brushy Canyon
24 horizontals drilled off to the east.

25 So the Delaware is a very productive

1 formation in this area, and it's also an active area for
2 a lot of the operators, in addition to Mewbourne Oil,
3 for current horizontal development.

4 Q. In looking at this plat, for instance, the well
5 you mentioned in Section 2 of 24-28, that was a Cherry
6 Canyon producer?

7 A. Yes. It was a Cherry Canyon producer.

8 And looking through Mr. Johnston's
9 exhibits, there's -- whenever you -- whenever you get
10 data in New Mexico, a lot of the data companies that
11 provide -- that provide us all this data, they'll --
12 they'll -- they'll look at what was first completed.

13 So, for example, if a well was first
14 completed in the Lower Brushy Canyon Formation and then
15 was subsequently -- subsequently recompleted up into
16 another part of the Delaware Formation, like the Cherry
17 Canyon, in New Mexico, all you have to do is file a
18 sundry report. Well, those data -- those data service
19 companies don't catch those sundry reports, and so a lot
20 of times that can be missed by companies who aren't --
21 who just kind of briefly scan through this area.

22 But on my -- on a later exhibit, I've got
23 the sundry report that was filed, as well as an
24 authorization to transport that was filed showing that
25 that well did indeed produce out of the Cherry Canyon

1 Formation and not the -- not the Lower Brushy Canyon
2 Formation.

3 Q. But overall looking at it, there are obviously
4 Bell Canyon pools nearby?

5 A. Yes. There are certainly -- yeah. Like I
6 said, the closest one is just to the southeast. That is
7 the Malaga Delaware field, and it's made 1.3 million
8 barrels of oil and 3.9 million barrels of water.

9 Q. And those are all vertical wells?

10 A. Those are vertical wells drilled back in -- I
11 believe it was back in 1952, when that vertical [sic]
12 field first came online.

13 We have also -- it's just off of this map.
14 We're just over in 24-27, Section 11. We operate a Bell
15 Canyon well. And it's just an isolated Bell Canyon well
16 that sits out there by itself, but it's -- you know,
17 it's still a productive, economic well.

18 So we -- I mean, we've seen -- I guess the
19 Bell Canyon right now it's not something that people are
20 going out and drilling just because there are so many
21 other deeper objectives right now, the Wolfcamp and the
22 Bone Spring and these Lower Brushy Canyon wells, but --
23 but it's certainly something that somewhere down the
24 road, you know, people are going to keep trying and
25 going back.

1 And we've got mud-log shows through this
2 area, which have shows -- which have shows through the
3 Bell Canyon, which I'll show you on my next exhibit.
4 And also just looking at log analysis on some of this
5 stuff, I mean, water saturation calculations, and you
6 can see the resistivities in some of the Bell Canyon
7 sands, which would indicate they would calculate as a
8 productive sand. So --

9 Q. And is it -- there are a number of Wolfcamp and
10 Bone Spring wells in this area either drilled or being
11 drilled?

12 A. Yes, that's correct.

13 So we've drilled over in Section 35.
14 They're not highlighted, but you can see there are a lot
15 of horizontal laterals that are in Section 35. We've
16 drilled three 2nd Bone Spring sand wells in Section 35,
17 as well as two Wolfcamp wells in Section 35. In Section
18 33 and Section 4, we've drilled two mile-and-a-half
19 Wolfcamp laterals.

20 And the reason we're drilling Wolfcamp
21 first is because we're holding -- a lot of our leases
22 have expirations. So we're going in and we're holding
23 these acres -- this acreage and coming back and
24 developing it after our -- after our leases have held.
25 But yeah, there is -- there is quite a bit of -- of

1 other activity in this area.

2 And one thing I'd like to point out is a
3 lot of our Bone Spring wells that we've drilled in
4 Section 35, there was no -- there was no vertical Bone
5 Spring well that we were offsetting that told us, Hey,
6 this is a productive zone. You know, we were able to
7 do -- we've kind of extrapolated from other areas. You
8 know, we've gone out and said, Hey, that looks
9 productive. And we've gone out and tested it, and sure
10 enough, it's been productive horizontally.

11 Q. Those are commercial wells?

12 A. That's right. We don't necessarily need
13 vertical wells directly offsetting our acreage to tell
14 us that it's economic or not or that it's productive or
15 not.

16 Q. So it was the advent of horizontal drilling
17 that made the Bone Spring productive in Section 35?

18 A. That's correct.

19 Q. And it's the advent of horizontal drilling that
20 is making the Wolfcamp economic in this area?

21 A. That's correct.

22 Q. And, again, you believe that there is potential
23 in the Brushy Canyon, not only the Lower Brushy Canyon
24 but the Upper Brushy Canyon?

25 A. Yes. That is correct.

1 And -- and, again, you can look at these
2 other horizontal fields which -- which are in the area
3 which show people have tried -- tried the Upper Brushy
4 Canyon and the Cherry Canyon. And you can also just see
5 it's a lot of vertical wells. You know, the Lower
6 Brushy Canyon is obviously the main -- the main vertical
7 player in this area, but there's a lot of -- just to
8 the -- just to the south and east of here, there are
9 three Cherry Canyon horizontals -- not horizontals --
10 three Cherry Canyon vertical wells within four or five
11 miles of this area, and they're just kind of scattered,
12 isolated throughout here. But we do believe that there
13 is potential.

14 And I've also put a structure map -- or a
15 structure layer on this map, and this is my structure
16 map on the top of the Bone Spring Formation. And so
17 kind of like what Mr. Johnson [sic] was saying, we
18 believe that there is a little structural feature, a
19 structural component that sets up this Delaware field.
20 But we don't believe that it just sets up the basal
21 Brushy Canyon. We believe that it also extends up into
22 these other Delaware sands, so there is going to be
23 potential all along this structural feature.

24 Q. Let's move on to your cross section marked as
25 Exhibit 6. Can you discuss that for the Commission?

1 A. Yeah. So Exhibit 6 is a little bit of a large
2 exhibit but feel free to stop me at any point in time if
3 you have questions.

4 So this is a -- this is a north-south cross
5 section covering the Delaware Formation. And I've
6 put -- it's hung on the top of the Delaware Formation.
7 And so the third well in is their proposed injection
8 interval. This interval now -- you know, initially we
9 were thinking they were going to go down to 32- -- I
10 guess the order said that they were going to go down to
11 3,200 feet, and now it's down to 5,000 feet. So that
12 5,000-foot mark would be -- would be about 300 feet into
13 the top of the -- of the Brushy Canyon Formation in this
14 area.

15 But the second well on the cross section is
16 the Witt #1. This well is approximately a tenth of a
17 mile away from their proposed wells, so it's a good --
18 it's a good log to look at, kind of get an idea of what
19 they're going to encounter in the Delaware Formation.

20 First just looking at that particular well,
21 at the Witt #1, you know, I've marked the top of the
22 Delaware. The top of the Bell Canyon is a dashed green
23 line, and then I've got a marker called the Lower Bell
24 Canyon marker. And if you look at the resistivity log
25 on that, which is the leftmost log, you can see -- you

1 get a pretty nice invasion profile all the way through
2 that Lower -- that Lower Bell Canyon interval. And in
3 certain spots, you're getting sands where your
4 resistivity is getting up to six, seven ohms, with 22 to
5 24 percent porosity. Well, we believe that's going to
6 -- I mean, if you do a water-saturation calculation on
7 that, that's going to calculate as a productive sand to
8 the Bell Canyon, and it'll calculate somewhere in the 50
9 to 60 percent range for a -- for a water saturation. So
10 we believe that that would be a productive interval.

11 Also, just going on through the cross
12 section, just looking at the upper part of the --
13 looking at the lower part of the Bell Canyon Formation,
14 I've included three -- three mud logs on here from
15 vertica- -- from horizontal wells that we've drilled,
16 and I've highlighted where we've seen oil shows with
17 those green bars.

18 And so you can see -- you kind of have to
19 look closely, but by the upper part of the Lower Bell
20 Canyon, we have a light green oil cut and then also a
21 bright green-blue oil cut in an oil well in Section 3,
22 which this well is about a half mile away from their
23 proposed well.

24 Also, you can see there is a pretty
25 significant gas increase -- or a consistent gas increase

1 throughout the lower part of the -- of the Bell Canyon
2 Formation.

3 And so -- and then I guess if you just look
4 further down -- down these logs, you can see other
5 areas, in the Cherry Canyon where we've had this
6 consistent show throughout the -- throughout the Lower
7 Cherry Canyon Formation, as well as down into the Brushy
8 Canyon Formation.

9 One other thing I'll point out on here is
10 the fourth well on the cross section. It's the Vasquez
11 4 Com #1 well. Mr. Johnson [sic] referred -- or he
12 referenced this well a little bit, but this is one of
13 the wells that -- that -- that is not plugged properly.
14 And so on the left side of the wellbore, I've -- I've
15 identified where they left 7-inch casing in the hole and
16 then where there is open hole and then where the cement
17 plugs are. And so you can see there's open hole
18 basically all the way through -- all through the Bell
19 Canyon, all through the Cherry Canyon, and again about
20 250 feet into the top of the Brushy Canyon. So if water
21 were to get into this wellbore, it would be able to
22 travel freely throughout all parts of the Delaware
23 Formation.

24 I guess moving on, you can see there are
25 some -- there are some arrows on this -- on this cross

1 section where I've identified where there -- where there
2 are currently horizontal targets within this area.
3 We're drilling at the very bottom part of the Brushy
4 Canyon Formation right now, what we call the basal
5 Brushy Canyon. But within a township's radius, people
6 have drilled up here in the upper part of the Brushy
7 Canyon, the lower part of the Cherry Canyon, as well as
8 what I call the upper part -- or the lower part of the
9 Brushy Canyon.

10 Q. And, Mr. Cless, Mewbourne has a pretty large
11 acreage block in this area?

12 A. We do.

13 Q. So as part of your geologic study in this area,
14 you've evaluated a large number of wells?

15 A. That's right. We've spent -- I mean, there has
16 been a lot -- there are a lot of potential targets in
17 this area. And as you can see on our land map, we have
18 a big acreage position here. So this is -- you know, we
19 value this acreage quite a bit. And so -- yeah.
20 We've -- we've dug through a lot -- a lot of OCD well
21 files. That's where you really -- you really are able
22 to dig into these wells and into the well history of
23 each of these wells.

24 So I guess the last well I'll reference on
25 this cross section before any other questions is the

1 second-to-the-last well. It's the Beeman #1. It's
2 located in Section 2 of 24 South, 28 East. It's the
3 second well from the right. This is the well that I was
4 talking about that is the Cherry Canyon producer. So it
5 was initially drilled and tested in 1953. It tested the
6 Lower Brush Canyon. And that's where Mr. Johnson [sic]
7 got the perforations from, was from the Lower Brushy
8 Canyon. Well, that was then.

9 They also tested the 2nd Bone Spring
10 carbonates. They determined that was not productive, so
11 in August of 1954, they came back in and did the Lower
12 Cherry Canyon completion. And I've attached images of
13 the OCD well record, as well as the OCD allowable for
14 this particular well. They perforated from 4,676 to
15 4,684, and they did a small frac of 8,000 gallons and
16 8,000 pounds of sand. And that well made 15,000 barrels
17 of oil out of those perforations.

18 And you can see -- you can see both on the
19 OCD well records, as well the OCD authorization to
20 transport. The perforations that are listed are the
21 4,676, the 4,684 perforations. So that's indeed where
22 the -- where the production came from.

23 Q. Now, on this left-hand side of the cross
24 section, you start the Cherry Canyon at zero. At least
25 as to the left -- the well on the very far left, what

1 would that depth be -- that zero depth be to subsurface?

2 A. Sorry. Say that again.

3 Q. You know, you start -- you start with zero for
4 the top of the Bell Canyon --

5 A. Oh, right. Right. Yeah. That's just -- this
6 well is structurally hung on the top -- on the top of
7 the Bell Canyon Formation -- or the top of the Delaware
8 Formation. So depthwise, the top of the Cherry Canyon
9 Formation offsetting the Gossett is going to be around
10 3,475.

11 Q. That's the Cherry Canyon?

12 A. The Cherry Canyon Formation.

13 And that's just -- effectively, I got --
14 3,477 is the depth of the Witt #1, which is, again, a
15 tenth of a mile away from the proposed wellbore.

16 Q. Just a couple of final questions. Do you see
17 any -- you know, in the Cherry Canyon, in the Brushy
18 Canyon, do you see any impermeable barriers that would
19 prevent the migration of fluids from zone to zone?

20 A. No, I really don't. You know, this is -- these
21 are all deposited -- the geologic process deposited the
22 Delaware Formation. They're called turbidites. And
23 they're basically these big sheet stands [sic] that are
24 coming out in the bank and they're piling one on top of
25 the next.

1 But I guess if you just look on the logs,
2 well -- I mean, look at any of the porosity logs in
3 through here (indicating). You know, on average, the
4 Delaware Formation, the sands are going to be 15 to 20
5 percent, and even some of the higher resistivity shales
6 are only getting down to 8 to 10 percent on the density
7 porosity. And so I just don't believe that there's
8 going to be -- there's going to be anything in here
9 that's going to be a true impermeable barrier,
10 especially when you're talking about putting in 8,000
11 barrels a day into this formation.

12 Q. Does High Roller's proposal to limit where the
13 perms are situated satisfy Mewbourne?

14 A. No.

15 Q. You still think there is potential for
16 migration of fluids into other productive zones?

17 A. I certainly do. Like I said, I think
18 geologically there is -- there's not -- there's not
19 those barriers and then also the two open -- or the two
20 wells that are not properly plugged and abandoned. I
21 believe that those provide pathways for the water to get
22 down into the lower parts of the Delaware Formation.

23 So --

24 Q. And just one final issue. Mr. Johnston
25 testified in his Exhibits 7 and 8, I believe, about

1 certain Delaware wells that were inactive. Have you
2 looked at the data for those wells?

3 A. Yes, I have.

4 Q. And what --

5 A. Well, in regards -- I guess if you look back at
6 Exhibit Number 5 --

7 Q. Your Exhibit Number 5?

8 A. My Exhibit Number 5.

9 -- all the -- the oil wells that are still
10 active are going to be the vertical wells with the dark
11 black circle that are still active. If it's an open --
12 if it's an open circle, then it's no longer an active
13 well. It would be an inactive well. So you can see all
14 the wells in Section 34 are all still active. The
15 Witten [phonetic;sic] well in -- in 34 -- in the
16 southeast-southeast of 34, that's an inactive well.

17 But for the most part, that can kind --
18 that can kind of clarify what -- what is an active well
19 and what is not an active well. So the dark black
20 circles are going to be the active wells.

21 Q. Were Exhibits 4, 5 and 6 prepared by you or
22 under your supervision?

23 A. Yes, they were.

24 Q. And in your opinion, is the denial of High
25 Roller's application in the interest of conservation and

1 the prevention of waste?

2 A. Yes.

3 MR. BRUCE: Mr. Chairman, I move the
4 admission of Mewbourne's Exhibits 4, 5 and 6.

5 CHAIRPERSON CATANACH: Any objection?

6 MR. HALL: No objection.

7 CHAIRPERSON CATANACH: Exhibits 4, 5 and 6
8 will be admitted.

9 (Mewbourne Oil Company Exhibit Numbers 4, 5
10 and 6 are offered and admitted into
11 evidence.)

12 MR. BRUCE: And I pass the witness.

13 CROSS-EXAMINATION

14 BY MR. HALL:

15 Q. Mr. Cless, a moment ago you mentioned the
16 potential for migration of fluids. What fluids are you
17 talking about?

18 A. The injection fluids.

19 Q. Have you calculated, yourself, the potential
20 pressure plume for injection through the well?

21 A. I have not, but our engineer can testify a
22 little bit to that, but we have not.

23 Q. And you indicated that you thought that the
24 Vasquez well had been improperly plugged?

25 A. I don't want to say improperly plugged. I

1 would say that it's not going to contain fluids because
2 it does have the open hole all the way through the --
3 through the Bell Canyon, Cherry Canyon and into the
4 Brushy Canyon. So it was probably properly plugged, but
5 if you're going to go back and put an injection well
6 within in a half mile from it, then yes, you could say
7 it's not properly plugged for that.

8 Q. Did you look at the well file to see if the OCD
9 had approved the plugging plan?

10 A. I believe they had approved the plugging plan.

11 Q. All right. And the open hole is not a void, is
12 it? It's filled with mud, presumably; is that right?

13 A. I believe they did pump mud down it, yes.

14 Q. Would that militate against migration into that
15 wellbore?

16 A. I don't believe so.

17 Q. Can you explain to us -- let me ask you a
18 question about either one of your exhibits. Let's look
19 at Exhibit 5. That might be better. A well in the west
20 half-west half of 34, a permitted well, is that the
21 Yardbirds 2H? Is that right?

22 A. That's going to be the Yardbirds -- I couldn't
23 tell you the exact number on it, but yeah, it's going to
24 be the Yardbirds 34. It could be a 2H. I don't know
25 the exact number of it.

1 Q. And is that a two-mile lateral?

2 A. No. That's a -- that's a one-mile lateral.

3 There's a well that says "34," and then a well that says
4 "3" that goes south.

5 Q. All right. I understand.

6 Can you explain why Mewbourne's development
7 program has focused on the Wolfcamp and the Bone Spring
8 to the exclusion of the Delaware?

9 A. For the -- as I previously mentioned, a lot
10 of the -- a lot our current development is Wolfcamp.
11 For one, the economics are very good for the Wolfcamp
12 Formation, and two, we're able to hold -- we're able to
13 hold 320-acre unit per mile -- a 320-acre unit per mile.
14 So we have a lot of lease obligations. A lot of this --
15 a lot of this acreage in here is broken-up fee acreage
16 and fee leases. And so we're going in and basically
17 holding what we can and then coming back and
18 developing -- developing a lot this stuff at a later
19 date.

20 Q. The proposed wells in Section 34 and in Section
21 3, your Delaware proposals, has Mewbourne run the
22 economic cases on any of those wells?

23 A. Yes.

24 Q. And has it been presented to management?

25 A. Yes.

1 Q. Has it been accepted?

2 A. Yes. We recently -- I mean, a lot of the --
3 the first well -- the first Delaware well we built was
4 in the west half-west half of 35. Mr. Johnson --

5 Is it Johnston or Johnson?

6 MR. JOHNSTON: Johnston.

7 THE WITNESS: Okay.

8 He even mentioned that as being a very good
9 well. And so we've subsequently -- within the last six
10 months, we've drilled a well in Section 3, and we're
11 happy with the results. And so it has -- management is
12 on board. And so it is an economic play for us right
13 now.

14 Q. (BY MR. HALL) All right. You don't have those
15 to present to us today?

16 A. No, sir.

17 Q. On your Exhibit 6, Mr. Cless, can you look
18 at -- on those logs where you show oil shows in the
19 Lower Brushy Canyon -- basal Brushy Canyon, why have
20 those accumulations, if there are any, remained at that
21 zone?

22 A. There could be -- could be for a number of
23 reasons, but, you know, there could be low structural
24 traps. I would also -- I mean, I would also say that
25 it's -- the source of the oil is probably from the

1 Avalon Shale, which is just below that, and so it's
2 being trapped just above that in the Delaware sand -- or
3 in the basal Brushy part of the Delaware sand.

4 I would also point out, you know, there are
5 a number of wells on this cross section which have oil
6 accumulations out of some of these other -- Upper Cherry
7 Canyon zones and Brushy Canyon zones.

8 Q. That explains the trapping in that zone?

9 A. In a basal Brushy Canyon?

10 Q. Yes.

11 A. It could be -- it could be a stratigraphic
12 trap. It could be structural trap. It could be a
13 number of things.

14 Q. Is it possible it's there due to something
15 that's not reflected on the logs?

16 A. I would say -- yeah. I mean, this is a highly
17 complex zone. And we're looking at, you know, one or
18 two data points per mile, and so -- so yes, I would
19 agree with that.

20 Q. And about the Yardbirds 2H well, the APD for
21 that well expired -- has been allowed to expire?

22 A. I don't know off the top of my head.

23 MR. HALL: Nothing further.

24 CROSS-EXAMINATION

25 BY CHAIRPERSON CATANACH:

1 Q. Mr. Pearson [sic], on your -- on your -- you
2 identified the Upper Brushy Canyon, but on your -- on
3 your type log, would that be that interval between the
4 blue line and the brown line?

5 A. Yes, sir. I guess we kind of -- like I said,
6 we kind of focus on the basal Brushy Canyon. So yeah,
7 that would be that upper part, 500 feet below the top of
8 the Brushy Canyon, what I would call the Upper Brushy
9 Canyon.

10 Q. And that interval is productive to the
11 southeast?

12 A. Yes. If you look back at Exhibit -- Exhibit 5,
13 there is a well that -- I guess the last well on this
14 cross section located about three miles to the south in
15 Section 15. It produced 33,000 barrels of oil out of
16 that Upper Brushy Canyon sand.

17 Q. And it looks like there is production also to
18 the northeast on that Upper Brushy Canyon?

19 A. That's correct.

20 And then again that horizontal field
21 further to the south is all out of that Upper Brushy
22 Canyon field, and then there is a lot of vertical
23 production, like you mentioned, over in -- just
24 southeast of 24-29. But the closest well is down in
25 Section 15, about three miles away.

1 Q. How did the zones in the Cherry and the Bell --
2 the potential producing zones, how do those compare to
3 what you're seeing in the Lower Brushy Canyon in terms
4 of visible quality thickness potential?

5 A. I would say it's -- it's not as consistent. I
6 mean, you can see, with that big vertical field sitting
7 in this area, the quality of the rock and the
8 consistency of the -- it really comes down to the -- you
9 move quite a bit of fluid, but it comes down to the oil
10 cuts and the water cuts. And for whatever reason, that
11 Lower Brushy Canyon zone tends to have a higher -- a
12 higher oil cut and a lower water cut. But there are --
13 but -- and it's just a little thicker zone.

14 But these Upper Brushy Canyon sands and the
15 Lower Cherry Canyon sands, you know, they're pretty
16 consistent. You can still map them fairly regionally,
17 and they're just not as consistent, I would say, as in
18 the basal Brushy Canyon.

19 Q. Is the water saturation higher in those upper
20 zones?

21 A. It totally depends. You can look at the first
22 well on this cross section, located in Section 15 of
23 23-28. I guess I should have mentioned, on that map,
24 the numbers that are off to the right of each wellbore,
25 that represents cumulative gas. The black number is

1 oil, and the blue number is water. So you can see that
2 well in Section 15 of 23-28. It made 28,000 barrels of
3 oil and 57,000 barrels of water. And so it's -- I mean,
4 it's comparative to some of the -- some of the basal
5 Brushy stuff.

6 But it's -- it's -- I would say, on
7 average, a vertical Delaware well -- a good Delaware
8 well is going to make 30 percent oil cut, but it's
9 common to make anywhere from 5 to 10 percent oil cut on
10 upwards to 30, 40 percent. So --

11 Q. So there has been horizontal development, I
12 guess, in the -- in the Cherry Canyon down to the
13 southeast here?

14 A. That's correct.

15 Q. Are those wells economic?

16 A. Those wells, they're half-mile -- for the most
17 part, they're half-mile laterals.

18 These were -- if I can mention, these were
19 some of the first Delaware wells that were drilled in
20 New Mexico. At today's prices, it probably wouldn't be
21 economical, but -- but that was also -- you know, over
22 the last five years, we've really honed in on different
23 types of fracs, different types of completions. We've
24 improved -- we've improved our completions quite a bit,
25 even from two wells which are right by each other. You

1 know, we've changed from a cross-link job to a
2 slick-water completion job, and we've seen noticeable
3 results. So a lot of these are older completions. They
4 didn't pump quite as much sand as we would pump today.
5 And so I think that with current completion techniques,
6 that we could make it economic.

7 Q. And if the price of the oil goes higher, that
8 just improves the economics of those wells?

9 A. Certainly. And these wells -- you know, these
10 wells are 4,500-foot TVD wide, and so the cost of
11 drilling these things isn't astronomically high.

12 Q. Let me ask: Is it Mewbourne's position that
13 this application should be denied entirely?

14 A. Yes, it is.

15 Q. You just don't want them injecting anything in
16 this Delaware?

17 A. We've seen -- and I can let my next guy -- or
18 our next -- our engineer get into more detail. But
19 we've done more regional studies of the Delaware, and
20 we've seen a lot more problems with these Delaware SWD
21 wells, which we've now -- we're -- we're -- we've
22 operated Delaware wells in the past, but we're -- in the
23 last three months, we've built three Devonian wells.
24 One of them being in Section 27 of 23-28.

25 And Mr. Cude can testify to how much that

1 well -- that well will take. I mean, it will take more
2 water from the Delaware well. I believe it tested up to
3 25,000 barrels a day.

4 So we're getting out of the Delaware
5 business -- the Delaware SWD business. We were -- in
6 this area, they referenced the BK SWD well -- or the
7 B -- the BK -- or the Trek Operating injection well. A
8 lot of our water was being sent to that well. Now all
9 of our water is going up to our own Devonian SWD well,
10 again because we've seen the impacts of the Delaware SWD
11 wells in other areas, and we're just kind of applying it
12 up into here. So -- so we're trying to get out of the
13 Delaware injection well -- well business.

14 Q. Okay. On your -- on your exhibits, you've got
15 some frac gradients for certain wells in this exhibit.

16 A. Uh-huh.

17 Q. Those were -- those are Brushy Canyon?

18 A. It depends. I mean, some of them are Cherry
19 Canyon. Some are Bell Canyon. Some are Brushy Canyon.
20 I'll let Mr. Cude get into more detail on those.

21 Q. Okay.

22 CROSS-EXAMINATION

23 BY COMMISSIONER PADILLA:

24 Q. Can you speak at all about Mewbourne's
25 development schedule for this area as it relates to the

1 Delaware? I know it's a -- question --

2 A. Yeah.

3 Q. -- but --

4 A. Like I said, we -- we just drilled a well about
5 six months ago. We're -- we're pleased with it. We're
6 evaluating it.

7 Right now we're -- because of the leasehold
8 and stuff, we're more focused on the deeper formations,
9 specifically the Wolfcamp Formation. So I don't
10 believe -- in the next 12 months, I don't believe we
11 have any on the rig schedule. I know if you were to
12 look two or three years out, we definitely have some
13 plans. You can see how many wells we've staked. And we
14 have permits out here which we have filed, and those
15 have a two-year expiration on them. So I'm sure we'll
16 get those renewed when we can.

17 But, you know, we're not just sitting out
18 here sitting on the Delaware waiting. It's -- you know,
19 the first well we drilled, you know, it's a cheap well,
20 and it's made 200,000 barrels in about three years. So
21 it's one of the most economic plays we can drill now.
22 But just for other reasons, we're kind of focusing on
23 holding lease and maintaining leasehold. So -- so I
24 hope that answers your question.

25 Q. Yeah.

1 And I want to touch on what the Chairman
2 talked about. No solution? No compromise on this?

3 A. We don't believe so. We just think with the
4 rates they're asking for, as well as -- especially now
5 that the depth is back into the Brushy Canyon Formation,
6 as well as what else we're seeing in the -- in just the
7 greater part of the Delaware Basin in New Mexico. Like
8 I say, we're trying to get out of the Delaware business.
9 So --

10 Q. Thank you.

11 A. Uh-huh.

12 CROSS-EXAMINATION

13 BY COMMISSIONER BALCH:

14 Q. Seems to me that most of your objections to the
15 Gossett well also apply to the Pearl #1 --

16 A. Correct.

17 Q. -- the existing saltwater disposal well?

18 A. If you look at the rates that that well is
19 injecting in, it's a lot less than what they're
20 proposing. That well I believe was drilled back in
21 2011, before we really got going in this area, before we
22 put -- back then, the only thing we had was Section 35.
23 Since then we have -- we have obviously built our
24 infrastructure out here. and a lot of that -- a lot of
25 water that was going to that well was Mewbourne's -- was

1 Mewbourne's. Our horizontal wells were contributing a
2 lot of water to that. Like I said, we've seen the
3 problems with the Delaware, and so we -- you know, we're
4 taking everything to our Devonian SWD well now.

5 Q. Who operates that Pearl #1?

6 A. Trek Operating.

7 Q. Trek Operating?

8 A. Correct.

9 Q. And we had testimony earlier that they're
10 taking water probably today.

11 A. Uh-huh.

12 Q. Do you know what the rates are?

13 A. Like I said, I believe it was averaging like
14 2,000 barrels a day. But we drilled our Layla Devonian
15 well -- we completed it, I believe, within the last two
16 months. And so I'm sure that their injection rates are
17 a lot lower than what they were. So I couldn't give you
18 specifics, but I'll bet they're -- they're definitely
19 below 2,000 barrels today.

20 Q. Sounds like High Roller thinks there is a
21 market for well cap water, Bone Spring water. Why
22 wouldn't that apply to the Pearl #1?

23 A. I don't know if it's -- I believe that they had
24 an interest -- they have an interest in some of our
25 stuff in this area, so I don't believe that their -- I

1 could be wrong, but I don't believe their well is a
2 commercial disposal well. They operate a lot of the
3 wells in Section 34. That's where -- Trek Operating and
4 BK Operating is the same parent company, and I believe
5 that that's where a lot of their water was coming from,
6 their own produced water. So I don't believe that it is
7 a true commercial disposal well. Like I said, they have
8 interest in some of our wells. That's why they're able
9 to take -- that's why they were able to take our
10 produced water. So --

11 Q. Thank you.

12 CHAIRPERSON CATANACH: Mr. Brancard, any
13 questions?

14 MR. BRANCARD: No.

15 CHAIRPERSON CATANACH: Anything further?

16 MR. HALL: No.

17 MR. BRUCE: No, sir.

18 CHAIRPERSON CATANACH: This witness may be
19 excused.

20 I guess we'll go forward.

21 TRAVIS CUDE,
22 after having been previously sworn under oath, was
23 questioned and testified as follows:
24
25

DIRECT EXAMINATION

1
2 BY MR. BRUCE:

3 Q. Would you please state your name and city of
4 residence for the record?

5 A. Travis Cude.

6 Q. Who do you work for and in what capacity?

7 A. I'm a reservoir engineer for Mewbourne Oil
8 Company.

9 Q. Have you previously testified before the
10 three-member Commission?

11 A. Yes, sir.

12 Q. Have you testified --

13 A. Oh, no. Excuse me. No, I have not.

14 Q. Have you testified in front of the Oil
15 Conservation Division?

16 A. Yes, sir.

17 Q. And were your credentials as an expert
18 reservoir engineer accepted as a matter of record?

19 A. They were.

20 Q. Can you summarize your educational and
21 employment background for the Commissioners?

22 A. I graduated from the University of Oklahoma in
23 2012 with a bachelor of science in petroleum
24 engineering. I had two internships with Mewbourne Oil
25 Company. During that time -- an internship with Devon

1 Energy during that time. I went to work full-time with
2 Mewbourne Oil Company in 2012, and I have been a
3 reservoir engineer ever since, working New Mexico since
4 2013.

5 Q. And are you familiar with the engineering
6 matters related to this application?

7 A. I am.

8 MR. BRUCE: Mr. Chairman, I tender Mr. Cude
9 as an expert reservoir engineer.

10 MR. HALL: No objection.

11 CHAIRPERSON CATANACH: Mr. Cude is so
12 qualified.

13 Q. (BY MR. BRUCE) Mr. Cude, let's first talk about
14 frac gradients. And there is some data on Exhibit 5,
15 for instance. Do you discuss frac gradients not only in
16 this area but -- take a step back. Have you conducted
17 regional studies of frac gradients in the Delaware and
18 other matters related to the water into the Delaware
19 Formation?

20 A. We have. And you can see right here on the map
21 that he was referencing, we drilled two Brushy Canyon
22 wells, one in Section 3, one in Section 35. They were
23 hydraulically fractured, and so from that, we have an
24 initial shut-in pressure. And with that, we calculated
25 frac gradients of .6 psi per foot and .59 psi per foot.

1 Like I said, those were in the Brushy Canyon.

2 We've also looked through this area trying
3 to determine the frac gradients we see in other wells.
4 So in Section 24, 24 South, 28 East, the Cherry Canyon
5 producer in unit letter D, we calculated a frac gradient
6 of .57 psi per foot. And in the Bell Canyon well, in
7 unit letter B, we calculated a frac gradient of 0.67 psi
8 per foot.

9 So I'd like to mention -- I mean, that's
10 within -- certainly the Bell Canyon frac gradient is
11 within the range that Mr. Johnson [sic] thought that we
12 would see in the Delaware.

13 And like Mr. Bruce mentioned, we've done
14 more digging into this regionally, and I think you see
15 the same thing holds true here. We've run sonic logs,
16 come up with frac gradients through the Delaware. And
17 what we've seen is that this is pretty consistent data
18 to other places where we have that science, where you
19 have a, you know, normal frac gradient in the Bell
20 Canyon, but as you get into the Cherry Canyon, down into
21 the Brushy Canyon, that frac gradient actually decreases
22 going downward. And we are concerned with and have seen
23 the migration of fluids from injection intervals limited
24 to the Bell and Cherry Canyons, down into the Brushy
25 Canyon and, for that matter, also down into the Bone

1 Spring Formation.

2 So I think, like Mr. Cless testified
3 before, you know, this is something that we have
4 recently seen, we've recently been working on. We've
5 been working with other operators in the area. And like
6 he said, that's why not only are we trying to move
7 ourselves out of the Delaware Formation for saltwater
8 disposal, but we're also, you know, trying to raise
9 these issues with other operators so they do the same
10 thing.

11 Q. Now, you mentioned -- and it's on a couple of
12 the plats -- Mewbourne's Devonian injection well -- SWD
13 well in Section 27. That well has been drilled; has it
14 not?

15 A. Yes, sir.

16 Q. What type of injection rates has it tested at?

17 A. We tested it to 27 -- or about 25,000 barrels
18 per day. It's currently taking about 8,000 barrels of
19 water a day. With just friction pressure, it's about
20 250 psi at the surface. And like we mentioned, that's
21 now all of our produced water in this area that is going
22 to that Devonian disposal.

23 Q. And Mewbourne has no objection to a Devonian
24 SWD well in this area?

25 A. We do not. In fact, we tried to work with

1 other operators, and I believe we brought it to High
2 Roller's attention initially that that's what we
3 preferred. And -- I mean, yes, we are working with
4 other operators who would like to go to the Devonian.

5 Q. Okay. Let's go to your Exhibits 7 and 8.
6 Could you explain those briefly for the Commissioners.

7 A. Like we mentioned, these are wellbore diagrams,
8 the wells within the half-mile radius of the proposed
9 Gossett SWD. And it just shows the -- the current
10 wellbore schematic after these wells were plugged. And
11 that -- this isn't to scale, but you can see I've
12 highlighted effectively where the approved injection
13 interval would be in blue. The original injection
14 interval approved by the Commission in the last hearing
15 was 2,600 to 3,200 feet. And so as you can see, that's
16 open-hole formation there.

17 Here in the Vasquez 4 #1, they cut and
18 pulled casing at 5,006 feet. So from the bottom of the
19 cement plug set over the Montesave 2 [phonetic] to
20 either 4,946 where the top of the cement plugs was or
21 5,006 feet where the casing was cut and pulled at,
22 that's open formation that water injected into the Bell
23 Canyon, into the Cherry Canyon, would be able to migrate
24 down into the Brushy Canyon.

25 And, you know, through that interval -- I

1 think we've shown, you know, their -- their productive
2 zone's within there, too, and so that causes us great
3 concern.

4 Q. So combined with Mr. Cless's testimony about
5 the lack of impermeable barriers, this really increases
6 your concern of containment of injected fluids, the salt
7 water, into the permitted zone?

8 A. That's correct.

9 Q. And if High Roller's application was approved,
10 if they applied for higher injection pressure, would
11 that cause you additional concern?

12 A. It would.

13 As we mentioned on the frac gradient in the
14 area, we believe currently with the OCD's allowable of
15 .2 psi per foot at the surface, plus the fluid
16 injection -- the hydrostatic injection gradient, you
17 know -- like he mentioned, Mr. Johnston did, a lot of
18 the water that will be injected into this well is from
19 wells producing from the Delaware, the Bone Spring, the
20 Wolfcamp. Our experience shows us that the hydrostatic
21 column -- the hydrostatic gradient of that column of
22 fluid would be about .45 psi per foot. So if you add
23 the .2 psi per foot allowable at the surface, plus the
24 hydrostatic gradient, that puts you at .65 psi per foot,
25 which is right in the range of the frac gradient of the

1 Bell Canyon but above the frac gradient of the Cherry
2 and Brushy Canyon.

3 Q. And one more thing about development of the
4 Cherry Canyon and potentially the Bell Canyon. Do you
5 agree with Mr. Cless that a lot these other zones such
6 as the Bone Spring and Wolfcamp, which weren't
7 commercial with vertical wells, are commercial with
8 horizontal wells, correct?

9 A. That is correct.

10 Q. And technology continues to improve it?

11 A. It does. And costs continue to decrease as the
12 technology improves, and that just further improves the
13 economics and, you know, the different zones that can be
14 targeted.

15 Q. Were Exhibits 7 and 8 prepared by you?

16 A. They were.

17 Q. And in your opinion, is the denial of High
18 Roller's application in the interest of conservation and
19 the prevention of waste?

20 A. It is.

21 MR. BRUCE: Mr. Chairman, I move the
22 exhibits of Mewbourne, Exhibits 7 and 8.

23 MR. HALL: No objection.

24 CHAIRPERSON CATANACH: Exhibits 7 and 8
25 will be admitted.

1 (Mewbourne Oil Company Exhibit Numbers 7
2 and 8 are offered and admitted into
3 evidence.)

4 CHAIRPERSON CATANACH: Mr. Hall.

5 CROSS-EXAMINATION

6 BY MR. HALL:

7 Q. Mr. Cude, you indicated that Mewbourne had
8 undertaken a study of the effects of injection into the
9 Delaware?

10 A. That's correct.

11 Q. Are you able to provide us with that study
12 today?

13 A. I cannot present the study. I can tell you
14 that the findings of the study have shown that the, as
15 we mentioned, water that is being injected into the Bell
16 Canyon and Cherry Canyon is moving -- migrating downward
17 through the Delaware Mountain Group into the Bone
18 Spring. I think BOPCO has seen similar issues and have
19 brought those to the Commission.

20 Q. And where are the BOPCO issues? Over Poker
21 Lake?

22 A. Yes, sir.

23 Q. And it's substantially east of this property?

24 A. It is.

25 You know, with -- we've seen directly

1 southeast of here, right across the state line, Block
2 56-1, Mewbourne had a -- Mewbourne drilled an Avalon
3 Shale well offsetting a Delaware disposal, and we -- we
4 produced about 2,000 barrels a day naturally after
5 perfining the toe. We dug into the area and saw the --
6 saw the Delaware disposal rates, you know, averaging
7 around 10,000 barrels a day. They had -- you know, not
8 only had our well been knocked off or had seen the water
9 impact while we were drilling, but producers in the area
10 that were making 40 barrels a day at a million Mcf a day
11 had then seen a water increase to about 2,000 barrels a
12 day. And, you know, an increase in productivity like
13 that showed us that this water has to be coming from an
14 outside source.

15 So the study we've undertaken has been in
16 New Mexico, in Eddy County. It's been in Lea County.
17 And the results we're seeing are comparable to that.

18 Q. Did you participate in the study?

19 A. I did.

20 Q. Did your study conclude that if there is to be
21 fracture propagation from the injection, the
22 preponderance of that propagation is upward?

23 A. No.

24 Q. Explain. Did you conclude that preponderance
25 is downward?

1 A. We did that. As I mentioned, though, we've
2 seen that the frac gradient actually decreases from the
3 Bell Canyon, into the Cherry Canyon, into the Brushy
4 Canyon and into the Avalon Shale, so the preferential
5 migration direction would be then downwards rather than
6 upwards.

7 Q. What has been the experience with your
8 injection operations in the Devonian, in Section 27,
9 with respect to -- have you seen prospective fracture
10 propagation there?

11 A. We have not.

12 Q. You've observed none?

13 A. We have not observed any.

14 Q. Have you tested for it?

15 A. We have not.

16 Q. Is there a step-rate test on that well?

17 A. There is not.

18 MR. HALL: No more questions.

19 CROSS-EXAMINATION

20 BY CHAIRPERSON CATANACH:

21 Q. Mr. Cude, there was some testimony presented
22 today about the area that might be influenced by this
23 proposed injection well. I know you haven't had time to
24 calculate anything on your own, I assume, but do you
25 generally agree with that, that the area affected will

1 be approximately 700 feet?

2 A. I have not had time to do that study. I would
3 imagine, you know, if that's a waterflood calculation,
4 the -- the pore space is not empty as it stands, and so
5 the -- the radius of the fluid migration at 700 feet
6 away from the wellbore, that's just the injection fluid,
7 not the fluid that's already in situ. So the radius
8 actually affected is greater than that.

9 Q. The study you're talking about, is that
10 anywhere near this area, one of the studies you've done?

11 A. The study is regional. We do have data points
12 in 26-28 and 26-29, 26-32. But like Mr. Johnston
13 mentioned, you know, the Delaware Formation, which is a
14 layer-cake formation, a lot of the results we're
15 seeing -- and we've kind of confirmed this with similar
16 frac gradients here, that that would be a similar issue
17 here.

18 Q. Is it your understanding that in the area of
19 this disposal well that there is potential near wellbore
20 in the Delaware that Mewbourne sees?

21 A. Yes, sir.

22 Q. Potential for production?

23 A. Yes, sir.

24 Q. Not far away from the wellbore but in this
25 whole area?

1 A. Yes, sir.

2 Q. Are there any other potential disposal
3 intervals that someone could use in this area besides
4 the Delaware?

5 A. Yes, sir.

6 We mentioned the Devonian well. The
7 Devonian -- ours is not the only well in the Devonian,
8 Section 27. In the -- in the very near area, there is
9 also a disposal well in the Devonian, in Section 36 of
10 23-27, and it had similar tests on what we have seen as
11 well. We drilled one a little bit further west in
12 23-27. There have been quite a few disposals recently
13 completed to the southeast in the Devonian. So we
14 really see no indication that the Devonian is not an
15 appropriate or capable injection zone within this entire
16 area.

17 Q. How deep is your Devonian disposal well?

18 A. It is TD'd at 15,000 feet. The top of the
19 injection interval is 13,999.

20 Q. So you're talking about an extreme -- a lot
21 more cost to drill to the Devonian interval?

22 A. After our surface facilities were put in place,
23 we show an all-in cost of \$4 billion. It was about
24 \$3 million at TD.

25 You know, I would think that a simple

1 calculation -- you know, if you look at this area -- I
2 believe our previous testimony in the initial hearing
3 was that we looked at a nine-township area around this
4 proposed well, and the maximum injection pressure
5 average -- or the maximum injection volume averaged over
6 a month was 5,476 per day. That's the maximum. The
7 average injection volume over this area was only 2,700
8 barrels per day.

9 MR. BRUCE: Is that in the Delaware?

10 THE WITNESS: In the Delaware. Excuse me.

11 And so being able to inject an order -- you
12 know, an order of magnitude ten higher than that in the
13 Devonian than that average -- I certainly don't believe
14 that the cost to drill a Devonian well is ten times the
15 cost to drill and complete a Delaware well. So it's
16 certainly within the range of possibility.

17 Q. (BY CHAIRPERSON CATANACH) So you believe they
18 could drill commercial well that's in the Devonian -- a
19 commercial disposal well in the Devonian?

20 A. I do.

21 I don't know that our objection is with
22 commercial disposal in this area. It's with the
23 disposal into the Delaware Formation.

24 Q. If we approve this application and we required
25 remedial operations on the two PA'd wells, would that

1 solve your problems?

2 A. It would not.

3 Q. Because?

4 A. Because we believe the frac gradient of the
5 Delaware is low enough such that the injected volume
6 would still migrate through the formation downward into
7 the productive zones.

8 Q. I have nothing further.

9 COMMISSIONER PADILLA: No questions.

10 CROSS-EXAMINATION

11 BY COMMISSIONER BALCH:

12 Q. I think I got a question from Mr. Hall that the
13 Bell and Brushy Canyon are under pressure compared to
14 the injection interval?

15 A. The Bell and -- excuse me?

16 Q. You're talking about downward migration of
17 fluids --

18 A. Yes.

19 Q. -- right?

20 A. Yes.

21 Q. So you have conduit, and you have pressure
22 gradient?

23 A. Correct.

24 Q. How is that going to be achieved?

25 A. The downward migration? Because the injection

1 pressure at the perforations will be high enough that
2 the parting pressure of the formation preferentially
3 will be downward rather than upward.

4 Q. Okay. That gives you a conduit, right?

5 A. Yes.

6 Q. And you need to have a pressure sink to move
7 water from one interval to another, right? You have to
8 have a straw down there sucking fluid out, or the zone
9 has to be under pressure?

10 A. Well, there are Brushy Canyon producers --
11 Lower Brushy Canyon producers, so that could certainly
12 create a pressure sink.

13 Q. So you talk about your regional study. You
14 mentioned a few sites. How many total sites did you
15 study in that?

16 A. There are about six different areas regionally,
17 but within those areas, there are certainly multiple
18 samples.

19 Q. So six regional areas. And then how many of
20 those did you see problems with Delaware injection water
21 going where it wasn't supposed to?

22 A. Well, I suppose then I would say that we -- we
23 attempted to study the entire basin from about 23 South
24 to the state line and then past the state line, and so
25 the areas where we saw problems -- you know, there are

1 six very definitive areas where we saw problems
2 regionally spread out. It wasn't isolated to a certain
3 area. Does that answer your question?

4 Q. I'm trying to figure out how common this
5 problem is with Delaware injection regionally.

6 A. Again -- I mean, I think the frac gradients
7 here show you it is a big problem regionally.

8 Q. So in all of those six or seven study areas,
9 this type of effect that you're predicting?

10 A. Yes. So -- I guess the study area was 23 South
11 to the state line. We came up with six broad areas
12 where we have seen this problem. And so those areas are
13 spread out, and then within those certain areas, I mean,
14 multiple wells have watered out within those six areas.

15 Q. Thank you very much.

16 CHAIRPERSON CATANACH: Just one.

17 RECROSS EXAMINATION

18 BY CHAIRPERSON CATANACH:

19 Q. Does this problem extend into Texas?

20 A. It does.

21 Q. Has there been anything addressed by the State
22 of Texas on this issue?

23 A. I don't know that the issue has been brought up
24 in Texas. Certainly in New Mexico, you have a .2 psi
25 per foot at the surface allowable. In Texas, it's .5

1 psi per foot. Certainly -- you know, BOPCO operates a
2 lot of wells in New Mexico, and they tried to lead the
3 charge on this initially. As we've seen this problem
4 arise, we've been very active pursuing it. Our acreage
5 position isn't very large in Texas. And so, you know,
6 where we have our money invested is in New Mexico, so
7 we've been very proactive in trying to protect that
8 asset. The acreage we have in Texas, we believe the
9 damage is really already done, and so there's certainly
10 not a lot of incentive for us to lead the charge as we
11 have in New Mexico. But the problem does exist.

12 Q. As I mentioned, this issue has been brought to
13 the attention of the Division in recent months. And I
14 believe that we are in the process of probably forming
15 or at least joining some of the discussion with the
16 operators with regards to this issue. So we are aware
17 of it, and we plan on addressing it somehow.

18 I have nothing further.

19 MR. BRUCE: I have nothing further of this
20 witness.

21 MR. HALL: We'd like to present some
22 rebuttal testimony, if we can. Do you want to do that
23 now or come back?

24 MR. JOHNSTON: It'll be short.

25 MR. HALL: It'll be brief.

1 CHAIRPERSON CATANACH: Yeah, we can do it
2 now.

3 Exhibits?

4 MR. BRUCE: I did move the admission of
5 Exhibits 7 and 8.

6 CHAIRPERSON CATANACH: Okay.

7 RICK JOHNSTON,
8 after having been previously sworn under oath, was
9 questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. HALL:

12 Q. Mr. Johnston, since the time that we were
13 provided with copies of the Mewbourne exhibits which
14 pointed to some concerns with the Vasquez and Pardue
15 well completion and abandonment, did you have the
16 opportunity to look at that issue and generate some more
17 exhibits that are responsive to that concern?

18 A. Yes. Yes, sir.

19 Q. All right. Start with Exhibit 13, and tell us
20 what you did to evaluate that issue?

21 A. Exhibit 13 is a -- what I referred to earlier
22 as the results of a pump-in test on a well completed
23 down in Texas a mile or two from the state line. And
24 what we did was we went in to size the pumps for this
25 well after it was initially perforated. We went in and

1 did a pump-in test, and the way we did the test, you
2 could take the data and treat it as though it's a
3 step-rate test, which is what I've done here.

4 The first two rates were at 4.4 barrels a
5 day and 5.6 barrels a day -- excuse me -- per minute.
6 The rates are per minute. And you can see the
7 corresponding surface pressure.

8 I've accounted for friction, and I've
9 calculated the bottom-hole pressure, and I've calculated
10 the gradient. You can see that during this pump-in
11 test, the bottom-hole pressure gradient varied from
12 about .65 up to about .67. The first two points, I
13 believe, are not valid. They fall off of the trend
14 line. And I think what we were doing during that period
15 is we were opening up additional intervals because if --
16 well, I don't -- I didn't bring the copy of the log.
17 You have multiple sands that were perforated over an
18 interval that spans from 3,214 to 3,738. So I believe
19 those first two points, if you look at the chart, you
20 can see that they fall off of the trend, but you can see
21 that the other points establish a trend. And at these
22 rates, we never saw the step-rate test fall over -- fall
23 over where it was demonstrating that we were fracing the
24 formation.

25 Taking the 12-barrel-per-minute rate and

1 the bottom-hole pressure, I've gone into Darcy's flow
2 equation and calculated the permeability of the well,
3 just to get a feel for what is the permeability of the
4 Delaware at this location, about 15 miles to the south,
5 and it's about 78 millidarcies.

6 Exhibit 14 is a log section from the Witt
7 well, which is very close to the proposed Gossett
8 location. On the resistivity log, I've gone in and
9 highlighted those sands that exhibit good low
10 resistivity associated with high porosity. And those
11 intervals that are highlighted in orange amount to 490
12 feet of interval, and that spans from, roughly, 2,650
13 down to 34- -- excuse me -- 3,340.

14 I've taken those -- that thickness and the
15 permeability and the porosity -- I guess the other thing
16 to look at is you can see, on Exhibit 14, most of those
17 sands that exhibit low resistivity have porosities up on
18 the range of 24 down to 18 percent, averaging roughly 22
19 percent.

20 Exhibit 15 is a multipage exhibit. What
21 I've done is I've gone in and done a pressure front
22 calculation. I've used the 78 millidarcies, 490 feet of
23 thickness, 22 percent porosity, injection period for ten
24 years. And this calculation is out to the HNG well down
25 to the south, which has the big open-hole section. So

1 what I'm doing in this calculation is showing you what
2 kind of pressure increase is going to occur at that well
3 at varying injection rates.

4 The first page is at 17,5 [sic]. You can
5 see that we're going to increase the reservoir pressure
6 at that well by 171 psi. At 8,000 barrels a day, we're
7 going to increase it by 78 psi.

8 Third page, at 5,000 barrels a day, we're
9 going to increase the reservoir pressure by 49 pounds.

10 And then the last page is at 4,000 psi. If
11 the well behaves average, like Mewbourne says, that's
12 probably all we'll be able to achieve. We're going to
13 increase the reservoir pressure at that well by 39 psi.
14 That -- that problem well is full of mud. I would
15 expect that that would mitigate cross-flow abilities.
16 Is it going to completely stop it? I don't know that
17 anybody can say it would.

18 But we just wanted to show you these are
19 the magnitude of the pressure increases that this
20 proposed injection operation would have at that well,
21 and that is limited to this upper portion of the
22 injection interval. If we were able to add more
23 interval, you know, the pressure would be less -- the
24 pressure increase would be less.

25 Q. Do Exhibits 13, 14 and 15 substantiate your

1 conclusion that injection fluids will remain contained?

2 A. I believe they will.

3 And Exhibit 13 is somewhat of a
4 demonstration that shows that the frac gradient, now
5 it's not the same well. For another Delaware well, it's
6 going to be higher than .67.

7 Q. All right. So a larger injection interval, if
8 we go back to the original request, that will result in
9 lower pressures over a greater vertical extent?

10 A. That's right.

11 Q. Did you create Exhibits 13, 14 and 15?

12 A. I did.

13 MR. HALL: That concludes my rebuttal
14 direct of Mr. Johnston. I'd move the admission of
15 Exhibits 13, 14 and 15.

16 MR. BRUCE: No objection.

17 CHAIRPERSON CATANACH: Exhibits 13, 14 and
18 15 will be admitted.

19 (High Roller Wells, Inc. Exhibit Numbers
20 13, 14 and 15 are offered and admitted into
21 evidence.)

22 CROSS-EXAMINATION

23 BY MR. BRUCE:

24 Q. Just one question on your Exhibit 13. I'm
25 looking at the gradient at the top of the

1 injection -- injection zone, I should say.

2 A. Yes. I believe that calculation is -- it is
3 very close to the top of the perforated interval, which
4 is at 3,214. That well is not perforated at the top of
5 the Bell Canyon. It's perforated about 400 feet below
6 the top of the Bell Canyon down into the Cherry Canyon.

7 Q. So if you were injecting above the frac
8 gradient, you wouldn't notice anything anywhere?

9 A. I think what you're trying to ask me is it
10 possible that all of the -- all of the points in this
11 pump-in test are above the frac gradient. I guess
12 that's possible, but we don't believe that that's the
13 case because you still have a steady increase in the
14 bottom-hole pressure. In a step-rate test, generally
15 when you do get to the inflection point, things flatten
16 out in that curve pretty quickly, and the pressure
17 increase from point to point is quite small as you
18 extend the fracture.

19 Q. Is that for a limited reservoir only, just one
20 zone, rather than injecting into multiple Delaware zones
21 like you're talking about in the proposed High Roller
22 well?

23 A. I don't believe that it's going to behave
24 differently.

25 MR. BRUCE: That's all I have,

1 Mr. Examiner -- Mr. Chairman. Old habits die hard.

2 CHAIRPERSON CATANACH: 23 years' worth.

3 CROSS-EXAMINATION

4 BY CHAIRPERSON CATANACH:

5 Q. The pressure-pump calculation, that's the --
6 to -- which well is it to?

7 A. I believe it's to the HNG Vasquez.

8 Q. And that looks to be about half a mile?

9 A. It's the HNG Vasquez, which is the well on the
10 Mewbourne Exhibit Number 6 that they had labeled as
11 having the large open hole. That well is located down
12 at 6:00, just right on the half-mile line.

13 Q. There's been a lot of discussion about this --
14 this interval that comprises the 490 feet of good sand,
15 2,600 to 3,350 or approximately there.

16 A. Yes, sir.

17 Q. If we were to approve the whole injection
18 interval from 2,600 to 5,000, would you perforate
19 additional zones below that 33?

20 A. If you directed us not to, we wouldn't. If you
21 approve the whole interval and didn't give us any
22 direction in that regard, we would probably -- the way I
23 generally complete these wells is I'll perforate about
24 350 interval starting at the bottom so that if somebody
25 messes up and pumps a bunch of gunk in the well and

1 clogs it up, we've still got more sand up the hole to
2 perforate.

3 Q. Okay.

4 COMMISSIONER PADILLA: Nothing from me.

5 CROSS-EXAMINATION

6 BY COMMISSIONER BALCH:

7 Q. Just one question, vertical versus horizontal
8 permeability for the Brushy Canyon. I know areas of it
9 are laminated sandstones. Can I have a high ratio?

10 A. I don't -- I don't have a feel for what that
11 ratio is going to be, but I will point out that the mud
12 log shows and the producing intervals that are
13 productive in the Delaware, they are discrete and
14 they're correlated. While we can't see things on the
15 logs that we can say, Aha, that is the seal, there has
16 to be a seal out there that we maybe aren't recognizing
17 on the logs that don't have the normal character. There
18 have to be some seals. Otherwise you wouldn't have
19 these localized accumulations the way we do.

20 Q. Thank you.

21 CHAIRPERSON CATANACH: Anything further of
22 this witness?

23 MR. HALL: Nothing further. Thank you.

24 CHAIRPERSON CATANACH: This witness may be
25 excused.

1 So anything further on your direct case?

2 MR. BRUCE: No, sir.

3 CHAIRPERSON CATANACH: And are you
4 basically done, Mr. Hall?

5 MR. HALL: We're finished.

6 CHAIRPERSON CATANACH: Okay. Let's go
7 ahead and break for lunch at this point -- okay. Let's
8 recess.

9 (Discussion off the record.)

10 MR. HALL: We can waive closing statements
11 if you'd like to proceed.

12 MR. BRUCE: I have one, but it's very
13 brief -- or short. If Mr. Carr was here, I'd say a
14 "short closing statement."

15 CHAIRPERSON CATANACH: Okay. Yeah. We
16 might just plow through this then. Go ahead and give
17 your brief statement.

18 CLOSING ARGUMENT

19 MR. BRUCE: Mr. Examiner [sic], mostly it
20 consists of a couple of cases. Again, as you inquired,
21 we deny that the application of the entire Delaware is
22 prospective, and we do not want to waste resources or
23 impair correlative rights. There are a couple of things
24 to look at. Let me hand out a couple of cases. They
25 are not directly on point, but I think I can just very

1 briefly discuss them.

2 Mr. Examiner, the first one is an IBLA
3 case, Penroc Oil Corporation. Again, it's not quite on
4 point. 84 IBLA 36 is the number in the decision. In
5 that case, a company desired to go enter an abandoned
6 well on an existing oil and gas lease, and the lessee
7 objected, saying that it might to want use that well in
8 the future for its own operations.

9 I think the main reading of this case is
10 simply the IBLA denied the SWD application, and I think
11 it shows the ferment [sic] of the IBLA to the mineral
12 interest owner, the owner of the dominant estate. And I
13 think that should occur here, since both Mewbourne and
14 COG own the oil and gas working interest on the well
15 site, and if they want to utilize that for future
16 development, I think they should be given -- I think
17 their desire should be paramount.

18 The second case is the Snyder Ranches case
19 involving a SWD well. The only thing I would point out
20 there is High Roller's testimony is that the well, if
21 it's allowed, will inject outside the -- into adjoining
22 leases, and certainly there is an issue with that as
23 shown in the Snyder Ranches case. In that case, the
24 Court decided that the Division and the Commission had
25 correctly stated that there would be no flow outside of

1 the pertinent leaseline. We do not have that here.

2 Again, I think you should look at these
3 cases to show that you should not grant approval to do
4 something that may impair not only the correlative
5 rights of Mewbourne but the adjoining interest owners.

6 And there is one other thing that I need to
7 mention. In ordering paragraph number five of the
8 Division's order, it required the logging of the well to
9 determine if there was productive -- if the zones that
10 were being injected into were potentially productive.

11 There is an issue there because as owners
12 of the oil and gas leases, COG and Mewbourne own the
13 right to explore or develop these zones, and part of
14 that is logging the zones. I don't know that High
15 Roller has that right.

16 So we would ask you to deny the
17 application.

18 Thank you.

19 CLOSING ARGUMENT

20 MR. HALL: I'll briefly address.

21 We've seen Penroc and Snyders Ranches
22 before. Penroc -- I've used this case myself --
23 specifically limited to wellbores on mineral leases case
24 of BLM lease BLM expressly retains ownership of the
25 wellbore. In the Land Office state that's not the way

1 it is on fee acreage. This is fee acreage.

2 Snyder Ranches -- I think what Mr. Bruce is
3 suggesting here is that by virtue of the oil and gas
4 lease exhibits they introduced earlier today, that
5 testify they have some right, other than the very
6 limited right in the oil and gas leases which give you
7 nothing more than explore for and remove hydrocarbons.
8 Period.

9 I don't think we should get into the
10 ownership of pore space. I think that's what Mr. Bruce
11 is suggesting we do. I think we should stay away from
12 that. It's not an issue in this case. I think it's not
13 beyond the province of the Commission, frankly, to delve
14 into that issue.

15 I think we've sufficiently addressed the
16 waste issue and the productivity issue in the area. I
17 think we've addressed the containment issue in rebuttal
18 testimony and some of the direct testimony on that
19 issue.

20 I'd point out to you I think you will
21 recognize that this is a different operation than the
22 Division is used to seeing. This is a high-class,
23 high-end facility that you ought to find a way to make
24 it work in this situation.

25 There was some suggestion today by Mr.

1 Bruce and his witnesses that we abandon injection into
2 the Delaware. I think that's premature. Granted, it's
3 a subject for a future study, but right now I think
4 there is sufficient evidence in front of you to warrant
5 approval of an injection facility for the Gossett
6 project.

7 That's all I have.

8 CHAIRPERSON CATANACH: Thank you, Mr. Hall.

9 Okay. We'll -- do I have a motion to go
10 into executive session?

11 COMMISSIONER BALCH: I'd make a motion to
12 go into executive session.

13 COMMISSIONER PADILLA: Second that.

14 CHAIRPERSON CATANACH: All in favor?

15 (Ayes are unanimous.)

16 CHAIRPERSON CATANACH: It's fine with the
17 witnesses being dismissed.

18 MR. BRUCE: Thank you.

19 (Recess 12:33 p.m.; Executive Session 12:34
20 p.m. to 12:56 p.m.)

21 CHAIRPERSON CATANACH: We are back on the
22 record.

23 COMMISSIONER BALCH: On that note, I'll
24 make a motion to go back on the record.

25 COMMISSIONER PADILLA: Seconded.

1 COMMISSIONER BALCH: All in favor?

2 (Ayes are unanimous.)

3 CHAIRPERSON CATANACH: We have reached a
4 decision in this matter, and I will let Mr. Brancard
5 tell you.

6 MR. BRANCARD: Would the Chairman say the
7 magic words, "We're going back on the record"?

8 CHAIRPERSON CATANACH: Oh, yes. I always
9 forget that.

10 I will just state that during the executive
11 session, we discussed only this case and nothing else.

12 MR. BRANCARD: Mr. Chairman and the
13 Commission, very briefly, the Commission applied the
14 standard in the Oil and Gas Act, Section 70-2-12B4, that
15 requires prevention of drowning by water of any stratum
16 capable of producing oil and gas in paying quantities
17 and also to prevent any other kind of water encroachment
18 that reduces or tends to reduce the total ultimate
19 recovery of petroleum, oil and gas or both oil and gas
20 that are in the pool.

21 In that regard, the evidence in this case
22 as presented to the Commission today demonstrates that
23 past production in the Delaware Formation and potential
24 future production in this area requires the Commission
25 to deny the application for Gossett SWD Well Number 1.

1 CHAIRPERSON CATANACH: Mr. Bruce, can we
2 get a draft order in this case?

3 MR. BRUCE: I'll have it done next week.

4 CHAIRPERSON CATANACH: Thank you, sir.

5 MR. BRUCE: Within a week.

6 CHAIRPERSON CATANACH: Okay. Is there any
7 other business we need to take care of?

8 (Case Number 15278 concludes, 12:58 p.m.)
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22

23

24

25



MARY C. HANKINS, CCR, RPR
Certified Court Reporter
New Mexico CCR No. 20
Date of CCR Expiration: 12/31/2016
Paul Baca Professional Court Reporters