

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

CASE 15430

5 APPLICATION OF CIMAREX ENERGY CO. OF
6 COLORADO TO CHANGE THE SETBACK REQUIREMENTS IN THE
7 WOLFCAMP FORMATION WITHIN TOWNSHIPS 24S,
25S, 26S AND RANGES 25E, 26E, and 27E,
8 N.M.P.M., EDDY COUNTY, NEW MEXICO.

8

9

REPORTER'S TRANSCRIPT OF PROCEEDINGS

10

EXAMINER HEARING

11

January 7, 2016

12

Santa Fe, New Mexico

13

14

15 BEFORE: PHILLIP GOETZE, CHIEF EXAMINER
GABRIEL WADE, LEGAL EXAMINER

16

17

18 This matter came on for hearing before the
New Mexico Oil Conservation Division, Phillip Goetze,
19 Chief Examiner, and Gabriel Wade, Legal Examiner, on
January 7, 2016, at the New Mexico Energy, Minerals, and
Natural Resources Department, Wendell Chino Building,
20 1220 South St. Francis Drive, Porter Hall, Room 102,
Santa Fe, New Mexico.

21

22

23 REPORTED BY: ELLEN H. ALLANIC
NEW MEXICO CCR 100
CALIFORNIA CSR 8670
24 PAUL BACA COURT REPORTERS
500 Fourth Street, NW
25 Suite 105

2016 JAN 21 A 8:14

RECEIVED OCD

A P P E A R A N C E S

For the Applicant:

EARL E. DeBRINE, Jr., ESQ.
 Modrall, Sperling, Roehl, Harris
 & Sisk, P.A.
 500 Fourth Street, NW
 Bank of America Centre
 Suite 1000
 Albuquerque, New Mexico 87102
 (505) 848-1800
 edebrine@modrall.com

I N D E X

CASE NUMBER 15430 CALLED

CIMAREX ENERGY CO. OF COLORADO
 CASE-IN-CHIEF:

WITNESS JORDAN COCKRELL

	Direct	Redirect	Further
By Mr. DeBrine	6		

	EXAMINATION
Mr. Wade	14

WITNESS MEERA RAMOUTAR

	Direct	Redirect	Further
By Mr. DeBrine	16		

	EXAMINATION
Examiner Goetze	25

1 WITNESS WILLIAM SIRGO

2

3 By Mr. DeBrine

Direct
26

Redirect

Further

4

5 Examiner Goetze

EXAMINATION
38

6

7

8

9

10 Reporter's Certificate

Page
44

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

E X H I B I T I N D E X
Exhibits Offered and Admitted

		PAGE
1		
2		
3		
4	CIMAREX ENERGY CO. OF COLORADO 1	14
5	CIMAREX ENERGY CO. OF COLORADO 2	14
6	CIMAREX ENERGY CO. OF COLORADO 3	14
7	CIMAREX ENERGY CO. OF COLORADO 4	14
8	CIMAREX ENERGY CO. OF COLORADO 5	14
9	CIMAREX ENERGY CO. OF COLORADO 6	24
10	CIMAREX ENERGY CO. OF COLORADO 7	24
11	CIMAREX ENERGY CO. OF COLORADO 8	24
12	CIMAREX ENERGY CO. OF COLORADO 9	24
13	CIMAREX ENERGY CO. OF COLORADO 10	24
14	CIMAREX ENERGY CO. OF COLORADO 11	38
15	CIMAREX ENERGY CO. OF COLORADO 12	38
16	CIMAREX ENERGY CO. OF COLORADO 13	38
17	CIMAREX ENERGY CO. OF COLORADO 14	38
18	CIMAREX ENERGY CO. OF COLORADO 15	38
19	CIMAREX ENERGY CO. OF COLORADO 16	38
20	CIMAREX ENERGY CO. OF COLORADO 17	38
21	CIMAREX ENERGY CO. OF COLORADO 18	38
22	CIMAREX ENERGY CO. OF COLORADO 19	38
23	CIMAREX ENERGY CO. OF COLORADO 20	38
24	CIMAREX ENERGY CO. OF COLORADO 21	38
25		

1 (Time noted 8:27 a.m.)

2 EXAMINER GOETZE: Next case, case number
3 15430, Application of Cimarex Energy Co. of Colorado to
4 Change the Setback Requirements in the Wolfcamp
5 Formation within Townships 24S, 25S, 26S, and Ranges
6 25E, 26E, and 27E, N.M.P.M., Eddy County, New Mexico.

7 Call for appearances.

8 MR. DeBRINE: Good morning, Mr. Examiner.
9 Earl DeBrine with the Modrall Sperling firm in
10 Albuquerque, New Mexico, for the Applicant, Cimarex
11 Energy Co. of Colorado.

12 I will have three witnesses.

13 EXAMINER GOETZE: Will the witnesses please
14 stand and identify yourself for the court reporter and
15 be sworn in.

16 (WHEREUPON, the presenting
17 witnesses were administered
18 the oath.)

19 MR. DeBRINE: At this time, we would like to
20 call our first witness, Jordan Cockrell.

21 EXAMINER GOETZE: Proceed.

22 MR. DeBRINE: Thank you.

23 JORDAN COCKRELL
24 having been first duly sworn, was examined and testified
25 as follows:

1 DIRECT EXAMINATION

2 BY MR. DeBRINE:

3 Q. Could you please introduce yourself and tell the
4 examiner who you work for.

5 A. My name is Jordan Cockrell. I am a petroleum
6 landman for Cimarex Energy in Midland, Texas.

7 Q. And Ms. Cockrell, what are your responsibilities
8 as a landman for Cimarex?

9 A. I have been working for the Eddy County and the
10 Delaware Basin for about a year and a half now. My
11 responsibilities include deciphering if acreage that
12 Cimarex finds respected to be open for lease -- if it is
13 not open, then I try to figure out if the acreage is
14 available to the trade or some type of agreement with
15 the current owner.

16 I then work with my team to prepare the acreage
17 to be ready to drill a well.

18 Q. Have you previously testified before the
19 Division?

20 A. Yes, I have.

21 Q. Were your credentials as a landman accepted as a
22 matter of record?

23 A. Yes.

24 Q. Are you familiar with the application, the lands
25 and the pools that are the subject of Cimarex's

1 application here today?

2 A. Yes, I am.

3 MR. DeBRINE: We tender Ms. Cockrell as an
4 expert in petroleum land matters.

5 EXAMINER GOETZE: She is so qualified.

6 Q. Ms. Cockrell, if you can turn to what has been
7 marked as Exhibit 1 -- actually, let's start with
8 Cimarex's application in this case. It is appended to
9 Exhibit 5, the notice affidavit. And if you could just
10 describe for the Examiner what Cimarex is seeking by its
11 application.

12 A. Okay. What Cimarex is seeking in this
13 application is to change the setback requirements for
14 Wolfcamp pools near White City in Eddy County, New
15 Mexico. This is somewhat complex, so I am going to read
16 from our prehearing statement what Cimarex is looking to
17 get from this hearing.

18 The reason that Cimarex applied for this -- for
19 these changes is to modify the setback requirements in
20 the current and proposed Wolfcamp pools included in
21 Townships 24 South, 25 South and 26 South; Ranges 25
22 East, 26 East, and 27 East of Eddy County, New Mexico,
23 to require wells to be located no closer than 330 feet
24 to the outer boundary of a spacing unit.

25 We also included in the application at the

1 suggestion of the Division district geologist, Paul
2 Kautz, Number 2: The expansion of the boundaries of the
3 White City Wolfcamp Southwest Gas Pool 97766; White City
4 Wolfcamp South Gas Pool 97592; Sage Draw Wolfcamp Gas
5 Pool 84407; Sage Draw Wolfcamp East Gas Pool 96890;
6 Black River Wolfcamp Pool 72240; Black River Wolfcamp
7 East Gas Pool 97442; and the Sulfate Draw Wolfcamp Gas
8 Pool 85780.

9 Number 3, The establishment of the Crooked Creek
10 Wolfcamp Gas East Pool covering the north half of
11 Section 5, Township 24 South, Range 25 East, Eddy
12 County, New Mexico.

13 Number 4, The establishment of the Black River
14 Wolfcamp Southwest Gas Pool covering the east half of
15 Section 25 and the east half of Section 36, Township 24
16 South, Range 25 East, Eddy County, New Mexico, and the
17 west half of Section 14, east half of Section 22,
18 northwest quarter of Section 23; west half, northeast
19 quarter of Section 27, the south half of Section 28, the
20 south half of Section 29, and all of Section 30, and the
21 south half and northwest quarter of Section 32 of
22 Township 24 South, 26 East, Eddy County, New Mexico.

23 Number 5, the creation of the Welch Wolfcamp Pool
24 Number 98017, covering Sections 26, 27, 28, 29, 32, 33,
25 34, and 35 of Township 26 South, 27 East, Eddy County,

1 New Mexico.

2 This is an entirely new pool and the pool name
3 has been recommended by the district geologist.

4 (Continuing:) The creation of the Milepost
5 Wolfcamp Gas Pool 97950, covering the west half of
6 Section 29, Township 26 South, Range 25 East of Eddy
7 County, New Mexico.

8 This is also an entirely new pool and the pool
9 name has been recommended by the district geologist.

10 And, finally, Number 7: The creation of the
11 Milepost Wolfcamp Northeast Pool, Number 97882, covering
12 the east half of Section 16, Township 26 South, Range 26
13 East of Eddy County, New Mexico.

14 This is also an entirely new pool and the pool
15 name has been recommended by the district geologist.

16 If you look to our Exhibit 5 -- and the
17 application is included -- you will be able to see the
18 specific lands that we would like to be included in
19 these pools.

20 Q. Ms. Cockrell, you indicated you spoke to the
21 district geologist, Paul Kautz, before filing the
22 application, and he was the one who recommended the
23 establishment of the pools that he had already
24 designated and been using for wells that had been
25 drilled in the area?

1 A. Yes.

2 Q. And he was also seeking the creation of new pools
3 within the same area and he asked you to include that in
4 your application?

5 A. That's correct.

6 Q. Are the specific lands involved in the
7 application described in the application on Exhibit 5?

8 A. Yes, they are.

9 Q. And did Mr. Kautz have an opportunity to check
10 and verify those lands?

11 A. Yes. He requested before we filed the
12 application to review the application to be sure that
13 everything was accurate. He did review it and didn't
14 have any concerns.

15 Q. Let's turn to Exhibit 1. You generally described
16 the location of where these pools are located in the
17 White City area.

18 A. Yes. If you look at Exhibit Number 1, this is a
19 locator map to show you the general area of the lands
20 that are under this application. What you see here is a
21 broad view of Eddy County, New Mexico, and the red
22 square are the surrounding lands covered by this
23 application.

24 Township 25 South, 26 East -- or Range 26 east is
25 centrally located in this acreage. And it is located

1 about 30 miles south of Carlsbad.

2 Q. If you turn to Exhibit 2, could you tell the
3 Examiner what is depicted on that map.

4 A. Exhibit Number 2 is zooming in from the previous
5 map on that red box. This map was created by the
6 Division district geologist, Paul Kautz. And what you
7 are looking at is the Wolfcamp Gas pools near White City
8 of Eddy County, New Mexico.

9 So we have color-coded each pool so you can
10 easily differentiate between them. The solid colors
11 here are existing gas pools. The crosshatched
12 represents proposed expansions of those pools.

13 Q. Before filing your application, did you have any
14 communications with any of the operators within the pool
15 to determine whether they would support Cimarex's
16 application?

17 A. Yes, we did.

18 Q. If you could turn to Exhibit 3.

19 A. Okay.

20 Q. Explain what that represents.

21 A. Exhibit Number 3 is the same pool map that I just
22 showed you, but the difference is that we show here the
23 Wolfcamp gas pools that are operated within each pool
24 and within a one-mile boundary of each pool. To the
25 right are all of the operators that operate these wells

1 that you see on this map.

2 Q. Did you receive letters of support back from the
3 operators that are depicted in Exhibit 3?

4 A. Yes. If you turn to Exhibit 3-A, we received
5 these letters of support from the operators listed on
6 the map on Exhibit 3.

7 Q. And what is the percentage of the acreage within
8 the pools and within a mile of the pool boundaries
9 that's represented by the letters of support that you
10 received?

11 A. We received letters of support from just over
12 95 percent of the operators. We did not receive letters
13 from three of the operators who operate one well each --
14 which is less than five percent of the acreage. We did
15 not receive a response. They did not oppose it. They
16 just did not respond to my letter.

17 Q. Has the Division previously granted nonstandard
18 locations for the drilling of wells within these pools
19 on 330-foot setbacks in the past?

20 A. Yes, they have.

21 Q. Did you prepare a map to indicate the locations
22 of the previously granted NSLs?

23 A. Yes. That is the -- this map is Exhibit 4.
24 Again it is the same pool map that I have shown you
25 previously. What I have included here -- I've

1 highlighted the Welch Wolfcamp Pool which I described to
2 you in the prehearing statement that we are requesting
3 to be established -- I'm sorry -- to be created.

4 The dark or the black solid lines are wells that
5 Cimarex has drilled. The dashed lines are wells that
6 Cimarex has permitted. And then the red dashed lines
7 are wells that other operators have permitted.

8 The blue dots that you see here are approved NSL
9 locations for both the permitted and drilled wells in
10 this area.

11 Q. With regard to the notice of the operators within
12 the pool and within a one-mile boundary, did you notify
13 them of Cimarex's application before it was filed?

14 A. Yes. We did notify them and we received green
15 cards showing us that they did receive the
16 application -- or the notice of the application.

17 Q. And are those reflected in Exhibit 5, which is my
18 office's affidavit of notice concerning the
19 application?

20 A. Yes, they are. I'm sorry. I meant to mention we
21 also published notice.

22 Q. And is that also requested in Exhibit 5, the
23 publication?

24 A. Yes.

25 Q. Were Exhibits 1 through 5 prepared by you or

1 under your direction and supervision?

2 A. Yes, they were.

3 MR. DeBRINE: We would move the admission of
4 Exhibits 1 through 5.

5 EXAMINER GOETZE: Exhibits 1 through 5 are
6 so entered.

7 (CIMAREX ENERGY CO. OF COLORADO
8 EXHIBITS 1 THROUGH 5 WERE OFFERED
9 AND ADMITTED.)

10 MR. DeBRINE: And turn the witness over for
11 questioning by the Examiner.

12 EXAMINER GOETZE: Counselor, do you have any
13 questions?

14 EXAMINATION BY MR. WADE

15 MR. WADE: What was the purpose of
16 publishing notice? Was there some unidentified
17 interests or --

18 THE WITNESS: I think it was just to be very
19 sure that we had notified everyone that needed to be --
20 but, no, we were sure about the people that were
21 notified in the list of operators that we have.

22 MR. WADE: Okay.

23 MR. DeBRINE: And if you look at Exhibit 5,
24 we got green cards back from everybody. We just wanted
25 additional bells and whistles.

1 MR. WADE: Okay. That's fine.

2 EXAMINER GOETZE: Any more --

3 MR. WADE: No.

4 EXAMINER GOETZE: And just for clarity, you
5 did meet with members of the Engineering Bureau on
6 several occasions to discuss this?

7 MR. DeBRINE: Prior to filing the
8 application, there were a couple of meetings explaining
9 what we were trying to do, and then we got suggestions
10 from them as to what we ought to have included in the
11 application.

12 EXAMINER GOETZE: So the OCD has had
13 participation in all phases of this?

14 MR. DeBRINE: Absolutely.

15 EXAMINER GOETZE: And I have no more
16 questions for you.

17 THE WITNESS: Thank you.

18 EXAMINER GOETZE: I don't have any questions
19 for you. Thank you very much.

20 THE WITNESS: Thank you.

21 MR. DeBRINE: At this time, we would like to
22 call Meera Ramoutar.

23 MEERA RAMOUTAR
24 having been first duly sworn, was examined and testified
25 as follows:

1 DIRECT EXAMINATION

2 BY MR. DeBRINE:

3 Q. Would you please state your name and who you work
4 for?

5 A. My name is Meera Ramoutar, and I work for Cimarex
6 Energy.

7 Q. Ms. Ramoutar, could you give the Examiner a
8 brief description of your educational and your work
9 history.

10 A. I have a bachelor of science in geology. I also
11 have a master's in geology from the University of Texas
12 in Austin. And I have worked for Cimarex for just about
13 seven years.

14 Q. Have you previously testified before the New
15 Mexico Conservation Division?

16 A. Yes, I have.

17 Q. Was your testimony as a geologist expert witness
18 accepted -- I'm sorry. Were your credentials accepted
19 as a matter of record in those proceedings?

20 A. Yes.

21 MR. DeBRINE: We would tender Ms. Ramoutar
22 as an expert in petroleum geology.

23 EXAMINER GOETZE: She is so qualified.

24 Q. Are you familiar with the application and the
25 pools that are the subject of Cimarex's application in

1 this case?

2 A. Yes, I am.

3 Q. And have you conducted a geologic study of the
4 lands that are located within the pool and adjacent to
5 the pools as part of your work in this case?

6 A. Yes, I have.

7 Q. Have you prepared some exhibits that are part of
8 your geological study?

9 A. Yes, sir.

10 Q. Let's look through those. If you could turn to
11 Exhibit 7 --

12 A. Okay.

13 Q. -- and describe for the Examiner what is
14 represented in your Exhibit 7.

15 A. Okay. So Exhibit 7, the purpose of Exhibit 7 is,
16 basically, to give you an idea of the different types of
17 devolvment that can happen within gas reservoir. And
18 so it is a block diagram, just a cartoon showing the
19 different types of traps and the different types of
20 reservoirs.

21 What I want to draw your attention to is the area
22 of the block diagram labeled "conventional gas." And
23 this basically just shows you that conventional gas
24 reservoirs have historically been developed with
25 vertical wells. The gas that is produced, you know,

1 it's from a gas cap and it comes to the reservoir
2 through migration from the source rock.

3 Moving from the conventional gas trap to type
4 gas -- I am going to the other side of the block diagram
5 here. You can see these reservoirs are typically not as
6 permeable and porous as are conventional reservoirs,
7 and, hence, the word "tight." And so these are
8 developed using horizontal wells.

9 The third one that I want you to look at is the
10 shale gas wells. And that is primarily what we will be
11 developing within these pools that we seek changes on
12 today.

13 And those shale gas wells, we take it one step
14 further. So we are actually going into that source
15 rock. And that source bed is highlighted by that pink
16 color. And you can see here that we are locating our
17 well -- a wellbore within the source rock horizontally,
18 and, you know, using fracture stimulation to be able to
19 develop that.

20 Q. What experience does Cimarex have developing the
21 Wolfcamp gas reservoir in this area?

22 A. We have been pursuing that reservoir for over two
23 years.

24 Q. If you could turn to Exhibit 8 and explain what
25 you're representing here.

1 A. I --

2 Q. I'm sorry. Exhibit 7.

3 A. So Exhibit 7, what I am trying to show here -- in
4 the previous block diagram, we referred to conventional
5 gas reservoirs or conventional reservoirs. And then we
6 were trying to show the difference between developing of
7 a conventional reservoir and an unconventional one.

8 What I have in front of you here are two sets of
9 rock samples out of two different types of wells. The
10 first one being from our 2nd Bone Spring wells, which
11 are conventional reservoirs, and the second set of
12 samples from our White City area out of the Wolfcamp
13 itself.

14 And what we have here are different samples taken
15 at different depths within these reservoirs, and the two
16 main parameters that we try to look at, porosity and
17 permeability, for each of these rock samples.

18 And the red box highlights the permeability for
19 each of these. And what I want to draw your attention
20 to is the simple fact that the permeability for the
21 conventional sand reservoirs is the magnitude of
22 difference as compared to the permeability that you see
23 in the unconventional rock.

24 And so that ties back into that block diagram
25 that shows you that these rocks are not very permeable,

1 and permeability just alluding to the ability of the
2 pores to be connected and so alluding to flow.

3 These will not flow, and so we place our wellbore
4 within that tight rock.

5 Q. Is that difference in permeability and porosity
6 further represented in any other exhibits that you
7 prepared?

8 A. Yes, sir. Exhibit 8 is tied directly to
9 Exhibit 7. And so what I have done here is, there is an
10 inflow graphic above in blue. And it just shows you how
11 the conventional reservoirs relate to the shale gas
12 reservoirs. And, like I said before, the permeability
13 is the magnitude of difference.

14 And what I have done in the second part of that
15 exhibit is I have a cross block of those points from
16 Exhibit 7. And, again, it's just -- it's very visual,
17 but showing you where the conventional sands plot with
18 higher porosities and higher permeabilities as compared
19 to the unconventional reservoirs like the Wolfcamp that
20 is quite a bit tighter.

21 Q. Have you looked at well logs within the area as
22 part of your geological study?

23 A. Yes, sir. My primary tool of analysis is well
24 logs. And so in this area I have looked at over 450
25 logs just to try to kind of get an idea of how the

1 reservoir looks.

2 And what you have in Exhibit 9 is a type log from
3 that area showing you the Wolfcamp zone of interest.

4 And so you can see, we have identified the gross
5 interval of the Wolfcamp for about 1,400 feet of gross
6 interval.

7 On the well log what we are looking at are -- the
8 first, from left to right, it's our gamma ray track.
9 And so that is -- we have colored it -- it's differently
10 colored, but what I want to draw your attention to is
11 the increase in the brown as you move from the top of
12 the log down to the bottom.

13 And the brown color really is used as a proxy for
14 lithology. And so the brown is basically our shales or
15 mud stones. So you can see here the percentage of mud
16 stone increases significantly as you move to the bottom
17 of the section.

18 And then moving next door to that, we've got our
19 porosity tracks; we've got our neutron and density
20 porosity, identified by red and blue curves
21 respectively; and then our resistivity; and, then,
22 finally, our water saturation.

23 And one thing that we like to look at is -- this
24 is a calculated number, but we do like to produce
25 reservoirs that have lower water. It's a lot more

1 economic.

2 Drawing attention to two other things on the well
3 log here. We have our Wolfcamp shale net pay
4 highlighted in our depth track in that light blue color.
5 And so Cimarex uses an internal cutoff of ten percent
6 density as being rock density porosity, as being rock
7 that is reservoir quality.

8 And you can see here that the primary reservoir
9 is located in the bottom of the interval yet again.

10 And also we looked at cored -- we looked at rock
11 samples earlier. And those rock samples were taken from
12 a different well but the same stratigraphic interval
13 that is identified by the gray box.

14 So just letting you know that our focus is that
15 lower Wolfcamp zone. And we've taken all of our data
16 supporting our case from that interval.

17 Q. And is the data reflected on Exhibit 9
18 representative of the other wells within the area of
19 study?

20 A. Yes, sir.

21 Q. If you could turn to Exhibit 10 now.

22 A. So like I mentioned previously, I've looked at
23 over 450 logs in this area, try to do a reservoir study
24 from the geology side.

25 And based on that study of those well logs, this

1 is the product of it. Basically, this is the map that
2 you have seen earlier from Jordan that has the pools
3 that we are seeking to amend today on it, but in the
4 background of that I have superimposed the net pay
5 isopach that Cimarex uses. And so everything that is
6 over 200 feet is shaded in this green color.

7 Also on the map I have the operators that operate
8 wells that are productive out of these intervals. And
9 just for simplicity, these are the only wells that I
10 have -- these are I think 55 wells that are superimposed
11 on this map. But, like I mentioned before, there is
12 significant well control in this area.

13 Q. Were Exhibit 6 through 9 prepared by you or
14 compiled under your direction and supervision?

15 A. Yes, sir.

16 Q. Ms. Ramoutar, do you have an opinion as to
17 whether the entry of an order by the Division reducing
18 the setback requirements for these pools from 660 feet
19 to 330 feet will prevent waste and protect correlative
20 rights?

21 A. Yes.

22 Q. What is that opinion?

23 A. I think that it will prevent waste.

24 Q. Will it also protect correlative rights?

25 A. It will.

1 Q. Do you have an opinion of whether reducing the
2 setback requirements would adversely affect or impair
3 the correlative rights of offset owners of the wells
4 that would be drilled within these pools?

5 A. I do have an opinion, and I don't think that it
6 will affect them adversely.

7 Q. Do you have an opinion as to whether the granting
8 of Cimarex's application is in the interest of
9 conservation?

10 A. Yes. It is in the interest of conservation.

11 MR. DeBRINE: That concludes my
12 presentation.

13 EXAMINER GOETZE: You don't want to enter
14 any exhibits?

15 MR. DeBRINE: I would like to move the
16 admission of Exhibits 6 through 9.

17 EXAMINER GOETZE: Not 10?

18 MR. DeBRINE: Yes, and 10.

19 EXAMINER GOETZE: Yes, it's a nice isopach.
20 Exhibits 6 through 10 are so entered into the record.

21 (CIMAREX ENERGY CO. OF COLORADO
22 EXHIBITS 6 THROUGH 10 WERE OFFERED
23 AND ADMITTED.)

24 EXAMINER GOETZE: Do you have any questions?

25 MR. WADE: No questions.

1 EXAMINATION BY EXAMINER GOETZE

2 EXAMINER GOETZE: On your preparation of
3 your isopach, did you use this 10 percent cutoff --

4 THE WITNESS: Yes, sir.

5 EXAMINER GOETZE: -- as your means of
6 compiling?

7 THE WITNESS: Yes, sir.

8 EXAMINER GOETZE: And do you have any
9 feelings as to how far -- let me back up.

10 At this point how many wells, roughly, does
11 Cimarex have completed in the Wolfcamp in this area
12 which you've used for compiling information?

13 THE WITNESS: I believe that we have over 30
14 wells that we have drilled in the Wolfcamp. And my
15 engineer will give you a better idea of that.

16 EXAMINER GOETZE: Very good. Great.

17 At this point we are primarily interested in
18 that tight shale at the bottom of the formation. The
19 upper portion of the formation you had no interest in
20 or --

21 THE WITNESS: Not that we don't have any
22 interest. But, at this time, the lower zone seems to be
23 the more economically viable zone to go after.

24 EXAMINER GOETZE: Okay. In your discussion
25 with Paul, we're taking the entire formation as a single

1 unit, is your understanding?

2 THE WITNESS: Yes.

3 EXAMINER GOETZE: We are not subdividing it
4 or segregating it vertically?

5 THE WITNESS: I don't believe so, no.

6 EXAMINER GOETZE: Thank you. I don't have
7 further questions.

8 Your next witness.

9 MR. DeBRINE: William Sirgo.

10 WILLIAM SIRGO

11 having been first duly sworn, was examined and testified
12 as follows:

13 DIRECT EXAMINATION

14 BY MR. DeBRINE:

15 Q. Mr. Sirgo, could you please state your name and
16 tell the Examiner who you work for.

17 A. Will Sirgo, reservoir engineer for Cimarex
18 Energy.

19 Q. How long have you been a reservoir engineer?

20 A. I have been a reservoir engineer for over six
21 years; two years with Chevron in the Gulf of Mexico, and
22 over four years with Cimarex in the Permian Basin.

23 Q. Could you provide the Examiner with just a brief
24 summary of your educational background?

25 A. Yes. I grew up in Midland, Texas, went to high

1 school there, worked in the oil fields, and then
2 proceeded to the University of Texas where I got a
3 bachelor of science in petroleum engineering in 2009.

4 Q. Do you have a membership in any professional
5 associations?

6 A. Society of Petroleum Engineers.

7 Q. Have you made an engineering study of the
8 Wolfcamp Reservoir in the pools that are the subject of
9 the application and the area surrounding the pools?

10 A. Yes, I have.

11 Q. Are you familiar with the application that has
12 been filed by Cimarex in this case and the pools and
13 lands that are the subject of the application?

14 A. Yes, I am.

15 Q. Have you previously testified before the
16 Division?

17 A. No, I have not.

18 MR. DeBRINE: We would tender Mr. Sirgo as
19 an expert in petroleum engineering matters.

20 EXAMINER GOETZE: He is so qualified.

21 Q. Mr. Sirgo, have you undertaken a petroleum
22 engineering study of the area that's the subject of
23 Cimarex's application in this case?

24 A. Yes, I have.

25 Q. If you could turn to what has been marked as

1 Exhibit 11. Is that an exhibit that you prepared as
2 part of your study?

3 A. Yes, it is.

4 Q. And what are we looking at here?

5 A. So what I have done here is I have taken the pool
6 map that's been provided to you all in previous
7 exhibits. And what I have annotated in the yellow
8 circles, those are Cimarex operated Wolfcamp wells.

9 So your earlier question of how many wells we
10 have in an area, this is -- these are our wells that we
11 operate. And then what I've annotated on top of those
12 is two wells that I'm going to talk in deeper detail
13 about.

14 The well furthest to the east is Cottonwood Draw
15 22 Fed No. 1. This is a well Cimarex drilled some time
16 ago. And we took a full PVT analysis on this well to
17 understand our reservoir fluids.

18 And then the well further to the west is our
19 Hayduke 34 Fed No. 3H. This is the most recent well
20 Cimarex has drilled in the area, has our most
21 stimulation on it, and I'm going to show you an oil
22 analysis related to that well.

23 Q. And you are talking about the area -- you're
24 talking about the area in Exhibit 1, the locator map,
25 that's the area north of the Texas border; is that

1 right?

2 A. Correct.

3 Q. Is it true that Cimarex also operates Wolfcamp
4 wells in the same reservoir in Texas south of the
5 border?

6 A. Yes. The four townships directly south of the
7 state line, Cimarex has a 100,000 acre project area. We
8 operate Wolfcamp...

9 Q. If you could turn to Exhibit 12, please, and take
10 us through that and explain what's represented there?

11 A. So this is just a snip from the PVT analysis done
12 on the Cottonwood Draw 22. A PVT analysis is something
13 we do very early on when we're developing reservoirs to
14 better understand the reservoir fluid.

15 I point your attention to the first yellow box on
16 the right side that is labeled "Result Summary." If you
17 go down to the third bullet point, you can see that the
18 analysis showed it is retrograde gas in the reservoir.
19 And beyond the full PVT analysis, we also look at the
20 API gravity.

21 If you look at the second yellow box on the
22 right, where it shows API gravity of this oil, it's
23 54 degrees, which we would consider matches the analysis
24 of retrograde condensate in the reservoir.

25 Q. And as you indicated earlier, this PVT analysis

1 was for a well that was drilled a little bit earlier in
2 time?

3 A. Yes. This is one of our earlier wells. I
4 believe this well was drilled in 2010.

5 Q. And if you could turn to Exhibit 13 --

6 A. So --

7 Q. -- is that the analysis for the latest well?

8 A. Yes. So this is an oil analysis for the latest
9 well. So our PVT is very nice to have. We do not have
10 ample amounts of PVT to study other wells, but we do
11 have oil analysis on all our wells.

12 So if you look at our most recent one and you go
13 to the oil analysis on the right, what I have circled,
14 its API gravity is also 57 degrees. So what that shows
15 is Cimarex is -- even in many, many years of stimulation
16 evolution, our fluid is the same.

17 Q. If you could turn to Exhibit 14. Could you
18 explain what you've depicted there?

19 A. So this is the same map I showed you in
20 Exhibit 11. All I've done now is went ahead and showed
21 you all the gravities of all our wells in the area. And
22 you can see across -- everywhere we drilled an area,
23 they've got gravity ranges from 54 degrees to 58. So we
24 would consider the reservoir fluid across this entire
25 area the same.

1 Q. Let's turn to Exhibit 15, Mr. Sirgo?

2 A. Okay.

3 Q. And what are you trying to represent here?

4 A. So what I am trying to represent here is that, as
5 Meera set up earlier, in dealing with unconventional
6 reservoirs, your drainage profile isn't so much dictated
7 as you would usually see in a conventional, a radial
8 drainage. It's more dictated by the stress orientation
9 of your formation.

10 And so what I want to walk you all through here
11 is a quick cartoon on how we figure out the way we think
12 that profile will manifest itself as we stimulate the
13 well.

14 The red box on the right -- on the left is
15 supposed to exhibit just a piece of formation that we
16 would be stimulating against. The blue arrows would
17 mark the three different forces acting on that piece of
18 formation; your vertical stress coming from above you,
19 all your overburden.

20 And then on a horizontal level, two stresses.
21 And out of those two stresses one is going to be lower
22 than the other. And that will be the stress that the
23 stimulation pushes back on.

24 So if you move to the cartoon on the right side
25 of the exhibit, what I've illustrated is how a frac

1 would open if this was your stress direction. And then
2 what I've annotated with the little blue arrow coming
3 off that box is the direction it would grow.

4 Q. Is the direction of fracture depicted on
5 Exhibit 15 consistent with the results that you've
6 experienced in drilling in the area?

7 A. Yes, it is.

8 Q. Let's turn to Exhibit 16. And if you could
9 explain what's represented there.

10 A. So this is just further explanation coming off
11 Exhibit 15. This is a bird's eye view, so now we are
12 looking down at a horizontal wellbore, which is
13 indicated by the green line.

14 And then what I -- the red ellipses are supposed
15 to indicate different fractures. And then the blue
16 arrows again are our stress regime for the formation.

17 And as you can see, those fractures are all going
18 to push against that minimum stress, and that's the way
19 they're going to open.

20 And so what this will show you is that no matter
21 how that green line was drilled, those fractures will
22 open in that direction. And it's just again showing
23 that when dealing with unconventional, your drainage
24 profile is much more different than you are used to in a
25 conventional.

1 Q. Let's take a look at Exhibit 17, Mr. Sirgo.

2 A. Exhibit 17, so all I'm going to do here is prove
3 to you all that the reservoirs that we're talking about
4 in White City directly relate to the reservoirs we drill
5 in Culberson County, Texas.

6 So what I've done on the left side of the exhibit
7 is shown the map we've been looking at. And then I've
8 added in our project area from Texas to the south,
9 indicated by the red box.

10 All the yellow circles would be Cimarex operated
11 Wolfcamp wells.

12 And then what I have annotated with the yellow
13 stars is PVT data we've taken across this area. So you
14 have two in White City and you have four in Culberson.

15 And what I've done on the right is shown that
16 every single PVT analysis resulted in the same reservoir
17 fluid.

18 The reason I've circled the Cottonwood Draw -- we
19 talked about it earlier -- but that is also a full PVT
20 analysis that Cimarex has provided to the NMOCDD for
21 review. And they agreed with us that indeed it was
22 retrograde.

23 Q. And approximately how many wells have you drilled
24 in the Culberson project area in the Wolfcamp?

25 A. Well over fifty.

1 Q. And what's the setback requirements with respect
2 to the wells that have been drilled south of the border
3 in Texas?

4 A. They are much closer than our setbacks in New
5 Mexico. It's 200 feet.

6 Q. If you could turn to Exhibit 18, and explain what
7 you are representing there.

8 A. The reason for the earlier exhibit was just to
9 show that that area relates to the area you're talking
10 about, because I am going to take some stress data out
11 of that area and relate it back up to White City.

12 So what we have here is an exhibit of our
13 Culberson block, all the operated Cimarex acreage is
14 marked in yellow. And then the little circles are Rose
15 diagrams that basically are induced fracture plots --
16 drilling-induced fracture plots.

17 And what I have annotated with the green
18 arrows -- these Rose diagrams show us where that maximum
19 stress is, which, in turn, will help us predict how our
20 fractures will grow.

21 And so what I want you to pay attention to is the
22 top two diagrams. Those are right up against the state
23 line, so they directly relate to what we'll be
24 developing in White City.

25 And you can see they have a 45-degree northeast

1 to southwest orientation.

2 Q. If you turn to Exhibit 19, Mr. Sirgo.

3 A. Yes.

4 Q. What are you trying to represent in this exhibit?

5 A. So what I am trying to represent here is because
6 of the geometry of your drainage profile in an
7 unconventional reservoir, just because you're 660 feet
8 away from the lease line, that does not mean your
9 fracture will get there in 660 feet.

10 So what I have annotated here is two different
11 cartoons. The left cartoon with the larger triangle
12 would be a well drilled on the 660 setback. The right
13 cartoon would be a well drilled on a 330 setback. And I
14 have shown where the wellbore toe is.

15 And so on the orientation we will see in White
16 City, for us to reach the lease line of a 660 setback,
17 that requires a 930 feet frac half length. And on a 330
18 setback, that would be 467.

19 And due to the low permeability of this reservoir
20 combined with our experience drilling the Wolfcamp,
21 933 feet is a very unrealistic half length for this
22 play.

23 Q. And when you say "unrealistic," why is that?

24 A. Just based on -- you know, I will go back to the
25 permeability profiles that Meera was talking about. The

1 Bone Spring Sands was somewhere that we see frac lengths
2 of this length, and the perm magnitude is so much better
3 than what we're dealing with here. So for me to expect
4 the same half length is just unrealistic.

5 Q. Have you made an estimate of what waste would be
6 associated with utilizing 660-foot versus 330-foot
7 setbacks?

8 A. Yes. If you proceed to Exhibit 20. And this is
9 a little busy cartoon, so let me walk you through it.
10 What this is supposed to represent is a single section,
11 640 acres.

12 What I have annotated in the black-hashed box
13 within the big box is 660 setbacks around the entire
14 section. Every green line is a wellbore.

15 And then the red ellipses are again what we
16 expect our fracs to extend to and what they will touch.

17 And what I've highlighted in yellow is the
18 potential waste we see from being so far away from the
19 lease line.

20 And then the other piece of the cartoon would be
21 up in the north top right corner. Again I have
22 annotated how big a frac length you would need to get to
23 your lease line.

24 Q. Have you also undertaken a study of what
25 additional reserves would be recovered through 330-foot

1 setbacks?

2 A. Yes.

3 Q. If you could turn to Exhibit 21.

4 A. So if you were allowed to get to 330s, this would
5 allow you to access that 150 acres that was not being
6 accessed previously on 660.

7 And so what this allows you to do is you had,
8 basically, 490 acres you could access before, and now
9 you can access a full 640. That's a 30 percent increase
10 in section recovery.

11 What it also allows you to do, it allows us to
12 drill an additional well. And so now we have eight
13 wells draining 640 acres, which would be an 80-acre
14 drainage; to before we had seven draining, 490. So
15 you've also increased your recovery per well, which will
16 benefit your well economics of course.

17 Q. Do you have an opinion as to whether the granting
18 of Cimarex's application is in the interest of
19 conservation and will prevent waste and protect
20 correlative rights?

21 A. I believe it will prevent waste, it will protect
22 correlative rights, and is in the interest of
23 conservation.

24 MR. DeBRINE: I have no further questions.
25 And I move the admission of Exhibits 11 through 21 --

1 excuse me --

2 Q. (By Mr. DeBrine) Were these exhibits prepared by
3 you or under your direction and supervision?

4 A. Yes, they were.

5 EXAMINER GOETZE: And we will go ahead and
6 enter Exhibits 11 through 21.

7 (CIMAREX ENERGY CO. OF COLORADO
8 EXHIBITS 11 THROUGH 21 WERE OFFERED
9 AND ADMITTED.)

10 EXAMINER GOETZE: Do you have questions?

11 MR. WADE: I have no questions.

12 EXAMINATION BY EXAMINER GOETZE

13 EXAMINER GOETZE: First of all, I am going
14 to request some additional information.

15 THE WITNESS: Okay.

16 EXAMINER GOETZE: Let's get out your pens
17 and pencils. Let's go back to your -- let's see.
18 Exhibit 17, we show here -- we've got three PVTs in the
19 New Mexico side and the dark star, is that the one
20 that's close to the Texas border?

21 THE WITNESS: So these are -- on the right,
22 the list is in order from north to south.

23 EXAMINER GOETZE: Okay.

24 THE WITNESS: So the Seldom Seen, the
25 Cottonwood Draw, in New Mexico; the Owl Draw is in

1 Texas, but it's right up against the state line.

2 EXAMINER GOETZE: Okay. That's fine. What
3 I would like you to do is provide us with the PVT
4 results for each of these.

5 THE WITNESS: Okay.

6 EXAMINER GOETZE: And include initial
7 reservoir temperature and pressure, a dew point,
8 critical temp, and whether this single phase state of
9 the reservoir at initial temperature, whether it was a
10 gas or an oil.

11 This will be supplemental information. And
12 this will be reviewed by our engineer, so we would like
13 to have this instead of wandering around without the
14 information.

15 I don't feel it is necessary to continue the
16 case since it is unopposed. So if you will make that
17 information available to the best of your timely
18 fashion.

19 THE WITNESS: Absolutely.

20 MR. DeBRINE: We can do that.

21 EXAMINER GOETZE: On that note, the question
22 with regards to, how far do your fractures reach? We
23 notice that the picture is very nice and it does make
24 it up right to that lease boundary. What information
25 do you have to support your fracture lengths or at

1 least your drainage will stay within your own
2 rights?

3 THE WITNESS: Mainly empirical evidence.
4 We've done ample drilling in the Wolfcamp and a lot of
5 other low permeable shales within New Mexico.

6 Our team specifically is very active in the
7 Avalon. So in these low perm reservoirs, their frac
8 lengths are all 467 or under.

9 All of our peers are developing Wolfcamp on
10 eight wells per section spacing, so we would assume that
11 they are agreeing with us that they are seeing similar
12 frac lengths, and, then, also the fact that they didn't
13 oppose our setbacks. We think that they agree with --

14 EXAMINER GOETZE: Just because we don't all
15 agree doesn't necessarily mean we're doing the right
16 thing. Do we have any micro-seismic --

17 THE WITNESS: I would have to review the
18 White City area because we haven't gone into full
19 development.

20 EXAMINER GOETZE: If you could possibly go
21 through your records and see if you have any
22 micro-seismic to support fracture patterns, we would
23 like to see that also.

24 THE WITNESS: I know we have some in other
25 areas in our --

1 EXAMINER GOETZE: In Wolfcamp?

2 THE WITNESS: Let me double-check. I want
3 to make sure --

4 EXAMINER GOETZE: Preferably, Wolfcamp;
5 Avalon is kind of stretching it, because we're talking
6 about something a little bit different.

7 THE WITNESS: Yes, I agree. Okay.

8 EXAMINER GOETZE: So we have a little more
9 homework to do on this.

10 And just for clarity, Exhibit 12, we've got
11 reservoir conditions. Those are initial reservoir
12 conditions?

13 THE WITNESS: Correct.

14 EXAMINER GOETZE: Okay. At this point, I
15 have no further questions.

16 Let's go ahead and provide that information
17 in the best format. Raw data if you do have it possibly
18 available. We don't want anything that you feel is
19 proprietary.

20 THE WITNESS: Okay.

21 EXAMINER GOETZE: If it is proprietary, do
22 tell us in advance. Provide that to the Clerk, Florene
23 Davidson through your Counsel.

24 THE WITNESS: Okay.

25 EXAMINER GOETZE: At this point, I have no

1 further questions of this witness. Case 15430 is taken
2 under advisement.

3 Let's take a 15-minute break at this point
4 and re-adjourn back here at 9:30 please.

5 MR. DeBRINE: One other thing --

6 EXAMINER GOETZE: What do you got?

7 MR. DeBRINE: Just for ease of reference,
8 we'll provide to Division Counsel a copy of all the pool
9 orders that are the subject of the application so it is
10 easy to reference.

11 EXAMINER GOETZE: You don't want us to be
12 confused about our own orders?

13 MR. DeBRINE: It's just a lot easier to
14 have --

15 EXAMINER GOETZE: I'm sure it is a lot
16 easier. We'd appreciate that if you could go ahead and
17 compile those pool orders. And we will also be talking
18 with Paul Kautz to make sure at the last minute we have
19 every name right and every pool --

20 MR. WADE: And, actually, if you could send
21 it to Mr. Goetze as well.

22 MR. DeBRINE: Okay. We will do that.

23 EXAMINER GOETZE: We continue on. Let's
24 take that 15-minute break. At 9:25 we'll be back
25 here.


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. DeBRINE: Thank you.

EXAMINER GOETZE: Thank you.

(Brief recess.)

(Time noted 9:11 a.m.)

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 15430
heard by me on January 7, 2016.

Philip R. Goetze, Examiner
Oil Conservation Division

1 STATE OF NEW MEXICO)
2) ss.
3 COUNTY OF BERNALILLO)
4
5
6

7 REPORTER'S CERTIFICATE

8
9 I, ELLEN H. ALLANIC, New Mexico Reporter CCR
10 No. 100, DO HEREBY CERTIFY that on Thursday, January 7,
11 2016, the proceedings in the above-captioned matter were
12 taken before me, that I did report in stenographic
13 shorthand the proceedings set forth herein, and the
14 foregoing pages are a true and correct transcription to
15 the best of my ability and control.

16
17 I FURTHER CERTIFY that I am neither employed by
18 nor related to nor contracted with (unless excepted by
19 the rules) any of the parties or attorneys in this case,
20 and that I have no interest whatsoever in the final
21 disposition of this case in any court.

22
23
24
25


ELLEN H. ALLANIC, CSR
NM Certified Court Reporter No. 100
License Expires: 12/31/16