

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

APPLICATION OF DEVON ENERGY PRODUCTION  
COMPANY, L.P. TO REVOKE THE INJECTION  
AUTHORITY GRANTED BY ADMINISTRATIVE  
ORDER SWD-640, LEA COUNTY, NEW MEXICO.

ORIGINAL

CASE NO. 15397

REPORTER'S TRANSCRIPT OF PROCEEDINGS

SPECIAL EXAMINER HEARING

DOCKET NO. 13-16

BEFORE: Phillip Goetze, P.G., Hearing Examiner  
David Brooks, Legal Examiner

March 29, 2016

Santa Fe, New Mexico

This matter came on for hearing before the  
New Mexico Oil Conservation Division, Phillip  
Goetze, P.G., Hearing Examiner, and David Brooks,  
Legal Examiner, on 29, March, 2016, at the  
New Mexico Energy, Minerals and Natural Resources  
Department, 1220 South Street Francis Drive,  
Room 102, Santa Fe, New Mexico.

REPORTED BY: Lisa Reinicke

PAUL BACA PROFESSIONAL COURT REPORTERS  
500 Fourth Street, NW, Suite 105  
Albuquerque, NM 87102

RECEIVED OGD  
2016 APR -8 P 3:13

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

For Devon Energy Production Company, L.P.:

James Bruce, Attorney at Law  
P.O. Box 1056  
Santa Fe, NM 87504  
  
369 Montezuma, No. 213  
Santa Fe, NM 87501  
  
(505) 982-2043  
(505) 982-2151

FOR OCCIDENTAL OIL and GAS CORPORATION (OXY):

HOLLAND & HART  
Michael H. Feldewert  
110 North Guadalupe, Suite 1  
Santa Fe, NM 87501  
  
P.O. Box 2208  
Santa Fe, NM 87501  
  
(505) 988-4421  
(505) 983-6043

1	I N D E X		
2			PAGE
3	KYLE JOHNSON		
	Direct Examination by Mr. Bruce		17
4	Cross-Examination by Mr. Feldewert		30
	Redirect Examination by Mr. Bruce		51
5			
	LORENZO WILBORN		
6	Direct Examination by Mr. Bruce		56
	Cross-Examination by Mr. Feldewert		64
7			
	ROY HATHCOCK		
8	Direct Examination by Mr. Bruce		77
	Cross-Examination by Mr. Feldewert		93
9	Redirect Examination by Mr. Bruce		111
	Recross-Examination by Mr. Feldewert		121
10			
	STEVE SCHWEGAL		
11	Direct Examination by Mr. Bruce		126
	Cross-Examination by Mr. Feldewert		139
12			
	ALEX BIHOLAR		
13	Direct Examination by Mr. Bruce		146
	Cross-Examination by Mr. Feldewert		157
14	Redirect Examination by Mr. Bruce		165
15	CHRISTOPHER BROUGHTON		
	Direct Examination by Mr. Bruce		166
16	Cross-Examination by Mr. Feldewert		173
17	THOMAS CLIFFORD		
	Direct Examination by Mr. Feldewert		175
18	Cross-Examination by Mr. Bruce		237
19	RUSS COOPER		
	Direct Examination by Mr. Feldewert		260
20	Cross-Examination by Mr. Bruce		278
	Redirect Examination by Mr. Feldewert		282
21			
	CERTIFICATE OF COMPLETION OF HEARING		
22			
	EXHIBITS	MARKED/IDENTIFIED	
23			
	A. N Thistle 34 State Com 1H (8 pages)		30
24	B. Diamond 34 State 1 SWD (6 pages)		64
	C. Diamond 34 State 1 SWD		64
25	D. OXY - Diamond 34 State 1 SWD (6 pages)		93

1	F. Seismic Cross Section	157
	G. Devon Whitten Ranch Sinkhole (5 pages)	157
2	H. Devon Block Diagram (4 pages)	172
	I. Affidavit of Notice	175
3	J. November 19, 2015 E-mail	120
	K. October 7, 2015 E-mail	120
4		
	1. Area of Interest	237
5	2. Wellbore Diagram	237
	3. Mechanical Integrity Tests	237
6	4. Bradenhead Test Report	237
	5. Bradenhead Pressure Monitoring	237
7	6. Bradenhead Pressure Monitoring	237
	7. Bradenhead Pressure Monitoring	237
8	8. Temperature Survey Schedule	237
	9. Temperature Surveys	237
9	10. Temperature Survey Lithology Correlations	237
	11. October 1, 2015 E-mail	237
10	12. Timeline on RA Tracer Slugs & Channel Checks	237
11	13. H2O Composite Survey	237
	14. Channel Check @ 5,510	237
12	15. Channel Check @ 5,400	237
	16. Packer Check @ 5,300	237
13	17. Channel Check @ 4,830	237
	18. Repeat Channel Check @ 5,500	237
14	19. Repeat Channel Check @ 5,340	237
	20. Diamond SWD Injection History	237
15	21. Disposal Interval Permeability	237
	22. Permeability Reference	237
16	23. 30-025-20759 Humble State #1	237
	24. Elidio Gonzales E-mail	237
17	25. Area of Interest	237
	26. Documented Pressure, Calculated Pressure	237
18	27. NMOCD Case Number 15397: OXY-2	237
	28. September 8, 2015 E-mail	237
19	29. Type Log Diamond 34 State 1 SWD	282
	30. Development of Overpressure/Normal Pressure	282
20	31. Natural Pressurized Fluid in Salt Section	282
21	32. Natural Pressurized Fluid in Salt Section	282
	33. Natural Pressurized Fluid in Salt Section	282
22	34. Natural Pressurized Fluid in Salt Section	282
	35. Natural Pressurized Fluid in Salt Section	282
23	36. Energy, Minerals, Natural Resources	237
	37. 2004 WIPP Compliance Recertification	237
24		
25		

1           MR. EXAMINER: Good morning, ladies and  
2 gentlemen. This is the Special Examiner Hearing,  
3 docket number 13-16. We are here for case number  
4 15397, application of Devon Energy Production  
5 Company, LP, to revoke injection authority, Lea  
6 County, New Mexico.

7           I'm the Examiner for today. My name is  
8 Phillip Goetze, and with me is legal counsel David  
9 Brooks.

10           At this point we call for appearances.

11           MR. BRUCE: Mr. Examiner, Jim Bruce of  
12 Santa Fe representing Devon Energy. I have six  
13 witnesses.

14           MR. FELDEWERT: May it please the Examiner,  
15 Michael Feldewert. I work with the Santa Fe office  
16 of Holland & Hart. I'm here on behalf of OXY, USA,  
17 Inc. We have two witnesses here today.

18           MR. EXAMINER: Very good.

19           What I would request is that the witnesses  
20 please stand, identify yourself to the court  
21 reporter, and we will have you sworn in.

22           MR. SCHWEGAL: I'm Steve Schwegal,  
23 geologist with Devon.

24           MR. BIHOLAR: Alex Biholar, geophysicist  
25 with Devon.

1 MR. BROUGHTON: Chris Broughton, reservoir  
2 engineer for Devon.

3 MR. JOHNSON: Kyle Johnson, drill engineer  
4 for Devon.

5 MR. HATHCOCK: Roy Hathcock. I'm the  
6 production engineering manager for Devon.

7 MR. WILBORN: Lorenzo Wilborn, production  
8 engineer with Devon.

9 MR. CLIFFORD: Thomas Clifford, engineer  
10 for OXY.

11 MR. COOPER: Wes Cooper, chief geoscientist  
12 with OXY.

13 MR. EXAMINER: Very good.

14 Go ahead and swear them in, please.

15 [Whereupon the witnesses were duly sworn.]

16 MR. EXAMINER: We would also ask you, when  
17 you do come up to testify that if you do have a  
18 business card, do give it to the court reporter so  
19 that she has an additional record.

20 And now to opening statements. Mr. Bruce?

21 MR. BRUCE: I wasn't planning on doing one  
22 but Mr. Feldewert indicated he was.

23 MR. EXAMINER: Well, let me do one thing.  
24 Before we proceed, we do have one item left  
25 unattended. We do have an order R14120, which was

1 prepared for this case. We did go through some  
2 e-mails and we believe that they were delivered to  
3 you.

4 MR. BRUCE: That is correct.

5 MR. EXAMINER: And that we had a few that  
6 were embedded, that OXY said they were not going to  
7 waive their privilege. Do you have any problems  
8 with that?

9 MR. BRUCE: I'm not -- I didn't review  
10 them. I don't know which ones were embedded. Could  
11 we discuss that before you -- which ones were  
12 embedded.

13 MR. FELDEWERT: There was -- well, I can't  
14 tell you which ones. There were numerous ones that  
15 were embedded.

16 MR. BROOKS: Many of those instruments in  
17 the -- in the material that you gave to me appeared  
18 many times in those -- in various different files.  
19 Now, Phillip and I determined which documents we  
20 thought were privileged but we did not attempt to go  
21 back through the entirety of every file and identify  
22 every place where those documents would be.

23 MR. FELDEWERT: Because that would be a  
24 massive effort that we could not do in the timeframe  
25 we had.

1           MR. BRUCE: Okay. I think I have an easy  
2 way out of that, Mr. Examiner. My clients withheld  
3 their -- looked at a few of the doc -- or have  
4 looked at the documents. They said there was a  
5 couple of interests to them. We are not using those  
6 in our direct testimony and so maybe at the lunch  
7 break Mr. Feldewert and I could --

8           MR. EXAMINER: Have a discussion.

9           MR. BRUCE: -- have a discussion.

10          MR. BROOKS: That would be helpful.

11          MR. EXAMINER: All right. Well, then we  
12 will proceed on with the case.

13          MR. BRUCE: Mr. Examiner, due to the  
14 various motions and informal hearings in this case,  
15 I think the Division is fairly familiar with the  
16 claims of the parties.

17          Briefly, Devon encountered higher than  
18 normal pressures when drilling a well in the subject  
19 southwest corridor of section 34. At that time they  
20 contacted OXY regarding injection into OXY's nearby  
21 saltwater disposal well and OXY shut it in while  
22 Devon continued drilling. When OXY's well was shut  
23 in the pressures noticed in Devon's well dropped.  
24 Prima facie, there's something going on here, not to  
25 mention that those higher pressures were not



1 encountered when the SWD well was drilled in the  
2 1990s, nor was it noticed when a separate well in  
3 the southeast corridor of section 34 was drilled  
4 years earlier.

5           The Division, with respect to saltwater  
6 disposal wells or other injection wells, requires an  
7 operator to ensure there is no significant movement  
8 of fluids out of the injection zone, and I would  
9 also note that the Division must also protect  
10 freshwater sources. Those are founded in the  
11 statutes 70-2-12, and then of course in the  
12 regulations 19.15.26.10. The operator shall, as I  
13 said, make sure that there is no significant fluid  
14 movement. The operator shall report the failure of  
15 an injection well, which failure may endanger  
16 underground sources of drinking water, and the  
17 Division may restrict the injected volumes and  
18 pressures or shut-in injection wells that have  
19 exhibited failure under that regulation.

20           OXY, throughout this, has relied on the  
21 differences and the depths between the injection  
22 zone and the depth where Devon encountered the high  
23 pressures. However, as I said, something is going  
24 on and Devon will show how this could have occurred.  
25 Devon will show that the only source of that water

1 flow that it noticed of that higher pressure is  
2 OXY's SWD well in which over 6 million barrels have  
3 been injected, and we believe the injection  
4 authority should be revoked or at the very least  
5 that well should be shut in until OXY can fix the  
6 problem.

7 Finally, depending on the area affected by  
8 the out-of-zone water flow, the drilling and  
9 operation of dozens of potential Devon wells will be  
10 affected adversely potentially causing waste and  
11 certainly impairing the correlative rights of the  
12 interest owners in these wells. And we ask, as a  
13 result, that Devon's application be granted.

14 MR. EXAMINER: Mr. Feldewert?

15 MR. FELDEWERT: Mr. Examiner, I've given  
16 you our exhibit notebook. It's the black notebook  
17 up there in front of you. On top of that are two  
18 printouts from the Division records. And I gave you  
19 those because this well has been permitted for  
20 dispose of the Bell Canyon since 1997 and we've had  
21 almost 20 years of disposal at perforations deeper  
22 than 5,355 feet.

23 The handouts I gave you are the Division  
24 records, and you have the well inspection history  
25 that goes back to 2002, always indicating that the

1 equipment is in good shape, no issues. You've got  
2 the MIT, Mechanical Integrity Tracking Report. You  
3 can see the number of mechanical integrity tests  
4 that have been noted by the Division since 2002,  
5 always passing, never a failure in the well.

6 The only issue that's reflected in these  
7 records is a short period of injection over pressure  
8 on December 27th, 2004 when Pogo was operating this  
9 well. It was resolved within a week. The inspector  
10 came back on January 6th, 2005 and everything was  
11 okay. There's been no other issue with these wells  
12 for the last -- this well for the last 20 years.

13 Then comes along Devon in September of  
14 2015, they're drilling a well and they hit a water  
15 pocket at 1800 feet. Okay. They jump to the  
16 conclusion that the cause of that is OXY's well and  
17 they file this application with the Division. If  
18 you turn to our Exhibit Number 29, this is a type  
19 log that we're going to discuss with you.

20 And you can see from this type log that  
21 there are numerous impermeable strata between the  
22 area of injection -- Exhibit 20 -- yeah, 29, and  
23 there's a bigger map in the back. You can pull it  
24 out if you want to. You don't need to now. But  
25 what the point is, there's no debate here that there

1 were numerous impermeable strata zones, confinement  
2 barriers between the injection zone and 1800 feet up  
3 there in the Salado where they encountered their  
4 water pocket, including 3,000 feet of impermeable  
5 anhydrite. So recognizing this geology, Devon comes  
6 in and says, well, it's got to be your well. Your  
7 well must be conduit by which this water is  
8 migrating out of zone all the way up to 1800 feet.

9 We're going to present Mr. Tom Clifford  
10 here today. He's going to talk to you about the  
11 following events which have taken place since  
12 Devon's allegation. First off, the Division came  
13 back again and did another MIT test on the well. It  
14 passed. The Division does a Bradenhead test in  
15 October. There are no pressures recorded on the  
16 casing, thereby indicating no evidence of any fluid  
17 migration.

18 Look at our Exhibit Number 5. This is a  
19 current picture of the well. On the right-hand side  
20 OXY took the step, not required but they did, of  
21 putting on redundant pressure gauges on the casing  
22 annulus. They were installed in October, again,  
23 right after Devon's water encounters. They've had  
24 zero pressure readings since that time, again,  
25 indicating no evidence of fluid migration.

1           Devon says we want you to do temperature  
2 surveys, so OXY goes out and does temperature  
3 surveys on the well. That's our Exhibits 9 through  
4 11, and they show no cooling trend above the  
5 injection zone. Again, no evidence of fluid  
6 migration.

7           OXY took another step. You're going to  
8 love this, Mr. Goetze. They did a radioactive  
9 tracer survey, something the EPA just loves. Okay.  
10 They did it for two days out there. They pumped a  
11 lot of that radioactive tracer stuff in there and  
12 checked for migration at various levels, indicates  
13 no channelling up of the water. The water is going  
14 out and down in the formation in which it's been  
15 approved for injection. Again, no evidence of fluid  
16 migration.

17           Mr. Clifford is going to get up here. He's  
18 going to show you our Exhibit Number 20. Our  
19 Exhibit Number 20 shows over the period of time that  
20 this well has been injecting it's been pressuring  
21 up. The zone has been pressuring up. It's more  
22 difficult now to inject water at the permitted  
23 pressure. You're not going to have a pressuring up  
24 of the reservoir if you've got the leak as they  
25 suggest, and they do nothing more than suggest.

1           Then we did a calculation of this. This is  
2 the second time I've been involved with this, this  
3 injection interval permeability. It comes out to be  
4 2.44 millidarcies. That's matrix permeability is  
5 what they tell me and that's what they'll testify  
6 to. That's what you normally see for the Bell  
7 Canyon. It is not a fractured environment in which  
8 they were injecting.

9           Devon's theory of a water migration out of  
10 zone is nothing but a theory. It's nothing but  
11 conjecture. They have absolutely no evidence to  
12 support any problems with this well or any fluid  
13 migration out of zone. And for each of their  
14 witness that they put up there, ask them where is  
15 the evidence, not theory. Where is the evidence of  
16 fluid migration because it doesn't exist.

17           All they have is the fact that they hit a  
18 pressurized water pocket at 1800 feet. That's it.  
19 This region has seen isolated random instances of  
20 pressurized water pockets in the shallow zone. It's  
21 nothing new. It's unusual but it's nothing new and  
22 operators have known it for years.

23           Mr. Russ Cooper is going to testify and  
24 he's going to discuss how these isolated water  
25 pockets form in the salt section. He did a review

1 of the salt section region, of the region. Not a  
2 very small finite area like Devon did, but it was a  
3 salt section region, a 12 township area and he found  
4 22 instances in the records of report of instances  
5 of isolated random pressurized water pockets.

6 It doesn't happen very often. Very random,  
7 very isolated. There's no pattern to it, but it  
8 does happen. We're going to show you a couple of  
9 examples. He's going to walk you through a couple  
10 of examples, one of which is 3.5 miles away just off  
11 to the left of Devon's little finite study area.

12 And just off to the left of Devon's little  
13 finite study area is a developed field, lots of  
14 wells, large groupings of wells. And in that area  
15 there was one well that had a pressurized water  
16 pocket, just one, showing you how random it is,  
17 showing you how isolated it is, and showing you it  
18 can occur in one area and 300 feet away or 700 feet  
19 away, you don't hit it because it's isolated water  
20 pockets. So we have some other examples he's going  
21 to walk you through.

22 The mere fact that Devon hits another water  
23 pocket in this shallow salt section over 3,500 feet  
24 above the approved injection zone doesn't support  
25 shutting in this well, it doesn't support -- it

1 doesn't show a migration of water, and it doesn't  
2 support hampering OXY's ability to operate in this  
3 area by now shutting in this disposal well that has  
4 been operating for 20 years. So since there's no  
5 evidence, and I'm talking about evidence, not  
6 theory. Since there's no evidence to support their  
7 migration theory, this application needs to be  
8 dismissed.

9 MR. EXAMINER: Very well.

10 Mr. Bruce?

11 MR. BRUCE: I call Mr. Johnson to the  
12 stand, please.

13 Mr. Examiner, all of Devon's exhibits are  
14 the lettered exhibits sitting there.

15 MR. EXAMINER: And you did that for the  
16 convenience so we wouldn't get confused; is that  
17 right? Thank you.

18 MR. BRUCE: You know I have problems with  
19 exhibits and I was thinking ahead.

20 THE COURT: Proceed.

21

22

23

24

25



1 KYLE JOHNSON

2 after having been first duly sworn under oath,  
3 was questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. BRUCE:

6 Q. Could you please state your name and the  
7 city of residence for the record.

8 A. My name is Kyle Johnson. I live in Edmond,  
9 Oklahoma.

10 Q. Who do you work for and in what capacity?

11 A. I am a drilling engineer for Devon Energy.

12 Q. Have you previously testified before the  
13 Division?

14 A. No, sir.

15 Q. Would you summarize your educational and  
16 employment background for the Examiner?

17 A. I have a bachelor's of science in petroleum  
18 engineering from Texas A&M University. I've worked  
19 full time in the industry since 2009, both for Devon  
20 Energy and Chevron in various capacities. I've  
21 worked as a production engineer, completions  
22 engineer, operations, and have been primarily a  
23 drilling engineer for the past four years. And I've  
24 got about three years' experience in the Delaware  
25 Basin itself.

1 Q. And are you familiar with the events  
2 involved in the drilling of Devon's North Thistle 34  
3 State Com Number 1H well in section 34 of 22 south,  
4 33 east?

5 A. Yes, sir, I was the drilling engineer for  
6 this one.

7 Q. And your area of responsibility at Devon  
8 includes this portion of Southeast New Mexico?

9 A. Yes, sir.

10 MR. BRUCE: Mr. Examiner, I'd tender  
11 Mr. Johnson as an expert drilling engineer.

12 MR. EXAMINER: Mr. Feldewert?

13 MR. FELDEWERT: No objection.

14 MR. EXAMINER: He's so qualify.

15 Q. (By Mr. Bruce) Mr. Johnson, if you could  
16 refer to Exhibit A, which is an eight-page exhibit.  
17 Did you prepare this exhibit for this hearing?

18 A. Yes, sir, I did.

19 Q. Okay. If you could refer to Exhibit A, and  
20 let's run through it, starting with page 1.

21 A. Okay. I'll just walk you through kind of  
22 the timeline of events that happened, or at least  
23 the significant ones. We were drilling in North  
24 Thistle 34 State Com 1H, which is roughly 1,350 feet  
25 away from the subject OXY SWD well. We drilled our

1 surface casing or our surface hole, which was  
2 17-and-a-half inches down into the rustler formation  
3 and set our 13-and-three-eighths casing to cover the  
4 freshwater bearing zones as we normally do. That  
5 was done without issue.

6 We drilled out of our shoe tract and  
7 performed a formation integrity test to  
8 11-pounds-per-gallon equivalent.  
9 11-pounds-per-gallon is the standard for the area.  
10 You never -- or I have never seen anything above  
11 that in my experience while drilling here, so that's  
12 the reason that we only test to 11-pound-per-gallon.

13 On September 3rd we were drilling ahead at  
14 22:00. We took a kick at 1,820 feet, we shut in the  
15 well. And as per our well control procedures, we  
16 got a shut-in pipe pressure, which was 585 PSI  
17 running through the calculations. That came up to a  
18 kill weight mud of 16-pounds-per-gallon equivalent.  
19 Initially we suspected this to be H2S. Encountering  
20 isolated H2S in this salt section is not uncommon.  
21 It's not common, but it does happen occasionally as  
22 OXY has shown.

23 We performed the first circulation of the  
24 driller's method and confirmed that there was no H2S  
25 and this was strictly a water flow. Later that

1 morning we confirmed that the nearby OXY SWD well  
2 was shut in at the time of the kick and they had a  
3 shut-in tubing pressure of approximately 620 PSI  
4 according to the person in charge of our operation  
5 out there.

6           If you'll go the page 2, this was a quick  
7 calculation we performed to see if this OXY SWD  
8 would be a potential source of this water.  
9 Comparing the two surface pressures, 585 PSI on our  
10 Devon well and 620 on the OXY SWD, we were drilling  
11 with a 9.8 fluid weight. We assumed that 9.4 fluid  
12 weight for the OXY SWD. This was based on a 1.13  
13 specific gravity injection fluid, which is what we  
14 normally encounter with our Second Bone Spring and  
15 Avalon water that's injected on our wells.

16           Calculating at that same depth of interest  
17 of 1,820, we arrived at almost identical pressures  
18 at that depth; 1,512 for our well and 1,510 for the  
19 OXY SWD. This being a shut-in dynamic situation,  
20 the Utube calculations made sense that these wells  
21 could very possibly be in communication. Taking  
22 those pressures and converting them to an equivalent  
23 mud weight, you get a 15.98 on our well, a 15.95 on  
24 the SWD. So for all error intents and purposes, you  
25 would round up and call this a 16-pounds-per-gallon

1 equivalent.

2 Moving on to slide 3, this is just a  
3 snapshot of our TODCO. These are just the different  
4 channels that are tracked while we were drilling.  
5 Up note is on the right. This just shows the  
6 instance when we took the initial gain.

7 The blue line, on the very right-hand  
8 track, shows our gain/loss meter. I've got it  
9 circled here where it shows we took a 30-barrel  
10 kick, we turned off our pumps, checked for flow, and  
11 confirmed that the well was showing. You could see  
12 the yellow line on the second tract from the left.  
13 You can see the flow decrease when we shut off our  
14 pumps, but the well is still flowing with the pumps  
15 off. At that point we shut the well in and went  
16 about our procedures.

17 Moving on to slide 4, over the next two  
18 days we made preparations to deal with this high  
19 pressure flow. On September 6th we began drilling  
20 ahead. We had weighted up to a 14-pounds-per-gallon  
21 fluid. The idea of this, we didn't weight up to a  
22 full kill weight mud, we were holding some pressure  
23 back at the surface utilizing a low pressure  
24 rotating head. Those rotating heads that we were  
25 using were rated to about 500 PSI. In reality, they

1 have a working pressure of somewhere closer to 350.  
2 So with a 14-pounds-per-gallon fluid, that reduced  
3 our surface pressure within our operating margin.

4 At 20:30, I got a call from the person in  
5 charge on the rig and he informed me that the well  
6 was starting to flow harder, that he had to increase  
7 the back pressure that he was holding by  
8 approximately 200 PSI. This was getting above our  
9 comfortable range of using the rotating head so we  
10 made the decision to increase our mud weight to  
11 15-pounds-per-gallon to decrease those surface  
12 pressures back to a tolerable level.

13 That following morning our person in charge  
14 on the rig visited the OXY SWD and determined that  
15 the well had begun injecting at some point earlier  
16 the previous day. At 9:00 AM, this was Labor Day, I  
17 believe, I called the OXY emergency line and talked  
18 to a few different people, but I requested that the  
19 well be shut in. OXY complied and shut in the well.  
20 I don't know exactly what time that was shut in. It  
21 was sometime in the morning.

22 At 1:00 o'clock on that afternoon of  
23 September 7th, I had a conversation with the PFC on  
24 the rig and he told me that the flow had decreased  
25 and the pressure that we were having to hold had

1 decreased by about 200 PSI, so that sequence of  
2 events there showed me that we had communication  
3 with the well. The well had begun injecting. We  
4 had an increase in pressure and had to increase our  
5 mud weight. When we requested the well be shut in,  
6 that pressure decreased and the back pressure that  
7 we required to hold was decreased as well.

8           Going on to slide 5 here, from  
9 September 7th to the 11th we continued to drill  
10 ahead. We were having to change out our low  
11 pressure rotating head every 10 to 12 hours. It  
12 kept trying to blow out so we would have to shut in,  
13 replace the rotating head, and then continue on.

14           The final mud weight, when we reached the  
15 TD of this whole section, was a  
16 15.3-pounds-per-gallon. We spotted a heavy  
17 17-pounds-per-gallon pill hoping that this would  
18 kill the well and keep it from flowing on us. We  
19 stripped our bottom hole assembly out of the well  
20 not allowing it to flow. We then began running our  
21 9-and-five-eighths intermediate casing.

22           At that point we had no ability to hold  
23 back pressure because we weren't circulating and we  
24 just had to allow the well to flow. During the  
25 10-hour casing run the well flowed at approximately

1 1400 barrels of saltwater. We had trucks coming in  
2 and out hauling this water off, so we don't have an  
3 exact estimate, but 1400 barrels was the best we  
4 could come up with.

5 On September 11th we cemented our  
6 9-and-five-eighths casing in place. We had talked  
7 with the NMOCD office and discussed that. They gave  
8 us permission to run an external casing packer and  
9 DV tool combination inside our surface casing. The  
10 idea of this was that when we performed our cement  
11 job, we didn't want the well to continue to try and  
12 flow on us and displace our cement or water down and  
13 give us a poor cement job.

14 So what we did was we pumped our cement  
15 job, inflated our external casing packer, and  
16 determined that we had good weight cement to  
17 surface. So instead of activating our DV tool and  
18 pumping a second cement stage we went ahead and  
19 canceled it because we knew that we had good cement.  
20 At that point, after setting the external casing  
21 packer, the well became static because we had  
22 everything isolated.

23 Moving on to slide 6, this was just the  
24 very initial review we did after the incident. We  
25 went back and looked at the mud records we could



1 chase down that had availability to. Those are  
2 indicated with green circles. The ones with red  
3 dots are wells that we couldn't find mud records to  
4 right off the bat. The initial look was that none  
5 of the offset wells had encountered any kind of a  
6 high pressure flows, and the highest mud weight ever  
7 used in this section was a 10.4-pounds-per-gallon.

8 Moving on to the next slide --

9 Q. Wait, wait, just for a second just to  
10 orient the Hearing Examiners. Looking at this,  
11 section 34 is about in the middle of this land plat,  
12 correct?

13 A. Yes, sir.

14 Q. And the square around the well, that's  
15 OXY's SWD well?

16 A. Yes, sir, that's correct.

17 Q. And immediately to the west is the North  
18 Thistle 34 Well that you were drilling?

19 A. Yes, sir, in the blue circle there.

20 Q. And just for the record, the colored  
21 acreage is acreage in which Devon owns a working  
22 interest; is that correct?

23 A. Yes, sir.

24 Q. Okay. Let's move on to page 7.

25 A. So after the incident, we expanded our

1 research. We were able to get data drilling reports  
2 from the OXY Diamond SWD itself, and we got some  
3 data from the nearby Humble State 1H, which is in  
4 the same section. Upon reviewing those reports, no  
5 abnormal water flows or pressure were encountered in  
6 either of those wells.

7           The OXY Diamond SWD was drilled in 1996.  
8 Mud weight through the interval of interest, which  
9 would be the 1800 down to around 5,000 feet, they  
10 did not encounter any water flows or any mud weight  
11 exceeding 10-pounds-per-gallon. We had a log header  
12 that we got for the Humble State 1H across the same  
13 section that showed a max mud weight of a  
14 10.4-pounds-per-gallon for the open hole section of  
15 363 down to 5300 feet and no water flows were noted.  
16 And also the fact that they were able to run logs  
17 would also indicate that they were not dealing with  
18 any high pressure water flows.

19           Upon that, that research tells me that this  
20 water flow and pressure house didn't exist in the  
21 section prior to 1996 and was created sometime after  
22 the SWD began injecting. We expanded our research.  
23 We reviewed a six township and range block area,  
24 which equivalents to 216 sections. Devon, within  
25 that area, has 163 wells. I reviewed all of those,

1 and upon reviewing those I did not find any similar  
2 instances of high pressure water flows. We did have  
3 a couple wells related to H2S or air pockets, but I  
4 don't feel those were analogous to what we  
5 encountered on our well.

6           Going on to the last slide, number 8, just  
7 some of the concerns that we have with this  
8 situation. On the well that Devon-drilled, the  
9 North Thistle Well, our surface casing shoe, as I  
10 mentioned, we only performed a formation integrity  
11 test to 11-pounds-per-gallon. With continued  
12 injection and sustained pressure on that surface  
13 casing shoe, there's nothing to say that at some  
14 point something couldn't fail, either our casing or  
15 our cement, which could result in either a  
16 contamination of freshwater zones above our casing  
17 shoe, or even worse, an uncontrolled release of  
18 water flow to surface.

19           We had a second well planned on this same  
20 pad, which would have been the North Thistle 34  
21 State Com 2H. We canceled that well due to the  
22 events that we saw on this one and moved the rig to  
23 a different section after we finished drilling.

24           Some of the other witnesses will show we  
25 had a lot of wells planned for this section in the

1 future. Dealing with this water flow and pressure  
2 is going to definitely add a lot of costs to us, but  
3 more importantly it's going to be a safety  
4 environmental risk. In order to safely drill this,  
5 we'd have to test our surface shoe to a  
6 17-pounds-per-gallon, at least by our -- Devon's  
7 well control manual, and that's really high and  
8 almost unheard of for a surface casing shoe.

9 And then the last thing is we really don't  
10 know the extent of this drilling hazard. There's no  
11 other surface hole locations that have been drilled  
12 since this North Thistle -- or, excuse me, since the  
13 OXY SWD began injecting within one mile of this.  
14 So, you know, theoretically the extent of this  
15 hazard could be up to a mile away.

16 Q. And will another witness show a future  
17 development in this section?

18 A. Yes, sir.

19 Q. Referring back to page 2 of your exhibit,  
20 Mr. Johnson, the pressures and the fluid weights and  
21 the depths, those are all -- that's all facts, isn't  
22 it? That's evidence?

23 A. Yes, sir.

24 Q. That's not theory?

25 A. Yeah, that's all facts. It's all

1 documented data that we have.

2 Q. And if you turn to page 4 of your exhibit  
3 where the back pressure increased by 200 PSI, and  
4 once the SWD well was shut in, it dropped 200 PSI.  
5 That's evidence, isn't it?

6 A. Yes, sir.

7 Q. It's not theory?

8 A. No, no. There's no doubt in my mind that  
9 the two were communicating at some point.

10 Q. And then if you move to page 7, you're  
11 talking about the drilling of the SWD Well and the  
12 Humble Well, which I believe is in the southeast  
13 corridor of section 34; is that correct?

14 A. Yes, sir.

15 Q. Those mud weights, those are reported data;  
16 is it not?

17 A. Yes, sir.

18 Q. It's data, it's evidence?

19 A. Yes, sir.

20 Q. It's not theory?

21 A. Correct.

22 Q. Mr. Johnson, was Exhibit A prepared by you  
23 or under your direction?

24 A. Yes, sir.

25 Q. And in your opinion, is the granting of

1 Devon's application in the interest of conservation  
2 and the prevention of waste?

3 A. Absolutely. Yes, sir.

4 MR. BRUCE: Mr. Examiner, I'd move the  
5 admission of Exhibit A.

6 MR. EXAMINER: Mr. Feldewert?

7 MR. FELDEWERT: No objection.

8 MR. EXAMINER: Exhibit A is so entered.

9 MR. BRUCE: And I pass the witness.

10 MR. EXAMINER: Mr. Feldewert?

11 CROSS-EXAMINATION

12 BY MR. FELDEWERT:

13 Q. Mr. Johnson, how long did you say you've  
14 been a drilling engineer in this particular area?

15 A. I've worked for Chevron in this area for  
16 about two years, and then about a year with Devon.

17 Q. And in this -- let's just use your study  
18 area here, your A-6. How many wells have you  
19 drilled in this particular area?

20 A. I don't have an exact count, but I'd say 10  
21 to 12.

22 Q. In the area shown on Exhibit A-6?

23 A. No. No, sir, not within that, but it would  
24 be within the six township and range block that I  
25 described on slide number 7.

1 Q. 10 to 12?

2 A. Yes, sir.

3 Q. And have you had any experience with  
4 shallow pressurize naturally occurring water pockets  
5 in this area?

6 A. No, sir, not previously.

7 Q. You agree that they do exist occasionally,  
8 correct?

9 A. Occasionally, when H<sub>2</sub>S is present has been  
10 my experience.

11 Q. Has been your experience?

12 A. Yes, sir.

13 Q. What experience do you have? I thought you  
14 said you hadn't encountered any.

15 A. Excuse me?

16 Q. I thought you said you had not encountered  
17 any?

18 A. Well, I've worked in groups with other  
19 engineers that have drilled wells in other areas and  
20 we -- we work closely together so I've heard them.  
21 And studying this incident, I've also reviewed wells  
22 that -- you know, especially OXY provided a list of  
23 22 wells, and I noted on there that 15 of the 22  
24 wells involved H<sub>2</sub>S.

25 Q. But not always? Not always, correct? H<sub>2</sub>S

1 is not always present when you hit these high  
2 pressured water pockets?

3 A. From what I've seen, H2S is always there.  
4 If there's --

5 Q. Well, you said --

6 A. If there is -- shallow water flows are  
7 typically much lower pressure than what we saw, much  
8 lower magnitude.

9 Q. I'm trying to understand, your testimony is  
10 that every time you hit a -- every documented report  
11 of pressurized water pockets being hit by operators  
12 involved H2S; is that your testimony?

13 A. No, sir, but that is what I've reviewed.

14 Q. Okay. With respect to your study, on  
15 Exhibit A-7 you suggest that on this exhibit that  
16 you examined an area of six townships, range --  
17 involving six townships; is that right?

18 A. Two townships, three ranges, which comes up  
19 with six township and range blocks.

20 Q. Okay, thank you. Can you explain to us why  
21 Devon then limited its production of its records to  
22 only two township and range blocks?

23 A. We did provide all 163 wells, I believe.

24 Q. I don't think so.

25 A. I believe we gave a spreadsheet of all our



1 non-productive time related to those wells.

2 Q. But you didn't give us all the information  
3 that you had on your six township block areas. Can  
4 you explain why?

5 A. I don't believe it was requested.

6 Q. It was requested.

7 A. Excuse me?

8 Q. It was objected to.

9 A. Excuse me. I don't understand the  
10 question.

11 Q. It was requested and it was objected to.

12 A. Okay. Not to my knowledge.

13 Q. Well, it's reflected in the Division  
14 records.

15 Okay. Did you -- you said here that you  
16 did an -- according to this exhibit, a further  
17 review of Devon-drilled wells; is that right?

18 A. Yes, sir, within this town -- six township  
19 and range blocks.

20 Q. You just looked at Devon-drilled wells, you  
21 didn't look at other records?

22 A. No, sir, because, you know, Devon-drilled  
23 wells are what we have the full reports to and what  
24 we have access to. We really don't have data to  
25 many of the other wells other than the public

1 information that's available.

2 Q. Oh, that's right, you have public  
3 information available. You didn't review any of  
4 that?

5 A. No, sir.

6 Q. Okay. And you didn't review any township  
7 blocks to the west or northwest of your study area?

8 A. No, sir.

9 Q. So if I look at Exhibit Number A-6, you  
10 didn't pay any attention to what's over just to the  
11 west side of your study area? You didn't look at  
12 anything to the west?

13 A. Not if they were not Devon-drilled wells,  
14 no, sir.

15 Q. Did you look at any Devon-drilled wells to  
16 the west?

17 A. Yes, sir. Yeah, they -- they were in that  
18 section. They would have been township 22, range 32  
19 and 33, I believe.

20 Q. Okay. You just looked at Devon-drilled  
21 wells?

22 A. Yes, sir.

23 Q. Did you notice anything about the records  
24 when you looked at those Devon-drilled wells? Well,  
25 let me step back. When you say Devon-drilled wells,

1 are you talking about wells that just Devon drilled  
2 or does that include wells that Devon operates?

3 A. There -- there may be some wells that Devon  
4 operates as well.

5 Q. Did you look at those records?

6 A. Yes, sir. If we had drilling reports I  
7 did.

8 Q. You did?

9 A. Yes, sir.

10 Q. If you had drilling reports?

11 A. Yes, sir.

12 Q. You didn't look at the Division records  
13 relating to your wells that you operate?

14 A. No, sir, I didn't have time to review all  
15 that.

16 Q. You didn't have time? Is that what you  
17 said?

18 A. Yes, sir.

19 Q. If I look at your A-6, within the area you  
20 said that you examined, up there in the upper  
21 left-hand corner, do you see two well symbols that  
22 have Cloyd next to them?

23 A. Yes, sir.

24 Q. Did you look at the records for those  
25 wells?

1           A.    Yes, sir, I did, as part of the data that  
2 OXY provided.

3           Q.    You did? Part of the data OXY provided,  
4 right?

5           A.    Yes, sir.

6           Q.    And they showed they had encountered  
7 flowing water there, correct?

8           A.    Sulphur water, yes, sir.

9           Q.    When they were drilling?

10          A.    Yes, sir.

11          Q.    How come you didn't highlight those on your  
12 A-6?

13          A.    Well, when I built this exhibit initially I  
14 did not have that data.

15          Q.    Okay.

16          A.    But I will note that those two Cloyd wells  
17 both refer to sulphur water or -- which would result  
18 from H2S pressurization and both of those wells were  
19 in the Castile. They're lower, much deeper than  
20 where we encountered flow.

21          Q.    Well, let's go to exhibit -- I tell you  
22 what, let's not speculate. Let's go to Exhibit 31  
23 in our notebook up there.

24          A.    Okay.

25          Q.    Go to the second page of Exhibit 31. When

1     you did a study, did you look at any of these  
2     records?

3           A.     Well, I looked at them after OXY provided  
4     this list of wells, yes, sir.

5           Q.     But when you did your study, you hadn't  
6     looked at any of these records?

7           A.     No, sir, I hadn't seen them previously.

8           Q.     And the two Cloyd wells are the first two  
9     wells listed; is that right?

10          A.     Yes, sir.

11          Q.     These are all -- these are drilled back in  
12     1930s; is that right?

13          A.     Yes, sir.

14          Q.     And they hit pressurized water pockets at  
15     3,363 feet?

16          A.     That's what it shows, yes, sir.

17          Q.     You don't dispute that evidence, do you?

18          A.     Only the fact that it was sulphur water,  
19     which indicates there was H<sub>2</sub>S. And if the records  
20     go back to 1937 then I would question their validity  
21     or how accurate they were.

22          Q.     You got any more recent records on these  
23     wells?

24          A.     No, sir, I don't.

25          Q.     All right. Then I want you to go to your

1 A-1. Now, this is when you initially encountered  
2 your pressurized water pocket, correct?

3 A. Yes, sir.

4 Q. Were you aware -- and as you point out in  
5 here, OXY's well was actually shut-in at that time;  
6 isn't that correct?

7 A. Yes, sir.

8 Q. Were you aware that they were also pulling  
9 tubing on that date?

10 A. After the fact I was.

11 Q. So now you're aware that they were pulling  
12 tubing of that date?

13 A. Yes, sir.

14 Q. So they weren't injecting when you hit your  
15 water pocket? You also say that you suspected an  
16 H2S kick?

17 A. Yes, sir.

18 Q. Why is that?

19 A. Well, certainly I was not expecting to  
20 encounter any kind of water flow from the OXY SWD at  
21 this depth. So as I mentioned before, any time you  
22 encounter a kick, shallow like this, you're -- at  
23 least the first instinct, from what I've seen, is to  
24 assume that it's H2S because that is the majority of  
25 reasons for having any kind of flow at this level or

1     this -- this depth.

2           Q.     Do you know how long OXY's well had been  
3     shut in when they observed that 620 PSI shut-in  
4     pressure?

5           A.     No, sir.

6           Q.     And do you know what date Devon's person in  
7     charge observed this 620 PSI shut-in pressure that  
8     you reference on here?

9           A.     It would have been within a matter of hours  
10    of us taking that kick on September 3rd.

11          Q.     How do you know that?

12          A.     Just my conversations with the person in  
13    charge on the rig.

14          Q.     Who is the person in charge?

15          A.     His name was Mark Easley.

16          Q.     Did Mark Easley go over and take a look at  
17    OXY's well; is that what you're suggesting?

18          A.     Yes, sir.

19          Q.     And he didn't tell you that they were  
20    pulling tubing?

21          A.     He had mentioned that there had been a coil  
22    tubing unit on location, but there was no workover  
23    rig there at the time.

24          Q.     Now, you say you suspected H<sub>2</sub>S, but I guess  
25    you didn't find any, correct?

1           A.    No.  As I mentioned, we performed the first  
2   circulation of our driller's method, which is a  
3   standard well control for Devon, and we got our  
4   bottoms up and determined there was no black water  
5   or H2S in that bottoms up.  It was --

6           Q.    Did you take a water sample?

7           A.    They did, but it wasn't ever processed that  
8   I'm aware of.

9           Q.    Why not?

10          A.    I don't know.  I guess we didn't think it  
11   would be coming to court, so --

12          Q.    So you took a water sample for what  
13   purpose?

14          A.    Well, we wanted to know what -- you know,  
15   what the source of this could be.

16          Q.    So you take the water sample to determine  
17   the source of the water.  And then what happened?

18          A.    I'm not sure.  I don't know what happened.  
19   It's hindsight 20/20, we definitely would have liked  
20   to have kept the samples because I think it would  
21   have shown --

22          Q.    What happened to the water sample?

23          A.    I couldn't tell you.

24          Q.    Do you still have it?

25          A.    No, sir, not that I'm aware of.



1 Q. How do you know you don't have it?

2 A. Because I asked him.

3 Q. Who did you ask?

4 A. The person in charge.

5 Q. This is Mark Easley?

6 A. Yes, sir.

7 Q. Did you ask Mark Easley what happened to  
8 it?

9 A. He said that it got lost. Either the --  
10 our mud engineer had taken it for processing and  
11 we've just never seen it since then.

12 Q. I'm sorry, hold on. So you talked to Mark  
13 Easley about it, right?

14 A. Yes, sir.

15 Q. Asked him what happened. And he said what?

16 A. That the mud engineer had taken it for  
17 processing but we -- when we followed up with the  
18 mud engineer we didn't know where it was at.

19 Q. Who is the mud engineer?

20 A. I don't know his name.

21 Q. Does he work for the company?

22 A. He worked for M-I Swaco.

23 Q. I'm sorry?

24 A. M-I Swaco was our mud company.

25 Q. So is it your testimony that Mr. Easley

1 told you that he gave it to this mud engineer?

2 A. Yes, sir. Well, the mud engineer would  
3 have been the one that take -- would have taken the  
4 sample.

5 Q. Okay. But you didn't -- the company didn't  
6 secure it so that they could actually analyze the  
7 water?

8 A. Yes, that seems to be what happened.

9 Q. Okay. Are you familiar with the quality of  
10 OXY's water that they inject?

11 A. No, sir.

12 Q. Are you aware that that contains H2S?

13 A. No, sir.

14 Q. If it did contain H2S and this connection  
15 existed, as you would suspect or as you theorize,  
16 wouldn't you expect to see H2S in that water as  
17 well?

18 A. I mean, if they were indeed injecting H2S.

19 Q. Or water containing H2S?

20 A. Yes, sir.

21 Q. If it had this connection, as you suggest,  
22 you would have seen that in your kick, correct?

23 A. Not necessarily. I mean, it's -- it's  
24 likely, but I don't -- I don't --

25 Q. But you didn't see any H2S?

1 A. No, sir.

2 Q. That's one thing you're able to confirm?

3 A. Yes, sir.

4 Q. Now, I want to go to A-2, please.

5 A. Okay.

6 Q. What's the -- I didn't quite understand the  
7 source. You got OXY SWD, you got that column?

8 A. Yes, sir.

9 Q. And then you got a number there in the  
10 fluid weight, pounds per gallon of 9.4 with a little  
11 asterisk behind it.

12 A. Yes, sir.

13 Q. What's the source of that number?

14 A. Devon has other wells in the area that we  
15 inject water, that's produced water from the Second  
16 Bone Spring and the Avalon formations. The specific  
17 gravity of that water that's injected averages about  
18 a 1.13, so converting from a specific gravity to a  
19 fluid weight pound per gallon, that's how you arrive  
20 at 9.4.

21 Q. But you didn't have any evidence of OXY's  
22 actual water weight?

23 A. No, sir.

24 Q. And you didn't ask them for it?

25 A. Not at the time, no.

1 Q. You didn't ask them for it since, did you?

2 A. No, sir.

3 Q. If it was 9.7, would that make quite a bit  
4 of difference in your calculations here?

5 A. Potentially.

6 Q. Well, it would, wouldn't it?

7 A. Yes, but you've got to imagine the margin  
8 of error that you're dealing with here. You know,  
9 you're talking about a difference at this shallow of  
10 a depth, three-tenths of a pound.

11 Q. You don't think that's significant?

12 A. I think it is, yes, sir.

13 Q. A difference of three-tenths of a pound is  
14 significant?

15 A. Yes.

16 Q. Now, you say you did this Utube calculation  
17 balance. What does that mean?

18 A. Well, if you envision a U, surface pressure  
19 to surface pressure, and the idea being that if two  
20 wells are connected at the base of the U, the  
21 surface pressure -- or the pressure at that base of  
22 the U would be equal. And so what would be  
23 different between those two Us would be your fluid  
24 gradients and then your surface pressures.

25 Q. So are you assuming that -- normally don't

1     you do that within a particular wellbore?

2           A.     Or you can do it between two wellbores.

3           Q.     Okay. And you're assuming, therefore, that  
4     there's an open, uninhibited path between the two  
5     wells, right, to get your Utube?

6           A.     Yeah, that would be your basic assumption.  
7     And, again, this was done --

8           Q.     In other words, you don't account for, in  
9     your calculations, the distance between these two  
10    wells?

11          A.     You wouldn't need to, no, sir.

12          Q.     I'm sorry?

13          A.     You wouldn't need to, being a static  
14    condition. Now, if it was a flowing condition you  
15    would expect there to be some kind of pressure drop.  
16    But knowing that both wells were shut in and you  
17    were dealing with a static condition, the distance  
18    between the two wells theoretically would not matter  
19    if they were connected.

20          Q.     So you don't think it matters if there's  
21    1300 feet of rock, salt, or anhydrite or whatever  
22    the material is between the two wells?

23          A.     Not if it's permeable.

24          Q.     And you don't account -- not if it's what?

25          A.     Not if it's permeable.

1           Q.    If it's permeable. Did you ascertain the  
2 permeability of the migratory pathway that you  
3 suggest exists?

4           A.    No, we did not.

5           Q.    So you don't account for any kind of  
6 friction in whatever zone you suggest is the  
7 migratory path in making these calculations?

8           A.    Well, again, you would only be accounting  
9 for friction if you were dealing with a dynamic  
10 condition or a flowing condition. This was a  
11 calculation based strictly on static conditions.

12          Q.    Isn't it true that the two wells had  
13 different pressures --

14          A.    Correct.

15          Q.    -- at the injection zone?

16          A.    Oh, down lower?

17          Q.    Yeah.

18          A.    What are you referring to, different  
19 pressures?

20          Q.    Well, isn't it true that OXY's well had a  
21 higher pressure at the injection zone than what  
22 Devon encountered when it drilled its well through  
23 the injection zone?

24          A.    I would have to check those numbers to  
25 confirm that.

1 Q. You're not aware of that?

2 A. No. I mean, I know the pressure that we  
3 encountered when we took the kick in the injection  
4 zone.

5 Q. But you don't know Devon's pressure in the  
6 injection zone?

7 A. No. I know Devon's pressure, I don't know  
8 OXY's.

9 Q. No, no, I'm sorry. You don't know OXY's  
10 pressure in the injection zone?

11 A. Correct, yes, sir. Devon is calculated to  
12 be 2,894, I believe, PSI.

13 Q. And to the extent that there would be a  
14 difference in pressure, let's say the OXY injection  
15 pressure was higher than the pressure that Devon  
16 encountered at the same injection zone, the  
17 difference there would be because of the distance  
18 between the two wells, would it not?

19 A. If you're discussing a flowing condition,  
20 so I would have to really look at what numbers are  
21 being used, but if it's a situation where the well  
22 is injecting and it has a certain pressure then,  
23 yes, that would come into -- that would come into  
24 effect. Now, if it's static then I don't believe  
25 there would be --

1 Q. Didn't you see OXY's exhibits that they  
2 presented -- that they presented in this case?

3 A. Could you tell me which one you're  
4 referring to?

5 Q. Take a look at Exhibit 26. Have you seen  
6 this, Mr. Johnson?

7 A. Yes, sir.

8 Q. Have you looked at it?

9 A. Yes, I've looked at it.

10 Q. Have you studied it?

11 A. Yes, sir.

12 Q. So weren't you aware that OXY's injection  
13 pressure at the zone of injection was 3,274 PSI?

14 A. Well, I take that at face value. I don't  
15 know at what point this was taken. We've been given  
16 a variety of shut-in pressures, so depending on  
17 which one you select at random, you could come up  
18 with a variety of different shut-in bottom hole  
19 pressures.

20 Q. And your pressure is 2,894 PSI?

21 A. Yes, sir.

22 Q. And there's no debate there, right?

23 A. I wouldn't think so, no, sir.

24 Q. And would you agree that the difference  
25 between those two pressures would account for the



1 distance between the two wells, in part?

2 A. I wouldn't think so. I don't think that's  
3 a distance-related figure. If they are shut-in  
4 pressures, I don't believe that would be a  
5 difference.

6 Q. Okay. Now, the other thing that you noted  
7 here is A-4. This is the events on September 7th,  
8 correct?

9 A. Yes, sir.

10 Q. On Labor Day?

11 A. No, I don't believe September 7th was Labor  
12 Day.

13 Q. You don't think September 7th was Labor  
14 Day?

15 A. You're correct.

16 Q. All right. And you note this 200 PSI  
17 pressure drop. Why is that important?

18 A. Are you referring to the one that occurred  
19 at 13:00?

20 Q. Yeah. Why is that important?

21 A. It would be important because that was  
22 after the OXY SWD well was shut back in.

23 Q. And do you know when, as you suggest, the  
24 OXY SWD well was shut-in?

25 A. I don't know the exact time, no, sir. I do

1     infer that it was sometime that morning, sometime  
2     between 9:00 AM and around 1:00 o'clock that day  
3     would be my best guess.

4           Q.     And is that timeframe important to your  
5     proposition here?

6           A.     I would say it is, yes, sir.

7           Q.     Does it matter if it was five hours before  
8     you experienced the pressure drop?

9           A.     I wouldn't think so. You wouldn't expect  
10    it to be instantaneous. I would -- I would almost  
11    assume there to be some time delay.

12          Q.     What about 24 hours before?

13          A.     Yeah, I don't know.

14          Q.     Would that be of importance to your  
15    opinion?

16          A.     It could be, yes, sir.

17          Q.     How would it impact your opinion?

18          A.     Well, if the well was shut in 24 hours  
19    before this took place then, I don't know, it would  
20    just mean that the -- the rocks probably tire a  
21    little permeability and you expect a longer time  
22    delay before you see that pressure response.

23          Q.     So you think it would be a factor of the  
24    permeability of whatever pathway you suggest exists  
25    between these two wells?

1 A. Yes, sir.

2 Q. Okay. What if OXY hadn't shut in this well  
3 before the pressure dropped, what conclusion would  
4 you draw?

5 A. Well, I would have expected to see a  
6 pressure drop if they hadn't shut in their well. So  
7 if they had -- you know, if they continued injecting  
8 and we saw that back pressure decrease on its own  
9 then I don't -- you know, I wouldn't be as convinced  
10 that the two wells were communicating.

11 Q. You wouldn't have the evidence that  
12 Mr. Bruce was talking about?

13 A. Excuse me?

14 Q. You wouldn't have the evidence that  
15 Mr. Bruce was talking about?

16 A. Correct, yes, sir.

17 MR. FELDEWERT: Okay. That's all the  
18 questions.

19 MR. EXAMINER: Very good.

20 Redirect?

21 MR. BRUCE: Just a little bit,  
22 Mr. Examiner.

23 REDIRECT EXAMINATION

24 BY MR. BRUCE:

25 Q. Could you turn to their Exhibit 31 again,

1 the list of the wells.

2 A. Yes, sir.

3 Q. The second page of Exhibit 31. Now, I  
4 think you stated this in response to  
5 cross-examination, but there's two components to  
6 what is called the self section; is that what you  
7 said?

8 A. Yes. I think -- and I think Steve, in his  
9 testimony will show this, but there's the salt  
10 section and then there is the lower Castile section,  
11 I guess.

12 Q. Is there a difference between -- in one  
13 versus the other, are H2S flows more common than  
14 water flows or --

15 A. I would say in the lower Castile section  
16 you're probably more than likely to encounter the  
17 water flows and pressure associated with H2S.

18 Q. So in the Salado you're more likely to get  
19 H2S or is it the reverse?

20 A. I wouldn't say that you're more likely in  
21 one or the other. Steve or one of those guys could  
22 probably provide a little more clarity to that. It  
23 wouldn't be my expertise.

24 Q. But you looked at this data that OXY  
25 provided on this chart, correct?

1           A.    Yes, sir, I did.

2           Q.    And what numbers -- or what did you note  
3    regarding what OXY set forth regarding H2S or  
4    sulphur or black water?

5           A.    Well, upon reviewing these wells, there's  
6    22 wells on this list. Upon reviewing, discovered  
7    that 15 involved either H2S or sulphur water, black  
8    water. They also -- I mean, as we noticed, those  
9    Cloyd wells had to go all the way back to 1937 to  
10   find some of the status, so encountering this, in  
11   general, is fairly uncommon. And you'll note on  
12   this well -- on this list of 22 wells there's only  
13   four wells that have been drilled in the last  
14   10 years, so -- and three of those wells on that  
15   list are also involving H2S. So, again, fairly  
16   uncommon to see it, in general, and very uncommon to  
17   see it without H2S.

18          Q.    Okay. What about the last 35 well, did  
19   that encounter water or H2S?

20          A.    It's noted, even on their exhibit, it notes  
21   that they encountered H2S and black water.

22          Q.    What about the Anderson 35 5H well?

23          A.    That was one well that, from what I've  
24   seen, did not show any indication of H2S. However,  
25   based on the shut-in drill pipe pressure they

1 provided of 195 PSI and their fluid weight, that  
2 calculates to a kill weight mud of a  
3 12.3-pounds-per-gallon. As you can note on our  
4 well, we had a 16-pounds-per-gallon kill weight, so  
5 it's a very large difference in kick intensity that  
6 you see there. And to note, that Anderson 5H that's  
7 given, that's actually the highest kill weight mud  
8 that I was able to calculate based on the data that  
9 I provided. So of all 22 wells at  
10 12.3-pounds-per-gallon, kill weight fluid was the  
11 most used from what I could tell.

12 Q. And what about the Humble State Number 1?

13 A. This particular well encountered water at  
14 1518. And upon my research from the NMOCD records,  
15 there was a surface casing leak at 1819 feet, so my  
16 assumption would be that the water was coming -- was  
17 freshwater coming from that surface casing leak up  
18 high.

19 Q. Okay.

20 A. This wasn't a very intense flow. They  
21 actually lost circulation while drilling that  
22 section. So, you know, if you lose circulation then  
23 the flow is not intense enough to even make it to  
24 surface.

25 Q. Would you say that OXY's chart is comparing

1 apples to oranges compared to what happened to  
2 Devon's North Thistle Well?

3 A. Yes, sir, in my research, like I said, I  
4 did come across a couple wells that encountered H<sub>2</sub>S,  
5 and I -- I didn't even consider them relevant for  
6 that exact reason, so --

7 MR. BRUCE: Thank you that's all I have,  
8 Mr. Examiner.

9 MR. EXAMINER: Very good.

10 Mr. Brooks?

11 MR. BROOKS: No questions.

12 MR. EXAMINER: Mr. Johnson, let's go to  
13 your Exhibit A-5. We have a five-day period where  
14 we have backflow when running casing. Approximately  
15 how many days into this five-day period was the  
16 first attempt to run casing? When did it occur?

17 MR. JOHNSON: It was on September 11th. It  
18 would have been the last day.

19 MR. EXAMINER: Okay.

20 MR. JOHNSON: So we were drilling ahead,  
21 drilling all the way to TD for the majority of those  
22 days. Then we tripped out of the well and began to  
23 run casing at that point.

24 MR. EXAMINER: Okay. So you did the whole  
25 thing in one fell swoop?

1 MR. JOHNSON: Yes, sir.

2 MR. EXAMINER: And as far as backflow, did  
3 you have any timeframe as to how much -- was there  
4 ever a point when there was no backflow out of the  
5 well?

6 MR. JOHNSON: Once we got casing in the  
7 bottom we had flowed back approximately  
8 1400 barrels, we had a 15.3-pounds-per-gallon in the  
9 well, and just prior to our cement job was when the  
10 well was static, so the pressure has decreased  
11 enough to allow the well to be static with a 15.3  
12 mud weight.

13 MR. EXAMINER: With casing in the hole?

14 MR. JOHNSON: Yes, sir.

15 MR. EXAMINER: No further questions for  
16 this witness. Thank you.

17 [Witness excused.]

18 LORENZO WILBORN  
19 after having been first duly sworn under oath,  
20 was questioned and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. BRUCE:

23 Q. Would you please state your name for the  
24 record?

25 A. My name is Lorenzo Wilborn.



1 Q. And where do you reside?

2 A. I live in Edmond, Oklahoma.

3 Q. Who are you employed by and in what  
4 capacity?

5 A. I'm employed by Devon Energy as a  
6 production engineer.

7 Q. Have you previously testified before the  
8 Division?

9 A. No.

10 Q. Would you please summarize your educational  
11 and employment background?

12 A. Yes, I received a bachelor's of science in  
13 chemical engineering at Washington University in  
14 St. Louis. And I graduated in 2009, where I then  
15 began working in the oil and gas industry at  
16 Schlumberger as a wireline engineer, and then joined  
17 Devon in 2014 where I've been a production engineer  
18 since.

19 Q. Could you describe a little bit what you  
20 did at Schlumberger?

21 A. Yes, I was a wireline field engineer  
22 primarily focused on wellbore integrity and case  
23 hole logging.

24 Q. And are you familiar with the production of  
25 engineering matters related to the application?

1           A.    Yes, I am.

2           Q.    And have you prepared exhibits -- what are  
3 marked Exhibits B and C for submission to the  
4 Division?

5           A.    Yes.

6           MR. BRUCE:  Mr. Examiner, I would tender  
7 Mr. Wilborn as an expert in production engineering.

8           MR. EXAMINER:  Mr. Feldewert?

9           MR. FELDEWERT:  Can I ask a couple  
10 questions?

11          MR. EXAMINER:  Sure.

12          MR. FELDEWERT:  Mr. Wilborn, you said  
13 you've been a production engineer since 2014?

14          MR. WILBORN:  Yes.

15          MR. FELDEWERT:  What was your area of --  
16 what area was -- what was your area of  
17 responsibility?

18          MR. WILBORN:  In the Delaware Basin, I  
19 primarily worked in the Todd area, which is a more  
20 mature section of the -- of what we call our basin  
21 area in the Delaware, Southeast New Mexico.

22          MR. FELDEWERT:  Okay.  That's all the  
23 questions I have.  I have no objection.

24          MR. EXAMINER:  Very good.  The witness is  
25 so qualified.

1 Proceed, Mr. Bruce.

2 Q. (By Mr. Bruce) Could you identify Exhibit B  
3 for the Examiner and run through the various pages  
4 of the exhibits, Mr. Wilborn?

5 A. Yes. So after the issues that we  
6 encountered while drilling the North Thistle 34-1, I  
7 was asked to look at some of the publicly available  
8 data to determine if there were any issues that  
9 could be cause of concern -- a cause of concern in  
10 regards to well integrity.

11 The -- I first looked at the Diamond 34  
12 State 1 since it was one of the only wells nearby,  
13 and the first thing I noticed that I wanted to  
14 investigate was, you know, where the top of cement  
15 was. I wanted to determine was any portion of that  
16 injection zone, was any of it unprotected by a -- by  
17 cement. And in reviewing the documents, it was on  
18 the NMOCD website, it was a little bit concerning  
19 because there wasn't a lot of consistency regarding  
20 where that top of cement was. However, we did  
21 eventually receive a bond log establishing the top  
22 of cement 5165, which did leave a section of the top  
23 of the Bell Canyon exposed to the -- to the  
24 production casing annulus.

25 Moving on to the next page, the main points

1 in regards to the wellbore integrity that would  
2 cause me to have some concern, the  
3 7-and-five-eighths intermediate casing set above the  
4 base of the salt -- and while I had mentioned the  
5 top of cement being below the top of the Bell  
6 Canyon, and the reason that this is concerning is  
7 because you have -- you have a permeable section  
8 that's exposed to this production intermediate  
9 casing annulus and also exposed to this -- this salt  
10 section.

11 In discussing this with some of the -- some  
12 of the geology and other disciplines, we determined  
13 that there was a fairly high likelihood that you  
14 could have decoupling take place within that salt  
15 section that could erode the mechanical integrity of  
16 the wellbore and provide an access point behind the  
17 intermediate casing and potentially establish a  
18 vertical conduit for flow.

19 On the third page it really just shows the  
20 bond log on the left in reference to the wellbore  
21 schematic on the right. You can see where the base  
22 of salt is, the free pipe amplitude on the CBL, and  
23 the reference of the top of the Bell Canyon which is  
24 also the top of the permitted injection interval.

25 The next thing I looked at was the

1 injection history from -- during 2004, as has  
2 already been mentioned, there was a compliance  
3 violation over -- an overpressure in the injection  
4 pressure. And, you know, it was noted that this was  
5 only a brief isolated event, but when you look at  
6 the evidence, I mean, these are -- these are actual  
7 numbers submitted to the OCD. It was highly  
8 concerning that similar volumes were -- were  
9 injected each month for that -- for the entirety of  
10 that year, including a month in February where more  
11 than 50,000 barrels were injected that month.

12 In that regard, in my opinion, I believe  
13 it's highly concerning that injection pressures  
14 above the permitted injection allowed is likely to  
15 have occurred more than just on an isolated event.

16 The other thing that I noticed, you know,  
17 OXY had provided the radioactive tracer survey that  
18 they had -- that they had conducted, which, you  
19 know, in many instances is reliable in establishing  
20 whether or not cross flow exists from a deeper zone  
21 to a shallower zone. But in this instance, because  
22 of the -- the uncertainty regarding the cross  
23 sectional area that you would have available for  
24 flow behind the intermediate casing, if they were  
25 indeed connected, leaves me to believe that you have

1 very limited cross flow potential, but that doesn't  
2 preclude the ability to be hydraulically connected.  
3 And hydraulic connection would be the primary  
4 concern here, that if you were connected that you  
5 would have the potential to create -- to basically  
6 charge up that shallower zone where we encountered  
7 the water flows.

8 And the other -- and moving on to the next  
9 page, this is mainly just comparing the data that  
10 was supplied us and cross referring it with -- with  
11 other means of the same data provided. And the  
12 bottom line is that the -- that the data doesn't  
13 match one another. So, I mean, you know, there --  
14 there are a lot of questions about evidence and data  
15 and why didn't you look at this data or that data.  
16 But one of the concerns that I have here is that the  
17 data that we were supplied wasn't really accurate or  
18 really meaningful in any way. It just tells us that  
19 it's inconsistent and can't be relied upon.

20 Q. And before you move on to that, part of  
21 this exhibit is an internal OXY e-mail; is that  
22 correct?

23 A. Yes, that's correct. There was an  
24 indication that there was an overpressured event,  
25 but yet that overpressured event was not reflected

1 in the daily tubing pressure recordings.

2 On page 6, you can see in the remarks where  
3 on the daily -- the daily workover reports, the  
4 identified tubing pressures also did not match the  
5 supplied daily tubing pressures on the right.

6 The final thing that I reviewed was the  
7 Bradenhead test that was conducted back in 2002. So  
8 they applied 340 pounds on the production  
9 intermediate casing after what appeared to be a  
10 quick falloff after -- after pressuring up the  
11 backside. And when you account for that pressure  
12 applied on that -- on the annulus and the fluid  
13 gradient below it, looking at what pressure you  
14 would expect at the intermediate casing -- at the  
15 intermediate casing shoe is about 2600 PSI.

16 When you look at that pressure, based on  
17 the expected reservoir pressure at the top of the  
18 injection zone and back out the fluid gradient to  
19 the intermediate casing shoe kind of coming from the  
20 other direction, those -- those pressures are  
21 approximately equal. Which what that indicates to  
22 me is that you applied pressure at the -- at the  
23 Bradenhead and you applied just enough pressure so  
24 that you don't have leak off. And so of course it's  
25 going to pass because you have enough back pressure

1 to hold that 340 PSI.

2 And in that regard I -- you know, I don't  
3 feel like this Bradenhead test or any of the  
4 subsequent Bradenhead tests that were conducted  
5 necessarily preclude the ability for there to be a  
6 hydraulic connection behind the intermediate casing.

7 And that was all I had.

8 Q. And were Exhibits B and C prepared by you  
9 or under your supervision?

10 A. Yes.

11 Q. And in your opinion, is the granting of  
12 Devon's application in the interest of conservation  
13 and the prevention of waste?

14 A. Yes.

15 MR. BRUCE: Mr. Examiner, I move the  
16 admission of Devon Exhibits B and C.

17 MR. EXAMINER: Mr. Feldewert?

18 MR. FELDEWERT: No objection.

19 MR. EXAMINER: Exhibits B and C are so  
20 entered.

21 Mr. Feldewert, your witness.

22 CROSS-EXAMINATION

23 BY MR. FELDEWERT:

24 Q. Mr. Wilborn, I'm on your Exhibit B-2. Have  
25 you looked at the methodology where the casing shoe



1 is -- intermediate casing shoe is set?

2 A. I have not. That would be a better  
3 question for the geologist.

4 Q. Well, you say here in your slide that I  
5 guess you created --

6 A. Uh-huh.

7 Q. -- that the intermediate casing set above  
8 base of salt. Do you see that?

9 A. Yes, based on the feedback that I received  
10 from -- from our geologist. Yes.

11 Q. But you didn't examine that?

12 A. Well, I looked at the log. I mean, you  
13 can -- you can see on the log that there's a clear  
14 marker for the base of salt.

15 Q. You don't believe that the intermediate  
16 casing shoe is set in an anhydrite zone?

17 A. That would be a better question for one of  
18 our geo guys.

19 Q. Okay. The injection zone shown on here the  
20 highest perforation is at 5,335 feet, correct?

21 A. Yes.

22 Q. And that's over 230 feet below the top of  
23 the Bell Canyon formation; is that right?

24 A. Yes.

25 Q. And you say here: "Based on these facts,

1 lack of cement bond behind the production casing  
2 establishes conduit for fluid flow between the  
3 permitted injection zone and the base of salt."

4 Do you see that?

5 A. I do.

6 Q. You don't believe that there's a barrier at  
7 the top of the Bell Canyon that would prevent that  
8 migration?

9 A. I do believe there's a barrier at the top  
10 of the Bell Canyon that prevents that migration, but  
11 that doesn't really address the inference that I  
12 make.

13 Q. So you agree that there's a barrier at the  
14 top of the Bell Canyon that's going to prevent the  
15 migration?

16 A. Above the top of the Bell Canyon, yes.  
17 However, you don't have cement coverage in between  
18 the top of the Bell Canyon and the production casing  
19 annulus. In that regard you have -- you have an  
20 area that you don't have the mechanical and  
21 hydraulic isolation that you would hope to have  
22 by -- from your cement job. And that's generally  
23 why when you want to -- you know, when you look at a  
24 workover one of the first things that you're going  
25 to look at is where is my top of cement.

1 Q. Which is 65 feet below the top of the  
2 formation, right?

3 A. That's correct.

4 Q. So the water would have to go through the  
5 top of the formation in your theory, right?

6 A. That's -- that's correct, which is a lot  
7 easier to do considering in 1999 they hydraulically  
8 fractured that formation in that zone with 250,000  
9 pounds of prothen.

10 Q. So do you have any evidence that the water  
11 is migrating out through the top of Bell Canyon?

12 A. Also, one of the problems with that is --

13 Q. My question to you is: Do you have any  
14 evidence of the water migrating to the top of the  
15 Bell Canyon?

16 A. I don't believe that you can make that  
17 inference based on the tools that were -- that the  
18 technology that we have and the tools that were run.

19 Q. Okay. And in order to get to the  
20 intermediate casing shoe in the anhydrite zone, you  
21 would have to go through the top of Bell Canyon,  
22 right?

23 A. That is correct.

24 Q. Have you looked at the seismic shot that  
25 Devon has presented to OXY?

1 A. That would be a better question for Alex.

2 Q. That might be a better question. My  
3 question is: Did you look at it?

4 A. Have I seen it?

5 Q. Yeah.

6 A. Yes, I've seen the exhibits that everyone  
7 has -- has prepared.

8 Q. And have you -- do you routinely review  
9 those types -- that type of seismic evidence?

10 A. No, I do not.

11 Q. So you don't know how to read it?

12 A. That would not be my area of expertise.

13 Q. Did you see any evidence of washout at the  
14 intermediate casing in Devon's seismic shocks?

15 A. Based on the -- I did not. I did not see  
16 that.

17 Q. Okay. I want you to turn to B-4. And at  
18 the bottom there you talk about -- your last  
19 bullet point. You talk about -- but you say: "This  
20 far-wellbore path." Do you see that?

21 A. Yes.

22 Q. What path are you talking about?

23 A. So the point that I tried to make with that  
24 bullet point is the fact that you -- when you  
25 conduct these logs you inject a slug of radioactive

1 material into the formation, and we're -- we -- I  
2 don't think there's -- there hasn't been any  
3 challenge to a near wellbore path. I mean, they  
4 have the -- OXY has cement coverage above their --  
5 their perforation.

6 Q. Yep.

7 A. So the usefulness of this tool would be to  
8 identify channeling or near a wellbore fluid  
9 migration, which you're not going to see immediately  
10 above your perforations because you have cement  
11 coverage. So any hydraulic connection that there  
12 would be would have to take a path where the fluid  
13 travels into the wellbore, the radioactive tracer  
14 material becomes strung out by, you know, disbursing  
15 through the -- you know, the spaces.

16 And then eventually, you know, if you have  
17 enough cross flow to be identified by the tool and a  
18 high enough concentration of remaining radioactive  
19 material, which I believe both of those are  
20 unlikely, you're not going to see the radioactive  
21 tracer data in that --

22 Q. What is the -- but here's my question:  
23 What is the far wellbore path that you're  
24 referencing here? What are you talking about?

25 A. So the far -- and what I mean here is the

1 far wellbore path means that you have -- that you  
2 would be establishing communication beyond the --  
3 the sand face so you're not just having fluid  
4 migrate up the annulus in the immediate -- in the  
5 immediate depth above --

6 Q. So you're talking about away from the  
7 wellbore?

8 A. Correct.

9 Q. Okay. And you're suggesting that somewhere  
10 away from the wellbore there is a path of migration  
11 from the injection zone at 5,335 feet to 1800 feet?  
12 Is that what you're suggesting is a far wellbore  
13 path?

14 A. No, that is not. The far -- the far  
15 wellbore path that I'm referring to here just  
16 means -- it simply means that the fluid travels into  
17 the sand face before it would -- it would travel  
18 above the top of cement.

19 Q. So you're not suggesting that there's some  
20 far wellbore path in this zone --

21 A. No.

22 Q. -- of injection?

23 A. No.

24 Q. You're not suggesting that?

25 A. No.

1 Q. Okay. All right. Now, I'm curious about  
2 your exhibit --

3 MR. FELDEWERT: Is it C, Jim, the one  
4 that --

5 Q. (By Mr. Feldewert) Yeah, your Exhibit C.  
6 This was something new I guess you gave us last  
7 Tuesday.

8 A. Okay.

9 Q. You have there 340 PSI Bradenhead. Do you  
10 see that?

11 A. Yes.

12 Q. And then you have your arrow pointing, if  
13 I'm understanding it, down the backside of the  
14 production casing; is that right?

15 A. Yes.

16 Q. Okay. And what a Bradenhead test does is  
17 it measures the pressure on the production casing,  
18 correct?

19 A. In the annulus between the production  
20 casing and the intermediate casing.

21 Q. That's what a Bradenhead test does?

22 A. Yes.

23 Q. And so your whole exhibit here is dependent  
24 upon some 340 PSI reading during a Bradenhead test?

25 A. Yes, the documented PSI for the Bradenhead

1 test conducted in 2002 and the NMOCD --

2 Q. From the Bradenhead test?

3 A. Yes.

4 Q. And you said that the source of that is a  
5 2002 reading by the Division?

6 A. A test conducted by whomever the operator  
7 was in 2002, whether it was OXY or Pogo.

8 Q. Let's go to OXY's Exhibit Number 3. Are  
9 you on Exhibit Number 3?

10 A. I am. Well, I thought I was.

11 Q. One more.

12 A. Yes, the one in 2002 under Pogo.

13 Q. And this is information about mechanical  
14 integrity tests?

15 A. Yes.

16 Q. Isn't that right? Which is different from  
17 a Bradenhead test, right?

18 A. It indicates run MIT and Bradenhead test,  
19 so there was a Bradenhead test conducted.

20 Q. Hold on. Let me catch up with you. Stay  
21 with me here. So this is a mechanical integrity  
22 test exhibit, right?

23 A. Uh-huh.

24 Q. And you're pointing to, in the middle, the  
25 bullet point that says on 2002: "Run MIT," that's a



1 mechanical integrity test, right?

2 A. Uh-huh.

3 Q. And a Bradenhead test. So they did both?

4 A. Correct.

5 Q. And then what are you focusing on after  
6 that? On this, are you focusing on the paragraph  
7 that says -- or the statement that says: "Casing  
8 held 340 PSI for 30 minutes."

9 Is that where you got your 340 PSI?

10 A. Yes.

11 Q. So you interpret that phrase "casing held  
12 340 PSI for 30 minutes" as a Bradenhead test  
13 reading?

14 A. That was the way that I interpreted it.

15 Q. Did you look at the records from that test  
16 in 2002?

17 A. I did.

18 Q. Okay. If we go one, two -- it's the third  
19 page in. There's a Pogo test 3/26/2002, right?

20 A. Uh-huh.

21 Q. And you get that from the C-103?

22 A. Yes, that's where I got it.

23 Q. Now, if I go back to the first page of that  
24 exhibit, do you see the other summaries for those  
25 all point out that the casing held a certain

1 pressure for 30 minutes?

2 A. Yes.

3 Q. So in other words, the one in '97: "Casing  
4 and packer held 500 PSI for 30 minutes."

5 A. Uh-huh.

6 Q. June of 2014: "Run MIT. Casing held  
7 540 PSI for 30 minutes."

8 October 2015: "Run MIT. Casing held  
9 580 PSI for 30 minutes."

10 Doesn't that look like an MIT test to you?

11 A. Yes, the -- the -- the dates you just  
12 mentioned do look like an IT test.

13 Q. So now we go to your 2002, the one that you  
14 focused on, and we see similar language.

15 A. Okay.

16 Q. "Casing held 340 PSI for 30 minutes."

17 And you don't think that's the mechanical  
18 integrity test reading?

19 A. I can't necessarily infer the intent of the  
20 people that wrote this documentation 13 years ago,  
21 but it's a possibility.

22 Q. It's a possibility, okay. But you haven't  
23 looked at the records?

24 A. Yes, I have looked at the records.

25 Q. At the Division records? Did you look at

1 the Division records?

2 A. Yes.

3 MR. FELDEWERT: May I approach the witness?

4 MR. EXAMINER: You may.

5 Q. (By Mr. Feldewert) These are from the  
6 Division's website, Mr. Wilborn, the records you  
7 said you reviewed; is that right?

8 A. Yes.

9 Q. Okay. If you go over here to the first  
10 page it's what has been marked as OXY Exhibit 36 is  
11 the same C-103 that we see on OXY's Exhibit 3 of the  
12 third page, right?

13 A. Yes.

14 Q. And then behind that is the -- what do you  
15 call it, the next page is the chart; is that right,  
16 Mr. Wilborn?

17 A. Yes.

18 Q. And the next page is the back of that  
19 chart. Do you see that?

20 A. Yes, I see that.

21 Q. And as you point out, they did both the  
22 Bradenhead test and a mechanical integrity test.  
23 And do you see the -- do you see the start PSI on  
24 the last page of this exhibit at 340 PSI?

25 A. Yes.

1 Q. And then the finished PSI at 335?

2 A. Yes.

3 Q. Time, 31 minutes?

4 A. Uh-huh.

5 Q. And then it says: Casing 0 and surface 0;  
6 is that right?

7 A. I don't see what you're referring to.

8 Q. The last page, the last two handwritten  
9 entries.

10 A. Oh.

11 Q. Right? Do you see that?

12 A. Okay.

13 Q. Now, a Bradenhead test, isn't what they do  
14 is they open a valve to the atmosphere, right, and  
15 then they measure the pressure on the casing?  
16 That's what you do in a Bradenhead test, right? Is  
17 that right?

18 A. Yes.

19 Q. Okay. And do --

20 A. I misunderstood that, obviously.

21 Q. I think you did.

22 A. Okay.

23 Q. I think you did.

24 A. Okay.

25 Q. So you agree with me that there was another

1 340 PSI on the Bradenhead test?

2 A. Yeah, upon reviewing that.

3 MR. FELDEWERT: Okay. That's all the  
4 questions I have.

5 MR. EXAMINER: Mr. Bruce, redirect.

6 MR. BRUCE: No, I have no redirect,  
7 Mr. Goetze.

8 MR. BROOKS: No questions.

9 MR. EXAMINER: I have no questions for this  
10 witness, and I thank you for your testimony.

11 Let's go ahead and take a 15-minute break  
12 and come on back at 11:00 o'clock and we'll continue  
13 with your next witness.

14 [Witness excused.]

15 [Recess taken from 10:43 AM to 11:02 AM.]

16 MR. EXAMINER: All right. Let's go back on  
17 the record.

18 Mr. Bruce?

19 ROY HATHCOCK

20 after having been first duly sworn under oath,  
21 was questioned and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Okay. Would you please state your name and  
25 city of residence for the record?

1           A.    Yes, my name is Roy Hathcock, and I live in  
2   Edmond, Oklahoma.

3           Q.    And who do you work for and in what  
4   capacity?

5           A.    I work for Devon Energy, and I'm currently  
6   the production engineering manager for the Delaware  
7   Basin Assets.

8           Q.    Have you previously testified before the  
9   Division?

10          A.    No.  No, sir, I have not.

11          Q.    Would you summarize your educational and  
12   employment background?

13          A.    Yes, sir.  I have a bachelor's of science  
14   degree in petroleum engineering from Texas A&M  
15   University.  I've worked for Pennzoil, and then  
16   after Devon acquired Pennzoil, with Devon the last  
17   33 years in various completion and production  
18   engineering roles covering the Gulf Coast, Delaware  
19   Basin, East Texas, Gulf of Mexico, deep water Gulf  
20   of Mexico and the international assets.

21          Q.    And does your area of responsibility at  
22   Devon include this portion of Southeast New Mexico?

23          A.    Yes, sir, it does.

24          Q.    And are you familiar with the production  
25   engineering matters related to this application?

1           A.    Yes, sir.

2           Q.    And have you prepared an exhibit for  
3 submission to the OCD today?

4           A.    Yes, sir, I have.

5                   MR. BRUCE:  Mr. Examiner, I'd submit  
6 Mr. Hathcock as an expert production engineer.

7                   MR. EXAMINER:  Mr. Feldewert?

8                   MR. FELDEWERT:  No objection.

9                   MR. EXAMINER:  So qualified.

10          Q.    (By Mr. Bruce) Mr. Hathcock, did you  
11 prepare or have compiled under your supervision  
12 Devon Exhibit D?

13          A.    Yes, sir.

14          Q.    Could you identify that for the Examiner  
15 and run through the various pages of that exhibit  
16 and explain what you see regarding temperature  
17 gradients and other matters related to these wells.

18          A.    Yes, sir.  Yes, sir, what we tried to do is  
19 take data that OXY had provided us and tried to  
20 compare that to data that we had ourselves from an  
21 offset well a few miles away and tried to compare  
22 the temperature profiles from both of these wells.  
23 So in Exhibit 1 is the first one, first slide,  
24 you'll note on the X-axis -- it's at the top of the  
25 chart, there is the temperature and degrees

1 Farenheit. The Y-axis is the measure depth going  
2 from 0 to 6,000 feet.

3 I have different markers that shows the key  
4 tubular depth related to the OXY well, the  
5 10-and-three-quarter-inch casing seed at 823 feet,  
6 the 7-and-five-eighths intermediate casing seed at  
7 4830, and then their 4-and-a-half packer that was  
8 set at 5317 according to the records that I had.

9 Also, I did denote the Devon kick at  
10 1820 feet. So basically this is just trying to, at  
11 a very high level, show you the close correlation  
12 between the two surveys even though these wells were  
13 five miles apart.

14 Also, at the bottom you'll see the top perf  
15 and the red dashes. The kind of pink dots is the  
16 top of cement and the green dashes is the permitted  
17 top. So you can see the temperature change going  
18 into the -- into the formation and then it being a  
19 lot hotter as you get up to the top of the cement  
20 and then it dropping back and not really coming back  
21 to true gradient tube a little bit up the hole.

22 And I'd like to basically go to slide two,  
23 if that's okay with you, and we'll talk about this  
24 in a little bit more zoomed-in fashion. This is  
25 just the same plot that you saw previously but



1 zoomed in from a 3,000 to 6,000 foot Y-axis and the  
2 emphasis of 80 to 90 degrees Fahrenheit.

3 But what I would like to note that  
4 there's -- looks like there's three gradient changes  
5 off of the baseline gradient, at least the baseline  
6 of our well. And so while it's not clear indication  
7 that there is flow, it certainly would suggest that  
8 there could be.

9 What I would like to draw your attention to  
10 is the difference in that blue line, the temperature  
11 line, from OXY's log. At the top of cement it's at  
12 like 5165 feet up to where it hits that gradient  
13 line is like 4713, so it's like 452 feet of off  
14 gradient temperature before it actually hits back to  
15 the gradient line. This could suggest that there is  
16 water movement. This log was one that was shut in,  
17 it was run after it was shut in.

18 I believe the information that was provided  
19 to us was this -- this log was shut in for 25 days  
20 and was run on December the 2nd. So anyway, we're  
21 seeing significant variances at the top of cement  
22 and the formation tops. So, again, an indication,  
23 not clearcut evidence. In Devon's defense, we  
24 relied heavily on information that OXY would give us  
25 to work with, so these were not our wells so it's

1 just -- except for the one that we had, the  
2 baseline. So we did -- would like to note -- and I  
3 apologize, this may be slide 6 for you guys, but  
4 just to jump ahead because we did contemplate that  
5 some of these --

6 MR. FELDEWERT: Hold on. Hold on. I  
7 object to the introduction or discussion of Devon  
8 Exhibit -- or slide 6 on the grounds that it wasn't  
9 provided to us until 7:30 this morning for whatever  
10 reason. If you recall, Mr. Examiner, that this case  
11 was continued after we had given them our exhibits  
12 because they needed more time to examine and prepare  
13 for those exhibits.

14 And under that arrangement they were to  
15 provide us any new exhibits last week Tuesday. This  
16 was not provided until 7:30 this morning, so I  
17 object to the introduction of -- or any discussion  
18 for this particular slide.

19 MR. BRUCE: Mr. Examiner, I just received  
20 it late yesterday and I submitted it as soon as I  
21 could. It's one exhibit. When Devon objected to it  
22 several weeks ago they got about 40 exhibits that  
23 they had to look at. Over the course of one day, I  
24 don't think is too burdensome on them.

25 MR. BROOKS: Is this from the material that

1 was produced pursuant to the motion to compel?

2 MR. FELDEWERT: No.

3 MR. BRUCE: This is from -- well, you can  
4 see this is a Devon well that is, I think, located  
5 to the south.

6 MR. BROOKS: Okay, okay. Well, it does  
7 appear to be late produced. Let's go ahead and hear  
8 the discussion of it and then we'll reserve a ruling  
9 on the admissibility. And if the ruling is not  
10 admissible then it will be limited.

11 This isn't a rebuttal evidence because they  
12 haven't put on any yet.

13 MR. BRUCE: No, it's not a rebuttal.

14 MR. BROOKS: Okay. Let's see what he's  
15 going to say on the basis of it, and it presumably  
16 will not be admitted into evidence.

17 You may proceed.

18 MR. HATHCOCK: Yes, sir.

19 A. So what I was saying was that we  
20 contemplated these gradient changes that we saw in  
21 slide 2, it might be related to formation events.  
22 So we looked at our neutron log in our well that we  
23 ran this baseline temperature survey and we saw no  
24 gradient variances where we saw these porosity  
25 formations. Like at 4800 feet would be the green

1 arrow, and 4200 feet would be the blue arrow, and  
2 then 3500 feet would be the red arrow. So it just  
3 basically -- you know, we have porosity but we don't  
4 have gradient variances related to the porosity.

5 So going to slide 3, if we can -- so  
6 it's -- this is just compiling three shut-in passes,  
7 three logs that were run; one on the 10th of  
8 October, one on the 12th -- I'm sorry, the 2nd of  
9 December and the 17th of December. But the reason I  
10 wanted to show this is to show the similarity of the  
11 characters and the nuances that was happening  
12 between the 7-and-five-eighths casing and the top of  
13 the cement.

14 So all of them are somewhat similar. I did  
15 review their data on the injection temperature logs,  
16 did not see anything that clearly indicated from the  
17 injection side but it was more observed as a  
18 potential for the shut-in side of being able to see  
19 some type of communication.

20 And then slide 4 is the same slide but just  
21 with that baseline gradient added to it.

22 Q. (By Mr. Bruce) And what does that indicate  
23 to you?

24 A. I think that what it tells me is, is that  
25 you're not seeing a high differential pressure

1 between your injection zone and what it is flowing  
2 to. I think the whole system is charged up. I try  
3 to look at things in ways that I can put my head  
4 around it, sort of like a garden hose where you have  
5 a hose end sprayer on it. You know, and you  
6 basically bleed off pressure and you can open it  
7 wide open and then as you close -- let off the  
8 handle everything just kind of pressures up and  
9 seals up.

10 So that's the way that I think. It  
11 probably has more flow if you were taking a  
12 relieving pressure off wherever the water has  
13 migrated up to. And as it pressures up, or if  
14 you're not bleeding off pressure, that rate of flow  
15 is much smaller, especially if it's been there for a  
16 long period of time. That's my take on it.

17 Q. And what is page 5?

18 A. Okay. Page 5 is -- I tried to pictorially  
19 just try to show, you know, we really -- we have no  
20 clear indication of what the leak path is. What  
21 makes sense to us is that before we drilled our well  
22 here there was no evidence of any geo pressured  
23 event. And over the period of about 20 years Pogo  
24 and OXY has used this SWD well to inject over  
25 6 million barrels of water, so we're trying to think

1 in our minds what could be the potential path for  
2 this water up to the 1820 feet.

3 So at the lower left I kind of listed,  
4 basically option one is a low top of cement which we  
5 did -- in January did in fact get the cement bond  
6 log that would indicate a low top of cement. If  
7 there was an intermediate casing leak without cement  
8 tying up into the intermediate casing, flow could  
9 come up that intermediate casing shoe between the  
10 production and intermediate casing up through a  
11 casing leak and charge up any permeable zone that  
12 would, for instance, be at the depth that we  
13 encounter with our drilling rig.

14 Another is that we -- this well was fracked  
15 at two different horizons, a fairly good size frac;  
16 20 barrels per minute, 250,000 pounds of sand. In  
17 the timeframe that this was fracked it was usually  
18 some pretty high gel loadings, which means high  
19 viscosity. So we don't know what the geometry of  
20 that fracture looks like, but it could be that it's  
21 not contained.

22 Another is the high pressure permitted  
23 injection, higher than permitted injection that we  
24 know of in 2004. There's also an OXY, I guess,  
25 e-mail where one of their employees reference

1 injecting at 2500 barrels per day at much higher  
2 than permitted pressures. And after a well work is  
3 performed, and I'll have to look back to see what  
4 exactly it says -- hey, let me -- let me pull that  
5 up because I do have that right here. I copied it.

6 It says -- it's in Exhibit 257: "As per my  
7 previous note, we were injecting above the permitted  
8 pressure on the Diamond 34 State 1 roughly 2500  
9 barrels of fluid per day. We expect to be put down  
10 close to 1100 barrels per day after the workover is  
11 finished, so we decided to keep the wells shut in  
12 until Devon finishes their new well. We'd be  
13 looking for a total trucking cost of 60M. Thanks,  
14 and best regards. Sebastian."

15 Q. And is that a document that was turned over  
16 to Devon?

17 A. Yes. Yes, sir, it was. Yes. So it was  
18 indicated after this work that was done, and I  
19 assume it was work that was done around the second  
20 week of September according to the drilling reports  
21 that OXY supplied to us, and the injection rates  
22 were indeed 1100 barrels per day or lower. And  
23 so -- so anyway, that is -- that is a concern that  
24 we have that it could be higher than permitted  
25 injection pressures. Also, to the west of the OXY

1 SWD well --

2 Q. To the east?

3 A. I'm sorry, yes, to the east, the southeast  
4 corner of block 34; is that correct? It -- there is  
5 the CP Miller, Humble State 60 -- on X -- Humble  
6 State Number 1, and that well was drilled in the  
7 '60s. And there's two cement plugs that were  
8 spotted above this injection interval. I don't know  
9 the cementing practices, the plugging practices in  
10 the '60s, but if it were not a very good -- a very  
11 well plugged well there is a potential that that  
12 could be a path, or if one of those cement plugs had  
13 failed with time then there is a potential.

14 So, again, Devon doesn't know the path.  
15 Maybe OXY is seeing something in their evidence and  
16 investigation that would indicate what path is more  
17 likely, but I guess our gut tells us that our kick  
18 is directly related to the injection in this  
19 disposal well.

20 Q. There are potential ways where water can  
21 move vertically in this area?

22 A. Yes, sir.

23 Q. Mr. Hathcock, you have Devon -- or not  
24 Devon's -- do you have OXY's exhibit booklet?

25 A. Yes, sir.



1 Q. Could you turn to their -- let's see, what  
2 slide would that be -- their Exhibit 7?

3 A. Yes, sir.

4 Q. The second page of it.

5 A. Yes, sir.

6 Q. Is there any legible pressure line on this  
7 chart?

8 A. It's very hard for me to read, although I  
9 do see an increase to about 60 PSI about two-thirds  
10 of the way through the pressure test. Again, I  
11 would probably have to see the actual chart, but  
12 from the exhibit that I see here it does look like  
13 there was -- it didn't just ride on the zero PSI  
14 line.

15 Q. Okay. If we could move to their  
16 Exhibit 10.

17 A. Yes, sir.

18 Q. Looking at their -- the formations  
19 encountered, you see similar formations in Devon's  
20 offset well, do you not?

21 A. Yes, sir. I'm sure our geologists can  
22 speak to it more directly, but it appears that the  
23 geology here is very -- can be traced for long  
24 distances.

25 Q. And they're showing the temperature

1 gradient line. Did those show up in Devon's well?

2 A. No, sir. The variances that you're talking  
3 about?

4 Q. Correct.

5 A. No, sir.

6 Q. And then move to their Exhibit 20.

7 A. Yes, sir.

8 Q. What do these -- let me make sure I'm on  
9 the right one. So what -- what are the injection  
10 pressures and the injection rates that reflect this  
11 pressure or this injection?

12 A. Well, I guess some of the things that catch  
13 my eye, if you -- we talked about the violation in  
14 2004. You can look, that they were injecting  
15 somewhere just under 70,000 barrels and then after  
16 that violation they dropped down to about 40. But  
17 if you look, in 2008 they went to a much higher rate  
18 again but then they dropped again.

19 What's interesting, more specific to us, is  
20 what happened around September 2015. You can see  
21 injection volumes around 40,000 barrels a day for --

22 Q. Per month or per day?

23 A. I'm sorry, per month, yes. And five --  
24 five months there that are between 30 and 40,000  
25 barrels per day, pretty high volumes when you

1 compare it with some of the injection tests that  
2 they later presented in some of their exhibits. So  
3 I believe -- let me see if I can look at my notes.  
4 Yeah, on Exhibit -- can I reference one of their  
5 slides?

6 Q. Sure.

7 A. Their Exhibits?

8 Q. Sure.

9 A. I have it in slide 12, so I may have to  
10 basically figure out which one that is because I  
11 don't have the exhibit numbers. Yes, here it is.

12 Q. Exhibit 8?

13 A. Yes, sir. Yes, sir. So at Exhibit 8 it  
14 was -- so they were injecting at 1250 pounds at a  
15 half barrel per minute. And so just looking at what  
16 that would be, that would be about 720 barrels per  
17 day at a half barrel per minute. You know, when you  
18 look at it on a per month basis it's more like  
19 22,000 barrels per day. It seems like in that 1250  
20 pounds is roughly 210 pounds above what the  
21 permitted pressure is for this well, so --

22 Q. Okay. So they were injecting -- even at  
23 the rate set forth on Exhibit 8 they're injecting  
24 above the permitted injection pressure?

25 A. It would appear from their exhibit they

1     were.

2           Q.     And so when you're looking at the months  
3     running up to September 2015 they were injecting  
4     about -- more -- double what they were talking about  
5     here?

6           A.     What that rate would. Of course, we don't  
7     have the pressures associated with it. And the  
8     pressures, like Lorenzo had mentioned that was given  
9     to us, were virtually two or three weeks of the same  
10    pressure. They really didn't tie much to what we  
11    understood was going on. It was hard for us to work  
12    with the data that was presented to us.

13          Q.     Okay.

14          A.     Again, and we were -- we're relying on  
15    their information they provided to us so we could  
16    try to understand how it affected Devon's well.

17          Q.     I think we'll end with that, Mr. Hathcock.  
18    Was Exhibit D prepared by you or under your  
19    supervision?

20          A.     Yes, sir, it was.

21          Q.     And in your opinion, is the granting of  
22    Devon's application in the interest of conservation  
23    and prevention of waste?

24          A.     Yes, sir.

25                 MR. BRUCE: Mr. Examiner, I'd move the

1 admission of Exhibit D.

2 MR. FELDEWERT: I object to the last page  
3 of Exhibit D.

4 MR. EXAMINER: Is it slide 6?

5 MR. FELDEWERT: Slide 6, yes.

6 MR. BROOKS: I would sustain the objection  
7 to slide 6. It does not affect the admissibility of  
8 the rest of the exhibits.

9 MR. EXAMINER: Well, in that case we will  
10 include Exhibit D, slides 1 through 5 and 6 shall  
11 not be entered into the record.

12 Your witness, Mr. Feldewert.

13 MR. FELDEWERT: May I approach the witness?

14 MR. EXAMINER: Yes, you may.

15 CROSS-EXAMINATION

16 BY MR. FELDEWERT:

17 Q. Mr. Hathcock, I'm going to hand you the  
18 well inspection history for this well. It was  
19 provided to the Examiners and taken out of the  
20 Division's records. Other than 2004, do you see any  
21 instance where, during those inspections, the  
22 Division indicated anywhere that the well was  
23 injecting above its permitted pressure?

24 A. Sir, I would love to make comment on that.  
25 If you want to give me time to read all this, I can.

1 Q. Well, I can represent to you -- let's make  
2 it easy. I'll represent to you that on that  
3 particular document that I handed you, the only  
4 instance of recorded injection above pressure is in  
5 2004. And you don't have any information to the  
6 contrary, correct?

7 A. Not from the NMOCD but only from OXY.

8 Q. Okay. And can you -- and the only thing  
9 that you pointed to from OXY that in your opinion  
10 would indicate that they were injecting above  
11 pressure is Exhibit 8, which is the MIT surveys?

12 A. No, sir, I believe that there is an e-mail  
13 that I read to you, Exhibit 257, written by a  
14 Mr. Sebastian.

15 Q. And that's it?

16 A. I think that there is other e-mails that we  
17 received late last night that -- that would relate  
18 to the --

19 Q. Well, I'm not interested in what you  
20 believe, I'm asking you what you know.

21 A. What I do know is from what you have shared  
22 with us, and that there was a lack of pressure  
23 control monitoring equipment on your pumps, and  
24 there was a reference about lack of confidence in  
25 your lease operator taking accurate records and just

1 repeating the same pressure over and over again.

2 So, sir, with all due respect --

3 Q. But you don't have any of that here today,  
4 do you, what you suggested? I don't see any of that  
5 in what you provided to the Division, correct?

6 A. No, sir.

7 Q. Okay. If I go to what's been marked as  
8 D-1, which is your gradient shift slide.

9 A. Yes, sir.

10 Q. If I'm understanding you, the source of  
11 your -- let me make sure I understand. The baseline  
12 is the little squiggly gray line on here, correct?

13 A. Yes, sir.

14 Q. And the source of that baseline well is how  
15 many miles away?

16 A. Approximately five miles away.

17 Q. Is that an injection well?

18 A. No. It was a well that was originally  
19 completed in the Devonian, and we were going to use  
20 it as a science well to do some fracture  
21 diagnostics, so we did a baseline fiberoptic  
22 temperature survey.

23 Q. So you didn't do a temperature --

24 A. Yes, sir.

25 Q. -- survey? You did?

1 A. Yes, sir, with fiberoptics.

2 Q. Fiberoptics, okay.

3 A. Yes, sir.

4 Q. But you didn't actually do any temperature  
5 surveys on that well like we -- like OXY did?

6 A. Not in the same manner that OXY did, where  
7 they had a waterline tool that passed back and  
8 forth. Fiberoptics is a stationary line that sits  
9 there and takes readings every six inches.

10 Q. Okay. And if I look at your -- using that  
11 baseline, and I look at D-1, I see your temperature  
12 degrees in Fahrenheit is on the top axis; is that  
13 correct?

14 A. Yes, sir.

15 Q. And you've only, on this exhibit,  
16 identified what -- below 1800 feet only three areas  
17 where you suggest that there's a gradient change?

18 A. Yes, sir.

19 Q. So the remaining aspect of this exhibit  
20 reflects there's no gradient change, correct?

21 A. I would have to agree there.

22 Q. So whatever gradient change occurred for  
23 whatever reason it always went back to the normal  
24 gradient?

25 A. Yes, sir.



1 Q. Okay. And your gradient shifts, if I'm  
2 reading this correctly, are less than one degree?

3 A. That probably would be -- I would have to  
4 look at the data.

5 Q. Well, it's your -- it's your exhibit.

6 A. Yes, sir.

7 Q. Less than one degree, isn't it? If I'm  
8 just looking on here, I'm looking at your gradient  
9 shift here, below 1800 feet where you have your  
10 Devon kick shown here, as I view it, it's got to be  
11 less than one degree, isn't it?

12 A. I would reach the same conclusion as you.

13 Q. Okay. Are you aware that OXY did a tracer  
14 survey in addition to the temperature survey?

15 A. When was that done?

16 Q. Are you aware that OXY did a radioactive  
17 tracer survey in addition to their temperature  
18 survey?

19 A. Yes, sir.

20 Q. And you're aware of the results of those --  
21 of that radioactive tracer survey?

22 A. Yes, sir.

23 Q. And it shows no upward channeling of the  
24 fluids, correct?

25 A. Yes, sir.

1           Q.    Then if I go to Exhibit B-4, this is, I  
2    think, an exhibit you reference when you were  
3    pointing out the -- again, that blue squiggly line  
4    is the baseline?

5           A.    The gray one?

6           Q.    Yes, sir, the gray squiggly line.

7           A.    Yes, sir.

8           Q.    And that's from the well five miles away?

9           A.    Yes, sir.

10          Q.    Okay. And according to this, and according  
11   to your chart here, above the permitted top it looks  
12   like we have an instance where the water actually  
13   gets warmer. Do you see that?

14          A.    Yes, sir.

15          Q.    Okay. Not cooler? If water was channeling  
16   up as you suggest wouldn't you see cooling?

17          A.    If it's coming from a deeper depth,  
18   wouldn't it be warmer water?

19          Q.    I'm asking you. If the water is channeling  
20   up, it would be cooler.

21          A.    I would think it would be warmer.

22          Q.    Can you explain why your deviation there on  
23   one test is warmer, then on the other test it looks  
24   like it's cooler?

25          A.    Than the baseline gradient?

1 Q. Yeah.

2 A. Well, all -- all that I can understand from  
3 this is that the one that is laid upon the -- or the  
4 gray line is -- is right next to, was a 25-day  
5 shut-in. The others were zero hour shut-ins and  
6 shut-in passes, so it -- there is a lot of movement  
7 of water and a lot of cooling and heating going on.

8 Q. But if I follow those lines all the way to  
9 the bottom, do you see how they go to the left?

10 A. Yes, sir.

11 Q. That means they're cooling. That means  
12 it's cool, right?

13 A. Yes, sir.

14 Q. And then as they're coming up it's getting  
15 warmer?

16 A. Yes, sir.

17 Q. So doesn't it indicate to you that the  
18 water that they're injecting is cool water?

19 A. At the sand face it is.

20 Q. And yet you show a line here, your gradient  
21 change, for whatever reason suddenly gets warmer?

22 A. Yes, sir. It might indicate that the water  
23 is not coming directly from the water that's  
24 injected but permeating through the top of the Bell  
25 Canyon and then working its way over to the

1 intermediate casing.

2 Q. Do you have any evidence that the top of  
3 Bell Canyon is not a geologic barrier, Mr. Hathcock?

4 A. Sir, all I've got is what you've given me.

5 Q. And what you've studied?

6 A. Yes, sir. And the explanation of it  
7 getting warmer would make sense that that would be  
8 supporting that theory.

9 Q. Now, if I go to your Exhibit D-5, you have  
10 some interesting comments on there. I want to go  
11 over this with you. Okay?

12 A. Yes, sir.

13 Q. You have a bullet point there where you  
14 say: "Uncontained hydraulic frac treatment(s)."

15 Do you see that?

16 A. Yes, sir.

17 Q. You're talking about what Pogo did --

18 A. Yes, sir.

19 Q. -- when they drilled this well?

20 A. When they completed this well.

21 Q. Completed well, thank you.

22 A. Yes, sir.

23 Q. Back in 1997?

24 A. Yes, sir.

25 Q. And did you --

1           A.    '97, and then 1999 was the latest -- later  
2 one.

3           Q.    Did you calculate the fractured geometry?

4           A.    No, sir, I did not. This was presented as  
5 a potential way that we could have expected a  
6 compromise.

7           Q.    Okay. So you don't have any evidence of  
8 that, correct?

9           A.    No, sir.

10          Q.    And you're aware that the formation has  
11 actually been, I think as you put it, pressuring up?

12          A.    Yes, sir.

13          Q.    So that would indicate no clear indication  
14 of a leak, right?

15          A.    It could be also a sign of a damage.

16          Q.    Okay. Do you got any evidence of that?

17          A.    Just my experience working with SWD wells.

18          Q.    If I'm understanding your dashed blue lines  
19 here, would you help me out here?

20          A.    Sure.

21          Q.    Let's follow your little dashed blue line  
22 that goes, it looks like, to the outside of the  
23 intermediate casing.

24          A.    Yes, sir.

25          Q.    Okay. What are you suggesting there?

1           A.    So what that concept is, is the fact that  
2   if you have undersaturated brine that's coming into  
3   contact with the salt and it's not a cemented  
4   barrier that it could basically decouple the  
5   formation to the cement and work its way up on the  
6   outside of the 7-and-five-eighths intermediate  
7   casing. That's a concept.

8           Q.    Just as a concept?

9           A.    Yes, sir.

10          Q.    So that would be outside the intermediate  
11 casing?

12          A.    Yes, sir.

13          Q.    Would it be right next to the intermediate  
14 casing?

15          A.    I would think so.

16          Q.    Right next to it, right?

17          A.    Yes, sir.

18          Q.    Okay. And then the other one is inside the  
19 intermediate casing?

20          A.    Yes, sir.

21          Q.    And if you had that, wouldn't you expect to  
22 see some kind of pressure zone when you did a  
23 Bradenhead test?

24          A.    Possibly. It all depends on what is in the  
25 annulus between the 7-and-five-eighths and the

1 four-and-a-half casings.

2 Q. Isn't that the purpose of a Bradenhead  
3 test, to ascertain whether there's fluid migrating  
4 up to the casing?

5 A. I would think, but was there any pressure  
6 applied to it? I don't know that there's not  
7 14-pound mud on that backside where you'd see no  
8 pressure.

9 Q. And those Bradenhead tests were witnessed  
10 and approved by the Division. You're aware of that,  
11 correct?

12 A. Yes.

13 Q. Okay. Now, on your scenarios here, if I'm  
14 understanding it, the water here is being injected  
15 at 5335; is that 5330 or 5335?

16 A. That is our understanding.

17 Q. So to migrate, as you suggest, it would  
18 have to go out of the injection zone, it would have  
19 to first go through the Bell Canyon, correct?

20 A. Yes, sir.

21 Q. Above the perfs?

22 A. I think that you all's radioactive tracer  
23 works. It's pretty clear that there is no near  
24 wellbore channeling, yes, sir.

25 Q. You agree with that?

1 A. Oh, yes, sir.

2 Q. And then under your scenario it would have  
3 to go through the top of the Bell Canyon, right?

4 A. Yes, sir.

5 Q. And then it would have to go through the  
6 anhydrite zone that starts at the 5020?

7 A. I don't know where those zones start, but  
8 my understanding from other experts that are in the  
9 room that -- that the 7-and-five-eighths casing shoe  
10 is set in anhydrite or salt zone.

11 Q. In an anhydrite area, correct?

12 A. Yes.

13 Q. Okay. And you're not suggesting that there  
14 is evidence of any karsting or anything like that  
15 around the cement -- or the casing shoe, are you?

16 A. I'm not aware of any.

17 Q. You're not aware of any?

18 A. No, sir.

19 Q. Okay. Now, your other scenario on here  
20 that you just briefly talked about, it goes right  
21 through the Humble State; is that right --

22 A. Yes, sir.

23 Q. -- what you're suggesting?

24 A. Yes, sir.

25 Q. And do you have any evidence of that



1 pathway?

2 A. No, sir. That well was plugged in the '60s  
3 and capped and it would require reentry to be able  
4 to understand if there's any pressure there or not.

5 Q. Well, you would agree with me that the  
6 Division would have examined that well in 1997 when  
7 this disposal was first permitted, correct?

8 A. I believe that they would have examined the  
9 data supplied to them, yes.

10 Q. And would have done their own review, if  
11 necessary, of the well records and any review.  
12 You're aware of that, right?

13 A. I would have every confidence they would  
14 have.

15 Q. Okay. And then are you aware that the  
16 Division examined that wellbore again in 2010 when  
17 they authorized the change in the packet for this  
18 well?

19 A. No, sir.

20 Q. Would you turn to what's been marked as OXY  
21 Exhibit 24. There's a message down at the bottom of  
22 that from Will Jones. Are you familiar with him?

23 A. No, sir, I'm not.

24 Q. I'll represent to you that he's an engineer  
25 here with the Division. And it indicates in 2010,

1 he not only researched this well but also the area  
2 of review at the bottom. Do you see that?

3 A. The area of what?

4 Q. Of review --

5 A. Yes, sir.

6 Q. -- where the Humble State exists within  
7 the -- and the Humble State is within the area of  
8 review, correct, Mr. Hathcock?

9 A. Are you still on page 1 or on page 2?

10 Q. You're aware that the Humble State Well is  
11 within the area of review?

12 A. Yes, sir.

13 Q. All right. And if we go to page 2, at the  
14 top up there, and I've highlighted it for you, he  
15 says that all wells around the area appear to be  
16 plugged or cemented adequately. Do you see that?

17 A. Yes, sir.

18 Q. Do you have any evidence to indicate that  
19 the Division was wrong?

20 A. No, sir.

21 Q. And under your theory, if I'm understanding  
22 it through the Humble State Well, you have to assume  
23 that both of those plugs failed?

24 A. Yes, sir.

25 Q. And that the water would -- was migrating

1 up that wellbore unimpeded?

2 A. That would be a possibility.

3 Q. That's what you would have to assume,  
4 right?

5 A. Yes, sir.

6 Q. And then wouldn't you also have to assume  
7 that that third well, that third plug, didn't fail?

8 A. That third plug would be up above.

9 Q. I'm sorry, from the bottom. We're working  
10 my way up.

11 A. I'm with you. The third plug --

12 Q. Go ahead.

13 A. -- I don't know about the third plug  
14 because we didn't see any pressure above where that  
15 third plug would have --

16 Q. Now, let me ask you, Mr. Hathcock, you're  
17 familiar with water flow. If it was going to  
18 those -- if those two plugs somehow magically failed  
19 and it was going up that wellbore, wouldn't it  
20 continue to go up that wellbore?

21 A. It could. It all depends on the crews that  
22 are spotting the cement plugs.

23 Q. And then for some reason, under your  
24 theory, it would just, what, magically exit the  
25 wellbore at 1800 feet, make a left turn, and come

1 all the way back over; is that your theory?

2 A. My theory is that there are permeable  
3 streaks throughout this section that could transfer  
4 the flow or that pressure laterally. But that's not  
5 my testimony. You'll hear that from one of our  
6 folks that are here to testify for the commission.

7 Q. Did you do any calculations to determine  
8 whether that type of flow is even possible given the  
9 pressures that are involved with the injection?

10 A. No, sir, I did not.

11 Q. If this was a fractured disposal zone,  
12 as -- are you suggesting that, Mr. Hathcock?

13 A. I would have to assume, since it was  
14 hydraulically fractured, that it would be a  
15 fractured disposal zone.

16 Q. What type of permeability would you expect  
17 to see?

18 A. I would think that through the hydraulic  
19 fracture you would have probably in the range of  
20 Darcy's permeability but then when you contacted the  
21 formation you would go back to the normal formation  
22 permeability.

23 Q. Well, to support your theory here of this  
24 migratory path through the Humble State Well, what  
25 kind of permeability would you have to see within

1 the disposal zone?

2 A. I don't think I'm qualified to make that  
3 determination.

4 Q. So you don't know?

5 A. No, sir.

6 MR. FELDEWERT: That's all the questions I  
7 have.

8 MR. EXAMINER: Very good.

9 Redirect?

10 MR. BRUCE: Yes, at this time, if I may,  
11 Mr. Examiner. I'd like to give Mr. Feldewert a  
12 little time to review those, Mr. Examiner.

13 MR. FELDEWERT: It's going to make it tough  
14 on you because I don't know, Mr. Examiner, if these  
15 fall within your rulings or not, but it's something  
16 certainly we could check. I mean, it looks like to  
17 me like certainly the last one, Exhibit J, would  
18 fall within the privilege, but, again, I have not  
19 checked to see what you've determined, as would  
20 Exhibit L.

21 MR. BROOKS: Yeah, I think we're going to  
22 have to -- I'm going to have to check this against  
23 my notes. And I would suggest, if it's okay with  
24 Mr. Goetze, if we take a lunch and recess now and we  
25 can get back to this after. Normally I would

1 wait -- normally I wouldn't suggest that until the  
2 completion of this witness, but I really can't  
3 respond to that objection until I correlate with my  
4 notes.

5 MR. BRUCE: My only comment is this is  
6 clearly just factual and it's admissible, but --

7 MR. BROOKS: Okay. Well, I don't want to  
8 reverse rulings I just made yesterday, so I would  
9 like to check my notes.

10 MR. BRUCE: And that would be fast for us,  
11 so --

12 MR. EXAMINER: Seeing how this has been  
13 provided to us, let us take lunch and we'll take  
14 this under consideration and we'll continue with  
15 this witness when we get back. Let's get back here  
16 somewhere around 1:00 o'clock, if you could, folks.

17 MR. BROOKS: Can we make it 1:15?

18 MR. EXAMINER: We can make it 1:15.

19 MR. BROOKS: I know you don't want to go  
20 after hours and neither do I.

21 [Recess taken from 11:49 AM to 1:18 PM.]

22 MR. EXAMINER: Back on the record. And,  
23 Mr. Brooks, the floor is yours.

24 MR. BROOKS: Yes, I'm going to have to  
25 second guess my rulings of yesterday because I

1     couldn't find these documents in these files, but I  
2     believe the documents marked -- well, one of them is  
3     marked J -- J, K, and L are the documents. Okay, J  
4     and K are the kind of documents that contain  
5     basically factual information and don't contain any  
6     material that indicates internally that they were  
7     prepared for purposes of litigation, so I would say  
8     the privilege does not apply to those.

9             Document L, on the other hand, I probably  
10    didn't designate as privileged since Mr. Bruce has  
11    it but I should have because this is clearly the  
12    letter from Mr. Clifford to Mr. Goddy and is clearly  
13    the type of communication that I think the privilege  
14    is supposed to cover. So I will rule out L and I  
15    will allow examination to be conducted on the basis  
16    of J and K.

17            MR. EXAMINER: And with that, we'll go  
18    ahead with your witness.

19                         REDIRECT EXAMINATION

20    BY MR. BRUCE:

21            Q.     Okay. Mr. Hathcock, I've handed you  
22    Exhibits J and K. Did you review the documents that  
23    were turned over to Devon yesterday afternoon about  
24    2:00 or 2:30?

25            A.     Yes, sir.

1 Q. And are these two of those documents?

2 A. Yes, sir, they are.

3 Q. Okay. If you would refer first to  
4 Exhibit K, can you identify who it's to and from,  
5 the date, and discuss what it talks about, pressures  
6 in the injection well.

7 A. Okay. It's from Paul B. Casares. I'm not  
8 very good at pronouncing Hispanic names, but please  
9 forgive me if I mispronounce that. Then Marshall A.  
10 Hedrick is who it's addressed to, reference the  
11 Diamond 34-1, dated Wednesday, October 7th, 2015.

12 Q. And the Diamond is the injection well?

13 A. Yes, sir. Yes, sir. So of course my  
14 interpretation to this is that they are having  
15 trouble exceeding the permitted injection pressure  
16 on the Diamond Well and that a Murphy switch needs  
17 to be installed to make sure that that pressure is  
18 not exceeded. And a mercy -- I'm sorry, Murphy  
19 switch that electronically can kill a pump until a  
20 lower pressure is seen, which then it automatically  
21 turns that pump back on. It allows it to work  
22 within a certain pressure range.

23 Q. And if you'll look at one of the -- maybe  
24 e-mails are hard to digest to me, but the second  
25 line says: The maximum injection pressure is



1 1020 PSI.

2 A. I would -- I would assume that that is --  
 3 what they're doing is telling him that's what our  
 4 permitted pressure is. We're trying to control --  
 5 and I'm just guessing from the literature here, is  
 6 that their pump is a distance away from the disposal  
 7 well so there's frictional -- friction that takes  
 8 place going through the pipes so they're trying to  
 9 control the pressure at the well by controlling the  
 10 pressure at the pump.

11 Q. And from the data you reviewed, the  
 12 injection pressure limitation is about 1020 PSI?

13 A. That's what I've seen off the NMOCD  
 14 website.

15 Q. And so, for instance, if you looked at  
 16 their Exhibit 8 where they're talking about  
 17 injecting at 1250 PSI, that would exceed the maximum  
 18 allowed injection pressure?

19 A. Yes, sir.

20 MR. FELDEWERT: I'm sorry, exhibit what?

21 MR. BRUCE: 8.

22 MR. FELDEWERT: 8.

23 A. When you're pumping your temperature survey  
 24 number two at 1250 PSI at half barrel per minute.

25 MR. FELDEWERT: Doing the temperature

1 survey?

2 MR. HATHCOCK: Yes, sir.

3 MR. FELDEWERT: Okay.

4 Q. (By Mr. Bruce) And when you look at most of  
5 these, they're exceeding the injection pressures.

6 MR. FELDEWERT: Objection to the form of  
7 the question. Lack of foundation.

8 Q. (By Mr. Bruce) Okay. Are they exceeding  
9 the permitted injection pressure?

10 A. My interpretation from this e-mail is  
11 they're not because they do have a higher pressure  
12 at the pump. But, again, there's a frictional loss  
13 between the pump and the injection well. What I  
14 sense is that by saying that they need to keep  
15 somebody there to make sure they don't exceed the  
16 pressure, they do not have --

17 MR. FELDEWERT: I'm going to object on lack  
18 of foundation.

19 MR. EXAMINER: Where are we going?

20 Q. (By Mr. Bruce) Are they -- Mr. Hathcock,  
21 from what you reviewed, they do not have a daily  
22 ability remotely to determine what is being  
23 injected, what the -- what the daily injection  
24 pressure is; is that correct?

25 A. That's what I would infer from the e-mails

1     that I've read, including this one.

2           Q.     Okay. And would that go back to your --  
3     when you were discussing, I forget what exhibit it  
4     is now, that sometimes they're injecting 21,000  
5     barrels a month and sometimes they're injecting  
6     twice that amount?

7           MR. FELDEWERT: Object to the form of the  
8     question.

9           MR. BROOKS: Well, yeah, it was a leading  
10    question. Maybe you should rephrase.

11          MR. BRUCE: Okay.

12          Q.     (By Mr. Bruce) Your interpretation was  
13    their maximum injection volume should be about  
14    21,000, 22,000 a month; is that correct?

15          MR. FELDEWERT: Object to lack of  
16    foundation.

17          MR. BROOKS: I'm going to overrule that  
18    objection. I would sustain the objection to  
19    leading, but I don't really like to go there in this  
20    context because that's primarily when you're dealing  
21    with juries and we waste a lot of time if we force  
22    everybody to use the correct textbook way of asking  
23    questions.

24          However, you may rephrase the question.

25          Q.     (By Mr. Bruce) What is -- your review of

1 the data, what are the maximum injection volumes per  
2 month that are allowed in this OXY SWD well?

3 A. That's hard for me to -- to make that  
4 claim. I feel more comfortable with pressure than I  
5 am volumes.

6 Q. Okay. With pressure?

7 A. Yeah, but what I can say is that after they  
8 did their well work in September that their  
9 injection volumes on a monthly basis were greatly  
10 reduced. So what I might ask, if I was allowed, is  
11 how do -- how do they explain that they were  
12 injecting at a much higher rate before the well work  
13 than what they are after the well work.

14 Q. And I think -- what was your rough estimate  
15 of what they were injecting after the well work, per  
16 month?

17 A. I believe it was around 21,000 barrels per  
18 month.

19 Q. And before that, what were the approximate  
20 volumes they were injecting?

21 A. Close to 40,000.

22 Q. Would that indicate to you that they were  
23 exceeding the maximum allowed injection pressure?

24 A. Or they were injecting into a different  
25 horizon than just the permitted horizon. Again,

1 we're relying on data that's not our data and we see  
2 a part of the picture.

3 MR. FELDEWERT: I'm not even sure what data  
4 they're referencing.

5 MR. HATHCOCK: Okay. You all's Exhibit 20.

6 MR. BROOKS: Well, you will have a chance  
7 to cross-examine later, Mr. Feldewert, recross on  
8 this line of questioning.

9 Q. (By Mr. Bruce) Go ahead, go to Exhibit 20,  
10 Mr. Hathcock.

11 A. Yes, sir. So in Exhibit 20, right before  
12 the Devon kick, we see three months where we're  
13 right at 40,000 barrels per day -- I'm sorry, for a  
14 month.

15 Q. Per month.

16 A. And then after the well work, of course  
17 there's only three months on this chart, but  
18 basically they were at the max, around 20, 21,000  
19 barrels per month, showing a significant reduction.  
20 I think I went and looked at the NMOCD website and  
21 they have data through January. I think that it  
22 continues at this lower rate. There's nothing  
23 that's close to the 40,000 barrels per month that  
24 they were injecting before the well work.

25 Q. Does that -- could that cause a problem

1 with the injection?

2 A. It could, yes, sir.

3 Q. Okay. Let's go to Devon's Exhibit J.

4 A. Yes, sir.

5 Q. Can you identify, was this one of your  
6 documents, e-mails that was turned over to Devon  
7 yesterday afternoon?

8 A. Yes, sir, it was.

9 Q. And, again, to and from, date, and could  
10 you summarize the contents of this e-mail?

11 A. Sure. It's from Lomar Smith at OXY to Omar  
12 Lisigurski, copying Thomas Clifford, referencing the  
13 Diamond 34 Number 1 SWD fall-off test document. And  
14 I didn't get much out of the first three paragraphs.  
15 What caught my eye was the fourth paragraph. If you  
16 don't mind, I'll read it.

17 Q. Go ahead, read it.

18 A. "The Diamond 34 Number 1 fall-off test was  
19 planned for 11/16."

20 And, again, this -- this e-mail was dated  
21 November 19th. So it was planned for 11/16,  
22 however, that was suspended after the well was shut  
23 in as a result from a tracer test. That's a  
24 different tracer test than what was presented to us  
25 that was run in December that we all said, yes,

1     that's clear indication there was no channelling.

2             Okay. It goes on to say: "A fall-off test  
3     will be subsequent to actions to repair the well's  
4     casing issue."

5             Q.     Okay. Mr. Hathcock, before you saw this  
6     e-mail, did you know anything about a casing issue  
7     in this well?

8             A.     No, sir.

9             Q.     OXY hadn't reported that to you --

10            A.     No, sir.

11            Q.     -- to Devon?

12            A.     No, sir, no data that --

13            Q.     Was there any filings with the Division, a  
14     sundry notice stating a problem regarding a casing  
15     issue?

16            A.     I went to the documents that's filed in the  
17     NMOCD website last night, and the latest one was the  
18     well workover where they had the loose packer and  
19     the tubing and casing communication that they  
20     repaired in September. That's the only document  
21     that I saw.

22            Q.     So there was no C-103 sundry notice  
23     reporting to the Division a casing problem?

24            A.     No, sir.

25            Q.     Was there any sundry notice reporting to

1 the Division what action OXY intended to do  
2 regarding the casing issue?

3 A. No, sir.

4 Q. Was there any follow up C-103 reporting to  
5 the Division what OXY had done to repair the casing  
6 issue?

7 A. No, sir.

8 Q. Could that have acted as a conduit for  
9 fluids moving up --

10 A. Yes, sir. It's one of the options in  
11 option one that we could have had a potential casing  
12 leak, yeah. Of course, not having the transparency  
13 of knowing exactly what was found and -- and what  
14 they were working on if, you know, again  
15 conjecture --

16 Q. But they're the ones reporting a casing  
17 issue here?

18 A. On this e-mail, yes.

19 Q. Thank you, Mr. Hathcock.

20 MR. BRUCE: Mr. Examiner, I'd move the  
21 admission of Devon's Exhibits J and K.

22 MR. EXAMINER: And having gone through the  
23 process, Exhibits J and K are so entered. And  
24 you're done with the witness.

25 MR. BRUCE: I am.



1 MR. EXAMINER: You'd like to redirect, I'm  
2 sure.

3 RECROSS-EXAMINATION

4 BY MR. FELDEWERT:

5 Q. Mr. Hathcock, would you go to Devon  
6 Exhibit -- I'm sorry, OXY Exhibit 20, where you  
7 were.

8 A. Yes, sir.

9 Q. Okay. And I'm understanding you're  
10 referencing -- you referenced previously the drop in  
11 volume there showing in September of 2015?

12 A. Yes, sir, September, October, and November.

13 Q. That's what you're referencing?

14 A. Yes, sir.

15 Q. Okay.

16 A. But also data that's not presented here,  
17 too, that's on the NMOCD website that's very similar  
18 to this data.

19 Q. It shows decrease in volumes in September  
20 and October?

21 A. And December and January.

22 Q. Okay. Now, would you go to Devon OXY  
23 Exhibit 27, please.

24 A. Okay.

25 Q. And if I'm looking halfway down there, do

1 you see that the well was shut in on September 8th?

2 A. Yes, sir.

3 Q. And then it would continue to be shut in  
4 through the month of September?

5 A. Yes, sir.

6 Q. Okay. Couldn't that be part of the  
7 decreased volume?

8 A. I would expect so.

9 Q. Okay. So now, secondly, your suggestion  
10 that because of this e-mail from a Mr. Smith that  
11 there is somehow a documentation of a casing issue.  
12 You're aware, are you not, Mr. Hathcock, that there  
13 was MIT tests run on this well?

14 A. Yes, sir.

15 Q. After the Devon incident?

16 A. Yes, sir.

17 Q. And that there's a Bradenhead test run on  
18 this well after the incident?

19 A. Can you qualify what a Bradenhead test is?

20 Q. Are you aware of what a Bradenhead test is?

21 A. The -- what you're calling a Bradenhead, in  
22 my estimation, is not a test.

23 Q. Okay. Well, there was a Division witnessed  
24 Bradenhead test, correct, Mr. Hathcock?

25 A. Okay. Could you direct me to that test,

1 please?

2 Q. You're not aware of a Division reference  
3 Bradenhead test?

4 A. I saw an MIT test.

5 Q. But you're saying you didn't see a  
6 Bradenhead test?

7 A. All I'm saying is that I would like to be  
8 refreshed, sir, with all due respect.

9 Q. Didn't you see our exhibits?

10 MR. BRUCE: I'd object to that,  
11 Mr. Examiner. Let him ask the question.

12 Q. (By Mr. Feldewert) Would you turn to OXY  
13 Exhibit Number 4.

14 MR. BROOKS: Since the matter was followed  
15 up there's no need for a ruling. My ruling would be  
16 that if you're going to ask him did he see it, an  
17 exhibit, you need to call his attention to what  
18 exhibit so he can look at it.

19 Q. (By Mr. Feldewert) OXY Exhibit Number 4, is  
20 that a Bradenhead test report?

21 A. Yes, sir.

22 Q. Is it witnessed by Bill -- somebody help me  
23 out, Sonnamaker?

24 MR. EXAMINER: Sonnamaker.

25 A. Yes, sir.

1 Q. (By Mr. Feldewert) And when was that done?

2 A. I was a bit confused, sir, because it says  
3 surface pressure -- surface casing is zero, but you  
4 all did not have piped or gauges on the surface  
5 casing. You had on the intermediate casing.

6 Q. I'm just asking you: Is that a Bradenhead  
7 test?

8 A. Well, based on the information here it was  
9 not applicable to what you are asking because you  
10 have gauges on the intermediate casing not the  
11 surface casing. This says surface casing.

12 Q. Is this a Bradenhead test?

13 A. Yes, sir.

14 Q. Okay. And then you're aware that there was  
15 a temperature survey done on this well, correct?

16 A. Temperature survey, yes, sir.

17 Q. On the OXY well, right?

18 A. There was three different temperature  
19 surveys.

20 Q. And then there was tracer surveys done on  
21 this well?

22 A. Yes, sir.

23 Q. And none on those indicate that there is  
24 any kind of a casing leak, is there?

25 A. None that we have seen, sir.

1 Q. Okay.

2 A. But it appears in this e-mail there was  
3 another tracer test that was -- because the date of  
4 this e-mail was done before the one that you  
5 presented to us, that could have indicated that  
6 there was a problem that you all fixed.

7 Q. That's your -- that's your conjecture?

8 A. Yes. Unfortunately, I can't ask you the  
9 question, sir.

10 Q. Well, you can't, that's correct. I'm  
11 finished.

12 MR. EXAMINER: Are we through? Okay, thank  
13 you.

14 MR. BROOKS: Nothing.

15 MR. EXAMINER: Well, I think we've taken  
16 this witness as far as we can with your subject  
17 matter. Let's move on to your next one.

18 Thank you very much for your participation.

19 MR. HATHCOCK: Yes, sir.

20 [Witness excused.]

21 MR. EXAMINER: Are you ready?

22 MR. BRUCE: I'm ready.

23 MR. EXAMINER: Proceed.

24

25

1 STEVE SCHWEGAL

2 after having been first duly sworn under oath,  
3 was questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. BRUCE:

6 Q. Mr. Schwegal, could you state your full  
7 name and city of residence for the record.

8 A. Steve Schwegal from Edmond, Oklahoma.

9 Q. And who do you work for and in what  
10 capacity?

11 A. Devon Energy as a geologist.

12 Q. Have you previously testified before the  
13 Division?

14 A. Yes.

15 Q. And were your credentials as an expert  
16 petroleum geologist accepted as a matter of record?

17 A. Yes.

18 Q. And have you prepared an exhibit for  
19 presentation to the Division today?

20 A. Yes, sir.

21 Q. And is that marked Exhibit E?

22 A. Yes.

23 Q. Would you please start with page 1 and  
24 discuss the contents of the various pages of this  
25 exhibit.

1           A.     Sure. The first page is basically just a  
2     location map showing the Devon well, the Devon  
3     acreage in the small upper right corner with some of  
4     the general information on the OXY well.

5           MR. BROOKS: I'm sorry, is this witness --  
6     did we qualify him?

7           MR. BRUCE: I'm sorry, we need to do that.  
8     I submit him as an expert petroleum geologist.

9           MR. EXAMINER: Well, that's good.

10          Mr. Feldewert?

11          MR. FELDEWERT: No objection.

12          MR. EXAMINER: Okay, he is so qualified.

13     Now you may blaze into the examination.

14          MR. FELDEWERT: I was going to object when  
15     he offered an opinion.

16          A.     Okay. In the upper right is just general  
17     information on the OXY well, kind of a zoomed out  
18     location map showing Devon's acreage.

19                 On the left in the center is, in Petra, the  
20     software package we use, these are the perforations  
21     that were given for the Diamond 34 State Well. So  
22     if they're incorrect, I don't know anything more  
23     than what's in Petra.

24                 As we've noted previously, none of the  
25     wells nor the OXY well that were drilled previous to

1 the North Thistle 34 had any issues. You can see  
2 the location in the zoomed in map in the lower  
3 right. In the southwest corner of section 34 is the  
4 surface location of the North Thistle 34. And then  
5 you can see it drilled from south to north ending at  
6 the northwest corner of section 34.

7 About 1400 feet away is the OXY well  
8 completed in 1997. Because of the safety issues  
9 with drilling the 2H we decided to move the rig over  
10 to the east, and you can see the little blue dot in  
11 the lower southeast corner there, in the right-hand  
12 corner. We drilled the three follow-up wells, the  
13 1H and the 2H, and then one well -- you can't see it  
14 going off to the south but all three of those wells  
15 had no problem in the shallow section.

16 I've also noted on here the state lease  
17 numbers for section 34 right in the center of the  
18 section, so you can see those are there.

19 Next slide is just zoomed in. There's a  
20 cross section that runs from west to east, and I'll  
21 talk about that on the next slide. The surface  
22 location, again, is in the southwest corner. The  
23 bottom hole location is in the northwest corner of  
24 section 34.

25 Q. (By Mr. Bruce) And let me just clarify,



1 even though when you're looking at the Devon well,  
2 the bottom hole location, as mentioned on the cross  
3 section, is the data from the surface well?

4 A. Correct. The Petra software, for some  
5 reason, puts your cross section location at the  
6 bottom hole location but it really is starting at  
7 the surface and then extending northward from there.

8 As we've discussed previously, at 18,  
9 20 feet mud weight was raised from 9.8 to  
10 15.3-pounds-per-gallon with a 16-pounds-per-gallon  
11 kill mud weight. And it's interesting to note on  
12 the far east side, the Amoco Federal BG Number 1 had  
13 9.6-pounds-per-gallon mud at 12,410 and 13,1 at  
14 15,700 feet. So we're looking at 16-pound mud at  
15 1820, and they drilled to 15,700 and still had not  
16 reached that mud weight that it took for us to kill  
17 the well.

18 Slide number 3 is a schematic cross  
19 section. The shaded in area, and I don't know if  
20 the version you have shows the transparency or not.  
21 It was meant to be transparent, but I think when we  
22 e-mailed it somehow -- does everybody got one with  
23 the transparency? I think you can pretty much read  
24 it anyway.

25 But the top of the Salado formation and the

1 base of the salt or the top of the Delaware is  
2 shaded in blue. We contend that after injecting  
3 6 million barrels of fluid down into the upper part  
4 of the Delaware that the water migrated up the  
5 Diamond 34 vertically from the injection  
6 perforations and then horizontally 1400 feet to the  
7 North Thistle 34 State Com 1H along an anhydrite  
8 bed. It's schematically drawn on there. It's not  
9 to scale.

10 In the Salado formation, quoting from a BEG  
11 study that was done, mud, silt, and sand deposited  
12 eolian and arid region fluvial processes are  
13 interbedded with halite and that provides a  
14 horizontal conduit for fluid migration. So  
15 anhydrite can have a lot of silt and mud mixed in  
16 with it so it can actually provide a conduit.

17 Oh, in the center is the blowup of the OXY  
18 well. I won't talk about that too much because  
19 we've talked about it pretty much already. There's  
20 a little box that shows -- the insert that shows the  
21 base of the salt at 5,044 and then the top of the  
22 Cherry Canyon and Bell Canyon down below that.

23 Okay. The next is a structure map of the  
24 Brushy Canyon.

25 Q. Page 4?

1           A.    I'm sorry, yes, page 4.   Lower Brushy  
2   Canyon, subsea structure, Devon has seven producers  
3   from the lower Brushy just to give you an idea what  
4   the structure looks like up shallow.   I did not map  
5   anything shallower than that.   You can see the 1H  
6   again with the surface location down in the  
7   southwest corner and again the OXY well.   And you  
8   can see that the dip is essentially going up from  
9   west -- east to west.   Sorry.   This is in subsea  
10   depth, by the way.

11               Slide number 5 is down at the top of the  
12   Second Bone Spring.   This is near to the objective  
13   where Devon normally drills our Second Bone Spring  
14   producing wells.   That was the objective of the 1H  
15   well.   As you can see, it was drilled from south to  
16   north because internal studies at Devon have proven  
17   that wells drilled toe up get better results due to  
18   gravity assisted draining.   And we try to do that as  
19   often as we can throughout the Thistle area.

20               Slide 6 shows the lower Second Bone Spring  
21   sand net thickness with an 8 percent density  
22   porosity cutoff.   Normally we would drill six wells  
23   per section, so, again, that's opportunities that  
24   are missing if we cannot go in and drill.   The red  
25   lines show the thick trend going from north to south

1 through the main part of the Thistle acreage and  
2 including section 34. And you can see the well is  
3 labeled there with that blue insert box.

4 Q. Okay. Mr. Schwegal, the North Thistle 34  
5 1H is a Second Bone Spring sand well?

6 A. Correct. Yes, lower Second Bone Spring.

7 Q. And when you're talking development mode in  
8 the Thistle acreage, six wells per second, you're  
9 just looking at the Second Bone Spring?

10 A. Correct.

11 MR. FELDEWERT: Mr. Examiner, what's the --  
12 I object at this point to grounds of relevancy. I  
13 don't see how these are relevant to the issue here  
14 today which is the disposal wells.

15 MR. BRUCE: Well, Mr. Examiner, what we're  
16 saying is the primary charge of the Division is to  
17 prevent waste. And what we are going to show is we  
18 think we're showing that there is a conduit for the  
19 water up to the zone. It is leading to drilling  
20 difficulties and safety concerns, and Devon plans to  
21 drill a lot of wells out here. And this is a waste  
22 issue, and that's what we're showing.

23 MR. BROOKS: Well, it seems to me there's  
24 some relevance.

25 MR. EXAMINER: We will let you proceed with

1 this, but be aware of what Division has previously  
2 stated in its decision, especially with presentation  
3 of needs and various other operatives. So proceed  
4 with caution.

5 MR. BRUCE: This is pretty quick.

6 A. One more slide. I just picked one example  
7 of a different horizon that is not in development  
8 mode. This is the middle part of the Avalon where  
9 the other well was planned to drill. And as you can  
10 see, we were unable to drill that well, move to the  
11 east.

12 So on this slide, in addition to the  
13 thickness map -- or actually go to slide 8, that  
14 would be better. That shows the south to north  
15 cross section going through section 34.

16 And then if you go to slide 9 you can see  
17 the multiple horizons that have already been tested  
18 and the fact that, you know, if we are unable to  
19 drill we will certainly waste resource.

20 Q. (By Mr. Bruce) And finally slide 10, and  
21 there's actually two slide 10s. Could you explain  
22 that?

23 A. All that I did on slide 10 was to enlarge  
24 the text box in the southwest corridor so that my  
25 tired eyes could see it a little bit better. So

1 what this is, is essentially a cartoon view of what  
2 could the damage be. We do not know the extent of  
3 the leak, if we can even drill another well in  
4 section 34.

5 I'd like to go ahead and paraphrase part of  
6 the little box and read some of it. This is from  
7 the National Research Council, and the title is the  
8 Waste Isolation Pilot Plant, A Potential Solution  
9 for the Disposal of Transuranic Waste, and it was  
10 done in 1996. Box 3.2, in that paper, is potential  
11 consequences of brine injection from petroleum  
12 recovery operations on repository flow.

13 And they say: "Although the permeability  
14 of halite in the Salado Formation is negligible,  
15 there remains some concern about flow through marker  
16 beds and other impurities in the formation." And  
17 that would be what I mentioned earlier, anhydrite  
18 beds that have silt or mud stone in them.

19 They go on to talk about two potential ways  
20 that injecting fluids can cause issues. The first  
21 one is water flooding, and we're not talking about  
22 that today so I'll just skip over that. The second  
23 one is disposing large volumes of brine that involve  
24 high pressure injection to the deep rock formation,  
25 so wastewater essentially.

1           They go on to say: "If there's a failure  
2   in the well casing or in the cement outside of the  
3   casing, fluid can leak into overlying formations and  
4   flow laterally along one of the many anhydrite  
5   layers in the Salado. One such recent occurrence,  
6   in the Rhodes Yates Field of Lea County in Southeast  
7   New Mexico apparently caused significant flow  
8   through the Salado (reported as an unexpected flow  
9   of 1,000 barrels per hour that was encountered by a  
10  well drilled in 1991). The unexpected flow through  
11  Salado was attributed to injection into old  
12  production wells in the Yates Formation 200 meters  
13  below or about 650 feet and 3 kilometers away from  
14  the Salado horizon in the well," so almost two miles  
15  away.

16           "The flow probably was transmitted through  
17  anhydrite marker beds."

18       Q.   Okay. Finally, Mr. Schwegal, could you  
19  move on to OXY's exhibits in the booklet there in  
20  front of you, I think 32, 33, and 34. Could you  
21  discuss --

22       A.   It's actually 32, 35, 36, 37.

23       Q.   Well, those are the slide numbers.

24       A.   Oh, I'm sorry. Oh, oh, oh, I'm sorry.

25       Q.   We're talking about exhibit numbers.

1 A. Oh, I'm sorry.

2 Q. So if you could just go to Exhibits 32, 33,  
3 and 34. Could you comment upon the matters stated  
4 in those exhibits?

5 A. Let me find 32.

6 Q. And in the lower right corner 35 is where  
7 it says it.

8 A. Well, I'm actually going to try to lump  
9 together a couple of the slides, so I hope I can go  
10 slowly enough so that it's pretty much  
11 understandable. First I'd like to talk about the  
12 slide that's titled Development of Overpressure, and  
13 there's two cases shown; one where a permeable layer  
14 is deposited and water escapes, so there is no  
15 overpressure. And the lower one, which is of more  
16 interest to us, is where overpressure is developed  
17 by overburden. Now, remember, we're talking about  
18 16-pounds-per-gallon mud weight at 1,820 feet.

19 Now, there are a number of other ways you  
20 can get overpressure in the subsurface; clay  
21 transformation, hydrocarbon generation, and H2S.  
22 And OXY did not present any -- present any slides on  
23 that, so I'm inferring that they're keying this on  
24 overburden as the -- as the cause of their pressure.

25 In order to do that you would need rapid



1 deposition to trap water in those sands underneath.  
2 And to better understand what was happening in the  
3 Salado Formation 250 million years ago it makes  
4 sense to look at a modern analog. So we're talking  
5 about the uniformitarianism which was published back  
6 in the 1830s. It's nothing new, and the premise is  
7 the present is the key to the past, and it's really  
8 just one of the foundations of geology.

9           So if we look at the Persian Gulf  
10 sabkhas -- sabkha means salt flat -- we see there  
11 that there are -- it's slow deposition by annual wet  
12 and dry periods. So you get salt buildup in thin  
13 layers over time. Interestingly, precipitation is  
14 about 1.6 inches per year and evaporation is 2.4, so  
15 you're actually evaporating more than you're putting  
16 in there. You get a little thunderstorm, it wets  
17 everything, and then it evaporates. That cannot  
18 result in rapid deposition.

19           In addition, the ability to correlate these  
20 thin anhydrite layers over long, long distances  
21 is -- you know, it would make it very difficult to  
22 build up pressure in a small cell. We can carry  
23 these -- in fact, on OXY's -- let's see if I can  
24 find it in here. Yes, I'm sorry. It's number 32  
25 but the second page. You can see the two well logs

1 that are 7 --

2 MR. FELDEWERT: I'm sorry, which exhibit?

3 A. It's Exhibit 32, the second page. It shows  
4 the Anderson Number 1 and the Diamond 34 well logs.  
5 In those two logs that are eight miles apart  
6 essentially you can correlate marker beds as well as  
7 the overpressure depth over eight miles. Now, how  
8 you would develop overpressure in a local area when  
9 you can correlate these anhydrite, probably  
10 permeable beds over a long distance, it's hard to  
11 understand.

12 In addition, because there are not that  
13 many digital gamma ray curves, I looked around and  
14 found one down further to the south. It's an EOG  
15 well, the Jackson 3 State Com 1, and it's -- it's  
16 about seven miles away. And, again, I could  
17 correlate numerous thin anhydrite markers over  
18 15 miles. So how you can generate overpressure in a  
19 small cell in beds that can be correlated for  
20 15 miles is difficult to understand.

21 That's pretty much it.

22 Q. (By Mr. Bruce) Okay. So what you're saying  
23 is vertically the beds of salt and anhydrites are  
24 impermeable unless it appears in the wellbore?

25 A. Correct.

1 Q. But horizontally you can allow lateral  
2 migration?

3 A. Right. Yeah, there's like dust storms that  
4 occur. This was all an arid environment during the  
5 time and so there were dust storms that brought in  
6 impurities that could provide permeability.

7 Q. Does that make it hard to explain without a  
8 vertical pathway, as could be provided by the OXY  
9 saltwater disposal wellbore, why all wells drilled  
10 near that well had no issues until Devon's well?

11 A. That's right, yes.

12 Q. In your opinion, Mr. Schwegal, is the  
13 granting of Devon's application in the interest of  
14 conservation and the prevention of waste?

15 A. Yes.

16 MR. BRUCE: Mr. Examiner, I'd move the  
17 admission of Devon Exhibit E.

18 MR. EXAMINER: Mr. Feldewert?

19 MR. FELDEWERT: No objection.

20 MR. EXAMINER: Okay. Exhibit E is so  
21 entered.

22 And it is your turn, Mr. Feldewert.

23 CROSS-EXAMINATION

24 BY MR. FELDEWERT:

25 Q. Mr. Schwegal, I think you have Exhibit 32

1 in front of you, the one you just looked at.

2 A. Yes, with the cross -- with the two wells,  
3 yes.

4 Q. So you've looked at this exhibit before,  
5 correct?

6 A. I've looked at this exhibit, yes.

7 Q. Would you go to the first page. Do you  
8 understand what's depicted on this exhibit?

9 A. Yes.

10 Q. Okay. Doesn't this exhibit then -- this  
11 exhibit depicts the fact that you had one well in a  
12 grouping of four and encountered pressure as what?

13 A. What it shows me is that that was the last  
14 well that was drilled in there. There could have  
15 been other issues with previous wells that we don't  
16 know about. And, in addition, they drilled that  
17 well with 9.8-pound mud when all the other wells  
18 around it were drilled with over 10-pound mud. So  
19 it's really maybe just an over -- an under balanced  
20 issue.

21 Q. You would agree with me that the Division  
22 records reflect that the Anderson 5H is the only one  
23 that encountered a saltwater inflow?

24 A. Yes.

25 Q. Okay. Of those wells, correct?

1 A. Yes.

2 Q. And some of these wells right next to it  
3 are only 300 feet away?

4 A. Yes, that's what it shows on the map.

5 Q. 730 feet away, right?

6 A. Yes.

7 Q. Much closer than the circumstance that we  
8 have between the OXY well and the Devon well,  
9 correct?

10 A. Yes.

11 Q. And would you agree with me that that  
12 saltwater flow was roughly the same distance below  
13 or in the salt as the -- as what would be 1800 feet  
14 at the Devon Well?

15 A. Yes. On the next slide you can actually  
16 see the correlation, yeah.

17 Q. Okay.

18 A. Over eight miles.

19 Q. So that's an example of where we have only  
20 one of four wells that encountered a water flow in  
21 very close proximity of one to another, correct?

22 A. Yes.

23 Q. In your exhibit -- I went through all your  
24 exhibits, and correct me if I'm wrong, but I think  
25 that they all assume that there was some type of

1 migration from the injection zone to 1800 feet,  
2 right?

3 A. Correct.

4 Q. But none of your exhibits present any  
5 evidence of this --

6 A. That was presented previously.

7 Q. I'm sorry?

8 A. That was presented previously by --

9 Q. None of your exhibits --

10 A. None of my exhibits show that, no.

11 Q. It just assumes that there is some kind of  
12 migratory --

13 A. Yes, correct.

14 Q. And if I'm looking at slide 10 --

15 A. Uh-huh.

16 Q. -- your slide 10 references a Waste  
17 Isolation Pilot Plant study, right?

18 A. Yes.

19 Q. From 1996?

20 A. Uh-huh.

21 Q. And did you look at that whole study?

22 A. No, I did not look at the whole study.

23 Q. Did you look at the portion of that study  
24 that dealt with the Salado hydrology?

25 A. Yes.

1 Q. And are you familiar with -- that within  
2 that study it indicates that there are isolated  
3 occurrences of high pressurized brine?

4 A. What I recall is that they saw that there  
5 were fluid inclusions but they're millions of years  
6 old. They're not recently put into the formation.  
7 Other -- other brine, yeah, I didn't -- I don't  
8 recall that exactly.

9 Q. You don't recall the fact that that report  
10 identified that there would be isolated pockets of  
11 brine in the Salado area?

12 A. I think they were mainly associated with  
13 H2S.

14 Q. But they had water in there too, right?

15 A. Sure. Oh, yeah.

16 Q. Okay.

17 A. The combination of bacteria and anhydrite  
18 does generate water when there's a reaction.

19 Q. So you had -- they had pockets of  
20 pressurized water?

21 A. Related to H2S, yes.

22 Q. And then are you familiar with a subsequent  
23 study that was done by the Department of Energy in  
24 2004?

25 A. No.

1 Q. You hadn't reviewed that?

2 A. No, I have not.

3 Q. Okay. So you're not familiar with what  
4 that study indicated with respect to the types of  
5 pressures that would be encountered in these  
6 isolated water pockets?

7 A. No.

8 Q. Okay. Would you agree that there are  
9 numerous impermeable barriers between the injection  
10 zone and 1800 feet where the Devon encountered their  
11 water pocket?

12 A. Yes.

13 Q. And would you agree with me that if you  
14 have -- an overpressurized zone does require some  
15 type of seal?

16 A. If you're continuously pumping 6 million  
17 barrels of water. I don't know that that's the  
18 case.

19 Q. If I have an overpressurized zone, like  
20 it's been reported by the Department of Energy and  
21 is reflected on a number of instances in the basin,  
22 that overpressurized zone of water requires a seal,  
23 does it not, to maintain its pressure?

24 A. It could be high pressure in this place and  
25 then slowly decline as you move out from where the



1 high pressure occurs.

2 Q. Okay. Well --

3 A. We were 1400 feet away from the wellbore.

4 Q. But to maintain the pressure, okay, that is  
5 observed in some of these pockets, you don't think  
6 that zone has to have some kind of a seal?

7 A. Not necessarily. If you're continually  
8 injecting water, no.

9 Q. If you're not continually injecting water.  
10 Let's say that these are naturally occurring water  
11 pockets, okay?

12 A. Uh-huh.

13 Q. That's what I'm talking about. When you  
14 have those naturally occurring water pockets and  
15 overpressurized zone in there, don't you have to  
16 have a seal there in order to maintain that  
17 pressure?

18 A. Yes, you probably would.

19 Q. You wouldn't have the horizontal migration  
20 that you talked about?

21 A. It depends. I mean, if it's -- if it's an  
22 H2S deposit that was recently developed then I don't  
23 know how much of a seal you would require laterally.

24 Q. Did you do any study at the depth that  
25 Devon encountered to ascertain whether that is

1     susceptible to the type of horizontal migration that  
2     would be required under some of the theorys that  
3     have been presented here today?

4             A.     No.

5             MR. FELDEWERT:   That's all the questions I  
6     have.

7             MR. EXAMINER:   Very good.

8             MR. BROOKS:   Nothing, thank you.

9             MR. EXAMINER:   I'm going to pass on  
10    questions of this witness, and thank you very much  
11    for your testimony.

12            MR. SCHWEGAL:   Oh, sure.

13                     [Witness excused.]

14            MR. EXAMINER:   Proceed.

15                             ALEX BIHOLAR

16            after having been first duly sworn under oath,  
17            was questioned and testified as follows:

18                             DIRECT EXAMINATION

19    BY MR. BRUCE:

20            Q.     Would you please state your full name and  
21    city of residence for the record?

22            A.     I'm Alex Biholar from Oklahoma City,  
23    Oklahoma.

24            Q.     And for the Examiners, could you spell your  
25    last name?

1           A.    It's B, as in boy, i-h-o-l-a-r.

2           Q.    And who do you work for and in what  
3 capacity?

4           A.    I work for Devon Energy as a geophysicist.

5           Q.    Have you previously testified before the  
6 Division?

7           A.    Nope.

8           Q.    Would you please summarize your educational  
9 and employment background.

10          A.    I have a bachelor's of science in geo  
11 sciences as well as a master's of science in geo  
12 sciences from the University of Texas at Dallas.  
13 I've been working in the oil and gas industry now  
14 for a little over five years, coming up on  
15 five-and-a-half. I did that part split between  
16 SandRidge Energy and then also Devon Energy for the  
17 last three years.

18                During that time I have worked West Texas  
19 Overthrust, Mississippi and Lime Place, Central  
20 Basin Platform and most recently, for the last year  
21 and a half, the Delaware Basin of Southeast  
22 New Mexico.

23          Q.    Does your area of responsibility at Devon  
24 include this portion of Southeast New Mexico?

25          A.    Yes, it does.

1 Q. And are you familiar with the geophysical  
2 matters related to this application?

3 A. I am.

4 MR. BRUCE: Mr. Examiner, I'd tender  
5 Mr. Biholar as an expert petroleum geophysicist.

6 MR. EXAMINER: Mr. Feldewert?

7 MR. FELDEWERT: No objection.

8 MR. EXAMINER: So qualified.

9 Q. (By Mr. Bruce) And have you prepared two  
10 exhibits for presentation here today?

11 A. Yes, I have.

12 Q. And marked as Exhibits F and G, I believe?

13 A. Yes, sir.

14 Q. Could you refer to Exhibit F, identify that  
15 for the Examiner and discuss its contents.

16 A. All right. So Exhibit F, there's only one  
17 slide in Exhibit F, and it is an arbitrary seismic  
18 line that's drawn across one of the 3D seismic  
19 surveys that Devon has licensed over the Delaware  
20 Basin. And there's a lot of information on this  
21 slide, so I'm going to take my time kind of  
22 describing it and going through what some of the  
23 major points of it are.

24 You're looking at -- and I'm not sure  
25 everybody's familiarity with geophysics and seismic.

1 You're looking at the shallow section of the earth.  
2 This is a cross sectional view, and you're focused  
3 mostly on the Salado, the Castile, and then the base  
4 of the salt and everything underneath that, which  
5 would be your Bell Canyon faces.

6 Now, there's a couple of things in here  
7 that you'll notice. We often talk about this,  
8 Ochoan evaporate sequence and we kind of refer to it  
9 all as the salt, it's the salt sequence as though  
10 it's one and the same but it really isn't. When  
11 you -- when you talk about the Castile versus the  
12 Salado, the way that those rocks are made up, you're  
13 still going to find a lot more anhydrite within the  
14 Castile.

15 And in addition to that, the Castile is  
16 prone to deformation. Now, part of my role at Devon  
17 as a geophysicist, before every single well that we  
18 drill, we do a risk assessment in the near surface  
19 and we'll take a look at what are the possible near  
20 surface hazards. In the Delaware Basin there's  
21 several that come to mind. We get karst,  
22 particularly in the refill faces, we'll get -- but  
23 not just in the refill faces. We can actually get  
24 karst associated with some of the salt dissolution  
25 within the salt, particularly where we get

1 freshwater flow that comes through to Capitan.

2 In addition to that, a couple of times  
3 we've had issues drilling through places where the  
4 Capitan formation has been deformed. An example of  
5 that would be towards the right of that cross  
6 section that's labeled Salt Deformation.

7 This is kind of typical salt pillar  
8 structures. Now, when we have gone back and looked  
9 at a number of the 22 wells that were provided for  
10 us, we saw that a large number of them that didn't  
11 have flows were in that Castile formation. And when  
12 you map up that trend, where that mobilized salt  
13 build occurs, a lot of those wells will line up  
14 across that point as well so it's not too much of a  
15 surprise that you could get water flows and  
16 pressurized water flows where you have the salt  
17 deformation because you are moving things around.

18 Now, if you look at where Devon got the  
19 water kick at 1820 feet in the Salado Formation,  
20 again, on that cross section the well furthest to  
21 the left is the North Thistle 34 State Com 1H.  
22 We're clearly within the Salado Formation. There's  
23 no contest there, but what you'll notice is the  
24 internal reflector package to that is on these very  
25 horizontally bedded reflectors.

1           Now, all that shows me is that we've got  
2 lithology that you map aerially for some extent away  
3 from this well. And any way that I look at this,  
4 any orientation through that 3D seismic volume, I  
5 can come to the same conclusion that these are  
6 mappable surfaces through there.

7           Now, we'll actually go through and do some  
8 attribute analysis on this and look at that near  
9 surface and pull up semblance, coherency,  
10 incoherence, whatever the flavor of the day is what  
11 we're calling that attribute to see if there's any  
12 disturbances within that rock. It looks at each  
13 seismic trace and the one next to it and sees how  
14 different statistically am I from the one next to  
15 me.

16           Now, if each trace says I'm not that  
17 statistically different from the one next to it, it  
18 means that the rocks structurally are not deformed.  
19 That's semblance in a nutshell. Now, what we see  
20 when we look through here is we don't see any  
21 semblance here. And I'm going to show an example in  
22 a second here where we were able to see such an  
23 incoherent event in the seismic data that actually  
24 was associated with the collapse feature that formed  
25 when water was allowed to migrate through the salt

1 section and dissolve it out.

2 And when you got the dissolved salt and the  
3 shallow surface, anything that's in the subsurface  
4 and you have an open cavity, those tend not to stay  
5 open for very long and it's going to be prone to  
6 collapse. It's a risk that's associated with  
7 injecting undersaturated water into that salt layer.

8 And I guess one last thing on that, is we  
9 are looking at almost 3200 feet or greater than  
10 3200 feet of impermeable strata. You know, it's  
11 salt and anhydrite. That's about as perfect of a  
12 seal vertically as you can geologically. Now, the  
13 problem with that is if you are encountering water,  
14 that water has to come from somewhere. Either it  
15 has to be deposited or it has to be placed there by  
16 some outside means.

17 And I think what Steve, our geologist's  
18 testimony earlier, he talked about why getting large  
19 volumes of water without the generation of H<sub>2</sub>S would  
20 be unreasonable. So that water had to come from  
21 somewhere, and I'm proposing, as with everybody else  
22 with Devon, the water was coming from this injection  
23 well.

24 That's all I've got for Exhibit F.

25 Q. Well, just a second. I just want to



1 confirm a couple of things.

2 A. Yes.

3 Q. When you're talking about the salt section,  
4 on your Exhibit F, the Castile is the orange  
5 acreage, the lower orange acreage?

6 A. Yes, sir.

7 Q. And that is more conducive to water flows?

8 A. Right, and that's more anhydrite rich.

9 Q. And then the yellow or greenish is the  
10 Salado?

11 A. Correct.

12 Q. And that is more conducive to H<sub>2</sub>S?

13 A. If there is anhydrite -- typically it would  
14 require anhydrites and then you need to have water  
15 or hydrocarbons moving through that anhydrite to  
16 generate H<sub>2</sub>S.

17 Q. Okay. Go ahead with your next exhibit.

18 A. Okay. So the next exhibit is Exhibit G,  
19 and I'll be quick on this one. I just wanted to  
20 show that there's a real risk to putting these  
21 unsaturated waters into -- into the salt section.

22 Now, on slide number 2 of that, you'll see  
23 just an index map of where we're looking. The  
24 Diamond 34 State is there up in the upper left-hand  
25 corner of the map. And towards the -- towards the

1 southeast is the Jal Water System 2. We're going to  
2 be talking about that as an analog to what could be  
3 happening here at the Diamond 34 State 1.

4 So slide number 3 on there shows a screen  
5 cap from Google Maps that was taken very recently of  
6 what that well site looks like today. As you can  
7 see, there's a very large karst that has developed  
8 at that location.

9 Slide 4 is another view of that. It's a  
10 low angle aerial photograph that shows that same  
11 collapsed feature. It's about 60 feet across, maybe  
12 60 to 70 feet across, and you can actually see this  
13 one in our seismic semblance. So this structure, it  
14 formed basically overnight in a catastrophic  
15 collapse sometime in 1998. And these sinkholes  
16 throughout this Ochoan evaporative sequences are not  
17 very common.

18 Now, this is a little bit circumstantial,  
19 but I present this because it is a real risk, and  
20 it's a risk that I know that we as an operator try  
21 to avoid because it will place the surface equipment  
22 at risk for damage or from any safety environmental  
23 standpoint.

24 But in addition to that, when you start to  
25 create these collapse features you're creating a

1 Betchel pipe that goes up into the near surface.  
2 Now, the problem with that is you're artificially  
3 increasing the vertical permeability which is going  
4 to allow waters to migrate vertically from one level  
5 to the next, which if you're going to the surface  
6 you would be going straight through the freshwater  
7 aquifers and potentially contaminating those.

8 Q. Now, referring back to your Exhibit F, how  
9 much seismic resolution do you have vertically near  
10 the wellbore?

11 A. Okay. So vertical seismic resolution, what  
12 we can and what we can't see with the seismic  
13 resolution, we're not going to be able to see water  
14 coming up the pipe. That's beyond the resolution of  
15 this data. We're going to be able to see features  
16 that would -- like, for example, a fault. We could  
17 see a fault if it was going to cut through that  
18 3200 feet of rock and present a natural conduit. We  
19 could see something like that.

20 What we're not going to see is, like I  
21 said, a small collapse around the casing. That's  
22 not with the resolution or what seismic, as a tool,  
23 was used for. What it can see is the places like  
24 that 60-wide foot karst. We would be able to detect  
25 something like that.

1           Q.    And then with respect to your Exhibit G,  
2 obviously the -- in this situation the water did  
3 migrate through the salt, correct?

4           A.    Correct.

5           Q.    Can you see any other reason than the  
6 wellbore itself?

7           A.    Based on having 3200 feet of impermeable  
8 salts and anhydrites there has to be some conduit to  
9 allow that water to get there.

10          Q.    Okay. And anhydrites, can anhydrites have  
11 impurities; mud, silt, stone, et cetera?

12          A.    Yes, based on the depositional environment  
13 that was at the time in this part of the world, like  
14 Steve had mentioned earlier, you would be getting  
15 dust storms through there and you could possibly  
16 even be getting some fractured systems through those  
17 anhydrite beds which tend to be a little bit more  
18 brittle than the underlying salts.

19          Q.    And that would allow horizontal migration?

20          A.    Correct. And that's something that comes  
21 out of that WIPP study as well on those anhydrites.  
22 Their big concern was they can actually watch fluid  
23 flow through those anhydrites, and that's documented  
24 in that same DOE study that was mentioned  
25 previously.

1 Q. Were Exhibits F and G prepared by you?

2 A. Yes, sir.

3 Q. And in your opinion, is the granting of  
4 Devon's application in the interest of conservation  
5 and the prevention of waste?

6 A. It is.

7 MR. BRUCE: Mr. Examiner, I move the  
8 admission of Exhibits F and G.

9 MR. EXAMINER: Mr. Feldewert?

10 MR. FELDEWERT: No objection.

11 MR. EXAMINER: Exhibits F and G are so  
12 entered.

13 MR. BRUCE: Pass the witness.

14 MR. EXAMINER: Mr. Feldewert?

15 CROSS-EXAMINATION

16 BY MR. FELDEWERT:

17 Q. Mr. Bitolar; is that right?

18 A. Biholar.

19 Q. What's that?

20 A. Biholar.

21 Q. Biholar. Okay, so no T. I want you to --  
22 first off, if I look at your Exhibit F, when was  
23 this seismic shot, do you know?

24 A. The seismic was acquired in 2004.

25 Q. So long before Devon's incident?

1 A. Correct.

2 Q. Do you have any update of that seismic?

3 A. No. This is the most modern seismic that's  
4 available over this -- that's available over this  
5 location at this time, though it is being proposed  
6 to be shot in the near future.

7 Q. And the Pogo well at this point had been  
8 injecting -- well, it's been injecting since 1997,  
9 right?

10 A. Correct.

11 Q. And if I heard you correctly, your seismic  
12 here confirms that the approved disposal zone has an  
13 effective geologically sound seal?

14 A. What you heard is 3200 feet of anhydrite  
15 and salt is an effectively good geologic seal.

16 Q. Okay.

17 A. Now, it's not a geologically sound seal if  
18 there is salt deformation at that base. What you  
19 see at the seismic there on Exhibit F, there is some  
20 deformation within that salt deformation. You can  
21 see within the Castile package there's a bright  
22 orange reflector in the trough there. That's the  
23 base of one of these anhydrites.

24 Q. Okay. Well, I'll tell you what, let's do  
25 this: You show the injection interval down there,

1 correct?

2 A. Correct.

3 Q. And do you see effective geologic barriers  
4 existing between the injection interval and where  
5 you saw your water flow?

6 A. There could be, but seismic is not going to  
7 tell that.

8 Q. They're not?

9 A. No.

10 Q. Okay. What is the -- and as I move up this  
11 wellbore here, I see a blue line. That's the base  
12 of the salt?

13 A. Correct.

14 Q. What's the brown right below that?

15 A. That's when you're going to be getting into  
16 your Delaware faces, so you're going to be getting  
17 into your more clastic, which would be the injection  
18 interval.

19 Q. And above that would be the top of the Bell  
20 Canyon, correct?

21 A. Correct.

22 Q. And as I move up, I see some yellow streaks  
23 and that's, you said, some salt deformation?

24 A. Correct. Those are places where the salt  
25 has been allowed to flow, and we see that where we

1 get reflections off of the anhydrites. We get a  
2 good reflection on that.

3 Q. So that would be horizontal, right? We  
4 don't see any upward flow?

5 A. You could be seeing upward flow in here.  
6 These structures map out in such a way that in  
7 places these anhydrite beds are vertical to near  
8 vertical. In places they're overturned within that  
9 package themselves. That would negate any -- any  
10 assumption that you have no vertical communication  
11 because now you're talking horizontal beds with  
12 permeability and you're turning them on their end.  
13 Now that water can migrate upwards.

14 Q. Do you see any evidence of fractures or  
15 faults here that would allow water to move out of  
16 the injection zone upward?

17 A. I don't see any evidence for fractures or  
18 faults, natural fractures or faults within the Bell  
19 Canyon or within the Salado, but I do see evidence  
20 for them within that Castile package.

21 Q. Do you see any evidence of karsting around  
22 the -- the base of the intermediate casing?

23 A. I don't see any evidence of karsting, this  
24 seismic was shot in 2004.

25 Q. Okay.



1           A.    And these are structures that form in  
2   catastrophic collapse basically overnight.

3           Q.    And if I -- if you had taken a seismic shot  
4   before the Whitten Ranch Sinkhole, what would you  
5   have seen?

6           A.    So an example across the Whitten Ranch  
7   Sinkhole.

8           Q.    Or what would a seismic show?  Would you be  
9   able to see the -- would you be able to see the --

10          A.    No, you wouldn't be able to see it before.

11          Q.    You wouldn't see it?

12          A.    You can see it afterwards.

13          Q.    Okay.  As I move up this -- the wellbore  
14   here, I get to the point up around the 1820 water  
15   flow; do you see that?

16          A.    Uh-huh.

17          Q.    Do you see little dark shadings there?

18          A.    Yep.

19          Q.    What -- are those geo hazards?

20          A.    No, those are not geo hazards.

21          Q.    What is it?

22          A.    So those are -- within that interval you  
23   get strong reflections.  Within the Salado, being  
24   dominantly a hilite -- or halite sequence, there are  
25   interbedded anhydrite associated with that.  And

1    what you're seeing there is probably an interface  
2    between one of those anhydrites and the halites.  
3    You're getting a strong peak reflection on there,  
4    being a black mark on here, my clarity is North  
5    American standard.  So that's probably going to be  
6    an anhydrite bed above the -- where we got the water  
7    injection.

8           Q.    That dark streak there?

9           A.    Probably.  Correct, yes.  And it does  
10   continue, and you see that in the seismic.  Those --  
11   you're going to see changes in your amplitudes,  
12   which is the intensity of how much reflection you're  
13   getting back.  That's going in very laterally.

14          Q.    Is that seismic anomaly restricted to just  
15   your well?

16          A.    No, that's continuous.  You can map that  
17   reflector out.

18          Q.    Okay.

19          A.    You have a stronger response at the well,  
20   but that's -- it's got a relatively lateral  
21   continuous in it.  That one actually intersects with  
22   the Diamond 34 just to the east.

23          Q.    And you agree that saturated water is --  
24   would not pose any damage to the salt, correct?

25          A.    It would have to be 100 percent saturated

1 to the point of not being able to dissolve any  
2 halite.

3 Q. You're aware, though, that the water that's  
4 injected by OXY is not undersaturated?

5 A. Perhaps with the other reservoir but I'm  
6 not sure if it is or not for being injected into a  
7 salt.

8 Q. You're not aware that halite contains a  
9 high count of chlorides?

10 A. I'm sure it does but I don't know what that  
11 count is that would cause dissolution within the  
12 Salado.

13 Q. And you seem to suggest that all of these  
14 anomalies that we've seen, that operators had  
15 observed in this region is limited to just the  
16 Castile zone; is that what you're suggesting?

17 A. Not all of them because it was presented  
18 with the Anderson case, and that's clearly within  
19 the Salado.

20 Q. That was my question. That's clearly the  
21 same basin?

22 A. Right. But from a geo risking standpoint,  
23 high rate flows within the near surface are expected  
24 to be within the Castile where we do get those  
25 deformations. Now, in the Salado, we don't really

1 see too many of them. And out of those 22 examples  
2 there's really only one example, and that was the  
3 Anderson. And as was mentioned previously, that  
4 well may have been drilled. It was in the middle of  
5 four other wells that were offsetting up to 300 feet  
6 away.

7 But when you look at the actual mud weights  
8 of those wells, the mud weight on that Anderson that  
9 took the flood was at 9.7-pounds-per-gallon. All  
10 the adjacent wells, when they went through that same  
11 section previous to that were at a higher -- half a  
12 pound to a pound higher mud weight and so it may be  
13 that that was just an under balance for that  
14 section.

15 Q. We just don't know, do we?

16 A. And additionally, that flow, within that  
17 well and that Salado, wasn't near on the scale of  
18 the flow that we took with a 16-pounds-per-gallon  
19 mud that we encountered on our North Thistle Well.

20 Q. So would you agree with me that there are  
21 instances of isolated water pockets within the  
22 Salado zone?

23 A. Associated with the H2S, yes.

24 Q. Okay. And if there are some that are not  
25 associated with H2S?

1           A.    If they're free flowing through anhydrites  
2   it's possible but not with the pressures that were  
3   encountered.

4           MR. FELDEWERT:  Okay.  I think that's all  
5   the questions I have.

6           MR. EXAMINER:  Very good.

7           Do you wish to redirect?

8           MR. BRUCE:  Just briefly.

9                       REDIRECT EXAMINATION

10   BY MR. BRUCE:

11           Q.    On your Exhibit F, the data is from 2004,  
12   correct?

13           A.    Correct.

14           Q.    And since then millions of barrels of  
15   additional water has been injected into the --

16           A.    Correct.  There's been another 12 years of  
17   injection.

18           MR. BRUCE:  Thank you.  That's it.

19           MR. EXAMINER:  Mr. Brooks?

20           MR. BROOKS:  No questions.

21           MR. EXAMINER:  I have no questions for this  
22   witness.

23                    Let's go ahead and take a break.  We'll let  
24   you be the final witness for Mr. Bruce, and let's do  
25   about 15 minutes.  Be back here at 20 of.

1 [Recess taken from 2:23 PM to 2:38 PM.]

2 MR. EXAMINER: All right, folks, we're back  
3 on the record.

4 You are on your final witness, I believe?

5 MR. BRUCE: Yes, sir.

6 MR. EXAMINER: Very good. Proceed, please.

7 CHRISTOPHER BROUGHTON

8 after having been first duly sworn under oath,  
9 was questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Would you please state your name and city  
13 of residence.

14 A. Chris Broughton. I live in Oklahoma City,  
15 Oklahoma.

16 Q. Who do you work for and in what capacity?

17 A. I work for Devon Energy as a reservoir  
18 engineer.

19 Q. Have you previously testified before the  
20 Division?

21 A. No.

22 Q. Would you please summarize your educational  
23 and employment background?

24 A. I graduated with a bachelor's of science in  
25 mechanical engineering from Georgia Tech. I worked

1 at Exxon Mobile for three years on various U.S.  
2 onshore and offshore Gulf of Mexico properties.  
3 Over the next two years I worked for Devon as a  
4 reservoir engineer in the Delaware Basin.

5 Q. Does your area of responsibility at Devon  
6 include this portion of Southeast New Mexico?

7 A. Yes.

8 Q. And are you familiar with reservoir  
9 engineering matters regarding this application?

10 A. Yes.

11 MR. BRUCE: Mr. Examiner, I'd tender  
12 Mr. Broughton as an expert petroleum reservoir  
13 engineer.

14 MR. EXAMINER: Mr. Feldewert?

15 MR. FELDEWERT: No objection.

16 MR. EXAMINER: Yes, he is so qualified, and  
17 proceed, please.

18 Q. (By Mr. Bruce) Well, Mr. Broughton, let's  
19 start off with -- and I think you reference their  
20 Exhibit 29?

21 A. Yes.

22 Q. Can you refer to the -- I mean OXY's  
23 Exhibit 29.

24 A. That's all right.

25 Q. Could you refer to that and discuss your

1 opinions regarding the matters set forth in this.

2 A. Well, it looks like it's a typed log, and I  
3 see at the bottom of the log a reference to  
4 impermeable strata.

5 Q. Yes, sir.

6 A. And from what I'm inferring from this --  
7 from this exhibit is the fact that, you know, flow  
8 couldn't exist beyond this impermeable strata. And  
9 I'd really just like to point out the fact that we  
10 see the same signature for our Second Bone Spring  
11 formation on our acreage. It's about 4 to 500 foot  
12 thick. And we see, you know, these same streaks  
13 occurring in that reservoir.

14 We typically target the lower Second Bone  
15 Spring, and we've actually started to try to infill  
16 this reservoir to understand, you know, the  
17 economics better. And we found that through DFIT  
18 analysis and also the infill well itself that there  
19 is communication above and below these -- these  
20 limestone streaks. So this suggests even though  
21 these streaks are present that communication can  
22 still exist.

23 I'd also like to point out the fact that  
24 the -- OXY's saltwater disposal well was fracked.  
25 And, you know, I'd like to preface with the fact



1 that I don't have any visibility into internal  
2 evaluation by OXY, but I haven't seen, myself, any  
3 indication that that frac did not penetrate these  
4 impermeable strata that are mentioned.

5 Q. Okay. And then let's just move on, and I  
6 think you can be fairly summary. What is Exhibit H  
7 and what are you trying to show there?

8 A. So the first log just shows the future  
9 development potential for this section. As you see  
10 with that blue dot in the -- that little bottom left  
11 corner, we've already drilled the North Thistle 34  
12 State 1H. In addition to that well, we have about  
13 20 total wells planned for this section. These  
14 wells target anywhere from the Avalon to the first  
15 Bone Spring to the second Bone Spring intervals,  
16 which competitors and/or Devon have -- have proven  
17 up.

18 So over these 20 wells we're expecting  
19 about 8.7 million barrels of oil equivalent. After  
20 about a 19 percent NRIs taken by the state, we're  
21 left with about 81 percent NRI for Devon in addition  
22 to these 20 wells that are mentioned, and there's  
23 also upside potential in the upper Second Bone  
24 Spring as well as the Wolfcamp. Of particular  
25 notice, the Wolfcamp, as you can see from this

1 diagram, it's typically over 1,000 foot thick so  
2 there's opportunity for multiple land influence in  
3 Wolfcamp which could significantly increase the well  
4 count and reserves estimates.

5 Q. Okay. Could you move to page 2 of this  
6 exhibit?

7 A. Sure. So I'll be brief with this page.  
8 I'd really just like to call your attention to the  
9 top left plot, which plots incremental EUR per well  
10 as well as incremental total EUR for the entire  
11 section, and that blue curve just illustrates the  
12 fact that as we increase the density for our wells  
13 that EUR per well goes down because of acceleration  
14 issues.

15 However, there's a capture component as  
16 well, so these additional wells actually recover in  
17 incremental reserves as well. And so on a total of  
18 section basis we actually increase the reserves as  
19 we increase the well density.

20 Q. And when you're looking at this, this is  
21 simply the Second Bone Spring?

22 A. That's correct. Yeah, so through some, you  
23 know, economic analysis basically what we've  
24 determined is six wells per section is optimal.  
25 However, if commodity prices improve then that six

1 wells per section number could actually increase and  
2 we could be talking about, you know, even more wells  
3 and reserves that we could develop here.

4 Q. Page 3.

5 A. A similar story for the Avalon reservoir.  
6 On the top left plot we have incremental UR per well  
7 and total EUR. And basically, you know, EUR per  
8 well goes down as we drill more wells. But on a  
9 total section basis we recover, you know, more EUR  
10 as the number of wells increase.

11 For the Avalon, I have a five well per  
12 section density based on the economic evaluation.  
13 And, again, you know, if prices recover and increase  
14 the reserves then well count estimates could  
15 increase.

16 Q. And your economics for this exhibit are  
17 based on current economics; is that correct?

18 A. That's right. It's based off a flat,  
19 basically a flat pricing, which is pretty low.

20 Q. Okay. And, again, when you're talking  
21 about wells you're just looking at, for these  
22 exhibits, simply section 34?

23 A. That's right. That's right.

24 Q. Okay. And finally page 4.

25 A. Page 4 just illustrates the fact that there

1 is potential in the First Bone Spring interval.  
2 This interval is relatively new in this area, but  
3 three or four miles away we actually drilled an  
4 appraisal well for this zone. And you could see the  
5 production indicating that, you know, we do have the  
6 presence of hydrocarbons in the First Bone Spring.

7 Q. And so, in short, you're not just looking  
8 at when it comes to safety issues, et cetera, you're  
9 not just looking at a couple of wells that might  
10 have problems. You're looking at a couple dozen  
11 wells?

12 A. That's right. You know, at least 20 wells,  
13 and with the upside potential and, you know,  
14 increased density due to pricing, you know, we could  
15 be looking at 30 to 40 wells.

16 Q. And was Exhibit H prepared by you?

17 A. Yes.

18 Q. And in your opinion, does the granting of  
19 Devon's application in the interest of conservation  
20 and the prevention of waste?

21 A. Yes.

22 MR. BRUCE: Mr. Examiner, I'd move the  
23 admission of Exhibit H.

24 MR. FELDEWERT: No objection.

25 MR. EXAMINER: Exhibit H is so entered.

1                   Your cross.

2                   CROSS-EXAMINATION

3       BY MR. FELDEWERT:

4           Q.     Mr. Broughton, are you there on Exhibit 29?

5           A.     Yes.

6           Q.     Do you see the blue bars with the  
7       impermeable strata?

8           A.     Yes.

9           Q.     That's put together by the geologist,  
10       right?

11          A.     I -- I -- yeah.

12          Q.     You're not a geologist?

13          A.     No, I am not.

14          Q.     Okay. And those are above the injection  
15       intervals; is that correct?

16          A.     Yes.

17          Q.     Now, you are a reservoir engineer. Are you  
18       familiar with radioactive tracer surveys?

19          A.     Not as familiar as some of the other  
20       witnesses.

21          Q.     Did you review Devon's results from their  
22       radioactive tracer surveys?

23          A.     Briefly.

24          Q.     And were you aware that they showed that  
25       the water was migrating -- not channeling upwards

1 but would be migrating outward or downward?

2 A. Not specifically, no.

3 Q. You're not aware of that result?

4 A. No.

5 MR. FELDEWERT: Okay. That's all the  
6 questions I have.

7 MR. EXAMINER: Very good.

8 MR. BROOKS: No questions.

9 MR. EXAMINER: And I have no questions for  
10 you. Thank you.

11 MR. BRUCE: The only thing I have left,  
12 Mr. Examiner, is I have four witnesses, other than  
13 Mr. Schwegal and Mr. Hathcock, who could get on a  
14 plane to go home, and I'd ask that they be excused  
15 so they can flee the premises.

16 MR. EXAMINER: You don't want to use them  
17 anymore?

18 MR. BRUCE: I'm retaining two.

19 MR. EXAMINER: Okay. If it's such and you  
20 feel that you have no interest in these folks  
21 testifying further then by all means you may release  
22 and go home and enjoy.

23 MR. BROOKS: I'm assuming you have no  
24 objection, Mr. Feldewert, since you didn't say?

25 MR. FELDEWERT: I have no objection.

1 MR. EXAMINER: Well, he'd already asked  
2 them all the questions he's going to ask them.

3 MR. FELDEWERT: That's all I got.

4 MR. EXAMINER: But, yes, there's no  
5 objections from your part. Let's go ahead and get  
6 these folks on the road.

7 MR. BRUCE: Thank you, sir.

8 MR. EXAMINER: You're welcome.

9 So Mr. Bruce is done.

10 MR. BRUCE: Oh, but one final thing. It's  
11 minor. Exhibit I is my notice of affidavit  
12 regarding notice of the original hearing to OXY.  
13 I'd ask that that be admitted as part of the record.

14 MR. EXAMINER: Exhibit I is so accepted  
15 into the record.

16 [Recess taken from 2:49 PM to 2:50 PM.]

17 MR. EXAMINER: All right. We're back on  
18 the record.

19 Proceed, Mr. Feldewert.

20 THOMAS CLIFFORD  
21 after having been first duly sworn under oath,  
22 was questioned and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. FELDEWERT:

25 Q. Would you please state your name, identify

1 by whom you're employed, and in what capacity.

2 A. Yeah, my name is Thomas Clifford. I'm  
3 employed by OXY Petroleum Corporation, and I am  
4 currently the production authorization lead for  
5 New Mexico RMT.

6 Q. And do you have a degree within petroleum  
7 engineering?

8 A. Yes.

9 Q. And how long have you been working as a  
10 petroleum engineer?

11 A. Five and a half years.

12 Q. Do your responsibilities include a review  
13 of design and construction of injection wells?

14 A. Yes.

15 Q. And have you previously testified before  
16 this Division as an expert in the petroleum  
17 engineering?

18 A. I have, yes.

19 Q. Are you familiar with the history of OXY's  
20 disposal well at issue here?

21 A. Yes.

22 Q. And have you done an analysis of Devon's  
23 allegations and theorys concerning that disposal  
24 well?

25 A. Yes.



1 MR. FELDEWERT: I would tender Mr. Clifford  
2 as an expert in petroleum engineering.

3 MR. EXAMINER: Mr. Bruce?

4 MR. BRUCE: No objection.

5 MR. EXAMINER: The witness is so qualified.

6 Q. (By Mr. Feldewert) I think we can breeze  
7 through, Mr. Clifford, a number of these initial  
8 exhibits. OXY Exhibit 1 has an area map that shows  
9 the distance between the wells we've been talking  
10 about here; is that correct?

11 A. Yes.

12 Q. And is OXY Exhibit 2 a current diagram of  
13 the disposal well?

14 A. Yes.

15 Q. And it shows the current perforations?

16 A. Yes.

17 Q. And it shows that our current perforations  
18 are at least 170 feet below the top cement, correct?

19 A. Yes, that's correct.

20 Q. And when did OXY take over operations of  
21 this well?

22 A. In March of 2008.

23 Q. Okay. And if we turn to what's been marked  
24 as OXY Exhibit Number 3, does this reflect the more  
25 recent mechanical integrity test on the well?

1 A. Yes, all four of them.

2 Q. Two of these were operated or conducted  
3 when Pogo was operating the well?

4 A. Yes, that's correct.

5 Q. And two of these when OXY was the operator?

6 A. Yes.

7 Q. And then behind them is the results of each  
8 of these mechanical integrity tests; is that  
9 correct?

10 A. Yes, that's correct.

11 Q. And at least -- in each of these cases they  
12 were either witnessed by the Division or they  
13 were -- the Division was notified of these tests; is  
14 that correct?

15 A. Yes.

16 Q. As indicated by the records?

17 A. Yes.

18 Q. Okay. And have any of these reflected any  
19 kind of casing integrity issue?

20 A. No. After reviewing all four of these,  
21 there has never been an issue.

22 Q. And the most recent one was actually done  
23 in October of 2015 after Devon reported their  
24 incident, correct?

25 A. Yes.

1 Q. And that particular test was actually  
2 witnessed by the Division; isn't that true?

3 A. Yes, it was witnessed by Mr. Bill  
4 Sonnamaker.

5 Q. And there was no issues with respect to the  
6 integrity of the wellbore?

7 A. No.

8 Q. Then in addition to doing the mechanical  
9 integrity tests, did Mr. Bill Sonnamaker then also  
10 witness a Bradenhead test?

11 A. Yes.

12 Q. And is that reflected in OXY's Exhibit  
13 Number 4?

14 A. Yes, it is.

15 Q. And, again, did that reveal any issues?

16 A. No issues.

17 Q. And did that test the intermediate casing?

18 A. Yes, I believe so. I believe it tested the  
19 intermediate casing, and you can see some numbers on  
20 the -- or I have a table of production casing  
21 showing zero pressure, which would also be tied in  
22 with the mechanical integrity tests run the same  
23 day.

24 Q. Okay. And that would be the purpose of  
25 doing the test at that point after Devon had

1 reported their incident, right?

2 A. Yes.

3 Q. Okay. Then after these Bradenhead and MIT  
4 tests, did the company install pressure monitors on  
5 the intermediate casing?

6 A. Yes, we did.

7 Q. If I turn to what's been marked as OXY  
8 Exhibit 5, is that a current picture of the  
9 condition of the disposal well?

10 A. Yes.

11 Q. Would you just briefly run -- explain to us  
12 what is shown here?

13 A. Yeah, so the photo on the bottom left shows  
14 the current surface location for the Diamond 34  
15 State SWD Number 1. The next picture over in the  
16 center is the surface pressure gauge at the surface.  
17 It's not a transducer but it's a clock gauge. This  
18 is where we monitor and report in our well tests the  
19 injection pressure at the wellhead.

20 The two photos on the right show the two  
21 Bradenhead pressure gauges that we've been, since  
22 October, monitoring to make sure we have zero PSI at  
23 all times on our intermediate brushing casing  
24 Bradenhead.

25 Q. And in your opinion, does the installation

1 of these gauges on the intermediate casing on the  
2 annulus provide a thorough monitoring of that  
3 particular aspect of the wellbore?

4 A. Yes, because you've got a low top cement,  
5 you've got an open annulus all the way up that goes  
6 beyond the intermediate casing shoe. And if you  
7 have pressure coming up above the top of cement you  
8 would see similar pressures to what Devon  
9 experienced while they were drilling at 1820 feet on  
10 these Bradenhead pressure gauges. However, we had  
11 seen zero PSI on all instances on these two gauges.

12 Q. Zero?

13 A. Zero.

14 Q. Okay. And if I turn to what's been marked  
15 as Devon Exhibit Number 6, is this document, at  
16 least up through November, the readings on those two  
17 monitoring devices?

18 A. Yes.

19 Q. And is that -- are those readings reflected  
20 in the middle columns, Bradenhead Number 1 and  
21 Bradenhead Number 2?

22 A. Yes. Bradenhead Number 1 was the first  
23 pressure gauge we installed. On October 31st we  
24 installed a redundant pressure gauge to make sure  
25 the first one was working adequately, make sure

1 we're in conformance, in compliance. And, yes,  
2 these are all measurements we took on a daily basis  
3 over the course of about a month or so.

4 Q. Okay. And referencing -- you've been here  
5 for the testimony here today, correct?

6 A. Yes.

7 Q. You've seen Mr. Hathcock's migration slide  
8 that he put together?

9 A. Yes.

10 Q. What he calls his potential migration  
11 slide?

12 A. Yes.

13 Q. If indeed the -- any water was moving up  
14 either outside or inside the intermediate casing,  
15 would these pressure readings be zero?

16 A. No. You would see it -- in some way,  
17 shape, or form you would see pressure on the  
18 Bradenhead because in order for the fluid to get  
19 from the injection perforations to the outside or  
20 inside of the intermediate casing, you'd have to get  
21 past the annulus which exists above the top of  
22 cement on the outside of the production casing. So  
23 in some way, shape, or form you would see pressure  
24 on these Bradenheads.

25 Q. And in your opinion as an expert, do these

1 gauges and the readings that have been reflected on  
2 these gauges confirm that water is not migrating in  
3 or around the intermediate casing?

4 A. Yes.

5 Q. Did OXY also then take an additional step  
6 and test the intermediate casing while the well was  
7 injected?

8 A. Yes, we did.

9 Q. And is that reflected in what's been marked  
10 as OXY Exhibit Number 7?

11 A. Yes.

12 Q. Would you please explain what was done?

13 A. Yeah, so the photo here on the right shows  
14 the same photos on the previous exhibit. You've got  
15 your two pressure gauges, however, we removed the  
16 pressure gauge at item number D and put a Barton  
17 recorder on there to chart the Bradenhead because  
18 it's easier to show a chart of data versus just a  
19 bunch of photos showing zero PSI.

20 So we installed a Barton recorder on the --  
21 on one of the intermediate casing head inlets and  
22 charted a 20-minute test while we were injecting  
23 down the tubing to show that we have zero PSI during  
24 a test.

25 Q. And in your opinion, does this further

1 confirm that even when you are -- when the well is  
2 fully functional and injecting that there is no  
3 water movement in or around the intermediate casing?

4 A. Yes.

5 Q. OXY also did some temperature surveys on  
6 this well, did they not?

7 A. Yes, we did.

8 Q. Okay. And was that done at the request of  
9 Devon?

10 A. Yes. There was some talks in September  
11 about running some temperature surveys and so OXY  
12 ran a couple temperature surveys and then  
13 subsequently ran some more later on.

14 Q. Okay. And if I turn to what's been marked  
15 as OXY Exhibit Number 8, does that identify the  
16 temperature surveys in a period of time in which  
17 they were conducted in this particular disposal  
18 well?

19 A. Yes, these are the -- each of these show  
20 the different suites of temperature surveys we ran  
21 in 2015.

22 Q. And if I look at Mr. Hathcock's exhibit,  
23 let's go to -- so keep this out, and I want to go  
24 what was marked as Devon's Exhibit D-1. And  
25 Mr. Hathcock actually charted the results of that



1 survey, do you recall that?

2 A. I'm sorry?

3 Q. Mr. Hathcock charted the results of this  
4 survey?

5 A. Yes.

6 Q. And that's reflected in D-1?

7 A. Yes, in D-1 this is the 25-day shut-in  
8 temperature survey which overlays their -- their  
9 temperature gradient from their baseline fiberoptic  
10 log. This is -- here references temperature survey  
11 number one on OXY Exhibit Number 8.

12 Q. And what generally do you observe about the  
13 temperature gradient above the zone of injection?

14 A. It's almost -- it overlays almost exactly  
15 the same temperature gradient as what you see in  
16 Devon's base -- or baseline log located six miles to  
17 the south of where we're at.

18 Q. And he notes three gradient changes on  
19 here, do you see that?

20 A. Yes.

21 Q. In your opinion, are those significant  
22 changes?

23 A. They're on the order of less than a tenth,  
24 a 20 -- or a tenth or a fifth of a degree  
25 Fahrenheit. They're very small, very insignificant,

1 and they don't appear to be connected. You get  
2 instances where you get a little slight deviation to  
3 the left or cooler geothermal gradient for a couple  
4 hundred feet and then it goes back to the normal  
5 geothermal gradient on each instance. So, no, I  
6 don't think they're very significant here.

7 Q. If, as Devon suggested, water was traveling  
8 up the -- in or around the casing or up the wellbore  
9 somehow, would this chart show a consistent  
10 departure from their gradient line?

11 A. Yes, I would imagine so because if you look  
12 at the very bottom of Exhibit D-1, you see the blue  
13 temperature at the injection zone as very cool. So  
14 you'd see a cooling effect all the way up the  
15 wellbore to the highest point of water injection or  
16 water travel which would be somewhere higher than  
17 the injection zone. However, here it pretty closely  
18 mimics the exact same temperature gradient as what  
19 you see in a Devon-based land log from six miles  
20 south.

21 Q. In fact, there's absolutely no gradient  
22 change between, what, about 3,000 feet and 1800 feet  
23 where they had their water encounter?

24 A. Correct.

25 Q. If I then go to Mr. Hathcock's

1 Exhibit D-2 -- actually before we go to that I want  
2 to ask you a question about D-4.

3 A. D-4?

4 Q. Uh-huh.

5 A. Yeah.

6 Q. You were here for the testimony?

7 A. Yes, sir.

8 Q. And do you see how the water movement that  
9 goes to the right and to the left of what they call  
10 their normal gradient line?

11 A. Yes.

12 Q. Could that occur if you were actually  
13 having water moving out of the injection zone and up  
14 the wellbore as they suggest?

15 A. If it was consistently cooler than the  
16 geothermal gradient you could say possibly water --  
17 you've got water seepage, maybe not at a high rate.  
18 Your temperature change is also -- you know, it's  
19 impacted by rates. If you've got a large amount of  
20 cool water coming up the wellbore, maybe you'd see a  
21 huge inflection to the left of the geothermal  
22 gradient.

23 But as we see from the purple log, the red  
24 log, and the orange log at the very bottom of this  
25 chart you've got a much cooler temperature in all

1 three of these instances within the injection zone  
2 than you do up above the injection zone above the  
3 line where it says permitted time for the water to  
4 get hotter than the geothermal gradient above the  
5 geothermal -- or permitted top. It doesn't make  
6 sense that you've got cold water moving up the  
7 wellbore.

8 Q. Now, I want to focus then on his -- what he  
9 marked on Devon's Exhibit D-2 as the areas of the  
10 three gradient changes. Okay?

11 A. Uh-huh.

12 Q. At approximately what depths did each of  
13 these gradient changes occur?

14 A. The first change is approximately  
15 3500 feet, the second change is at approximately  
16 4300, and the third change is approximately 4800  
17 feet.

18 Q. And as more clearly reflected here, do they  
19 always go back to the normal gradient line?

20 A. Yes, in every instance they -- in between  
21 all three of those they go back to the normal  
22 geothermal gradient so that tells us that they're  
23 probably most likely not connected at whatever they  
24 are.

25 Q. And did you examine the lithology of the

1 Devon wellbore where these slight gradient changes  
2 occurred?

3 A. Not the Devon wellbore, but in OXY's  
4 wellbore, yes.

5 Q. I'm sorry. Thank you. The OXY wellbore.

6 All right. And if I turn to what's been  
7 marked as OXY Exhibit Number 9, is this the start of  
8 your examination of those three gradient changes  
9 reflected in Exhibit D-2?

10 A. Yes. So the red starts at the top -- well,  
11 first off, all the squiggly lines on here are each  
12 independent temperature surveys we ran. The blue  
13 lines are all the shut-in or baseline temperature  
14 surveys shut in either at one day or one hour,  
15 25-day shut-in period. The two lines on the far  
16 left represent the injection profiles we ran.

17 In the bottom X-axis you see the  
18 temperature increasing from 70 degrees to  
19 98 degrees. What we want to key in on here is the  
20 colored stars. So the red stars at the top are  
21 indicating the first gradient change that  
22 Mr. Hathcock points out at 3500 feet. The green  
23 stars across each independent temperature survey  
24 represent the gradient change Mr. Hathcock points  
25 out at a depth of 4300 feet.

1           And then at 4800 feet, approximately, you  
2   see another group of yellow stars, and these are the  
3   third gradient changes that Mr. Hathcock points out  
4   in his exhibits.

5           Q.   And you see slight changes at these  
6   locations, correct?

7           A.   Yes, in every instance you either get a  
8   shift to the right or the left of the typical  
9   gradient curve showing some kind of anomaly  
10   happening at each of these things, and it's  
11   inconsistent. It's either hotter than the rock  
12   temperature or it's cooler than the rock temperature  
13   so it's something we looked into to try and  
14   determine if there was some correlation between this  
15   and lithology.

16          Q.   Okay. So then if I turn to what's been  
17   marked as OXY Exhibit Number 10, does this explain  
18   the correlation that you found?

19          A.   Yes.

20          Q.   Would you walk us through this exhibit?

21          A.   Yes. So I apologize, it's a pretty busy  
22   slide, but if you look at the plot on the -- or the  
23   chart on the left, you'll see -- on the far left  
24   side you see each of the three casing strings that  
25   OXY has in the Diamond 34 State SWD. The next curve

1 over is the red curve which it indicates the  
2 drilling speed. It's an aggregate drill speed we  
3 obtained from the drilling records.

4 The next curve is the blue curve which  
5 indicates the 25-day shut-in curve or temperature  
6 survey. That has been shown on previous exhibits.  
7 And then it's kind of hard to see, but behind these  
8 red circles you see the dotted line which is the  
9 baseline log that Devon provided on their well  
10 Thistle Unit Number 6.

11 The colored boxes that go across the entire  
12 plot are the lithology reports from the drilling  
13 records back in '97 when Pogo drilled this well.  
14 What we're keying in on here is that I guess if you  
15 look first at the three red boxes or squares, these  
16 are three -- or circles, I mean. These are the  
17 circles that were pointed out by Mr. Hathcock as  
18 having a significant or, yeah, a gradient change, a  
19 temperature change.

20 If you correlate these, or if you try to  
21 correspond with these to the drilling speed, you'll  
22 notice the blue circles show the three slowest drill  
23 speeds while drilling this wellbore. If you look at  
24 the lithology, which are the colored boxes in the  
25 background you'll see in every instance there was

1 change in lithology from salt to salt anhydrite,  
2 salt to anhydrite, or salt and anhydrite to  
3 anhydrite indicating that there's some kind of a  
4 lithological change going on here.

5 If you look to the right you've got three  
6 kind of photos of the -- these are case toll  
7 gamma ray logs and case toll neutron porosity logs.  
8 In each of these instances where you've got a  
9 gradient change within a couple of feet they match  
10 dead on to where you see a gradient change on the  
11 temperature surveys. So to us, we understand this  
12 is some kind of indication that there is a  
13 corresponding or correlation between the lithology,  
14 the lithology changing to the temperature survey  
15 changing or gradient changes.

16 Q. So with respect to the gradient changes  
17 that Mr. Hathcock shows on Exhibit D-2, in your  
18 opinion, do they relate to areas where the lithology  
19 has changed as you're moving down the wellbore?

20 A. Yes, absolutely.

21 Q. And when you take a look at the temperature  
22 surveys that the company did at the request of  
23 Devon, when you take a look at the Bradenhead tests  
24 that the company has conducted, and you look at the  
25 MIT tests that the company did, all after the Devon



1 incident, do any of those tests indicate any  
2 migration of water out of the disposal zone up  
3 through the wellbore?

4 A. No, absolutely not. I mean, if you look at  
5 the Bradenhead tests that were approved by the  
6 NMOCD, if you look at the mechanical integrity  
7 tests, also approved by the NMOCD, all the  
8 temperature surveys that OXY ran, and at the  
9 other -- on top of that we monitored the Bradenhead  
10 ourselves internally, each of these points that  
11 there's no issue with confinement within the  
12 injection zone.

13 Q. Okay. Now, in addition to all these tests,  
14 did the company take an extra step and perform a  
15 radioactive tracer survey on the disposal zone?

16 A. Yes.

17 Q. And when did that take place?

18 A. December 17th and December 18th.

19 Q. These are after the temperature surveys?

20 A. Yes.

21 Q. And why was this done, why did you do it?

22 A. Radioactive temperature survey -- or tracer  
23 surveys are the -- probably the most definitive tool  
24 to figure out if you've got fluid migration behind  
25 the -- behind the pipe, behind the casing, or

1 through the cement. There's been a lot of  
2 publications about it and we wanted to go confirm  
3 our temperature surveys and some of these deviations  
4 we saw, so that's why we went and ran some  
5 radioactive tracer surveys to go confirm that we  
6 have no channeling up behind the casing.

7 Q. And if I turn to what's been marked as OXY  
8 Exhibit Number 11, is this an e-mail from  
9 Mr. Hathcock to others within Devon?

10 A. Yes.

11 Q. And have you reviewed this e-mail  
12 previously?

13 A. Yes.

14 Q. And Mr. Hathcock says that another  
15 alternative is a radioactive tracer log. Do you see  
16 that?

17 A. Yes.

18 Q. Is that what you did?

19 A. Yes.

20 Q. And then he says: "This is what I have  
21 used in my past to prove to the State (LA & Texas)  
22 that we were injecting in our permitted zone."

23 Do you agree with Mr. Hathcock that this  
24 type of test is a definitive means of demonstrating  
25 to regulatory agencies that you're injecting within

1 your permitted zone?

2 A. Yes, I have to agree there. OXY is in the  
3 business of water flooding, TOR or CO2 flooding. We  
4 perform about a thousand of these tests per year.  
5 In 2015, I think we logged a thousand tests with  
6 Renegade Waterline. And just part of our job every  
7 day is reviewing radioactive temperature -- or  
8 tracer surveys and temperature surveys. So, yes, I  
9 agree with this.

10 Q. Okay. With that said, then let's turn to  
11 what's been marked as OXY Exhibit Number 12. And  
12 would you please explain to the Examiner, using this  
13 exhibit, what was done over this two-day period.

14 A. Yeah, so this is the log, and with  
15 timestamps of when we pumped our radioactive tracer.  
16 The count here is megacuries. It's a measurement of  
17 radioactivity. What we did, we started with some  
18 slug flow, slug tests to figure out the flow rate  
19 calculations and figure out zonal -- or how much  
20 injection was going into each zone. These are the  
21 first portions of the test.

22 Then we ran some other velocity shots and  
23 channel checks to figure out in different distinct  
24 portions of the wellbore if you ever see radioactive  
25 material exiting the wellbore and coming back up

1 past the tool itself. We ran six of these channel  
2 check or packer checks.

3 Q. And it looks like it was done over a  
4 two-day period of time?

5 A. Yes.

6 Q. Okay. Do you recall how much material was  
7 eventually utilized as part of your radioactive  
8 tracer survey?

9 A. Yeah, it was 39.25 megacuries of  
10 radioactive material.

11 Q. Is that a pretty good amount to get an  
12 accurate reading?

13 A. Yes, it's sufficient. A lot of the channel  
14 checks themselves or packer checks, we ran -- you  
15 run two to five or six megacuries of material. So  
16 at the point that we finished the test we had pumped  
17 39.25, which would appear to be an adequate amount  
18 of radioactive material.

19 Q. And then if I turn to what's been marked as  
20 OXY Exhibit Number 13, does this give kind of an  
21 overview of the overall results of what you saw from  
22 your radioactive tracer survey?

23 A. Yes, it does.

24 Q. Okay. And what was the results? What's  
25 the highlights?

1           A.    So the highlights here, basically what  
2   the -- as you can see on the wellbore diagram on the  
3   left, you've got a yellow square around the region  
4   that this H2O composite log is showing. The top of  
5   the log indicates the top of the Bell Canyon or top  
6   of the permitted injection interval.

7                   The bottom shows, as far down as we went  
8   before tagging fill in our own wellbore while they  
9   were running these logs. If you look at the logs,  
10   at the very bottom you'll see blue bars and green  
11   bars. This indicates that the places where you've  
12   got all of your radioactive material exiting the  
13   wellbore, we determined this while doing our rate  
14   calculations and our slug flow tests initially.

15                  This shows that virtually 99 percent or  
16   virtually all of our fluid that we inject was  
17   exiting the wellbore at 5520 feet to 5576, which is  
18   where we tagged fill. If you look on the right-hand  
19   side of the H2O composite log you'll see three  
20   points, point A, B, and C, which are different  
21   reference points for our temperature survey that we  
22   ran two days prior on December 16th.

23                  The red curve and the blue curve on this  
24   right-hand side also indicate the injection profile  
25   or temperature surveys we ran a day or two prior to

1 this radioactive tracer test.

2 Q. And what do you observe on the differences  
3 in temperature between, for example, C, B, and A?

4 A. So point C is where basically this is the  
5 largest portion of where we're taking our injection  
6 fluid. As indicated by the radioactive tracer, the  
7 blue bars, as you see just a little bit to the left  
8 of where it says number C or letter C, C is the  
9 lowest temperature. It was 83.8 degrees Fahrenheit.

10 As you move up the wellbore, which is the  
11 reverse of geothermal, you start warming, which  
12 indicates you're getting less and less fluid moving  
13 up the wellbore -- or less and less induced fluid  
14 that you introduce via water injection as you move  
15 up the wellbore. You see the inflection point where  
16 you stop increasing with depth and start going to  
17 cooling with depth, which is geothermal gradient at  
18 point A, which is at a depth of 5,254 feet. We  
19 believe somewhere below A, above B, is where the top  
20 of our actual injection is going into the Bell  
21 Canyon and permitted injection interval.

22 Q. What do you gain or what do you see, given  
23 the fact that point A is warmer than points B and C,  
24 what does that tell you?

25 A. That tells me that's your -- probably your

1 geothermal gradient at that depth. If there's any  
2 cooling, maybe it's through conduction through the  
3 rock itself. But the fact that you see a pretty  
4 distinct inflection point there and it goes to the  
5 cooling upward versus warming upward, that tells me  
6 there's no fluid moving up past that point.

7 Q. And B and C are down where the active perms  
8 are; is that right?

9 A. Yes, B and C are both -- if you can see an  
10 H2O composite log you can see in the very center  
11 there's a little diagram showing the tubing and the  
12 packer there. B and C are both within the improved  
13 injection zone and they're below the packer, below  
14 the top cement and below the intermediate casing  
15 shoe.

16 Q. Does this indicate to you that any of the  
17 injected fluid is migrating upward?

18 A. No.

19 Q. Now, I want to briefly go through each of  
20 the channel checks that was done. It was done over  
21 a two-day period of time, correct?

22 A. Yes.

23 Q. And we would start then with Exhibit Number  
24 14. Is that the first check that was done?

25 A. Yes.

1 Q. And then there's a number -- series of  
2 exhibits after this, correct?

3 A. Yes.

4 Q. Okay. So let's get a handle on how these  
5 were put together. Can you please explain to us  
6 what you show on here, starting with the left and  
7 then moving to the right?

8 A. Yeah, so Exhibit 14 shows the first channel  
9 check that OXY ran at a depth of 5,510 feet. If you  
10 check the wellbore diagram on the left you'll see a  
11 yellow star. This indicates that we were -- this is  
12 the depth we had the two detectors set at during  
13 this channel check test. As you can see there, it  
14 was submerged within the perforations, however, we  
15 set it right above the top of those most active  
16 perforations that are taking 90 percent of the  
17 injected fluid.

18 What we wanted to see here is if we inject  
19 at this depth, we set the packer or set the tool  
20 right above those top perms to take all the fluid.  
21 When we see that material again, which would mean  
22 that it's coming up behind the casing on the  
23 backside. We set the tool at 5,510 feet and held  
24 the tool on the spot for 950 seconds, which is about  
25 15, 16 minutes. At second number 50, we ejected the



1 slug and you see it pass on the bottom. This is the  
2 plot on the right now, the little log.

3 On the bottom you'll see it pass the  
4 shallowest detector, detector number 1. On the top  
5 log you see it pass detector number 2 at 50 to 100  
6 seconds. Beyond here, moving right with time, you  
7 never see any sign of channeling up, meaning you  
8 never see the radioactive tracer show up again.

9 Q. So where is it going?

10 A. It's either going out or it's going down  
11 below the depth of investigation of the tool itself.

12 Q. So below, down or -- or out or below your  
13 active perfs?

14 A. Yes.

15 Q. Then if I turn to what's been marked as OXY  
16 Exhibit 15, is this another survey at a higher  
17 interval?

18 A. Yes.

19 Q. Are you still below the highest perfs?

20 A. Yes, this zone or this channel check we ran  
21 at a depth of 5,400 feet. This is also submerged  
22 within the perforations. This is now up higher than  
23 the previous test. What we did here is held the  
24 tool on this spot or at the same depth for  
25 610 seconds. At second number 75, we ejected the

1 slug. You see it pass the two detectors --

2 Q. Hold on now. When you say ejected the  
3 slug, it means put more material into the -- for  
4 testing?

5 A. Yes, we pump -- we pumped extra material  
6 here than we had done on the previous channel check  
7 as well as all the previous rate calculation checks  
8 where we had already pumped a pretty good amount of  
9 radioactive tracer at this point.

10 And then, so moving to the right on the  
11 scale, on the plot to the right or log to the right,  
12 you see the radioactive slug pass the detectors at  
13 second number 75 to second 100. And from there on  
14 out to the right you never see any sign of  
15 radioactive material again, meaning that there's no  
16 channeling up once again.

17 Q. Okay. Exhibit Number 16, where are we now  
18 with respect to the wellbore?

19 A. So Exhibit Number 16 shows a packer check,  
20 which is the same as the channel check but it's set  
21 in the packer or right above the packer. We set  
22 the -- if you look at the wellbore diagram on the  
23 left, the yellow star indicates that we are setting  
24 right above the packer itself. If you look at the  
25 log to the right, we held the -- or we held the tool

1 on depth for 535 seconds, which is about  
2 7-and-a-half minutes, ejected a slug of fluid or RA  
3 material. And over the course of 450 seconds or  
4 7.5 minutes, never saw any sign of this RA material  
5 or any of the previously pumped RA material during  
6 the course of this test, which also indicates there  
7 was no sign of channelling up at this point.

8 Q. And then if I go to OXY Exhibit 17, where  
9 are we now? Where is the tool now, exactly?

10 A. So Exhibit Number 17, this was a channel  
11 check run at the intermediate casing shoe, which,  
12 based on previous witnesses, seems to be a big point  
13 of interest in this hearing.

14 Q. So let's stop right there. So let's go to  
15 Devon Exhibit D-5. That would be Mr. Hathcock's  
16 Potential Fluid Migration Paths. Do you have that  
17 in front of you?

18 A. Yes, sir.

19 Q. Do you see his little dashed blue arrows  
20 around the casing shoe?

21 A. Yes, to the left of the Diamond State  
22 Wellbore.

23 Q. Okay. With respect to OXY Exhibit 17, now  
24 this is a test right at that general location where  
25 the casing shoe is, correct?

1 A. Yes.

2 Q. Okay. Now, how long had this survey been  
3 going on when you got to this depth? How long have  
4 they been putting material into the zone?

5 A. Approximately three hours.

6 Q. And if there was anything moving out of the  
7 zone and up the wellbore and into the intermediate  
8 casing area, would it show up on this type of test?

9 A. Yes, it would, because at this point that  
10 we ran this channel check at 4830 feet we had  
11 already pumped approximately 16.25 megacuries of  
12 this material over the course of the previous  
13 three-and-a-half hours or three hours. And I  
14 believe that would be adequate time for this to  
15 migrate up the wellbore if they were acting such a  
16 conduit as referenced earlier.

17 Q. Okay. Now, what about the pathway was  
18 somehow away from the wellbore and then moving up  
19 and then somehow went back to the casing shoe as  
20 they seem to be suggesting would be possible. Even  
21 if that was the path, the wellbore path away from  
22 the wellbore, would this test also read any kind of  
23 activity like that?

24 A. Yes, it would indicate any sign of  
25 radioactive material pumped over the previous three

1 hours, whether it was traveling up the wellbore or  
2 out into the formation and coming back to our  
3 wellbore, this would show a sign of -- you would see  
4 the RA material appear again on this test. And this  
5 was a 34-minute test where we held the tool there  
6 for a very long period of time because this was the  
7 biggest zone in question for OXY as well as Devon.

8 Q. And you didn't see anything?

9 A. No.

10 Q. No detection whatsoever?

11 A. No detection.

12 Q. Okay. Then I believe if I move on to OXY  
13 Exhibit 18, and we can move a little more quickly  
14 here. This was a repeat test done the next day,  
15 correct?

16 A. Yes, I believe this was done on  
17 December 18th, the day after.

18 Q. Okay. So this was after the material had  
19 set in the zone for at least, what, 17 hours or  
20 whatever time they came back?

21 A. Yeah, approximately about 17 hours or so.

22 Q. Approximately how much material was in the  
23 zone at that point in time?

24 A. At this point we have 33.25 megacuries of  
25 radioactive material in the zone at this point.

1 Q. Okay. And when they came back the next day  
2 and tested at this particular level of 5.500 feet,  
3 this is, again, right around the perfs?

4 A. Yes.

5 Q. Okay. Any indication of the radioactive  
6 material?

7 A. No. So we injected the slug at  
8 130 seconds, and over the course of the next  
9 810 seconds or 13.5 minutes we never saw any sign of  
10 this RA material or any previously pumped RA  
11 material over the course of the previous 17 hours.

12 Q. And Exhibit 19, is that another recheck  
13 just below the packer the next day?

14 A. Yes.

15 Q. And how long did you sit there and wait to  
16 see any results from the radioactive material  
17 injected on the previous day and then again on that  
18 day?

19 A. So we sat on this at this depth right below  
20 the packers, you can see in the wellbore diagram to  
21 the left, for 38 minutes after we had ejected the  
22 slug of RA material. So at this point we had pumped  
23 39.25 megacuries of RA material over the course of  
24 the previous 18 hours and never saw this RA material  
25 appear again, as you can see from the log on the

1 right.

2 Q. Okay. Now, Mr. Clifford, looking at this  
3 Exhibit D-5, this migration pathway up and around  
4 the intermediate casing, okay, OXY ran an MIT test,  
5 a Bradenhead test, monitored the pressures at the  
6 intermediate casing; is that correct?

7 A. Yes.

8 Q. Did temperature surveys?

9 A. Yes.

10 Q. Did radioactive tracer surveys?

11 A. Yes.

12 Q. In all of those tests, is there any  
13 evidence to support that the fluid is migrating from  
14 the injection zone up the pathways as depicted on  
15 these dashed lines in Mr. Hathcock's D-5 slot?

16 A. No. And neither of the dashed lines have  
17 been demonstrated by the evidence we've presented  
18 here so far here today.

19 Q. Is there any doubt on that point?

20 A. No, absolutely not.

21 Q. Did you also take a look at the condition  
22 of the formation in which you are objecting?

23 A. Yes.

24 Q. And does the water injection history for  
25 OXY's well support a confined environment?

1           A.    Yes, it does, based on permeability  
2   calculations and inject activity index, it appears  
3   that we were injecting into a confined reservoir  
4   system or matrix reservoir system.

5           Q.    And has that confined reservoir system  
6   pressured up over time?

7           A.    Yes.

8           Q.    If I turn to what's been marked as OXY  
9   Exhibit Number 20, does that reflect the increasing  
10   pressurization of the reservoir?

11          A.    Yes, it does.

12          Q.    Would you please explain to us where that's  
13   shown on here?

14          A.    So Exhibit Number 20 shows -- at the top it  
15   shows our initial estimates of reservoir pressure,  
16   which was taken from a Sandia report in the WIPP  
17   area. It's called Sandia 86, from 1986. They  
18   demonstrated some of the permeability in reservoir  
19   pressure measurements within their well DOE  
20   Number 2. It was conducted in the Hays, Hays  
21   sandstone, which is a portion of the upper Bell  
22   Canyon.

23                They demonstrated reservoir pressure, which  
24   we adjusted for hydrostatic depth. So our initial  
25   reservoir pressure estimate was 2392 PSI for this



1 area. This was also confirmed by the drilling mud  
2 weight as they drilled the Diamond State 34 Well.  
3 Our current shut-in reservoir pressure is  
4 demonstrated by Devon's intersection with it at  
5 5640 feet. In September it was about 2894 PSI.  
6 This means that over the course of the last 19 years  
7 of injection, within the Diamond 34 State SWD  
8 Number 1, we have increased our reservoir pressure  
9 approximately 500 PSI, which would mean that we're  
10 injecting into a confined zone. We've increased the  
11 reservoir pressure at a distance from our wellbore,  
12 which means that there's probably no leaks, no  
13 seepage out of zone.

14 Q. Okay. And if there was any kind of leak or  
15 seepage, you wouldn't see the increase in pressure,  
16 would you?

17 A. No, because if you have a leak it's going  
18 to leak to what would be a lower pressure system.  
19 That would be something more on the hydrostatic  
20 pressure. This 2894 is above hydrostatic pressure,  
21 and so if you have a seepage or a leak or some kind  
22 of area or place where you've got your high pressure  
23 fluid can exit that area or that reservoir it would  
24 migrate to something of lower pressure which would  
25 be something more along the lines of normal

1 hydrostatic pressure. So, yes, it would seep up or  
2 down into a different zone.

3 Q. Did you also take a look at the injection  
4 permeability of the disposal zone?

5 A. Yes, we did.

6 Q. And is that reflected in OXY's Exhibit 21?

7 A. Yes.

8 Q. And just briefly explain to us what you did  
9 and the result.

10 A. So what we did here is used the Darcy's law  
11 equation for injectivity index, which is basically  
12 the same thing as productivity index, if you guys  
13 are familiar with that. It's basically a ratio of  
14 the injection pressure and barrels of water injected  
15 per day divided by the delta pressure and net  
16 pressure, which would be your injection pressure  
17 minus your reservoir pressure.

18 In this calculation, for injectivity index  
19 you'll see in the third line down we use the  
20 injection rate, injection pressures indicated on one  
21 of the previous slides where it shows us monitoring  
22 our Bradenhead pressures. These are our inputs  
23 here. And the 2894 you see there on the right-hand  
24 side, it's the reservoir pressure that Devon  
25 encountered within their wellbore.

1           This calculates to an injectivity index of  
2   about 1.43 barrels of water injected per day per  
3   PSI. This a common -- a common thing. You -- you  
4   monitor for injector wells to figure out if you've  
5   got injection leaving zone or if you've induced some  
6   fracture or if you've got damage in your wellbore,  
7   you -- you monitor the injectivity index over time  
8   to see if you can detect these things so you can  
9   take the corrective actions early on.

10           The next calculation below is just the  
11   Darcy's Law equation. You plug in the injectivity  
12   index calculated above and use some of our  
13   assumptions, which we have demonstrated, and the  
14   permeability calculates to 2.44 millidarcies, which  
15   indicates matrix permeability within the sand face.  
16   There's no issue or no question here that this does  
17   not appear to be a fractured reservoir system with  
18   2.44 millidarcies.

19           Q.    Okay. And does that result that you came  
20   up with correspond with the literature in the area  
21   about the normal conditions of the Bell Canyon?

22           A.    Yes, it does.

23           Q.    If I turn to what's been marked as OXY  
24   Exhibit Number 22, does that support your statement?

25           A.    Yes, this is the same -- same document or

1 same -- same piece of evidence or documentation that  
2 we used to calculate the reservoir pressure  
3 initially within our wellbore. That's the Sandia  
4 report, Sandia 86, from 1986. It was done at the  
5 WIPP site, which is located about 14-and-a-half  
6 miles west for the Department of Energy. The title  
7 of the article is Hydraulic-Test Interpretations for  
8 the Well DOE Number 2 at the Waste Isolation Pilot  
9 Plant Site.

10 In this article we found some measurements  
11 of permeability within the Hays sandstone member,  
12 which is a member of the Bell Canyon formation of  
13 2.3 to 2.4 millidarcies. So this would be  
14 representative of what we calculated in our  
15 wellbore, the Diamond 34 State Number 1, as  
16 basically the same thing that the WIPP site or the  
17 Sandia report estimates for the -- and the WIPP area  
18 to the west.

19 Q. Now, do you still have this, Mr. Hathcock's  
20 well migratory path fluids?

21 A. D-5?

22 Q. D-5.

23 A. Yes, sir.

24 Q. Now, we dealt with this first proposed  
25 migratory path. I want to address now the one he's

1 got going to the right, the Humble State and then  
2 out the 1800 feet. Do you see that?

3 A. Yes, I do.

4 Q. Okay. You were here for the testimony that  
5 this was -- this particular wellbore was examined by  
6 the Division in '97 when the well was first  
7 permitted?

8 A. Yes.

9 Q. And as reflected in OXY Exhibit 24, it was  
10 reexamined again in 2010 when you requested to move  
11 the packers; is that correct?

12 A. Yes.

13 Q. And according to the Division, this  
14 particular wellbore, based on all evidence presented  
15 appears to be adequately plugged and cemented?

16 A. Yes, that's correct.

17 Q. And if we take a look at OXY Exhibit 23, is  
18 that a diagram of that Humble State Well?

19 A. Yes, it is. It's a wellbore diagram.

20 Q. And it shows three plugs above the zone of  
21 injection for OXY; is that correct?

22 A. Yes, that's correct.

23 Q. Okay. In your opinion, is Devon's water  
24 shell at 1800 feet enough to suggest that the  
25 Division was wrong about the Humble State Well in

1 1997 and again in 2010?

2 A. No.

3 Q. If we go through Mr. Hathcock's theory  
4 here, you would have to assume that the water  
5 somehow migrated through both of those plugs; isn't  
6 that correct?

7 A. Yes, based on Exhibit D-5, it appears that  
8 way, yes.

9 Q. And if I'm looking at OXY Exhibit 23, not  
10 only do we have two plugs that it would have to  
11 migrate through but then there's a third plug; do  
12 you see that?

13 A. Yes.

14 Q. Okay. Now that would be above the 1800  
15 foot zone that we say encountered water?

16 A. Yes, that's correct.

17 Q. And wouldn't you have to assume that that  
18 plug somehow held to force the water to go out into  
19 the formation?

20 A. Yes, you would have to assume that the  
21 bottom plug at 5,000 to 5,100 feet, and the second  
22 plug from the bottom, 3310 to 3410 feet, both  
23 failed, but the upper plug at 940 to 1,040 feet  
24 maintained its integrity and therefore kept the  
25 fluid, injection fluid below that point of 940 feet

1 to 1,040 feet.

2 Q. And there's roughly 2,000 vertical feet  
3 between the boot and the top, the bottom and the top  
4 between that second plug and the third plug; isn't  
5 that correct?

6 A. That's correct.

7 Q. And according to Mr. Hathcock, that water  
8 would have to just somehow magically go out right at  
9 1800 feet within that zone, correct?

10 A. Right. It would be hard to understand why  
11 it would preferentially want to take a left turn, I  
12 guess, as you would say from this slide D-5, at a  
13 depth of 1820 feet when it's got over 2,000 vertical  
14 feet where it could exit the Humble State Wellbore.

15 Q. And wouldn't you have to agree that --  
16 wouldn't you have to also assume that the water is  
17 not only going out within that zone at 1800 feet but  
18 it's not moving out elsewhere?

19 A. Right. You would assume that if there was  
20 a laterally extensive formation or a formation that  
21 you could map out across at a lateral orientation,  
22 it would flood -- it would flood the zone,  
23 basically. It would travel in 360 degrees from the  
24 wellbore. It wouldn't move preferentially in one  
25 direction. So therefore, based on Darcy's law you

1 have pressure disbursement with distance because one  
2 barrel of water gets divided 360 different  
3 directions and so your pressure depletes the further  
4 away you get from your wellbore.

5 But, yes, it wouldn't go in one direction  
6 to the left or to the west to the North Thistle 34  
7 State Well.

8 Q. And in your opinion, does this suggest a  
9 pathway of migration also inconsistent with the  
10 increasing pressure over time that you see within  
11 the disposal zone?

12 A. Yes, it's inconsistent because we have  
13 increased the reservoir pressure or the pore  
14 pressure within the Bell Canyon or permitted  
15 injection zone over time for the last 19 years and  
16 if we had water seeping out we would see that. We  
17 wouldn't see such a drastic pressure increase over  
18 the last 19, 20 years of 500 PSI.

19 Q. And in addition to all that, wouldn't you  
20 also have to assume that there is enough pressure  
21 from the disposal zone to push the water up the  
22 wellbore of the Humble State and then push the water  
23 out of the Humble State Well and go all the way back  
24 over to Devon Energy's well at 1800 feet?

25 A. Yes, you would have to have a pretty



1 remarkable amount of pressure to have it travel from  
2 OXY's wellbore of 1730 feet east to the Humble  
3 State, travel up 3,300 feet of the Humble State  
4 Wellbore, traveling through two cement plugs, which  
5 are both 100 feet thick, and then take a left turn,  
6 go back west 2700 feet to the North Thistle State  
7 Well.

8 Q. And did you look at the types of pressures  
9 or how the actual documented pressures would  
10 correspond to this theory of migration?

11 A. Yes.

12 Q. If I turned to what's been marked as OXY  
13 Exhibit 26 -- or let me step back. Does OXY  
14 Exhibit 25 identify the distances vertically that  
15 would have to be involved under these migration  
16 theorys that Devon has put forward?

17 A. Yes, these are the two -- or the two  
18 different directions of -- with horizontal distances  
19 between the wellbores. The red and dotted line  
20 marked as 1350 feet indicates one of the flow paths  
21 or potential flow paths. The other potential flow  
22 path, as indicated by Exhibit D-5, is indicated by  
23 the blue dotted line, which shows from OXY's  
24 wellbore the yellow star, 1730 feet east and then it  
25 takes a left turn and goes back 2900 feet to the

1 west through the North Thistle Well.

2 Q. All right. Keeping that in mind, could you  
3 then turn to what's been marked as OXY's 26. This  
4 is comprised of two pages, correct?

5 A. Yes.

6 Q. Okay. And would you explain to us what  
7 you're showing on the first page and the information  
8 that you utilized?

9 A. Yeah, so the first page here is just  
10 general hydrostatics. What we did, if you follow  
11 the arrow down the Diamond 34 State Wellbore down to  
12 the perforations you'll see a blue arrow and then  
13 you'll see a blue star at 5,526 feet, which is the  
14 depth that the radioactive tracer log indicates a  
15 majority of our injection is leaving the wellbore.  
16 We calculated a shut-in bottom hole reservoir  
17 pressure of about 3274. This is --

18 Q. That's documented pressure?

19 A. Yes, this is based on the surface pressures  
20 OXY has witnessed and recorded multiple times while  
21 the well was shut in.

22 Q. Okay.

23 A. And then we corrected for hydrostatic based  
24 on the actual hydrostatic fluid weight of OXY's  
25 injection water. And then moving to the west or to

1 the left, if you look at the bottom of the North  
2 Thistle State Com 1H Wellbore, you see another blue  
3 star, which is another documented pressure. This is  
4 at 5,640 feet. This is the second kick that Devon  
5 experienced once they drilled out their intermediate  
6 casing shoe. This has a pressure of 2894 PSI, a  
7 bottom hole pressure. This one, I believe, I saw in  
8 some of Devon's exhibits earlier so I think they  
9 agree to this number.

10 Q. So this is the pressure they saw when they  
11 reached the injection zone?

12 A. Yes.

13 Q. And you show a difference there of 380 PSI.  
14 Why is that? Why would that occur?

15 A. This is basically the same thing I  
16 indicated about the Charles P. Miller Humble State  
17 Wellbore, if you have injection at a point it's  
18 going to flood in every direction, and based on  
19 Darcy's law you have disbursement radially with  
20 pressure. So all the water or pressure we induce at  
21 our wellbore, at our near wellbore at our  
22 perforations, since it travels radially and not in  
23 direction like a pipeline, you lose pressure  
24 radially.

25 And so basically over the course of

1 1350 feet horizontally we lose 380 feet or PSI of  
2 reservoir pressure within our own permitted  
3 injection zone.

4 Q. So that's documented. We know that's the  
5 difference?

6 A. Yes.

7 Q. Okay. And with that in mind, what did you  
8 do in the upper part of this exhibit?

9 A. So in the upper part I took, on the  
10 left-hand side, the blue star, another documented  
11 pressure, the 1514 PSI, 1820 feet, this is the first  
12 kick that Devon experienced on September 3rd. And  
13 to the right-hand side, if you see the blue arrows  
14 coming up the Diamond State Wellbore, these are  
15 indicated or these basically mimic what is seen on  
16 Exhibit D-5 by Mr. Hathcock as the potential flow  
17 paths.

18 So what we did is corrected the 5,526 foot  
19 shut-in bottom-hole pressure in the OXY Diamond  
20 State Wellbore for just hydrostatic pressure,  
21 assuming zero friction whatsoever as you travel up  
22 the wellbore and through the reservoirs. This  
23 pressure that we calculated at 1820 feet in the  
24 Diamond State Wellbore, which is also not supported  
25 by evidence, calculated to be 1497 PSI. However,

1 keep in mind that this does not include vertical  
2 friction pressure.

3 We're talking about a distance here of  
4 3700 feet vertically. If you look in the horizontal  
5 scope of things, 1350 feet indicates a 380 PSI  
6 pressure drop based on friction or radial flow. If  
7 you look at traveling up the wellbore, we're talking  
8 3700 feet, so you assume that would be a greater  
9 pressure drop. However, we indicated worse-case  
10 scenario for OXY. We neglected that pressure drop  
11 and only corrected for hydrostatic pressure.

12 Q. Okay. Let me stop you right there. So  
13 you, in doing this calculation here of 1497 PSI, you  
14 first off assumed that water was migrating up the  
15 casing?

16 A. Yes.

17 Q. And secondly, did you assume that it was  
18 just an open straw, that there was absolutely no  
19 friction whatsoever?

20 A. Yes, we did. Basically what we assume,  
21 it's like a four-inch piece of pipe with no friction  
22 whatsoever. It's just whatever pressure here, you  
23 just correct it for hydrostatic pressure up here.

24 Q. Taking the water weight, so you just took  
25 the water weight?

1           A.     Just the water weight.

2           Q.     And taking all that into account, you come  
3     up with a pressure of 1,497 PSI at 1820 feet?

4           A.     Yes.

5           Q.     And that's already lower than what Devon  
6     experienced at 1820 feet in their Thistle Well?

7           A.     Yes, it's already lower even before you  
8     apply, again, the horizontal frictional pressure  
9     drop as you see at the depth of 5,640 feet, the  
10    380 PSI pressure drop because of radial flow.  If  
11    water was going up the OXY wellbore it wouldn't just  
12    go up the OXY wellbore and to the left, it would  
13    again flood in 360 degrees, in every direction,  
14    based on pressure disbursement due to radial flow, you  
15    would lose probably about the same, 380 PSI pressure  
16    drop.

17                But, yes, without even applying that, the  
18    pressure at OXY's depth of 1820 feet is already  
19    lower than what Devon experienced.

20           Q.     So given that, given the fact that you have  
21    these recorded pressures, known pressures when you  
22    did your calculation here conservatively, is it even  
23    physically possible for the water to be traveling up  
24    as depicted and then going over to the Devon well  
25    and resulting in 1514 PSI at their Thistle Well?

1           A.    So to answer the first question, we don't  
2 believe it's possible that water is migrating up the  
3 wellbore based on the mechanical integrity test  
4 results, Bradenhead pressure, Bradenhead test  
5 results, temperature surveys, radioactive tracer  
6 surveys, and the other Bradenhead pressure  
7 monitoring that OXY did, so we don't believe there's  
8 any vertical migration.

9           Horizontal migration, I don't see how that  
10 could be physically possible because the water at  
11 OXY's wellbore is already lower than that of the  
12 Devon wellbore at 1820 feet. It's not going to --  
13 water is not going to migrate towards higher  
14 pressure. It's always physically going to migrate  
15 to areas of lower pressure. So it doesn't seem to  
16 make sense that water would migrate from OXY's  
17 wellbore, the theoretical pressure of 1490 PSI at  
18 1820 feet to the west to Devon's wellbore at  
19 1820 feet.

20          Q.    Okay. And then having done this analysis  
21 here, using these documented pressures, did you  
22 carry that over to analyze your second theory of  
23 migration that is of the Humble State Well?

24          A.    Yes.

25          Q.    And let's turn to the second page of this

1 exhibit. Would you please explain to us then what  
2 you started with and how you did your calculations.  
3 Start with what are the known notes.

4 A. Okay. So the two blue stars are the same  
5 stars indicated on the previous slide. On the North  
6 Thistle State Well, on the far left you see the  
7 1820-foot kick zone or kick pressure of 1514 PSI.  
8 Now, if you look at the Diamond State and follow the  
9 blue arrow down again, this is the same 5526 foot  
10 shut-in bottom hole pressure of 3274 PSI, as  
11 previously indicated on the slide before.

12 Now, what we did is show the other  
13 theoretical potential migration path going east to  
14 the Humble State Wellbore within the permitted zone,  
15 traveling up the Humble State Wellbore, past two  
16 cement plugs, and then taking that west left hand or  
17 west turn over back towards the North Thistle State  
18 Well. Since we don't know the pressure drop over  
19 1730 feet within the Bell Canyon, we only know what  
20 we saw between OXY and Devon at 1350 feet, we  
21 assumed, again worse-case scenario for OXY's case,  
22 the same pressure drop of 380 PSI going a further  
23 distance to the Humble State Well. So we assume  
24 380 PSI is the pressure drop to the east.

25 Q. And that's based on the prior page of this



1 exhibit?

2 A. Yes, based on a shorter distance, which was  
3 shown on a prior page, yeah. This equates, also  
4 ignoring hydrostatic pressure corrections, 5300 feet  
5 within the Humble State Well, a theoretical pressure  
6 TD at 5300 feet would be about 2894 PSI. Now, if  
7 you assume zero vertical friction losses traveling  
8 up the Humble State Well, traveling through two  
9 cement plugs at about 100 feet thick apiece to a  
10 depth of 1820 feet, basically we only corrected for  
11 hydrostatic, again, assume zero PSI friction drop,  
12 this equates to a pressure of 1,135 PSI at a depth  
13 of 1820 feet in the Humble State Well, which is  
14 significantly lower than what Devon has already  
15 experienced at a depth of 1820 feet in their North  
16 Thistle Well.

17 Q. So I'm going to ask you the same question:  
18 Given that you've got 1,135 calculated PSI at the  
19 Humble State at 1820, with all the assumptions that  
20 you made, is it physically possible that that type  
21 of pressure at that location would result in  
22 1,514 PSI in Devon's well at the same level,  
23 1820 feet?

24 A. No, it's physically impossible. I mean,  
25 we're already talking about a 400 PSI difference

1 between the Humble State, it's already 400 PSI less  
2 from what Devon experienced, and then it would have  
3 to travel 2700 feet or 2900 feet. So, no, it's not  
4 going to move towards an area of higher pressure.  
5 It's going to -- the pressure is always going to  
6 move -- or hydrology dictates that fluid always  
7 moves to an area of lower pressure. So it's not  
8 going to move towards the Humble -- or North Thistle  
9 Well. It's going to move away from the North  
10 Thistle Well to the Humble State, if anything.

11 Q. In your opinion, is there any -- does the  
12 reported pressures support either of these proposed  
13 migratory paths that Devon has brought forth here to  
14 the Division?

15 A. No, absolutely not.

16 Q. Is there any evidence to suggest that the  
17 OXY Diamond State Well and Devon's North Thistle  
18 Well is hydrostatically balanced?

19 A. No, it does not.

20 Q. Or to suggest that the Humble State Well is  
21 somehow hydrostatically balanced with the -- with  
22 the injection well or the Thistle Well?

23 A. No, there's no evidence to support that.

24 Q. Okay. There is some talk, Mr. Clifford,  
25 here -- I'm going to jump ahead slightly to

1 Exhibit 31. And there was a discussion -- you're an  
2 engineer, right?

3 A. Yes, sir.

4 Q. You're familiar with mud weights?

5 A. Yes.

6 Q. You're familiar with calculations to  
7 determine mud weights?

8 A. Yes, I am.

9 Q. And there was -- there was some discussion  
10 earlier about the fact that the examples here, at  
11 least from the records, you couldn't actually  
12 determine what the actual mud weights were that were  
13 involved in each of these instances. Do you  
14 remember that?

15 A. Yes.

16 Q. As a result of that discussion, were you  
17 able to locate a WIPP study?

18 A. Yes, we were.

19 Q. And, in fact, if I look at Devon's Exhibit  
20 E-10. That particular exhibit in the inlet box  
21 references a WIPP study, does it not?

22 A. Yes, it does. Waste Isolation Pilot Plant,  
23 yes.

24 Q. And there is -- and only a certain portion  
25 of that report was referenced there. Are you

1 familiar with the other aspects of that report?

2 A. I believe so, yes.

3 Q. Okay. And are you familiar with the  
4 aspects of that report that discuss the Salado  
5 hydrology?

6 A. Yes, I am.

7 Q. And the other aspects of that report that  
8 discuss the high pressured water that was sometimes  
9 encountered in the Salado zone?

10 A. Yes, I'm familiar with that.

11 Q. And then was there a subsequent WIPP report  
12 that likewise reflected those conclusions?

13 A. Yes.

14 MR. FELDEWERT: May I approach the witness?

15 MR. EXAMINER: You may.

16 Q. (By Mr. Feldewert) I've handed you what's  
17 been marked as OXY Exhibit 37. Is that a subsequent  
18 WIPP report that relates to the report that is cited  
19 in Exhibit E-10?

20 A. Yes, I believe so. It's a 2004 WIPP  
21 compliance recertification application conducted by  
22 the DOE in 2004.

23 Q. Okay. And I've only -- it's an extensive  
24 report, right?

25 A. Yeah, it has a few hundred pages.

1 Q. Okay. And so on the second page of this  
2 exhibit, page 2-98, does it discuss the hydrologic  
3 characteristics of the Salado?

4 A. Yes, it does.

5 Q. And where within this report does it  
6 identify the types of pressures that they observed  
7 in these isolated pockets of water?

8 A. In the middle of that first paragraph at  
9 the top it describes the -- once again, this is  
10 referring to the Salado hydrology saying: "The  
11 highest pore pressures observed in anhydrite are  
12 approximately 12 megapascals, which is about  
13 1,740 PSI.

14 Q. So you took that number and was able to  
15 convert that to PSI?

16 A. Yes.

17 Q. And how does that reported PSI relate to  
18 pressures that Devon saw in their particular well?

19 A. It's much higher. Devon experienced  
20 1514 PSI. I believe this report for the WIPP site  
21 by the DOE indicates the highest pore pressure  
22 they've observed in the Salado formation are  
23 approximately 12 megapascals or 1740 PSI.

24 If you look at the bottom of this first  
25 paragraph, it also indicates that the -- "For

1 comparison, the hydrostatic pressure for a column of  
2 brine at the depth of the repository is about  
3 7 megapascals," which is much lower than the  
4 12 megapascals of the weight of the water or the  
5 brine, and then with the static pressure, calculate  
6 some density measurements at ERDA, which is a well,  
7 number 9, it's about 15 megapascals. So this  
8 indicates that the pore pressure they witnessed in  
9 the Salado formation was somewhere in between the  
10 hydrostatic pressure and the lithostatic pressure,  
11 which would indicate overpressure.

12 Q. That's in the Salado, right?

13 A. Yes.

14 Q. Not just the Castile, but in the Salado?

15 A. There were a lot of reports in this about  
16 the Castile as well, but this report is specifically  
17 citing the Salado formation.

18 Q. And in your opinion, this indicates that  
19 you can't have pressurized water pockets as high as  
20 1740 PSI in the Salado?

21 A. Yes, I would assume they would be  
22 pressurized pockets because there's SWDs within the  
23 WIPP site.

24 Q. Okay. All right. I want to now talk about  
25 the final topic here, and that is Mr. Johnson's

1 timeline of events. Were you here for his  
2 testimony?

3 A. Yes, I was.

4 Q. You were. If I turn to his Exhibit A-4,  
5 and he notes in here that within their wellbore that  
6 they had a pressure reduction of 200 PSI at 13:00,  
7 which would be, what, about 1:00 o'clock?

8 A. Yeah, 1:00 PM.

9 Q. And that's on September 7th, 2015?

10 A. Labor Day, yes, sir.

11 Q. It was Labor Day, right? Okay. All right.  
12 And their contention is that this pressure reduction  
13 took place after OXY shut in the Diamond SWD test on  
14 Labor Day?

15 A. Yes.

16 Q. That's what they suggested in this exhibit?

17 A. Yes.

18 Q. Although he says the exact time is unknown?

19 A. Yes, that's correct.

20 Q. And has Devon previously cited this? When  
21 they first started talking to you, did they cite  
22 this timeline as a primary basis for their concern  
23 with OXY's well after you did the MIT test and after  
24 you did the Bradenhead test?

25 A. Yeah, I believe every meeting, every

1 verified statement that I've read has indicated that  
2 there was a 200 PSI pressure reduction in the North  
3 Thistle 34 State Well right after OXY shut in the  
4 Diamond State Wellbore.

5 Q. So if I go, for example, to OXY Exhibit 28,  
6 about halfway down, do you see an e-mail from Kerrie  
7 Allen to Donna Havens? Do you see that?

8 A. Yes.

9 Q. Kerrie Allen is with Devon?

10 A. Yes, that's correct.

11 Q. And Donna Havens is with OXY?

12 A. Used to be with OXY. She retired.

13 Q. Yeah, she's retired. That's right.

14 And about -- in the second paragraph  
15 Ms. Kerrie Allen, in the very last sentence, cites  
16 this purported timeline of events, does she not?

17 A. Yes, in the last -- last sentence of the  
18 highlighted portion: "For example, when OXY stopped  
19 injecting, Devon saw the pressure decrease at these  
20 shallower depths."

21 This e-mail is dated September 28, 2015.

22 Q. Okay. And you were here for Mr. Johnson's  
23 testimony where he said that it was important to his  
24 conclusion that this shut in took place before they  
25 observed the PSI reduction?



1 A. Yes.

2 Q. And were you here for his testimony where  
3 he said that if it -- the shut in actually occurred  
4 after this reported PSI reduction that it would  
5 indicate no communication between the two wells?

6 A. Yes.

7 Q. And do you agree with that observation?

8 A. Yes, I do, because we actually shut the  
9 well in on September 8th.

10 Q. So did you personally investigate this  
11 timeline of events?

12 A. Yes, I did.

13 Q. Okay. And what did you examine to  
14 determine when you had actually shut in your well?

15 A. So we talked to the surface operations  
16 team, the pumper, the production coordinator, a guy  
17 Brent Bengolan, who fielded the call for Mr. Kyle  
18 Johnson, and each of the pumpers, each of OXY's  
19 operators in New Mexico have a GPS tracker in their  
20 vehicles when they drive out every day on their  
21 routines. We checked the GPS data and also followed  
22 up with every other person we've talked to out there  
23 in Carlsbad, New Mexico and verified that we didn't  
24 shut the well in until about 1:00 o'clock --  
25 12:00 o'clock or 1:00 o'clock in the afternoon on

1 September -- Tuesday, September 8th.

2 Q. 24 hours later?

3 A. Yes.

4 Q. 24 hours after they received their -- they  
5 show their 200 PSI reduction?

6 A. Yes.

7 Q. Okay. And is that reflected in the  
8 documents that OXY provided to Devon?

9 A. Yes, it is.

10 Q. If I turn, for example, to OXY Exhibit 27.

11 A. Yes, it's on here.

12 Q. Is this a timeline of the shut in and when  
13 the well was online based on OXY's records?

14 A. Yeah, this was provided to Devon in the  
15 first subpoena. It was the list of times that OXY  
16 had either begun injection or shut in injection on  
17 the Diamond State well. We worked with the field  
18 surface operations team to come up with dates and  
19 times that we actually sent a pumper out to location  
20 to either turn on the well or shut in the well.

21 You'll see some comments here on the  
22 right-hand side indicating a reason for the shut in.  
23 The shut ins are all indicated by the red boxes.  
24 The blue column is when we put the well back online  
25 in each instance.

1 Q. And if I go to September 5th, it says the  
2 well is online. Do you see that?

3 A. Yes.

4 Q. And then the change takes place on  
5 September 8th?

6 A. Yes, on September 8th. We indicate here  
7 it's 11:00 AM when we shut in the well for a  
8 workover rig pulling unit tubing or to pull the  
9 tubing and packer. It was actually about  
10 1:00 o'clock in the afternoon on that day on  
11 September 8th, the day after Labor Day when we shut  
12 the well in.

13 Q. Okay. All right. So there's no doubt then  
14 when you shut the well in that it was after they  
15 observed their 200-pound pressure decrease?

16 A. Yeah, exactly. There's no doubt in my  
17 mind. This well is in a pretty remote location.  
18 Using the GPS tracker, we have no person going out  
19 to location on September 7th because it was Labor  
20 Day. It was a day off. We didn't feel the need to  
21 send someone out to location that afternoon to shut  
22 in the wellbore. So we checked the GPS, three or  
23 four days prior to this event, three or four days  
24 after this event. We could not place anybody, any  
25 OXY personnel on location on Monday, September 7th

1 when this event is claimed to have occurred.

2 Q. So what does this actual timeline tell you  
3 about Devon's theory that these two wells are  
4 actually connected and that OXY's disposal  
5 operations is the cause of the pressure water that  
6 they saw at 1800 feet?

7 A. This tells me that they weren't connected.  
8 This probably leads me to believe that this was an  
9 isolated pocket because if Devon started witnessing  
10 pressure dropping before OXY had even shut our well  
11 in, the pocket of high pressure was probably  
12 starting to deplete at this point. It would lead me  
13 to believe that there is no indication of these  
14 wells hydraulically communicating at this point  
15 since we shut in our well after Devon saw the  
16 pressure drop 24 hours after.

17 Q. And were OXY Exhibits 1 through 29 -- or 28  
18 prepared by you or compiled under your direction and  
19 supervision?

20 A. Yes.

21 MR. FELDEWERT: Mr. Examiner, I would move  
22 the admission into evidence OXY Exhibits 1 through  
23 28.

24 MR. EXAMINER: Mr. Bruce?

25 MR. BRUCE: No objection.

1 MR. EXAMINER: Exhibits 1 through 28 are so  
2 entered.

3 MR. FELDEWERT: And that concludes my  
4 examination of this witness.

5 MR. EXAMINER: One point of moment. Wait,  
6 Exhibits 31 and 36 were referenced. Do you want to  
7 use those again?

8 MR. FELDEWERT: I'm sorry, Mr. Examiner.  
9 Thank you. I would -- Exhibit 36 is actually the  
10 Division records, so I would move the admission into  
11 evidence of that exhibit. And then I would also  
12 move the admission into evidence of OXY Exhibit 37.

13 MR. EXAMINER: 37, okay. And 31?

14 MR. FELDEWERT: 31, we will have another  
15 witness that will talk about that.

16 MR. EXAMINER: So Exhibits 36 and 37?

17 MR. BRUCE: No objection.

18 MR. EXAMINER: Very good. Exhibits 36 and  
19 37 are also in the record.

20 Your witness, Mr. Bruce.

21 CROSS-EXAMINATION

22 BY MR. BRUCE:

23 Q. Mr. Clifford, I'll try to go through your  
24 exhibits in the order you presented them.

25 A. Yes, sir.

1 Q. I may not succeed. Your Exhibit 3, OXY --  
2 sir, these are all the MIT tests. I'm not getting  
3 into that. But why is the March 2002 MIT test, why  
4 is the PSI of the casing so much lower than the  
5 other tests?

6 A. I think the rules under the Division  
7 indicate that an MIT has to be conducted at a  
8 pressure over 300 PSI and it must hold that for a  
9 duration of 30 minutes and be charted. So in this  
10 instance, I can't -- I can't speak to what Pogo did  
11 back in the day, but Mr. Gonzales with the NMOCD was  
12 on location and approved the test. So that's all I  
13 can attest to there, but anything over 300 PSI, as  
14 long as it holds pressure over that 30-minute  
15 examination or charted test stands to be an approved  
16 MIT.

17 Q. Okay. And then your Exhibit 5, so there  
18 was none of this on the well until October 2005 --  
19 2015, excuse me.

20 A. Just the surface gauge.

21 Q. Just the surface gauge.

22 A. The two -- and there was a casing valve or  
23 casing gauge as well. The two intermediate or  
24 Bradenhead gauges were both installed in October.  
25 The second Bradenhead gauge was installed

1 October 31st.

2 Q. So, again, how did you monitor intermediate  
3 casing pressure prior to October 2015?

4 A. Just on annulus or Bradenhead tests, annual  
5 Bradenhead tests, and we have, I believe, a report,  
6 Mike, that -- that he introduced to us earlier this  
7 morning with our -- all of our approved MITs and  
8 Bradenhead tests in the Division records.

9 MR. FELDEWERT: Is that not up there?

10 MR. CLIFFORD: I don't think it is.

11 MR. FELDEWERT: May I approach?

12 MR. EXAMINER: Yes, sure.

13 A. So -- I'm sorry, so let me continue with my  
14 answer. So in this past what we did was just open  
15 up the intermediate -- or intermediate to production  
16 Bradenhead casing inlets, and when the NMOC is on  
17 location or a representative is on location, you  
18 open it up and if you see any pressure or surge or  
19 any bleed off then it would stand to be a failed  
20 Bradenhead pressure test. This report here shows  
21 all of the passed -- the reports that have passed  
22 over the history of this well since 2002, at least.

23 MR. FELDEWERT: Actually, I think -- I'm  
24 sorry, I think I may have given you the wrong one.  
25 I did. I meant to give him the well inspection

1 history. I gave him the wrong one. I'm sorry.

2 A. Yeah, so both these -- both these forms  
3 show the same thing, really. In the middle of the  
4 form it says: "Reason for MIT," it says ANMTFT,  
5 that's an annulus test, which is a Bradenhead test.  
6 It reports here every year that we ran one, the  
7 dates and that they were all approved. And then the  
8 other form that Mike just handed out shows the same  
9 thing, that -- it shows the lists of all the dates  
10 and comments from the NMOCD themselves saying that  
11 everything was in very good shape and that we passed  
12 the MITs or Bradenhead tests conducted on those  
13 dates.

14 Q. (By Mr. Bruce) And as to the MIT tests, why  
15 were these test pressures significantly lower than  
16 the injection pressure?

17 A. It's a standard rule that anything over  
18 300 PSI on the backside of the tubing, between the  
19 tubing packer and casing, production casing,  
20 anything over 300 PSI is adequate.

21 Q. Now, in September, starting September 15th,  
22 I believe, you pulled the tubing on the well?

23 A. On September 9th through 16th, yes. Or the  
24 rig was on location September 9th through 16th.

25 Q. I'm looking at a document here that says --



1 regardless, it was after Devon contacted you?

2 A. Yes, sir.

3 Q. Why was that done?

4 A. So there's a line of events that occurred  
5 up to this point. At some point in August, OXY  
6 determined that we had probably breached the  
7 injection pressure, even though our carte data  
8 didn't actually show that. Our pumper had reported,  
9 at some point, that OXY had gotten over the  
10 permitted injection pressure. So what we did was,  
11 on October 19th, went and checked our pressure --  
12 pressure limiting device research valve. Basically  
13 that limits the pressure downstream of that pump to  
14 be below the permitted pressure. That was on  
15 August 19th.

16 Following that we realized that it was  
17 probably some kind of damage that we had introduced  
18 to the wellbore so we rigged a coil tubing the first  
19 three days of September, tried to clean out the  
20 well. This is when Devon experienced the issue with  
21 coil tubing on location. We ran it with coil  
22 tubing. The tag fell in the packer, so we tagged  
23 some kind of obstruction. We were led to believe it  
24 was obstruction, that's probably what was causing  
25 the high amount of back pressure at the pumps and at

1 the surface pressure gauge.

2 So we got a rig out there and pulled the  
3 tubing, pulled the packer, pulled the on/off tool  
4 and found that there was wirelines stuck in the  
5 packer that was probably causing an obstruction  
6 which is why our pressure had breached the maximum  
7 allowable permitted pressure at some point in  
8 August. And we reran the packer and tubing,  
9 pressure tested it, and it passed the MIT following  
10 that on October 1st.

11 Q. Have you ever injected into the  
12 intermediate casing to verify a connection to the  
13 annulus below the intermediate casing?

14 A. No, we have not. We would if there were  
15 indications of pressure to see, but standard  
16 Bradenhead test rules that you just open up the  
17 Bradenhead or casing inlet and if it bleeds off  
18 pressure then you pass the test. So we've never had  
19 any reason to pump pressure down the backside.

20 Q. Just out of order, your OXY Exhibit 37, the  
21 WIPP report.

22 A. Yes, sir.

23 Q. When you're talking about the highest  
24 observed pore pressure, highest, you calculate it  
25 out from the -- from the terminology they used to

1 say the highest pressure is about 1740 PSI; is that  
2 correct?

3 A. Yes, sir.

4 Q. Is there an average?

5 A. They don't provide it. All they provide is  
6 that there have been documented high instances of  
7 pore pressure within the Salado only 14 miles west  
8 of where we're talking about, our area of interest.

9 Q. Okay, 14 miles west. What is the depth, do  
10 you know?

11 A. It would be shallower than what we're  
12 talking about here. I'm sure one of the geologists  
13 could discuss that further. But it would be a  
14 shallower depth than here, so if you're talking  
15 about correcting for hydrostatic pressure at a  
16 deeper depth and moving east to where our area of  
17 interest is, then, yes, the 1740 PSI or  
18 12 megapascals would be probably even higher than  
19 this.

20 Q. And, you know, you ran tests on  
21 October 2nd, October 20th, and December 15th, or  
22 15th through 17th. Why did you run so many logs on  
23 three separate waterline mobilizations?

24 A. We ran the first one baseline. It was a  
25 25-day shut in. Basically this would serve as our

1 future reference or this is probably the warmest the  
2 reservoir was going to get. Since injection had  
3 been shut in for so long, it probably wouldn't be  
4 quite so hindered by introducing cold fluid via  
5 injection.

6 The next suite, we ran an injection profile  
7 and shut-in profile to see -- since we hadn't done  
8 an injection profile on October 2nd, we wanted to  
9 see what the injection temperatures would look like,  
10 and then following that, a one-hour shut-in pressure  
11 run, temperature run, to see how quickly the  
12 reservoir would reheat.

13 Following this, we decided, well, the data  
14 is inconclusive. Let's do a series of runs where we  
15 do -- this is the December 15th through 18th or  
16 17th. Let's do a series of warming runs, so that's  
17 why we ran an injection profile. And then we did a  
18 zero-hour, four-hour, eight-hour, 12-hour, 24-hour,  
19 and a 48-hour shut-in run to see the warming profile  
20 of the geothermal gradient and how quickly certain  
21 zones heated or were not being heated, basically.

22 This is what led us to start investigating  
23 the lithology because we thought maybe it was  
24 something to do with maybe water entrained in the  
25 three anhydrite layers within the Castile. Maybe

1 the -- we know the specific heat of water is pretty  
2 low so it doesn't heat as fast. So maybe that was  
3 instances why the temperature gradient was below  
4 that of a geothermal gradient at these depths.

5 This is kind of what led us into this  
6 investigation. It's just kind of as we stepped into  
7 this whole hearing in this case and kind of had some  
8 more -- better understandings, after meeting with  
9 Devon, we kind of came up with our own ideas about  
10 how to investigate this further.

11 Q. Moving to your Exhibit 20, you don't really  
12 need to look at it that much, but this is your  
13 injection volumes?

14 A. Yes, sir.

15 Q. This kind of ends toward the end of last  
16 year, looking like maybe October?

17 A. Yeah, October, November probably, somewhere  
18 in there.

19 Q. What have been the injection volumes per  
20 month since then?

21 A. They're relatively low again. We have had  
22 our well shut in a lot of the fourth quarter of last  
23 year. We shut in due to the issues, or when Devon  
24 asked, so in September. We also shut in again, I  
25 believe, sometime in October through -- so we shut

1 in quite a bit of last year while this case was  
2 going on when we had questions ourselves. We were  
3 questioning whether this well was in -- had  
4 integrity.

5 So proactively OXY went ahead and shut in  
6 the well at certain times and we had another hearing  
7 with the Division. They said OXY is okay to start  
8 resuming injection again. So there are other  
9 instances why we did not inject into this wellbore.  
10 It wasn't due to overpressure or anything in the  
11 past. We just didn't have the water capacity that  
12 we needed to dispose or we were shut in trying to be  
13 proactive.

14 Q. Well, from what I understand, the tests  
15 kind of ended in mid December. Since then, what  
16 have been the injection volumes?

17 A. I couldn't tell you. I haven't looked at  
18 it a whole lot in the past month, but it's typically  
19 a few hundred barrels a day when we have the  
20 capacity. A lot of these wells, and you'll see in,  
21 I'll say mid September 2015 to right before  
22 September 2015, the highest portion in the last year  
23 or two, you'll see a couple spikes there of about  
24 40,000 barrels of fluid per month.

25 This is right after OXY had drilled about

1 13 horizontal wells within lost tank/red tank, which  
2 are tied into this same well. There's about 14 SWDs  
3 in this area, all in one big integration system, and  
4 we had a lot of water we had to dispose, but at this  
5 point these wells have declined. As you know, any  
6 horizontal well and unconventional resource declines  
7 very rapidly. We don't have the disposal needs as  
8 much anymore, although it's nice to have. This is  
9 the well we need for our future operations, right.  
10 So, yeah, we've had a reduction in our need for  
11 disposal but it has nothing to do with the injection  
12 pressures.

13 Q. Now OXY is claiming -- you are claiming  
14 that this is -- whatever Devon hit is a localized  
15 zone where there was a high pressure water?

16 A. I mean, we believe so. We didn't try to  
17 investigate what the source was. We just tried --  
18 we're focusing on it's our well, does it have  
19 integrity, and are we doing the right thing as a  
20 prudent operator.

21 Q. If Devon drilled another well, say,  
22 1400 feet to the east of OXY's SWD well, would that  
23 indicate anything to you about the SWD well?

24 A. I can't answer that. I'm not sure what  
25 exists 1400 east -- or 1400 feet east of the SWD

1 well. All I know from our study is that our well is  
2 in compliance and has integrity that we got approved  
3 by the NMOCD.

4 Q. Yeah, but aren't you saying that a well  
5 1400 feet to the west of OXY's SWD well is totally  
6 unrelated?

7 A. Well, if it's 1400 feet to the east I would  
8 expect that you would probably get flows again at  
9 5640 feet or somewhere around there, between 5335  
10 and 5748 is the bottom perf. I don't think there  
11 would be any reason to believe that you would have  
12 shallow flows again.

13 Q. If they did have shallow flows, what would  
14 that indicate to you?

15 A. I would have to look at how the pressures  
16 were reacting to OXY's SWD. If OXY's well was shut  
17 in and you guys had a lot of pressure at a Devon  
18 well that was drilled 1400 feet east, then I would  
19 believe they're probably not communicating. There's  
20 other instances that I would have to look at, but  
21 that would be a pretty big study, once again, like  
22 we've conducted on this well over the last  
23 six months to try and figure out if it's  
24 communicating or not, yes.

25 Q. Looking at your exhibits, at 23 and 24,



1 you're saying that the OCD looked at the Humble  
2 State Well in 1997 and then again, I guess last  
3 year, late last year. If water was escaping at the  
4 1800-foot, plus or minus level, there's nothing on  
5 the surface that an inspection would show about  
6 that, would it?

7 A. On the Humble State Well, no, because  
8 there's a cement plug at surface from 0 to 35 feet,  
9 and plus another two cement plugs between that  
10 1800-foot zone and surface.

11 MR. BRUCE: Okay. If I may approach the  
12 witness, Mr. Examiner.

13 MR. EXAMINER: Please.

14 Q. (By Mr. Bruce) I've handed you Devon's  
15 Exhibits J and K, which are -- I think you're aware  
16 are internal OXY e-mails.

17 A. Yes, sir.

18 Q. Exhibit J, tell us a little bit about the  
19 casing issue.

20 A. So this is an e-mail from Lomar Smith,  
21 Exhibit J. Lomar Smith is a production engineer.  
22 He actually works for me and my team. He says here  
23 in the third paragraph of this e-mail: The Diamond  
24 34 Number 1 follow-up test was planned for  
25 11/16/2015, however, it was suspended after the --

1 or however it was suspend after the well was shut-in  
2 as a result of the tracer test or from a tracer  
3 test. A follow-up test will be subsequent to  
4 actions to repair well's casing issue.

5 Lomar Smith was, at one point early in  
6 October, involved in this case for OXY as soon as  
7 Devon had let OXY know that they gone ahead and  
8 filed a request to shut in the SWD or revoke the  
9 injection authority.

10 Lomar was no longer included after the  
11 first couple of hearings. He was not aware that OXY  
12 had passed the MIT and Bradenhead tests on  
13 October 1st or 2nd. He was not aware of the  
14 temperature surveys that OXY had run between these  
15 dates of whenever this hearing started or all these  
16 communications started on September 3rd and this  
17 e-mail date of November 19th. So he was not aware  
18 of any of the issues.

19 He was a brand new engineer to the team.  
20 He just switched from facilities engineering. He's  
21 a first-time production engineer. He's going mid  
22 summer, and so he was unaware of all the issues  
23 involved. It was just an e-mail that he sent to my  
24 supervisor Omar and myself to try to let us know the  
25 status of a follow-up test that we were looking at

1 running.

2 Q. But what was the casing issue he was  
3 talking about?

4 A. There was no casing issue. We were  
5 investigating any possible integrity issue we could  
6 think of in October when all of this started.  
7 Subsequent to the meeting with Devon in October in  
8 Oklahoma City, we were looking at any possible issue  
9 that could arise and any possible source of what  
10 water or pressure you guys encountered in your well  
11 at 1820 feet.

12 He was led to believe there may be a well  
13 casing issue, likely one of our discussions that we  
14 looked at. But that's also why we ran our  
15 radioactive tracer tests, our temperature surveys,  
16 our Bradenhead monitoring, our NMOCD-approved  
17 Bradenhead tests, and our mechanical integrity  
18 tests. However, Lomar was not included in all those  
19 conversations so he probably did not get the memo  
20 beyond some of our preliminary talks.

21 Q. And then Exhibit K, and I don't want to put  
22 words in your mouth, but it is -- is the e-mail  
23 correct about the maximum injection pressure in the  
24 SWD well of 1020 PSI?

25 A. Yes, that's correct.

1 Q. Okay. And that's the originally permitted  
2 injection pressure; is that correct?

3 A. Yes, it is.

4 Q. And there were no separate tests to further  
5 inject --

6 A. No, sir.

7 Q. -- or to increase the injection pressure?

8 A. No, sir, we never requested to increase the  
9 pressure on SWD.

10 Q. And they're talking about there is no kill  
11 switches. I infer from that that OXY really didn't  
12 have good control over pressures that it was  
13 injecting at. Would that be a fair statement?

14 A. Yeah, I guess you could say that. The  
15 battery here is located at the red tank 35, 1 or 3  
16 SWD is located five-and-a-half miles west, and we  
17 have a five-and-a-half mile pipeline where this  
18 water is pumped from the facility, which is shared  
19 with another SWD, over to the Diamond SWD to our  
20 surface location.

21 Yes, there is a big discrepancy here with  
22 discharge pressure, which is why you see 1500, 1490,  
23 and 1520 PSI discharge pressure and the pressure at  
24 the wellbore or at the wellhead, which is 970 or  
25 1,000 PSI. We've made sure that we have pressure

1 relief devices installed to make sure we do not  
2 exceed these pressures, and so no matter what these  
3 pumps discharge, if it exceeds 1,020 PSI, it goes in  
4 the recirc valve and that pressure is recirculated  
5 back to the lower pressure until it finally gets  
6 pumped down into the wellbore.

7 Q. And when were those pressure limitation  
8 devices installed?

9 A. As far as I know, it's part of the approved  
10 permit from 1997, so Pogo installed them. We  
11 checked them in August, and on August 19th, 2015 we  
12 made sure they were working. That was the last work  
13 order we had approved where we sent the surface opps  
14 facilities team out to location and they made sure  
15 the pressure relief devices were working and  
16 adequate.

17 Q. And then how come you were exceeding  
18 injection pressures?

19 MR. FELDEWERT: Object to the form of the  
20 question, lack of foundation.

21 MR. BROOKS: Overruled.

22 Q. (By Mr. Bruce) You're saying there is  
23 pressure or limitation devices so you shouldn't be  
24 injecting at excessive pressures, yet you admit you  
25 were?

1           A.    We weren't.  We were injecting 970 PSI,  
2   970, and 1,000 in this e-mail, if you read it  
3   correctly, at the well.  We're permitted 1020 at the  
4   well, not at the facility.  The facility is  
5   five-and-a-half miles west.

6           Q.    But there are periods where you were over  
7   injecting?

8           A.    At some point earlier in August, yes, which  
9   is why on August 19th we went out and made sure  
10  those pressure relief devices were working  
11  correctly.

12          Q.    And they apparently weren't?

13          A.    I'm not saying they weren't.  We haven't  
14  investigated that far enough.  We've looked at  
15  everything we have, all the documentation we have,  
16  which is primarily in our carte system, our lowest,  
17  which is lack of a well information system which is  
18  a Weatherford product.  And everything we can tell  
19  from there, our pressures are within the limit of  
20  what the NMOCD approves of 1,020 PSI.

21                It was brought to light from a pumper that  
22  at some point in early August he saw pressure higher  
23  than what we had approved.  That's why we went and  
24  checked on August 19th the pressure limiting device.

25                MR. BRUCE:  That's all I have,

1 Mr. Examiner.

2 MR. EXAMINER: Redirect?

3 MR. FELDEWERT: No questions.

4 MR. BROOKS: Nothing.

5 MR. EXAMINER: Just a few questions. As  
6 was brought up by Mr. Bruce, there has never been a  
7 separate test conducted on this well; is that  
8 correct?

9 MR. CLIFFORD: As far as I know there has  
10 not. I think there may have been in 2014, but that  
11 was via word of mouth but we never identified or  
12 found it and I don't think it was ever filed with  
13 the state.

14 MR. EXAMINER: Sad. Let's see, as far as  
15 injection chemistry, what kind of fluids are we  
16 putting in this well? We've talked about doing  
17 calculations and permeability and whatnot. What --  
18 what well does this service?

19 MR. CLIFFORD: So this services a large  
20 group of wells. It's everything in our lost  
21 tank/red tank field. It's probably 3 or 400 wells,  
22 vertical and horizontal wells in this area, a lot of  
23 which were the old Pogo wells, which this SWD used  
24 to service as well a lot of new ones that OXY has  
25 drilled in the area in the last 10 years, 5 years.

1           We're talking Delaware, so Brushy Canyon  
2       wells. I think -- I believe a couple in the Cherry  
3       Canyon. We have vertical and horizontal in the  
4       Brushy Canyon. Avalon, First Bone Spring, Second  
5       Bone Spring, and Third Bone Spring. We have some  
6       vertical Wolfcamps and vertical Morrow wells, so  
7       it's a pretty good concoction of different waters  
8       coming in and mixing into this disposal system.

9           MR. EXAMINER: Have we ever done chemistry  
10      of them?

11          MR. CLIFFORD: Yes, we have water samples.  
12      We take a water sample every month, so we used our  
13      actual hydrostatic pressure or fluid weight in all  
14      of our hydrostatic pressure calculations. And we  
15      can provide those. We probably have two dozen or so  
16      from last year, but we looked at the water quality  
17      chlorides, TDS, TSS, H2S, CO2, all the components.

18          MR. EXAMINER: Okay. Has OXY made any type  
19      of effort to look at the impacts of having this well  
20      fracked at the time when Pogo was operator?

21          MR. CLIFFORD: No, we didn't -- we didn't  
22      dig into it too much. I mean, it was 250,000 pounds  
23      at the uppermost set of perfs, which was at the time  
24      5435 to 5748, I believe. There was a zone, a  
25      smaller zone in between, and then Pogo went back and



1 reperforated all that. And then at some point in  
2 2010, OXY went trying to perforate the tubing, shot  
3 the casing, which was a Dave Stewart e-mail that got  
4 brought up this afternoon at some point.

5 But the fracked perforations were a little  
6 bit deeper, probably 250, 300 feet below the top of  
7 the approved injection zone. And we don't think a  
8 250,000 pound frac or pound of sand frac would cause  
9 much of an issue. We've looked at a lot of other  
10 SWDs in the area, all OXY's, Devons, and many other  
11 operators, and it's pretty standard to put a  
12 hydraulic fracture on these wells on the order of 2,  
13 3, 400,000 pounds of sand.

14 MR. EXAMINER: And let's see, was there any  
15 other type of well work or rehab done, other than  
16 tubing and packer replacement? Did you acidize or  
17 treat the well in any way?

18 MR. CLIFFORD: No, sir. With the coil  
19 tubing rig on location September 1st through 3rd,  
20 they displaced some acid when they started tagging  
21 fill on the way in the well. It turns out it was  
22 most likely that wireline we retrieved when we had  
23 the pulling unit there September 9th through the  
24 16th.

25 But when the coil was going in they kept

1 tagging something and they were pushing it down the  
2 hole so they pumped some acid down there to see if  
3 they could open it up. I think it was a thousand or  
4 2,000 gallons. I believe Devon has the report for  
5 the coil tubing job. It wasn't a whole lot of acid,  
6 maybe like a thousand gallons, and ultimately they  
7 couldn't get through the obstruction. So that's why  
8 the coil tubing or the workover rig followed about a  
9 week prior to that.

10 MR. EXAMINER: But no perf -- I mean no  
11 cleaning off the perfs with an acid, no acid?

12 MR. CLIFFORD: No, sir.

13 MR. EXAMINER: Okay. And last question:  
14 As far as confining zone, I mean, we're assuming the  
15 Bell Canyon is a permeability barrier or are we  
16 taking a combination of lithology as keeping things  
17 in intervals? Your opinion as to what's keeping  
18 injection at least below Castile?

19 MR. CLIFFORD: Like ultimately it's, you  
20 know, better described by a geologist but I can, I  
21 guess, put my two cents in. There's multiple  
22 barriers, and Russ, our next witness, will show he's  
23 got multiple, distinct what he's identified as  
24 barriers and him and the geologic team at OXY who  
25 have looked over this.

1           There's plenty of publications and  
2 literature from the WIPP, from the Department of  
3 Energy listing the Castile and the Salado as  
4 impermeable barriers, and I think we heard it today  
5 from Devon themselves. I think there's plenty of  
6 adequate barriers. People have been disposing water  
7 in the Bell Canyon, Cherry Canyon for plenty of  
8 years, and I think there's good reason that's been  
9 done in the past. We haven't seen issues on any of  
10 our SWDs in the past. And after a pretty conclusive  
11 study here, we feel pretty comfortable that we're  
12 still in -- have integrity of our injection zone and  
13 we don't have any -- a lot of seepage out of the  
14 permitted injection zone.

15           MR. EXAMINER: On that note, we're done  
16 with this witness. Thank you very much.

17           Let's take a break, another 10 minutes.  
18 But first let's have a discussion. You have one  
19 more witness?

20           [Witness excused.]

21           MR. FELDEWERT: One more witness, and I  
22 anticipate 15 minutes.

23           MR. EXAMINER: Really? Oh, wow.

24           MR. FELDEWERT: It's not unheard of.

25           MR. EXAMINER: We'll stay for you then.

1 I'm not going to break this up. We've done it this  
2 far and if you have such that we're not going to be  
3 like the geothermal hearings and go into three or  
4 four days then we will go ahead and proceed.

5 All right. Take a 10-minute break.

6 [Recess taken from 4:29 PM to 4:39 PM.]

7 MR. EXAMINER: Okay, folks. Let's go back  
8 on the record.

9 Mr. Feldewert, continue with your  
10 presentation.

11 RUSS COOPER

12 after having been first duly sworn under oath,  
13 was questioned and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. FELDEWERT:

16 Q. Would you please state your name, identify  
17 by whom you're employed, and in what capacity.

18 A. I'm Russ Cooper, employed by OXY Permian  
19 Resources. I'm chief geoscientist.

20 Q. And how long have you been with OXY?

21 A. About 35 years.

22 Q. And how many years have you spent for OXY  
23 in the Permian Basin?

24 A. 16 years.

25 Q. Are you familiar with their various

1 projects?

2 A. Yes.

3 Q. Including their enhanced oil recovery  
4 projects?

5 A. Absolutely.

6 Q. And their disposal operations?

7 A. Yes.

8 Q. Have you previously testified before the  
9 Oil Conservation Division as an expert in petroleum  
10 geology?

11 A. No.

12 Q. Would you outline your educational  
13 background?

14 A. I have a BS degree in geology from Virginia  
15 Tech.

16 Q. And then you have your 35 years with OXY.  
17 Has that been as a geologist?

18 A. Yes.

19 Q. Are you member of any professional  
20 affiliations or associations?

21 A. The U.S. Geological Society, the Society of  
22 Exploration Geophysicists, the American Association  
23 of Petroleum Geologists, and I'm a certified  
24 petroleum geologist with the state of Texas.

25 Q. How long have you been a member of the

1 AAPG?

2 A. Most all of my entire 35 years.

3 Q. What about your certification as a  
4 petroleum geologist in Texas, when did you receive  
5 that?

6 A. As soon as they were available. I forget  
7 how long that's been.

8 Q. Have you conducted a geologic review of the  
9 area at issue and the formation in which OXY's  
10 Diamond State was approved for disposal?

11 A. Yes, I have.

12 MR. FELDEWERT: I tender Mr. Cooper as an  
13 expert witness in petroleum geology.

14 MR. BRUCE: No objection.

15 MR. EXAMINER: Mr. Cooper is so qualified.  
16 Thank you.

17 Q. (By Mr. Feldewert) Mr. Cooper, would you  
18 turn to what's been marked as OXY Exhibit 29. Is  
19 this a type log for the Diamond State Well that you  
20 or your team prepared?

21 A. It is.

22 Q. And is there a larger version of that type  
23 log behind this particular exhibit if the Examiners  
24 were interested in examining?

25 A. Yes, there is.

1           Q.    Now, you show the injection interval here,  
2   correct?

3           A.    Correct.

4           Q.    And then way at the top you show the  
5   stratographic equivalent where Devon encountered  
6   their water pocket; is that right?

7           A.    Yes.

8           Q.    You've also identified on here the location  
9   of the intermediate casing shoe?

10          A.    Yes, at the 7-and-five-eighths and at  
11   Salado 4830, measured depth.

12          Q.    Now, there was a question from the Examiner  
13   about the confining barriers above this particular  
14   approved injection interval. Can you walk us  
15   through those, please?

16          A.    Yes. If you notice above the top of the  
17   shallowest injection perforation at 5335, between  
18   that depth and the top of cement at 5165, they are  
19   approximately three tight streaks shown in the blue  
20   bars to the right side of the type log. These are  
21   believed to be impermeable strata. And then as you  
22   move upward in the section above the top of cement  
23   toward the base of the anhydrate there are another  
24   three permeability barriers, 10 tight streaks.

25          Q.    And then once you get to the top of the

1 Bell Canyon, is that a fairly confining -- how would  
2 you describe the top of the Bell Canyon?

3 A. The top of the Bell Canyon would be  
4 equivalent to, in this case, the base of the  
5 anhydrite as well as that interface there. That's a  
6 pretty -- that's a pretty definitive vertical  
7 permeability barrier.

8 Q. Okay. And then once you get above the top  
9 of the Bell Canyon, what do you have above that?

10 A. Over 3,000 feet of evaporites consistent  
11 with the Castile and Salado formations.

12 Q. And are these fairly impermeable?

13 A. Very impermeable.

14 Q. Are there -- speaking -- keeping in mind  
15 the migratory pathways that they have suggested  
16 could occur here, does the lithology, in your  
17 opinion, support the theory that the injected water  
18 could migrate from the injection zone to the casing  
19 shoe or beyond?

20 A. No, it does not.

21 Q. And then if you focus on where the casing  
22 shoe is located, where they raised some concerns  
23 about water migration theory because of karsting or  
24 some other reason, what's the nature of the  
25 methodology where the casing shoe is located?



1 A. It's set in anhydrite.

2 Q. And is that a good place to set the casing  
3 shoe?

4 A. It is. It has a high mechanical integrity.

5 Q. Is it also an impermeable area?

6 A. It is.

7 Q. If water somehow migrated out of the  
8 injection zone and up to the 4830 feet where the  
9 casing shoe is located, is there going to be any  
10 kind of washing or karsting or anything like that in  
11 that anhydrite?

12 A. No.

13 Q. Why is that?

14 A. It doesn't react with that formation.

15 Q. What would occur? Would you have --

16 A. Nothing.

17 Q. Nothing, okay. Do you have an opinion as  
18 to the potential source of the pressurized water  
19 that Devon encountered at 1800 feet?

20 A. Yes.

21 Q. And what is that?

22 A. Shallow brine filled pocket.

23 Q. Okay. Have OXY and other operators  
24 observed these isolated events in this general  
25 region?

1           A.    They have.

2           Q.    Does OXY Exhibit Number 30 assist in  
3 explaining these types of isolated events?

4           A.    It doesn't explain the isolated events so  
5 much as it explains overpressure and the nature of  
6 development of overpressure.

7                   This is a pretty simple diagram, but the  
8 top part of this diagram has a couple of boxes on  
9 the left and right side for the explanation of the  
10 formation of normal pressure. So in the upper left  
11 side you'll see the uncompacted settlements with the  
12 black arrows on top pushing down indicating or  
13 illustrating overlying strata pushing weight on  
14 this -- on this uncompacted sediment.

15                   And in this normal pressured situation you  
16 have a permeable layer around the uncompacted  
17 sediment, such that when increasing aerial depth  
18 occurs the water is expelled from the formation and  
19 eventually you get to a grain-to-grain contact  
20 compaction setting at which point the overburden  
21 weight is supported by the rock grains. And this  
22 leads to a condition on its hydrostatic gradient.

23                   The two boxes below are fairly similar but  
24 there are some differences. In the overpressure  
25 situation you start with the same basic situation

1     except now you are surrounded by impermeable  
2     formation such as shale and salt. So now as the  
3     compaction tries to occur and the weight increases  
4     there's no expelling of the water. And so the -- so  
5     the overlying strata is supported by the fluids not  
6     the rock grains. And as such we approach and  
7     achieve a lithostatic gradient also known as  
8     overpressuring.

9           Q.     And in order to have these overpressured  
10    events you have to have a confined sealed zone;  
11    isn't that correct?

12          A.     That's correct.

13          Q.     And in your opinion, are the types of  
14    pressures that Devon encountered at 1800 feet; is  
15    that the type of pressure that could be encountered  
16    if you have a confined sealed zone?

17          A.     Yes.

18          Q.     And could you have that type of pressure if  
19    the zone wasn't confined and it was just laterally  
20    contiguous across the area --

21          A.     No.

22          Q.     -- because of bone sandstone?

23          A.     No. You would have more of a hydrostatic  
24    condition.

25          Q.     You wouldn't have the overpressure?

1 A. You would not.

2 Q. And if we then -- in preparation for this  
3 hearing, did you -- did OXY's team document  
4 instances where these -- these isolated pressurized  
5 water pockets have been found in this region?

6 A. Yes.

7 Q. Now, turn to what's been marked as OXY  
8 Exhibit 31. Is that the system identifying these  
9 instances?

10 A. It does.

11 Q. And there's a larger version of this map  
12 behind the second page of this exhibit, correct?

13 A. Yes.

14 Q. But roughly, what do the -- or not roughly.  
15 What do the red dots represent?

16 A. The red dots indicate wellbores that have  
17 been identified as having shallow water flows.

18 Q. And then if I look in the middle of this  
19 exhibit, have you identified the location of the  
20 area in question?

21 A. Yes. It's in township 22, south range 33  
22 east, section 24 to the south. It's hard to read  
23 here.

24 Q. It looks like section 34, okay. You have  
25 little stars there?

1 A. It is section 34, yes.

2 Q. And you have stars --

3 A. Now when you say it, it is 34. Yes, stars  
4 indicate the Diamond 34 and the Thistle.

5 Q. Okay. And then on the second page of this  
6 exhibit, have you documented the Division records  
7 with respect to each of these 22 instances?

8 A. Yes.

9 Q. And there's been some talk here about --  
10 today that these instances involved primarily H2S  
11 flows. Were you here for that?

12 A. Yes.

13 Q. And did you review this chart to determine  
14 whether there's -- these records actually indicate  
15 in all of these instances that there was  
16 accompanying H2S?

17 A. Yes.

18 Q. And what have you found?

19 A. Well, some of them and do some of them  
20 don't. About -- I think about nine out of this  
21 collection of 22 don't have any reference to H2S.

22 Q. Okay. So, for example, if I start at the  
23 top there's some reference there to the Cloyd Number  
24 1 and Number Two wells. Do you see that?

25 A. Yes, the Cloyd 1 and 2.

1           Q.    Yes.  And those are actually in the same  
2   township and range as the wells in question; isn't  
3   that right?

4           A.    Yes.

5           Q.    And they do reflect sulphur water, right?

6           A.    They do.

7           Q.    And the next one reflects black water.  
8   Does that tell you exactly whether it involved H2S  
9   or not?

10          A.    Not necessarily.

11          Q.    Okay.  And then the very next entry doesn't  
12   have any reference to H2S; isn't that correct?

13          A.    Correct.

14          Q.    And then we go down to the state A-1, and  
15   again we see a reference to black saltwater.

16          A.    Yes.

17          Q.    But there's no reference to H2S?

18          A.    No.

19          Q.    And then there's a whole series starting  
20   with the Humble State Number 1 in the Federal K-1  
21   and the Covington Federal Number 1, and the Federal  
22   Number 1 reflect no instance of H2S in their  
23   records, do they?

24          A.    They do not.

25          Q.    And you see, as you go down the line,

1     there's other kind of -- sometimes they reference  
2     H2S and sometimes they don't?

3           A.     Correct.

4           Q.     Okay.  So is it fair for them to suggest  
5     that all of these instances or most of these  
6     instances involve H2S?

7           A.     It's not accurate, I don't think.

8           Q.     Okay.  Now, these, you would concede or you  
9     would agree, Mr. Cooper, that these are sporadic,  
10    isolated instances?

11          A.     Yes.

12          Q.     Are they predictable?

13          A.     Absolutely not.

14          Q.     Are they totally random?

15          A.     Yes.

16          Q.     Okay.  In examining these instances, did  
17    you prepare some slides to show how sporadic and  
18    random they could be?

19          A.     I did.

20          Q.     And if I turn to what's been marked as OXY  
21    Exhibit 32, does that correspond with the Anderson  
22    well --

23          A.     Yes.

24          Q.     -- 5H well, which is the last well listed  
25    on Exhibit 31?

1 A. Yes.

2 Q. Okay. This indicates, it says 7.9 miles to  
3 the northeast of our location, correct?

4 A. Right.

5 Q. All right. What was significant about  
6 that?

7 A. Well, you have a number of wells drilled  
8 here, starting with the Anderson Number 1, which is  
9 a vertical wellbore that did not encounter any  
10 shallow water flows followed by the 2H -- 3H, which  
11 also did not experience any shallow water flows.  
12 And then the last well, the 5H, did at a depth of  
13 1,668 feet.

14 Q. Now, let me ask you about that. Is that in  
15 the Castile?

16 A. That would be in the Salado, I believe.

17 Q. Not in the Castile?

18 A. I don't believe so.

19 Q. This would be an example of one of those  
20 water pockets in the Salado itself?

21 A. Yes.

22 Q. And does the second page of this exhibit  
23 reference the fact that this is roughly at the same  
24 geologic depth as the Devon well?

25 A. Yes, it does.



1 Q. And what -- and how would you describe  
2 that?

3 A. Well, in the lower left corner, lower left  
4 part of this exhibit you'll see a table that shows  
5 the depth down from the top of the Salado to the  
6 depth of overpressure is about the same. And then  
7 the cross section, the two well cross section on the  
8 right is a little confusing. But the Anderson 1, as  
9 shown, it's being used as a representation of the  
10 Anderson 35 5H. And then the North Thistle -- that  
11 should read 34 Number 1, not 24 Number 1H is  
12 represented by the Diamond 34 Number 1 saltwater  
13 disposal well.

14 Q. And I think you made a point of  
15 identifying, at least on the first page of the  
16 previous exhibit, how close these wells actually are  
17 to the Anderson.

18 A. Yes, the Anderson 35 2H is only about  
19 300 feet south of the 35 5H, which is all the  
20 shallow water flows. And then to the north, about  
21 730 feet north of the 5H well the 3H did not  
22 encounter any shallow water flow.

23 Q. In your opinion, is this a good example of  
24 how isolated and random these isolated -- these  
25 water pockets could be?

1 A. Yes.

2 Q. Okay. Then if I go to the next exhibit,  
3 OXY 33, is that another example that you brought to  
4 the attention of the Examiner?

5 A. Yes.

6 Q. How far away is this particular example?

7 A. 5.35 miles northwest of Ridge Runner Number  
8 7.

9 Q. And what are you showing here? How close  
10 are these -- is this grouping of wells?

11 A. We have seven wells within like a half-mile  
12 radius. And the second to the last of those seven  
13 wells encounter the shallow water flow at 39 and 44.

14 Q. Just the second to the last well?

15 A. The second to the last, yes.

16 Q. And is there -- is this another example of  
17 how random and isolated these water pockets could  
18 be?

19 A. Yes.

20 Q. Then turn to what's been marked as OXY  
21 Exhibit 34. Now, this is an area that's only  
22 3.5 miles away; is that correct?

23 A. Yes.

24 Q. And what's -- what are you showing here?

25 A. Well, back in 1962, the Richardson & Bass

1 State AQ Number 1 was drilled in the middle of a  
2 field that did not have any shallow water flows yet.  
3 The Richardson & Bass State AQ Number 1 did have  
4 some shallow water flow at 3730, and it was killed  
5 with a 12-pounds-per-gallon mud.

6 Q. And none of the offsetting wells reflected  
7 any instances of a similar pressurized water?

8 A. Correct.

9 Q. And was this indeed an overpressurized  
10 zone?

11 A. Yes.

12 Q. And then finally, OXY Exhibit 35, where is  
13 this located and why did you include this as an  
14 exhibit?

15 A. I included this as an exhibit, this is a  
16 representative of the Devon Energy operated wellbore  
17 located 7.85 miles northwest of the Diamond  
18 saltwater disposal. This is the White Swan 9  
19 Federal Number 3, and you'll see in the drilling  
20 program, section number 9 in the box at the left of  
21 the little map, abnormal conditions, pressures,  
22 temperatures and potential hazards. Highlighted in  
23 yellow, it's been reported that some offset wells  
24 encountered brine water flows and associated H2S  
25 from the salt section at around 3,300 feet. Brine

1 rates have been 200 to 300 barrels per hour and H2S  
2 was measured at around 60 parts per million.

3 Q. And this is -- this would be within records  
4 accessible to Devon, correct?

5 A. It should be.

6 Q. Now, isn't it true, Mr. Cooper, that the --  
7 not only is the nature of these water pockets  
8 extremely isolated and random but that the pressures  
9 that are encountered can vary from area to area?

10 A. Yes, they can.

11 Q. And you're likewise familiar with the WIPP  
12 study that's been marked as OXY Exhibit 37?

13 A. Yes. I'm trying to find a copy of it here.

14 Q. On your right.

15 A. Here we go. Got it. Yes, I am.

16 Q. And you've observed this and they too --  
17 they also, at least this particular section,  
18 actually focuses on the Salado; is that right?

19 A. It does.

20 Q. And that is the same zone that's at issue  
21 here?

22 A. Yes.

23 Q. And it reflects very high pressures?

24 A. Yes, it's -- it was discussed a little bit  
25 earlier, I believe. They observed pressures in the

1 range of 12 megapascals.

2 Q. And have you also examined other reports?

3 A. Yes. There's another WIPP study that was  
4 referenced by Mr. Schwegal earlier.

5 Q. That's in one of his exhibits we went  
6 through earlier?

7 A. Yes, but it's a different part of that --  
8 of that same article.

9 Q. And what does the different part address?

10 A. It talks about how the brine flows are  
11 unpredictable, you know, difficult to -- difficult  
12 to predict in terms of their location, and that the  
13 pressures range anywhere -- they're very much like  
14 this report here, anywhere from the hydrostatic or  
15 7 megapascals to upwards of 15 megapascals.

16 MR. FELDEWERT: And just for the record,  
17 that report or that reference to the report can be  
18 found at Devon's Exhibit E, slide 10.

19 Q. (By Mr. Feldewert) Mr. Cooper, in your  
20 opinion, what is the most likely source of the water  
21 that Devon encountered at 1800 feet?

22 A. Shallow overpressured water pocket.

23 MR. FELDEWERT: That's all the questions I  
24 have.

25 MR. EXAMINER: Very good.

1 Mr. Bruce?

2 CROSS-EXAMINATION

3 BY MR. BRUCE:

4 Q. Mr. Cooper, looking at your Exhibit 31 --  
5 is that right? Yeah. There are 22 instances of  
6 water pressure encountered. It looks like, as far  
7 as I could tell, other than the Anderson -- the  
8 bottom well of the Anderson 35 5H, all of these are  
9 at depths of, say, 3,000 to 4500 feet, basically?

10 A. Yes.

11 Q. And as you show the, Anderson 35 5H well is  
12 at roughly 1670 feet?

13 A. Yes.

14 Q. Now -- and then you -- over in the  
15 right-hand column there's some comments about H2S,  
16 black water, et cetera, what causes black water  
17 besides hydrogen sulfate?

18 A. I'm not sure.

19 Q. And then moving on to your Exhibit 32.

20 A. Okay.

21 Q. Again, talking about the Anderson 35 5H,  
22 was the mud weight used to control that well around  
23 12 PBG?

24 A. This is the Anderson 35 5H we're talking  
25 about now?

1 Q. Yes, sir.

2 A. It says it weighted up to 10-4.

3 Q. Okay, 10-4. And that's substantially lower  
4 by a factor of a third of what Devon had in its  
5 section 34 well, which was 15 to 16?

6 A. Yes.

7 Q. So you could say the Devon well was  
8 anomalous at 15 to 16 PBG?

9 A. Yes.

10 Q. And then just going through, again, you  
11 have, once again, the Ridge -- your Exhibit 33, the  
12 Ridge Runner, that's at 30 -- that's at almost  
13 4,000 feet; is that correct? Much deeper than the  
14 Devon zone?

15 A. Yes.

16 Q. And then you move to Exhibit 34. And,  
17 again, that's 3700 feet, much deeper?

18 A. Yes.

19 Q. And that one had 12 PBG to control the well  
20 as opposed to Devon's 16; is that correct, in the  
21 North Thistle 34?

22 A. I can't answer your question.

23 Q. Okay. And, again, this shows a sulphur  
24 water flow?

25 A. Yes.

1 Q. And Devon encountered no sulphur; is that  
2 correct?

3 A. Correct.

4 Q. And then you move to Exhibit 35. Again,  
5 this is a deeper -- the flow was deeper, 3300 feet,  
6 and, again, there was H2S present, correct?

7 A. Example -- example 35?

8 Q. Exhibit 35.

9 A. 35, there's -- there's no -- there's no  
10 shallow water flow in Exhibit 35.

11 Q. What did you highlight then?

12 A. We just highlighted the fact that Santa Fe  
13 and, hence, afterwards Devon should have been aware  
14 of the fact that there's shallow brine flows in the  
15 area.

16 Q. Okay.

17 A. That's all.

18 Q. Okay. Brine water flows and associated  
19 hydrogen sulfite, correct?

20 A. Correct.

21 Q. Now, just a couple of final things. How  
22 far -- you referenced the WIPP study. I forget the  
23 exhibit, Number 37 or something. How far is that  
24 away from the wells we're talking about today?

25 A. I forget the exact distance. It's more



1     than 10 miles away, I believe.

2           Q.     Okay. Is the WIPP site near the edge of  
3     the Capitan Reef?

4           A.     I'm not sure.

5           Q.     Capitan Reef is a known aquifer, correct?

6           A.     I'm not sure.

7           Q.     Do you know if the Capitan is known to  
8     charge water into shallower formations?

9           A.     No.

10          Q.     Go back to your Exhibit 32.

11          A.     Okay.

12          Q.     Go to the top of the Salado, and you got  
13     the marker number 2. If the marker bed is  
14     correlative in the zone, how do isolated pockets  
15     form?

16          A.     I wish we knew.

17                 MR. BRUCE: I think I'll end it with that,  
18     Mr. Examiner.

19                 MR. EXAMINER: At this point we do have  
20     exhibits that need to be addressed.

21                 MR. FELDEWERT: And I do have one.

22                 MR. EXAMINER: Well, let's do the real  
23     stuff that makes money.

24

25

1 REDIRECT EXAMINATION

2 BY MR. FELDEWERT:

3 Q. Mr. Cooper, were OXY Exhibits 29 through 35  
4 prepared by you or compiled under your direct  
5 supervision?

6 A. Yes.

7 MR. FELDEWERT: I move the admission into  
8 evidence of OXY Exhibits 29 through 35.

9 MR. BRUCE: No objection.

10 MR. EXAMINER: Then Exhibits 29 through 35  
11 are so entered.

12 Your questions.

13 Q. (By Mr. Feldewert) And, Mr. Cooper, you  
14 didn't get a chance to, I don't think, fully review  
15 the chart. If I go to Exhibit 31, and I go to the  
16 second page. I think they tried to suggest that  
17 only one of these inferences was in the Salado; do  
18 you remember that?

19 A. Yes.

20 Q. And they just focused on the Anderson 35 5H  
21 well?

22 A. Okay, I see it now. Go ahead.

23 Q. If I look at the Humble State Number 1  
24 well --

25 A. Yes. Yeah.

1 Q. That's water at 1518.

2 A. Yes.

3 Q. Where would that be?

4 A. That's in Salado.

5 Q. And there's no evidence of H2S there,  
6 correct?

7 A. Correct.

8 Q. Then if I go to the Federal K-1 --

9 A. Yes.

10 Q. -- flowed saltwater while drilling from --

11 A. Right.

12 Q. What's that say?

13 A. 1310.

14 Q. 1310. Where is that located?

15 A. That -- that's the Salado as well.

16 Q. No H2S reported there either, right?

17 A. Correct.

18 Q. If I go down to the Lost Tank 35 State  
19 Number 11.

20 A. Okay.

21 Q. Where would that be located?

22 A. 2626, it could be lower Salado.

23 Q. Okay. And no evidence there of H2S,  
24 correct?

25 A. No.

1 Q. No H2S reported there?

2 A. Correct.

3 Q. And it said that -- and then there was  
4 something else I saw. Oh, I know what it was. Up  
5 there at the Humble State Number 1 it indicates they  
6 didn't pump mud. They pumped cement to stop the  
7 flow?

8 A. Correct.

9 Q. Cement is pretty heavy, isn't it?

10 A. Yes.

11 MR. FELDEWERT: That's all the questions I  
12 have.

13 MR. EXAMINER: Very good.

14 Mr. Brooks?

15 MR. BROOKS: No questions.

16 MR. EXAMINER: Your testimony has answered  
17 most of my questions. I don't have any additional  
18 questions for you.

19 At this point we would offer to each  
20 attorney the ability for rebuttal. Has there been  
21 any thought on your part?

22 MR. BRUCE: Let me check with my clients  
23 but I don't think so.

24 MR. EXAMINER: Very good.

25 MR. FELDEWERT: Nothing from us.

1 MR. EXAMINER: And thank you for your  
2 testimony.

3 THE WITNESS: You're welcome.

4 [Witness excused.]

5 MR. FELDEWERT: So, Mr. Examiner, that  
6 concludes our presentation.

7 MR. EXAMINER: I can't believe you don't  
8 have a closing statement.

9 MR. FELDEWERT: We don't need a closing  
10 statement.

11 MR. EXAMINER: You don't need a closing  
12 statement.

13 MR. FELDEWERT: Unless you want one.

14 MR. EXAMINER: No.

15 MR. BRUCE: And I wasn't planning on one  
16 either, Mr. Examiner.

17 MR. EXAMINER: We wore both of you  
18 gentlemen out as a result of saltwater disposal  
19 wells and its many stories.

20 On that point, I thank you all for bearing  
21 through all this motion. We will take case 15397  
22 under advisement, and thank you all for your time  
23 and your effort.

24 MR. FELDEWERT: Thank you.

25 [The hearing was recessed at 5:12 PM of Case No. 15397

I hereby certify that the foregoing is  
a correct record of the proceedings in  
the Examiner's Office on March 29, 2016  
heard by me on March 29, 2016  
Examiner

## REPORTER'S CERTIFICATE

I, Lisa Reinicke, court reporter, do hereby state that I reported the foregoing proceedings in stenographic shorthand and that the foregoing pages are a true and correct transcript of those proceedings and was reduced to printed form under my direct supervision.

I FURTHER STATE that I am neither employed by nor related to any of the parties or attorneys in this case and that I have no interest whatsoever in the final disposition of this case in any court.

Lisa R. Reinicke,  
Court Reporter