

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION COMMISSION FOR  
THE PURPOSE OF CONSIDERING:

ORIGINAL

DE NOVO APPLICATION OF CAZA  
PETROLEUM, INC. FOR A  
NONSTANDARD OIL SPACING AND  
PRORATION UNIT AND COMPULSORY  
POOLING, LEA COUNTY, NEW MEXICO.

CASE NO. 15437  
(De Novo)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSIONER HEARING

November 10, 2016

Santa Fe, New Mexico

BEFORE: DAVID R. CATANACH, CHAIRMAN  
PATRICK PADILLA, COMMISSIONER  
DR. ROBERT S. BALCH, COMMISSIONER  
GABRIEL WADE, ESQ.

RECEIVED 000  
2016 NOV 30 P 2:27

This matter came on for hearing before the  
New Mexico Oil Conservation Commission on Thursday,  
November 10, 2016, at the New Mexico Energy, Minerals  
and Natural Resources Department, Wendell Chino  
Building, 1220 South St. Francis Drive, Porter Hall,  
Room 102, Santa Fe, New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR  
New Mexico CCR #20  
Paul Baca Professional Court Reporters  
500 4th Street, Northwest, Suite 105  
Albuquerque, New Mexico 87102  
(505) 843-9241

1 APPEARANCES

2 FOR APPLICANT CAZA PETROLEUM, INC.:

3 JAMES G. BRUCE, ESQ.  
Post Office Box 1056  
4 Santa Fe, New Mexico 87504  
(505) 982-2043  
5 jamesbruc@aol.com

6 FOR LEGACY RESERVES, LP:

7 GARY W. LARSON, ESQ.  
HINKLE SHANOR, LLP  
8 218 Montezuma Avenue  
Santa Fe, New Mexico 87501  
9 (505) 982-4554  
glarson@hinklelawfirm.com

10

11 FOR THE NEW MEXICO STATE LAND OFFICE:

12 KATHERINE "KITTY" MOSS, ESQ.  
NEW MEXICO STATE LAND OFFICE  
13 OFFICE OF GENERAL COUNSEL  
310 Old Santa Fe Trail  
14 Santa Fe, New Mexico 87501  
(505) 827-5702

15

16

17

18

19

20

21

22

23

24

25

1	INDEX	
2		PAGE
3	Case Number 15437 Called	6
4	Motion to Continue by Ms. Moss	6
5	Executive Session/Ruling on Motion to Continue	9
6		
7	Caza Petroleum, Inc.'s Case-in-Chief:	
8	Witnesses:	
9	John E. "Jay" Brown:	
10	Direct Examination by Mr. Bruce	11
	Cross-Examination by Mr. Larson	19
11	Cross-Examination by Commissioner Balch	20
	Cross-Examination by Chairman Catanach	21
12	Cross-Examination by Commissioner Padilla	22
	Redirect Examination by Mr. Bruce	23
13	Recross Examination by Mr. Larson	23
	Redirect Examination by Mr. Bruce	24
14		
	Randy L. Nickerson:	
15	Direct Examination by Mr. Bruce	24
16	Cross-Examination by Mr. Larson	44
	Redirect Examination by Mr. Bruce	51
17	Cross-examination by Chairman Catanach	52
	Cross-Examination by Commissioner Padilla	55
18	Cross-Examination by Commissioner Balch	58
19	Anthony B. Sam:	
20	Direct Examination by Mr. Bruce	62
	Cross-Examination by Mr. Larson	74
21	Cross-Examination by Commissioner Balch	77
	Cross-Examination by Chairman Catanach	78
22	Cross-Examination by Commissioner Balch	79
	Recross Examination by Chairman Catanach	81
23	Redirect Examination by Mr. Bruce	81
	Recross Examination by Mr. Larson	84
24		
25	Lunch Recess	85

1	INDEX (Cont'd)	
2		PAGE
3	Legacy Reserves, LP's Case-in-Chief:	
4	Witnesses:	
5	Clay Roberts:	
6	Direct Examination by Mr. Larson	86
	Cross-Examination by Mr. Bruce	99
7	Cross-Examination by Chairman Catanach	102
	Cross-Examination by Commissioner Padilla	104
8	Cross-Examination by Commissioner Balch	105
	Redirect Examination by Mr. Larson	108
9		
	Keith McKamey:	
10	Direct Examination by Mr. Larson	109
11	Cross-Examination by Mr. Bruce	127
	Cross-Examination by Commissioner Balch	129
12	Cross-Examination by Chairman Catanach	134
	Recross Examination by Commissioner Balch	138
13	Cross-Examination by Commissioner Padilla	138
	Redirect Examination by Mr. Larson	140
14	Recross Examination by Mr. Bruce	141
15	Donald Patrick Darden:	
16	Direct Examination by Mr. Larson	142
	Cross-Examination by Mr. Bruce	165
17	Cross-Examination by Commissioner Padilla	169
	Cross-Examination by Chairman Catanach	173
18	Cross-Examination By Commissioner Balch	177
	Recross Examination by Chairman Catanach	179
19	Redirect Examination by Mr. Larson	180
	Recross Examination by Mr. Bruce	181
20		
21	Caza Petroleum, Inc.'s Rebuttal Case-in-Chief:	
22	Witnesses:	
23	Anthony B. Sam:	
24	Direct Examination by Mr. Bruce	182
	Cross-Examination by Commissioner Padilla	185
25		

## 1 INDEX (Cont'd)

2		PAGE
3	Closing Argument by Mr. Bruce	185,188
4	Closing Argument by Mr. Larson	187
5	Executive Session	189
6	Proceedings Recess	191
7	Certificate of Court Reporter	192

8

9

## 10 EXHIBITS OFFERED AND ADMITTED

11	Caza Petroleum, Inc.'s Exhibit Numbers 1 through 9	19
12		
13	Caza Petroleum, Inc.'s Exhibit Numbers 10 through 30	43
14	Caza Petroleum, Inc. Exhibit Numbers 31 through 34	73
15		
16	Legacy Reserves, LP Exhibit Numbers 1 through 5	99
17	Legacy Reserves, LP Exhibit Numbers 6 through 10	127
18	Legacy Reserves, LP Exhibit Numbers 11 through 18	165

19

20

21

22

23

24

25

1 (9:11 a.m.)

2 CHAIRMAN CATANACH: Okay. Next order of  
3 business today is Case Number 15437, which is the  
4 de novo application of Caza Petroleum, Inc. for a  
5 nonstandard oil spacing and proration unit and  
6 compulsory pooling in Lea County, New Mexico.

7 At this time I will call for appearances.

8 MR. BRUCE: Mr. Chairman, Jim Bruce of  
9 Santa Fe representing the Applicant. I have three  
10 witnesses.

11 MR. LARSON: Good morning, Mr. Chairman,  
12 Commissioners. Gary Larson, from the Santa Fe office of  
13 Hinkle Shanor, for Legacy Reserves, L.P. I also have  
14 three witnesses.

15 MS. MOSS: Good morning, Commissioners.  
16 Kathryn Moss for the Commissioner of Public Lands  
17 appearing at this time because we just found out about  
18 this matter and had not received notice as we should  
19 under the rules about the OCD hearing or any notice of  
20 this hearing.

21 CHAIRMAN CATANACH: Ms. Moss, what is --  
22 what do you intend to do at this hearing?

23 MS. MOSS: We object to this hearing  
24 proceeding altogether. We can't participate in any  
25 meaningful manner. Since we didn't receive notice, we

1 have been deprived of participation from the very onset.

2 CHAIRMAN CATANACH: Mr. Bruce, would you  
3 like to address that?

4 MR. BRUCE: Well, I've never sent notice  
5 to -- whether the BLM or the State Land Office. We're  
6 force pooling Legacy, obviously. We're not force  
7 pooling the State.

8 CHAIRMAN CATANACH: Ms. Moss, what notice  
9 are you referring to? I'm not aware that we have a rule  
10 that requires direct notice for compulsory pooling to  
11 the State Land Office.

12 MS. MOSS: Because in this case, where Caza  
13 is requesting to drill into state minerals, which are  
14 partly unitized, we read the rule that we receive  
15 notice. Caza, actually -- although I'm not sure  
16 Mr. Bruce would object to that because I believe notice  
17 is required under these circumstances. It may not be  
18 what is generally done, but the rule does require it.

19 CHAIRMAN CATANACH: Which rule are you  
20 referring to?

21 MS. MOSS: 19.15.4.12(A)(1).

22 CHAIRMAN CATANACH: Do you have a copy of  
23 that?

24 MS. MOSS: Yes, I do.

25 COMMISSIONER BALCH: Mr. Wade does.

1 MS. MOSS: May I approach?

2 MR. BRUCE: They've got it.

3 CHAIRMAN CATANACH: Mr. Larson, do you have  
4 any statements in regard to this?

5 MR. LARSON: I do not.

6 CHAIRMAN CATANACH: Ms. Moss, are you just  
7 requesting the ability to participate in the case?

8 MS. MOSS: I'm sorry. We would not be able  
9 to participate in any way that's meaningful at this  
10 point because I found out about this a little after 5:00  
11 yesterday. So there would -- I could not possibly be  
12 prepared to participate in a way that would represent --  
13 I could not participate in a way that would be  
14 meaningful to the Commissioner without proper notice or  
15 certainly more notice than I received in this case.

16 CHAIRMAN CATANACH: I think what we're  
17 going to do is go into executive session and decide what  
18 we're going to do with this request.

19 MS. MOSS: Thank you.

20 COMMISSIONER BALCH: I would so move.

21 CHAIRMAN CATANACH: Oh, do I have a motion  
22 to go into executive session?

23 COMMISSIONER PADILLA: So moved.

24 COMMISSIONER BALCH: And seconded.

25 CHAIRMAN CATANACH: All in favor?



1 (Ayes are unanimous.)

2 (Executive Session, 9:16 a.m. to 9:38 a.m.)

3 CHAIRMAN CATANACH: Do I have a motion to  
4 go back into regular session?

5 COMMISSIONER PADILLA: So moved.

6 COMMISSIONER BALCH: And seconded.

7 CHAIRMAN CATANACH: All in favor?

8 (Ayes are unanimous.)

9 CHAIRMAN CATANACH: I will state for the  
10 record that during the executive session, we discussed  
11 the motion from Ms. Moss to continue the case, and that  
12 was all we discussed.

13 We also went over the notice rule, and we  
14 have determined or we've -- yeah. We decided that  
15 pursuant to 19.15.4.12(A)(1), we don't believe that the  
16 Land Office is entitled to notice in this case.  
17 Historically, we don't believe it's been done in the  
18 past. And so that issue is set aside.

19 What I would put forth now is a vote on  
20 Ms. Moss's motion to continue the case. I'll put forth  
21 a vote on that at this time.

22 COMMISSIONER BALCH: I would vote no for a  
23 continuance.

24 CHAIRMAN CATANACH: I would also vote no to  
25 the continuance.

1 COMMISSIONER PADILLA: I would vote yes to  
2 the continuance.

3 CHAIRMAN CATANACH: The motion to continue  
4 is denied at this time by a vote of two to one.

5 I would also like to make a statement that  
6 we would allow SLO to participate in this hearing,  
7 whether it be by statement or other means that they want  
8 to participate.

9 MS. MOSS: Thank you very much.

10 CHAIRMAN CATANACH: At this time we'll  
11 proceed.

12 MR. WADE: Can we clarify if the State Land  
13 Office would like to cross-examine witnesses,  
14 participate in that manner, or would you like to give a  
15 statement?

16 MS. MOSS: I think we will be fine with a  
17 statement.

18 MR. WADE: Okay.

19 MS. MOSS: Thank you for asking.

20 CHAIRMAN CATANACH: Thank you, Ms. Moss.  
21 Can I get all the witnesses to stand and be  
22 sworn in?

23 (Mr. Brown, Mr. Nickerson, Mr. Sam,  
24 Mr. Roberts, Mr. McKamey and Mr. Darden  
25 sworn.)

1 MR. BRUCE: Commissioners, before we begin,  
2 I'd like to substitute Exhibit 2 in your packages with a  
3 revised Exhibit 2. I previously sent this over to  
4 Mr. Larson, and I don't believe there is an objection to  
5 the substitution.

6 MR. LARSON: No objection.

7 JOHN E. "JAY" BROWN,  
8 after having been previously sworn under oath, was  
9 questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Would you please state your name and city of  
13 residence for the record?

14 A. John E. Brown, The Woodlands, Texas.

15 Q. Who do you work for and in what capacity?

16 A. Caza Petroleum, land manager.

17 Q. Did you previously testify before the Oil  
18 Conservation Division?

19 A. Yes, I have.

20 Q. And were your credentials as an expert  
21 petroleum landman accepted as a matter of record?

22 A. Yes, they were.

23 Q. You have not previously testified before the  
24 Commission, have you?

25 A. No, I have not.

1 Q. Would you please briefly summarize your  
2 educational and employment background for the  
3 Commissioners?

4 A. I have a bachelor's of business administration  
5 from the University of Texas in petroleum land  
6 management.

7 Q. And who have you worked for and how long have  
8 you worked in the business?

9 A. I've worked for about 42 years in the business  
10 as a landman. I've worked for, gosh, Amoco Production  
11 Company, Saxon Oil Company. I would have to think about  
12 that.

13 Q. A number of companies?

14 A. Eight different companies, Pacific Enterprises,  
15 Zinke & Trumbo, Texas Meridian, to name a few.

16 Q. And how long have you been at Caza?

17 A. Six-and-a-half years.

18 Q. And does your area of responsibility at Caza  
19 include some portion of New Mexico?

20 A. Yes, it does.

21 Q. And are you familiar with the land matters  
22 involved in this case?

23 A. Yes, I am.

24 MR. BRUCE: Mr. Chairman, I'd tender  
25 Mr. Brown as an expert petroleum landman.

1 CHAIRMAN CATANACH: Any objection?

2 MR. LARSON: No objection.

3 CHAIRMAN CATANACH: Mr. Brown is so  
4 qualified.

5 Q. (BY MR. BRUCE) Briefly, Mr. Brown, what is  
6 Exhibit 1?

7 A. The area in yellow represents Caza's  
8 New Mexico's state oil and gas lease, VB1758, covering  
9 the east half --

10 Q. Wait a minute. Exhibit 1.

11 A. Oh. Oh, oh. Sorry.

12 Q. Just briefly, what is that?

13 A. This Exhibit 1?

14 Q. Yes, that Exhibit 1.

15 A. Okay. This is an area locator map showing  
16 Section 19 of the section in question. Caza's state oil  
17 and gas is outlined in blue, and the proposed 160-acre  
18 project area for the proposed 7H well is indicated in  
19 yellow.

20 Q. And is Section 19 all State of New Mexico land?

21 A. Yes, it is.

22 Q. And Legacy owns the northwest quarter of the  
23 section?

24 A. Yes, it does.

25 Q. Now let's move on more to Exhibit 2.

1           A.     Okay. Exhibit 2 shows Sections 19 and 18.  
2     Again, in Section 19, the east half of the southwest  
3     quarter in yellow reflects Caza's leasehold of their  
4     state oil and gas lease. The northwest quarter is a  
5     state oil and gas lease held by Legacy, OG-5588-0002.  
6     And the west half of Section 18 is two BLM leases that  
7     are also owned by Legacy.

8                     On this plat are shown three wells that  
9     Caza has drilled, in the solid black lines, the 2H, the  
10    3H and the 4H wells. They have a proposed permitted 1H  
11    well that is shown in the dashed symbol and two Legacy  
12    wells shown as wells 59H and 62H, which traverse the  
13    entire west half of Section 18 and the northwest quarter  
14    of Section 19, with the surface location down in the  
15    southwest quarter.

16          Q.     What is the name of Caza's well?

17          A.     The Igloo 19 State 2H, 3H and 4H wells, and the  
18    proposed well is the 7H.

19          Q.     And the 7H covers the -- the proposed well unit  
20    is the 7H, in the west half-west half of Section 18?

21          A.     Yes, it is.

22          Q.     Who do you seek to pool?

23          A.     Legacy Resources, Legacy Reserves.

24          Q.     And in the proposed well, Caza and its working  
25    interest partners own around 50 percent, correct?

1 A. That's correct.

2 Q. And Legacy would own 50 percent?

3 A. Correct.

4 Q. And that's shown on Exhibit 3?

5 A. Yes.

6 Q. What is Exhibit 4?

7 A. Exhibit 4 is the well proposal, dated --  
8 Exhibit 4 is Caza's well proposal, dated November 5th,  
9 2015, indicating the location and the depth of the  
10 proposed well. And attached to it is a then-current AFE  
11 showing drilling, completion and total well cost.

12 Q. Will a subsequent witness discuss the AFE cost?

13 A. Yes, he will.

14 Q. Now, besides -- then move on to Exhibit 5.  
15 What is that?

16 A. Exhibit 5 is an email regarding the Igloo 19 7H  
17 well from me to Clay Roberts, landman at Legacy, and  
18 this was a follow-up to our well proposal just trying to  
19 suggest that we might work out matters and avoid the  
20 hearing.

21 Q. Have you had other discussions, emails and --  
22 with representatives of Legacy?

23 A. We've had various conversations -- phone  
24 conversations and email correspondence in which Caza has  
25 proposed drilling -- obviously, our proposed well is a

1 one-mile lateral -- mile-and-a-half laterals, two-mile  
2 laterals. And we have even suggested that Legacy do  
3 operate these wells, but we have not received any  
4 favorable response from Legacy.

5 Q. In the west half of Section 19, currently how  
6 many wells would Caza like to drill?

7 A. Oh, at least four.

8 Q. And which Bone Spring zones would be tested?

9 A. The 2nd Bone Spring and the 3rd Bone Spring.

10 Q. And will a subsequent witness discuss why a  
11 stand-up well is proposed?

12 A. Yes, he will.

13 Q. In your opinion, has Caza made a good-faith  
14 effort to obtain the voluntary joinder of Legacy in  
15 Caza's proposed well?

16 A. Yes, sir.

17 Q. And was notice given to Caza of the original  
18 OCD hearing?

19 A. You mean Legacy?

20 Q. Legacy.

21 A. Yes.

22 Q. And is that reflected in the Affidavit of  
23 Notice marked Exhibit 7?

24 A. Yes, it is.

25 Q. And -- Exhibit 6.



1 A. Exhibit 6. Yes.

2 Q. And what is Exhibit 7?

3 A. That's a list of offset operators to whom  
4 notice was given and the acreage that they control.

5 Q. And was notice given to those offset operators,  
6 as required by the Division?

7 A. Yes, it was.

8 Q. And that's reflected in Exhibit 9?

9 A. No. I believe it would Exhibit 8.

10 Q. Exhibit 8. I'm getting ahead of my numbers  
11 here.

12 A. Yes.

13 Q. What -- what overhead rates does Caza propose?

14 A. We would like 7,500 drilling and 750 operating.

15 Q. And are those costs fair and in line with the  
16 costs -- operating costs charged by Caza and other  
17 operators in this area for wells of this depth?

18 A. Yes, they are.

19 Q. And are those the costs that are in the JOA  
20 with the other working interest owners --

21 A. Yes.

22 Q. -- in Caza's lease?

23 A. Yes.

24 Q. Do you request that these rates, if the  
25 application is granted, be periodically adjusted as

1 provided by the COPAS accounting procedure?

2 A. Yes, we do.

3 Q. And does Caza request the maximum cost plus 100  
4 percent risk charge to any owner that goes nonconsent in  
5 the well?

6 A. Yes, we do.

7 Q. And finally, what is Exhibit 9?

8 A. Exhibit 9 is a letter from Yates Petroleum to  
9 the director of the OCD supporting Caza's proposal and  
10 urging its approval.

11 Q. And are there also attached letters from ABO,  
12 MYCO and Sharbro?

13 A. Yes, other associated Yates companies.

14 Q. Those are or were the working interest partners  
15 in this section?

16 A. Yes. They're co-owners on the lease, working  
17 interest owners.

18 Q. In your opinion, is the granting of this  
19 application in the interest of conservation and the  
20 prevention of waste?

21 A. Absolutely.

22 Q. And were Exhibits 1 through 9 prepared by you  
23 or under your supervision or compiled from company  
24 business records?

25 A. Yes, they were.

1 MR. BRUCE: Mr. Chairman, I'd move the  
2 admission of Caza Exhibits 1 through 9.

3 CHAIRMAN CATANACH: Any objection?

4 MR. LARSON: No objection.

5 CHAIRMAN CATANACH: Exhibits 1 through 9  
6 will be admitted.

7 (Caza Petroleum, Inc. Exhibit Numbers 1  
8 through 9 are offered and admitted into  
9 evidence.)

10 MR. BRUCE: Pass the witness.

11 CHAIRMAN CATANACH: Mr. Larson.

12 CROSS-EXAMINATION

13 BY MR. LARSON:

14 Q. Good morning, Mr. Brown.

15 A. Good morning.

16 Q. When did Caza acquire its interest of the  
17 southwest quarter of Section 19?

18 A. We acquired that through farm-out a couple of  
19 years ago. I don't have the date.

20 Q. 2014, somewhere in there?

21 A. Could be.

22 Q. And who gave you the farm-out?

23 A. Yates Petroleum and associated companies.

24 Q. And at the time Caza took the farm-out  
25 agreement, was it aware that the acreage in the

1 northwest quarter of 19 was part of the federal unit?

2 A. Yes.

3 Q. Was Caza aware that Legacy filed a notice of  
4 staking for its 59H well, which I believe appears on  
5 your Exhibit -- Exhibit 2?

6 A. Were we aware of it when?

7 Q. When you filed your application for pooling.

8 A. I don't believe we were.

9 Q. Has Caza obtained the written consent of the  
10 Commissioner of Public Lands for its proposed well?

11 A. No.

12 MR. LARSON: That's all I have,  
13 Mr. Chairman. I pass the witness.

14 COMMISSIONER BALCH: Good morning,  
15 Mr. Brown. I don't have any questions for you. Well,  
16 just one.

17 CROSS-EXAMINATION

18 BY COMMISSIONER BALCH:

19 Q. The 59H and the 62H wells, those long  
20 horizontals going south into the northwest of that unit,  
21 what formation are those in?

22 A. I believe they're in the 2nd Bone.

23 Q. 2nd Bone. Thank you.

24

25

CROSS-EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY CHAIRMAN CATANACH:

Q. Mr. Brown, the target interval in the Igloo well is the 2nd Bone Spring, also?

A. In the 7H?

Q. Yes.

A. Yes.

Q. Do you know, Mr. Brown, if that is a standard well location?

A. I believe it's a nonstandard location. I don't have the plat in front of me.

Q. You believe that is a nonstandard location?

A. Can I get -- I have the well permit in my briefcase.

Q. Well, we can ask a subsequent witness, if that's --

MR. BRUCE: Okay.

Q. (BY CHAIRMAN CATANACH) So there is an existing JOA for the acreage in Section 19, Mr. Brown?

A. Yeah. For our state lease, yes.

Q. And that's basically with you and the Yates entities?

A. Yes.

Q. Okay. Is there anybody else in there beside --

A. No.

1 Q. So what would your interest be in the southwest  
2 quarter; do you know?

3 A. Caza's net interest? It's 70 percent. We  
4 would have 30 percent -- Caza would have 30 percent in  
5 the full west half-west half.

6 Q. 30 percent?

7 A. Yeah, because it would be diluted by the Legacy  
8 interest.

9 Q. But 70 percent in the southwest quarter or the  
10 east half of the southwest -- or the west half of the  
11 southwest quarter?

12 A. It's throughout the lease.

13 Q. Okay.

14 CHAIRMAN CATANACH: Questions?

15 COMMISSIONER PADILLA: I do, actually.

16 CROSS-EXAMINATION

17 BY COMMISSIONER PADILLA:

18 Q. Mr. Brown, when did Caza become aware of the  
19 APD files for the 59H and 62H if not before the pooling  
20 application?

21 A. Shortly after the pooling application.

22 Q. That's my only question. Thank you.

23 MR. BRUCE: I did have one follow-up,  
24 Mr. Chairman.

25

REDIRECT EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. BRUCE:

Q. If Caza's application was granted, Caza would have to get a communitization agreement signed by the Commissioner, correct?

A. Correct.

Q. But at this point, is there any reason to file that since the application has not been granted?

A. No.

Q. Thank you.

CHAIRMAN CATANACH: Thank you.

MR. LARSON: I have follow-up questions.

RE CROSS EXAMINATION

BY MR. LARSON:

Q. Mr. Brown, is Caza aware of the OCD Regulation Number 19.15.16.15(3)(A) [sic], which --

A. Not by numerical reference.

Q. How about if I read the rule to you?

A. Okay.

Q. "No project area may be designated that lies partly within and partly outside of a federal exploratory unit or participating unit if the project area includes state trust land, without the written consent of the commissioner of public lands."

A. No, I'm not aware of that.

1 MR. LARSON: That's all I have.

2 CHAIRMAN CATANACH: What was the cite on  
3 that, Mr. Larson?

4 MR. LARSON: It's 19.15.16.15. And I think  
5 it's .3(A), but I may be incorrect about the subsection.

6 CHAIRMAN CATANACH: Thank you.

7 REDIRECT EXAMINATION

8 BY MR. BRUCE:

9 Q. Is it your understanding that the northwest  
10 quarter of Section 19 is not in a Bone  
11 Spring-participating area in the unit?

12 A. That's my understanding.

13 MR. BRUCE: That's all I have.

14 CHAIRMAN CATANACH: This witness may be  
15 excused.

16 RANDY L. NICKERSON,  
17 after having been previously sworn under oath, was  
18 questioned and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. BRUCE:

21 Q. Would you please state your name and city of  
22 residence?

23 A. Randy L. Nickerson, Houston, Texas.

24 Q. And who do you work for and in what capacity?

25 A. Caza Petroleum, LLC. I'm the chief operating



1 officer. I'm also basically the -- exploration group.

2 Q. Do you have a technical background?

3 A. Yes, I do.

4 Q. Have you previously testified before the  
5 Commission?

6 A. Not this Commission, no.

7 Q. Could you summarize your educational and  
8 employment background for the Commissioners?

9 A. I've got a bachelor of science in geophysical  
10 engineering from Colorado [sic] School of Mines. And  
11 then I also have all the graduate work done for a  
12 master's in geophysics at the School of Mines. I just  
13 didn't get the thesis done. I've been in the industry  
14 36 years working for various companies. I've been with  
15 Caza for the last five years as either chief operating  
16 officer, vice president of exploration.

17 Prior to that, I was working for Sanchez  
18 Oil & Gas for nine years as their chief geophysicist,  
19 vice president of exploration, and I've worked for  
20 Coastal, North Central Oil, Gulf Oil and Dominion.

21 Q. And does your area of responsibility at Caza  
22 include southeast New Mexico?

23 A. Yes.

24 Q. And are you familiar with the geologic and  
25 geophysical matters related to this application?

1           A.    Yes, very much so.

2                   MR. BRUCE:  Mr. Chairman, I tender  
3  Mr. Nickerson as an expert geophysicist.

4                   CHAIRMAN CATANACH:  Any objection?

5                   MR. LARSON:  No objection.

6                   CHAIRMAN CATANACH:  Mr. Nickerson is so  
7  qualified.

8           Q.    (BY MR. BRUCE) We've got a number of exhibits  
9  to go through, Mr. Nickerson, so let's try to be fairly  
10 brief with each of them.

11                   What is Exhibit 10?

12           A.    Exhibit 10 is a net sand count through the 2nd  
13 Bone Spring Sand.  And the net sand count is  
14 determination from multiple log properties such as a --  
15 basically, it's a gross sand within -- between the top  
16 of the 2nd Bone and the bottom -- the base of the 2nd  
17 Bone.

18           Q.    You show a fault on here.  Could you address  
19 that?

20           A.    Yeah, there is a fault.  We've drilled and  
21 encountered that fault in the 3 and the 4H.  And,  
22 actually, part of the later exhibits, in Legacy's  
23 exhibits, and the prior ones, we have calibrated through  
24 the wells in the area.

25           Q.    Were you able to drill and complete the 3 and

1 4H wells?

2 A. Yeah. In the -- in the 4H, we didn't see a --  
3 with the fault, and I think one stage in the 3H, we saw  
4 a little bit of a --

5 Q. So it's very minor?

6 A. Very minor fault, roughly about a 35- to  
7 40-foot throw, and we've got a 400-foot section, so  
8 really inconsequential to production and our completion.

9 Q. And does this plat show that the 2nd Bone  
10 Spring Sand is fairly uniform across the entire mapped  
11 area?

12 A. Yeah. I mean, it basically thins to the  
13 north -- northwest and thickens a little bit to the  
14 southeast, but yeah, it is fairly continuous.

15 Q. What is Exhibit 11?

16 A. Exhibit 11 is basically taking the net feet I  
17 have in Exhibit 10 and taking the average porosity of  
18 each -- and calculating it up. I come up with a  
19 hydrocarbon -- or pore volume feet. So it kind of gives  
20 you where our tank -- our reservoir tank holding all the  
21 oil out there.

22 Q. And, again, the numbers are fairly uniform  
23 across there?

24 A. Yeah. Once again, there is a little bit of  
25 thinning to the south, and it thins to the northwest.

1 But through the area in question, it's uniform or  
2 consistent.

3 Q. And what is Exhibit 12?

4 A. Exhibit 12 is take -- took all the sand and  
5 porosity that I've taken from the prior two maps. I've  
6 calculated saturation on it, and so convert that to  
7 basically a hydrocarbon for volume or oil in place.

8 Q. Looking at the 2nd Bone Spring --

9 Well, let's move on to one more. Exhibit  
10 13, what does that show?

11 A. 13 is a cross section that I -- basically, I  
12 land on top of the 2nd Bone Spring Sand. It shows the  
13 whole interval on there. Anything you see from yellow  
14 to a goldenrod color is what we're calling the sand,  
15 with a saturation curve on the fourth tract on the right  
16 for each well. There is a porosity curve, both density  
17 and neutron porosity and cross porosity I used and then  
18 the resistivity. And then I summarize the production  
19 down below, and then you can see the red lines is where  
20 the laterals encountered each of these zones across  
21 there. And that cross section is listed on the maps.

22 Q. Which direction does this cross section go?

23 A. It basically -- on the right is our Igloo 2H.  
24 That's to the northeast, and then it moves to the south,  
25 maybe slightly west.

1 Q. Okay. Basically, on the these plats, is the  
2 2nd Bone Spring Sand fairly uniform across all of  
3 Section 19?

4 A. Yes, it is.

5 Q. And in your opinion, will each quarter-quarter  
6 section in the proposed well unit contribute more or  
7 less equally to production?

8 A. Basically, it will, yes.

9 Q. And based on your drilling in the east half of  
10 Section 19, do you believe the 2nd Bone Spring Sand has  
11 a very good potential in the southwest quarter in the  
12 west half of Section 19?

13 A. Yes, it does. I mean, we've got a well that  
14 we've been flowing back on it and producing oil at very  
15 good rates. And just to the south -- south on it,  
16 you've got several Cimarex Chief wells. And if you  
17 average them up, we're talking 5-, 600,000 barrels of  
18 oil each.

19 And also if you look on the exhibit out  
20 here, on the bottom part, I've got hydrocarbon pore  
21 volume coming across there, and we're very comparable to  
22 the Cimarex Chief State -- Chief 30 State #1, which is  
23 30025 40406. And it's showing about 20.7 hydrocarbon  
24 four feet and showing about 20.6. And our forecast on  
25 that is almost 900,000 barrels of oil.

1 Q. Is that reflected on Exhibit 14, which is just  
2 a cross section of your 4H and the --

3 A. Yes, it is.

4 Q. -- and the Cimarex Chief?

5 A. Uh-huh.

6 And it also shows the line of the 10  
7 percent porosity on it, which most of the Chief is below  
8 10 -- very -- very little above 10 percent porosity.

9 Q. Very little?

10 A. Yeah. Like maybe 20 feet.

11 Q. But it's still -- your estimate is it will  
12 produce about 900,000 BOE?

13 A. Yes, because all intervals will be contributing  
14 to all the sands.

15 Q. And what is Exhibit 15?

16 A. Exhibit 15 is all the 2nd Bone wells within the  
17 area. We've taken the first four years of production on  
18 it on a monthly basis, put them across there. The red  
19 is actually the average of all of them. The gray is our  
20 type curve. And our type curve -- there's a few of the  
21 wells that were in the thinner part of the hydrocarbon  
22 pore volume. We took out of our type curve -- very  
23 bottom curve out there, which is that kind of orangish  
24 one. We tried to do a half lateral what we would  
25 project the production on, and what we based our

1 economics on that.

2 Q. So if you couldn't drill a 160-acre north-south  
3 well and you had to drill an 80-acre well to develop the  
4 southwest quarter, production would be substantially  
5 less?

6 A. It would be -- yes. Yes, it would. And it  
7 would be uneconomic on today's prices.

8 Q. Finally, what is Exhibit 16?

9 A. Exhibit 16, I'm just kind of coming in with  
10 trying to relate my hydrocarbon pore volume out and to a  
11 point where I can actually get oil in place, if I have  
12 all the factors there where I estimated oil in place,  
13 and come up with a reasonable recovery factor. Which,  
14 if you really look in there, we're probably getting, at  
15 best, a 5 percent recovery factor out of the 2nd Bone  
16 using 160 acres, at least 200 feet of thickness, 8  
17 percent porosity and 40 percent water saturation.

18 And, you know, a 5 percent recovery factor  
19 in this tight of rock is pretty consistent and some of  
20 the best rocks in the Gulf Coast, which I've worked  
21 before, that have a good water drive -- 25 to 30  
22 percent, with three times the saturation and -- better  
23 perm.

24 Q. In this area, you're looking at 5 --

25 A. Yeah. Somewhere from 5 to 8 percent is

1     probably a reasonable recovery.

2           Q.     Okay.  Let's look at the 3rd Bone Spring now.  
3     What is Exhibit 17?

4           A.     Exhibit 17 is a net sand within the 3rd Bone  
5     Spring under the same type of analysis that I did prior  
6     for the 2nd.

7           Q.     And the 3rd Bone Spring Sand is continuous  
8     across the mapped area?

9           A.     It is very continuous, especially the Basal  
10    part, which is the best contributor to it.

11          Q.     And if you look at Section 19 and adjoining  
12    sections, the thickness is fairly -- relatively similar?

13          A.     Yes, it is.

14                   It does, you know, thin a little bit to  
15    the, you know, east, so it thickens to the west.  But  
16    within the area in the map we used, it's very  
17    consistent.

18          Q.     And what is Exhibit 18?

19          A.     18 is the pore volume I calculated based on the  
20    same methodology I did prior for the 2nd, which is  
21    showing pretty consistent pore volume.  Matter of fact,  
22    we get a little bit of thickening down in the southwest  
23    quarter relative to some of the wells to the north,  
24    which are really outstanding 3rd Bone wells.

25          Q.     And Exhibit 19?



1           A.   Exhibit 19 is a -- pore volume -- calculated  
2 hydrocarbon pore volume, and I mapped that out in a  
3 similar method, which, once again, has relative context  
4 of what's going on in 18 and 19, showing very consistent  
5 thickness in that southwest quarter.

6           Q.   Now, there is a well in the east half of  
7 Section 18 to the north. Has that well been drilled?

8           A.   In the --

9           Q.   In the --

10          A.   -- east half-west half, yes, the Concho Blue  
11 Jay well, which is, the last five-digits, 42338. Yes.  
12 It's been producing, and I believe in -- it's  
13 averaged -- produced like 121,000 in three months. So  
14 it's outstanding, one of the best wells out here. And,  
15 actually, if you look -- and I used their well log --  
16 it's got some of the thinnest hydrocarbon pore volume  
17 out here.

18          Q.   It's one of the best wells?

19          A.   To date, yes, it is. And you'll see on a  
20 curve -- a couple curves coming up, it's outpacing  
21 everything out there.

22          Q.   Okay. So based on that, again, you believe the  
23 3rd Bone Spring will be highly -- has a high potential  
24 in Section 19?

25          A.   Oh, absolutely. We've drilled two wells into

1 it. One well we believe will either push 500,000  
2 barrels of oil, in that #2H. And then the 3H is  
3 starting to kick in now at 5 percent of the load, and  
4 we've produced -- I believe it was almost 300 barrels of  
5 oil yesterday.

6 Q. And those are the wells in the east half of  
7 19 --

8 A. Yeah.

9 Q. -- that Caza has drilled?

10 A. Yes.

11 Q. What is Exhibit 20?

12 A. Exhibit 20 is basically taking a cross section  
13 from south to north, south on your left, north on your  
14 right. It goes through some -- some -- wells in the  
15 south, comes into the Chief well, which is the closest  
16 one to our southwest quarter that we're looking in  
17 Section 19 to the Blue Jay well. So basically the two  
18 wells on the right are basically a lay-down to what we  
19 expect to see in laterals in the west half of 19.

20 Q. Okay.

21 A. And they're pretty comparable. You can see,  
22 out of them all, the Blue Jay has got 7.1 feet  
23 hydrocarbon pore volume. The Chief State has got 9.3,  
24 so we do thicken. As we go to the west half, we can see  
25 where their lateral is. And as I say, in 180 days, it's

1 produced 145,000 barrels of oil equivalent, just an  
2 outstanding well.

3 Q. And your estimated EUR is about ten times that  
4 amount?

5 A. Yes, it is.

6 Q. And down to the south, COG's -- COG wells are  
7 quite highly productive, too?

8 A. Yeah. And probably your first one is the  
9 Stratosphere, and it's also -- but yeah, they've got  
10 very good wells through there.

11 Q. And what is Exhibit 21?

12 A. 21 is just really showing what we believe that  
13 we're going to see in the west half of 19, but I went to  
14 the Chief State well through the Blue Jay well. I also  
15 mention and show where the 10 percent porosity is. We  
16 have very little 10 percent porosity in the Chief State  
17 #3H, just a little bit in the Blue Jay. But, once  
18 again, the 10 percent thing really is an irrelevant  
19 number because it's the number of oil in place, and you  
20 get to it. And you can see by the production of the  
21 Blue Jay that that fits.

22 Q. Based on these exhibits, on the 3rd Bone  
23 Spring -- in your opinion, is the 3rd Bone Spring  
24 continuous across the west half of Section 19?

25 A. Yes, it is.

1 Q. And in your proposed 7H well -- well, in any  
2 Bone Spring well unit in the west half, would each  
3 quarter-quarter section contribute more or less equally  
4 to production?

5 A. Basically, it will.

6 Q. What is Exhibit 22?

7 A. 22 is all the wells within the strip that are  
8 consistent hydrocarbon pore volume, what we're looking  
9 at. The API, once again, is listed on the right. You  
10 can see the Blue Jay well is the one that's, you know,  
11 still increasing. Last month it produced like -- I  
12 think it was 52,000 barrels of oil. The line in red is  
13 our type curve, what we believe we will get out of it.  
14 The black is the average of all the curves on there, and  
15 then the blue type curve below is what we think that  
16 half lateral -- which, you know, we model that, and we  
17 believe that would be an uneconomic well at today's  
18 prices.

19 Q. And over on the right -- I saw this on the 2nd  
20 Bone Spring, too -- that the GORs are pretty low.

21 A. The GORs in the 3rd are lower than the 2nd.  
22 The 2nd is probably in the 1,300, if I remember right.  
23 In the 3rd, you're around 11- to 1,200. And then this  
24 is also all the statistics and how we've gone through  
25 it, proper loading [sic], all the way down to EUR of oil

1 per vertical section.

2 Q. And finally, on the 3rd Bone Spring, what is  
3 Exhibit 23?

4 A. 22 or 23?

5 Q. 23.

6 A. 23. Basically I did a volumetric recovery  
7 factor to see whether a 160-acre unit would produce out  
8 of the 3rd Bone, very similar to what I did on the 2nd  
9 Bone. I'm looking at about 190-foot thickness of the  
10 sand, which is what the Blue Jay well -- I'm taking an  
11 average of 9 percent porosity, 40 percent water  
12 saturation, all consistent out there, which comes up --  
13 ultimately says I'm getting about 500 -- or 8.3 million  
14 barrels of oil in place. And if we can get, you know, 7  
15 percent on the high side, we'd be getting to where our  
16 type curves are, which is about 560,000 barrels of oil.

17 Q. Again, there is high potential for the 3rd Bone  
18 Spring in the west half?

19 A. What's that again?

20 Q. There is high potential for --

21 A. Oh, absolutely. It will be outstanding.

22 Q. Now, you've taken some of your 2nd and 3rd Bone  
23 Spring maps and put additional data on them. What is  
24 Exhibit 24?

25 A. 24 is the structure map on top of the 2nd Bone

1 Spring, and it's showing the 90-day barrel of oil  
2 equivalent out of the 2nd Bone, the first 90 days of  
3 continuous production listed by the OCD. And it's just  
4 showing the high concentration of very good wells due  
5 south of Section 19.

6 Q. And what is Exhibit 25?

7 A. 25 is the same map except now it's at 180 days'  
8 cumulative production.

9 Q. And, again, there is some fairly substantial  
10 numbers of production?

11 A. Yeah. You're seeing wells, you know, probably  
12 the average of the section to the south, of 100,000  
13 barrels of oil in the first 180 days. And these are at,  
14 basically, generation one fracs out there, where  
15 probably if they were generation three, we would be  
16 getting more bang for the buck.

17 Q. You hope to do better?

18 A. Uh-huh.

19 Q. What is Exhibit 26?

20 A. Exhibit 26 is the 3rd Bone Spring structure  
21 map, and I've got the 180-day cumulative production.

22 Q. Again, there are some pretty large numbers  
23 there.

24 A. Yes. Uh-huh.

25 Q. And over in the east half-east half of Section

1 19, that is the Caza Igloo 2H?

2 A. That's Igloo 2H, yes.

3 Q. And pretty substantial numbers for that well?

4 A. Yes. It's a very good well.

5 Q. What is Exhibit 27?

6 A. 27, I took the structure map and I bubbled it,  
7 did a bubble map on our projected EURs, which just shows  
8 a pretty good consistency from east to west. Obviously,  
9 as you get a little bit to the west, there are some very  
10 good wells, but we're right in the trend of very  
11 strong-producing wells.

12 Q. And the best well is the -- what is the name of  
13 that well?

14 A. That's the Concho Blue Jay --

15 Q. The Blue Jay well.

16 A. -- but it does have the least amount of  
17 production -- you know, days on production.

18 Q. In the Bone Spring, is there a preferred  
19 orientation?

20 A. In the 3rd Bone, there is definitely a  
21 preferred one, north-south. There's been several  
22 conferences that I've been at and looked at that there  
23 was a two-to-one difference between drilling north-south  
24 in the 3rd Bone in this direct area versus east-west.

25 Q. So in other words -- of course, looking at the

1 development Caza's already done in the east half, you  
2 can't drill an east-west well completely within Section  
3 19.

4 A. Correct.

5 Q. But you wouldn't want to do that anyway --

6 A. No.

7 Q. -- even if the section is undeveloped?

8 A. No. I would say the east-west wells perform  
9 way below -- you know, there is an exception to every  
10 rule out there, but overall, east-west wells on this  
11 trend have underperformed.

12 Q. Down below in Section 30 are the Chief wells,  
13 the Cimarex Chief wells.

14 A. Uh-huh.

15 Q. And I noticed those are lay-downs. What type  
16 of wells are those?

17 A. Those are 2nd Bone wells and a little bit more  
18 perm within the 2nd Bone Spring, which, basically, there  
19 is not a big difference in the 2nd Bone as there is in  
20 the 3rd Bone. 3rd Bone, there is definitive --

21 Q. There is a stand-up well unit in the west  
22 half-east half of Section 30. Is that a 3rd Bone Spring  
23 test or proposed?

24 A. That's a -- that's a proposed 3rd Bone Spring  
25 well that Cimarex has just either -- they're building



1 the location or just getting ready to drill.

2 Q. But they also --

3 A. And that'll be a 3rd Bone well per OCD.

4 Q. And they -- and they are drilling that as a  
5 stand-up well --

6 A. Yes.

7 Q. -- stand-up well unit?

8 A. Uh-huh.

9 Q. What is Exhibit 28?

10 A. 28, we definitely think the 1st Bone is very --  
11 has strong potential out here. There's a couple of  
12 wells just to the west out there in Section 23 that have  
13 produced really decent 1st Bone production. We feel  
14 it's a depth of one or two more laterals outside of  
15 the -- 2nd that we're talking about. So basically just  
16 did a sand isopach, and this is everything greater than  
17 8 percent porosity. We just haven't gotten down to the  
18 hydrocarbon pore volume yet out here. But it's showing  
19 that we've got a nice thickness coming through the area  
20 on it.

21 Q. Okay. Now, if Caza can't drill a stand-up --  
22 let's just talk about the 3rd Bone Spring at this  
23 time -- stand-up well units, will its acreage in the  
24 southwest quarter be stranded?

25 A. Yes.

1 Q. Do you have -- have you calculated the  
2 magnitude of the reserves that would be lost if it  
3 cannot --

4 A. In a very conservative manner, between the 1st,  
5 2nd, 3rd Bone Spring Sand, with two laterals each, we  
6 would be about 1.5 million barrels of oil and associated  
7 gas.

8 Q. And you just mentioned the 1st Bone Spring.  
9 What are Exhibits 29 and 30?

10 A. Well, 29 was the 1st Bone Spring map.

11 30 is just a cross section that's going  
12 through it. It's showing where the well to the west in  
13 section -- I believe it's in 23, the Cimarex Lynch 23 4H  
14 targeted the upper part of the 1st Bone Spring. It had  
15 pretty comparable, maybe a little bit thicker,  
16 hydrocarbon pore volume than our Igloo 2H. And it  
17 produced 168 -- 168,000 barrels of oil in two years  
18 each, and it had a very high gas content. But it's the  
19 type of well that we think we could target out here  
20 with -- especially with the new-generation fracs.

21 Q. So that's shown on Exhibit 30.

22 And, again, Exhibit 29 is what, a sand  
23 isopach?

24 A. That was a sand thickness map of sand count of  
25 greater than 8 percent porosity.

1 Q. That's the 1st Bone Spring sand and  
2 continuous --

3 A. Yes, it is. Matter of fact, we've got a nice  
4 thick coming right through the east half of 19 all the  
5 way over into where the Lynch well is. Yes.

6 Q. Were Exhibits 10 through 30 prepared by you or  
7 under your supervision?

8 A. Yes.

9 Q. And in your opinion, is the granting of Caza's  
10 application in the interest of conservation and the  
11 prevention of waste?

12 A. Absolutely. Yes.

13 MR. BRUCE: Mr. Chairman, I tender Exhibits  
14 10 through 30 into the record.

15 CHAIRMAN CATANACH: Any objection?

16 MR. LARSON: No objection.

17 CHAIRMAN CATANACH: Exhibits 10 through 30  
18 will be admitted.

19 (Caza Petroleum, Inc. Exhibit Numbers 10  
20 through 30 are offered and admitted into  
21 evidence.)

22 MR. BRUCE: Pass the witness.

23 CHAIRMAN CATANACH: Mr. Larson.  
24  
25

CROSS-EXAMINATION

1

2 BY MR. LARSON:

3 Q. Good morning, sir.

4 A. Good morning.

5 Q. Direct your attention to Caza Exhibit Number  
6 10.

7 A. Okay.

8 Q. And Mr. Bruce questioned you about the fault  
9 that appears on this map?

10 A. Yes.

11 Q. And you mention Legacy's OCD hearing exhibits,  
12 and I don't think I caught the --

13 A. They -- they had a north-south fault just to  
14 the west of here. We definitely encountered the wells  
15 [sic] in the second and third laterals, in the 3 and 4H,  
16 and we believe it extends down to the -- to the  
17 southwest quarter. We believe we see it in some of the  
18 Chief wells and potentially the Stratijack [sic;  
19 phonetic] well down in 31.

20 Q. Would I be understand -- would my understanding  
21 be correct that you disagree with the fault designated  
22 by Legacy?

23 A. My understanding, with the data that I have,  
24 there is a slight movement to what I have here. Yes.

25 Q. And what control support do you have for the --

1           A.    I have both the laterals that we drilled in the  
2   east half of 19, and we've also -- in the Chief -- I  
3   believe it's 40406 -- we see the fault cut there and  
4   actually -- you know, so you've got a fairly good trend  
5   through there, and you see hints of it also in 4082 --  
6   40872 well.

7           Q.    And when did Caza drill the Igloo 3H and 4H  
8   wells?

9           A.    We just completed those wells. The 3 -- or the  
10   4H, we probably have 12 days' production each, and the  
11   3H we've got probably ten days' production.

12          Q.    So those were drilled during the pendency of  
13   this case?

14          A.    Yes.

15          Q.    I next direct your attention to Caza Exhibit  
16   Number 15. Does your exhibit include the Cimarex Chief  
17   2nd Bone Spring wells in Section 30?

18          A.    It includes all four of them. There is 40406,  
19   40872. I forget the other APIs on it, but they're all  
20   on here. Yes.

21          Q.    And have any of those Cimarex wells performed  
22   better than your type curve projection for the one-mile  
23   2nd Bone Spring lateral?

24          A.    The one that's closest to our -- well,  
25   actually, the -- the section -- the one -- the second

1 from the -- in the north half of the south half of 30  
2 has definitely performed better and also the very  
3 northern one, the closest one to our section.

4 Q. And will those Cimarex Chief Bone Spring wells  
5 be economic in today's world?

6 A. Absolutely.

7 Q. Has Caza considered the possibility of drilling  
8 vertical wells down into Section 30?

9 A. Not at this moment, no.

10 Q. Would it be possible to drill a 1st Bone Spring  
11 well from your acreage in Section 19 into Section 30?

12 A. We'd have to go through the same situation with  
13 Cimarex, you know, and they'd be the one -- they control  
14 that acreage down there, but yeah. I mean, the 1st  
15 Bone, you could drill a north-south through there. Yes.

16 Q. Do you know who owns the acreage in Section 24,  
17 in the west?

18 A. 24 to the west? I believe BTA might hold part  
19 of that.

20 Q. Have you considered the possibility of drilling  
21 an east-west well, either BTA voluntarily joining or  
22 filing a pooling application?

23 A. Well, I think the biggest problem of drilling  
24 an east-west well like what you're speaking of is the  
25 3rd Bone. You're going to strand a lot of oil, which is

1 not as economic. If you look at -- a lot of the  
2 different data out there points toward a fracture trend  
3 that goes northeast-southwest. The 3rd Bone is a very  
4 tight reservoir. You need to be able to intersect and  
5 have -- you know, transverse faults going across your  
6 wellbore to get increased production. So that's why you  
7 have two exhibits. So north-south is really what you  
8 need to do.

9 Q. What about a 2nd Bone Spring east-west into  
10 Section 24?

11 A. 2nd Bone, you could probably do something on  
12 that, but I can't speak to that.

13 Q. And moving back into Section 30, have you  
14 looked at a potential 3rd Bone Spring north-south well?

15 A. Well, I'd say that part of it is Section 30 has  
16 pretty well been drilled up, and you've got a proration  
17 unit set up by Cimarex, which makes it a tougher  
18 situation to try to do that.

19 Q. Has Cimarex drilled 3rd Bone Spring wells?

20 A. They've got one ready -- that's getting ready  
21 to drill right now, which we mentioned in the west half  
22 of the east half of 30.

23 Q. But nothing in the west half-west half of 30?

24 A. No -- no 3rd Bone Spring Sand wells, no.

25 Q. Direct your attention to Caza Exhibit Number

1 27. Did you include any Legacy Reserves wells in the  
2 bubble map?

3 A. Yes. There are several of them.

4 Q. And how do they compare with other wells in  
5 that area?

6 A. Our mile-and-a-half long laterals are  
7 comparable, but not as good as the Blue Jay or Concho  
8 wells to the north, which is -- I think it's Black  
9 Pearl. Some of their mile laterals are comparable to  
10 what our mile-long lateral is.

11 Q. Next direct your attention to Caza Exhibit 21.

12 A. If I can find it.

13 MR. BRUCE: Randy -- Randy, here. Use  
14 this.

15 THE WITNESS: Okay.

16 Q. (BY MR. LARSON) Are you there?

17 A. Yes, I am.

18 Q. At the top there, your heading shows "Cross  
19 Section B - B prime - 3rd Bone Spring Sand." And if  
20 you'll backtrack to Exhibits 18 and 19 --

21 A. Oh. It should be saying "A to A prime."  
22 That's a typo. Our fault.

23 Q. I was going to ask you if B to B prime appeared  
24 on 18 and 19.

25 A. No, it didn't. It -- the -- yeah. That's a



1    typo. The 3rd Bone is going to list A to A prime on the  
2    maps. And the one on Exhibit 24 is just going from the  
3    north of the first well in A prime on the map down to  
4    40872, which is the Concho -- or the Cimarex 30 #3H.

5        Q. And I believe you testified that you believed  
6    it would be uneconomic to drill an 80-acre lateral in  
7    the southwest quarter of 19?

8        A. Yes.

9        Q. What kind of recovery would you expect from an  
10   80-acre lateral?

11       A. Well, first of all, because of the setbacks  
12   that are going to be required by -- you know, 330, 330  
13   on each side, we were looking at -- and 45 percent of  
14   what a mile lateral would be.

15       Q. And could you roughly give me a number, a  
16   total?

17       A. Well, let's say if I'm looking at 550,000  
18   barrels of oil, out of the third on that and I'm taking  
19   40 percent of that, you know, I'm going to say 250,000  
20   barrels of oil.

21       Q. Do you have an idea of what the drilling cost  
22   of an 80-acre well would be?

23       A. An 80-acre well is going to be -- what we'd do  
24   is we'd definitely put more stimulation in it, so it  
25   would still be up in the 5 million range each.

1 Q. And you mentioned Caza's drilled, I believe,  
2 three north-south wells in the east half of 19?

3 A. Yes.

4 Q. And are those all 2nd Bone Spring?

5 A. There's two-thirds and one is --

6 Q. Would it be possible to drill an east-west 1st  
7 Bone across the south half of 19?

8 A. We could do it, but then ultimately we're going  
9 to have to -- want to go up to the northeast quarter,  
10 the ones there, and that's going to strand the reserves  
11 there.

12 Q. That would be your choice, though, wouldn't it?

13 A. Not to strand reserves.

14 Q. Well, you're choosing to do north-south --

15 A. Well, no, I understand. But part of it is is  
16 that we can't put full-length laterals across, whether  
17 it's 1st, 2nd or 3rd Bone. We're going to be stranding  
18 reserves, which, by secondary [sic] calculations, is  
19 about 1-and-a-half million barrels of oil.

20 Q. I don't know if I follow you. Could you do a  
21 160-acre lateral in the south half of the 1st Bone?

22 A. Yes, you could, but then you're going to  
23 strand -- you're not going to have laterals up in the  
24 northeast quarter.

25 Q. 1st Bone laterals?

1 A. 1st Bone, yes.

2 Q. And what is the purpose of your Exhibit Number  
3 32?

4 MR. BRUCE: Which number?

5 MR. LARSON: 32.

6 MR. BRUCE: That's not his exhibit.

7 THE WITNESS: That's not my exhibit.

8 MR. LARSON: Oh, I'm sorry. You're right.  
9 I jumped ahead.

10 Pass the witness, Mr. Chairman.

11 MR. BRUCE: Do you want to ask or should I  
12 ask?

13 CHAIRMAN CATANACH: (Indicating.)

14 REDIRECT EXAMINATION

15 BY MR. BRUCE:

16 Q. Which exhibit do you have directly in front of  
17 you there?

18 A. 24.

19 Q. 24. That is simple enough. Let's assume no  
20 wells have been drilled in Section 19 --

21 A. All right.

22 Q. -- and you weren't allowed to drill into the  
23 northwest quarter of Section 19. Wouldn't that  
24 ultimately mean that either the northeast  
25 quarter-quarter of the southwest quarter would be

1 stranded acreage?

2 A. Correct. Yes.

3 Q. Because, I mean, you could drill, as Mr. Larson  
4 suggested, 1st and 2nd Bone Spring wells east-west in  
5 the south half, but it would still leave the northeast  
6 quarter?

7 A. Yes.

8 Q. And same thing: You could drill 1st and 2nd  
9 Bone Spring wells in the east half, but it would strand  
10 the southwest quarter?

11 A. Correct.

12 Q. And wouldn't you drill --

13 A. A north-south -- or east-west.

14 Q. You wouldn't -- you wouldn't drill on east-west  
15 in a 3rd Bone Spring well?

16 A. No, you would not.

17 Q. Because the reserves are 50 percent less than  
18 drilling them stand-up?

19 A. Yes. Uh-huh.

20 MR. BRUCE: That's all I had, Mr. Chairman.

21 CROSS-EXAMINATION

22 BY CHAIRMAN CATANACH:

23 Q. So I guess in the south half of Section 19, you  
24 could conceivably drill 1st Bone Spring and 2nd Bone  
25 Spring?

1           A.    2nd Bone, we can't drill, no, because we have a  
2 well in the west half of the east half, that 19 State  
3 #4H, which is now producing.

4           Q.    So you'd be limited in the south half to the  
5 1st Bone Spring?

6           A.    1st Bone would be the only thing -- you could  
7 drill east-west in the 1st Bone, but then you'd strand  
8 the northeast quarter.

9           Q.    Is there any thought to drilling a traverse --  
10 transverse well to diagonally intersect that acreage?

11          A.    Then we're going to have -- you're not going to  
12 get the full drainage of what you're going to get out  
13 there because you're taking one lateral and you're going  
14 to maybe get a 30, 40 percent extra section. But you're  
15 going to lose the other part, so on the edges, you're  
16 going to be stranding reserves.

17          Q.    Have you explored any options of drilling that  
18 southwest quarter in conjunction with acreage in Section  
19 30?

20          A.    We have not approached Cimarex on that because  
21 we already know that they've got production allocation  
22 units from their 2nd Bone wells out there.

23          Q.    Possibly the 3rd Bone Spring wells in the west  
24 half of Section 30 if you did a mile and a half?

25          A.    If you can make -- you'd have to make a deal

1 with Cimarex on that, but then we've still got to figure  
2 out what we're going to do with the 2nd Bone without  
3 stranding reserves in it.

4 Q. So right now what you're proposing in the west  
5 half would be two 2nd Bone Spring and two 3rd Bone  
6 Spring?

7 A. And ultimately two 1sts.

8 Q. So a total of six wells?

9 A. Uh-huh.

10 Q. Do you know what the status is of the acreage  
11 in the south half of Section 24 to the west?

12 A. I believe -- I believe BTA has part of it, and  
13 I believe EOG has part of it.

14 Q. That looks to be undeveloped as well?

15 A. Fair to say, once again, the 3rd -- we're going  
16 to have problems with the 3rd there because you're going  
17 to want to go east-west. And you still have to make a  
18 deal there, and we might be back pooling a unit down the  
19 road with that.

20 Q. So 3rd Bone Spring, if you drill east-west,  
21 you're going to recover -- did you say half?

22 A. About half, from what I've seen, yes.

23 Q. Would that still be an economic well?

24 A. Well, no. I mean, basically that's coming  
25 in -- we took that 45 percent of our type curve for

1 drilling a short lateral, and it really wasn't economic,  
2 and you're going to have higher drilling costs.

3 Q. What would your recovery be in the 1st Bone  
4 Spring for a north-south well?

5 A. We're looking probably -- the closest analog  
6 there is probably a little over 400,000 barrels of oil,  
7 and then probably the GOR is about 2-and-a-half -- or  
8 2,500. So it's going to be 480 or something like that  
9 BOE, off-the-top-of-my-head math.

10 Q. Has there been any discussion with Legacy about  
11 drilling a two-mile lateral?

12 A. We have submitted proposals that we'd gladly go  
13 with a two-mile-long lateral through there. Yes. And  
14 there are wells to the west and south of there that have  
15 overperformed on two-mile laterals that Concho has  
16 drilled.

17 Q. That's all my questions.

18 CROSS-EXAMINATION

19 BY COMMISSIONER PADILLA:

20 Q. I just have a few. So there are no 1st Bone  
21 Spring anywhere in the south half of 19 that are  
22 producing?

23 A. No. In the section just to the west, there are  
24 vertical 1st Bone Spring wells.

25 Q. Okay. And you said that there is a 2nd Bone --

1 the 3H is a 2nd Bone?

2 A. The 4H is a 2nd Bone and produces 600 barrels a  
3 day.

4 Q. Which negates east-west production in the 2nd  
5 Bone?

6 A. Yes. Yes, it does.

7 Q. This may be a question for one of the other  
8 witnesses. Do you have any idea if a unitized  
9 production federal unit to the north is being discussed?

10 A. I think that you'll have to ask somebody else  
11 on that one because I don't have it off the top of my  
12 head.

13 Q. It seems like there are some options out here.  
14 They may not be -- they all have their challenges. Can  
15 you give us a little insight as to why Caza is -- why  
16 this is the optimal option for Caza?

17 A. Well, to date, there has been nothing drilled  
18 in the northwest quarter of 19. And so it seems the  
19 easiest road to get something drilled would be either a  
20 mile-long lateral or a two-mile-long lateral from 19,  
21 going from the south to the north, whether we operate  
22 the mile or Legacy operates the two-mile.

23 You know, the 2nd Bone, we've already  
24 drilled our well there, so one way or the other, we're  
25 going to strand something. So, you know, we still



1 believe that there is a slight preference in the 2nd  
2 Bone north-south, but not as much and not as  
3 significant. But still I'd rather drill north-south  
4 wells. There is no way I can drill down in Section 30  
5 because Cimarex already has that.

6 Q. So as an overall position, you would have  
7 thought that going into the federal unit was --

8 A. Yes.

9 Q. I mean, I can see the geologic point to doing  
10 that, but it seems like it would --

11 A. Well, it's state land to the north there.

12 Q. Right.

13 A. So it just seemed like -- once again, you know,  
14 I think a long -- a two-mile-long lateral would be a  
15 great possibility. I mean, there are -- Concho has  
16 their Sage [sic; phonetic] wells to the west and their  
17 Osprey wells to the south, and we're not talking three  
18 or four miles, five miles away. And those are  
19 outstanding wells. You know, if you compile all that in  
20 there, I think it would be the most economic proposal.  
21 You're not stranding.

22 Q. I think the upcoming testimony will be  
23 interesting to see what the -- what the unitized  
24 formation there is, the target of that, that federal --  
25 federal unit, just to see if there is some way that that

1 kind of proposal could work out if it's not conflicting  
2 and causing --

3 A. My understanding --

4 Q. -- a big land problem.

5 A. Yeah. My understanding is it should be, but,  
6 once again, I'm not the landman.

7 Q. Okay. Thank you.

8 CROSS-EXAMINATION

9 BY COMMISSIONER BALCH:

10 Q. Good morning, Mr. Nickerson.

11 There are some 80-acre wells that look like  
12 they have AFEs around 5 million for completion?

13 A. Yeah. Our latest AFEs were -- you know, when  
14 we submitted the first one out -- and, once again, Tony  
15 will be the better one to answer that, which is our next  
16 witness. But our latest wells were right at 5.4 million  
17 with today's cost and up -- up on the fracs.

18 Q. And for the 160s?

19 A. The 160s are going to be from 5-ish. But we  
20 definitely, you know, do everything we could with the  
21 frac to enhance the chances of making an economic well.  
22 So it's still in the 5 million range. You know, if you  
23 look out there when we drilled the 4H -- or the 3H, it  
24 took us two extra days to drill the back half of that  
25 lateral, so it's two days of drilling. And so then you

1 come to the simulations, water, proppant, and we've got  
2 to upload enough to try to counteract, you know, to  
3 maximize what we can do.

4 Q. Have you looked at the possibility of doing  
5 more laterals in that interval on the 80-acre length?  
6 So instead of putting -- you know, basically you're  
7 increasing your spacing.

8 A. When you're --

9 Q. Do you use pilot holes, or do you drill each  
10 one direct?

11 A. We have -- we drilled a pilot hole on the 3H.  
12 We didn't on the 2H or 4H. No, you would not do that  
13 because there is still enough perm in the rock out  
14 there. When we drilled our -- fracked our 3H, we shut  
15 in our 2H, and we felt the effects of the 2H. When  
16 Concho did their Blue Jay well, we felt the effects on  
17 it. So we're basically telling you that the 160 -- or,  
18 you know, your 160 got a mile-long lateral is the right  
19 spacing.

20 Q. But it seems like the majority of your drilling  
21 cost is the vertical section?

22 A. Correct, you know, pipe and the -- correct.

23 Q. So if you just put more laterals in, you might  
24 be able to mitigate that expense?

25 A. Yeah. But, see, if you have to put more

1 laterals in, you're just going to be knocking each other  
2 off. The spacing is not going to allow that.

3 Q. Okay.

4 A. Because -- I was going to say, from the 3rd or  
5 the 2nd, you will -- on a frac, you will get -- hit the  
6 next well, and we'll impact that.

7 Q. So you're proposing 1st, 2nd and 3rd Bone  
8 Spring wells --

9 A. Yes.

10 Q. -- north-south into the northwest quarter of  
11 Section 19?

12 A. Yes.

13 Q. But there's already two 2nd Bone Spring wells  
14 coming into that 2nd from the north?

15 A. In Section 19, there is not.

16 Q. What are those wells -- what are the --

17 A. The only --

18 Q. -- 59 and 62H?

19 A. The only wells that are producing right now in  
20 Section 19 in the east half-east half is Igloo 19 State  
21 #2H, which is the 3rd Bone well. In -- in the west half  
22 of the east half -- yeah. On the west half of the east  
23 half, we have the 3 and 4H.

24 Q. But there are existing well permits to access  
25 that section?

1 A. Yes, by -- submitted by both Legacy and Caza.

2 Q. The 58H and the 62H --

3 A. Correct.

4 Q. -- are the Legacy proposals?

5 A. And -- and we've got the -- if I remember  
6 right, it's 5, 6 and 7H -- 5H, 6H, 7H, 8H.

7 MR. BRUCE: Mr. Chairman, if I may, there  
8 were permits. They've been canceled.

9 CHAIRMAN CATANACH: I'm sorry. Which have  
10 been canceled?

11 MR. BRUCE: Caza's. Caza had some APDs,  
12 and they got canceled.

13 CHAIRMAN CATANACH: For the east half?

14 MR. BRUCE: For the west half.

15 CHAIRMAN CATANACH: For four wells?

16 MR. BRUCE: Two or four. I don't remember.

17 CHAIRMAN CATANACH: So there is no --

18 MR. BRUCE: There is no existing APD --  
19 Caza APD in the west half.

20 COMMISSIONER BALCH: But there are two  
21 existing Legacy APDs?

22 MR. BRUCE: That is correct.

23 COMMISSIONER BALCH: 59 and 62?

24 MR. BRUCE: That is right.

25 CHAIRMAN CATANACH: Do you know why they

1     were canceled?

2                   MR. BRUCE:   Because of the OCD regulation.

3                   CHAIRMAN CATANACH:   Are you talking about  
4     conflicting with the other two spacing units?

5                   MR. BRUCE:   No.   No.   Since Caza owns no  
6     interest in the northwest quarter of Section 19, there  
7     was an existing pooling order, so they were canceled.

8                   CHAIRMAN CATANACH:   Okay.

9           Q.     (BY COMMISSIONER BALCH) So if you're successful  
10    with your forced-pooling application, Legacy would have  
11    to change the length of those laterals proposed, 59H and  
12    62H?

13           A.    Yes.

14           Q.    Thank you very much.

15                   CHAIRMAN CATANACH:   Anything further?

16                   MR. BRUCE:   No, sir.

17                   MR. LARSON:   Nothing further.

18                   CHAIRMAN CATANACH:   The witness may be  
19    excused.

20                               ANTHONY B. SAM,  
21           after having been previously sworn under oath, was  
22           questioned and testified as follows:

23                               DIRECT EXAMINATION

24    BY MR. BRUCE:

25           Q.    Would you please state your name for the

1 record?

2 A. Yes. Anthony B. Sam.

3 Q. S-A-M?

4 A. Correct, S-A-M.

5 Q. Where do you reside?

6 A. I reside in Midland, Texas.

7 Q. And who do you work for?

8 A. I work for Caza Petroleum, Inc.

9 Q. And what is your job there?

10 A. My job is -- title is VP of Operations.

11 Q. And by training, are you a petroleum engineer?

12 A. Yes, sir. I am a petroleum engineer in  
13 technology, degree from Oklahoma State University in May  
14 of 1982.

15 Q. And have you worked for several companies in  
16 the business?

17 A. Yes, sir. I have worked for Chevron U.S.A. in  
18 Midland, Texas, southeast New Mexico; for Sendero  
19 Petroleum, Inc., King Operating, Falcon Bay Energy and  
20 Caza Petroleum.

21 Q. How long have you been at Caza?

22 A. I'm a founding member of Caza Petroleum. I  
23 started Caza in 2002 forward, so since that point.

24 Q. And does your -- as an engineer, are you  
25 responsible for petroleum engineering and operational

1 matters for southeast New Mexico?

2 A. Yes. I am responsible for the oversight of all  
3 drilling and completion operations for Caza Petroleum in  
4 southeast New Mexico and ongoing production operations.

5 (Mr. Wade exits the room.)

6 Q. And over the years, have you also done  
7 reservoir engineering?

8 A. Yes, sir. I have done some reservoir  
9 engineering calculations while -- particularly while  
10 with Chevron U.S.A. in standard units within southeast  
11 New Mexico and West Texas.

12 Q. And are you familiar with engineering matters  
13 and operational matters related to this application?

14 A. Yes, sir.

15 MR. BRUCE: Mr. Chairman, I tender Mr. Sam  
16 as an expert petroleum engineer.

17 CHAIRMAN CATANACH: Any objection?

18 MR. LARSON: No objection.

19 CHAIRMAN CATANACH: Mr. Sam is so  
20 qualified.

21 Q. (BY MR. BRUCE) Let's start with Exhibit 31.  
22 What is that?

23 A. Exhibit 31 is a days versus time, a rate time  
24 curve for the Concho Blue Jay Federal 1H well that is  
25 located in Section 20 of -- I'm sorry -- it's located in



1 Section 18, 20 South, 35 East, Lea County.

2 Q. And this is the well that Mr. Nickerson  
3 mentioned?

4 A. Correct. Correct.

5 Q. This immediately joins Caza's acreage?

6 A. That is correct. Immediately north.

7 Q. Is this the best well in the immediate area?

8 A. It's the best current well in the immediate  
9 area. Yes.

10 Q. You hope to drill better?

11 A. Absolutely.

12 Q. Is there a 2nd or 3rd Bone Spring?

13 A. This is a 3rd Bone test, drilled by Concho  
14 north-south over the area. The best month production to  
15 date was -- averaged 1,861 barrels of oil per day, which  
16 is, you know, roughly greater than 60 barrels per hour  
17 of oil.

18 Q. And does this support -- is this part of the  
19 support for Caza's request for stand-up well units?

20 A. Yes, sir. It strongly supports a north-south  
21 3rd Bone test to take advantage of the reservoir  
22 conditions within the immediate area. Caza's current 3H  
23 well that we drilled and completed north-south, within  
24 the first 12 days, we are currently flowing back 16  
25 barrels of oil per hour under test, with less than 5

1 percent of low water recovery at 1,500 psi on the  
2 surface. So I believe that our 3H also exhibits that  
3 north-south 3rd Bone Spring Sand drilling is the most  
4 efficient in that area.

5 Q. Early on, it shows quite high capacity?

6 A. Correct. Correct.

7 Q. Just for information, how long have you been  
8 developing engineering -- how long has Caza been  
9 developing engineering and geologic data on this area?

10 A. We began looking at southeast New Mexico and  
11 acquiring acreage in 2011 through 2012. We drilled our  
12 first horizontal lateral 3rd Bone in southeast Lea  
13 County in 2013. We've drilled now -- we've drilled 20  
14 horizontal wells in southeast New Mexico to date,  
15 completed. Eighteen of those were ongoing wells that  
16 were going through completion on the other two. We  
17 participated in another 18 wells as a nonoperator  
18 partner within southeast New Mexico. So all told, 36  
19 total wells since June of 2013.

20 Q. And if Legacy would drill a two-mile lateral, a  
21 proposed well, you would -- would Caza hand over  
22 operations to them?

23 A. Absolutely. Legacy has proven that they have  
24 the ability and operational skills to drill a  
25 mile-and-a-half well. There are two-mile wells within

1 the area that Concho has drilled that prove that it is a  
2 viable alternative to a mile or a mile-and-a-half well.

3 Q. You said you've been looking at data out here  
4 since 2012 or so, and you built a database on that?

5 A. Yes. We have a pretty extensive database with  
6 over 2,000 wells now, all the horizontal wells drilled  
7 in southeast New Mexico. Within that database, we've  
8 gathered not only initial rates and frac volumes, but we  
9 looked at frac techniques, staging lengths, perf sizes,  
10 spacing and overall volumes of fluid pumped. And we've  
11 used that database to continue to correlate and be more  
12 concise on EUR calculations for new wells to be drilled.

13 Q. Okay. And so you're pretty confident that all  
14 of Section 19 is highly prospective in the Bone --  
15 multiple Bone Spring zones?

16 A. Absolutely. I think we've proven that fact  
17 with our latest recent wells, the 2nd Bone north-south  
18 4H well, which, in the latest well test, is flowing back  
19 24 barrels of oil per hour after 6 percent recovery of  
20 load, which I would anticipate improving, continuing,  
21 and the 3H that I mentioned at 16 barrels of oil to  
22 date.

23 Q. On the proposed 7H well, the proposed west  
24 half-west half unit, will the first take point and the  
25 final take point be at orthodox locations under the

1 Division's regulations?

2 A. They would, yes, for standard.

3 Q. And some questions were asked about the timing  
4 of drilling. When was the first well in the east  
5 half-east half of Section 19 -- I think that's the 2H  
6 well?

7 A. That's correct. The Igloo --

8 Q. When was it drilled?

9 A. The Igloo 19 2H was drilled in October of 2014,  
10 fracture stimulated and completed in November of 2014.

11 Q. So it's been producing for a couple of years?

12 A. That's correct. That's correct.

13 Q. And that was well before -- long before the 7H  
14 well was proposed by Legacy?

15 A. Yes, sir.

16 Q. When you drill these wells, how many completion  
17 stages does Caza put in a one-mile lateral?

18 A. Well, normally within a one-mile lateral, we  
19 are looking at 150-foot stage length now in comparison  
20 to looking back at points as much as 300-foot stage  
21 lengths. We are down to 150-foot stage lengths, meaning  
22 40 -- 40 minimum stages for a one-mile lateral.

23 I might interject that what we've seen to  
24 be as important beyond the stage length is the sand  
25 concentration per linear foot of lateral length, and

1 that has vastly improved. In November of '14, for the  
2 Igloo 19 2 well, our total job was 3.4 million pounds of  
3 proppant over 39 stages. We just pumped, in the Igloo  
4 19 3, 6.5 million pounds over that same lateral length.  
5 And the EUR calculations and type curve -- type curves  
6 indicate that the overall EUR is going to be much better  
7 for the loaded wells with 1,500 to 2,000 pounds per  
8 linear foot versus the 800 to 1,000 that was just looked  
9 at in 2014 as being sufficient for the wells.

10 (Mr. Wade enters the room.)

11 Q. Mr. Sam, I'm handing you one of the land  
12 exhibits, Exhibit 4, which has the AFE for the proposed  
13 7H well. I'm going to hand that to you. Did you  
14 prepare that AFE?

15 A. Yes, I did.

16 Q. And at the time it was made -- what were the  
17 drilling and completed well costs?

18 A. The total drilling and completed cost was 5.019  
19 million at that time.

20 Q. Okay. Was that -- was that fair and reasonable  
21 and in common with those charged by Caza and other  
22 operators for wells in that depth in this area?

23 A. Yes, sir. It is fair and reasonable.

24 Q. And what has happened to drilling costs since  
25 that AFE was proposed?

1           A.   Well, overall, we've -- in comparison to the 3H  
2   and the 4H wells that we have just drilled and  
3   completed, the actual drilling cost has come down, but  
4   as I stated earlier, the goal on the completion side is  
5   to decrease the stage length, which means there are more  
6   stages to be pumped and to increase your sand  
7   concentration. So the completion side has increased  
8   over the time period when this AFE was prepared.

9           Q.   And let's skip over Exhibit 32 for a moment and  
10   go to Exhibits 33 and 34. What are those?

11          A.   Exhibits 33 and 34 are updated AFE costs at  
12   this time, taking into account the number of stages that  
13   we discussed per lateral and the increase of sand  
14   concentration for a 2nd Bone, being 5.261 million, and a  
15   3rd Bone, 5.369 million at this time.

16                   And I might interject that these are both  
17   without pilot holes drilled. The Igloo 19 3H, which we  
18   have drilled and completed to date, we drilled a pilot  
19   hole with that. Total drilling and completion costs to  
20   date is about 5.56 million, for the need of a pilot  
21   hole, so just for comparison sake.

22          Q.   And because of its recently drilled wells, Caza  
23   has a pretty good handle on well costs?

24          A.   Yes, sir. Yes, sir. Absolutely.

25          Q.   Are the costs set forth in Exhibits 33 and 34

1 fair and reasonable?

2 A. Yes, sir. They are fair and reasonable costs  
3 in Exhibit 33 and 34.

4 Q. And what is Exhibit 32?

5 A. Exhibit 32 is a display of our estimates of  
6 recovery for a 2nd and 3rd Bone well north-south,  
7 80-acre spacing within the southwest quarter of Section  
8 19. There are recovery factors in the range of 40 to 45  
9 percent of a mile-long lateral that we've had experience  
10 with under our type curve analysis and review.

11 The overall AFE cost is not significantly  
12 less. It's less than \$100,000, less than a normal mile  
13 lateral simply because we decreased the spacing further  
14 on our predicted completion cost and increased our  
15 loading to try and get the most proficient recovery that  
16 we can for that 80-acre lateral in the southwest quarter  
17 of 19.

18 Q. And in your opinion, would 80-acre laterals in  
19 the Bone Spring be economic, be worth drilling?

20 A. 80-acre laterals in the southwest quarter of  
21 Section 19, 2nd, 3rd or 1st Bone are not economic for  
22 Caza to drill at this time with the current pricing  
23 standards and do not meet our minimal rate of returns  
24 for the corporation.

25 Q. I see the rate of return is only in the 1 to 2

1 percent range.

2 A. Correct.

3 Q. I don't think many people would be drilling  
4 with that rate of return.

5 A. No, sir.

6 Q. Were Exhibits 31, 32, 33 and 34 prepared by you  
7 or under your supervision?

8 A. Yes, sir.

9 Q. And in your opinion, is the granting of Caza's  
10 application in the interest of conservation and the  
11 prevention of waste?

12 A. In my opinion, we would be preventing waste in  
13 the southwest quarter of 19 if we were granted a  
14 one-mile lateral for the application that we've  
15 submitted.

16 Q. And just a couple of final questions. Did you  
17 work with Mr. Nickerson in looking at the reserve  
18 numbers in this section?

19 A. Yes, sir. We've looked -- we've looked in  
20 detail over the entire area that includes our database  
21 information that we've recovered, and with six potential  
22 wells within the Bone Spring 1st, 2nd and 3rd being  
23 drilled on the west half of Section 19, it's our opinion  
24 that there is 1.5 million barrels approximately that  
25 would be left stranded in the southwest quarter without



1 the ability to drill one-mile laterals.

2 In addition to that -- it hasn't been  
3 mentioned to this date -- the Wolfcamp is currently  
4 ongoing in the immediate area, potential, also. So it  
5 has not been produced within 19 at this point. But if  
6 that's added in to the calculation, it could be as much  
7 as 2 million barrels, in my opinion, that would be left  
8 stranded in the southwest quarter of 19.

9 Q. Thank you, Mr. Sam.

10 MR. BRUCE: Pass the witness.

11 Oh, could I move Exhibits 31 through 34  
12 into the record?

13 CHAIRMAN CATANACH: Any objection?

14 MR. LARSON: No objection.

15 CHAIRMAN CATANACH: Exhibits 31 through 34  
16 will be admitted.

17 (Caza Petroleum, Inc. Exhibit Numbers 31  
18 through 34 are offered and admitted into  
19 evidence.)

20 CHAIRMAN CATANACH: Let's take a five-,  
21 ten-minute break here.

22 (Recess 11:07 a.m. to 11:20 a.m.)

23 CHAIRMAN CATANACH: Mr. Larson, it's your  
24 witness.

25

## CROSS-EXAMINATION

1

2 BY MR. LARSON:

3 Q. Good morning, Mr. Sam.

4 A. Good morning.

5 Q. I'd like to follow up on a question Chairman  
6 Catanach asked you. He was inquiring about the drilling  
7 cost of an 80-acre lateral, and I believe you responded  
8 approximately \$5 million; is that correct?

9 A. I believe I responded within \$100,000 of a  
10 lat- -- a normal one-mile lateral, yes, which would be  
11 5.1 to -- on a 2nd Bone well, 5.1 to 5.25 on a 3rd Bone  
12 well, yes, sir, with today's AFE costs.

13 Q. So if I understand you correctly, it would be  
14 approximately \$100,000 difference between an 80-acre  
15 lateral and a 160-acre lateral?

16 A. 100- to 150,000, yes, sir, depending on the  
17 depth, whether it's a 2nd Bone or 3rd Bone well and that  
18 the primary reason for that, as I stated, was even  
19 decreasing the stage length further than 150-foot down  
20 to 75-foot stages, increasing your concentration because  
21 you're pumping more stages over that length. So it's  
22 more in the completion, not the drilling side that the  
23 cost increases take place for an 80-acre. You're not  
24 saving a dramatic number of dollars on the drilling  
25 side, but you are spending more on the completion side,

1 in our opinion, on an 80-acre well.

2 Q. Has Caza drilled any 80-acre laterals in this  
3 area?

4 A. No, sir. We would not economically drill any  
5 80-acre locations within the immediate area.

6 Q. And you mentioned that an 80-acre lateral in  
7 the southwest quarter of 19 would not be economic at  
8 current prices. Is there a price at which it would  
9 become economic?

10 A. I have not done those calculations, but I'm  
11 certain that with higher hydrocarbon pricing, all wells,  
12 whether 80-acre, 160 or 320s, would be economic. Yes,  
13 sir.

14 Q. Is there any technical or engineering reason  
15 why you couldn't do an 80-acre north-south lateral in  
16 the southwest quarter?

17 A. There is no technical reason that we would be  
18 unable to drill and complete an 80-acre lateral in this  
19 area, but it would be uneconomic to our standards so we  
20 would not attempt that.

21 Q. Now I'll direct your attention to Exhibit  
22 Number 32.

23 MR. LARSON: This time I got it right, Jim.

24 Q. (BY MR. LARSON) Do the reserves in this  
25 economic projection reflect improved recovery using a

1 frac proppant concentration of 152,000 pounds per foot?

2 A. 1,500 pounds to 2,000 pounds per foot loading  
3 for a lateral?

4 Q. Yes.

5 A. Yes, sir. They do, in our opinion, represent  
6 the reserve recovery for 2nd and 3rd Bone test well for  
7 an 80-acre lateral unit with loading 1,500 pounds to  
8 2,000 pounds per linear foot.

9 Q. And I'll backtrack one exhibit to Number 31.  
10 And this is the Concho Blue Jay Federal #1H well?

11 A. Yes. Yes, sir.

12 Q. And what does this exhibit show as the GOR for  
13 that approximately?

14 A. Gas-to-oil ratio is approximately 2.25 million  
15 per 1860 -- around 1,100 or so.

16 Q. And if you go back to Exhibit 32, it shows the  
17 3rd Bone Spring well to have a GOR of 0.87; is that  
18 correct?

19 A. That's 875 mcf over the life of the well. The  
20 initial GOR and the end-of-the-life GOR are separate  
21 numbers. This is -- this is -- the Blue Jay current  
22 GOR -- GOR does not represent lifetime GOR for the well,  
23 as would the EUR recovery that I'm showing within my  
24 estimated economics.

25 MR. LARSON: Pass the witness.

1 CHAIRMAN CATANACH: Mr. Commissioners?

2 CROSS-EXAMINATION

3 BY COMMISSIONER BALCH:

4 Q. So it wouldn't be economic to do 1st and 3rd  
5 Bone Spring in a lay-down, so we're really just talking  
6 about the 2nd Bone Spring being stranded reserves,  
7 right?

8 A. Could you be more concise on a lay-down, sir?

9 Q. You could do lay-down wells for 1st and 3rd  
10 Bone Spring in your own acreage?

11 A. No, sir. We could not do a lay-down for the  
12 1st or the 3rd Bone Spring within our acreage position.  
13 We have two 3rd Bone Springs running north-south  
14 currently.

15 Q. Okay. Those are 3rd Bone Spring?

16 A. That's correct.

17 We have one 2nd Bone Spring running  
18 north-south. It would be uneconomic and not meet our  
19 standards for recovery to drill a 1st Bone or a 2nd Bone  
20 well on an 80-acre spacing.

21 Q. Has Caza approached Legacy on the two-mile-long  
22 laterals?

23 A. Yes, sir. We have approached them with a  
24 proposal that we would agree to leave them as operator  
25 to drill a two-mile lateral across the southwest quarter

1 of Section 19, which would alleviate stranding over  
2 1.5 million barrels of recovery to the State. Yes, sir.

3 Q. Any sort of response on that?

4 A. Their response was negative, that they did not  
5 agree and would not go forth with that.

6 Q. Thank you.

7 CROSS-EXAMINATION

8 BY CHAIRMAN CATANACH:

9 Q. So what could you do in the south half that  
10 would be economically viable, in the south half of  
11 Section 19?

12 A. Without the ruling that we're asking the  
13 Commission at this time, we could not drill any wells,  
14 1st, 2nd, 3rd Wolfcamp, on an 80-acre lateral that would  
15 meet -- we could not drill.

16 Q. But I'm talking about a mile lateral on the  
17 south half. Is there anything you could do?

18 A. Oh, a mile lateral. Yes, sir. We -- we could  
19 drill mile laterals north-south.

20 Q. No. I'm talking about east-west in the south  
21 half.

22 A. No, sir. We -- we could not develop our  
23 acreage overall with program economics knowing that half  
24 of the wells that we would drill east-west would be  
25 uneconomic and not meet our standards.

1 Q. So even a mile-long lateral in the south half  
2 would be uneconomic?

3 A. No, sir. I did not say that. Our project,  
4 overall project, drilling the wells on the south half of  
5 19, one mile, but when you add back in the north half  
6 drilling on 80-acre spacing, it doesn't meet the  
7 standards for development of the acreage and recovery to  
8 the State, in our opinion.

9 CROSS-EXAMINATION

10 BY COMMISSIONER PADILLA:

11 Q. So earlier we were talking about the conflict  
12 with the 2nd Bone Spring wells and the 3rd Bone Spring  
13 well that exists in the east half of 19, but there isn't  
14 currently 1st Bone Spring development in Section 19,  
15 correct?

16 A. No, sir. There is no 1st Bone development in  
17 Section 19. There is 1st Bone vertical development  
18 directly west and southwest of 19.

19 Q. So are you saying that east-west 160, 1st Bone  
20 Spring development in the south half of 19 would not fit  
21 your parameters for your drilling program?

22 A. No, sir. I'm saying that the overall  
23 development of all of our acreage within 19 does not  
24 meet the economic standards to drill one mile plus  
25 80-acre or half-mile locations to develop all reserves,

1 including 1st, 2nd or 3rd Bone.

2 Q. So when you say that the 1.5 million barrels  
3 estimated -- barrels that would be stranded in the  
4 absence of this application being granted,  
5 theoretically, the 1st Bone -- 1st Bone Spring could be  
6 produced with east-west even though it doesn't fit your  
7 parameters for complete development?

8 A. Theoretically, but not economically.

9 Q. Okay. And you said that if you added in the  
10 Wolfcamp in this area, you're talking somewhere in the  
11 neighborhood of \$2 million of stranded reserves?

12 A. Yes sir.

13 Q. Have you approached anyone about Wolfcamp  
14 development to date for a similar kind of project, or  
15 have you limited --

16 A. No, sir. It's completely internal numbers and  
17 review of Caza's existing wells offset information  
18 but -- and also the ongoing development of the Wolfcamp  
19 within Lea and Eddy Counties.

20 Q. Is there any reason you won't be able to  
21 develop the Wolfcamp in absence of a pooling order?

22 A. The same reason for the 1st, 2nd and 3rd Bone.  
23 Overall, in our opinion, without the ability to drill  
24 one-mile laterals over Section 19 in a north-south  
25 direction, we wouldn't be able to develop any of the



1 reserves under the southwest quarter economically at  
2 this time.

3 Q. Have you approached Legacy or COG about  
4 Wolfcamp development yet?

5 A. No, sir.

6 Q. Okay. That's all I have. Thank you.

7 A. All right. Thank you.

8 RECROSS EXAMINATION

9 BY CHAIRMAN CATANACH:

10 Q. Just one more. If there was a two-mile by  
11 Legacy, would you participate in that well?

12 A. Oh, yes, sir. We would gladly participate as a  
13 good owner and allow Legacy to operate the wells that  
14 were drilled across the southwest quarter.

15 Q. Thank you, sir.

16 MR. BRUCE: Can I do a follow-up?

17 REDIRECT EXAMINATION

18 BY MR. BRUCE:

19 Q. I'm going to Exhibit 2 -- Caza Exhibit 2. I  
20 just want to clarify one thing -- couple things. So far  
21 you've completed three wells, correct?

22 A. Yes, sir, in Section 19 and Section 18.

23 Q. And the 2H is what Bone Spring zone?

24 A. It's a 3rd Bone Spring producing well.

25 Q. And the 3H well?

1           A.    Yes, sir.  The 3rd Bone Spring -- the 3H is  
2   producing out of the 3rd Bone Spring interval.

3           Q.    And the 4H well?

4           A.    4H is a 2nd Bone-producing well at this time.

5           Q.    So there is no way to develop the south half in  
6   the 2nd Bone Spring or in the 3rd Bone Spring with a  
7   mile lateral?

8           A.    With a one-mile lateral, east-west direction,  
9   there is -- it is not -- we are not capable of doing  
10  that in the 2nd or 3rd Bone.

11          Q.    Looking at Section 19, you can conceivably  
12  drill one-mile 1st Bone Spring laterals in the south  
13  half?

14          A.    Yes, you could.

15          Q.    But that would strand, at this point, the  
16  northeast quarter in the 1st Bone Spring?

17          A.    That's correct.

18          Q.    Just one final thing you mentioned.  The 3H and  
19  the 4H well, one of them was unrecoverable -- 16 barrels  
20  an hour and --

21          A.    Double load, yes, sir.

22          Q.    Do you expect that total to go up?

23          A.    Absolutely.  We're within 5 to 6 percent of  
24  load water recovery at this time, less than ten days of  
25  flowback on both wells.

1 Q. So you expect that those wells to get closer to  
2 the top productivity in the Blue Jay well?

3 A. There is a distinct possibility that the 3H  
4 could reach those levels. And by that, I mean we are --  
5 we are -- with these two wells, we are attempting a  
6 particularly different type of flowback. The normal  
7 flowback operations that we've used in the past is three  
8 to five barrels per minute after frac initially until we  
9 see a trace of hydrocarbon, and we increase the choke  
10 over time.

11 What we're doing is we're using  
12 Halliburton's caliber flowback system that they input  
13 spider pressure technology on the wellhead trying to  
14 control your bottom-hole and flowback pressure. We are  
15 currently 1964 at both wells, after recovery of the  
16 hydrocarbon oil and gas rates, we're talking. We've  
17 limited our sand flowback in comparison to the 59 and  
18 62H, which was the offset well. And we're doing fewer  
19 steps in opening our choke and maintaining the choke  
20 over a long period of time. So we believe what we're  
21 doing is we're efficiently unloading the entire lateral  
22 at higher flowing bottom-hole pressure than we would  
23 under normal flowback situations.

24 Q. Thank you, Mr. Sam.

25 MR. BRUCE: That would be all I have.

1 CHAIRMAN CATANACH: The witness may be  
2 excused.

3 MR. LARSON: Mr. Chairman, I have a couple  
4 of follow-up questions.

5 CHAIRMAN CATANACH: I'm sorry. Go ahead,  
6 Mr. Larson.

7 RECROSS EXAMINATION

8 BY MR. LARSON:

9 Q. Staying with Exhibit 2 -- do you still have  
10 that in front of you?

11 A. Yes, I do.

12 Q. -- did Caza drill the 4H well in the southwest  
13 quarter of 19?

14 A. We drilled the 2H well in the east half-east  
15 half, and the surface location is at the northeast of  
16 the northeast of 19.

17 Q. And prior, had Yates drilled Section 19?

18 A. No, sir. Yates had not.

19 Q. And what was the spud date on the 3H?

20 A. The spud date of the 3H was September the  
21 7th. September 7th of this year is the day, I believe,  
22 sir, we drilled the 3H and the 4H back-to-back with a  
23 walk-in rig, same pad site. Both wells were drilled  
24 within the proposed date and time. We were successful  
25 in getting both of those wells drilled within a 45-day

1 period.

2 Q. Since Caza initially filed its pooling  
3 application, has it requested that Legacy not move  
4 forward with its development of the 59H and 62H?

5 A. Yes, sir.

6 MR. LARSON: That's all I have.

7 CHAIRMAN CATANACH: Okay. This witness may  
8 be excused.

9 THE WITNESS: Thank you.

10 CHAIRMAN CATANACH: I think we'll take a  
11 lunch break.

12 MR. BRUCE: Until 1:00?

13 CHAIRMAN CATANACH: Until 1:00, yes.

14 (Recess 11:36 a.m. to 1:01 p.m.)

15 CHAIRMAN CATANACH: Let's go back on the  
16 record at this time.

17 And I believe that -- Jim, were you done  
18 with --

19 MR. BRUCE: Yes, sir.

20 CHAIRMAN CATANACH: Okay. So we'll turn it  
21 over to Mr. Larson at this time.

22 CLAY ROBERTS,  
23 after having been previously sworn under oath, was  
24 questioned and testified as follows:

25 MR. LARSON: Mr. Chairman, a couple of

1 things before I start with Mr. Roberts. First, I've  
2 handed out a set of exhibits which are identical to the  
3 exhibits in our prehearing statement. We did them on a  
4 better printer to make some of the colors stand out  
5 better, but they're exactly the same.

6 CHAIRMAN CATANACH: Okay.

7 MR. LARSON: And secondly, you asked me a  
8 question about the citation of the OCD rules regarding  
9 written consent to the Commissioner of Public Lands, and  
10 I kind of fumbled that because I had a typo in my notes.  
11 It's 19.15.16.15(E), as in easy, (4).

12 Lastly, I'd liked to introduce the  
13 gentleman sitting to my left, Craig Sparkman, petroleum  
14 engineer of Legacy Reserves.

15 DIRECT EXAMINATION

16 BY MR. LARSON:

17 Q. Good afternoon, Mr. Roberts.

18 A. Hi.

19 Q. Would you please state your full name for the  
20 record?

21 A. Clay Roberts.

22 Q. And where do you reside?

23 A. Midland, Texas.

24 Q. By whom are you employed and in what capacity?

25 A. Legacy Reserves as a landman.

1 Q. And what is the focus of your responsibilities  
2 as a landman for Legacy?

3 A. My primary focus is on Legacy's operated  
4 properties in Lea County, New Mexico.

5 Q. And do those responsibilities include the  
6 federal lease units?

7 A. Yes, they do.

8 Q. Are you familiar with the land matters that  
9 pertain to Caza Petroleum's application?

10 A. Yes, sir.

11 Q. Have you previously testified at a Division  
12 hearing?

13 A. Yes, sir, I have.

14 Q. Did the Examiner qualify you as an expert in  
15 petroleum land matters?

16 A. Yes, sir.

17 Q. I take it you have not testified at a  
18 Commission hearing before?

19 A. Correct.

20 Q. Would you briefly summarize for the  
21 Commissioners your educational background and your  
22 professional experience in the oil and gas industry?

23 A. You bet. In 2010, I received a bachelor's  
24 degree from Lubbock Christian University in education.  
25 In 2012, I received a master's degree in organizational

1 management also from Lubbock Christian University. And  
2 in 2012, I began my career in Legacy's land department.

3 MR. LARSON: Mr. Chairman, I tender  
4 Mr. Roberts as an expert in oil and gas land matters.

5 MR. BRUCE: No objection.

6 CHAIRMAN CATANACH: Mr. Roberts is so  
7 qualified.

8 Q. (BY MR. LARSON) Would you please identify the  
9 document marked as Legacy Number 1?

10 A. Yes. It is what I call the Lea Unit Acreage  
11 Contributions map.

12 Q. Did you prepare this document?

13 A. Yes, I did.

14 Q. And what is the area on the map that is  
15 outlined by the red-dashed line?

16 A. The red-dashed line represents the boundaries  
17 of Legacy's Lea Unit.

18 Q. Is the Lea Unit a federal exploratory unit?

19 A. Yes, it is.

20 Q. And when did the BLM approve the unit?

21 A. This unit was approved November 10th of 1959.

22 Q. And who is the operator of the unit?

23 A. Legacy Reserves operates this unit.

24 Q. And what percentage of the unit is federal  
25 acreage?



1           A.    So on the map, the federal acreage is  
2   represented in yellow.  It represents 93.75 percent.

3           Q.    And also State of New Mexico acreage in the  
4   unit?

5           A.    Correct.  The northwest quarter of Section 19  
6   is included in the unit, so it's 160 acres of the total  
7   unit.  It's 6-and-a-quarter percent.

8           Q.    And who is the state lessee in the northwest  
9   quarter?

10          A.    Legacy Reserves.

11          Q.    What is the extent of Legacy's leasehold?

12          A.    Legacy owns that 100 percent.

13          Q.    And does Exhibit 1 also identify the other  
14   ownership in this federal Lea Unit?

15          A.    Yes, sir, it does.

16          Q.    And what are those interests?

17          A.    Finley Resources owns roughly a 5 percent  
18   working interest in the unit.  Hammond Oil & Gas owns a  
19   1.9 -- excuse me -- 1.95 percent working interest, and  
20   then Concho Oil & Gas owns 1.68 percent working  
21   interest.

22          Q.    Would you next identify the document marked as  
23   Exhibit 2?

24          A.    Yes.  That's a GIS map that represents Legacy's  
25   current development plan of the Lea.

1 Q. Was this exhibit prepared by Legacy's GIS --  
2 GIS expert under your direction and supervision?

3 A. Yes, sir, it was.

4 Q. And what is the exhibit intended to depict?

5 A. So what it depicts is Legacy's full-scale Bone  
6 Spring development plan, with currently targeting the  
7 1st, 2nd and 3rd Bone unit wide.

8 Q. And I'd direct your attention to the boxes near  
9 the bottom of the exhibit, numbers 3, 5, 7, 9, 11 and  
10 12. What do those depict?

11 A. Those are the multi-well pads that Legacy plans  
12 to drill these wells off of.

13 Q. And are pads number 11 and 12 located in the  
14 west half-west half of Section 18?

15 A. 11 is going -- well, 11 is located in the west  
16 half-west half of 19, and then pad 12 is in the east  
17 half of the west half of 19 as well.

18 Q. Would you generally describe Legacy's  
19 development plan for the unit?

20 A. Yes. So Legacy has identified these 12 pads.  
21 Legacy will drill three wells off of each one of these  
22 pads targeting the 1st, 2nd, and 3rd Bone Spring.

23 Q. And looking at the wells identified in Section  
24 12 of the unit, are those one-mile laterals?

25 A. In Section 12?

1 Q. Yes.

2 A. Yes, sir. Those are one-mile laterals.

3 Q. Why did Legacy drill those one-mile laterals in  
4 Section 12?

5 A. So Legacy has drilled and will continue to  
6 drill one-mile laterals in Section 12, and that's solely  
7 due to the restrictions of the unit boundary.

8 Q. And focusing on the acreage addressed in Caza's  
9 application, how many north-south mile-and-a-half Bone  
10 Spring horizontal wells in the northwest quarter of  
11 Section 19 and the west half of Section 18 are included  
12 in Legacy's development plan?

13 A. Legacy would drill six wells.

14 Q. And when did Legacy commence discussions with  
15 the BLM about well-pad locations for those six wells?

16 A. So Legacy's initial meeting with the BLM  
17 occurred May 15th of 2015. We met them at the BLM  
18 Carlsbad field office.

19 Q. And were there different well pads initially  
20 proposed by Legacy?

21 A. Absolutely. In an attempt to minimize our  
22 surface disturbance, Legacy originally proposed that all  
23 of these wells -- all of these locations be built along  
24 the northern edge of Section 13 and into Section 18 on  
25 that northern section line.

1 Q. And what was the BLM's response to those  
2 proposed locations?

3 A. The BLM identified some sand dunes along those  
4 proposed locations, and in order to protect the habitat  
5 of the lizard, they would not approve those locations as  
6 we originally proposed them.

7 Q. And so you moved them down into Section 19?

8 A. Yes, sir. All locations unitwide were then  
9 moved to the exterior of the unit boundaries to  
10 accommodate the BLM's request.

11 Q. And when did BLM approve the well pads  
12 identified as 11 and 12 on Exhibit 2?

13 A. Yes. Those wells were approved at an on-site  
14 meeting with the BLM on October -- excuse me -- August  
15 6th of 2015.

16 Q. And has Legacy constructed those well pads?

17 A. Yes, we have.

18 Q. And does Legacy have BLM-approved APDs for any  
19 of the wells in the northwest quarter of 19 and the west  
20 half of 18?

21 A. Legacy has one APD -- APD approved for each  
22 pad, one for pad 11, which would be the 59H, which is  
23 the 3rd Bone Spring target, and then one for the number  
24 12 pad, which is the 62H, also a 3rd Bone Spring.

25 Q. Is this the first time Legacy has opposed an

1 operator drilling a horizontal well that would include  
2 acreage in the Lea Unit?

3 A. No, sir, it's not.

4 Q. Would you next identify the document marked as  
5 Exhibit 3?

6 A. Absolutely. Exhibit 3 is a letter dated March  
7 30th, 2011. It was written by Pat Darden, a Legacy  
8 engineer. The purpose of this letter was to protest an  
9 APD that was filed with the BLM by Mewbourne Oil  
10 Company. The significance of this is Mewbourne's well  
11 had a surface-hole location in the southeast quarter of  
12 Section 14. That would be on the western edge of the  
13 Lea Unit. And then the bottom-hole location of their  
14 APD was inside the unit boundaries in the northeast  
15 quarter of Section 14.

16 Q. And is Exhibit 3 a true and correct copy of  
17 Mr. Darden's letter?

18 A. Yes, it is.

19 Q. And Mr. Darden will testify later today?

20 A. Yes, he will.

21 Q. And had the BLM alerted Legacy that Mewbourne  
22 had filed the APDs?

23 A. Yes, they did.

24 Q. Did Mewbourne withdraw the APDs?

25 A. Yes, sir, they did.

1 Q. And did they then file alternative APDs?

2 A. Yes, sir. They then just filed half-mile APDs  
3 to develop the southeast quarter of Section 14.

4 Q. Would you next identify the document marked as  
5 Exhibit Number 4?

6 A. Yes. Exhibit Number 4 is a Lea Unit Bone  
7 Spring horizontal development map. It's a stick map  
8 that indicates the current status of every well Legacy  
9 plans to drill in the Lea Unit to develop the Lea Unit  
10 inside the boundaries, to stay within the unit  
11 boundaries.

12 The black lines represent wells that Legacy  
13 plans to drill. All the red lines are wells that Legacy  
14 has drilled to date, and then the green lines indicate  
15 wells that Legacy has approved APDs for.

16 Q. And did you prepare Exhibit 4?

17 A. Yes, sir, I did.

18 Q. And these are the same wells that appear on  
19 your Exhibit 2?

20 A. Yes, sir.

21 Q. Is Legacy planning to develop each of the three  
22 benches in the Bone Spring Formation?

23 A. Yes, sir.

24 Q. And has Legacy put its drilling of the 59H and  
25 62H wells on hold since Caza filed its pooling

1 application?

2 A. Yes, sir, we have.

3 Q. Were those wells originally scheduled in  
4 Legacy's 2016 drilling schedule?

5 A. Yes, sir. The 62H would have been spud almost  
6 immediately after the chicken stipulations went off in  
7 June, so roughly -- the first well we actually did spud  
8 after the chicken stips was June 29th of 2016, so that  
9 would likely have been our first target.

10 Q. And is Exhibit 5 prepared by Legacy's geology  
11 witness, Mr. McKamey?

12 A. Exhibit 5? Yes, sir, it was.

13 Q. And how would Legacy's completion of the 59H,  
14 60H and 61H wells affect the royalties that would be  
15 paid to the State of New Mexico?

16 A. So as soon as Legacy drills and completes a  
17 well in the northwest -- that includes acreage in the  
18 northwest quarter of Section 19, the State would then  
19 be -- or this acreage would then be included in the Bone  
20 Spring participating area for the Lea Unit, at which  
21 point the State would be entitled to their proportionate  
22 share unitwide -- from production unitwide.

23 Q. And did you hear the testimony by Caza's  
24 witnesses this morning about their proposal that -- and  
25 I assume that Caza would drill the two-mile well and

1 Legacy would operate it?

2 A. Yes, sir. I did hear that.

3 Q. And did Legacy give serious consideration to  
4 that proposal?

5 A. Yes, we did.

6 Q. And from a land perspective, what problems  
7 would a two-mile lateral cause for Legacy?

8 A. It would be a timing issue. You know, Legacy  
9 already has permits in place, locations built. It would  
10 be an issue of getting those new locations approved,  
11 which, in this case, took us three months to get pads 11  
12 and 12 approved, and then would also be -- you know,  
13 there would be a permitting -- amending permits, which,  
14 in this case, it took us four months to get these  
15 permits approved.

16 Q. And what would happen to the two multi-well  
17 pads that are marked as number 11 and 12 on Exhibit 2?

18 A. They would never be used.

19 Q. So Legacy would lose its investment in those  
20 well pads?

21 A. Yes, and likely have to make further investment  
22 to remediate the land.

23 Q. In your opinion, does Caza have options for  
24 developing its acreage in the southwest quarter of 19?

25 A. Yes, sir, I believe so. And just to lay some



1 of that out, I believe that Caza has the opportunity to  
2 partner with Cimarex to the south in Section 30.  
3 Exhibit 5 indicates that Cimarex has only drilled 2nd  
4 Bone wells in an east-west fashion in Section 30, so I  
5 believe that Caza could partner 1st and 2nd Bone --  
6 excuse me -- partner with Cimarex to drill 1st and 3rd  
7 Bone Spring wells, including the southwest quarter of 19  
8 and the west half of Section 30. And, further, to  
9 address the 2nd Bone Spring, they could partner with BTA  
10 to the west and drill a lay-down -- lay-down 2nd Bone  
11 Spring wells.

12 Q. In your opinion, did Caza foreclose the option  
13 of drilling east-west one-mile laterals in the south  
14 half of 19 by drilling the two Igloo wells that were  
15 discussed this morning?

16 A. Yes. I believe it was the 4H, was their 2nd  
17 Bone Spring that they drilled and completed recently. I  
18 believe that that limited their options to fully develop  
19 the south half of Section 19, you know, in an east-west  
20 fashion.

21 Q. And could Caza still drill a one-mile east-west  
22 1st Bone Spring in the south half of 15?

23 A. Yes, sir, they could.

24 Q. What is your understanding on the BLM's  
25 position regarding Caza's application in terms of

1 operation of the well?

2 A. It is my understanding that the BLM -- or that  
3 the BLM would require that the unit operate, in this  
4 case Legacy, operate any well that produces unit  
5 acreage.

6 Q. In your opinion, would Caza's proposed well  
7 unreasonably interfere with Legacy's long-standing  
8 development plans for the Lea Unit?

9 A. Yes, sir.

10 Q. And in your opinion, would the granting of the  
11 application cause waste and impair the correlative  
12 rights of Legacy and the other interest owners in the  
13 Lea Unit?

14 A. Yes, it would.

15 MR. LARSON: Mr. Chairman, I move the  
16 admission of Exhibits 1 through 5.

17 MR. BRUCE: No objection.

18 CHAIRMAN CATANACH: Exhibits 1 through 5  
19 will be admitted.

20 (Legacy Reserves, LP Exhibit Numbers 1  
21 through 5 are offered and admitted into  
22 evidence.)

23 MR. LARSON: And I'll pass the witness.

24 CROSS-EXAMINATION

25 BY MR. BRUCE:

1 Q. Mr. Roberts, looking at your Exhibit 1 --

2 A. Yes, sir.

3 Q. -- if I understand your testimony, the  
4 northwest quarter of Section 19 is not currently in a  
5 participating area for the Bone Spring?

6 A. Correct.

7 Q. And if you'd move on to your Exhibit 2, Caza  
8 prefers to drill all of its Bone Spring wells, 1st, 2nd,  
9 and 3rd Bone Spring, with stand-up units; is that  
10 correct?

11 A. Your question is Caza wants to drill  
12 north-south wells?

13 Q. Does Legacy prefer to drill all of its Bone  
14 Spring wells north-south?

15 A. Yes, sir.

16 Q. Now, I notice that well pads 11 and 12 --

17 A. Yes, sir.

18 Q. -- are on Caza's acreage. Was Caza ever  
19 notified of the filing of those APDs or even before  
20 Caza? I forget exactly when it was done. Yates  
21 Petroleum Corporation, I believe, may be the record  
22 title owner of the lease?

23 A. To my knowledge, they were not.

24 Q. And those well pads, when were they built?

25 A. They were built when the NMOCD order came down.

1 I don't know the date that that order came down.

2 Q. Okay. But after this forced-pooling  
3 application was initially filed?

4 A. Correct. Yes, sir.

5 Q. And then, you know, regarding the letter that  
6 Mr. Darden wrote to the BLM, if you'll turn to Exhibit 5  
7 and you look at the southeast quarter of Section 14,  
8 that states that Mewbourne's permits expired?

9 A. Right. Correct. They never did drill those  
10 half-mile laterals.

11 Q. You said Caza should -- I don't want to put  
12 words in your mouth, but basically you're saying Caza  
13 should look for the 3rd Bone Spring to drill south into  
14 Section 30?

15 A. I believe that they could drill the 3rd Bone  
16 Spring south into Section 30. Yes, sir.

17 Q. Okay. If Cimarex has plans to drill its own  
18 wells in Section 30, that would complicate that,  
19 wouldn't it?

20 A. It would be the identical situation to what we  
21 have now --

22 Q. Thank you.

23 A. -- with -- with the exception of they would not  
24 be drilled into an exploratory unit.

25 Q. Okay. Well -- and one other thing. Regardless

1 of what happens in the southwest quarter of Section 30,  
2 if Caza's forced to do something else, then the  
3 northeast quarter of Section -- I mean -- excuse me --  
4 Section 19, then won't acreage in the northeast quarter  
5 of Section 19 be stranded?

6 A. If they partner with Cimarex in 30, in the west  
7 half of 30?

8 Q. No, no. No, no.

9 You're saying they should drill east-west.  
10 So they have to drill 1st and 2nd Bone Spring east-west,  
11 especially 1st Bone Spring wells east-west, in Section  
12 30 -- in 19 -- excuse me. I'm getting mixed up. That  
13 would strand the northeast quarter; would it not?

14 A. I do not know what is in Section 20 to the  
15 east, but you could reasonably possibly partner with the  
16 operator of that section. I do think that Caza prefers  
17 to drill their first and all wells north-south, but they  
18 have stated that 2nd Bone Spring lay-down wells are a  
19 possibility. So for the 1st and 3rd, they have a very  
20 good option of partnering with Cimarex going south into  
21 Section 30. So I would say that the 1st Bone Spring  
22 north-south wells are still very much a possibility.

23 Q. Thank you, Mr. Roberts.

24

25

1 CROSS-EXAMINATION

2 BY CHAIRMAN CATANACH:

3 Q. Mr. Roberts, what is the participating area  
4 currently within the unit?

5 A. So currently it is -- it's about 1700 acres.  
6 It does not include any of Sections 18 or 19.

7 Q. And that's in the Bone Spring, right?

8 A. Correct. Yes, sir.

9 Q. And is it all lumped together in one Bone  
10 Spring PA regardless of the 1st, 2nd or 3rd?

11 A. Correct. Yes, sir.

12 Q. So for the surface location in Section 19, did  
13 you need to -- why did that take so long to get  
14 approved? That's on a state lease, right?

15 A. Correct. It was just BLM wanting to make sure  
16 that no habitat was adversely affected by -- by our  
17 operation.

18 Q. With regards to the Mewbourne application, you  
19 referenced they were not trying to force pool the  
20 acreage?

21 A. To my understanding -- and I looked for  
22 previous applications. I never found where they had  
23 submitted an application to force pool their acreage  
24 with, like, our acreage in the northwest quarter of  
25 Section 14. It may have been -- they may have withdrawn

1 the APD prior to coming to that point once they realized  
2 they were drilling across the unit boundary.

3 Q. So do you know why those wells in the southeast  
4 quarter were never drilled?

5 A. I do not know why.

6 Q. Do you know what those were -- were those  
7 targeting -- do you know what zones those were  
8 targeting?

9 A. According to the letter that Pat Darden wrote,  
10 it was the 3rd Bone.

11 Q. Has Legacy drilled two-mile laterals in the  
12 Bone Spring?

13 A. No, sir, we have not.

14 Q. Is that an issue?

15 A. More of a technical issue, and I think we'll  
16 provide some testimony on that later.

17 Q. So if this application is approved and the  
18 northwest quarter is developed in the Bone Spring, that  
19 will be included in the PA for the unit?

20 A. Yes, sir.

21 Q. So how does that affect -- how does that  
22 adversely affect your company?

23 A. Well, I think in our testimony that we'll  
24 provide later, I think there is -- we believe that our  
25 acreage in the northwest quarter is better. The rock is

1 better than what Caza would be contributing in the  
2 southwest quarter.

3 Q. A new wrinkle?

4 A. Yes, sir.

5 Q. The investment in the well pads, how much is  
6 that? Do you have a figure?

7 A. Yes. It's about \$200,000 a pad. That includes  
8 surface damages and the construction of the pad.

9 Q. So your statement that approval of the  
10 application would impair Legacy's correlative rights is  
11 based on the geology?

12 A. Correct. Yes, sir.

13 Q. Okay. I have nothing further.

14 CROSS-EXAMINATION

15 BY COMMISSIONER PADILLA:

16 Q. Just a couple. Is it safe to say the existing  
17 PA for the Bone Spring -- the existing unit PA is  
18 basically following the western edge of Sections 18 and  
19 down because that's the nondeveloped acreage so far?

20 A. Yes, sir.

21 Q. So everything else in the unit has been  
22 dedicated to that PA?

23 A. I believe so, yes, sir.

24 Q. The locations for pads 11 and 12, I believe,  
25 the two that are in that Section 19, those are on -- is



1     that State surface or is that State --

2           A.     That's -- that's fee surface.

3           Q.     Fee surface.

4           A.     Yes, sir.

5           Q.     So you said you have to go through the BLM  
6     process because you're going to penetrate BLM minerals?

7           A.     Yes, sir.

8           Q.     Is there any existing production other than  
9     Bone Spring in the unit? Are there any other PAs?

10          A.     Yes. There -- there is a Morrow participating  
11     area. And I believe the Devonian was finally plugged  
12     out or we're no longer producing the Devonian, so that  
13     one ceases to exist.

14          Q.     Does Legacy have any plans to, say, develop the  
15     Wolfcamp or something else in that unit?

16          A.     Possibly. I would -- I would let our future  
17     testimony speak to that.

18          Q.     That's all I have. Thank you.

19          A.     You're welcome.

20                                 CROSS-EXAMINATION

21     BY COMMISSIONER BALCH:

22          Q.     Good afternoon, Mr. Roberts.

23          A.     Hi.

24          Q.     So until the new wrinkle was thrown in about  
25     3rd quality rocks, it seemed like I've gotten from your

1 testimony that the main reason not to participate was  
2 additional permitting time and then the fact you had  
3 already built the two pads.

4 A. And there are also allocation issues that the  
5 BLM would require a separate tank battery be built for  
6 wells that are -- that cross unit boundaries.

7 Q. So a little more on the surface of  
8 construction?

9 A. Absolutely.

10 Q. I can't tell from the map exactly where the  
11 sand dunes end, but it looks like you could drill -- or  
12 it looks like you could put pads at the south end of  
13 unit eight -- Section 18 without being on the sand dune?

14 A. Possibly.

15 Q. So one possible development scenario is  
16 mile-long laterals, and mile-long laterals to the  
17 south --

18 A. Right.

19 Q. -- which I think is where Caza explained it, to  
20 propose in the absence of two-mile laterals.

21 A. Which we plan to address in future testimony as  
22 far as the economic impact that that would have.

23 Q. So something that's really important for us  
24 is -- correlative rights is one of two things we have to  
25 protect. The second thing is waste. And waste, as

1 you're probably aware, is defined for us as leaving  
2 resources undeveloped that could be developed. So we  
3 run into a situation where you're starting to  
4 intermingle [sic] these three different wells in a  
5 number of different directions. And for me, in my mind,  
6 to prevent waste, we want to develop each of those  
7 horizons to the extent possible and leave no quarter of  
8 that left undeveloped. So your company's ability to  
9 produce your resources is very important. That's the  
10 correlative rights part. But the prevention of waste  
11 part is the collaboration of every company that's  
12 involved in the development.

13 A. Correct.

14 Q. Thank you.

15 A. So to just address -- you know, you've got  
16 wells running east and west and north-south.

17 Q. Yeah.

18 A. Cimarex has already -- you know, they drilled  
19 lay-down 2nd Bone Spring, and they've permitted  
20 north-south 3rd Bone Spring. So I think it's a viable  
21 option.

22 Q. Well, I think they may be a better partner,  
23 perhaps, and I think their development scenario is  
24 potentially viable. What it does to the other quarters  
25 of the section -- I believe it's -- what's below 18?

1 25, it looks like. Whatever's going to happen down  
2 there would be perhaps a repeat of this same issue with  
3 another company.

4 A. You're talking -- what -- what were you --

5 Q. Well, if you develop the -- Section 30,  
6 northwest quarter in the manner you described for Bone  
7 Spring 1 and 3, then you may end up with other issues,  
8 other stranded quadrants, if you will, in Section 30.

9 A. I would suggest that they drill  
10 one-and-a-half-mile laterals to include all of Section  
11 30 in the 1st and 3rd.

12 Q. Well, that may be a viable solution. But we  
13 won't know that until or if Caza's application fails and  
14 then they try and work an agreement with that other  
15 company.

16 Thank you.

17 A. Uh-huh.

18 CHAIRMAN CATANACH: Anything further of  
19 this witness?

20 MR. LARSON: Just a couple of follow-up  
21 questions.

22 CHAIRMAN CATANACH: Oh.

23 REDIRECT EXAMINATION

24 BY MR. LARSON:

25 Q. Are you aware of any Cimarex APDs for

1 north-south laterals in the 1st Bone Spring and the west  
2 half of Section 30?

3 A. No. I'm not aware of any.

4 Q. And are you aware of any APDs for the 3rd Bone  
5 Spring stand-up wells in the west half of 30?

6 A. I'm not aware of any.

7 Q. Does the BLM have to approve any and all  
8 surface locations for a well that penetrates federal  
9 minerals?

10 A. Yes, they do.

11 MR. LARSON: That's all I have,  
12 Mr. Chairman.

13 CHAIRMAN CATANACH: Okay. This witness may  
14 be excused.

15 KEITH McKAMEY,  
16 after having been previously sworn under oath, was  
17 questioned and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. LARSON:

20 Q. Good afternoon, Mr. McKamey.

21 A. Good afternoon.

22 Q. Would you please state your full name for the  
23 record?

24 A. Keith McKamey.

25 Q. Where do you reside?

1 A. Midland, Texas.

2 Q. By whom are you employed and in what capacity?

3 A. Legacy Reserves as geology manager.

4 Q. And what is your focus of your responsibilities  
5 as the geology manager at Legacy?

6 A. As the geology manager, I develop, prospect and  
7 drill and complete all locations that we submit and  
8 propose for drilling for any reserves.

9 Q. Have you previously testified at a Division  
10 hearing?

11 A. I have.

12 Q. And were you qualified as an expert in  
13 petroleum geology?

14 A. I was.

15 Q. And what is the extent of your experience in  
16 the Permian Basin in southeast New Mexico?

17 A. I've had 38 years of experience, 35 of which  
18 have been in the Permian Basin, three years of which was  
19 overseas as a consultant, international consulting.  
20 Specifically in the Lea Unit, I've drilled 16 of the 18  
21 horizontal wells in the Lea Unit.

22 Q. And are you familiar with the geology issues  
23 pertaining to Caza's application?

24 A. Yes, sir, I am.

25 Q. And you're obviously also familiar with

1 Legacy's developmental unit?

2 A. Yes, I am.

3 MR. LARSON: Mr. Chairman, I tender  
4 Mr. McKamey as an expert in petroleum geology.

5 MR. BRUCE: No objection.

6 CHAIRMAN CATANACH: Mr. McKamey is so  
7 qualified.

8 Q. (BY MR. LARSON) Referring your attention to  
9 Exhibit 5, what do you intend to demonstrate with this  
10 exhibit?

11 A. I generated this exhibit to give you a color  
12 idea of all the producing laterals, the horizontal  
13 wells, as well as the vertical wells. All the vertical  
14 wells are in the circles, and each color represents a  
15 Bone Spring interval -- production interval. And in the  
16 laterals, the stick color, also indicates the producing  
17 intervals that the wells are producing from.

18 In addition to that, I have text along the  
19 lateral that indicates the TVD landing interval for the  
20 well, as well as the 30-day IP. In addition to that,  
21 I've got faults drawn, and these faults were drawn from  
22 seismic 3D.

23 Q. And are the brown lines on Exhibits 5 and 10  
24 intended to depict those faults?

25 A. Correct, they are.

1 Q. Would you identify the document marked as  
2 Legacy Exhibit Number 6?

3 A. Exhibit 6 is the Lea Unit #31H type log. For  
4 simplicity, this is one of the very first wells that we  
5 drilled with a vertical pilot hole on. So it identifies  
6 all the individual producing intervals in the 1st, 2nd  
7 and 3rd Bone Spring. And I'll go over those.

8 This LAS log is broken up into three  
9 different segments. The farthest one on the left is the  
10 1st Bone Spring interval, and the bracket at the top is  
11 a typical landing interval in the first Bone Spring.  
12 The middle segment is primarily the 2nd Bone Spring.  
13 The top part of it has been a landing interval, but it  
14 hasn't been as good as the bottom part where I've got it  
15 bracketed as the 2nd Bone Spring landing. The farthest  
16 segment on the right is the 3rd Bone Spring interval.  
17 At the top of it is the carbonate section. At the  
18 bottom of it is the sand section. And I want to call  
19 your attention to the red-bracketed interval. It's what  
20 we call the 3rd Bone Spring landing interval for the  
21 unit. That is Legacy's landing interval. That's an  
22 average of 12.2 percent porosity for that interval.

23 And the curves on the log, the far-left  
24 curve is a gamma ray, which is a geocolumn shaded. The  
25 second column is all the porosity curves. That would be



1 neutron, density and sonic, as well as a PD. And the  
2 third column on that log is a resistivity with the heavy  
3 gas curve superimposed on it.

4           The thing that I want to point out about  
5 the 3rd Bone Spring landing interval is it's about --  
6 oh, about 75 feet from the top of the Wolfcamp. We have  
7 observed in more than one well -- but in the 31H, we  
8 drilled below where I've got the arrow pointed as a frac  
9 barrier. So we went outside of our window on the 31H  
10 while we were drilling the lateral, and in that frac  
11 stage, we could not initiate frac. So we know that's a  
12 frac barrier. Anytime we get below that shale strainer,  
13 we cannot initiate frac and stimulate the 3rd Bone  
14 Spring window that we intended to.

15           What's important about that is the Blue Jay  
16 well. The Blue Jay well was drilled after our first  
17 hearing. It came in as a good well. I couldn't figure  
18 out why, so I started checking into it. And they landed  
19 the 3rd, their -- the Blue Jay well about at the bottom  
20 of that red line, where it says "54 feet," at about  
21 10,990. So they were only about 20 feet from the top of  
22 the Wolfcamp in that Blue Jay well. We ran frac models  
23 on the Blue Jay well, and all their frac models  
24 indicated that the frac went down into the Wolfcamp  
25 section.

1 I mapped 1 foot of pay in the 3rd Bone  
2 Spring in the Blue Jay well, so I couldn't figure out  
3 why it was such a good well until the frac models told  
4 me that there was a good chance that the Wolfcamp was  
5 contributing to that well.

6 So that's a little bit of twist on the 3rd  
7 Bone Spring. They definitely landed their well in the  
8 3rd Bone Spring, and we think they drilled the well, the  
9 entire length of the lateral, in the 3rd Bone Spring,  
10 but it was only about 20 foot from the top of Wolfcamp.  
11 And the models that we got indicated that the frac  
12 likely went down and captured some of that Wolfcamp  
13 reserves.

14 Q. Did you prepare Exhibit 6?

15 A. I did.

16 Q. And how is this type log germane to your  
17 testimony?

18 A. It identifies the landing interval of the 3rd  
19 Bone Spring and how closely we are to the top of the  
20 Wolfcamp and the position of each one of those landing  
21 intervals.

22 Q. Would you next identify the document marked as  
23 Exhibit 7?

24 A. Exhibit 7 is the 3rd Bone Spring Shale  
25 structure. It is the shale stringer right at the top of

1 our pay zone. It is identified on the type log on the  
2 exhibit before.

3 Again, I want to call your attention to  
4 the -- the -- the nose. It plunges kind of  
5 south-southeast to the Lea Unit. It's a fairly gentle  
6 dip, anywhere from 125 to 150 feet per mile. If you  
7 look at the top of Section 13 or even the bottom of  
8 Section 13, it's about the dip rate. And in order to  
9 honor contour interval and the time map that we created  
10 through seismic, we ended that structure right there at  
11 the fault to honor that.

12 Q. And did you also prepare this exhibit?

13 A. I did.

14 Q. And what does Exhibit 7 tell you about the  
15 structure of the 3rd Bone Spring Shale in Caza's  
16 proposed project area?

17 A. The 3rd Bone Spring that we have drilled to  
18 date is on the uphill side of the fault. The Blue Jay  
19 well and I would expect that the Caza well, the #3H,  
20 have both been built on the downturn side of that major  
21 fault. If you'll look at the subsea interval, the  
22 subsea text that I put below each well is about 343 feet  
23 difference in the northeast of 24 compared to the Blue  
24 Jay surface location, which is in the southwest,  
25 southeast of 18.

1 Q. And that's our segue into the next exhibit.

2 Would you identify that, Exhibit Number 8?

3 A. Exhibit Number 8 is the 3rd Bone Spring net  
4 feet pay isopach map. All three Bone Spring intervals,  
5 the depositional environment, is a submarine canyon fan,  
6 and the net feet pay is the best depiction of the  
7 boundaries of that unit.

8 So the contour interval on this is a  
9 25-foot contour interval. Our cutoffs were 10 percent.  
10 And I used -- you know, you always have an option in  
11 geology of which sonic or -- which sonic or which  
12 density or which neutron type of porosity curve to use  
13 in your net feet pay isopach. Sonics are always a  
14 little bit more optimistic than density, but we always  
15 use density in most cases. Density gives you secondary  
16 porosity, whereas a sonic gives you primary porosity.  
17 So where there are two numbers for every well, I used  
18 the blue number, which is the density porosity. Net  
19 feet pay isopach is greater than 10 percent.

20 Q. And did you prepare Exhibit 8?

21 A. I did.

22 And I would, if you don't mind, Gary, kind  
23 of point out some key wells.

24 In the northeast of 24, there are some  
25 pretty high net feet pay wells, 31 feet. In the

1 southeast part of 24, it's only 11 feet. So you'll see  
2 a quick degradation of the reservoir as you go south.  
3 That same net feet pay value as you go east was measured  
4 in the Blue Jay as 1 foot. So you'll see a degradation  
5 of the pay as you go east. In the northeast, in 25,  
6 it's zero. In the southeast -- in the southeast of 24  
7 is about 11 feet. So it's our opinion that the rock  
8 quality is much better in the unit north and west of  
9 Caza's acreage than it is in Caza's acreage in the south  
10 and east. It definitely degrades there.

11 Q. And could you summarize your interpretation of  
12 the net pay for the 3rd Bone Spring in the west  
13 half-west half of Sections 19 and 18?

14 A. As you'll see, I drew a zero-foot contour line  
15 trying to honor the data. My control points, you can  
16 see, in the northeast of 25 is zero and the northwest of  
17 30 is zero, and in the west half -- I'm sorry -- east  
18 half of 18 is 1. And yet the southeast of 24 is 11. So  
19 maintaining the same contour interval, it's very easy to  
20 draw a zero-foot contour line very near the section line  
21 of the southwest quarter of Section 19.

22 Q. Would you next identify the document marked as  
23 Exhibit 9?

24 A. Exhibit 9 is the same style, net feet pay  
25 isopach only in the 2nd Bone Spring interval.

1 Q. Did you also prepare this exhibit?

2 A. I did.

3 Q. And what is this exhibit intended to depict?

4 A. It shows you that the depocenter or the thick  
5 isopach -- thickness of the 2nd Bone Spring Sand, which  
6 is the best part of the reservoir, is located in Section  
7 13, which is within the unit. The rock quality there in  
8 the unit is -- appears to be much, much better than it  
9 does as you go south and east in the 2nd Bone Spring.

10 Q. And what is your interpretation of the pay  
11 interval in the 2nd Bone Spring in the northwest quarter  
12 of Section 19 and the west half of Section 19?

13 A. Again, I want to point out the values which I  
14 used to map. So the key wells in the northeast of 24,  
15 there is a 26-foot pay well. In the southeast of 24,  
16 there is a 9-foot pay well. So it definitely degrades  
17 as you go south. The well in -- let's see -- northeast  
18 of 25 is 16 feet, so it begins to increase as you go  
19 into Section 25. And, in fact, in 30, you've got two  
20 vertical well logs that give you 55 feet and 29 feet.  
21 So it increases as you pass the south half of 25.  
22 Increases it to be better in the 2nd Bone Spring.

23 I might add that Legacy, before they  
24 drilled any of their 2nd Bone Spring wells and we  
25 drilled -- one, two, three -- four now, we did a study

1 on whether or not their direction orientation made any  
2 difference, and I did two studies. I did a regional  
3 study which included 1,620 square miles, which is  
4 basically the north half of the Basin, of 2nd Bone  
5 Spring laterals. There were -- of the east-west  
6 laterals, there were 333 2nd Bone Spring lay-down  
7 laterals. North-south laterals, there were 318. So the  
8 industry doesn't make a distinguish -- distinguishing  
9 feature about which orientation is better.

10 So then I went to a little bit more local  
11 area. I did a 2-and-a-half-mile -- square-mile area,  
12 which includes only 20 South, 34 East and 27-35 East  
13 [sic], and there are eight wells in each type of  
14 orientation. There are eight wells in the east-west  
15 orientation. A 30-day IP of those eight wells is 633  
16 barrels. A 180-day cum of those same east-west laterals  
17 is 70,805. Now, for the north-south wells, there were  
18 eight of those. The 30-day IP was 511. A 180-day cum  
19 was 68,414. So from this study, we assume that there  
20 was not any preferred orientation difference in regards  
21 to production. They were just about dead even either  
22 way you went.

23 Q. Directing your attention, again, to Exhibit 9,  
24 what's your interpretation of the net pay interval in  
25 the southwest quarter of Section 19?

1           A.    I think the 2nd Bone Spring is -- the rock  
2    quality is a lot less in the southwest quarter of 19  
3    compared to the northwest quarter of 19 and the west  
4    half of 18.  So I think there would be an unequal  
5    allocation for a two-mile lateral or even a one-mile  
6    lateral in the west half-west half if we include Caza's  
7    acreage.

8           Q.    And you talked about the 3rd Bone Spring and  
9    the 2nd Bone Spring.  Have you done a similar exercise  
10   for the 1st Bone Spring?

11          A.    That happens to be the next exhibit.

12          Q.    That would be Exhibit 10?

13          A.    Yes, sir.

14          Q.    And did you prepare this document?

15          A.    I did.

16                    . So the 1st Bone Spring is very similar to  
17   the 2nd and 3rd.  It is a submarine canyon fan.  It is  
18   oriented north-south.  You map it with a net feet pay,  
19   is the best map to identify the boundaries of the  
20   reservoir.  The thick there is right there in Section  
21   13, and it thins as you go south and east of the unit.

22          Q.    And what's your interpretation of the net pay  
23   in the southwest quarter of Section 19 in the 1st Bone  
24   Spring?

25          A.    In the southwest quarter of 19, it looks like



1 that there is somewhere between zero and 25 feet of pay  
2 in the 1st Bone Spring. Northwest of 19, it looks like  
3 it is a little better. It can be as much as 30 feet of  
4 pay. And the west half of 18, it could be as much as 50  
5 feet of pay based on contour interval.

6 I might point out a few key wells to kind  
7 of branch out to all of my text here. The northeast of  
8 24, there's 54 feet of pay. That's that blue number.  
9 In the southeast of 24, there is 48. So both of those  
10 are pretty even. As you get into the northeast of 25,  
11 it's 21 feet of pay. And then 30, there's 28 and 11  
12 feet of pay, so you can see it's a little bit --  
13 degrades as you go east. Up there in 18, there was 21  
14 feet of pay in the Blue Jay well. And in the Igloo 2H,  
15 they did run a log through the 2nd Bone Spring section  
16 and the 1st Bone Spring section. I can measure 16 feet  
17 of pay there. There appears to be some net feet pay in  
18 the 1st Bone Spring in the southwest quarter.

19 Q. Do you have Caza's exhibits in front of you  
20 there?

21 A. I do.

22 Q. I'd like to refer you to the pore volume and  
23 hydrocarbon pore volume maps. These are Caza Exhibits  
24 11, 12, 18 and 19.

25 A. So on Exhibit 12 -- there are a couple of

1 things that are usually unique about industry standards  
2 when you're doing mapping to evaluate the boundaries of  
3 a reservoir. First of all, you want to -- you want to  
4 use a type of mapping system that you honor all control  
5 points that you have. Caza has 19 control points in 44  
6 square miles, and it's the same 19 points for every map.  
7 They have omitted all of the deep wells in the unit with  
8 the exception of one, and that's in Section 13.

9 I did net feet pay isopaching, which  
10 identifies the reservoir and the reservoir boundaries.  
11 I had 35 data points in 12 square miles. I had 2.9 data  
12 points more than they did.

13 One of the things I want to point out about  
14 net pay volume maps, they're very good if you have lots  
15 of control. If you don't have a lot of control, then  
16 you're basically open to contour interpretation, is  
17 probably the best way to put that.

18 I want to call your attention to the well  
19 in the west half -- I'm sorry -- east half-west half of  
20 31. I believe Caza already gave testimony that that was  
21 a thin well. Well, that's one of the smallest net pore  
22 volume points that they have, and yet that's the best  
23 2nd Bone Spring well that they identify on Exhibit 25.

24 So, typically, the type of mapping system  
25 that you use, the industry standard is that your points

1 should fit your map. If you're trying to identify a  
2 reservoir and the reservoir boundaries, all points  
3 should fit your map. With that point being 12 and one  
4 of the lowest pore -- hydrocarbon pore volume points on  
5 the map and yet being the best well, that doesn't fit.

6 Q. In your opinion, does Exhibit 12, as well as  
7 Caza Exhibits 11, 18 and 19, have sufficient control  
8 points to identify the boundaries of the reservoir in  
9 the area Caza has mapped?

10 A. That's right. Please --

11 Q. I'll restate my question.

12 A. Would you please restate the question?

13 Q. Sure. In your opinion, do the Caza maps have  
14 sufficient control points to identify the boundaries of  
15 the reservoir in the area Caza has mapped?

16 A. Caza's map does not have enough control points  
17 to identify the boundaries of the reservoir.

18 The Legacy map identifies every control  
19 point that you have in the area that is deep enough to  
20 penetrate all the points, and, therefore, honor -- you  
21 know, use those as data points to honor your map.

22 Q. And looking again at Caza Exhibit 12, what well  
23 on that map is the most productive?

24 A. That's the well on the east half-west half of  
25 31.

1 Q. And what is that well's hydrocarbon volume?

2 A. 12 feet.

3 Q. And staying with Caza Exhibit 12, as well as  
4 Caza Exhibit 26, in your opinion, does the fault  
5 designation on Exhibit 12 contradict contours on Exhibit  
6 26?

7 A. Yes. If you would turn to Exhibit 26, I'll try  
8 to illustrate what that means. Exhibit 26 is a  
9 structure map in the 3rd Bone Spring. Typical industry  
10 standard is that you maintain a contour interval where  
11 you have good control, and you carry that contour  
12 interval all the way to the edge of a fault. If --  
13 assuming there are faults in that horizon or map. If  
14 your contour interval starts to get thin or narrower,  
15 that's where the placement of the fault is normally put  
16 if you only have well controls as your data points.

17 Caza testified that the fault is east of  
18 the Blue Jay well, which is in Section 18. In fact, the  
19 major fault that we've identified on 3D is west of the  
20 well, and it's identified on all of my exhibits, as it  
21 runs kind of north -- southwest-northeast through that  
22 well.

23 Q. And referring next to Caza Exhibits 19 and 27,  
24 do you believe there is a similar contradiction between  
25 the hydrocarbon pore volume on Exhibit 19 and the

1 contour shown on Exhibit 27?

2 A. Yes. The Blue Jay well is a 7-foot hydrocarbon  
3 pore volume with data points, according to Caza's  
4 hydrocarbon pore volume calculations. Yet they refer  
5 that to be, on their own Exhibit 27, as the best well in  
6 the field. Again, the data doesn't seem to match the  
7 predicted EURs.

8 Q. When Caza made a proposal to Legacy about  
9 drilling a two-mile lateral in Sections 19 and 18, did  
10 you look at that proposal from a geologic perspective?

11 A. I did. I did.

12 I'll ask you to flip back to my structure  
13 map, which is Exhibit Number 7. If we were to drill a  
14 two-mile in the west half-west half of 18 and 19 in the  
15 3rd Bone Spring, the portion that's in the southwest  
16 quarter of 19 would be downthrown 350 feet. To be able  
17 to steer that portion and get back up on the upthrown  
18 side would be 350 feet in the lateral that would create  
19 too many doglegs and create a problem for steering, as  
20 well as completion and drilling.

21 Q. And do I understand you correctly that where  
22 you have located the fault, that would create serious  
23 engineering and technical problems in drilling a  
24 two-mile lateral?

25 A. That's correct.

1 Q. In your opinion, do the pay intervals in each  
2 of the Bone Spring benches increase as you move north  
3 from southwest quarter of Section 19 into the west  
4 half-west half of Section 18?

5 A. That's correct.

6 Q. And given that Caza proposes to drill a  
7 horizontal well in the west half-west half of Section  
8 19, do you believe that the pay would be similar across  
9 the producing lateral of Caza's proposed well?

10 A. If -- let me make sure I understand your  
11 question. If it's a one-mile lateral or --

12 Q. Yes. We were talking about the two-mile  
13 proposal. I'm back to their application.

14 A. Okay. So if it's a one-mile lateral, I think  
15 it would be unequal allocation in the 3rd Bone Spring  
16 interval because the control points I have very near  
17 their acreage is very near zero. So their contribution  
18 to that one-mile lateral would be very little.

19 Q. And what about the other two benches of the  
20 Bone Spring?

21 A. For the 2nd Bone Spring, it would be very near  
22 zero, and the 1st Bone Spring, there would probably be a  
23 little bit of contribution from Caza's southwest  
24 quarter.

25 Q. And in your opinion, would there be an

1 equitable allocation of revenues in Caza's proposal?

2 A. Inequitable allocation.

3 Q. And in your opinion, would the granting of  
4 Caza's application impair the correlative rights of  
5 Legacy and the other Lea interest owners?

6 A. Yes, I do.

7 MR. LARSON: Mr. Examiner, I'd move the  
8 admission of Legacy Exhibits 6 through 10.

9 CHAIRMAN CATANACH: Any objection?

10 MR. BRUCE: No objection.

11 CHAIRMAN CATANACH: 6 through 10 will be  
12 admitted.

13 (Legacy Reserves, LP Exhibit Numbers 6  
14 through 10 are offered and admitted into  
15 evidence.)

16 MR. LARSON: I'll pass the witness.

17 CHAIRMAN CATANACH: Mr. Bruce.

18 CROSS-EXAMINATION

19 BY MR. BRUCE:

20 Q. Let's start with your Exhibit 7, Mr. McKamey.  
21 It seems to me, when you're looking at the west half of  
22 the west half of 18 and the west half-northwest of 19,  
23 looks like some of your wells are going to cross that  
24 fault, too.

25 A. No, Jim. In fact, we plan to drill that whole

1 well on the throw side of the fault. That's just a  
2 platting issue.

3 Q. Didn't you testify in the original hearing on  
4 this matter that yeah, there is a fault there, no big  
5 deal?

6 A. No. My testimony was that I did not have a 3D.  
7 And the fault trace that I put on my map in the first  
8 hearing was from public data. I've since gotten 3D and  
9 know exactly where that fault is.

10 Q. And looking at -- well, I don't care which  
11 one -- Exhibits 8 and 9 or both of them, you draw a zero  
12 line, that Caza has three existing wells there and  
13 apparently excellent wells. So your zero line on those  
14 plats, 2nd, 3rd Bone Spring, is meaningless, isn't it?

15 A. No, it's not, because if you look at the  
16 southwest quarter of 19, if you look right across the  
17 acreage boundary into the southeast of 24, that's a very  
18 thin well. It's only 11 feet. If you look southwest to  
19 the northeast of 25, it's zero. Now, I think that the  
20 3H and 4H did encounter some rock quality up in the  
21 northeast quarter of 19. I think that's where they've  
22 gotten their production.

23 Q. You also have a -- looking to the south in  
24 Section 30, you also have a zero line going through  
25 there. And would you agree all of the Cimarex wells in



1 the 2nd Bone Spring of Section 30 are pretty good wells?

2 A. They are good wells.

3 I might also point out that there is not a  
4 value that you can put on the north half-north half of  
5 30 because there is no vertical pilot-hole log. In  
6 fact, there could be some net feet pay there, just no  
7 data point to honor it.

8 MR. BRUCE: That's all I have,  
9 Mr. Examiner -- I mean Mr. Chairman. I do it every  
10 hearing. Sorry.

11 CHAIRMAN CATANACH: You do it every time.

12 COMMISSIONER PADILLA: Demerit.

13 MR. BRUCE: Habit.

14 CHAIRMAN CATANACH: Mr. Balch, why don't  
15 you take off?

16 CROSS-EXAMINATION

17 BY COMMISSIONER BALCH:

18 Q. Good afternoon, Mr. McKamey.

19 A. Good afternoon.

20 Q. I'm a geophysicist. I'm going to talk about  
21 your sonic data. And I'll just remark that every time  
22 somebody talks about seismic data, they never show it to  
23 me. Very disappointing.

24 Anyway, you're saying the throw is about  
25 seven times higher than what Caza was claiming on that

1 fault, 350 versus 40 to 50 feet?

2 A. Uh-huh.

3 Q. That's based on seismic?

4 A. Both seismic and well control. I pointed that  
5 out on Exhibit Number 7. The closest downthrown --  
6 downdip well in our unit is the northeast to 25, 7,344,  
7 and then the Blue Jay well, 7,687. So that's 344 feet  
8 right there.

9 Q. Do you have -- did you get a sense of the  
10 timing of that fault?

11 A. I -- I know that it affects the 2nd Bone Spring  
12 interval, but not much. We have encountered the  
13 fault -- the east-west fault on the north side of our  
14 unit through steering, and we see in the MWD gamma ray  
15 about a 15-foot offset.

16 Q. At the 2nd Bone Spring?

17 A. At the 2nd Bone Spring.

18 Q. So primarily lower or --

19 A. 2nd and 3rd.

20 Q. 2nd and 3rd.

21 A. Correct.

22 Q. So it doesn't affect the 1st at all?

23 A. Probably doesn't. If so, very minimal. We  
24 can't notice it. We can't see a 15- to 20-foot throw in  
25 seismic, but we can sure see 350-foot throw.

1 Q. That's rather dramatic.

2 I mean, kind of based on your testimony, I  
3 got the feeling that that northwest quarter is not all  
4 that special.

5 A. Of 19?

6 Q. Yes.

7 A. In which zone?

8 Q. Well, I think it might be only, really, in the  
9 3rd Bone Spring, according to your map.

10 A. It looks like it has an average of 20 feet in  
11 the northwest quarter of 19 for the 3rd Bone Spring and  
12 maybe an average of 18 to 20 feet in the 2nd Bone Spring  
13 in the northwest quarter. So I think it'll contribute  
14 to the lateral. I don't think it'll contribute as much  
15 as the west half of 18 as a prospective, but I think  
16 that it will contribute, in my opinion.

17 Q. But compared to the parts of the well in  
18 Section 18, that other mile. It's not to scale.

19 A. In 18?

20 Q. In Section 18. You're drilling your laterals a  
21 mile and a half north -- south to north.

22 A. Right. Uh-huh.

23 Q. And that first half mile is going to be worse  
24 than the other mile?

25 A. That's correct. It won't be as good, but it

1 should contribute.

2 Q. And it seems like Caza needs some wells in the  
3 2nd Bone Spring -- I'm sorry -- yeah -- 2nd Bone Spring  
4 in the east half of Section 19, enough to encourage them  
5 to drill the next two wells in the west half.

6 A. I'm sorry. I didn't quite follow you. Would  
7 you mind repeating that?

8 Q. In Section 19 --

9 A. Yes, sir.

10 Q. -- east half --

11 A. East half.

12 Q. -- two horizontal wells --

13 A. Right.

14 Q. -- three horizontal wells.

15 A. Yeah.

16 Q. The 2nd --

17 A. And two-thirds. Uh-huh.

18 Q. Two-thirds.

19 Production of those wells was sufficient  
20 for them to want to do the same thing in the west half.

21 A. Uh-huh.

22 Q. Those are both -- I think all of those wells  
23 would not be very good, based on your map.

24 A. Well, if you'll notice, I did honor, in the 2nd  
25 Bone Spring, the 31 foot of pay, and this is Exhibit

1 Number 9.

2 Q. Pulls it out. Yes.

3 A. Yeah. There is 31 feet of pay in the Blue Jay  
4 well, which is west half-east half of 18, and 53 feet of  
5 pay in the 2H well that Caza drilled. So I do think  
6 there is 2nd Bone Spring on the north end there. I  
7 think it's very thin and very near zero in the southwest  
8 quarter. That's really my distinction in the 2nd Sand.

9 Q. And in part of the section -- or in part of the  
10 Lea, you want to drill a mile and a half?

11 A. Uh-huh.

12 Q. Looks like you could easily stay on either side  
13 of that fault.

14 A. I could -- I could do it either way. I could  
15 drill on the downthrown side or the upthrown side.

16 Q. If you were to add that extra half mile to the  
17 south, you'd only have to cross the fault once or the  
18 well that would be furthest west?

19 A. That's right. That's probably true.

20 Q. So maybe it's not terribly complicated. You're  
21 making one jump instead of several jumps to try and  
22 cross over it more than one time.

23 A. Except for the dogleg to jump 350 feet would be  
24 too much to get your pipe down.

25 Q. I know you're not the petroleum engineer

1 drilling guy, but there was some testimony earlier that  
2 there is barely any more money to drill an extra half  
3 mile.

4 A. Is that -- are you asking is that the case with  
5 Legacy?

6 Q. Yeah.

7 A. We have drilled both a mile and a mile and a  
8 half, and there is a difference. And I'll let Pat  
9 Darden testify to that later because he's got a full  
10 exhibit to show that.

11 Q. Great. Thank you very much.

12 A. You're welcome.

13 CROSS-EXAMINATION

14 BY CHAIRMAN CATANACH:

15 Q. Just a couple, Mr. McKamey. In the northwest  
16 quarter of 19, you've stated there is about 20 feet of  
17 net pay in the 3rd Bone Spring?

18 A. 3rd? It looks like it should be an average of  
19 about 20 feet. Yes, sir.

20 Q. And in the 2nd, it's 18 to 20?

21 A. Net pay, yes, sir.

22 Q. What would you estimate to be the 1st?

23 A. The 1st in the northwest quarter, it would be  
24 somewhere on average of 16 to 18, probably.

25 Q. So moving to the southwest, how would you

1 characterize that in terms of the three intervals in  
2 terms of the net pay for, say, an average?

3 A. Southwest of 19?

4 Q. Yes, sir.

5 A. For the 1st Sand in there, an average would be  
6 somewhere about the same, 15, 16, 17 feet. For the 2nd  
7 Sand in the southwest of 19, very near zero, because I  
8 don't have any wells that tell me that there is porosity  
9 offsetting it. And in the 3rd, very near zero.

10 Q. So would that same -- if they can apply to the  
11 southeast of 19, does that increase --

12 A. The southeast of 19 doesn't look as good in the  
13 1st Bone Spring. But I might add, I don't have any  
14 control points east for the 1st. The control points I  
15 have are north and south, basically. For the 2nd Bone  
16 Spring, I don't have any control points east, but I do  
17 have control north and south. And it looks like the  
18 southeast of 19 would be very near zero for the 2nd  
19 Sand, and for the 3rd Sand, very near zero as well.

20 Q. So then it's your opinion that those three  
21 producing wells in the east half are getting most of  
22 their production from the northeast quarter?

23 A. Yes, sir.

24 I do think that it's a possibility that the  
25 3H well that they recently drilled may have also fracked

1 into some Wolfcamp interval if they targeted the same  
2 interval that Blue Jay did -- that Concho did on the  
3 Blue Jay well.

4 Q. So based on your geologic opinion, what are the  
5 prospects of drilling east-west wells in the south half  
6 of Section 19?

7 A. I think they have quite a few possibilities.  
8 For -- let's start off with the 3rd Sand. The 3rd Sand,  
9 the preferred orientation is north-south. I do not deny  
10 that. Most of the wells have been drilled that  
11 direction. If they chose to drill 3rd Sand in the  
12 southwest quarter of 19, they can pool the west half of  
13 30 and do a mile and a half.

14 For the 2nd Sand, you can go north, south,  
15 east or west, but they have the option of pooling with  
16 the south half of 24 and making a mile-and-a-half  
17 lateral in the southwest of 19.

18 I might point out that if they hadn't  
19 already drilled their 4H well, they could have gone the  
20 entire length of the south half in a lay-down, and then  
21 if they wanted to drill a 2nd Bone Spring up in the  
22 northeast quarter of 19, they could have pooled with  
23 Section 20 just to the east of it and done a lay-down on  
24 that.

25 As far as the 1st Bone Spring, they have



1 options to go east-west for a mile and a half into the  
2 south half of 24 or north-south into the west half of 30  
3 and pool with offset operators there. And that would be  
4 outside the unit, so there wouldn't be any conflict with  
5 the -- with the unit.

6 Q. So it doesn't sound like, in your opinion, any  
7 of the options would be limited to just the south half  
8 of Section 19.

9 A. They could drill a 1st Bone Spring in the south  
10 half of 30 for a full mile. And had they not already  
11 drilled the 4H, they could have drilled a full mile in  
12 the 2nd Bone Spring. But they chose to do that after  
13 the first hearing, limiting their own options at this  
14 hearing.

15 MR. LARSON: Mr. Chairman, excuse me, a  
16 point of clarification.

17 Did you mean Section 30 or Section 19?

18 THE WITNESS: Section 19.

19 Q. (BY CHAIRMAN CATANACH) So what would be your  
20 opinion be if they did drill a 1st Bone Spring in the  
21 south half of 19? Would that be a good well?

22 A. I think that would make a well. And they have  
23 the option of going a full mile and a half down into the  
24 west half of 30, or they could drill an east-west  
25 lateral in the south half of 19. And half the lateral,

1 looks like it has net feet pay of average anywhere from  
2 15 to 17, 18 feet.

3 Q. So in the 2nd and 3rd, you don't see any  
4 potential drilling in the east half or south half where  
5 they already drilled some east-half wells?

6 A. Yeah. They've already limited that option to  
7 do that.

8 Q. So really any other option would still require  
9 them to combine their acreage with some other acreage?

10 A. Exactly.

11 RE CROSS EXAMINATION

12 BY COMMISSIONER BALCH:

13 Q. And every formation there, you have their  
14 acreage being the worst part.

15 A. Yes, sir, I do.

16 Q. So not many people would be inspired to partner  
17 in that case?

18 A. That's exactly why we don't want to. We don't  
19 want to have their rock quality combined with ours.

20 CROSS-EXAMINATION

21 BY COMMISSIONER PADILLA:

22 Q. Mr. McKamey, so you think it's not only  
23 probable but very realistic that all the production in  
24 the 3H and 4H is coming from the northwest of 19?

25 A. Probably the north half of their laterals, yes,

1 which would be the northeast of 19.

2 Q. Do you think that that area is productive  
3 enough to make some good wells and essentially turn 160s  
4 into 80s and make them productive?

5 A. Obviously, it is good enough. They've  
6 testified they've got a very good well. I don't doubt  
7 that. You know, I'm a geologist so I have to use the  
8 data that I have, and the data quality shows that the  
9 rock quality deteriorates as you go through -- southwest  
10 quarter.

11 Q. Your comparative analysis is kind of  
12 interesting, about the 2nd Bone Spring horizontals in  
13 the area, 330 west, 318 north -- north-south. Is there  
14 any reason you picked the 2nd Bone Spring, or did you do  
15 any other comparative analyses on the 1st and 3rd, or  
16 did conventional wisdom kick out the 3rd? What was the  
17 thought process on that?

18 A. They had three or four exhibits by Yates people  
19 that said that the preferred direction is north-south,  
20 and I don't think it's that way. I think it can be as  
21 good east-west as it could be north-south.

22 Q. You said earlier that you agreed with them as  
23 far as the 3rd Bone Spring going north-south is  
24 preferable there.

25 A. It seems to be the preferential.

1 Q. What about for the 1st?

2 A. You know, there's not any 1st Bone Spring wells  
3 drilled in the area. We have drilled two, and Cimarex  
4 drilled one offsetting us. They're all north-south. So  
5 we don't have comparison for an east-west. So really  
6 the only data points we have are north-south in the 1st  
7 Sand.

8 Q. Okay. That's all I have. Thank you.

9 A. You're welcome.

10 REDIRECT EXAMINATION

11 BY MR. LARSON:

12 Q. A couple of follow-up questions, Mr. McKamey.  
13 So I take it that your location on the fault differs  
14 from Caza; is that correct?

15 A. Yes, sir, it does. It's very possible that  
16 Caza did see a fault in the drilling of their well. I  
17 would submit it's probably a splinter fault, and  
18 subseismic -- I can't see it on seismic, but we can  
19 definitely see the one I've illustrated.

20 Q. So would you describe the one they encountered  
21 as a minor fault?

22 A. Yes, sir, I would.

23 MR. LARSON: That's all I have.

24

25

RECROSS EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. BRUCE:

Q. But if Caza's application was granted, they could -- based on any of your exhibits with the location of the fault, it could drill wells on the downthrow side of the fault?

A. Okay. Jim, if you would clarify for me, for the one-mile lateral, you're talking about on the west half of 19?

Q. Yeah.

A. If it was granted, I think that they -- in the west half stand-up, if it was granted, I think they could definitely make a 1st Bone Spring lateral. I show rock quality to be about the same.

Q. No. That's not what I'm asking.

A. Okay.

Q. Just pick out -- let's say Exhibit 9. It doesn't really matter. I'm just talking about the fault that you have on your plat.

A. Yes, sir.

Q. They could drill their west half-west half wells all on the downthrow side of the fault, correct?

A. They could, yes. In the 2nd? Yes, they could. Just remember the 2nd Sand isn't offset much by the fault. It's probably not affected that much.

1 Q. But same thing with the 3rd Bone Spring, they  
2 could also drill their well completely to the east of  
3 the fault?

4 A. They could drill. As a matter of fact, their  
5 62 location is on that --

6 Q. Thank you.

7 MR. BRUCE: That's all I have.

8 CHAIRMAN CATANACH: This witness may be  
9 excused.

10 MR. LARSON: Mr. Chairman, may we have a  
11 five-minute break before I start with Mr. Darden?

12 CHAIRMAN CATANACH: Good idea.

13 (Recess 2:24 p.m. to 2:37 p.m.)

14 CHAIRMAN CATANACH: We'll call the hearing  
15 back to order and turn it over to Mr. Larson.

16 DONALD PATRICK DARDEN,  
17 after having been previously sworn under oath, was  
18 questioned and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. LARSON:

21 Q. Good afternoon, Mr. Darden.

22 A. Good afternoon.

23 Q. Would you please state your full name for the  
24 record?

25 A. Donald Patrick Darden.

1 Q. And where do you live, sir?

2 A. In Midland, Texas.

3 Q. And by whom are you employed and in what  
4 capacity?

5 A. I'm employed by Legacy Reserves, and I am a  
6 senior engineer advisor.

7 Q. And what is the focus of your responsibilities  
8 as a senior engineering advisor?

9 A. I watch over the operations in Lea County, New  
10 Mexico and oversee and help some of the under-engineers  
11 as well.

12 Q. And does your focus include Legacy's  
13 development in the Lea units?

14 A. Yes, sir.

15 Q. Have you previously testified in a Division  
16 hearing?

17 A. Yes, sir.

18 Q. And did the Examiner qualify you as an expert  
19 of petroleum engineering?

20 A. Yes, sir.

21 Q. Have you testified in a Commission hearing?

22 A. Commission hearing?

23 Q. (Indicating.)

24 A. No, sir, I have not.

25 Q. And given that, would you briefly summarize for

1 the Commissioners your educational background and  
2 professional experience?

3 A. Yes, sir. I received a petroleum engineering  
4 degree, my bachelor of science, in 1983 from Texas Tech  
5 University. From 1983 to 1987, I worked in various --  
6 with various companies, very difficult times, as most of  
7 you-all probably remember, as an engineer during that  
8 time. In 1987, I went to work for Occidental/OXY  
9 Petroleum and worked ten years for them, from '87 to  
10 '97, and then I went to work for XTO Energy from '97 to  
11 2007. And in 2007, I came to work for Legacy Reserves  
12 and have been there ever since.

13 Q. Are you a registered professional engineer?

14 A. Yes, sir.

15 Q. In the state of Texas?

16 A. State of Texas, uh-huh.

17 MR. LARSON: Mr. Examiner, I tender  
18 Mr. Darden as an expert in petroleum engineering.

19 MR. BRUCE: No objections.

20 CHAIRMAN CATANACH: Mr. Darden is so  
21 qualified.

22 Q. (BY MR. LARSON) Mr. Darden, you heard some  
23 from Mr. Roberts and Mr. McKamey about Legacy's  
24 consideration of Caza's proposal to do a two-mile  
25 lateral; is that correct?



1 A. Yes, sir.

2 Q. Were you part of that team that analyzed --

3 A. Yes, sir, I was.

4 Q. And from an engineering standpoint, how did you  
5 assess the possibility of doing a two-mile lateral?

6 A. Okay. There were several legs to that, first  
7 one being from a drilling and completion point, a  
8 two-mile lateral is much more difficult. When you're  
9 getting in another half mile, you require a bigger  
10 drilling rig, probably heavier pipe, as you're going to  
11 have to probably -- you will encounter higher pressures  
12 on the toe end of that lateral to initiate a frac. We  
13 do see some difficulty in mile-and-a-half laterals. So  
14 we would anticipate seeing those magnitude greatly.

15 You're going to have issues with  
16 completions. And like I said, the drilling, you're  
17 going to have to have a bigger drilling rig, have a  
18 bigger pipe, and you just see some things happen in  
19 that -- at that extra half mile out that we don't  
20 anticipate -- we don't encounter in a mile-and-a-half  
21 lateral.

22 Beyond that, I did do a study -- the second  
23 leg of this tool would be a study on the wells in the  
24 general area of two-mile laterals in the Bone Spring.  
25 And there are none in the, you know, immediate area.

1 There are four down to the -- six miles to the south  
2 that Concho has drilled, and there is one that I found  
3 15 miles to the west.

4 I'm going to talk about the study I did to  
5 the south because it's the closest, and there were four  
6 wells drilled there by Concho. It's the Osprey lease.  
7 One of the things I noticed about the #1H -- Osprey #1H,  
8 it was drilled as a two-mile lateral, but the completion  
9 interval was only a mile and a half. They started  
10 pretty far back from the toe, what I'll call your first  
11 take point, the toe. They started almost a half mile  
12 back. So I don't know why they did that. They might  
13 have anticipated some issues with getting that fracture  
14 initiated. I don't know what happened, but I did notice  
15 that they did not have a full two-mile complement on  
16 that.

17 The other three wells did, and I generated  
18 a type curve on that. And the type curve for those  
19 three wells --

20 The other thing is, to go back to the  
21 drilling and completing, your cost will go up  
22 significantly because of the issues of having larger  
23 equipment and because of higher pressures, fracture. So  
24 I did look at that.

25 I generated a type curve on a two-mile

1 lateral in the 2nd Bone Spring Sand, and I used a cost  
2 of \$7 million and saw a 30-day IP. These three wells  
3 combined to a type curve of 600 barrels of oil a day and  
4 600 mcf a day, which gives us a 700 MBOE per day  
5 equivalent rate. My EUR calculations were 383 MBOs,  
6 plus 61 MBOE equivalent of gas, a six-to-one ratio, to  
7 give me about 445 MBOEs. At those costs, the  
8 rate-of-return hurdle is okay. It's 32.62 percent rate  
9 of return, one year, nine-month payout.

10 What was significant to me was I did not  
11 see an advantage as far as MBOEs. Your EUR was not --  
12 in some cases, it was lower than wells you're seeing in  
13 the mile and a half. It might be the area. Don't know.  
14 But it will be more difficult and more complicated to  
15 drill a two-mile lateral.

16 Q. And in your opinion, did Legacy give serious  
17 consideration to Caza's proposal to do a two-mile  
18 lateral.

19 A. Yes, sir. We did a pretty thorough study.

20 Q. And Chairman Catanach asked Mr. McKamey a  
21 question about the difference between drilling a  
22 half-mile lateral and a mile lateral, and he punted it  
23 to you. So I'm going to ask you to answer that  
24 question.

25 A. Okay. Could you repeat the question?

1 Q. The question was what's the difference between  
2 the completion cost between a half-mile lateral and a  
3 mile lateral?

4 A. Okay. I believe that we are drilling  
5 mile-and-a-half laterals, 5.5 million, and with a mile  
6 and a half versus a mile --

7 Q. No. A half mile and a mile.

8 A. Oh, okay. I have not looked at the cost of a  
9 half-mile lateral. I know what we are drilling mile  
10 laterals for, which is \$4-and-a-half million. And I  
11 would say it would probably be in the range of  
12 3-and-a-half to 3.75 million. The significant cost is  
13 on your completion.

14 Q. I direct your attention to Legacy Exhibit  
15 Number 11 and ask you to identify it.

16 A. Exhibit 11? Did we want to discuss Exhibit 4  
17 first?

18 Q. Sure.

19 A. I can skip to 11 if you want me to.

20 Q. Well, you know, I think other witnesses have  
21 covered Exhibit 4, so let's go ahead and move on to  
22 Exhibit 11.

23 A. Okay. Will do.

24 Okay. Exhibit 11 is a stick diagram that  
25 shows the west half -- west half-west half of Sections

1 19 and 18. It shows Legacy's current development plan  
2 versus Caza's proposal.

3 Q. And what is the comparison in Exhibit 11?

4 A. It shows that Legacy and their current  
5 development plan, which has been discussed at length  
6 today, I think, by several others, is that our plan is  
7 to drill one-and-a-half-mile laterals initiating in the  
8 southwest -- the northwest quarter of Section 19 going  
9 all the way up to the north end of Section 18. We would  
10 drill a 1st Sand, 2nd Sand and a 3rd Sand, Bone Spring  
11 Sand, in the lateral of each one of those, in that west  
12 half of the west half.

13 It compares -- with Caza's proposed  
14 application for the west half of the west half of  
15 Sections 18 and 19, it shows their proposal to drill  
16 three mile-and-a-half -- mile laterals starting in the  
17 southwest quarter of Section 19, coming up into the  
18 northwest quarter of 19. And they would drill --  
19 ultimately drill 1st Sand, 2nd Sand and the 3rd Sand as  
20 well in that. And if that is permitted, Legacy will be  
21 required to change their development plan to drill three  
22 one-mile laterals in the -- in Section 18 also in the  
23 1st Sand, 2nd Sand and 3rd Sand of the Bone Spring.

24 Q. So in your top box under Section 18, those  
25 would be Legacy mile laterals?

1           A.    Yes, sir. That would be a Legacy mile lateral.

2                   MR. LARSON: Mr. Chairman, I may have  
3 misinterpreted your question. Are you looking at the  
4 difference of a half mile and a mile or a mile and a  
5 mile and a half, the cost difference?

6                   CHAIRMAN CATANACH: Probably a mile, mile  
7 and a half.

8                   MR. LARSON: Okay.

9                   THE WITNESS: Do you want me to elaborate  
10 on that?

11           Q.    (BY MR. LARSON) I would.

12           A.    Okay. The difference that we're seeing is a  
13 million dollars, is what we're seeing. We're going from  
14 4.5 million for -- we're going from 4.5 million for a  
15 mile lateral to 5.5 million for a mile-and-a-half  
16 lateral. Is that clear?

17           Q.    Yes.

18                   MR. LARSON: Does that answer your  
19 question?

20                   CHAIRMAN CATANACH: Yes.

21           Q.    (BY MR. LARSON) At the bottom there of Exhibit  
22 11, the blue box, the designation of a tank battery, has  
23 that battery been built?

24           A.    No, sir.

25           Q.    And why is it showing --

1           A.    The reason to show this tank battery is if this  
2   order is allowed -- and this has been discussed  
3   earlier -- there will have to be another tank battery  
4   constructed and built and put into service because of  
5   the wells that are initiating outside of the unit. And  
6   that is required because of the allocation -- or what  
7   the allocation -- production --

8           Q.    Would you next identify the document marked as  
9   Legacy Exhibit 12?

10          A.    Yes, sir. Okay. Exhibit 12 is -- we're going  
11   to refer back to Exhibit 11 when we talk about Exhibit  
12   12 -- is the parameters for what we discussed in Exhibit  
13   11 for the mile-and-a-half laterals versus the one-mile  
14   lateral in the west half of the west half of Sections 19  
15   and 18.

16          Q.    Could you explain what those costs factors are?

17          A.    Exactly. If you look at the left side of this  
18   page, that's Legacy's current development plan for the  
19   west half-west half of Sections 19 and 18. Our current  
20   development plan is to drill three one-and-a-half-mile  
21   laterals, one in the 1st, 2nd and 3rd Bone Spring Sand.  
22   Our initial drill, complete capital investment and cost  
23   for those one-and-a-half-mile laterals is \$5.5 million  
24   each. We show no additional facility cost. And a total  
25   investment, therefore, would be \$16-and-a-half million

1 for that mile and a half -- those three mile-and-a-half  
2 laterals.

3 If you look over on the right-hand side,  
4 this is Caza's proposed application for the west  
5 half-west half of Sections 19 and 18. They are  
6 proposing one one-mile lateral in the 3rd Bone Spring  
7 Sand, and at full development, there would be six  
8 one-mile laterals, referring back to the -- three of  
9 those in the south end would be the Caza laterals, and  
10 then three in the north end would be Legacy's laterals.

11 The initial drilling, complete capital  
12 investment for a one-mile lateral as presented in Caza's  
13 AFE is \$5.2 million. We would have to do a reallocation  
14 of our Legacy tank battery that would increase -- tank  
15 battery that is allocated to, the increase would be  
16 \$157,000 there, and we would have to build additional  
17 roads to the -- to the new locations or pads that we  
18 would have to drill -- drill off of for the mile  
19 laterals on the north end. And then the sump cost that  
20 we have on our location, the 59H, has been \$200,000.  
21 Our total investment there would be \$31.7 million. That  
22 increases Legacy's and their partners' drilling and  
23 complete costs by \$15.2 million.

24 Q. And could you state the basis for your  
25 reallocation of tank battery cost of the \$157,000?



1           A.     Sure. I'd love to do that.

2                     Can we go back and look at Exhibit 2? Go  
3 back to Exhibit 2 because I can explain it to you a lot  
4 easier. If you've got Exhibit 2 pulled up, this has  
5 been explained quite well in earlier testimony. But if  
6 you'll look in the south end of this picture, this  
7 diagram, you'll see the black square that says "South  
8 Battery." And then you'll see the well drill pads 3, 5,  
9 7, 9, 11 and 12, which the well pads have been discussed  
10 earlier. But the south tank battery has already been  
11 constructed by Legacy Reserves. It has been in service  
12 now for a month, six weeks, whenever we brought our  
13 first well on in the south end.

14                     And the way this battery -- it cost  
15 approximately \$950,000 to construct this battery, and it  
16 was sized on assuming every well on these drill pads  
17 would go to that battery, and the cost was allocated per  
18 well on the AFE for that \$950,000.

19                     If you take out the three wells, it will  
20 have to be -- if Caza gets their ruling, then three  
21 wells will be taken out of that on an allocation basis,  
22 and that has to be -- that \$157,000 is spread out over  
23 all the other wells remaining in that battery.

24           Q.     And on Exhibit 12, you have a sump location  
25 cost of \$200,000. Is that for the multi-well pad?

1           A.    That is for the multi-well pad, which would be  
2   pad 11, and we've already constructed that pad. That  
3   cost includes construction, surveying, damages and other  
4   associated costs.

5           Q.    And if Caza's application were granted, would  
6   you lose that \$200,000 investment in that well pad?

7           A.    Yes, sir. It would be considered a sump cost.  
8   And Clay did bring something up good, too. We would  
9   have to remediate that pad.

10          Q.    The surface?

11          A.    Yes, sir, which would probably be a significant  
12   cost that we did not include.

13          Q.    And are there additional economic impacts to  
14   Legacy based on Caza's proposed well?

15          A.    Yes, sir, there is.

16          Q.    Put those up on the whiteboard?

17          A.    Yes, sir. I'd like to.

18          Q.    Maybe we should bring in Exhibit 13 first.

19          A.    Okay.

20          Q.    Would you identify that, the document marked as  
21   Exhibit 13?

22          A.    Yes, I can. Exhibit 13 is similar to Exhibit  
23   11. This shows -- this is taking into consideration the  
24   west half of Section 19 and 18, not just the west half  
25   of the west half. So this would be at full development.

1 So you're seeing -- on Legacy's current development plan  
2 on the left-hand side of the page, everything is -- is  
3 what happens here.

4 So we would -- we would drill -- our  
5 current plan is to drill six laterals in that  
6 mile-and-a-half -- mile-and-a-half lateral, two in the  
7 1st, two in the 2nd, two in the 3rd.

8 If you go over to the right-hand side, this  
9 is Caza's proposed application in the west half of  
10 Sections 19 and 18. They would be drilling six wells,  
11 six one-mile laterals, in the southern portion of this  
12 diagram, two in the 1st, two in the 2nd, two in the 3rd.  
13 And then Legacy would be required, because of the change  
14 in plans -- in our development plan, to drill one-mile  
15 laterals. It's depicted in that north part of that  
16 diagram, two in the 1st, two in the 2nd, two in the 3rd  
17 Bone Spring Sand.

18 Q. And does this scenario depict and is Exhibit 13  
19 assuming BLM authorization of new multi-well pads for  
20 one-mile laterals?

21 A. I'm sorry. Repeat your question.

22 Q. Does your scenario assume BLM authorization of  
23 new multi-well pads for mile laterals?

24 A. Yes, sir.

25 MR. LARSON: Mr. Chairman, Mr. Darden would

1 like to use the whiteboard.

2 CHAIRMAN CATANACH: That's fine.

3 THE WITNESS: Okay. You-all have seen this  
4 diagram earlier. I've just taken this, and I want to  
5 show you something. This is as proposed -- and I'll  
6 kind of show -- I'm going to go ahead and draw in full  
7 development, since we've gone over that. So that would  
8 be six more mile-and-a-half laterals -- I mean mile  
9 laterals, which takes us to a total of 12.

10 So what I want to show here is that there  
11 is economic impact to Legacy on drilling the one-mile  
12 laterals versus the mile-and-a-half lateral. The  
13 distance from here to here to here to here, these are  
14 each 330 feet. That's the stand-back requirements for a  
15 well.

16 That 330 feet for three wells -- well,  
17 actually, if you take 330 feet and you get it into an  
18 acre, that is 20 acres per well that is lost from this  
19 660. So if we are not allowed -- this is a one mile.  
20 I'm sorry. There's the unit boundary right there. So  
21 we'd be drilling one-and-a-half-mile laterals. We're  
22 going to lose that 660 feet, at a minimum. That 660  
23 feet converts to 20 acres per well slot. If you have  
24 three wells per slot, 240 acres times 20 is 60 acres,  
25 and if you take this at full development, double that,

1 that's 120 acres. We consider that stranded acreage.  
2 And that's getting into the really good quality  
3 reservoir, as per Keith's geology. So that would be 120  
4 acres that we would find stranded, and that does have an  
5 economic impact on us significantly.

6 Q. (BY MR. LARSON) And what would be the impact or  
7 loss of reserves in terms of barrels?

8 A. Per well -- we have not gone through the  
9 economics yet. So could we wait and do that during the  
10 economics?

11 Q. Yeah.

12 A. That way it will be easier for you-all to  
13 understand when we have that diagram up.

14 Let me go through Exhibit 14 to get us up  
15 to this full -- the impact that it affects Legacy with.

16 CHAIRMAN CATANACH: Before you do that,  
17 would you just identify the exhibit for the record?

18 THE WITNESS: Yes. Exhibit 14 is the  
19 parameters -- the development parameters at full  
20 development. If you look at the -- this is very similar  
21 to Exhibit 12 except at full development. If you look  
22 at the right-hand -- left-hand side, Legacy's current  
23 development plan for the wells in Sections 19 and 18,  
24 would be six one-and-a-half-mile laterals, one in the  
25 1st -- two in the 1st, two in the 2nd and two in the 3rd

1 Bone Spring Sand.

2 Our initial drilling and complete cost or  
3 investment for a mile-and-a-half lateral would still be  
4 5.5 million, no additional facility cost, for a total  
5 investment of \$33 million. That's six times 5.5.

6 Right-hand side to Caza's proposed  
7 application for the west half of Sections 19 and 18,  
8 they propose one one-mile lateral. In the 3rd Bone  
9 Spring, full development, there would be six mile -- six  
10 mile laterals on the south end of -- or the west half of  
11 Section 18 and six one-mile laterals on the -- in the  
12 west half of Section 19. Those in Section 19 are Legacy  
13 wells, and the ones in Section 18 would be Caza's wells.

14 The initial cost to drill those wells would  
15 be 5.2 million per well, Caza's AFE cost. And then the  
16 reallocation of the tank battery doubles because you're  
17 taking three more wells out of that previously described  
18 cost of the already built battery. The road cost, two  
19 locations, doubles, 250 and 125. And then the sump  
20 location cost is \$400,000, which is double. It's  
21 200,000 per location, per pad, which brings us to a  
22 total investment of 63.4 million, and that increases  
23 labor -- DMC cost by \$30.4 million.

24 Q. (BY MR. LARSON) I'll next ask you to identify  
25 the document marked as Exhibit 15.

1           A.    Yes, sir. Exhibit 15 is projected  
2   one-and-a-half-mile type curve. The one-and-a-half-mile  
3   type curve shows the anticipated only gas and water that  
4   would be produced for a mile-and-a-half lateral in the  
5   3rd Bone Spring Sand. And we'll use this in our  
6   economic evaluation here in just a minute.

7           Q.    And would you identify Exhibit 16?

8           A.    Exhibit 16 is a projected type curve for a  
9   one-mile lateral in the 3rd Bone Spring Sand. It too  
10  shows the oil, gas and water production anticipated for  
11  a one-mile lateral in the 3rd Bone Spring Sand. And  
12  we'll use this in our economic comparison of the well.

13          Q.    So would I be correct to say that Exhibits 15  
14  and 16 provide the basis for your economic parameter  
15  exhibits that are 17 and 18?

16          A.    Yes, sir.

17          Q.    And would you identify Exhibit 17?

18          A.    Exhibit 17 is the economic parameters that  
19  Legacy uses for their mile -- mile -- mile-and-a-half  
20  and mile laterals.

21                    If you look at the left-hand side of the  
22  page of the 7,500-foot lateral, we're projecting our  
23  production as per the type curve that we described  
24  earlier. We used the NYMEX strip dated 10/27/16. We  
25  had an operating expense built on the economics of

1 \$18,000 per month for the first two years and then  
2 \$5,000 for the remaining life of the project. We use an  
3 oil differential of minus \$3.84. We included a  
4 saltwater disposal cost of 30 cents per barrel. We  
5 assumed a 100 percent working and a 75 percent net  
6 revenue interest, and we use a drill and equip cost of  
7 \$5.5 million per well.

8 If we look over on the right-hand side, for  
9 a mile lateral, 5,000-foot lateral, we used a projected  
10 type curve, the rate from that as shown in the earlier  
11 exhibit, same NYMEX strip, 10/27/16, same operating  
12 expense of \$18,000 per month for the first, second --  
13 first two years, and then for the remainder of the life,  
14 we used \$5,000 per month. Same oil differential at  
15 minus \$3.84, same saltwater disposal cost of 30 cents  
16 per barrel, same working interest of 100 percent, and  
17 rate is 75 percent. And we use Caza's investment to  
18 drill and complete the well of \$5.2 million.

19 Q. And what's your interpretation of the  
20 comparison between a 7,500-foot lateral and 5,000-foot  
21 lateral, which Caza proposes to develop?

22 A. Well, the cost per lateral length is much less  
23 on a mile-and-a-half lateral versus a mile lateral,  
24 \$300,000 only more. And that might have to do with  
25 operational efficiencies. I'm not sure. But from an



1 economic standpoint, it will talk about Exhibit 18,  
2 which is the economic results that we use. Exhibit 17  
3 was the input for that. On a 7,500-foot lateral, we  
4 show an oil EUR of 811,000 barrels of oil, a gas EUR of  
5 1.327 mmcf, gives an ultimate -- estimated ultimate  
6 recovery of 1.033 MBOEs, which generates a bulk [sic]  
7 barrel of oil equivalent of 138 and generates a rate of  
8 return of greater than 100 percent.

9 The 5,000-foot lateral generates an oil EUR  
10 of 529 MBO, a gas 865 mmcf, estimated ultimate recovery  
11 of 673 MBOEs or BOEs per foot of 135 and rate of return  
12 of 52 percent.

13 So from an economic standpoint, we said  
14 it's more lucrative to drill a 7,500-foot lateral.

15 Q. And in your opinion, is it more economically  
16 efficient to drill a 7,500-foot lateral?

17 A. Yes, it is.

18 Q. And does a 7,500-foot lateral more effectively  
19 produce reserves?

20 A. Yes, sir.

21 Q. Going back to your diagram on the whiteboard,  
22 can you quantify the amount of reserves that would be  
23 lost as a result of the stranded acres you put in your  
24 diagram on the whiteboard?

25 A. Sure. Okay. On a mile-and-a-half lateral --

1     sorry, guys -- show EUR of 1.033. Okay. A mile-and-a-  
2     half lateral has a 240-acre proration unit, is what it  
3     has. If we lose this 20 acres -- let me jump over  
4     here -- 20 into 240 equals about 8 percent. That 660  
5     feet is a loss of 8 percent of that -- of that lateral,  
6     which translates into 83 MBOEs per well. So if we have  
7     to go to this type on the development plan, we're going  
8     to strand 20 acres per bench and we will lose 83 MBOEs  
9     per well. And it may be more if we have to put our well  
10    pad right here and we have to drill. It takes us 400  
11    feet to get to 90 degrees. And that will significantly  
12    even more affect our EUR.

13         Q.   And you don't have 100 percent discretion on  
14    where you put a well pad, do you?

15         A.   No, we don't. Just depending upon the BLM.

16         Q.   I now direct your attention to Legacy Exhibit  
17    8, which is Mr. McKamey's net isopach map for the 3rd  
18    Bone Spring.

19         A.   Okay.

20         Q.   Are you there?

21         A.   Yes, sir.

22         Q.   What did Mr. McKamey show as net pay in the  
23    northwest quarter of Section 19?

24         A.   Northwest quarter of Section 19?

25         Q.   Yes.

1 A. It's about 20 percent.

2 Q. And what does he show for the net pay in the  
3 southwest quarter of 19?

4 A. It's shown to be less than one, zero, but we  
5 call it one because of the Blue Jay well.

6 Q. And based on those net pay figures, have you  
7 done a volumetric analysis --

8 A. Yes, sir, I have.

9 Q. -- of the allocation of reserves of Caza's  
10 project?

11 A. Yes, I have.

12 Q. And what was the result of your analysis?

13 A. What I found was -- let me get my notes here.  
14 Okay. I found that if Caza is granted the ruling, that  
15 there will be an unequal allocation of reserves in this  
16 mile lateral.

17 Q. Have you broken it down into percentages based  
18 on --

19 A. Yes, I have. Assuming a 20-foot net pay for  
20 Legacy Reserves in the northwest quarter of Section 15,  
21 we would contribute 614 MBOs. If Caza contributed  
22 1 foot in the southwest quarter of Section 19, they  
23 would contribute 31 MBOEs. Legacy would be contributing  
24 95 percent of the reserves, while Caza would be  
25 providing or contributing 5 percent of the reserves.

1 And that's an extreme --

2 Q. Did you also run the numbers on Caza  
3 contributing based on a 7 net pay in the southeast  
4 quarter?

5 A. Yes, I did. If Caza contributed 7-and-a-half  
6 net feet, they -- their contribution -- Legacy's  
7 contribution stays at 614 because we're just assuming  
8 using a 20-foot net pay. If their pay was 7-and-a-half  
9 feet, they would contribute 232 MBOEs. Legacy would be  
10 contributing 73 percent, and they would be contributing  
11 27 percent, which is an unequal allocation.

12 Q. So in your opinion, would there be inequitable  
13 allocation of reserves if Caza's application is  
14 approved?

15 A. Yes, sir.

16 Q. In your opinion, would the granting of the  
17 application negatively impact Legacy's development plans  
18 in the northwest quarter of Section 19?

19 A. Yes, sir.

20 Q. And in your opinion, would the granting of the  
21 application cause waste and adversely impact the  
22 correlative rights of Legacy and other interest owners  
23 in the unit?

24 A. Yes, sir.

25 Q. And were Legacy Exhibit Number 11 through 18

1 prepared by Legacy's engineering department under your  
2 direction and supervision?

3 A. Yes, sir.

4 MR. LARSON: Mr. Chairman, I move the  
5 admission of Exhibits 11 through 18.

6 MR. BRUCE: No objection.

7 CHAIRMAN CATANACH: Exhibits 11 through 18  
8 will be admitted.

9 (Legacy Reserves, LP Exhibit Numbers 11  
10 through 18 are offered and admitted into  
11 evidence.)

12 MR. LARSON: And I pass the witness.

13 CHAIRMAN CATANACH: Mr. Bruce.

14 CROSS-EXAMINATION

15 BY MR. BRUCE:

16 Q. Just a few questions, Mr. Darden. When you're  
17 talking about Concho's two-mile-long horizontal wells --

18 A. Uh-huh.

19 Q. -- when were they drilled?

20 A. Let me grab my notes here.

21 I need to get down to the individual --  
22 first production on the Osprey 20 State Com 1H was  
23 3/2015. The 2H was 7/2015. So anywhere from 3 to  
24 7/2015.

25 Q. Just briefly, on Section -- on Exhibit 12 --

1     excuse me. Are you aware that a location road has  
2     already been built out to these proposed wells?

3             A. Yes, sir. It's shown in Exhibit 2. Yes.

4             Q. No. I'm talking regarding Caza's proposed  
5     wells to the south, that a new location road has already  
6     been built for those roads?

7             A. I'm not aware of that. But in my evaluation,  
8     it does not play into that.

9             Q. Now, on the board, in your calculations --  
10    first of all, the very last thing you did was drill a  
11    proposed well location in the southwest quarter-  
12    southwest quarter of Section 18, and you said you might  
13    lose additional footage of lateral by doing that. Well,  
14    why not drill to the south in Section 19, like  
15    off-lease, just like your proposal is now? Your  
16    proposal for the one-and-a-half-mile laterals has well  
17    locations in the southwest quarter of Section 19; is  
18    that correct?

19            A. Yes, sir. Let me look at this exhibit real  
20    quick.

21                     Okay. The reason we're not going to do  
22    that -- we don't want to do that is because we would  
23    prefer to have our -- prefer to have our toe in the  
24    medial part of the reservoir. You could have -- you  
25    could have probably less pay in the -- net pay with the

1 toe at the -- in there on the south end.

2 Q. My question, though, is: Why can't you  
3 drill -- if you were forced to drill one-mile laterals  
4 in Section 18 --

5 A. Uh-huh.

6 Q. -- you could move the well location south to  
7 Section 19; could you not?

8 A. Are you talking about starting up here  
9 (indicating)?

10 Q. No, no, no. To the south in Section 18.

11 A. Oh, right here (indicating)? We could do that?

12 Q. Yes.

13 A. Well, we have a 330 stand-back on each side of  
14 that because that changes the minerals --

15 Q. Not for the surface locations, you don't need  
16 that.

17 A. We still have to be 330 feet from here  
18 (indicating).

19 Q. Okay. But you're not talking surface location.  
20 You're talking that 330 feet?

21 A. That's right.

22 Q. Okay. I understand what you're saying. But  
23 your well locations for the proposed mile-and-a-half  
24 laterals are not on Lea Unit acreage?

25 A. That's right. But our first take point will be

1 330.

2 Q. Sure. Sure. That's what everybody shoots for.

3 You could get an unorthodox location,  
4 minimize the distance?

5 A. We could attempt to, yeah.

6 Q. But if Caza was forced to drill -- and they  
7 don't want to do it. But if they were forced to drill  
8 80-acre stand-ups, they would also lose that same 330  
9 feet on each edge, correct?

10 A. Yes, sir.

11 Q. They would be facing the same problem?

12 A. Uh-huh.

13 Q. And your figures on economic results are all  
14 based on -- or your allocation, the way you say that,  
15 Caza's acreage wouldn't contribute as much value as  
16 Legacy's, is all based on Mr. McKamey's geology?

17 A. So are you talking about volumetrics?

18 Q. Yes.

19 A. Okay.

20 Q. Is that correct?

21 A. Yes, sir.

22 Q. Looking at Exhibit 18, would -- ignore this  
23 case.

24 A. Let me get to 18.

25 Q. Okay. Sorry about that.



1 A. Okay.

2 Q. Forget this case. If Caza had to drill a  
3 one-mile lateral, would it drill that well at the rate  
4 of return of 52 percent?

5 A. Would Caza?

6 Q. No. With anyone.

7 A. Yes, sir.

8 Q. Even if it was just solely Legacy, you would  
9 drill that well at 52 percent?

10 A. Yes.

11 Q. And drilling a two-mile lateral would  
12 completely minimize those gaps -- those 330-foot gaps  
13 for everyone; is that correct?

14 A. Uh-huh.

15 MR. BRUCE: That's all I have,  
16 Mr. Chairman.

17 CROSS-EXAMINATION

18 BY COMMISSIONER PADILLA:

19 Q. Just a few questions, Mr. Darden. You touched  
20 on the idea of possible lack of future permission for  
21 moving those multi-well pads, and I know that we  
22 mentioned the sand dune lizard earlier in testimony. Do  
23 you have any reason to believe that the BLM is not going  
24 to allow moving those well pads?

25 A. Yes, sir. We have had -- we have had time

1 for -- we have picked a location and have had to move  
2 them significantly. And I believe that there might have  
3 been some of the interior of the unit that they required  
4 or preferred that we would move out because of the sand  
5 dunes. So there is a reason to believe that we might  
6 not get locations approved where we want to be.

7 Q. Does changing the surface location from the  
8 southern edge, as Legacy's proposed with the 59 and  
9 62 --

10 A. Uh-huh.

11 Q. -- to the northern side, just swapping the toe  
12 and the heel, have any effect on the operational  
13 efficiency?

14 A. As far as the operational efficiency, no.

15 Q. What kind of cost would you incur by doing that  
16 if your locations are now further away from the tank  
17 battery?

18 A. That would -- I'm sorry. You're right. We  
19 would have to build another tank battery or --

20 Q. Or gathering system?

21 A. It's not -- yeah. It's a good operational  
22 practice to have flowlines that far, and it would be  
23 difficult going through the whole unit because of --

24 Q. Because of the sand dunes.

25 A. -- the BLM's -- their scrutiny on surface use,

1 I guess is the best word I would say. It would be  
2 difficult to get a mile-and-a-half flowline.

3 Q. Safe to say you've got some regulatory  
4 uncertainty trying to swap that out?

5 A. Exactly.

6 And on the north end, too, I think there  
7 might be some issues. They're trying to get locations  
8 up there, too. It's an unknown up there, too.

9 Q. Okay. You talked about the Concho Osprey  
10 wells.

11 A. Uh-huh.

12 Q. Did you do a type curve for those?

13 A. Yes, I did. That's what my -- do you want to  
14 see that?

15 Q. If you've got it, sure. The basic reason I ask  
16 is because you've talked about operational difficulty  
17 overriding the additional benefit from a two-mile  
18 lateral --

19 A. Yes, sir.

20 Q. -- basically?

21 A. Yeah. I used a \$7 million drill cost on this,  
22 which we had a million dollar like we're seeing now on a  
23 mile and a half. And I used all the other parameters,  
24 of \$18,000 a month, 5,000 for the two first years,  
25 \$5,000 -- saltwater disposal cost. Everything else

1 is --

2 Q. Okay. So this is what you base the testimony  
3 that two-mile laterals are operationally efficient  
4 compared to the --

5 A. Well, they are, because your rate of return  
6 goes from 100 on a mile and a half to, essentially, 33  
7 percent.

8 Q. Okay.

9 A. And I really think what's eye-opening is, you  
10 know, you don't drill another 2,500 feet -- I'm sorry --  
11 another half mile and don't complete it. So something  
12 happened on that well that they didn't complete it. I  
13 haven't talked to Concho about that, but I can only  
14 assume. It's pretty tough getting a frac initiated on a  
15 7,500-foot lateral.

16 Q. And those were all drilled about a year, year  
17 and a half ago?

18 A. Yes, sir. And I haven't seen any more  
19 locations staked for two-milers on either one of those  
20 areas, either to the south or to the west.

21 Q. Disregarding Caza's AFE -- which is what you  
22 used for all these economics, correct, for the  
23 proposals -- how significant do you see the difference  
24 being between a mile and a mile-and-a-half lateral as  
25 far as the EUR goes and Legacy's operations? Are you

1 doing any more mile laterals? Let's put it that way.

2 A. We will do some more. If you'll go to Exhibit  
3 2 -- and this is one thing I wanted to explain through  
4 my testimony, is that we do have some mile laterals and  
5 mile-and-a-half laterals. The way the unit boundary is  
6 configured, the maximum distance is 2-and-a-half miles.  
7 So you can't do -- we'd have to do two miles and a half  
8 mile. We'd have to do two mile-and-a-halves or three;  
9 two one-miles and one half-mile.

10 So the best and most efficient way to  
11 produce the reserves out here is to drill  
12 mile-and-a-half laterals where you can and to drill mile  
13 laterals where you can. We will be drilling more mile  
14 laterals in Section 12, and they're probably depicted on  
15 Exhibit 4, which shows that we have plans for some mile  
16 laterals in Section 12. We have some APDs approved, and  
17 we have some planned that the APDs aren't approved yet.

18 Q. Do you have any APDs for two-mile laterals --

19 A. No.

20 Q. -- anywhere?

21 A. Not in New Mexico.

22 Q. Okay. Does it for me. Thank you.

23 CROSS-EXAMINATION

24 BY CHAIRMAN CATANACH:

25 Q. Mr. Darden, you testified with regards to the

1 3rd Bone Spring Sand. You quantified those, the  
2 differences in the northwest quarter and the southwest  
3 quarter, 95 percent compared to 5 percent for Caza's --

4 A. In volumetrics?

5 Q. Yeah.

6 A. Okay.

7 Q. Did you do a similar calculation for the 2nd  
8 and the 1st?

9 A. I did not.

10 Now, our type curves for a 2nd is almost  
11 identical to a 1st on our reserves. They are close to  
12 showing -- they have a little more gas in the 2nd than  
13 the 1st -- I mean the 3rd does. The 3rd and 2nd are  
14 identical. We have not done one on -- I've not done an  
15 evaluation on the -- volumetrics on the 1st. But the  
16 2nd is very, very similar to the 3rd.

17 Q. To the 3rd?

18 A. Yeah. But I can -- if this will help, I did it  
19 on a two-mile lateral in the 3rd Sand. I haven't run  
20 economics or we haven't -- we haven't -- not economics.  
21 I did, because I did the type curves here, but we have  
22 not applied to drill a two-mile lateral anywhere in the  
23 state of New Mexico.

24 Q. Okay. When you were talking about the 3rd Bone  
25 Spring, you mentioned the 1 foot in the southeast

1 quarter, but then you mentioned the 7-and-a-half foot.

2 Where did that come from?

3 A. That came from -- Keith and I, the geologist,  
4 talked about it, and, you know, there was no way for me  
5 to do a comparative with the mapping that they  
6 presented. They did not give an isopach map. They gave  
7 pore volume. So I just used a 7-and-a-half percent.

8 Q. Let me ask you this. Right now, on these  
9 horizontal wells, you're talking about a  
10 straight-acreage allocation basis. Have we thought  
11 about doing an allocation based on productive acres  
12 somehow? I mean, could we drill a mile well and  
13 allocate based on what we believe would be the  
14 productive acreage within those two 160s?

15 A. Well, I haven't looked at that. I mean, I  
16 could look at it.

17 Q. Well, I mean, you're looking -- you're talking  
18 about the same thing when you're saying the 3rd Bone  
19 Spring Sand and your acreage would contribute 95 percent  
20 of the reserves, and theirs would contribute 5 percent  
21 of the reserves.

22 A. Uh-huh.

23 Q. Is it a solution to allocate based on that type  
24 of calculation, to allocate to each 160 tract based on  
25 the reserves?

1           A.    Well, we think it shows a great imbalance in  
2 allocation, unequal allocation.

3           Q.    So I guess your economics on drilling  
4 mile-and-a-half -- so six mile-and-a-half wells versus  
5 12 one-mile --

6           A.    One-mile, uh-huh.

7           Q.    -- laterals. How much more is that going to  
8 cost your company in those two scenarios?

9           A.    It would be -- let me get to that exhibit.

10                   That's a full development?

11                   MR. LARSON: 14.

12                   THE WITNESS: Exhibit 14?

13                   MR. LARSON: The other one is 12. 12 and  
14 14.

15                   THE WITNESS: Yeah. At full development,  
16 we're showing \$30.4 million. It increases Legacy's cost  
17 by that much. Now, on a true basis cost, I think we  
18 would have to -- six of those wells would be 100 percent  
19 Legacy, and then 50 percent of those wells would Legacy  
20 on the -- six on the south -- on the 12 -- six on the  
21 south end. So that would be -- take another -- take --  
22 off this total cost, take off 15 million, I guess. Does  
23 that sound right? Let me do the math.

24           Q.    (BY CHAIRMAN CATANACH) I was a little confused  
25 by that, because you'd only be paying half of the cost



1 of the well.

2 A. Yeah. You'd be paying half of -- yeah. Half  
3 of 30 million would be 15.

4 Q. Okay. Theoretically, those Legacy wells --  
5 lower your AFE cost based on --

6 A. Yes, it would.

7 Q. -- 4-and-a-half-million?

8 A. Yes. It would be \$700,000 less. It's still a  
9 big impact.

10 Q. That's all I have.

11 CROSS-EXAMINATION

12 BY COMMISSIONER BALCH:

13 Q. So no two-mile laterals in New Mexico. I'm  
14 guessing there are some in Texas for Legacy?

15 A. Yes.

16 Q. What's the longest lateral that you have in  
17 your entire --

18 A. It's two-mile laterals. We just recently  
19 started drilling them, much shallower depth, not near as  
20 deep, 6,000 to 7,000 true vertical depth. The rock is  
21 not as hard.

22 Q. In unconventional -- so I go and talk to people  
23 at BOPCO, Chevron, EOG and other companies that are  
24 operating in the potash area. They have no choice but  
25 to drill very long laterals, in some cases

1 two-and-a-half miles.

2 A. Uh-huh.

3 Q. But two miles is what they figure to be their  
4 sweet spot. It keeps getting better up to that point  
5 with current technology. Two is better than  
6 one-and-a-half, better than one, much better than  
7 half-mile.

8 A. Yes. But I would say if all rock were alike,  
9 that would be true, but it's not, even within this study  
10 area.

11 Q. That's pretty much my next question. With all  
12 rock being alike, the ultimate way to develop all of  
13 this acreage would be with two-mile laterals?

14 A. Or longer. But I just -- at this depth, it's  
15 very hard to initiate a frac, especially in the 3rd.  
16 The 3rd Sand is so much -- it's a lot tighter.

17 Q. A lot of people are doing it in the Wolfcamp,  
18 deeper, adding more pressure.

19 A. Yeah. In Texas?

20 Q. No. In New Mexico.

21 A. New Mexico. I can't speak to that. I haven't  
22 studied that.

23 Q. Not in this particular area.

24 A. Further south?

25 Q. Further south.

1           A.    I haven't -- I haven't studied that. I can't  
2 speak to that.

3                    You know, to speak to that, really  
4 developing -- our current development plan we feel is  
5 the optimal way to develop out there. And we haven't  
6 considered two-mile laterals yet because, like I said,  
7 of the technical difficulty we've seen or heard about  
8 and the inability to initiate a frac at a mile and a  
9 half. There's been a couple that we haven't been able  
10 to initiate the first two or three stages, and that was  
11 in zone.

12           Q.    Thank you very much.

13                    RE CROSS EXAMINATION

14 BY CHAIRMAN CATANACH:

15           Q.    I guess the problem is when you drill  
16 mile-and-a-half laterals, you're always going to have  
17 stranded acreage somehow, I think, unless you -- unless  
18 you develop it from the section to the south and do  
19 another mile-and-a-half from the south.

20           A.    Exactly. I mean, if you're -- in our unit,  
21 yes. But if you had a mile-and-a-half with unit, then  
22 you would -- it would just be the setbacks that you  
23 lost, and that's just -- that's the rules. So --

24           Q.    Okay.

25                    CHAIRMAN CATANACH: Any other questions of

1 this witness?

2 MR. LARSON: I have a couple of follow-up  
3 questions, Mr. Chairman.

4 REDIRECT EXAMINATION

5 BY MR. LARSON:

6 Q. Referring to your Exhibit 11 --

7 A. Let me get there.

8 Okay.

9 Q. -- how many unit acres would be stranded in  
10 order to pick up Caza's 80 acres in the southwest  
11 quarter of Section 19, assuming that their one-mile well  
12 would be approved?

13 A. At full development? It's 20 acres --

14 Q. No. Under your first scenario.

15 A. It would be 60 acres -- 60 acres. Three times  
16 20 would be 60.

17 Q. And looking at 13, which is full development,  
18 how many unit acres would be stranded if the application  
19 is granted?

20 A. Twice that, 120.

21 Q. 120 unit acres?

22 A. And it's much better rock than what we're  
23 seeing in the south.

24 Q. And looking at Exhibit 2 --

25 A. Yes, sir.

1 Q. -- I think there was a question of whether you  
2 could put your -- potentially put a surface location at  
3 the north section line of 18. Isn't that the location  
4 that Legacy initially proposed to the BLM and was  
5 rejected?

6 A. Exactly. We initially proposed that. I was  
7 not the engineer over the area at that time. I was  
8 overseeing Craig on it. But we did attempt to get  
9 location there, and they were -- that's when we had to  
10 move them to the south. The BLM would not allow them  
11 there.

12 MR. LARSON: That's all I have,  
13 Mr. Chairman.

14 RECROSS EXAMINATION

15 BY MR. BRUCE:

16 Q. One point of clarification. I'm not asking you  
17 to put surface locations to the north of Section 18. I  
18 was saying to the south of Section 18.

19 A. Uh-huh.

20 Q. And do you know if that is -- what type of land  
21 that is, surface land?

22 A. I'm unaware. They might know.

23 Q. Okay.

24 MR. BRUCE: That's all I have,  
25 Mr. Chairman.

1 CHAIRMAN CATANACH: This witness may be  
2 excused.

3 MR. BRUCE: May I put up Mr. Sam for three  
4 or four questions?

5 CHAIRMAN CATANACH: Why not?

6 ANTHONY B. SAM,  
7 after having been previously sworn under oath, was  
8 questioned and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. BRUCE:

11 Q. Mr. Sam, just a few brief questions. And we're  
12 talking about the two-mile laterals --

13 A. Yes.

14 Q. -- and the COG wells to the south.

15 A. (Indicating.)

16 Q. Since those wells were drilled and completed,  
17 have both drilling techniques and completion techniques  
18 improved?

19 A. Since March of '15?

20 Q. Yes.

21 A. Yes, sir. There has been good headway made in  
22 drilling techniques, with directional drilling equipment  
23 that has come online in the last six to eight months,  
24 not to mention the completion techniques that are being  
25 used now, particularly in the Wolfcamp, over two-mile

1 laterals, dissolvable plugs put in place for the toe  
2 sections, sliding sleeves for coil-tubing assisted frac  
3 systems that you can reduce your stage length to 50, 75  
4 feet, initiate fracs much better than you would under a  
5 normal perf and plug situation.

6 Q. And because of that, could the older completion  
7 techniques account for some of the poor -- or  
8 not-as-good performance in a two-mile well as you might  
9 expect?

10 A. Absolutely.

11 Q. Could it also indicate that the rock quality  
12 down there is poor?

13 A. Yes, it could be.

14 Q. Now, the wells that Caza has drilled in the  
15 east half of Section 19, if they pan out the way you  
16 think they will --

17 A. Uh-huh.

18 Q. -- what type of EURs do you think they'll have?

19 A. Well, we anticipate the EURs for the actual  
20 recovery for the 3rd Bone -- new 3rd Bone well that we  
21 drilled, the 3H, to be greater than the 2H, which was  
22 the initial well, because of the volume of ceramic  
23 proppant that we placed in each stage and also the  
24 number of stages -- the number of stages that we put in  
25 place.

1                   So yes. I think we're looking at around  
2   650,000 BOEs recoverable in the -- in the 3H. It's a  
3   reasonable number. We're in the 550 -- 550,000 for the  
4   2H, which was the initial well, so 100,000 barrels more  
5   with new technology that's just been put in place in the  
6   last year.

7           Q.   And you've looked at Legacy's geologic  
8   exhibits?

9           A.   Yes, sir.

10          Q.   In essence, they place -- whether it's the 2nd  
11   or 3rd Bone Spring, they say basically the north  
12   half-northeast is the only productive area in the east  
13   half of Section 19.

14          A.   Yes, sir.

15          Q.   Do you think 550,000 or 600,000 barrels of  
16   reserves are coming out of a single quarter-quarter  
17   section for each of these wells?

18          A.   No, sir. Volumetrically, I do not believe  
19   that's feasible.

20                   I'd also add, just from a direct drilling  
21   standpoint, we had significant shows of cut and -- oil  
22   cut and gas sampling in our mud log while we were  
23   drilling the lateral in the 3H and the 4H from the south  
24   to the north continually.

25          Q.   Thank you.



1 CHAIRMAN CATANACH: Did you have any  
2 questions?

3 COMMISSIONER PADILLA: I just have one,  
4 actually.

5 CROSS-EXAMINATION

6 BY COMMISSIONER PADILLA:

7 Q. Has Caza drilled any two-mile laterals?

8 A. Caza has not drilled any two-mile laterals to  
9 date.

10 Q. Thank you.

11 CHAIRMAN CATANACH: Okay. Did you have  
12 anything else, Mr. Bruce?

13 MR. BRUCE: Nothing further in this case.

14 CHAIRMAN CATANACH: Mr. Larson?

15 MR. LARSON: Nothing further.

16 COMMISSIONER BALCH: Shall we go into  
17 closed session?

18 MR. BRUCE: Unless you want closing  
19 arguments, but --

20 COMMISSIONER PADILLA: Unless you want  
21 closing argument.

22 (Laughter.)

23 CLOSING ARGUMENT

24 MR. BRUCE: If I can say something just  
25 very briefly.

1           Caza's drilling in Section 19 because  
2   that's the easiest thing to do, proposing to drill, Caza  
3   and Legacy. Some of the scenarios -- definitely the 3rd  
4   Bone Spring has to be stand-up. Absolutely. I don't  
5   think anybody denies that.

6           But if you look at the 1st and 2nd Bone  
7   Spring, or if this application is denied, even in the  
8   3rd Bone Spring, all of a sudden you're looking at  
9   dealing with Cimarex operating to the south. I don't  
10   know what plans they have. And then you're also looking  
11   at 1st Bone Spring at least in the northeast quarter, so  
12   we don't strand that going to the east. I don't know  
13   who that operator is, but that's going to take time to  
14   get done. And if you're looking at 2nd Bone Spring,  
15   you're looking at drilling to the west. And so you'll  
16   have separate well units for different Bone Spring  
17   intervals, and I don't think that's the way to go.

18           How long does it take? How long does it  
19   take to do all that? You're looking at numerous wells  
20   being proposed to different operators, the proposals,  
21   trying to get them to join in the well. And what if  
22   wells are drilled in the interim? You don't know that.  
23   Then, once again, you're looking at stranded acreage  
24   specifically in the southwest quarter.

25           But either way you're looking at problems.

1 And the simplest, most effective thing to do is to  
2 approve Caza's application and just drill north-south in  
3 Section 19. It's the simplest, best way to go.

4 Thanks.

5 CHAIRMAN CATANACH: Thank you, Mr. Bruce.  
6 Do you want to make a closing?

7 CLOSING ARGUMENT

8 MR. LARSON: I understand Mr. Bruce's  
9 simplicity argument. Unfortunately, it has significant  
10 detrimental economic impact on Legacy.

11 Legacy, as you've seen, has a comprehensive  
12 development plan for this Lea Unit that includes the  
13 wells in northwest 19 and the west half of 18, including  
14 getting permitting from BLM -- that's \$200,000 -- and  
15 the well pads, which will be lost. That investment will  
16 be lost if we take Mr. Bruce's approach. And  
17 ironically, there'll be unit acreage stranded if the  
18 Commission grants the application. And finally, I think  
19 Mr. McKamey and our engineer both established that there  
20 will be a very disparate allocation of reserves in the  
21 proposed project area.

22 And for all these reasons, Legacy's  
23 position is that the application should be denied.

24 CHAIRMAN CATANACH: Thank you, Mr. Larson.

25

REBUTTAL CLOSING ARGUMENT

1  
2 MR. BRUCE: Mr. Chairman, I do have one  
3 last thing, which is simply issues are raised about  
4 combining the unit and -- and I am submitting to you  
5 Division Order R-8680, which involved unit and nonunit  
6 acreage, simply for the fact that it's permissible in  
7 this concern. Big Eddy Unit and Santa Fe and Bass had  
8 forced-pooling applications to include nonunit acreage  
9 in the well unit, and the Division -- the Division  
10 granted Bass Enterprises' application. But there is no  
11 bar to committing nonunit acreage with unit acreage, and  
12 we think that's necessary to prevent waste.

13 CHAIRMAN CATANACH: I don't know if I can  
14 consider this, Mr. Bruce. I heard this case in 1988.

15 MR. BRUCE: Oh, you've forgotten it by now,  
16 Mr. Chairman.

17 CHAIRMAN CATANACH: Okay. Thank you,  
18 Mr. Bruce.

19 I was still in high school. No. I was  
20 still in college.

21 Thanks.

22 Were you in that case?

23 MR. BRUCE: Oh, of course, I was. That's  
24 the only reason I know about it.

25 CHAIRMAN CATANACH: Do I have a motion to

1 go into executive session?

2 COMMISSIONER PADILLA: I think there is  
3 already one out there.

4 COMMISSIONER BALCH: So moved, yes.

5 CHAIRMAN CATANACH: Okay. All in favor?  
6 (Ayes are unanimous.)

7 (Executive Session, 3:48 p.m. to 4:49 p.m.)

8 CHAIRMAN CATANACH: Do I have a motion to  
9 go back into regular session?

10 COMMISSIONER PADILLA: So moved.

11 COMMISSIONER BALCH: And seconded.

12 CHAIRMAN CATANACH: All in favor?  
13 (Ayes are unanimous.)

14 CHAIRMAN CATANACH: Motion is past to go  
15 back into regular session.

16 I would just like to state that during  
17 executive deliberations, we only looked at the evidence  
18 and testimony presented in this case, and that's all we  
19 basically talked about.

20 So what the Commission decided to do at  
21 this point is we want to leave the record open. We want  
22 to obtain a statement from the State Land Office  
23 regarding their position on this case. We're going to  
24 have them submit a statement to us by November 15th,  
25 which would be next Tuesday. After we receive that

1 statement, the Commission plans to deliberate the week  
2 of November 21st, and hopefully we will come to a  
3 decision at that time. We would, again, probably  
4 announce that decision at the December 5th hearing and  
5 get that taken care of at the first part of that  
6 hearing. So it won't be a big delay. We hope to reach  
7 a decision by that time. So that's --

8 MR. BRUCE: So just like an Examiner  
9 Hearing?

10 CHAIRMAN CATANACH: Exactly. Just two more  
11 egos, and that's all.

12 (Laughter.)

13 CHAIRMAN CATANACH: So anything further at  
14 this time?

15 Okay. Then we'll leave the record open,  
16 and we'll get back to you.

17 (Recess, 4:51 p.m.)

18  
19  
20  
21  
22  
23  
24  
25

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO  
3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court  
6 Reporter, New Mexico Certified Court Reporter No. 20,  
7 and Registered Professional Reporter, do hereby certify  
8 that I reported the foregoing proceedings in  
9 stenographic shorthand and that the foregoing pages are  
10 a true and correct transcript of those proceedings that  
11 were reduced to printed form by me to the best of my  
12 ability.

13 I FURTHER CERTIFY that the Reporter's  
14 Record of the proceedings truly and accurately reflects  
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither  
17 employed by nor related to any of the parties or  
18 attorneys in this case and that I have no interest in  
19 the final disposition of this case.

20   
21

22 MARY C. HANKINS, CCR, RPR  
23 Certified Court Reporter  
24 New Mexico CCR No. 20  
25 Date of CCR Expiration: 12/31/2016  
Paul Baca Professional Court Reporters