

3 IN THE MATTER OF THE HEARING CALLED
4 BY THE OIL CONSERVATION DIVISION FOR
5 THE PURPOSE OF CONSIDERING

6 APPLICATION OF OXY USA, INC
7 FOR APPROVAL OF A PRESSURE
8 MAINTENANCE PROJECT, EDDY
9 COUNTY, NEW MEXICO

CASE NO 15616

ORIGINAL

10 REPORTER'S TRANSCRIPT OF PROCEEDINGS

11 EXAMINER HEARING

12 February 2, 2017

13 Santa Fe, New Mexico

14 BEFORE PHILLIP GOETZE, CHIEF EXAMINER
15 WILLIAM V JONES, TECHNICAL EXAMINER
16 DAVID K BROOKS, LEGAL EXAMINER

17 This matter came on for hearing before the
18 New Mexico Oil Conservation Division, Phillip Goetze,
19 Chief Examiner, William V Jones, Technical Examiner,
20 and David K Brooks, Legal Examiner, on Thursday,
21 February 2, 2017, at the New Mexico Energy, Minerals and
22 Natural Resources Department, Wendell Chino Building,
23 1220 South St Francis Drive, Porter Hall, Room 102,
24 Santa Fe, New Mexico

25 REPORTED BY Mary C Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102
(505) 843-9241

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR APPLICANT OXY USA, INC

MICHAEL H FELDEWERT, ESQ
HOLLAND & HART
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505) 988-4421
mfeldewert@hollandhart com

FOR MATADOR PRODUCTION COMPANY

JAMES G BRUCE, ESQ
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol com

1	INDEX	
2		PAGE
3	Case Number 15616 Called	4
4	OXY USA, Inc 's Case-in-Chief	
5	Witnesses	
6	Kelley A Montgomery	
7	Direct Examination by Mr Feldewert	5
	Cross-Examination by Examiner Jones	28
8	Cross-Examination by Examiner Goetze	34
	Recross Examination by Examiner Jones	39
9		
	Shunhua Liu, Ph D	
10		
	Direct Examination by Mr Feldewert	43
11	Cross-Examination by Examiner Jones	60
	Cross-Examination by Examiner Goetze	66
12		
	Spencer Gunderson	
13		
	Direct Examination by Mr Feldewert	69
14	Cross-Examination by Examiner Jones	77
15	Proceedings Conclude	82
16	Certificate of Court Reporter	83
17		
18		
19		
20	EXHIBITS OFFERED AND ADMITTED	
21	OXY USA, Inc Exhibit Numbers 1 through 9	28
22	OXY USA, Inc Exhibit Numbers 10 through 17	59
23	OXY USA, Inc Exhibit Numbers 18 through 21	77
24		
25		

1 (10 17 a m)

2 EXAMINER GOETZE Seeing how we've had
3 numerous breaks, we'll continue

4 Okay Ladies and gentlemen, let's move on
5 to the next case and get these folks up here so they can
6 continue with their day

7 Let's start Case Number 15616, application
8 of OXY USA, Inc for approval of a pressure maintenance
9 project, Eddy County, New Mexico

10 Call for appearances

11 MR FELDEWERT Mr Examiners, Michael
12 Feldewert, from the Santa Fe office of Holland & Hart,
13 appearing on behalf of the Applicant I have three
14 witnesses here today

15 MR BRUCE Mr Examiner, Jim Bruce
16 appearing for Matador Production Company I have no
17 witnesses

18 EXAMINER GOETZE Very good

19 May I be forward and ask what Matador has
20 as far as interest?

21 MR BRUCE They're an offset operator

22 EXAMINER GOETZE Yes, but have you
23 expressed any concerns we should know of?

24 MR BRUCE I have met personally with OXY,
25 and OXY satisfied all concerns

1 EXAMINER GOETZE Very good Thank you
2 Regarding the witnesses, will you please
3 stand, identify yourselves and be sworn in

4 MS MONTGOMERY Kelley Montgomery

5 DR LIU Shunhua Liu

6 MR GUNDERSON Spencer Gunderson

7 (Ms Montgomery, Dr Liu and Mr Gunderson
8 sworn)

9 MR FELDEWERT Mr Examiner, I have three
10 witnesses Ms Montgomery will come up first and
11 describe in general the high level of the project and go
12 through the -- and Mr Liu will come in and talk to you
13 about the actual injection operations and land drive,
14 and then Mr Gunderson will be present -- or come up to
15 discuss the geology that's associated with this project

16 EXAMINER GOETZE Very good

17 (Mr Bruce leaves the room)

18 MR FELDEWERT So in that case, we'll call
19 our first witness, Ms Montgomery

20 KELLEY A MONTGOMERY,
21 after having been previously sworn under oath, was
22 questioned and testified as follows

23 DIRECT EXAMINATION

24 BY MR FELDEWERT

25 Q Would please state your full name for the

1 record, identify by whom you're employed and in what
2 capacity?

3 A Yes I'm Kelley Montgomery I'm employed by
4 Occidental Petroleum I'm a regulatory manager

5 Q And, Ms Montgomery, are you also a
6 professional engineer?

7 A Yes

8 Q How long have you been a registered
9 professional engineer?

10 A Since 1998

11 Q And you have previously testified before this
12 Division as an expert in petroleum engineering?

13 A Yes, I have

14 Q And are you familiar with the application
15 that's been filed by OXY in this matter?

16 A Yes, I am

17 Q In fact, Ms Montgomery, did you oversee the
18 assembling and did you sign the certification for the
19 C-108 form that has been provided to the Division with
20 their application?

21 A Yes, I did

22 MR FELDEWERT I would tender
23 Ms Montgomery once again as an expert in petroleum
24 engineering

25 EXAMINER GOETZE She is so qualified

1 Q (BY MR FELDEWERT) Would you be kind enough to
2 turn to Exhibit Number 1, and please identify it and
3 then use this to briefly summarize what OXY seeks with
4 this application?

5 A Sure So what you're looking at in Exhibit
6 Number 1 is Section 16 of Township 24 South, Range 29
7 East, and that is our project area It's a single state
8 lease where OXY is the sole operator and the only
9 lessee What we are asking for in this project is
10 authorization to inject to produce gas and to produce
11 water in the 2nd Bone Spring interval of the Bone Spring
12 Formation So we'd like to do that in two existing
13 horizontal wells, and those are depicted in red on
14 Exhibit 1 And then we have three offset producer
15 horizontal wells that are depicted in black on Exhibit
16 1

17 Q So, Ms Montgomery, now if I look -- keep my
18 thumb on here and I turn to what's been marked as OXY
19 Exhibit Number 2, are these the file C-102 plats for the
20 two proposed injection wells identified on Exhibit
21 Number 1?

22 A Yes, they are

23 Q Okay And as I -- are these wells -- existing
24 wells completed in the 2nd Bone Spring Sand?

25 A Yes, they are

1 Q And are they currently producing wells?

2 A Yes, they are

3 Q Okay The one thing I notice as I look at
4 this -- let me step back And we'll have a geologist
5 confirm this later, but to your knowledge, are they
6 completed essentially in the same correlative zones?

7 A Yes

8 Q Or zone, singular?

9 A Yes

10 Q And what I notice when I look at this is that
11 the 2 and 7H is placed in the Pierce Crossing Bone
12 Spring pool, and the 12H has been placed by the Division
13 in the Corral Draw, Bone Spring Pool Do you see that?

14 A Yes, I do

15 Q Okay Do you know why these two wells were
16 placed in two different pools even though they're in the
17 same correlative zone?

18 A Well, when I looked at the map, both of these
19 Bone Spring pools kind of butt up against each other on
20 Sections 15 and 16, so there seems to be a little bit of
21 overlap when they were assigned I don't know of any
22 reason why one was put in one pool or the other

23 Q Okay And is that why, then, our application
24 lists authority to inject both of these pools underlying
25 this project area?

1 A Yes, it is

2 Q All right The other thing I notice is that
3 both of these wells have their surface locations in
4 Section 15, correct?

5 A That is correct

6 Q Are all the perforations in Section 16?

7 A Yes, they are

8 Q Then continuing on and just keeping my finger
9 on Exhibit Number 1, does OXY Exhibit Number 3, then,
10 provide the filed C-102s for the -- what we'll call the
11 offsetting producing wells in Section 16?

12 A Yes, they do

13 Q And, again, are they included in the same
14 correlative zone as the proposed injection wells?

15 A Yes, they are

16 Q Then, once again, we see that two of these
17 wells, the 8H and the 6H, have been placed by the
18 Division in the Pierce Crossing Bone Spring pool, while
19 the 2H is in the Corral Draw Bone Spring pool, correct?

20 A That is correct

21 Q Now, looking at the -- back at Exhibit Number
22 1, these offsetting producing wells, they offset the
23 proposed injection wells both to the north and the
24 south, correct?

25 A That is correct, yes

1 Q All right And does OXY expect these
2 offsetting wells to benefit from the proposed injection
3 operations?

4 A Yes We hope that we will see increased
5 production from the offset producers to the injectors

6 Q And is OXY producing a second witness here
7 today that will address these injection operations in
8 more detail?

9 A Yes, we are

10 Q Okay With that said, let's go to the document
11 that you assisted in assembling and you put together,
12 and that is the C-108 form, which is provided to the
13 Division under OXY Exhibit Number 4

14 A Okay

15 Q Okay?

16 And fortunately, Ms Montgomery, when you
17 did this, you were kind enough to paginate the pages for
18 us --

19 A Yes

20 Q -- make it easier to go through

21 All right I wanted to talk about the
22 injection well data I think that begins on page 6 of
23 this C-108 form

24 A Yes

25 Q All right Now, this is for the two proposed

1 injection wells, which are existing horizontal wells?

2 A Yes, that is correct

3 Q And in your application, you included a
4 wellbore schematic for each of these proposed injection
5 wells?

6 A Yes, we did

7 Q All right Has the company, since filing
8 application back in December, reviewed the matter and
9 revised the wellbore schematics?

10 A Yes, we have

11 Q And what was the purpose of revising the
12 wellbore schematic?

13 A The purpose was to look at the packer setting
14 depth We originally put the packer setting depth in
15 strictly the vertical portion of the hole, but in
16 reviewing it, we decided to try to get as close as we
17 could to the top perforations We -- so what you're
18 going to see in the revised schematic is that we've
19 moved them down much closer to about 30 to 35 degree
20 deviation in the hole That's as low as we feel
21 comfortable going where we can still use wireline
22 operations

23 Q And are those revised schematics and the change
24 in the injection well data sheet provided in OXY
25 Exhibits 5 and 6?

1 A Yes

2 Q Okay And they show the change in the packer
3 setting depth?

4 A Yes, they do

5 Q And then the corresponding change to the first
6 page on the injection well data on the packer setting
7 depth line, correct?

8 A That's correct That's the only change on that
9 well data sheet, is the packer setting depth

10 Q Perforations, casing, everything else stay the
11 same?

12 A That's correct

13 Q Where you have placed the packer setting, is
14 that still in the cemented portion of the casing?

15 A Yes

16 Q Okay And will that locate -- you said that's
17 the closest you can get comfortably to the top perms?

18 A Yes, as close as we feel comfortable

19 Q Will that location still allow you to the use
20 of a wireline, if necessary, for the injection
21 operations?

22 A Yes, it will

23 Q Okay Now, talking about the injection
24 operations and addressing some of the issues that the
25 Division usually examines, what are you going to use as

1 a packer fluid during the injection operations?

2 A We'll use an inert fluid in the back side, in
3 the packer fluid I mean -- so we'll have your typical
4 bacteria -- oxygen scavengers to take care of the
5 bacteria

6 Q Okay Now, there is going to be a lot of talk
7 about the huff-and-puff injection operations

8 A Yes

9 Q When you're involved in the huff-and-puff
10 process, is there a point in time where you have to
11 place gas in that annular space instead of the inert
12 fluid?

13 A So yes And the next witness will go into more
14 detail on the huff and puff But typically there is a
15 production portion of the huff and puff And if the
16 well -- the well will hopefully flow at first, but if we
17 need to use gas-lift operations to lift the well, then
18 we will have gas in the tubing casing annulus in order
19 to lift that fluid

20 Q And just to be clear, that would be during the
21 production phase in these wells of the huff-and-puff
22 operations?

23 A Yes, it will

24 Q So for the record, these wells are going to be
25 utilized for both injection and production?

1 A Yes, that is correct

2 Q Okay And during the injection phase, will the
3 company have the inert fluid in the annular space?

4 A Yes, we will

5 Q In addition to that, will OXY be monitoring the
6 pressure in the annular space and in the tube?

7 A Yes, we will We'll have a long central on
8 tubing, and the tubing casing annulus that we can see
9 real time

10 Q Now, looking at your -- I guess your revised
11 schematics or whichever is easier to examine, why don't
12 you just briefly review the casing on these two proposed
13 injection wells and the cement as well?

14 A Sure I'll just use Exhibit 5, the wellbore
15 schematic on page 2 of Exhibit 5 and just kind of go
16 through that

17 For the Cedar Canyon 16 State 7H, we have
18 three strings of casing We have a surface casing set
19 at 335 feet and cement circulated to surface On our
20 intermediate casing, we have the shoe set at 3,095 and
21 cement circulated to surface And then on the
22 production string, the measured depth is 13,725, and we
23 have cement circulated to surface

24 And then we can go through in Exhibit 6,
25 the second page, you'll have the wellbore schematic for

1 the Cedar Canyon 16 State 12H You again have three
2 strings of casing

3 Did you get there, Mr Goetze? There you
4 go That's a little easier to read

5 So we have surface casing set at 445 feet,
6 cement circulated to surface Our intermediate is set
7 at 2,965, with cement circulated to surface And our
8 production string, the measured depth is at 14,417, and
9 we have a calculated top of cement at 600 feet

10 Q That calculated top of cement, does that
11 overlap the -- I guess it would be the intermediate
12 string

13 A Yes, it does

14 Q All right With respect to the perforations
15 at -- for these two wells, are there going to be any
16 changes in the perforations for these -- existing
17 perforations for these wells?

18 A No There will be no changes

19 Q Is there going to be any stimulation --
20 additional stimulation?

21 A No There will be no additional stimulation

22 Q What type of tubing are you going to utilize
23 for these injection wells?

24 A We're proposing to use unlined tubing for our
25 operations

1 Q Why unlined tubing?

2 A So there are a couple reasons for that One of
3 them is, as we mentioned previously, in the
4 huff-and-puff phase of the project, when you're
5 producing, we anticipate having to use a gas lift And
6 so we typically don't use lined tubing during gas-lift
7 operations

8 In addition, we would like the opportunity
9 to use wireline on these You always run the risk of
10 nicking or scratching that lined tubing with the
11 wireline But really the biggest part or the biggest
12 reason is that we're not operating in a corrosive
13 environment here that would dictate the use of lined
14 tubing

15 Q Now, are you going to be monitoring the
16 pressures while you're injecting?

17 A Yes, we are

18 Q And how will that be done?

19 A Well -- so as I mentioned previously, we will
20 have sensors on the tubing and the tubing casing annulus
21 that we can monitor real time We also have a pressure
22 regulator or pressure-reduction valve prior to the
23 wellhead that will make sure that the pressures can't go
24 over a certain setting

25 Q Okay Ms Montgomery, based on your review of

1 these wells, in your expert opinion, are these wells
2 designed safely and efficiently to inject produced water
3 and produced gas into the Bone Spring Formation for this
4 proposed pressure maintenance project?

5 A Yes, they are

6 Q All right Then let's turn to the next
7 subject, and that would be the area of review And that
8 is incorporated into the C-108, starting at, I believe,
9 page 13, is that right?

10 A Yes

11 Q Okay So we're at Exhibit Number 4, at page
12 13 Now, does this -- this is a land map that
13 identifies your Section 16 and all of the existing
14 horizontal wells in that section?

15 A Yes, it does

16 Q So let's start there I see the five lay-down
17 horizontal wells we previously discussed I also see
18 some stand-up horizontal wells Are they completed in
19 different formations?

20 A Yes, they are I believe there are two in the
21 Brushy Canyon There are two in the 3rd Bone Spring,
22 and then we recently, at the end of 2016, drilled two
23 wells in the Wolfcamp

24 Q And they show up on here because this is a land
25 map showing all of the existing wells?

1 A Yes

2 Q Now, your half-mile area of review -- I think
3 this is apparent from the picture, but I want to get it
4 into the record -- that is drawn around the lateral
5 portion of the well -- the perforated lateral portion of
6 the wellbore, correct?

7 A That is correct

8 Q So it's not a true circle?

9 A That is correct

10 Q All right And within this -- this radius and
11 for purposes of preparing for this hearing, did you
12 provide notice to the State Land Office, since state
13 lands are involved?

14 A Yes, we did

15 Q And did you provide notice to the affected
16 parties within the half-mile area of review?

17 A Yes, we did

18 Q And in addition, noting that the surface
19 locations are in the west half of the west half of
20 Section 15, did you notify those surface owners as well?

21 A Yes, we did

22 Q And if I flip over to pages 33 and 34 of the
23 C-108, does this provide the identity of all the parties
24 that were provided notice?

25 A Yes, it does

1 Q Now, the one thing I noticed on here, page 33,
2 it has most of the individual -- or interest owners are
3 listed under "Leasehold Operators " Do you see that?

4 A I do

5 Q Okay Is that a little mis- -- not misleading,
6 but isn't it true that you identified more than just
7 leasehold operators?

8 A Yes, it is So when we looked at the leasehold
9 operators, OXY is the operator for the majority of the
10 adjacent sections all around these So we went a little
11 further and identified all working interest owners and
12 then any unleased mineral interest owners

13 Q Okay So they are included in your notice
14 list?

15 A Yes

16 Q And if I -- just to finish that up, if I look
17 at OXY Exhibit Number 7, is that an affidavit prepared
18 by my office with the attached letter providing notice
19 of this hearing to the affected parties?

20 A Yes, it is

21 Q And in addition to that notice letter, did OXY
22 also take the step of providing notice by publication in
23 the local newspaper to these -- by name to these
24 affected parties?

25 A Yes, we did

1 Q Is that reflected in OXY Exhibit Number 8?

2 A Yes, it is

3 Q Okay Then the next subject would be the well
4 data for well penetrating the Bone Spring Formation in
5 the area of review If I turn to page 15, is that a
6 tabulation of the wells within the area of review that
7 penetrate the Bone Spring Formation?

8 A Yes, it is

9 Q Now, in this application that was put together
10 in December -- well, I guess November of 2016 --

11 A That is correct

12 Q In preparation for this hearing, Ms
13 Montgomery, did you take the time and effort to do an
14 additional review to ascertain whether wells were --
15 that were drilled that penetrated the Bone Spring
16 Formation in addition to those that are on this list?

17 A Yes To make sure that it was current, we
18 reviewed the AOR just before the hearing

19 Q Okay And did you find some additional wells
20 that had been drilled?

21 A Yes OXY -- I mentioned it in the first
22 exhibit OXY has recently drilled, at the end of 2016,
23 two Wolfcamp wells in Section 16

24 Q Okay If I turn to OXY Exhibit Number 9, does
25 this supplement the list of wells penetrating the Bone

1 Spring Formation that is included within the C-108?

2 A Yes, it does

3 Q So you've added two additional wells?

4 A Yes

5 Q Now, for each of these wells, were you able to
6 identify the cementing done?

7 A Yes

8 Q For the active wells?

9 A For all the active wells, yes

10 Q Okay And what did you find?

11 A Well, there is a column on the tabs that talks
12 about how the cement was -- top of cement was
13 determined The vast majority have circulated cement to
14 surface There are a few that ran CBL, so we have those
15 depths There are several that are calculated Those
16 calculated numbers come directly from the NMOCD -- what
17 was submitted to the NMOCD Web site, but I did go back
18 and do a quick verification of these wells

19 Q And in your opinion, are these active wells on
20 this list sufficiently cased and cemented to prevent
21 fluid migration out of the proposed injection zone?

22 A Yes, they are

23 Q Now, in your area of review, did you find any
24 plugged and abandoned wells?

25 A Yes There is one plugged and abandoned well

1 Q And is the diagram for that well provided on
2 page 18 of the C-108?

3 A Yes, it is

4 Q Okay And what's the top of cement there, or
5 how was it cemented and cased?

6 A So we -- we pulled the plugging record from the
7 NMOCD records, and this diagram is reflective of all the
8 plugs set and the sundry for the plugging record

9 Q And in your opinion, Ms Montgomery, is this
10 well sufficiently plugged and cemented to prevent fluid
11 migration out of the proposed migration zone?

12 A Yes, it is

13 Q All right Then I'd like to move on to page
14 21, which deals with the information on the gas and
15 water injection operations

16 A Okay

17 Q Okay?

18 You provide a surface injection -- maximum
19 surface-injection pressure here for water of 1700 psi
20 Do you see that?

21 A I do

22 Q Does that injection pressure follow the 2 psi
23 per foot that the Division utilizes based on its UIC
24 manual?

25 A Yes, it does

1 Q In preparing for the hearing today, did the
2 company examine and decide to adjust the maximum
3 surface-injection pressure for gas?

4 A We did We have reduced the request for our
5 maximum injection pressure to 4,250

6 Q And does OXY believe that they can operate this
7 injection operation at lower surface-injection pressure
8 for gas at 4,250 psi?

9 A Yes We think we can

10 Q And does that -- the gas surface-injection
11 pressure, does that likewise then follow the 2 psi per
12 foot accepted by the Division?

13 A Yes, it does

14 Q And will the next witness discuss how that was
15 calculated?

16 A Yes He's got a slide that walks through the
17 calculation showing how they compare

18 Q Okay And I think you mentioned this, but
19 since we're on it at this point, will OXY install
20 pressure-reduction valves at the surface to ensure that
21 the wells will remain within these maximum injection
22 pressures?

23 A Yes, we will

24 Q Will this system be a closed system?

25 A It's a closed system

1 Q And what will be the source for the proposed
2 gas injection?

3 A Okay It's the Cedar Canyon Central
4 Distribution Center or Distribution --

5 Q Delivery Point?

6 A Delivery Point There you go

7 Q And is that operated by OXY?

8 A It is operated by OXY

9 Q And if I turn to page 25, does that provide for
10 the Examiners a gas analysis for the native gas in the
11 2nd Bone Spring interval?

12 A Yes, it does

13 Q Okay And this was taken in November of 2016,
14 is that correct?

15 A That is correct

16 Q And was it from a nearby well?

17 A Yes It's the Cedar Canyon 21 #5, which is in
18 the adjacent section to the south of our project

19 Q And are there any H2S issues out in this area
20 in the 2nd Bone Spring?

21 A No, there are not

22 Q Then if I turn to page 26, you provided the
23 Division, as part of this application, a produced gas
24 injection analysis, is that correct?

25 A That's correct

1 Q That is for gas that was taken from the Cedar
2 Canyon Central Delivery Point?

3 A Yes, it was

4 Q I note that this sample was taken in July of
5 2016?

6 A Yes

7 Q You mentioned, since that time, the company has
8 drilled two additional wells?

9 A Yes, we have

10 Q And is it true, therefore, that Wolfcamp gas
11 has now been added to this Central Delivery Point?

12 A Yes, it has

13 Q Prior to that, gas was from the Delaware and
14 the Bone Spring?

15 A That is correct

16 Q And that is encompassed within this gas
17 analysis on page 26, but you've recently added the
18 Wolfcamp?

19 A Yes, we have

20 Q As a result of that, is the company going to
21 submit to the Division as a supplement an additional gas
22 analysis that will take into account the addition of the
23 Wolfcamp gas at the Central Delivery Point?

24 A Yes, we will

25 Q Are you -- first off, when you looked at the

1 initial gas analysis, do you have any compatibility
2 concerns between the native gas and the proposed
3 injection gas?

4 A No, I don't

5 Q I know you don't have the gas analysis, but
6 looking ahead, do you expect to have any compatibility
7 problems by adding Wolfcamp gas from these two
8 additional wells?

9 A No, I don't I've actually seen the gas
10 analysis, and I haven't seen any issues with that But
11 we'll provide the supplement

12 Q What is the source of the injection water?

13 A The Cedar Canyon Treating Facility

14 Q Again, is that the facility operated by OXY?

15 A Yes, it is

16 Q If I turn to page 27, is this the water
17 compatibility analysis that OXY provided with this
18 report to examine the native water and then the water
19 from this Cedar Canyon Treatment Facility?

20 A Yes, it is

21 Q And what was the conclusion of this study?

22 A The conclusion is that the waters are
23 compatible and that actually the addition of the two
24 waters reduces the scaling tendencies

25 Q Okay And you signed this, so you agree with

1 that conclusion?

2 A I agree with that conclusion

3 Q Okay Now we have the same issue, do we not?

4 A With the addition of the Wolfcamp well

5 Q Okay Does OXY, therefore, intend to provide
6 the Division with a supplemental water compatibility
7 study that takes into account water of the Wolfcamp
8 Formation?

9 A Yes We will do that

10 Q And do you anticipate seeing any compatibility
11 problems with the addition of the Wolfcamp water?

12 A No, I don't

13 Q Ms Montgomery, in your expert opinion, does
14 this injection operation pose a threat to public health
15 or to the environment?

16 A No, it does not

17 Q And in your opinion, would the approval of this
18 injection project for multi-efficient recovery of oil
19 underlying these state lands thereby prevent waste?

20 A Yes, it will

21 Q And were OXY Exhibits 1 through 9 prepared by
22 you or compiled under your direction and supervision?

23 A Yes, they were

24 MR FELDEWERT Mr Examiner, I would move
25 admission into evidence of OXY Exhibits 1 through 9

1 EXAMINER GOETZE Exhibits 1 through 9 are
2 so entered

3 (OXY USA, Inc Exhibit Numbers 1 through 9
4 are offered and admitted into evidence)

5 MR FELDEWERT That concludes my
6 examination of this witness

7 EXAMINER GOETZE Very good Thank you
8 Mr Brooks?

9 EXAMINER BROOKS No questions

10 EXAMINER GOETZE Mr Jones?

11 CROSS-EXAMINATION

12 BY EXAMINER JONES

13 Q The other two witnesses, are they going to be
14 reservoir and land, is that correct?

15 MR FELDEWERT Reservoir and geology

16 EXAMINER JONES And geology Okay

17 Q (BY EXAMINER JONES) About the land issues --
18 you probably already covered this, but Section 16, is
19 that all common ownership?

20 A Yes We are -- OXY is the sole operator and
21 sole lessee

22 Q OXY is the sole operator and sole lessee And
23 how about the -- the mix of royalties, or is it all the
24 same in a section? You're an engineer

25 A Yeah I don't know I don't think I can

1 answer that I'm not sure

2 Q But you're the operator of the section?

3 A Yes

4 Q And you've noticed this to everybody in the
5 section, is that correct?

6 A That's correct

7 Q Everybody that owns an interest in the minerals
8 has been noticed of this application within Section 16,
9 is that correct?

10 MR FELDEWERT And within a mile

11 EXAMINER JONES Within a mile Okay

12 THE WITNESS Yes

13 EXAMINER JONES Okay Okay

14 Q (BY EXAMINER JONES) And what about the
15 conversations you've had with other owners? Have you
16 had people call you and express any concerns?

17 A So we -- no is the answer The only people
18 that we have talked to who had an interest was Matador,
19 and they -- they have a section further up -- not really
20 in Section 16 They're out further, I believe, in
21 Section -- I'm not sure which section, to the left of
22 Section 9 And we did discuss with them the logistics
23 of the project, and then our landman spoke briefly to
24 the State Land Office And so we've seen no opposition,
25 you know, to this

1 Q Okay Okay So you're going to have someone
2 talk about the reduction, decline -- existing decline in
3 the Bone Spring wells to date probably, is that correct?

4 A Yeah Our next witness will do that

5 Q Okay So are you the one to ask about the
6 frequency of switching between injection and production
7 and between gas and between water and between
8 production?

9 A I think the next witness will be better at that
10 question

11 Q Okay This is Ground Hog Day, so, you know,
12 we'll see (laughter)

13 But you're 8,600 feet TVD, and your plugged
14 well is actually shallower than this That is what,
15 6,000 feet TD, the well that's --

16 A I can look to make sure

17 Q So that's covered

18 A Okay Yeah, that's correct

19 Q Okay Okay The DV tools, you said -- you
20 calculated tops you had Was that based on gross
21 volumes and yields, or was that with DV tools? I
22 noticed it's only 3,000 feet for the intermediate, and
23 then the whole thing was drilled So there must have
24 been some DV tools involved in the --

25 A On the injector -- on the two injectors?

1 Q The injector, yeah

2 A Okay Let me look back And I can address
3 each one individually

4 On the 7H, those were not calculated tops
5 I think we had circulation We saw cement at surface on
6 all three strings on the 7H

7 Q Okay

8 A And then if I move to the 12H, we had
9 circulated cement to surface on the surface and the
10 intermediate The production casing was a calculated,
11 and that was based on the yields, a volumetric
12 calculation

13 Q That was a two-stage job or so? Maybe a --

14 A When I looked at the drilling report, it didn't
15 appear to be a two-stage job, but, I mean, we had a lead
16 cement and a tail cement But I don't believe I saw any
17 mention of a DV tool in that one

18 Q And the tail cement, would that -- was that
19 calculated to cover the Bone Spring, or is that intended
20 to cover the Brushy Canyon also?

21 A I think it goes further I'd have to look at
22 the exact -- I know our tail cement was a much larger
23 volume It was 900

24 Q Oh, it was?

25 A The tail cement was a 900, and I think the lead

1 cement was the 520 sacks So without doing the
2 calculation in front of me, I believe we have a lot more
3 cement in our tail cement

4 Q Okay Have you had trouble cementing any of
5 these wells out here?

6 A Not that I know of And then the two recent
7 wells that I just looked at that we cemented in AOR
8 [sic], looks like we cemented all the way to surface on
9 those two wells So I'm not aware of any issues

10 Q Not aware of breakdowns?

11 A Or lost circulation

12 Q Or lost circulation

13 And you're going to inject this gas without
14 splitting out the propane and the butane? It's all
15 going to be wet gas you're re-injecting?

16 A Yes The treatment -- as I understand it, we
17 will not be splitting out the methane and propane, but
18 because it goes through six stages of compression, a lot
19 drops out in those six stages of compression

20 Q Oh, wow So it's -- you're getting it --
21 you're going for low pressures You're going to
22 compress it up high -- from really low to way up high?

23 A Yes

24 Q Six stages?

25 A That's what the facilities engineer mentioned

1 to me, so we anticipate a lot, you know, dropping out
2 It'll be pretty -- no additional free water in it
3 It'll be dry gas

4 Q So how do you handle taxes and royalty on this
5 kind of stuff?

6 A So we discussed that And at this point, what
7 we are going to do is purchase the gas So the gas will
8 go through the sales

9 Q Okay

10 A We'll purchase it after sales on the lease and
11 then inject it, and then we'll end up paying royalties
12 on the gas that is produced

13 Q That is sold?

14 A That is essentially --

15 Q That is produced?

16 A Yes, that is sold So, essentially, we're
17 paying double royalties I'm sure that we'll have to
18 talk to the State Land Office This is a pilot we're
19 trying to get in place We would certainly have to work
20 with them and make sure everything that we do from an
21 accounting perspective is in compliance with our leases
22 But initially that's how we anticipate working it

23 Q Okay Your leases might have some use-gas
24 clause in there, so you can actually use gas to produce
25 or at least for facilities, I guess It would kind of

1 imply use for facilities, but this is used downhole to
2 actually, I guess, lower the viscosity Is that -- I
3 guess we're going to have another witness

4 A We're going to have another witness I don't
5 want to go into detail I don't want to tell you the
6 wrong thing But certainly we'll work with the State
7 Land Office to make sure we account for all of that
8 correctly

9 Q Okay What about charts on your tubing and
10 your casing? You're going to have the Murphy switches,
11 I guess, and you're just going to be able to monitor the
12 pressures You've got a SCADA System? Is that the --

13 A Yes We have a SCADA System

14 Q Okay So, actually, you're expecting no
15 influence off lease, is that-- off of Section 16, is
16 that correct?

17 A That is correct And our next witness will
18 testify to that

19 EXAMINER JONES I'll pass it on to
20 Mr Goetze

21 EXAMINER GOETZE You done?

22 EXAMINER JONES I'm done

23 CROSS-EXAMINATION

24 BY EXAMINER GOETZE

25 Q For full disclosure in this, I did contact you,

1 and we did have discussions about the C-108
2 preparation --

3 A Uh-huh

4 Q -- which had to be brought to an end as a
5 result of Mr Bruce's application on behalf of Matador,
6 for which he got up and left So considering what you
7 gave us in the C-108 already, your area of wells, you
8 found two new ones that were recent --

9 A Uh-huh

10 Q -- and no more?

11 A Uh-huh

12 Q And so I looked at your AOR wells and do not
13 have a concern with what was put in

14 Secondly, clarification on this pilot
15 project So we're looking at only Section 16 as to be
16 the definition of what this project area will be?

17 A Yes, that is correct

18 Q And this is held by a single lease or a set of
19 leases or --

20 A Single lease, single state lease

21 Q Now, for my little concerns, the
22 northwest-northwest includes, I believe, one of your
23 wells It's a Delaware disposal well, SWD 1421 Having
24 looked at that and an adjacent injection for disposal,
25 do you have any concerns with the operation of this well

1 and possible impact on your project?

2 A So the disposal well is --

3 Q Is in the northwest-northwest of 16 That's
4 your --

5 A Is it the shallow disposal well?

6 Q Yeah, it is

7 A I believe that it's a shallow disposal number
8 three I think it's well number three

9 Q Yeah It's the Cedar Canyon 16 SWD #16 -- or
10 #3 Excuse me

11 A Okay Yes, I remember that Because it's in a
12 shallower zone, I don't believe we have any concerns

13 Q But we have considered it?

14 A Yes

15 Q And we will make sure that we don't -- if we
16 have interference from it, we will know?

17 A Yes

18 Q Okay Tubing We have requested a nonlined
19 tubing set We're stating it's not corrosive We're
20 running a pH of five and six That's kind of corrosive
21 How does OXY anticipate -- and, again, we're running
22 into this issue of changing the annulus And so we have
23 this issue that -- we have with the EPA & MIT every
24 time --

25 A Yes

1 Q -- we do something Has OXY proposed, other
2 than monitoring, some other way to address how we're
3 going to see if there is an issue of corrosion breaking
4 through tubing?

5 A Well, we -- I think we -- we will have the
6 monitors on the tubing and on the annulus, so I think
7 we'll see pretty clearly if we've got a hole in our
8 tubing

9 Q And you're going to respond immediately?
10 Because at this point, that would make you have to shut
11 this well in and notify us?

12 A Yes Yes

13 Q Okay So we're going to include some sort of
14 communication with district level as this operation goes
15 from one phase to the other?

16 A Uh-huh Okay

17 Q That information is going to be maintained also
18 by OXY as far as pressure information?

19 A Yes, it will

20 Q Okay Next item with the packer location I
21 appreciate your effort to get as close as you can to the
22 top perforations, but I don't want to box you in with a
23 situation where we have to go through exceptions and
24 whatnot

25 A Sure

1 Q In the foreseeable future -- and I don't know
2 if you've answered this question -- if we had to
3 retreat, if we had to replace the packer and found the
4 original location was not able to sustain a seal, would
5 OXY -- is there, in your plan, to do that? Is this
6 something we're going to learn as we do this experiment,
7 or should the Division think about putting in a little
8 leeway as far as where the packer should be set?

9 A So OXY would appreciate a little leeway You
10 know, you never -- we hope to set our packer where --
11 where we have designated in our application, but as you
12 know, if you don't get a seal, you have to move up a
13 little bit We don't anticipate doing multiple runs of
14 that, but if we had a little bit of leeway, that would
15 be helpful during this pilot to make sure we get it
16 right

17 Q We'll make sure that's put into consideration

18 A Okay Thank you

19 Q You're welcome

20 EXAMINER GOETZE I have no further
21 questions for this witness

22 EXAMINER JONES I have one more

23 EXAMINER GOETZE Mr Jones does

24 EXAMINER JONES Sorry about that

25 EXAMINER GOETZE That's okay

RECROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER JONES

Q The difference about two different Bone Spring pools --

A Yes

Q -- you didn't decide to ask for a contraction, an expansion of one and the other here? It would be simpler if it was all reported to the same pool

A So we can do that I think it was -- to be perfectly honest, when I looked at this, it was a little bit of a surprise to me As you permit these, you don't -- I wasn't keeping track of which ones were in which pools and run into each other We can certainly do whatever is easiest for the Division on that I don't think it really matters to OXY the pools We have statewide rules for both

Q Statewide rules for both?

A Yes Yes

Q It's just a record-keeping thing, I guess

EXAMINER GOETZE I think it's also something we should bring into the State Land Office for consideration because it is their lease and provide uniformity for them

THE WITNESS Okay

MR FELDEWERT I'm wondering,

1 Mr Examiner, whether the Division can actually just do
2 that on its own, because I would think -- and I didn't
3 draw it on there, but I think that pool only overlaps
4 the south half of the south half It's a very short
5 overlap And I would think that the Division on its own
6 could do a nomenclature that could contract it out on
7 Section 16, given what we're trying to accomplish here

8 EXAMINER JONES Yeah That way we could
9 just look at --

10 MR FELDEWERT Report it all --

11 EXAMINER JONES Yeah Yeah Paul's doing
12 this type of stuff all the time

13 EXAMINER GOETZE Well, no, I mean, the
14 history of the development of the Bone Spring in this
15 area, it's not uncommon to have -- because it has been
16 so aggressive, to have pools mashing up against each
17 other, so this is something we should consider

18 MR FELDEWERT Well, the other thing I
19 don't know -- okay? And, again, this is not something
20 we picked up on until later I don't know whether it
21 was placed in the pool because of the one-mile buffer or
22 whether it actually listed -- you know, that may come
23 into play

24 EXAMINER GOETZE Whether it's designated
25 as an --

1 EXAMINER JONES In other words, it could
2 be an optional, one pool or the other

3 MR FELDEWERT Yeah And I don't know I
4 think Paul is the only one who knows that

5 EXAMINER GOETZE Well --

6 MR FELDEWERT But my suggestion is what
7 is -- perhaps Mr Kautz and the Division on its own can
8 certainly track the pool out of Section 16 and make it
9 clearer

10 EXAMINER JONES We could possibly mention
11 that in the order, to have a subsequent action by the
12 Division

13 EXAMINER GOETZE Well, both you and
14 Mr Feldewert have taken it upon yourselves that the
15 Division has some initiative

16 (Laughter)

17 EXAMINER JONES But you're the scribe in
18 this case

19 EXAMINER GOETZE I would ask the Applicant
20 to talk with the State Land Office --

21 THE WITNESS Okay

22 EXAMINER GOETZE -- the Division will look
23 at the status of both pools and, with the order, suggest
24 a best remedy

25 EXAMINER JONES It's not going to be

1 expanded, this project?

2 THE WITNESS I think we're going to
3 evaluate the pilot, but if it's a successful pilot, then
4 certainly there is the opportunity to expand

5 EXAMINER JONES Okay

6 THE WITNESS Yeah

7 EXAMINER GOETZE I think at that time we
8 can get to that situation But for the pilot project,
9 we'll attempt to resolve this two-pool situation

10 THE WITNESS And if I may say, I've looked
11 at the nomenclature for both of those pools and if I'm
12 not mistaken, I think the Pierce Crossing East pool is
13 Section 16 So we'll take that up with the State Land
14 Office and Paul Kautz

15 EXAMINER GOETZE Actually, we have a new
16 geologist down there

17 THE WITNESS Oh, okay Great

18 EXAMINER GOETZE Mr Jones, are you done?

19 EXAMINER JONES I'm done

20 EXAMINER GOETZE Mr Brooks?

21 EXAMINER BROOKS Nothing further

22 EXAMINER GOETZE Call the next witness

23 Thank you

24 THE WITNESS Thank you

25

1 SHUNHUA LIU, Ph D ,
2 after having been previously sworn under oath, was
3 questioned and testified as follows

4 DIRECT EXAMINATION

5 BY MR FELDEWERT

6 Q Could you please state your name and identify
7 by whom you're employed and in what capacity?

8 A I'm Shunhua Liu I work for OXY as a manager
9 of process design, and I work for OXY for more than --
10 for ten years now

11 Q And, Mr Liu, are you part of a team that put
12 together this injection project?

13 A Yes I'm leading a team with reservoir
14 engineers, Geomodels, and then we are trying to design
15 new processes for unconventional reservoirs to try to
16 increase production

17 Q And you mentioned you've been a reservoir
18 engineer at OXY for ten years?

19 A Yes

20 Q Have you previously testified before the
21 Division?

22 A No, I have not

23 Q Why don't you outline your educational
24 background?

25 A I got a Ph D in chemical engineering at Rice

1 University, Houston, Texas, and my -- actually my thesis
2 topic was about enhanced oil recovery, chemical gas
3 injection

4 Q When did you get your Ph D ?

5 A 2008 Actually, at that time, I was employed
6 at OXY already

7 Q And so since you got your Ph D , you've been
8 employed by OXY, right?

9 A Uh-huh

10 Q Was there a period of time that you were
11 actually a research assistant at Rice University?

12 A Yes I have been like a research assistant for
13 five years for enhanced oil recovery projects, including
14 DOE projects

15 Q And then you went to work for OXY after that --

16 A Yeah

17 Q -- during that time, while got your Ph D ?

18 A Yes

19 Q Okay And are you a member of any professional
20 affiliations and associations?

21 A Yeah I've been an SPE member since 2004

22 Q And -- I'm sorry You already testified you
23 are part of the team that designed this project?

24 A Yes

25 MR FELDEWERT I would tender Mr Liu as

1 an expert in petroleum reservoir engineering

2 EXAMINER GOETZE He is qualified

3 Q (BY MR FELDEWERT) Would you turn, Mr Liu, to
4 that big packet in front of you and turn to tab ten
5 marked as OXY Exhibit Number 10?

6 A Okay

7 Q And first off, you see in the upper, right-hand
8 corner a map that is similar to what we've already seen
9 identifying the injection wells and the offsetting
10 producing wells?

11 A Yes

12 Q Using this particular slide, can you kind of
13 give the Examiners a little more detail about the
14 injection project that your team has put together in
15 Section 16?

16 A Yeah The final plan that we state in the
17 slides, we plan to inject in the 7H first and then do
18 the huff-and-puff process And then after that, we
19 evaluate what's the result of the injection, production
20 and the pressure, even the offset producers'
21 performance And then we will move to the 12 -- 12H to
22 evaluate, you know, different spacing, different
23 completion design And then as you can see, the
24 compression station -- Section 15

25 Q Now, why are you starting this project first

1 with the 7H?

2 A Because the 7H has a slightly larger spacing,
3 actually twice the spacing as the 12H We think it has
4 a large contact area, so we probably just -- we decided
5 to try this first before we go to the tight spacing

6 Q And the 12H -- if you're successful in the 7H,
7 the 12A will give you an analysis of the tight space?

8 A Yes

9 Q Now, you mentioned that you were going to do a
10 huff-and-puff project first?

11 A Yes

12 Q And then according to this, you'll move in and
13 do a line drive project?

14 A Yes

15 Q All right Well, then let's first start with
16 the description of the huff-and-puff project

17 Before we get there, if you look at Exhibit
18 Number 4, which is the C-108 Go to page 20

19 A Okay

20 Q Does this, you know, at a general level,
21 describe in writing for the Division the nature of the
22 huff-and-puff project?

23 A Yes

24 Q Now, with respect to this type of injection
25 project, has OXY conducted this huff-and-puff project in

1 other areas?

2 A Yes, we do We have one in Midland Basin,
3 Texas, and then -- also unconventional formation, but
4 not Bone Spring, and we see quite positive initial
5 results That's why we want to try it in the New Mexico
6 setting

7 Q And so -- but this would be in the Bone Spring,
8 right?

9 A Yeah The pilot in Texas is not Bone Spring,
10 but this one is Bone Spring

11 Q But your pilot in Texas, was it an
12 unconventional reservoir?

13 A Yes Yes, it is

14 Q And you've had some success with that?

15 A Yes

16 Q If I turn to, then, what's been marked as
17 Exhibit Number 11, does this provide the Examiners with
18 some of the benefits and a little more description of
19 what you hope to see from the huff-and-puff project?

20 A Yes

21 Q Why don't you walk us through this?

22 A Yeah So based on our -- analysis on this
23 reserve and the OIP geological analysis and the primary
24 production just based on the current decline, we
25 probably just recover 8 to 10 percent original oil in

1 place And then we started -- we -- we have a Geo --
2 Geological Model We did the original state We have
3 some lab work And then from that, simulation work We
4 think it's possible to add 15 percent recovery factor,
5 you know -- gas project, injection project And then as
6 I state before, we've got pretty promising results in
7 Texas, Midland Basin, Texas

8 And also, the 2nd Bone Spring, we -- from
9 our geological description, we found it's even probably
10 better -- better quality than what we have tried in the
11 Midland Basin So we think there is some quite big
12 potential there So that's why OXY is planning to test
13 the huff and puff and then a conventional line drive --
14 in the pilot

15 Q So huff and puff first and then follow it up
16 with a line drive?

17 A Yes Yeah, that's right

18 Q Let me ask you this Mr Jones -- Examiner
19 Jones asked the question These wells are not that old,
20 correct?

21 A Yeah They are -- they are still producing

22 Q Yeah They're still producing

23 A Uh-huh

24 Q So in this reservoir, we're still in the
25 primary production phase, right?

1 A Yes Yes

2 Q So this is not an EOR project This is an
3 effort to enhance the primary production?

4 A Yes

5 Q And that's why we not have a lot of boxes
6 That's why we labeled this as a pressure maintenance
7 project, is that right?

8 A Yeah That's the main reason

9 Q You asked me to pick one, so I threw a dart,
10 and that's where it landed?

11 A No No (laughter)

12 Q All right I want to talk a little bit more
13 about the huff and puff Would you turn to what's been
14 marked as OXY Exhibit Number 12? Does this help explain
15 to people like myself the nature of a huff-and-puff
16 injection project?

17 A Yes

18 Q Just kind of walk us through that, please

19 A Yes Actually, this -- this cartoon come from
20 the Department of Energy, you know, about the
21 huff-and-puff process, and then this has been used for
22 the thermo CO2 produced gas for conventional reservoirs
23 So the process is -- there are three steps, three
24 stages

25 The first stage is inject the produced gas

1 into the reservoir Then we go to the second stage
2 Let the gas compact the reservoir oil, and then gas --
3 when we have enough pressure, it will swell into the
4 oil At least it will be a reduced viscosity of oil and
5 also increased, actually, reservoir pressure a little
6 bit And then we go to the third phase Then we
7 produce back We can call the oil being energized, you
8 know, so we can -- we can get additional oil from that
9 It's not just pure acceleration

10 Q Now, this shows a vertical well

11 A Yes

12 Q And based on your experience here -- or limited
13 experience in this area, is it -- you don't have a set
14 time frame for each of these phases, do you?

15 A No, we don't The experience we had in the
16 Midland Basin is -- actually, we tried multiple wells in
17 the Midland Basin

18 (The court reporter requested the witness
19 speak slower)

20 A The thing is that -- you know, what we found
21 is, you know, you have to monitor pressure, surface
22 pressure You have to monitor the cum injection and
23 monitor the rate Then we decide how much time we have
24 to inject Then like some time, then production time
25 So it's not like a cookie-cutter for the process You

1 have to, you know, monitor that then do engineering
2 analysis before you go to the next step

3 Q So you really don't know at this point when you
4 would see a positive response from your wells, correct?

5 A Yes Yeah We -- of course we did some
6 analysis, but clearly this is a likely experiment We
7 want to, you know, monitor the data We plan to monitor
8 the injector We plan to monitor offset pressure and
9 rate and then decide how we are going to proceed

10 Q Okay Now, this is a cartoon that shows up the
11 huff-and-puff project in a vertical well setting If
12 you turn to what's been marked as Exhibit Number 13,
13 does that take that, then, and put it into a
14 horizontal-well context?

15 A Yes In the horizontal well, we expect that
16 would be similar to the vertical well, but probably the
17 biggest difference is the horizontal well -- you take an
18 unconventional, for example, well They have hydraulic
19 fractures So those hydraulic fractures, we provide
20 additional pathway Like the plot show this blue line
21 that's like couple of hydraulic fractures That would
22 provide additional pathway let the gas go the contact
23 the matrix oil

24 So still we have the three steps, right?

25 First thing, we inject, but then water go through the

1 tubing But also, you know, like I said, fracture
2 provide the highway, and then the high pressure create
3 admissibility [sic], gas -- type of oil -- natural oil,
4 and then the third phase is we produce back [sic]

5 Q And then you mention after you do this initial
6 huff-and-puff project, you would then move to a line
7 drive project?

8 A Yes

9 Q And is that, you know, depicted in Exhibit 14?

10 A Yes

11 Q And that's pretty straightforward, right?

12 A Yeah

13 Q The Division's seen something like this before?

14 A Yes It's injector-producer pair

15 Q Now, why do you do a line drive project after
16 the initial huff-and-puff project?

17 A So we have seen some -- first, we have seen
18 some success on the huff and puff, but typically, you
19 know, from our experience in the conventional huff and
20 puff usual contact less volume than the drive mechanism
21 So, of course, the huff and puff usually gives you a
22 quick result, so make us more confident to do like a
23 line drive But line drive is -- if that works, that
24 will be really, you know, helpful to get that So
25 that's -- that's the logic behind that

1 Q So am I correct, then, you do your huff and
2 puff and then you'll do your line drive?

3 A Uh-huh

4 Q And then you'll step back and see how it works?

5 A Yes

6 Q Simple way of looking at it?

7 A Yes Yes

8 Q And you really don't have any plans beyond
9 that, do you?

10 A Yeah If this is successful, then we will
11 calibrate our model, you know, design probably large
12 phase, maybe an extension But, you know, current
13 stage, we have to analyze the data, analyze the pilot
14 first

15 Q Is it possible that you'll begin alternating,
16 huff and puff and then the line drive and then the huff
17 and puff?

18 A Yeah, could be It could be It's possible
19 based on the result

20 Q Okay Now, if I turn to what's been marked as
21 OXY Exhibit Number 15, this kind of depicts what you
22 hope to see from your huff and puff and then the line
23 drive injection --

24 A Yes Exactly

25 Q One of the questions that came up was the

1 project area in Section 16

2 A Yes

3 Q You depict on here that the influence is going
4 to be roughly north-south

5 A Yes Yes

6 Q Do you -- why is it going -- the influence
7 going to be north-south for these injection wells?

8 A Yeah There is mainly like two -- couple of
9 reasons First phase, you know, this is a north-south
10 We have direct offset They provide a huge pressure
11 sink And then other thing is we know that hydraulic
12 fracture go to northeast-southwest So this hydraulic
13 fracture provide the highway, pathway for the gas to go
14 through, so we expect most of the gas -- if we see any
15 response, it will be inside of Section 16

16 Q So all of these wells are currently producing,
17 right?

18 A Yes

19 Q Okay And the offsetting wells to the north
20 and the south of the injectors will continue to produce?

21 A Yes

22 Q All right So that provides your pressure sink
23 you're talking about?

24 A Yes

25 Q Do you expect, Mr Liu, in your opinion, any

1 migration east to west from the injection wells?

2 A I don't believe it will go east to west And
3 the other thing is, even the east-to-west section, OXY
4 operates all the producers We will monitor that as
5 well, but we don't expect it to go east to west

6 Q All right Now I want to move on to the second
7 topic, and we had some discussion about how we change
8 the surface-injection pressure for gas?

9 A Yes

10 Q Okay If you turn to what's been marked as OXY
11 Exhibit Number 16, first of all, does this provide an
12 exhibit for the Division that identifies the actual
13 surface-injection pressures that we request?

14 A Yes

15 Q 1,700 psi for water?

16 A For water

17 Q And then 4,250 for gas?

18 A Yes

19 Q OXY has actually, therefore, lowered the
20 surface-injection pressure to gas than what was
21 initially requested?

22 A Yes

23 Q And am I correct, Mr Liu, that based on the
24 calculations that were done, that that follows the point
25 psi per foot found in the Division's UIC manual?

1 A Yes, 2

2 Q And without going through all the math, does
3 this provide the Division with the calculations that
4 were done based on the nature of gas to reach that 250
5 psi surface-injection pressure?

6 A Yes

7 Q Okay All right One of the things that you
8 also note on here, which is important for the next
9 slide, is that based on your calculations that 42
10 psi-per-foot injection pressure -- surface-injection
11 pressure yields -- and I hope I'm saying this right -- a
12 63 psi-per-foot pressure gradient, is that correct?

13 A Yes Yes

14 Q Now, is that important, then, as we move to the
15 next slide?

16 A Yes

17 Q Okay So let's keep that in mind, and let's go
18 to slide -- or OXY Exhibit Number 17 It was mentioned
19 in the C-108 that one of the things that OXY did in
20 preparing for this project was to do a DFIT?

21 A Uh-huh

22 Q D-F-I-T Test

23 A Yes

24 Q Would you please explain to us what a DFIT Test
25 is and how it differs from a step rate?

1 A Yes The DFIT test is widely used in the
2 unconventional well for the completion design, for the
3 completion engineer to do their design It's a -- it's
4 a small injection rate and the pressure plot Usually
5 the completion engineer uses this to identify, you know,
6 once the fracture initiate the pressure, you know,
7 identify what is the leak [sic] off of the reservoir
8 Maybe he can get a little bit of matrix or reservoir
9 pressure, all this information Usually this is -- this
10 has been widely used, as I said, in the completion
11 design

12 So it's usually performed at the toe stage
13 And -- and what we use here is we actually -- we don't
14 want to, you know, frac the reservoir, so we use this as
15 assurance, say The pressure we request is lower than
16 whatever the fracture -- initiate fracture So this
17 just assures our request that surface pressure is -- is
18 good

19 Q Now, one of the -- one of the benefits of using
20 a DFIT Test for horizontal wells, it requires less
21 fluids?

22 A Much, much less fluid

23 Q Is that because you're doing it at the toe?

24 A At the toe stage

25 Q And, for example, keeping in mind that 63

1 psi-per-foot gradient pressure --

2 A Uh-huh

3 Q -- how does that compare with your analysis
4 done using your DFIT in this case, as shown on this
5 slide?

6 A Yeah I'm showing in this slide -- as you can
7 see, we have the three wells We have the DFIT in the
8 toe stage, and then we found all the fracture initiation
9 pressure gradient is higher than what we request, which
10 means when we operate at our surface pressure gradient
11 like a 63, we want initiate the fracture

12 Q And is there -- in the world that you work in,
13 is there a big difference between 63 and 68?

14 A Yeah That's still pretty significant, even
15 like the second digit because you times the depth
16 That's still pretty big You're talking about a few
17 hundred psi difference

18 Q So, Mr Liu, based on your expert opinion, the
19 injection pressures requested by OXY for oil and gas,
20 are they conservative surface injection pressures?

21 A Yes

22 Q And does OXY believe that it can conduct its
23 huff-and-puff project and this line drive project using
24 these more conservative surface-injection pressures?

25 A Yes

1 Q In your opinion, does the proposed
2 surface-injection pressures from this -- for the
3 targeted --

4 A It won't

5 Q All right Mr Liu, looking at all this, in
6 your expert opinion, will your proposed injection
7 project impair the correlative rights of mineral owners
8 in adjacent sections?

9 A No, it won't

10 Q And in your expert opinion, will this project
11 promote the efficient recovery of oil underlying these
12 state lands?

13 A Yes

14 Q Were OXY Exhibits 10 through 17 prepared by you
15 or compiled under your direction and supervision?

16 A Yes

17 MR FELDEWERT Mr Examiner, I would move
18 admission into evidence OXY Exhibits 10 through 17

19 EXAMINER GOETZE Exhibits 10 through 17
20 are so entered

21 (OXY USA, Inc Exhibit Numbers 10 through
22 17 are offered and admitted into evidence)

23 MR FELDEWERT That concludes my
24 examination

25 EXAMINER BROOKS And at this time, I need

1 to advise that from what I've heard of the case so far,
2 it does not sound like my eminent colleagues will need
3 legal counsel in this case So if they choose to
4 continue without counsel, that will not be something I
5 will object to

6 EXAMINER GOETZE Very well, Mr Brooks
7 We appreciate your time and enjoy Someday we'll all
8 eat at the same time

9 (Laughter)

10 EXAMINER BROOKS Well, usually it happens,
11 but in this particular case, I thought it might be more
12 convenient --

13 EXAMINER GOETZE We appreciate that
14 (Mr Brooks exits the room, 11 25 a m)

15 EXAMINER GOETZE Mr Jones?

16 CROSS-EXAMINATION

17 BY EXAMINER JONES

18 Q I appreciate you coming up, and I appreciate
19 you trying this on the reservoir We were hoping
20 someone would start looking at enhanced recovery from
21 these types of reservoirs

22 A Yeah

23 Q But -- but I guess I'm really curious of what
24 type of model you're going to set up to --

25 A You mean the simulation model?

1 Q Yeah, the grids and --

2 A Okay So we have an Eclipse 300 Model, you
3 know, composition simulation, and then we use -- we
4 enhance the transmissivity of the fracture impact --
5 hydraulic fracture, you know, to mimic, you know, the
6 hydraulic fracture so that you have the pathway for the
7 gas, you know, go deep, right, contact more rock And
8 then actually the grid was generated by -- you know, the
9 Geomodel Right?

10 Q Oh, okay

11 A So Geomodel, we based on the logs, based on --
12 also peaked the tops, based on the log and then we
13 populated into like a 3D petrol model And then the
14 petrol model is strapped to the reservoir simulation
15 model And then the reservoir simulation model also
16 include all the wells, perforations, you know, and the
17 permeability -- calculated permeability, porosity,
18 saturation, you know Then we history match whatever
19 primary production And then we try, okay, do-nothing
20 case, keep going, and then we inject or we do huff and
21 puff, what kind of incremental we have We provide like
22 a 15 percent -- about a 15 percent incremental This is
23 our best case Okay We can get that much Then, you
24 know, let's go forward

25 Q Okay Stepping back a bit, the production

1 right now from those wells --

2 A Yeah

3 Q -- how can you describe the production from the
4 wells right now?

5 A So those production -- currently, the 7H, it's
6 like probably 40, 50 barrels now And 12H is higher,
7 but it's less I think it's less than 200

8 Q Oil?

9 A Oil

10 Q Okay What about water production?

11 A Water, it's -- you know, the water-oil ratio is
12 actually lower than 1

13 Q Oh

14 A So you have more oil than oil -- than water

15 Q Oh, okay So why would you want to inject
16 water?

17 A Okay So -- so for this, it's -- you know, we
18 also got some like analog -- we did some analog study
19 People have not injected into the 2nd Bone Spring yet,
20 but in the Red Hills area, EOG did the 3rd Bone Spring
21 water injection And then we look at that It's pretty
22 good, you know, pressure maintenance project They see
23 almost flat decline

24 And then Mewbourne did another water
25 injection in the 1st Bone Spring Seems pretty good,

1 also pretty good And then based on our analysis, based
2 on the permeability, we think it's pretty comparable
3 So what -- what we are thinking, maybe, you know, this
4 water might also work That's cheap injector This is
5 the first reason

6 Okay Second reason is, you know, in
7 conventional water, we use a lot of WAG operation, you
8 know, water alternating gas So if we see a quick
9 breakthrough, we sometimes just WAG it

10 Q Okay

11 A So we just want to keep the option open We
12 don't want to go back, hey, again, we want water

13 Q Okay

14 A You know, we want to just tell the story once
15 And then this is an experiment We want to see the
16 result to determine how to do the next

17 Q Okay So do you have a lot of data on the frac
18 jobs -- stages?

19 A Yeah We have a frac report That's how we
20 build our model, right? We know roughly how much
21 propane being pumped into each stage And actually
22 that's our design factor for the injection rate or
23 pressure

24 Q Okay So did you -- when they fractured these
25 wells to complete them, did they use any kind of

1 chemical tracer to tell where the -- where the different
2 fluids are coming from?

3 A Yeah For these, we have -- we have other --
4 other -- other wells, we have penetration, but for the
5 pilot area, we don't

6 Q Okay

7 A But it might be -- you know, when we -- if we
8 start injecting like two wells, maybe we may consider
9 the gas tracer, but currently, you know, just --

10 Q Okay The Bone Spring sometimes has a
11 relatively high GOR And in some instances -- we've had
12 several cases over the years where they've asked for a
13 limiting GOR --

14 A Uh-huh

15 Q -- which is kind of an OCD term, limiting GOR

16 A Yeah Yes

17 Q But they've asked for 5,000 to 1 instead of
18 2,000 to 1, which is more consistent with maybe black
19 oil reservoirs

20 A Yeah, black oil

21 Q So are you considering this a volatile
22 reservoir?

23 A We think this is still, you know, close to a
24 black oil system here

25 Q Okay So the GOR should be relatively low?

1 A Yeah, relatively low

2 Q So you might get some help by injecting gas?

3 A Yeah, because, you know, maybe some -- even
4 like a reparation [sic] can happen

5 Q And so your chemical -- I mean, your
6 compositional model, you can change your viscosities
7 over time? It automatically does that?

8 A Yeah It automatically does that Yeah

9 Q Okay And there is no way a person could put
10 tubing down below your packer into the open hole
11 without -- your production people would not want to do
12 that, I guess, to kind of --

13 A Uh-huh

14 Q -- release the injection all along the one-mile
15 lateral?

16 A Yeah For this -- the pilot -- initial design
17 like this is, you know, we want to operation not so
18 complicated

19 Q Okay

20 A Right? So the more jewelry or things you put
21 downhole, it's hard to analyze

22 Q Too much jewelry is not good sometimes

23 EXAMINER JONES I'm going to turn it over
24 to Mr Goetze

25

CROSS-EXAMINATION

1
2 BY EXAMINER GOETZE

3 Q Okay Again, thank you for your presentation
4 The DFIT model and your surface pressure,
5 are you going to revisit this between changing the
6 operations between the huff and puff and the line drive?
7 And would you require us to change the --

8 A Surface pressure?

9 Q Yeah

10 A No

11 Q You're going to be happy with the 2 and leave
12 it?

13 A Yeah

14 Q Okay I just want to make sure that we don't
15 box ourselves in the corner

16 A Uh-huh

17 Q We would probably include a clause in there to
18 increase that above the administrative 2 gradient

19 A Uh-huh

20 Q But, again, we're going into a new realm here
21 with this type of modelling to perform --

22 A Yeah

23 Q -- the fracture formation and getting that
24 information, so we're going to rely on you folks to
25 provide us some guidance

1 A Uh-huh

2 Q The fact that you're doing essentially two
3 different types of experiments, will there be a danger
4 of one influencing the other, or is there going to be
5 some way to separate the effects you can see clearly?

6 A I think we can separate the effect based on our
7 current study, because the thing is that, you know, we
8 also have the hydrocarbon pore volume between the wells
9 So when we -- when we -- we will monitor pressure When
10 we establish injectivity, establish pressure, the huff
11 and puff won't be -- based on our current model, won't
12 impact the offset that much Right? So that's our
13 current expectation, but, of course, it's an experiment

14 Q Okay And then talking about it being an
15 experiment --

16 A Yeah

17 Q -- what's your scope of time on this? What do
18 you feel -- I mean, we're not looking at each process,
19 but for this entire experiment to occur, do you have
20 some sort of scope as to how long?

21 A Yeah We do have it You know, it's hard to
22 set a very hard -- hard line for this type of
23 experiment, but we would think like two years before we
24 can tell

25 Q And the reason we ask that is because this is a

1 pilot, there would be a point in time that we would like
2 some feedback from you folks on what you got, what
3 you're willing to tell us

4 A Yeah

5 Q So at that time, revisit this through the order
6 and then make a determination as to expand, extend or
7 whatever?

8 A Uh-huh Yeah

9 EXAMINER JONES Is two years enough on
10 that?

11 THE WITNESS Yeah Two years -- maybe we
12 need a little bit longer, but usually two years we can
13 tell at least if we got the initial indication Like in
14 the Commission award, sometimes we need more than two
15 years And this is actually -- the spacing is pretty
16 big spacing, right? So -- but -- but at least we expect
17 we will see some pressure, you know, at least some
18 pressure response So I don't want to, you know, just
19 set up like two years Definitely we will give you the
20 positive or some other result But, you know, I think
21 maybe we can get something, conclusive results, maybe
22 two years Maybe not

23 Q (BY EXAMINER GOETZE) Typically when we have
24 these pilot projects --

25 A Yeah

1 Q -- two years is when you would reappear and
2 present what you have, and then if you want to modify
3 the order or such and continue with the experiment or
4 change the parameters based upon your outcome

5 A Yes

6 Q Well, I'll also disclose that a lot of these
7 questions -- the information that you presented, I
8 submitted to you folks to review your C-108, so I have
9 no further questions for you, sir

10 A Yes

11 EXAMINER JONES Yeah I have nothing
12 further Thank you very much

13 EXAMINER GOETZE Thank you

14 MR FELDEWERT We'll call our last
15 witness

16 SPENCER GUNDERSON,
17 after having been previously sworn under oath, was
18 questioned and testified as follows

19 DIRECT EXAMINATION

20 BY MR FELDEWERT

21 Q Would you please state your name and identify
22 by whom you're employed and in what capacity?

23 A My name is Spencer Gunderson I'm employed by
24 Occidental Petroleum as a geologist

25 Q Mr Gunderson, how long have you been a

1 geologist with OXY?

2 A Six years

3 Q And have your responsibilities included the
4 Permian Basin?

5 A Exclusively, yeah

6 Q Including the New Mexico portion?

7 A Yes

8 Q And how long have you worked as a petroleum
9 geologist?

10 A Six years

11 Q And do you have a master's in geology?

12 A I have a master's degree from Texas A & M
13 University

14 Q Okay And, Mr Gunderson, you have previously
15 testified before this Division as an expert in petroleum
16 geology, correct?

17 A I have, yes

18 Q Have you conducted a study of the subject area
19 in the proposed injection zone at issue here today?

20 A Yes

21 MR FELDEWERT I would, once again, tender
22 Mr Gunderson as an expert witness in petroleum geology

23 EXAMINER GOETZE He is so qualified

24 Q (BY MR FELDEWERT) Mr Gunderson, for the sake
25 of time, I won't turn to it, but there are some pages,

1 29 and 31 of the C-104 -- or the C-108 that has been
2 provided to the Division They contain certain geologic
3 statements, correct?

4 A That is correct

5 Q And are you the individual that certified the
6 accuracy of those statements?

7 A I did, yes

8 Q Okay Then what I'd like you to do is -- first
9 off, did you develop for the Examiners the type log that
10 identifies in more detail the proposed injection
11 interval?

12 A I did, yes

13 Q If you turn to what's been marked as OXY
14 Exhibit Number 15, is that the type log?

15 A That is the Cedar Canyon 16 State 10 pilot
16 hole

17 Q Okay And you provided with a star the
18 location of that particular well in Section 16, correct?

19 A That is correct

20 Q And does this provide a more technical
21 description of the actual zone of injection under this
22 particular type log?

23 A This shows the shallower sections, as well as
24 the Delaware and Bone Spring Formations with more
25 detailed inset with the -- detailing the lithology and,

1 fluid types within the reservoir interval family, the
2 2nd Bone Spring Sand Another thing we're pointing out
3 is the overlying and underlying reservoir, that being
4 the 2nd Bone Spring Lime and the 3rd Bone Spring Lime,
5 being a very tight carbonate with an average porosity of
6 1 percent and very low permeability acting as a seal
7 above and below the 2nd Bone Spring Sand

8 Q So if I look at this particular exhibit, is the
9 actual injection zone, as correlated for this type log,
10 8,426, 8,739?

11 A That is correct

12 Q That's the 2nd Bone Spring?

13 A 2nd Bone Spring Sand interval that is
14 correlative with the horizontals drilled in this
15 section

16 Q Okay And while we're kind of on that subject,
17 have you confirmed that the five wells we've talked
18 about here today, the two injection wells and the three
19 offsetting producing wells, that they are all located in
20 the same correlative zones?

21 A They are They're all drilled within the same
22 sand lobe [sic], within the same correlative interval of
23 the 2nd Bone Spring Sand

24 Q Okay You mentioned the nature of this
25 particular interval Are there confining barriers both

1 above and below the projection interval?

2 A There are above and below tight limestone
3 barriers that would act as a frac barrier and -- above
4 and below the reservoir In addition to that, there are
5 several -- over 1,000 feet of salt separating the Bone
6 Spring interval from the lowest known freshwater
7 sources

8 Q I'm glad you got to that point Are there any
9 water wells in this project area?

10 A There are no freshwater wells within a one-mile
11 radius

12 Q Were there wells that showed up initially in
13 your examination, that you did some more -- did some
14 more review and made a determination that there are no
15 longer freshwater wells?

16 A That is correct They're classified as brine
17 wells now

18 Q And what is it the lowest depth of the
19 groundwater in this area?

20 A It's 600 feet above the top of Salado Formation
21 noted in the type log

22 Q So that's well above the heavy salt section
23 that you show here in the type log, right?

24 A That's correct

25 Q Okay Now, have you prepared a cross section

1 to review with the Examiners that further identifies the
2 injection interval?

3 A I have

4 Q If I turn to what's been marked as OXY Exhibit
5 19, does this identify the wells that you utilized to
6 create your cross section?

7 A That is correct

8 Q Why did you choose these four wells?

9 A These four wells are vertical wells which cover
10 the entire 2nd Bone Spring Sand reservoir, and they all
11 have open-hole logs at least including triple combo
12 covering that entire reservoir interval

13 Q And the -- go north to south, the second well
14 is the Cedar Canyon State 10, right?

15 A That is correct

16 Q And that's the same well that you utilized for
17 your type log on Exhibit 18?

18 A That is correct

19 Q In your opinion, are these wells representative
20 of the project area?

21 A I think they are, yes

22 Q If I then turn to OXY Exhibit 20, is this the
23 cross section that corresponds with the north-south
24 wells shown on Exhibit 19?

25 A That is correct

1 Q First off, why don't you -- how have you
2 identified the injection interval?

3 A This is a stratigraphic cross section flattened
4 on the top of the 2nd Bone Spring Sand -- it's
5 highlighted in that box -- in between the top of the 2nd
6 Bone Spring Sand and the top of the 3rd Bone Spring
7 Lime There is also a cartoon schematic of the Cedar
8 Canyon 16 State 7H and 12H, which will be utilized in
9 the pilot, depicting the landing zone near the base of
10 the 2nd Bone Spring Sand And both of those wells are
11 landed in the same sand lobe

12 Q All right And you've shaded in here the
13 actual injection interval?

14 A That's correct

15 Q And does this confirm that there are indeed
16 impermeable barriers above the injection interval?

17 A We see very low porosity, very low permeability
18 between limestone layers above and below the reservoir
19 through the entire pilot area Yes

20 Q And I think you mentioned this, but just for
21 the sake of the record, the cartoon for the 7H and the
22 12H, it is representative of both wells, both located in
23 the same basic correlative zone?

24 A That is correct They're both landed in the
25 same zone within the reservoir

1 Q Gotcha Okay

2 Now, you've also looked at the structure in
3 this area, correct?

4 A That's correct

5 Q If I turn to OXY Exhibit 21, is this a
6 structure map that you put together?

7 A I did, yes

8 Q And what do you observe?

9 A What I observed here is that we have good well
10 control from vertical wells and a smooth, consistent dip
11 of 1 degree dipping down to the east

12 Q And do you observe any evidence of faulting in
13 this area?

14 A So given the smooth and consistent dip with no
15 abrupt changes in elevation of the 2nd Bone Spring Sand,
16 I wouldn't expect any faulting in this reservoir We
17 also don't see any evidence in the way of repeat section
18 or missing section in any of the log data that would
19 imply faults through the reservoir

20 Q So, Mr Gunderson, in your expert opinion, will
21 this proposed injection project pose any threat to any
22 underground sources of drinking water?

23 A No, it will not

24 Q In your expert opinion, will this proposed
25 injection project have any negative impact on the

1 correlative rights of the mineral owners in the oil and
2 gas zones above and below this proposed injection
3 interval?

4 A No, it will not

5 Q Were Exhibits 18 through 21 prepared by you or
6 compiled under your direction and supervision?

7 A Yes, they were

8 MR FELDEWERT Mr Examiner, I would move
9 the admission into evidence of OXY Exhibits 18 through
10 21

11 EXAMINER GOETZE Exhibits 18 through 21
12 are so entered

13 (OXY USA, Inc Exhibit Numbers 18 through
14 21 are offered and admitted into evidence)

15 MR FELDEWERT That concludes my
16 examination of this witness

17 EXAMINER GOETZE Mr Jones?

18 CROSS-EXAMINATION

19 BY EXAMINER JONES

20 Q I guess you just drilled some Wolfcamp wells
21 out here What's your best zone out here? Your Brushy
22 or your Wolfcamp or the Bone Spring or what?

23 A The 2nd Bone Spring Sand has been the most
24 prolific one, but we're having very good initial results
25 from our Upper Wolfcamp wells

1 Q Those are Upper Wolfcamp wells?

2 A They are We're targeting the X-Y

3 Q Okay

4 A Yeah

5 Q I'll leave that to him (indicating)

6 A Yeah

7 Q So do you look at your frac stages on your
8 completion, because you get an ulty [sic,phonetic] plot
9 probably from your Halliburton or Schlumberger or
10 whoever does your frac jobs

11 A Uh-huh

12 Q So do you see any drop-off, or do you see it
13 hit a barrier, or do you see it break into something in
14 your net pressure plot on some of your stages?

15 A I'd say I'm not an expert in analyzing frac
16 pressure plots, but I've never seen anything that would
17 indicate it was breaking into an additional zone beyond
18 the initial formation breakdown that we see I've never
19 seen anything that would indicate it was contacting a
20 second barrier or anything like that

21 Q Okay So -- so your bounding rocks are
22 holding, and it's not -- it's pretty consistent
23 reservoir?

24 A It's very consistent -- very consistent
25 thickness over the pilot area, and it's really a

1 tombstone rock with 1 percent porosity and probably --

2 Q Is it a limestone or a dolomite?

3 A It's a limestone

4 Q Okay For some reason, it hasn't been
5 dolomitized over --

6 A I don't know the details of the mineralogic
7 history of it Since it's a nonreservoir interval, we
8 don't have a very detailed --

9 Q But it's not brittle enough that your frac jobs
10 get into it and --

11 A We see that the porosity is so low that it's
12 probably not taking fluid to initiate fractures

13 Q Not taking fluid

14 Now, the 2nd Bone Spring, what porosity did
15 you say it has, average?

16 A It has an average of 7 percent porosity

17 Q 7 percent

18 Is that density log porosity?

19 A It would be calculated on neutron and density

20 Q Combination?

21 A Combination

22 Q Combination cost plot

23 And the thickness?

24 A It's noted on the cross section The cross
25 section over the pilot area is 335 feet thick for the

1 sand interval

2 Q And how much of that is producing porosity?

3 A That can vary That can vary as far as your
4 net to gross The major influence on that would be
5 there is a middle carbonate member which can come and go
6 and can vary pretty significantly that would occlude
7 your reservoir quality and would reduce your net to
8 gross

9 Q But you would tell your engineer 335 at 7
10 percent and pretty much let him run with that?

11 A That's an average porosity If I were to
12 calculate volumetrics on this section, I would probably
13 use a porosity cutoff to rule out the areas where a
14 middle lime member is probably not contributing
15 hydrocarbons to the wellbore

16 Q What about your water saturation? What is your
17 RO -- I mean your RW out here?

18 A I don't know the answer to that

19 Q But what about your water saturation that you
20 get on your logs?

21 A So it's 40 to 50 percent

22 Q Okay So it's productive at that
23 And no cores?

24 A We have rotary sidewall core in Section 17 in
25 the 2nd Bone Spring Sand

1 Q Have you cross-plotted those with your logs to
2 see how they relate?

3 A We have We do have permeability measurements
4 over -- in those plugs Yes

5 Q Okay Thank you very much

6 A Uh-huh

7 EXAMINER GOETZE Okay You done?

8 Again, your presentation was requested by
9 me as a result of the review of the C-108 application,
10 so most of my questions have been answered

11 I will make note that your brine wells is
12 part of an ongoing project by the Interstate Stream
13 Commission to keep the saline out from the Pecos

14 Other than that, you know, I have no
15 further questions for this witness

16 Mr Feldewert?

17 MR FELDEWERT That concludes our
18 presentation, Mr Examiner

19 EXAMINER GOETZE Oh, I do have one more
20 question So the priority of this project, when do you
21 think this is going on line?

22 MR FELDEWERT Well --

23 EXAMINER GOETZE If you can talk to
24 your --

25 EXAMINER JONES Tomorrow

1 (Laughter)

2 MR FELDEWERT I think, Mr Examiner,
3 they're hoping to start this project in April or May

4 EXAMINER GOETZE Okay So within the next
5 month or so, you want to see something in front of you?

6 MR FELDEWERT Yes

7 EXAMINER GOETZE And we'll also resolve
8 any issues we have with pools and stuff like that

9 MR FELDEWERT Okay

10 EXAMINER GOETZE Okay Given that, Case
11 15616 is taken under advisement

12 (Case Number 15616 concludes, 11 52 a m)

13
14
15
16
17
18
19
20
21
22
23
24
25

February 2, 2017
Oil Conservation Linc. E. Goetze

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case

20

21



22

MARY C HANKINS, CCR
Certified Court Reporter
New Mexico CCR No 20
Date of CCR Expiration 12/31/2017
Paul Baca Professional Court Reporters

23

24

25