

STATE OF NEW MEXICO  
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

ORIGINAL

CASE 15307  
(cont'd from 8/6/15)

APPLICATION OF OASIS WATER SOLUTIONS,  
LLC, FOR APPROVAL OF A SALT WATER  
DISPOSAL WELL, LEA COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

September 17, 2015

Santa Fe, New Mexico

BEFORE: MICHAEL McMILLAN, CHIEF EXAMINER  
PHILLIP GOETZE, EXAMINER  
GABRIEL WADE, LEGAL EXAMINER

RECEIVED OGD  
2015 SEP 30 P 2:08

This matter came on for hearing before the  
New Mexico Oil Conservation Division, Michael McMillan,  
Chief Examiner, Phillip Goetze, Examiner, and Gabriel  
Wade, Legal Examiner, on September 17, 2015, at the New  
Mexico Energy, Minerals, and Natural Resources  
Department, Wendell Chino Building, 1220 South St.  
Francis Drive, Porter Hall, Room 102, Santa Fe, New  
Mexico.

REPORTED BY: ELLEN H. ALLANIC  
NEW MEXICO CCR 100  
CALIFORNIA CSR 8670  
PAUL BACA COURT REPORTERS  
500 Fourth Street, NW  
Suite 105  
Albuquerque, New Mexico 87102

A P P E A R A N C E S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FOR THE APPLICANT:

Ernest L. Padilla, Esq.  
Padilla Law Firm, P.A.  
1512 S. St. Francis Drive  
Santa Fe, New Mexico  
(505)988-7577  
padillalaw@qwestoffice.net

FOR NEW MEXICO STATE LAND OFFICE:

Katherine Moss, Esq.  
New Mexico State Land Office  
310 Old Santa Fe Trail  
Santa Fe, New Mexico 87504-1148  
(505)827-5759  
kmoss.@slo.state.nm.us

Also Present: Anchor Holm and Mr. Powers

E X H I B I T   I N D E X

Exhibits Offered and Admitted

(None.)

Reporter's Certificate

Page 11

1 (Time noted 10:06 a.m.)

2 EXAMINER McMILLAN: I would like to call  
3 case No. 15307, Application of Oasis Water Solutions,  
4 LLC, for approval of a salt water disposal well, Lea  
5 County, New Mexico.

6 Call for appearances.

7 MR. PADILLA: Mr. Examiner, Ernest L.  
8 Padilla, Santa Fe, New Mexico, for the applicant in this  
9 case. I have one witness.

10 EXAMINER McMILLAN: Any other appearances?

11 MS. MOSS: Katherine Moss from New Mexico  
12 State Land Office. And before the witness testifies, I  
13 have an objection for the record.

14 EXAMINER WADE: I think we should hear the  
15 objection.

16 EXAMINER McMILLAN: Okay. Please proceed.

17 MS. MOSS: I understand that there wasn't a  
18 formal order in this case, but Oasis was ordered to give  
19 the State Land Office a report to which they could  
20 respond by August 21st.

21 I don't know if you have seen the report. I  
22 know it was e-mailed to you, Mr. McMillan. It is an  
23 outline. It does not contain substance, analysis, or  
24 content to which the State Land Office would be able to  
25 prepare a response.

1 I was called out of the country on an  
2 emergency. But last week I began attempting to call  
3 Mr. Padilla. And I believe I would have had an old  
4 e-mail.

5 But by Monday his assistant had gotten back  
6 to me and confirmed for me that what was said to us on  
7 August 21st -- and I could give you some examples of the  
8 difficulty that we have -- was what we intended to meet  
9 the needs of your order.

10 I also asked that Mr. Padilla call me back  
11 as soon as he returned to the office on Tuesday. When  
12 he came in today, he said he owed me a phone call, but  
13 instead halfway through the morning, handed me the  
14 materials which he intends to present today.

15 This places the State Land Office in a bad  
16 position because we only have the general subject areas  
17 of presentation. We don't have any analysis, we don't  
18 know which wells were going to be looked at today.

19 I have a very excellent witness, but I do  
20 want to say for the record that we are placed at a  
21 disadvantage and I do not believe that what you asked  
22 for on August 6th was complied with by Mr. Padilla.

23 EXAMINER WADE: Yeah, I think the intent of  
24 what we asked for was for substantive that could be  
25 responded to. And it sounds like that did not occur.

1 And so the materials that you would want to present  
2 today, Mr. Padilla, aren't reflected in an e-mail that  
3 you sent to the State Land Office.

4 MR. PADILLA: Counsel, we had one week  
5 essentially to hire an expert from August 6th to  
6 August 13th. That took about three of those days. And  
7 the only thing that we could submit by the 13th was an  
8 "outline" -- and that's not my word. The word as I  
9 understood it was a "summary."

10 And I think that we've provided an adequate  
11 content as to where we were coming from in response to  
12 the land office case, and, particularly, trying to  
13 address Examiner Goetze's question about how the upper  
14 San Andres and the lower San Andres are separated,  
15 because he felt that correlative rights may be impaired  
16 to the upper San Andres which is a producing interval in  
17 the San Andrea zone or formation here.

18 But going a bit further, the OCD has never  
19 had formal discovery of requirements where applicants or  
20 opponents, for that matter, submit formal reports as you  
21 would in expert witness disclosures in federal court or,  
22 maybe, by virtue of scheduling orders, in state district  
23 courts that have ordered.

24 And in those cases, we were given way more  
25 time than a week to make presentations. Some of these

1 materials were essentially completed this week, you  
2 know, in terms of grabbing whatever information there  
3 was in order to present to the Division today.

4 So I know that Ms. Moss wants a continuance  
5 to be able to respond to that. I don't have a real big  
6 issue with a continuance, but my problem with  
7 Mr. McMillan's directive was that he didn't want a  
8 continuance forever kind of thing.

9 And I would hate to bring back my client who  
10 has traveled here or my expert who has traveled here for  
11 today's presentation.

12 EXAMINER WADE: Well, I appreciate that it  
13 is an informal process. But I think in basic fairness  
14 people should have an opportunity to review and to  
15 respond to things. In our discussion that we had at the  
16 last hearing, I don't think the OCD pushed any type of  
17 schedule on -- I think we had an open-ended discussion  
18 as to how long all this would take and times were agreed  
19 to.

20 MS. MOSS: And it was not one week; from the  
21 7th to the 21st is two. And, quite frankly --

22 MR. PADILLA: I stand corrected. I'm sorry.  
23 It is from the 6th to the 21st.

24 MS. MOSS: And I am interested in resolution  
25 here also, so if I had received anything more -- and I

1 am prepared to give you examples of why I couldn't  
2 respond to this.

3 EXAMINER WADE: I don't think we need to go  
4 into too much detail. If we could just have a brief  
5 discussion.

6 (Brief recess.)

7 EXAMINER McMILLAN: Okay. After a brief  
8 discussion, we feel it is in the best interest to have  
9 case No. 15307 continued. What amount of time will you  
10 need to examine the data?

11 MS. MOSS: We could do it in a matter of  
12 days. I don't need a long continuance. I just need  
13 time to look it over and --

14 EXAMINER WADE: So by our next docket?

15 MS. MOSS: That would be fine with us. The  
16 next docket is fine.

17 EXAMINER WADE: Mr. Padilla, would you want  
18 additional time?

19 MR. PADILLA: I don't have my calendar here,  
20 but I think -- October 1st, is that the --

21 EXAMINER McMILLAN: Yes, that would be the  
22 next hearing.

23 MR. PADILLA: I think we have another case,  
24 Mr. Feldewert and I have another case on that day. But  
25 that is fine. I understand from talking to him that



1 that docket is pretty crowded on October 1st.

2 EXAMINER GOETZE: Yes. But the tendency is  
3 that dockets thin out pretty fast, so we'll keep you in  
4 line and probably put you up front since --

5 EXAMINER WADE: And if the parties want to  
6 communicate and find a different date, let us know and  
7 we can see if we can accommodate that.

8 I guess I didn't take a look -- you probably  
9 don't have anything indicating how long your  
10 presentation would have been today.

11 MR. PADILLA: Probably about an hour.

12 EXAMINER WADE: And how long?

13 MS. MOSS: See, I can't tell --

14 EXAMINER WADE: You don't know yet.

15 MS. MOSS: What I am telling you is it looks  
16 to me, from what we see, 30 minutes.

17 EXAMINER WADE: We can go off the record for  
18 a minute.

19 (Discussion off the record.)

20 EXAMINER GOETZE: Back on the record.

21 MR. PADILLA: Let me ask Mr. Powers if he  
22 can be here on October 1st.

23 Mr. POWERS: Yes, I can.

24 EXAMINER McMILLAN: Case No. 15307 will be  
25 continued until October the 1st. Thank you.

1 The docket for September the 17th has been  
2 concluded.

3  
4  
5  
6 (Time noted 10:22 a.m.)  
7  
8  
9  
10  
11  
12


13 I do hereby certify that the foregoing is  
14 a complete record of the proceedings in  
15 the Examiner hearing of Case No. 15307,  
16 heard by me on Sept. 11 2015.  
17 [Signature], Examiner  
18 Oil Conservation Division  
19  
20  
21  
22  
23  
24  
25

1 STATE OF NEW MEXICO )  
 2 ) ss.  
 3 COUNTY OF BERNALILLO )  
 4  
 5  
 6

7 REPORTER'S CERTIFICATE

8  
 9 I, ELLEN H. ALLANIC, New Mexico Reporter CCR  
 10 No. 100, DO HEREBY CERTIFY that on Thursday, September  
 11 17, 2015, the proceedings in the above-captioned matter  
 12 were taken before me, that I did report in stenographic  
 13 shorthand the proceedings set forth herein, and the  
 14 foregoing pages are a true and correct transcription to  
 15 the best of my ability and control.

16  
 17 I FURTHER CERTIFY that I am neither employed by  
 18 nor related to nor contracted with (unless excepted by  
 19 the rules) any of the parties or attorneys in this case,  
 20 and that I have no interest whatsoever in the final  
 21 disposition of this case in any court.

22  
 23   
 24 ELLEN H. ALLANIC, CSR  
 25 NM Certified Court Reporter No. 100  
 License Expires: 12/31/15

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 IN THE MATTER OF THE HEARING CALLED  
5 BY THE OIL CONSERVATION DIVISION FOR  
6 THE PURPOSE OF CONSIDERING:

CASE 15307

7 APPLICATION OF OASIS WATER SOLUTIONS,  
8 LLC, FOR APPROVAL OF A SALT WATER  
9 DISPOSAL WELL, LEA COUNTY, NEW MEXICO.

ORIGINAL

10 REPORTER'S TRANSCRIPT OF PROCEEDINGS

11 EXAMINER HEARING

12 August 6, 2015

13 Santa Fe, New Mexico

14 BEFORE: MICHAEL McMILLAN, CHIEF EXAMINER  
15 PHILLIP GOETZE, EXAMINER  
16 GABRIEL WADE, LEGAL EXAMINER

17 This matter came on for hearing before the  
18 New Mexico Oil Conservation Division, Michael McMillan,  
19 Chief Examiner, Phillip Goetze, Examiner, and Gabriel  
20 Wade, Legal Examiner, on August 6, 2015, at the New  
21 Mexico Energy, Minerals, and Natural Resources  
22 Department, Wendell Chino Building, 1220 South St.  
23 Francis Drive, Porter Hall, Room 102, Santa Fe, New  
24 Mexico.

25 REPORTED BY: ELLEN H. ALLANIC  
NEW MEXICO CCR 100  
CALIFORNIA CSR 8670  
PAUL BACA COURT REPORTERS  
500 Fourth Street, NW  
Suite 105  
Albuquerque, New Mexico 87102

## A P P E A R A N C E S

For the Applicant

Ernest L. Padilla, Esq.  
Padilla Law Firm, P.A.  
1512 S. St. Francis Drive  
Santa Fe, New Mexico  
(505)988-7577  
padillalaw@qwestoffice.net

For Protester Charles Rand Briggs:

Michael Danoff, Esq.  
Michael Danoff & Associates, P.C.  
1225 Rio Grande Blvd., NW  
Santa Fe, New Mexico 87104  
(505)262-2383  
michaeldanoff@questoffice.net

FOR NEW MEXICO STATE LAND OFFICE:

Katherine Moss, Esq.  
New Mexico State Land Office  
310 Old Santa Fe Trail  
Santa Fe, New Mexico 87504-1148  
(505)827-5759  
kmoss.@slo.state.nm.us

## I N D E X

CASE NUMBER 15307 CALLED

APPLICANT CASE-IN-CHIEF:

WITNESS JAMES CHRISTOPHER WILLIAMS

	Direct	Redirect	Further
By Mr. Padilla	7		
	Cross		
By Ms. Moss	29		
By Mr. Danoff	30		

## EXAMINATION

Examiner McMillan	34
Examiner Wade	37

1	I N D E X (CONT'D)			
2	STATE LAND OFFICE CASE-IN-CHIEF			
3	WITNESS ANCHOR HOLM			
4	By Ms. Moss	Direct 42	Redirect	Further
5		Cross	Recross	
	By Mr. Padilla	59		
6	By Mr. Danoff	67		
7		EXAMINATION		
	EXAMINER WADE	58, 69		
8	EXAMINER McMILLAN	68		
9				
	PROTESTER CASE-IN-CHIEF			
10				
	WITNESS CHARLES RAND BRIGGS			
11				
		Direct	Redirect	Further
12	By Mr. Danoff	73		
13		Cross	Recross	
	By Mr. Padilla	77		
14				
		EXAMINATION		
15	EXAMINER	--		
16				
17	Reporter's Certificate			Page 95
18				
19				
20				
21				
22				
23				
24				
25				

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

# E X H I B I T I N D E X

## Exhibits Offered and Admitted OASIS WATER SOLUTIONS

	PAGE
APPLICANT OASIS WATER SOLUTIONS EXHIBIT 1	28
APPLICANT OASIS WATER SOLUTIONS EXHIBIT 2	28
APPLICANT OASIS WATER SOLUTIONS EXHIBIT 3	28
APPLICANT OASIS WATER SOLUTIONS EXHIBIT 4	29

## Exhibits Offered and Admitted STATE LAND OFFICE

	PAGE
STATE LAND OFFICE EXHIBIT 1	47
STATE LAND OFFICE EXHIBIT 2	47
STATE LAND OFFICE EXHIBIT 3	59

# E X H I B I T S

## Exhibits Offered and Admitted PROTESTER'S EXHIBITS

	PAGE
PROTESTER EXHIBIT 1 ( with Eight Attachments)	72

1 (Time noted 1:00 p.m.)

2 EXAMINER McMILLAN: I call the hearing back  
3 to order. I would like to call case 15307, Application  
4 of Oasis Water Solutions, LLC, for approval of a salt  
5 water disposal well, Lea County, New Mexico.

6 Call for appearances.

7 MR. PADILLA: Mr. Examiner, Ernest L.  
8 Padilla with the Padilla Law Firm in Santa Fe for the  
9 applicant in this case.

10 I have one witness.

11 EXAMINER McMILLAN: Any other appearances?

12 MR. DANOFF: Michael Danoff, here with Randy  
13 Briggs, the nearest party who's a protester and he's our  
14 only witness.

15 MS. MOSS: Katherine Moss with the state  
16 land office with one witness, Anchor Holm.

17 EXAMINER McMILLAN: Thank you. Any opening  
18 statements?

19 MR. PADILLA: No. Let me just explain this  
20 salt water disposal application. In our view, it's an  
21 application that's -- it's a standard salt water  
22 disposal application.

23 There are concerns, as I understand, from  
24 the land office that the proposed well is close to the  
25 Capitan Reef. And the other protestants in this case, I



1 don't know what their objection is, to tell you the  
2 truth. And I have received Mr. Danoff's correspondence.  
3 I think that's a competition type of protest.  
4 Mr. Danoff, he can speak to that.

5 But I think we'll be able to show that there  
6 would be no damage to the Capitan Reef and that the  
7 integrity of this well -- which is going to be a brand  
8 new well, is going to prevent any migration of fluids  
9 into fresh water sources.

10 With that, that would be my opening  
11 statement.

12 EXAMINER McMILLAN: Please proceed.

13 MS. MOSS: Thank you.

14 Well, as you know, the Commissioner of  
15 Public Lands is charged with taking care of the trust,  
16 the beneficiaries of which are mostly school children of  
17 schools of the state of New Mexico. So he has to get  
18 money for the trust but he also has to protect the  
19 natural resources.

20 While oil and gas produce at over 90 percent  
21 of the revenues for the trust, this case is about  
22 protecting the natural resources where Oasis has applied  
23 to drill a well in protectable waters.

24 MR. DANOFF: We adopt the position of the  
25 land commissioner, we adopt their views. But,

1 additionally, we are concerned about the prior well of  
2 the entity before and the fact that it's not been  
3 cemented and caution was not taken to not contaminate  
4 the environment. We have some concerns about that, not  
5 taking place. In addition to that, my client comes here  
6 with that concern not as a competitor but as an  
7 individual who has concerns about that.

8 EXAMINER McMILLAN: Please proceed.

9 MR. PADILLA: I want to call my first  
10 witness.

11 APPLICANT'S CASE-IN-CHIEF

12 JAMES CHRISTOPHER WILLIAMS

13 swore to the truthfulness of his testimony that herein  
14 follows:

15 DIRECT EXAMINATION

16 BY MR. PADILLA:

17 Q. Mr. Williams, please state your full name.

18 A. James Christopher Williams.

19 Q. Where do you live?

20 A. Hobbs, New Mexico.

21 Q. What have you done to prepare for your testimony  
22 here today?

23 A. I reviewed all the information that OCD put  
24 together, and what I would have normally reviewed for it  
25 at OCD when I worked there.

1 Q. Let me ask you what your -- what is your  
2 educational background?

3 A. I have a bachelor's in petroleum land management.  
4 I have 1,100 hours of engineering training through Shell  
5 Oil. And I have NACE training too.

6 Q. What is your work experience in the oil and gas  
7 industry?

8 A. I worked for Shell Oil for almost ten years.

9 Q. Doing what?

10 A. As the gas gathering foreman over at Notreez, was  
11 my final job. I had done several different things  
12 there. And then I worked for Hunt Oil for three years.  
13 And there I was -- my title was an engineer in training.

14 Q. Did you work with salt water disposal wells?

15 A. Yes.

16 Q. Where did you work?

17 A. In Hobbs mainly. We had some in Texas, too.

18 Q. When you say "we," who is that?

19 A. I was thinking in terms of OCD and Shell, both.

20 Q. Okay. You worked for the Oil Conservation  
21 Division?

22 A. Uh-huh.

23 Q. And what was -- what did you do?

24 A. I was the district supervisor in Hobbs, New  
25 Mexico.

1 Q. How many salt water disposal applications or --  
2 did you handle?

3 A. Over eleven years there, we probably handled over  
4 4,000. And that includes me and Paul Kautz.

5 Q. Who Paul Kautz?

6 A. The district geologist.

7 Q. And are you familiar with the location of the  
8 Capitan Reef?

9 A. Yes.

10 Q. Are you familiar with drilling in the proximity  
11 or through the Capitan Reef?

12 A. Yes.

13 Q. Can you explain your experience in dealing with  
14 the Capitan Reef?

15 A. The Capitan Reef -- over the years, the casing  
16 designs have changed in the reef. It used to be to  
17 drill, you know, two casings in there. We went to three  
18 when I came down there. And it is my understanding now  
19 there's a -- we go to four strings through the Capitan  
20 Reef.

21 The Capitan Reef, I used to work with Shell on  
22 the west Texas water supply system, which is all reef  
23 water. And the water there was what we termed as  
24 brackish. It had high chloride concentrations.

25 And the Capitan Reef has pockets of pretty close

1 to fresh water. But then it also has more pockets of  
2 brackish water. And I assume, because I am not a  
3 geologist, that that is due to faulting in the reef.

4 Q. Mr. Williams, have you previously testified  
5 before the Oil Conservation Division?

6 A. Yes.

7 Q. In regulatory hearings?

8 A. Yes.

9 Q. Did those involve saltwater disposal wells?

10 A. Yes.

11 MR. PADILLA: We tender Mr. Williams as a  
12 regulatory specialist in oil and gas.

13 EXAMINER McMILLAN: Any objections?

14 MS. MOSS: No.

15 MR. DANOFF: We have no objection.

16 EXAMINER McMILLAN: So accepted.

17 Q. Mr. Williams, let's turn to Exhibit No. 1. And I  
18 ask you to identify that and tell us what it is.

19 A. It's a C-108, application to inject.

20 Q. And who submitted this to the OCD?

21 A. Eddy Seay.

22 Q. And who is Eddy Seay?

23 A. Eddy Seay is an ex-OCD employee that does a lot  
24 of consulting work for different companies.

25 Q. Do you work with him from time to time?

1 A. Yes.

2 Q. And how did you become associated with this  
3 application?

4 A. Eddy is ill and he asked me to come up here and  
5 take his place.

6 Q. And what did you do to review his work and the  
7 application?

8 A. I went through the well file -- the well file on  
9 the old well. And then I had discussions with the  
10 district supervisor in Hobbs -- Maxi Brown and Paul  
11 Kautz are geologists there -- to talk about whether we  
12 thought the Capitan Reef was connected.

13 Q. And did -- let's turn to this first -- let's go  
14 to the second page and ask you what that is. We are  
15 going to take it on a page by page basis.

16 A. Okay. It's a half-mile radius around where the  
17 new drill is going to be. And we look for wells where  
18 the formation is.

19 Q. Okay. This is a standard half-mile radius  
20 disposal well, right?

21 A. Yes.

22 Q. And going to the last -- let's take it page by  
23 page. And then we will come back. Let's go to the next  
24 page, and have you tell us what's on that page.

25 A. It's basically the well data for the new well.

1 And they have schematics enclosed. The injection  
2 formation is going to be the lower San Andres; new  
3 drill; and the next higher is the upper San Andres at  
4 3,700. And the lower producing is the Glorieta at  
5 fifty-one.

6 They plan to drill this well, run, circulate  
7 three strings of casing of TV at 4,900. And open hole  
8 from 4,170 to 4,900. And then run four and a half  
9 tubing inside the casing. And then they plan to inject  
10 20,000 barrels a day.

11 Q. And that's a lot of water; is that right?

12 A. Yes.

13 Q. Do you know if there are any wells that are  
14 injection wells now that are injecting at high volumes?

15 A. Yes, there's a few. I think Piper's Well is  
16 probably injecting that much, Piper Petroleum, that much  
17 right now.

18 Q. And who is Piper Petroleum?

19 A. The people at the hearing.

20 Q. Okay. And how far away is their well; do you  
21 know?

22 A. About four miles maybe.

23 Q. Let's go to the next page. What is relevant to  
24 this application here?

25 A. It's a casing design and what they're going to

1 use to shed everything off.

2 Q. And is that shown on the following page?

3 A. Yes -- no. That just talks about they are going  
4 to use the Air Set Packer, just general down hole  
5 equipment.

6 Q. Is that standard or is that better or --

7 A. For injection wells, yes, we normally use packers  
8 with them, because you can treat the back side and help  
9 prevent some of the corrosion problems that they have.

10 Q. Why is corrosion a problem with injection wells?

11 A. Well, because a lot of the waters that are  
12 brought in to be injected, especially on the internal  
13 tubing, have high concentrations of H<sub>2</sub>S -- which turns  
14 to basically sulfuric acid.

15 A lot of them have high concentrations of CO<sub>2</sub> --  
16 which also makes another type of acid. You know, you  
17 have to watch the scaling tendencies, because you try  
18 not to scale up an injection well.

19 So there's a lot of damage. And then inside, you  
20 want to protect the outside of the tubing. So you  
21 run -- you stick it in a packer basically and then you  
22 circulate the packer fluid, which is a corrosion  
23 inhibitor all the way up to the surface.

24 Q. Is this well going to be protected in that  
25 manner?



1 A. Yes.

2 Q. Where on this page is that said?

3 A. It's not said on this page.

4 Q. Where is that said?

5 A. It's not. It's what I talked to the district  
6 supervisor about. And he and I both agreed that that's  
7 the way it has to be done.

8 Q. So it would still have to pass muster with the  
9 district office?

10 A. Right.

11 Q. -- as to what the --

12 A. We'll do the -- sorry, the district office will  
13 do the pressure test.

14 Q. Is that what they did when you were there?

15 A. Yes.

16 Q. When you ran the district office?

17 A. Yes.

18 Q. The next page, side two, has something up there  
19 that is curious to me, Type of packer: Stainless steel  
20 Arrow Set. What does that mean?

21 A. That's a type of packer that you can buy. It is  
22 not -- it is no different really from like a Baker  
23 packer or any other packers. They just squeeze off the  
24 zone above the formation.

25 Q. Okay. And the injection formation is lower San

1     Andres?

2           A.   Right.

3           Q.   What is the ability of the lower San Andres to  
4     absorb water, to take water?

5           A.   After talking with Paul Kautz at the office, most  
6     of that area, that lower San Andres will take fluid on  
7     the back end.

8           Q.   So there's no pressures to worry about?

9           A.   No, not to contend with.

10          Q.   And the name of the pool is the Monument?

11          A.   Uh-huh.

12          Q.   Yes?

13          A.   Yes.

14          Q.   Let's turn to the next page.  And tell us, this  
15     list of wells, what is that intended to show?

16          A.   This is the list of wells inside that half-mile  
17     radius.

18          Q.   And how many wells are active?

19          A.   Ten.

20          Q.   And do those produce from the lower San Andres?

21          A.   No.  They produce from the upper San Andres.

22          Q.   Next page.  Another schematic, what does that  
23     show?

24          A.   This is the schematic that was on the other pages  
25     before, but just easier to read and see.

1 Q. What is shown in red?

2 A. Those are all the casings plus on the outside of  
3 the casing it shows cement.

4 Q. So this is not like a typical oil and gas well  
5 that is cemented at various levels?

6 A. Right.

7 Q. This is cemented all the way through on every  
8 piece of pipe --

9 A. Yes.

10 Q. -- that --

11 A. From top to bottom or bottom to top.

12 Q. Is this typical for salt water disposal wells?

13 A. Three strings, not necessarily. But two strings  
14 is what most of them have been drilled in that area and  
15 completed with over the years.

16 Q. Is this a better completion than two strings?

17 A. Yes, it is.

18 Q. The next page has a list of I think water  
19 samples, is that what that is?

20 A. Right.

21 Q. Explain to us what that is intended to show.

22 A. That is just the chloride concentrations that  
23 they've either pulled from other well bores in the area  
24 and the chlorides are really -- it's kind of a sticking  
25 point for everybody.

1           And the chlorides seem to be pretty high, but  
2   those are different -- the problem is those are in  
3   different formations. And the Key is not the same thing  
4   as the San Andres. The Grayburg is probably close.

5           It's just a chloride concentration table, just  
6   wells in the area.

7           Q. So basically what you're saying is that the  
8   waters -- this list is a list of waters that may go into  
9   that well; is that right?

10          A. Right.

11          Q. So what's there in the lower San Andres is not  
12   necessarily --

13          A. The same --

14          Q. -- what they may put in there?

15          A. It may not be.

16          Q. Is there any reason to worry about that kind of  
17   thing?

18          A. Yes. Normally, what you would do is before  
19   you -- after you drill the well, you will take a water  
20   sample; from the formation, take a water sample; take a  
21   water sample from your tanks that you are going to  
22   inject from. And you would compare them to see if there  
23   were any scaling tendencies between the two different  
24   waters. The biggest problem is like I said before with  
25   injection wells was the scaling.

1 Q. If you have waters that are --

2 A. Compatible or incompatible?

3 Q. Incompatible --

4 A. Well, you don't want to take them. You would  
5 rather them be sent to somebody else who has water that  
6 is more compatible with that type -- with the other  
7 water.

8 Q. So do you know what plans the applicant has,  
9 Oasis, with regard to incompatibility of waters?

10 A. No. But under the rules, you really need to have  
11 that done before it's approved through Santa Fe.

12 Q. So what's approved through Santa Fe?

13 A. I'm sorry. After the well is drilled -- Santa  
14 Fe -- let me rephrase.

15 We used to require that so we could look at the  
16 compatibilities of water, and then when somebody came in  
17 and said, Okay, we are pressuring up or whatever, we  
18 would have an idea that they may be -- they may have  
19 just scaled off that interval.

20 So that just means either an acid job or a  
21 converter job and an acid job, whatever.

22 Q. Who sees, who regulates whether scaling is  
23 occurring or not occurring?

24 A. Nobody actually regulates it other than the OCD  
25 when they require them not to take that type of water.

1 Q. So that is up to the district as far as you know  
2 to --

3 A. It used to be, but it is probably now up here.  
4 They would have to look at it and make that decision.

5 Q. Okay. So there could be some incomparability,  
6 but you can't find out until you take --

7 A. Until you take a sample, yes.

8 Q. Is this any different than any of the salt water  
9 applications?

10 A. That I've reviewed, no.

11 Q. What's the following page, the one that --

12 A. This is from Cooper Water Well No. 1. And they  
13 took -- it is basically a fresh water sample. Whether  
14 it is drinkable or not -- it's probably not. But it's  
15 potable, and it can be used for cattle and horses and  
16 stuff. But it's just basically a water sample of a  
17 water well in the area.

18 Q. How far away is this well?

19 A. I don't have any idea right now.

20 Q. I take it it is in the vicinity?

21 A. Sorry?

22 Q. It is in the vicinity?

23 A. Yes, it will be close.

24 Q. The next page is a map of groundwater. Explain  
25 to us what that shows.

1       A. This shows depths to the top of groundwater in  
2 these sections, townships, and ranges.

3       Q. There's a circle about the middle of the page  
4 colored in red.

5       A. That's where the Anderson No. 1 is.

6       Q. And which well is that?

7       A. That's the original salt water disposal well,  
8 which this one will hopefully replace.

9       Q. All right. And how was the fresh water shown on  
10 this map protected from this Anderson well?

11      A. Well, it is not on this map. The Anderson still  
12 has a surface casing that was cemented to surface a long  
13 time ago according to all of our files.

14      Q. This indicates that this Anderson well was used  
15 as salt water disposal well --

16      A. Right, and it was drilled through this fresh  
17 water zone.

18      Q. Okay. The next page, what is that? It is a  
19 letter.

20      A. It looks like a letter from Eddy to -- not  
21 right -- a letter to himself. This probably went with  
22 the permit and was attached to it, so that the OCD in  
23 Hobbs and the OCD up here would know who to get in  
24 contact with as far as information on this.

25      Q. And the next page has to whom the notices were

1 sent, right?

2 A. That's correct.

3 Q. And the following page also has a colored map of  
4 the ownership?

5 A. In the different sections, yes, sir.

6 Q. And that is within a half mile; is that right?

7 A. Yes. It is also -- it also has some that are  
8 offset from that half-mile radius, too.

9 Q. To your knowledge, is Amerada, XTO, Chevron or  
10 Apache opposed to this application?

11 A. No.

12 Q. And than the others are just simply return  
13 receipts of mailings; is that right?

14 A. Right.

15 Q. Mr. Williams, let's turn our attention to --  
16 before we do that, let's look at the last page, one  
17 concern about notice in this case. And this legal  
18 publication was published in the Lovington Leader?

19 A. Yes, sir.

20 Q. Is that in the area?

21 A. Yes.

22 Q. Is that in Lea County?

23 A. Yes. It is 18 miles north of Hobbs.

24 Q. Okay. To your knowledge, has anyone responded to  
25 this publication legal notice?



1 A. Not to my knowledge.

2 Q. Let's turn to Exhibit No. 2, and have you tell us  
3 what that is.

4 A. It's a map of the Capitan Reef.

5 Q. Where did you get this map?

6 A. I got this from Eddy Seay. And he got it from  
7 the Oil Conservation Division.

8 Q. How does the Oil Conservation Division use this  
9 map?

10 A. This is one of the four string areas, that you  
11 have to have four strings inside -- these red lines are  
12 mine.

13 Q. Let's tell the Examiner what the red lines are on  
14 this map.

15 A. They are the outer boundaries of the Capitan  
16 Reef.

17 Q. And where is the reef shown on this map?

18 A. (Indicating) Right through here.

19 Q. Is that the dark --

20 A. Yes, the darker part.

21 Q. Okay. And it looks like there are a number of  
22 wells, a lot of wells drilled through the Capitan Reef;  
23 is that correct?

24 A. Correct.

25 Q. Did those penetrate the reef or are wells drilled

1 through the reef?

2 A. If you are going to drill in this area, you will  
3 drill through the reef and you will protect it with  
4 cement and casing.

5 Q. Okay. So we have a whole bunch of wells that are  
6 drilled through the reef?

7 A. Right.

8 Q. You have drawn a red spot on this map. Is that  
9 the approximate location of where this well is going  
10 to --

11 A. Yes. It is the approximate location of the new,  
12 Cooper 17.

13 Q. How far away is that well from the outer limit of  
14 the reef?

15 A. I am guessing it is probably six miles.

16 Q. And how do you determine whether -- let me ask  
17 you this. This is a structure map, right?

18 A. Correct.

19 Q. On top of where?

20 A. This is -- these are like the top of the Yates,  
21 is what the structure is actually.

22 Q. How does this help us in this case?

23 A. Well, it helps us to know where we are. We don't  
24 want to drill in the Capitan Reef unnecessarily.

25 And I will point out one thing. There are

1 already injection wells in the Capitan Reef. Been there  
2 a long time.

3 Q. What information do you have that tells us that  
4 this well will not affect the Capitan Reef?

5 A. I don't have any information showing that it's  
6 hydraulically connected or would be.

7 Q. In your investigation of this application, did  
8 you find anything in talking with the district geologist  
9 that there would be any communication between --

10 A. Yes, I talked to Paul about that. And he said  
11 they've never seen any there.

12 Q. Any what?

13 A. Any communication. Once you get passed, say, a  
14 mile or so from the reef, never seen any communication.

15 Q. In your experience, what is a lateral length for  
16 one of these salt water wells; in other words, the  
17 lateral extent of where the water spreads?

18 A. That's very hard to determine. You have to do  
19 some well bore studies and you've got to get a reservoir  
20 engineer to take a look at it and say, Okay.  
21 Permeability and porosity is what would determine how  
22 far it could go.

23 Q. But did you -- do you know what the porosity is  
24 in this area?

25 A. No. It's going to be pretty high if it will take

1 that much fluid. Permeability's got to be high, too.

2 Q. If we are talking about a six-mile distance from  
3 the reef, have you had any experience where an injection  
4 well -- a flow from an injection well is going to be six  
5 miles?

6 A. Okay.

7 Q. Laterally.

8 A. No, no.

9 Q. What is your best estimate as to what the lateral  
10 extent of --

11 A. I could give you an estimate but that's all it  
12 is, it's just a guess.

13 Q. Okay.

14 A. I guess it could go as far as a mile or two.

15 Q. Do you know of any faulting in this area?

16 A. The Capitan Reef has areas that are faulted. But  
17 nobody has ever really done a real inclusive reef study,  
18 you know, to -- U.S.G.S did a lot of work, but on where  
19 the faulting actually occurs.

20 We just know from drilling wells in it over the  
21 years and outside of it that in some areas you have  
22 brackish water; some areas you have fresh water or fresh  
23 water by those standards.

24 And nobody has really done a study on the faults  
25 that are in there.

1 Q. Is the water in the Capitan Reef fresh?

2 A. Part of it is, yes.

3 Q. In this area in the location of the -- of this  
4 proposed well, do you know whether --

5 A. I couldn't tell you without drilling another well  
6 down to the reef to find out.

7 Q. So you would have to drill --

8 A. It would be either that or I'd have to go through  
9 all these well records in here and see if anybody else  
10 did drill through the Capitan Reef.

11 Q. What is your understanding as to the condition of  
12 the water in the Capitan Reef generally?

13 A. Generally, it's generally brackish. But certain  
14 areas, like I said, are fresh. And Jal's city water  
15 supply is Capitan Reef water.

16 Q. Do you have any reason in your expert opinion to  
17 believe that there is going to be migration from  
18 injected waters into the Capitan Reef --

19 A. I don't have any reason to believe that.

20 Q. Is there any injection into this water and their  
21 correlative rights in any way?

22 A. They've notified all their offsets. And I'm  
23 assuming they've notified the mineral interest and the  
24 people who would be involved in the correlative rights  
25 issues.

1 Q. Would approval of this application be in the best  
2 interest of conservation of oil and gas in your opinion?

3 A. I believe it would be.

4 Q. Would you explain that?

5 A. Because -- okay, the old well, the Anderson No. 1  
6 Well is in no shape to be drilled, recompleted, or  
7 anything else. And it needs to be finished, plugged  
8 out. They've already got several plugs in there.

9 But talking to the district supervisor there, he  
10 said one of his conditions is you have to plug that  
11 well.

12 Q. But that's a separate issue?

13 A. Right, right, it is. But they -- it has been  
14 tied to this one.

15 Q. Tied how?

16 A. Because basically what Eddy told me is they've  
17 been told that they will plug that well, you know. And  
18 I don't know whether they are going to plug it before or  
19 after. That's all I know now.

20 Q. Let's go to Exhibit 3. What is that?

21 A. It's an APD, an application to drill.

22 Q. And that's pending approval?

23 A. Right.

24 Q. And what does the APD show?

25 A. It basically shows the location of the well,

1 county information, whether it is rotary or cable tool,  
2 and new well; you know, well type is going to be salt  
3 water disposal.

4 And its lease type code is patent. And the rest  
5 of it is just normal information, like the casing sizes,  
6 how much cement they are going to use, where the  
7 estimated tops are on those cements.

8 Q. And that matches to the schematic that you talked  
9 about already?

10 A. Right.

11 MR. PADILLA: Your Honor, we move the  
12 admission of Exhibits 1, 2, and 3.

13 EXAMINER McMILLAN: Any objections?

14 MR. DANOFF: No.

15 MS. MOSS: No.

16 EXAMINER McMILLAN: Exhibits 1, 2, and 3 may  
17 now be accepted as part of the record.

18 (Oasis Water Solutions LLC Exhibits 1  
19 through 3 were offered and admitted.)

20 MR. PADILLA: And I also have Exhibit 4  
21 which is my affidavit of service on this case -- hearing  
22 notice.

23 EXAMINER McMILLAN: Any objections to 4?

24 MR. DANOFF: No.

25 MS. MOSS: No.

1 EXAMINER McMILLAN: Exhibit 4 may now be  
2 accepted as part of the record.

3 (Oasis Water Solutions LLC Exhibit 4 was  
4 offered and admitted.)

5 MR. PADILLA: I pass the witness at this  
6 time.

7 EXAMINER McMILLAN: Thank you. Please  
8 proceed.

9 CROSS EXAMINATION

10 BY MS. MOSS:

11 Q. Good afternoon.

12 A. Hi. How are you?

13 Q. You mentioned that you had thousands of hours of  
14 engineering training.

15 A. Yes.

16 Q. But are you a registered professional engineer?

17 A. No, I am not.

18 Q. What kind of background do you have in hydrology?

19 A. In hydrology, just what I've learned by doing it.

20 Q. So when you were just speaking now about --

21 A. I'm sorry.

22 Q. When you were just speaking now about the  
23 hydrology -- I just didn't hear you properly -- that was  
24 based on a conversation with whom?

25 A. With the district supervisor that is there now



1 and the local geologist.

2 Q. And what is the district supervisor's name?

3 A. Maxi Brown.

4 Q. And does Maxi Brown have a degree in hydrology?

5 A. No, he doesn't. He just has a lot of years.

6 Q. Are you familiar with the work of William Hiss?

7 A. William Hiss?

8 Q. Yes.

9 A. On what?

10 Q. Particularly on hydrology and hydrology in this  
11 area.

12 A. I've seen some of his booklets. I've never  
13 actually got into one.

14 MS. MOSS: I think that might be all the  
15 questions I have.

16 CROSS EXAMINATION

17 BY MR. DANOFF:

18 Q. Sir, you said that the Anderson was related to  
19 this well. You talked -- I wish you'd elaborate. You  
20 said -- the two wells were related to each other  
21 plugging that well -- but you didn't quite finish --  
22 from the standpoint, is that a prerequisite to the --

23 A. Yes.

24 Q. It's a pre-condition to this?

25 A. That's what they've told me.

1 Q. And how have you or Mr. Seay addressed this? By  
2 that I mean have you submitted this or protected that  
3 well --

4 A. No. Eddy I know has sat down with Maxi, the  
5 district supervisor in Hobbs, and they've worked up a  
6 plugging procedure which I don't have.

7 Q. So you don't know, as we sit here today, what the  
8 plugging procedure or the procedures are with regard to  
9 this well and what the plans are for that; is that  
10 correct, sir?

11 A. That's correct.

12 Q. And only Mr. Seay would know that?

13 A. Yes.

14 Q. And what is the relationship with Oasis to the  
15 predecessor well, Cooper Enterprises? What is the  
16 relationship, same owners or --

17 A. It's the same owners, just different  
18 corporations.

19 Q. Does Mr. Seay have any fiduciary interest in  
20 either of those --

21 A. I have no idea.

22 Q. And relative to that also do you agree it is  
23 important to plug this well and cement this well for the  
24 environment and the surface as well?

25 A. Yes.

1 Q. Do you know for a fact, have you observed the  
2 well, sir?

3 A. No, I have not been there.

4 Q. So you don't really know firsthand whether it is  
5 going to be plugged or what remedial steps can be taken  
6 then?

7 A. Based on the well file, its -- the plugging  
8 procedure has actually started. They had to stop at a  
9 point because they had water flows through the casing.  
10 And they are having problems shutting the water flow  
11 off. So my initial thing would just be to go down  
12 1,100 feet and perforate the larger casing.

13 Q. And as we sit here today, you really don't -- you  
14 are speculating?

15 A. Right.

16 Q. You don't really know that?

17 A. Right.

18 Q. What is the -- what happens if the well cannot be  
19 plugged or if it's impossible to cement the structure of  
20 it?

21 A. The only thing you could do is go below the  
22 surface casing and perforate it and squeeze cement all  
23 the way to the surface again and the stuff -- squeeze  
24 outside of the casing to try to block anything coming  
25 back up to the fresh water.

1 Q. Would that be the same as cementing or --

2 A. It's a cement job basically.

3 Q. How about the salt water? Do you cement all  
4 these holes or does it open up?

5 A. I'm sorry.

6 Q. Does the salt water always hold with the cement  
7 or does it open it up?

8 A. Not always.

9 Q. But it does sometime?

10 A. It does sometimes, yes. This one doesn't appear  
11 to do that, though.

12 Q. How long does the process that you described take  
13 generally?

14 A. It could take two or three days if you want to do  
15 it right. It depends on the tools, it depends on the  
16 cement, when you can get everybody there.

17 Q. Do you know why that hasn't been done, sir, as  
18 you sit here?

19 A. No.

20 Q. So is there contamination through that well now  
21 at this time or you don't know?

22 A. I don't know.

23 Q. Is there a pressure --

24 A. A pressure maintenance project, yes, the Eunice  
25 Monument deal.

1 Q. And could that have an adverse effect on that?

2 A. It depends on where the leaks are. The Eunice  
3 Monument is going to be about 3,800 feet at max depth.

4 Q. But you don't know, as you sit here, whether it's  
5 going to have an adverse effect or not?

6 A. No.

7 MR. DANOFF: I pass the witness.

8 EXAMINATION BY EXAMINER McMILLAN

9 EXAMINER McMILLAN: The first question I got  
10 is have you talked -- have you had communications with  
11 Patsy and Innervest?

12 THE WITNESS: I have not, no.

13 EXAMINER McMILLAN: Is there a barrier  
14 between the producing San Andres and your injection  
15 zone.

16 THE WITNESS: No, you would have to ask Paul  
17 Kautz in Hobbs. He knows.

18 EXAMINER McMILLAN: So you are saying you  
19 don't know.

20 THE WITNESS: I don't know.

21 EXAMINER McMILLAN: Let me ask you a  
22 question about your C-108. Why didn't you give a water  
23 sample in here of the Grayburg, San Andres when the  
24 application that was done by Morris and Smith had one?

25 THE WITNESS: Why didn't I?

1 EXAMINER McMILLAN: Yes.

2 THE WITNESS: Well, I didn't because I  
3 wasn't asked to take a water sample.

4 EXAMINER McMILLAN: Why didn't you supply  
5 one in this application?

6 THE WITNESS: What good would that do you  
7 to -- you'd have nothing to compare it to.

8 EXAMINER McMILLAN: They had a water sample  
9 of the Grayburg that was close. Why wouldn't you in  
10 here?

11 THE WITNESS: Well, they could. But my  
12 question would be what would you compare it to.

13 EXAMINER McMILLAN: Because we could figure  
14 out whether -- the TDS out of it.

15 THE WITNESS: Oh, total devolved solids.

16 EXAMINER McMILLAN: Yes.

17 THE WITNESS: Well, never mind. You could  
18 have done that, you'd get TDS.

19 EXAMINER McMILLAN: How would you be sure  
20 you are not going to create a pressure sink in the old  
21 Monument, San Andres wells? And if we approve of it --  
22 is there a possibility of a pressure sink in there and  
23 watering out their production?

24 THE WITNESS: There's always a possibility  
25 of a lot of things like that. But I have not seen one

1 in that Eunice Monument field.

2 EXAMINER McMILLAN: And I assume the  
3 pressure you want is what's advertised?

4 THE WITNESS: Yes.

5 EXAMINER McMILLAN: Why are you having an  
6 open hole instead of perfs?

7 THE WITNESS: It is cheaper for one thing.  
8 The other thing is it also -- this zone appears -- from  
9 what I've been told by Paul Kautz and some of the other  
10 geologists down there is this thing takes water on a  
11 vacuum and you don't have to perforate it.

12 EXAMINER McMILLAN: Aren't you going to be  
13 able to control your flow better?

14 THE WITNESS: With perforations?

15 EXAMINER McMILLAN: Yes.

16 THE WITNESS: Not necessarily.

17 EXAMINER McMILLAN: Go ahead and ask the  
18 questions.

19 EXAMINER GOETZE: Do I have an opportunity?  
20 Sure. At this point the questions I have are not  
21 representative here of a person qualified to answer.

22 My questions would be how is the separation  
23 of lower and upper San Andres such that we will not see  
24 impact to production that's existing there already.

25 I would ask that counsel find someone to

1 provide that information to both address that issue and  
2 give us an idea if we are impacting correlative rights.

3 The other item is that in the application,  
4 portion 11, we do have a fresh water well sample -- from  
5 where, we don't know where. Usually when we do  
6 applications, we have a review of the state engineer's  
7 office records to see what information is in that  
8 one-mile radius and provide that information so we have  
9 at least an idea of the ground water in the area as well  
10 as if there is an opportunity for water sampling. So at  
11 this point this application is deficient in that  
12 information.

13 Upon looking at historical information  
14 provided by Oasis Anderson Well, we are seeing  
15 10,000 barrels of water per day maximum, but we are  
16 requesting 20,000 barrels of water.

17 I am seeing at this point it might be  
18 somewhat optimistic on the applicant's sight of getting  
19 20,000 down without having some sort of impact.

20 At that I will say I have no other questions  
21 because at this point this witness cannot provide me the  
22 answers I need.

23 MR. PADILLA: Okay.

24 EXAMINATION BY EXAMINER WADE

25 EXAMINER WADE: I wanted to clarify,



1 piggybacking on those statements, that you qualified  
2 this particular witness as an expert in oil and gas  
3 administration?

4 MR. PADILLA: Regulatory practices.

5 EXAMINER WADE: Okay. But the witness is  
6 not a geologist?

7 THE WITNESS: No.

8 EXAMINER WADE: And you are not a  
9 hydrologist?

10 THE WITNESS: No.

11 EXAMINER WADE: So you really can't testify  
12 as to whether correlative rights are going to be  
13 affected?

14 THE WITNESS: Okay.

15 EXAMINER WADE: I am asking you.

16 THE WITNESS: No, I don't.

17 EXAMINER WADE: And whether fresh water  
18 supplies are affected?

19 THE WITNESS: Okay.

20 EXAMINER WADE: It sounds to me like you  
21 relied on a lot of talk between the OCD district  
22 personnel, but you don't have the experience to testify  
23 to it.

24 THE WITNESS: No, but they do.

25 EXAMINER WADE: I guess I have a few more

1 questions, not for you in particular but for  
2 Mr. Padilla. It look looks like Exhibit 4 are the  
3 actual green cards giving notice?

4 MR. PADILLA: Yes.

5 EXAMINER WADE: And 4 will match with  
6 Exhibit -- I think it might be 3 that has the notices  
7 that were sent?

8 MR. PADILLA: Exhibit 2. Exhibit 2 was the  
9 administrative application notices and we matched those  
10 with --

11 EXAMINER WADE: I think you are talking  
12 about Exhibit 1.

13 MR. PADILLA: Sorry. Yes, Exhibit 1.

14 EXAMINER WADE: So those should match.

15 And then this question would be for both  
16 your witness and yourself. The application was actually  
17 reviewed by you but prepared by Mr. Seay?

18 THE WITNESS: Right.

19 EXAMINER WADE: Did you personally check  
20 that all parties within that area of review --

21 THE WITNESS: No, I didn't. I assumed he  
22 had.

23 EXAMINER WADE: That's just an assumption  
24 you made?

25 THE WITNESS: Right, right.

1                   EXAMINER WADE: Mr. Padilla, did you  
2 personally check that all parties --

3                   MR. PADILLA: No.

4                   EXAMINER WADE: So we don't really know that  
5 notice is sufficient?

6                   MR. PADILLA: I notified every one of them  
7 in the half-mile circle as I understood the ownership to  
8 be.

9                   EXAMINER WADE: Did you do the work to  
10 actually identify who should have been identified in  
11 that --

12                  MR. PADILLA: No. I did not do any title  
13 examination. I relied on the administrative  
14 application.

15                  EXAMINER WADE: On Mr. Seay's work?

16                  MR. PADILLA: Right.

17                  EXAMINER WADE: I don't have any further  
18 questions.

19                  EXAMINER McMILLAN: I have no further  
20 questions.

21                  EXAMINER WADE: Would you like an  
22 opportunity to redirect?

23                  MR. PADILLA: No. I'm fine with the  
24 questions I asked, and I don't need to redirect. I will  
25 pass.

1 EXAMINER WADE: May this witness be excused  
2 then?

3 MR. PADILLA: He may be excused.

4 THE STATE LAND OFFICE'S CASE

5 MS. MOSS: The state land office would like  
6 to call Anchor Holm.

7 EXAMINER WADE: Did you indicate that you  
8 were wanting to enter the actual exhibits, in other  
9 words, the large exhibit?

10 MS. MOSS: That is okay.

11 EXAMINER WADE: I am trying to think how  
12 that would work logistically.

13 EXAMINER McMILLAN: I think it would be  
14 easier just to have this as a record (indicating).

15 MS. MOSS: Anyway you would like, I would be  
16 happy to introduce it. I wasn't sure exactly and the  
17 difficulty I had is that the person who copied that can  
18 actually read it. But since I can't read it, I thought  
19 we might need this.

20 EXAMINER McMILLAN: If we scan it, we can  
21 increase and decrease the size.

22 MS. MOSS: It is already scanned and I can  
23 forward it to you. I will just do it all at once, if  
24 that is okay.

25 EXAMINER McMILLAN: That is fine. Thank

1     you.

2                     MS. MOSS: Thank you very much.

3                     ANCHOR E. HOLM

4     having been first duly sworn, was examined and testified  
5     as follows:

6                     DIRECT EXAMINATION

7     BY MS. MOSS:

8         Q. Good afternoon. Would you please state your full  
9     name for the record.

10        A. My full name is Anchor E. Holm.

11        Q. And where do you work?

12        A. I work for the New Mexico State Land Office as a  
13     petroleum and geological engineer.

14        Q. And did the state land office give you a copy of  
15     the application that Oasis made in this case?

16        A. Yes, I did receive a copy of it and have reviewed  
17     it.

18        Q. And were you asked to give an opinion on whether  
19     or not the drilling of the proposed well was  
20     appropriate?

21        A. Yes.

22        Q. And what was that opinion?

23        A. My opinion was that the waters that they are  
24     going to inject into are protectable waters of the U.S.  
25     and the state of New Mexico and that they are brackish

1 water, less than 10,000 total, dissolved solids.

2 EXAMINER WADE: I didn't hear a protest as  
3 to giving an opinion, which I'm assuming is an expert  
4 opinion. But can you lay a little bit more foundation  
5 as to Mr. Holm's qualifications.

6 MS. MOSS: I am just about to do that.

7 EXAMINER WADE: Okay.

8 MS. MOSS: Okay.

9 Q. Because my next question is before you give your  
10 full opinion, I would like to talk a little bit about  
11 your experience and education. Could you tell me a  
12 little bit about your education?

13 A. I have a bachelor's of science in geological  
14 engineering which included a major, a dual major in  
15 engineering, both civil and in geology, with a minor in  
16 groundwater hydrology from the University of Arizona.

17 Q. And have you testified before the OCD as an  
18 expert witness in petroleum engineering?

19 A. Yes. Early in my career, in 1975, I testified  
20 for El Paso Natural Gas as a petroleum engineer.

21 Q. Since that time, would you tell us briefly about  
22 the main points of your experience which would be  
23 relevant to this case.

24 A. At that time I was a drilling engineer for El  
25 Paso Natural Gas, and prior to that, I'd worked for

1 Texaco as a production and a reservoir engineer.

2 And later, I worked as a reservoir engineer for  
3 El Paso Natural Gas in El Paso. I also worked as an  
4 evaluation engineer and a reservoir engineer in Midland,  
5 Texas, as well as in Denver, Colorado.

6 And then I became a consultant after my first  
7 18 years working for the Oil PAC, I started providing  
8 consulting services to them, mostly in reservoir  
9 evaluation work and then environmental work related to  
10 groundwater issues in the oil fields.

11 And I expanded in my background on that, and I  
12 testified in New Mexico State Courts in Carlsbad  
13 regarding a salt water case that was in the Rustler  
14 Formation.

15 Q. Can I ask you if you recognize this?

16 A. Yes. This is a copy of my curriculum vitae which  
17 has the basis of all the work I have done in the last  
18 45 years.

19 MS. MOSS: I would like to introduce this  
20 into evidence.

21 EXAMINER WADE: And you are going to mark  
22 that as Exhibit?

23 MS. MOSS: As Exhibit 1.

24 EXAMINER WADE: I'm not sure how much we  
25 need to get into qualifications --

1 EXAMINER McMILLAN: I don't think we need  
2 to --

3 EXAMINER WADE: Maybe we can ask if you  
4 are --

5 MS. MOSS: I'm just going to ask the  
6 question. I would like to have him qualified as an  
7 expert in petroleum engineering, geology, and hydrology.

8 EXAMINER McMILLAN: Any objections?

9 MR. PADILLA: No.

10 MR. DANOFF: No objections here.

11 EXAMINER McMILLAN: So qualified.

12 MS. MOSS: Thank you.

13 Q. Mr. Holm, when you formed your opinion about this  
14 case, did you use other publications or refer to any  
15 other materials?

16 A. Yes. I have been working in the Permian Basin  
17 since 1988 on groundwater issues, both fresh water and  
18 brackish water.

19 And I have looked at several different reports  
20 over the years, and, in particular, I've looked at  
21 Mr. Hiss's work that he has done in the Capitan Reef and  
22 the water quality of the reef and the connected back  
23 reef aquifer that discharges into the Capitan and also  
24 has the Capitan Reef discharge into the back reef.

25 And Mr. Hiss in his studies demonstrated that



1 quite clearly.

2 Q. Can I ask you if you recognize this?

3 A. Yes. This is a copy of the article that is  
4 currently handled through the New Mexico Geological  
5 Society. It was originally published in 1975. I  
6 believe -- or 1980, is when this was published.

7 It's written by Mr. W.L. Hiss, and it describes a  
8 movement of the ground waters within the Capitan Reef  
9 that has occurred during this geologic history, and  
10 explains why there are certain areas on the back reef  
11 that contain protectable waters of the U.S.

12 MS. MOSS: May I introduce this document as  
13 evidence?

14 EXAMINER WADE: I don't have an objection at  
15 this point. Mr. Padilla?

16 MR. PADILLA: No, I don't have an objection.

17 MR. DANOFF: No objection.

18 EXAMINER WADE: So what exhibit were we  
19 going to mark this as?

20 MS. MOSS: That's the question the court  
21 reporter was asking.

22 EXAMINER WADE: Oh.

23 MS. MOSS: And it wasn't clear to me whether  
24 they were going to make Exhibit 1 the resume.

25 EXAMINER WADE: I think that would be fine

1 as well. So this is Exhibit 2.

2 MR. DANOFF: Both Exhibits 1 and 2 have now  
3 been received into evidence?

4 EXAMINER WADE: That is correct.

5 (New Mexico State Land Office Exhibits 1 and  
6 2 were offered and admitted.)

7 Q. (By Ms. Moss) So as part of what you looked at  
8 with Mr. Hiss, can you identify this exhibit?

9 A. This exhibit actually was prepared five years  
10 earlier than the paper that is presented here. And it  
11 is included in his list of references as the reference  
12 number 1975-B under his name, chloride iron  
13 concentration in ground water in the Permian Guadalupian  
14 Rocks, South East New Mexico.

15 EXAMINER WADE: Can I interrupt you right  
16 there real quick. Just so we can make the record clear.  
17 You're currently referring to a map that is now on a  
18 board, a large scale map. But we also have a smaller  
19 scale that we might as well mark as an exhibit so we can  
20 understand what we are referencing to.

21 THE WITNESS: Yes. Because this is just an  
22 attachment to this document, but it is not actually  
23 included in the document right here.

24 MS. MOSS: I think if this was called  
25 Exhibit 3, it would be great. And the reason for that

1 is that all of the larger exhibits that Mr. Holm will  
2 use are based upon this, but they come closer and closer  
3 with more and more detail.

4 EXAMINER WADE: Okay.

5 Q. (By Ms. Moss) So before you speak about it,  
6 Mr. Holm, if you would use your pen just to show where  
7 the well we are talking about is in case there's any --

8 A. Just generally in the area here, up behind the  
9 reef, in the back reef area (indicating). So it is  
10 located southwest of Hobbs and northeast, as previously  
11 testified, about six miles or so, northeast of the back  
12 reef edge of the Capitan Reef.

13 That's the -- that's the rock called the Capitan  
14 Reef. It's not an aquifer.

15 Q. And what is it specifically that you found useful  
16 for this particular picture of the Capitan Reef and the  
17 surrounding area in reaching your conclusion?

18 A. Mr. Hiss was preparing his thesis on water  
19 quality in the Capitan Reef aquifer system and it is a  
20 multi formation system.

21 He found that he had water samples in the back  
22 reef area and water samples within the Capitan Reef and  
23 water samples in the forereef area. That would be on  
24 the Delaware Basin side.

25 He found there was very little hydraulic

1 connection or flow between the Capitan Reef and the  
2 Delaware Basin deeper side. And this edge is marked on  
3 this map as a solid line, which means it's generally a  
4 flow to ground water. It's an aqui-tard. It does not  
5 allow ground water to flow across it very easily.

6 And that is pretty well demonstrated in all  
7 formations that are on the Delaware Basin side. In  
8 fact, it's very consistent. However, on the back side,  
9 it demonstrates that you have a dashed line. And that  
10 dashed line that Mr. Hiss put in there represents the  
11 back edge of the reef rocks that is permeable and ground  
12 water can flow from higher saline areas into the less  
13 saline areas over the Capitan Reef or it can flow out of  
14 the reef -- which would be moving fresh water which is  
15 coming in from the mountains, the Glass mountains down  
16 to the south in Texas. It flows north up into southeast  
17 New Mexico.

18 And it also comes from the Pecos River near  
19 Carlsbad and flows over the same area, and the hydraulic  
20 head here in southeast New Mexico is the low point in  
21 the high potentiometric surface of the Capitan Reef.  
22 And water always flows from high to low.

23 If it is not flowing into here, then why would it  
24 naturally go somewhere else? Well, before it  
25 discharged, it has done this over geologic time. It

1 discharges up through the area underneath Hobbs and on  
2 out to the east, eventually daylighting somewhere near  
3 the west of the little town of Sweet Water, Texas.

4 So it's a natural system that flows from the reef  
5 in the subsurface to other areas to the east. And that  
6 is because you got higher elevations here and the river  
7 is higher also and so everything flows down hill to this  
8 point and then it exits to back reef.

9 Q. If I could use this --

10 A. And Mr. Hiss in his paper was very careful to  
11 point this information out. And, in particular, on  
12 Exhibit 2, if you go to what they have listed as page  
13 291 --

14 MS. MOSS: That is the other that I  
15 handed --

16 A. It's about the second to the last page or so.  
17 And you can see on the first -- on A and B, you can see  
18 how the water flowed from near Pecos.

19 EXAMINER WADE: If I can interrupt you, I am  
20 looking at 291, and I am not sure that it looks like  
21 what you're showing me right now in your hand. This  
22 is -- what I have is 291.

23 EXAMINER McMILLAN: It's 293.

24 THE WITNESS: It's 293, you are correct. I  
25 need my trifocals cleaned. Sorry. You are absolutely

1 correct.

2 A. But in figure A, it shows that your ground water  
3 is flowing from this area (indicating) going over and  
4 discharging out underneath what is currently today  
5 Hobbs.

6 And both of them -- both A and B show that it's  
7 continued to flow up from the south and discharged into  
8 the same area. And that's the natural system that we  
9 are within.

10 Q. So I would like you to look at what is now  
11 page 2 of Exhibit 3 and to just identify for me what  
12 this is.

13 A. This red triangle is the approximate location of  
14 the Cooper 17 No. 1 Well.

15 Q. And what is it that you learned from this well  
16 bore chloride data?

17 A. What this is is a blow-up of the previous exhibit  
18 looking only at what's in New Mexico, this southeast  
19 corner of New Mexico.

20 So we are zooming in to see what has happened  
21 within this water, this discharging from the reef, and  
22 going out to the east as well as coming from Pecos River  
23 and discharging out.

24 And you see that there's two lines on there. One  
25 says five and the other one says ten. And that's the

1 parts per million chloride content that Mr. Hiss  
2 measured from various groundwater samples for both  
3 producing wells and water wells that he collected all  
4 his data from. But I focussed only on the ones that are  
5 ten or less. And I put them on this map.

6 Q. Would you repeat for the record why you focused  
7 on ten or less?

8 A. The reason I focused on five and ten, at 5,000  
9 chlorides the water is definitely less than ten thousand  
10 parts per million total dissolved solids.

11 At 10,000, it's obviously a little bit over that,  
12 because chloride content can be as much as 7- or 8,000  
13 chlorides in a sample that has a total of dissolved  
14 solids of only 10,000. So it varies depending on what  
15 ions are present.

16 But what it demonstrates is there's a whole flow  
17 back in here of protectable waters of the U.S. that we  
18 are now obligated to protect this resource. And it is a  
19 pretty good value to the state land office beneficiaries  
20 to protect that water. And that's the reason we want  
21 to.

22 Q. Could you just define "protectable water"?

23 A. Protectable water is anything less than 10,000  
24 parts per million total dissolved solids as defined by  
25 the U.S. E.P.A. and the Memorandum of Understanding with

1 the State of New Mexico.

2 Q. And what do you believe is the significance of  
3 that Memorandum of Understanding?

4 A. It says that we are obligated to protect all  
5 water that we can use for potential fresh water sources  
6 and anything less than 10,000 back in the seventies was  
7 considered to be potentially usable for fresh water.  
8 And that is the reason Mr. Hiss did his study. That's  
9 the reason he got involved in it.

10 He looked at the geology, and then he looked at  
11 the aquifer to see what was happening. And he did a  
12 very fine job of defining that, of what is the current  
13 situation in this portion of the rig and it's  
14 representative for probably the last 2- or 300 years or  
15 maybe 500 years as being representative of the water  
16 quality in this area.

17 Q. So for the record, even though you perhaps just  
18 said this, why is it that data from the 1970s is what  
19 you can use for today?

20 A. The ground water flow right here is probably less  
21 than a 150 feet per year. And so there is very little  
22 change in the water quality over time. And there is no  
23 real new solutioning going on right here. Otherwise,  
24 you'd would be getting much more chlorides.

25 So, obviously, it's water that is flowing because



1 otherwise this water has permeability. This formation  
2 is -- outside of this want to flow into there if this is  
3 lower pressure. And we know it is lower pressure  
4 because that's where the flow path is. So it is  
5 continuing to flow and flush the area to maintain it at  
6 geologic speed, which is not fast.

7           It's not like a river. But it works like a  
8 river. Like the Pecos River itself, it dissolved the  
9 salt, and that's the reason that river has moved  
10 steadily to the east. And that is also the reason it  
11 went up to Pecos, New Mexico, and stole the Canadian  
12 River from Texas and sent it south. So that's how it  
13 works over geologic time.

14           As the salt was dissolved by the river, then we  
15 went forward. And, obviously, over there, the Pecos  
16 River is really good water quality until you get south  
17 of the Capitan Reef. From that point on, it starts  
18 going down hill.

19           And at Malaga Springs we have natural brine  
20 springs discharging into that river from primarily the  
21 Rustler Formation, which is the rock about the salts  
22 that collapsed down, and that's what causes it to move.

23           And the reason there's very little salt water  
24 within ten miles of the Pecos River is the salts have  
25 been dissolved out. So there are no more salts to

1 dissolve. But it's continuing to move eastward. And  
2 that's what this concentration map shows you.

3 Q. So I put up another exhibit while you weren't  
4 looking, which would actually be page 4 of Exhibit 3,  
5 because you were discussing the Rustler Formation.

6 A. The Rustler Formation overlies the Salado, which  
7 is a salt. And when you get out into the Delaware Basin  
8 which is the south side of the reef generally, then you  
9 have Castile salts. And these are all bedded salts, but  
10 they're -- two separate formations.

11 Q. Is this showing how the water can flow and mix  
12 between the different formations?

13 A. Yes. Over here, somewhere at the top of the  
14 Yates, might be somewhere around 11,800 feet in the  
15 proposed well. The top of the Yates matches up with the  
16 top of the system at that particular location in  
17 southeast New Mexico, but compared to the elevation of  
18 the Pecos River, it's down hill. It is down slope from  
19 the Pecos River so the flow is coming down the reef and  
20 out into the back reef at this particular point.

21 So that's how it works. This is also -- a  
22 structurally low area of the reef is where this  
23 discharge is going on into the back reef. And that  
24 water flows down at high permeability.

25 The Capitan Reef, if you dump water into it, it

1 will take it on a vacuum, thousands of barrels a day.  
2 No problem at all. By the way, you can do the same  
3 thing in the Yates.

4 But if you get far enough removed from the reef,  
5 the Yates is not as connected as well to the Capitan.  
6 But anytime in these back reef areas, if you got high  
7 permeabilities, you're connected to something with high  
8 permeability.

9 And this by a factor of ten or more is the  
10 highest permeability rock out there. And water always  
11 flows to the easiest pathway. And then when it has to  
12 get away, it found a pathway and it took off under Hobbs  
13 and went east.

14 Q. I am just going to use page 3 of Exhibit 3 to  
15 help you conclude with how you reached your conclusion  
16 that the proposed well by Oasis will damage protectable  
17 water.

18 EXAMINER WADE: Can we clarify real quickly,  
19 because, in my packet, at least, and maybe mine is just  
20 different, that blow-up that you identified is page 2,  
21 and you were referring previously to something that you  
22 called as page 2, that I have as page 3.

23 MS. MOSS: Thank you very much for  
24 clarifying that.

25 Q. So looking at page 2 of Exhibit 3, can you use

1 this to just summarize or conclude what you --

2 A. You can see that the area between this line and  
3 that line, which are both 5,000 chlorides, the area in  
4 between is less than 5,000 chlorides. And that's  
5 definitely protectable waters of the U.S.

6 When you look at the previous exhibit, that had  
7 the numbers on it, you can see --

8 EXAMINER WADE: For the record, we are now  
9 on page 3 of Exhibit 3.

10 THE WITNESS: Okay. Yes, sir. And here is  
11 the location of the proposed salt water disposal well.  
12 And Mr. Hiss reported the condition of the aquifer at  
13 that point. And you've got an area right here to the  
14 north, is 2,700 chlorides. To the northwest is 2,400  
15 chlorides, to the southwest is 3,500 chlorides, to the  
16 south is 5,400, and to the east, 7,200. So there is  
17 some variability within that.

18 And you got to remember that the oil field  
19 has been operated in this area since about 1930. And  
20 this is 1970 data, in that vintage, is the data that he  
21 worked with, because he had to have studied it, gathered  
22 it, and then published his path in 1975. So it had to  
23 have been that 1970 vintage.

24 And that says this was a condition of the  
25 Capitan Aquifer, and the aquifer includes everything

1 that's inside that ten line as far as waters that we  
2 should think about protecting. And we are required  
3 currently to protect within the dark blue line of 5,000.  
4 And this is clearly within that area. And it's clearly  
5 protectable water.

6 MS. MOSS: I have no further questions.

7 EXAMINATION BY EXAMINER WADE

8 EXAMINER WADE: I would like to clarify  
9 again for the record that you were pointing to a red  
10 triangle, and that would be the location of the proposed  
11 well.

12 THE WITNESS: Yes, sir, the Cooper 17 No. 1  
13 as plotted by our GIS system, certainly much more  
14 accurate than I am plotting.

15 EXAMINER WADE: I think Exhibits 1 and 2  
16 have been entered, and this would be Exhibit 3 so would  
17 you be moving --

18 MS. MOSS: I would move to have this  
19 packet --

20 EXAMINER McMILLAN: -- which is Exhibit 3 --

21 MS. MOSS: -- which is Exhibit 3 introduced  
22 into evidence.

23 EXAMINER McMILLAN: Any objections?

24 MR. PADILLA: No.

25 MR. DANOFF: No objections.

1 EXAMINER McMILLAN: Exhibit 3 may now be  
2 accepted as part of the record.

3 (New Mexico State Land Office Exhibit 3 was  
4 offered and admitted.)

5 EXAMINER McMILLAN: Cross-examination.

6 MR. PADILLA: Yes. I have a few questions.

7 CROSS-EXAMINATION

8 BY MR. PADILLA:

9 Q. Mr. Holm, as I understand your testimony relies  
10 strictly on the work of Mr. Hiss; is that right?

11 A. He has done the most recent and thorough study of  
12 the aquifer system that I'm aware of, yes.

13 Q. What is the most recent date of this work?

14 A. The most recent study that I have seen done was  
15 done by Daniel B. Stevens in late 2006 for the Texas  
16 Water Development Board, which had basically the same  
17 conclusions. It had more detail into the geology but  
18 different --

19 Q. You don't have that work here today, right?

20 A. No, I didn't bring it.

21 Q. My question was whether you were relying strictly  
22 on the work of Mr. Hiss?

23 A. Yes, I am relying on this because it was specific  
24 as to formation that he got his water samples from and  
25 this was Grayburg, San Andres within the vicinity of

1 this well.

2 MS. MOSS: I need to object because this  
3 witness has already testified that he was relying on his  
4 expertise and education and work experience. It is  
5 already in the record. And it wasn't just on this  
6 (indicating).

7 EXAMINER McMILLAN: The objection is  
8 actually overruled. Continue.

9 Q. (By Mr. Padilla) So all your exhibits are based  
10 on the work of William Hiss, correct?

11 A. That's correct.

12 Q. Did you provide any independent well data,  
13 fluoride content information on those exhibits that you  
14 yourself performed?

15 A. No, I did not.

16 Q. So it's fair to say that you took Mr. Hiss's  
17 information and you -- and that's what you are  
18 presenting here?

19 A. That is correct, because in the past they used  
20 this particular map for the geology, and not the  
21 hydrogeology. And hydrogeology is critical when it  
22 comes to protecting protectable water.

23 Q. Did you know if there are any fresh water --  
24 whether anyone is using fresh water from this area, the  
25 area of where you pointed out between the two inner blue

1 lines on that exhibit that's up?

2 A. There are several water flows going on where they  
3 are using Grayburg water and San Andres water in water  
4 floods. They're taking the same quality water and  
5 putting it back into the same quality water, so that  
6 doesn't create any protectable issues.

7 Q. My question is whether anyone is using water as a  
8 fresh water source for, say, municipal purposes or any  
9 of that sort of thing?

10 A. I know that the City of Hobbs gets their water  
11 primarily from the El Dolala Formation, which is a very  
12 shallow, 200-foot deep, or less. And they are looking  
13 at possibly using these waters for a little bit of a  
14 clean up, like convert them to potable water.

15 And there are several industries both oil and  
16 potash who want to use this water for water supply  
17 because it is not as high total dissolved solids as most  
18 back reef wells are compared to this.

19 Q. To your understanding, industry types like the  
20 potash people want to use some of this water, but are  
21 they using it now?

22 A. They are in the process of getting permits from  
23 the state land office to do that, yes.

24 Q. And is the state land office charging for those  
25 permits?



1       A. I believe there are fees associated, but I am not  
2 involved in that side. They are called saltwater  
3 easements or water easements.

4       Q. And the land office receives royalties or  
5 payments for the use of this particular water; is that  
6 right?

7       A. That is correct. It is a resource that can  
8 provide benefits to beneficiaries.

9       Q. Has the state engineer permitted obtaining water  
10 from this area?

11      A. I know the state engineer has looked at several  
12 things, but so far their rules are focused heavily on  
13 potable water. They recognize that they need to expand  
14 them into brackish water, but I don't know whether they  
15 have gotten that done or not.

16      Q. So, when you mentioned earlier about the state  
17 engineer, the state engineer's jurisdiction is strictly  
18 on potable fresh water that is shallow water, right?

19      A. That's what the state engineer's have done  
20 historically. But they're looking to expand it to the  
21 10,000 milligrams per litre.

22      Q. Do you know whether they have -- the state  
23 engineer has jurisdiction to regulate water sources in  
24 this area currently?

25      A. Yes, he does. He handles all ground water;

1 that's outside of being reused by the oil field.

2 Q. Does the state engineer regulate the re-use by  
3 the oil field?

4 A. If it is used within the same producing zone, the  
5 oil field -- the OCD I believe has that responsibility.

6 Q. You mentioned in describing I believe with regard  
7 to the first page of Exhibit 3, you deferred to the  
8 deeper side. I'm not sure what that deeper side is. Is  
9 that the portion on the left here?

10 A. Okay. When the I say "deeper side," that is  
11 considered to be the four reef area. That is the area  
12 within -- that would be -- the reef was formed here in  
13 ocean waters and the formation is behind it, deposited  
14 behind it while it was being built.

15 And this portion is the Delaware Basin, and  
16 that's the portion that's disconnected from the reef  
17 hydraulically.

18 Q. And you are saying that the back side, the  
19 opposite side of the reef is what is connected  
20 hydraulically?

21 A. Is hydraulically connected; in other words,  
22 ground water flows through all rocks. It's a question  
23 of how fast.

24 And part of the reason when you look at the water  
25 quality within the reef, you see there's lower water

1 quality on the back reef portions, everywhere except  
2 over here where it's discharging.

3 Q. And that's the only place that the reef  
4 discharges?

5 A. It appears to be the only place that has been --  
6 could be defined as being a discharge point and the  
7 water has to be going somewhere, because that's the low  
8 point in the hydraulic hit, and water always flows down  
9 hill.

10 Q. You also talked about geologic age or geologic  
11 time. What kind of time are we talking in terms of  
12 flows of water?

13 A. For the water to flow 1,500 feet, it is going to  
14 probably take probably about ten years or longer to  
15 naturally flow there. Because the rate of flow on  
16 ground water is much, much slower than a flow of a  
17 river. River's feet per second. And here we are  
18 talking about feet per year.

19 The Capitan Reef is an anomaly. And there are  
20 places within that reef where it can flow as fast as it  
21 flows in the river. That's because some of it is  
22 cavernous. And it's like flowing through that  
23 underground river.

24 Q. Do you have anything that separates the proposed  
25 well geologically from the reef?

1       A. I don't see anything that demonstrates that other  
2       than your injection, your proposed injection interval is  
3       just a little bit over 300 feet below the nearest offset  
4       production that I could find, oil production.

5               So there is an interval in there, but I didn't  
6       evaluate it as far as whether it's an aqui-tard between  
7       the injection zone and the production zone, because OCD  
8       has the responsibility to look at that. I have to look  
9       to protect the resource.

10       Q. I understand that.

11               But you are here challenging this application.  
12       But you didn't do any specific geologic studies that  
13       there's a connection geologically between the reef and  
14       the proposed well in the injection zone?

15       A. Not this particular site, no.

16       Q. In looking at the colored exhibit, which is this  
17       one with -- it is page 4 of Exhibit 3. Where is the San  
18       Andres in relation to that?

19       A. The San Andres is the lowest member of the back  
20       reef formation, and it's down here in this lower  
21       portion. The red is the proposed open hole injection  
22       completion on the Cooper 17 Well.

23       Q. What is the reason that you colored the -- is  
24       this your exhibit? This is your exhibit, right?

25       A. Yes, I had this prepared.

1 Q. Why did you color that portion in blue?

2 A. That's a real good question. You notice over  
3 here where you got grays are the salt formations?

4 Q. Right.

5 A. And the Rustler typically has a lot of gypsum in  
6 it. That's generally pretty salty. These areas can be  
7 salty or can be fresh, so I colored them blue.

8 The Delaware Basin, the Delaware Formation is  
9 considered to be a separate entity all together, so I  
10 showed it down here separately. Quite frequently, this  
11 will have sulphur in it.

12 Q. Would the Delaware Formation be on the deep side?

13 A. Yes, because the deep side is defined by this  
14 contact right in there (indicating).

15 Q. Does the water around -- let me see. Your  
16 Exhibit No. -- page 3 of Exhibit 3, I think I may have  
17 asked this question -- correct me if I have -- but you  
18 have some chloride contents in there. Is that water  
19 considered potable? You went through a series of wells  
20 surrounding the proposed well. And my question is is  
21 that water currently potable?

22 A. The nearest well that I would consider potable  
23 would be one that has like 1,600 chlorides that's  
24 located about a township to the south.

25 Q. And that is about six miles away, right?

1 A. Yes. It appears it is potable at that point.

2 And I had no way of getting there other than the two  
3 recharge areas, so you have to have potable water to at  
4 least that point.

5 Q. And that's approximately how far from the reef?

6 A. That's about a mile from the reef.

7 Q. So in this area, the proposed well is about 7  
8 miles from the reef; is that right?

9 A. That's correct.

10 MR. PADILLA: I pass the witness.

11 EXAMINER WADE: Cross-examination.

12 CROSS EXAMINATION

13 BY MR. DANOFF:

14 Q. Yes, Mr. Holm, you gave your professional opinion  
15 in the middle of stating -- where we were qualifying  
16 you. Did you give your total professional opinion on  
17 this or was there more you were going to add? The  
18 reason I ask that question is we stopped to go back and  
19 qualify you as an expert, so I want to make sure you get  
20 your total expert opinion in.

21 A. My expert opinion is focused on the water quality  
22 in the area of the proposed injection well as being  
23 within the area that is definitely protectable water to  
24 the U.S. That's in my opinion.

25 Q. And you think it would be in the best interest to

1 deny this application?

2 A. Yes.

3 Q. Is that your professional opinion, sir?

4 A. Yes, sir.

5 MR. DANOFF: Thank you. I pass the witness.

6 EXAMINATION BY EXAMINER McMILLAN

7 EXAMINER McMILLAN: Based on your experience  
8 and knowledge, could these less than 10,000 parts per  
9 million water source come from anywhere else other than  
10 the reef?

11 THE WITNESS: No, sir. They could not  
12 because above this zone, right here, (indicating) you  
13 have the Salado, is above you on the back reef. That's  
14 a salt layer. In fact, we are mining potash out of  
15 portions of that. And that's impermeable. Any fresher  
16 water would have had to go through that salt. And there  
17 is no other source for it. All the other sources are  
18 salt water because the rocks were deposited in marine  
19 conditions.

20 EXAMINER McMILLAN: So, basically, you are  
21 saying through meteoric dysgenesis you're getting a flow  
22 of water?

23 THE WITNESS: That's exactly what's  
24 happening. Yes. It is all connected to surface water.  
25 It is all one system. It's really pretty spectacular.

1                   EXAMINER McMILLAN: It is. Carbonates are  
2 fascinating.

3                   THE WITNESS: To say the least.

4                   EXAMINER WADE: I have questions.

5                   EXAMINER McMILLAN: Okay. Please proceed.

6                   EXAMINATION BY EXAMINER WADE

7                   EXAMINER WADE: Is there anything about the  
8 well construction of this particular application that  
9 leads you to believe that this protectable water will  
10 not be protected?

11                   THE WITNESS: The proposed injection  
12 interval is close to oil production. And that could be  
13 considered to be within an area that could become  
14 damaged by injection, especially injection of higher  
15 total dissolved salts, waters. Most of those examples  
16 he gave are at least in an order of 92 or higher in  
17 chlorides and what's there presently. And that  
18 definitely has a possibility of doing that.

19                   The open hole, whether it's open hole or  
20 perforated, I think that's a call that you all can make.  
21 But I think either way they're in good -- you'd get good  
22 connection to the formation, but are you going to get a  
23 containment zone above it to separate it from  
24 production? I don't know.

25                   EXAMINER WADE: I have no further questions.



1 EXAMINER McMILLAN: I haven't either. Any  
2 redirect?

3 MS. MOSS: No.

4 EXAMINER McMILLAN: Let's take a five-minute  
5 break.

6 (Brief recess.)

7 PROTESTER CASE-IN-CHIEF

8 EXAMINER McMILLAN: We are now back on the  
9 record, and you have one witness.

10 MR. DANOFF: That's correct. We call as  
11 part of our protest Randy Briggs.

12 EXAMINER McMILLAN: Swear him in for sure.

13 (WHEREUPON, Charles Rand Briggs  
14 was administered the oath.)

15 MR. DANOFF: For the record, we're adopting  
16 the position that land management put on with regard to  
17 the matters. We are not going to go back through that,  
18 of Mr. Holm and his testimony. So we are adopting that  
19 position as part of our presentation.

20 EXAMINER McMILLAN: Okay.

21 MR. DANOFF: And I also talked to both  
22 counsel, and I move for the admission of Exhibits 1  
23 through 8, our attachments to our protest as well.

24 EXAMINER WADE: So you would want to  
25 enter --

1           MR. DANOFF: In the court of law, it would  
2 be judicial notice as part of the protest, but if it's  
3 not here, I want to make sure that it's part of this  
4 record.

5           EXAMINER WADE: The way it works here at the  
6 OCD is this will become part of the case file. You  
7 letter is already in there. It's probably been scanned.  
8 If it hasn't been, it will be. So are you asking that  
9 this also be an exhibit?

10          MR. DANOFF: I want the exhibits to be in,  
11 but if they are considered in that capacity, that's  
12 fine.

13          EXAMINER WADE: I think the only difference  
14 in what we are talking about is the record that will go  
15 with the court reporter, it would have to be entered as  
16 an exhibit into the hearing record.

17          MR. DANOFF: Then I offer it as an exhibit.

18          EXAMINER WADE: No objection?

19          MR. PADILLA: No.

20          EXAMINER WADE: So accepted assuming what I  
21 have in our case file is the same.

22          MR. DANOFF: It's the same. It's a letter  
23 dated --

24          EXAMINER WADE: February 16th --

25          MR. DANOFF: Inadvertently dated February

1 16th. It's the second letter, the amendment. That's  
2 what we are admitting.

3 EXAMINER WADE: And you have eight exhibits  
4 attached to that?

5 MR. DANOFF: Yes.

6 (Protester's Exhibit 1 with eight  
7 attachments offered and admitted.)

8 EXAMINER WADE: And I think we'd also like  
9 to know, as Hearing Examiners, is a condition if this  
10 application were to be granted would be that the  
11 existing well which I believe the majority of your  
12 concern is with would have to be properly plugged and  
13 abandoned. So with that in mind --

14 MR. DANOFF: That's what we are going to  
15 argue. That's the thing he's testifying to right now.

16 EXAMINER McMILLAN: That's going to be part  
17 of the record.

18 EXAMINER WADE: If you would like to --

19 MR. DANOFF: Let me embellish on that, he's  
20 the only person who has actually seen it. Nobody here  
21 has seen it. That's why I wanted him to say -- to  
22 identify it --

23 EXAMINER WADE: The issue that he --

24 MR. DANOFF: It will be very brief.

25 CHARLES RAND BRIGGS

1 having been first duly sworn, was examined and testified  
2 as follows:

3 DIRECT EXAMINATION

4 BY MR. DANOFF:

5 Q. Please state your full name.

6 A. Charles Rand Briggs.

7 MR. DANOFF: And we're calling Charles Rand  
8 Briggs as a fact witness. We are not trying to  
9 establish any expertise here.

10 EXAMINER WADE: Okay.

11 Q. And where do you reside?

12 A. Los Ranchos, New Mexico.

13 Q. And what is your business? What do you do by way  
14 of business?

15 A. A number of businesses. But among them is Piper  
16 Energy, LLC. It's a salt water disposal business in the  
17 San Andres in Lea County.

18 Q. How long have you been in that business?

19 A. Two years.

20 Q. And during the course of that two years, have you  
21 been an active participant in that business?

22 A. Yes, sir. I'm the manager.

23 Q. And are you familiar with Anderson No. 1 Well?

24 A. Yes, sir.

25 Q. And how are you familiar with that?

1       A. Well, I've been on site and once -- once they --  
2       apparently, whatever happened with the casing, et  
3       cetera, and they pulled the string of  
4       three-and-a-half-inch tubing, a number of us witnessed  
5       the condition of that tubing as well as the condition of  
6       the general property.

7               And so the tubing was laid out on racks there.  
8       And I can tell you that the tubing that was inside that  
9       well that's not supposed to be exposed to corrosion had  
10      holes in it, literally from top to bottom, the size you  
11      could put a golf ball through.

12      Q. Were you concerned about -- we heard testimony  
13      about the plugging of this well and the cementing of it;  
14      will that protect the environment?

15      A. Absolutely. I mean -- I mean I was struck by the  
16      lady who was here earlier. But this well obviously down  
17      below, the casing is obviously compromised from bottom  
18      to top. And, you know, there has been no proof that  
19      anything that they have done in cementing has integrity.  
20      We don't know if their bridge plug is any good.

21              This plug well needs to be plugged from the  
22      bottom to the top, because there is cross-contamination  
23      of fluids and water from all zones in this -- through  
24      this casing.

25      Q. And relative to that, are you also concerned

1 about the surface as well?

2 A. The way this well was -- or this tank battery was  
3 configured from the get-go is that there -- where the  
4 trucks unload there's no containment system, so the  
5 soil -- every time a truck unhooks from the tank  
6 battery, it contaminates the soil with water if you  
7 don't have a containment system.

8 And I know it's not really part of what you guys  
9 do here. But this soil has been contaminated for  
10 decades. And the tank battery -- the well needs to be  
11 plugged, the tank battery needs to be removed, and the  
12 soil needs to be remediated.

13 EXAMINER McMILLAN: To go back to the  
14 question, you are not an expert witness, you are a fact  
15 witness?

16 MR. DANOFF: He's talking about the facts.

17 THE WITNESS: The fact that I have  
18 observed --

19 EXAMINER McMILLAN: Yeah, but he's not an  
20 expert witness.

21 THE WITNESS: I understand that. But I just  
22 want that on the record, sir.

23 EXAMINER McMILLAN: Okay.

24 MR. DANOFF: But he's testifying to a  
25 factual basis as to his observations --

1 EXAMINER McMILLAN: But he is not an expert  
2 witness.

3 MR. DANOFF: We offered him as a fact  
4 witness.

5 EXAMINER McMILLAN: That's my point. And be  
6 advised, there are environmental inspectors who go out  
7 and inspect.

8 MR. DANOFF: We are aware of that.

9 EXAMINER McMILLAN: And we can all --  
10 remember, we have the authority, if this is approved, to  
11 say that you're going to plug into the OCD  
12 specifications. And we can also turn around and we can  
13 also require then that the environmental inspectors sign  
14 off on it.

15 THE WITNESS: That's all I'm after.

16 MR. DANOFF: And we are saying that this  
17 application -- and we will say it by the way of closing  
18 since we are done, that this application is now moot  
19 until that's done.

20 I appreciated Mr. William's testimony on  
21 that. He admitted when I asked him, he said that it was  
22 contingent approval, it was contingent upon plugging  
23 this well properly. So I think the cart was before the  
24 horse.

25 THE WITNESS: I am just concerned not only

1 down below but the surface --

2 EXAMINER McMILLAN: Right. Do you see where  
3 we are coming from?

4 MR. DANOFF: Yes.

5 EXAMINER WADE: Before we get to closings,  
6 would there be any cross-examination?

7 MR. PADILLA: Yes. I have some questions.

8 CROSS-EXAMINATION

9 BY MR. PADILLA:

10 Q. Mr. Briggs, I don't understand why you're  
11 concerned about the Anderson well.

12 A. I would love to answer that question.

13 Q. Do you have production --

14 A. Yes, sir.

15 Q. In the area?

16 A. Yes, sir. Approximately, 16 miles away.

17 Q. And do you operate a salt water disposal well?

18 A. I already said I did.

19 Q. And where do you operate that well?

20 A. It's 16 miles south and east of Anderson No. 1.

21 It is about three-and-a-half miles north of Eunice. You  
22 asked me why I am concerned or why is this my concern?

23 Q. Yes, sir.

24 THE WITNESS: Can I answer that?

25 MR. DANOFF: Yes.



1       A. I spend a lot of time and money protecting the  
2 environment. Where I'm at, I have concrete pads for  
3 unloading. I do many, many things in terms of time,  
4 effort, and money and everything to protect and do this  
5 right.

6               From the time this started, this has not smelled  
7 good to me. First of all, he legally published in  
8 Lovington. That's a long way from Monument. And I know  
9 it is legal there and everything, but the people around  
10 this area in Monument will read the Hobbs newspaper, not  
11 the Lovington newspaper.

12              The second thing is -- so at the end of the day,  
13 you said this was a successor well, but he changed the  
14 name of the company so that it wouldn't be associated  
15 with the train wreck that's there now in my mind, and so  
16 on and on.

17              You know, I just -- as this goes on -- and then  
18 he doesn't plug the well, the casing that came out of  
19 there is corroded and rotted and yet the MIT tests went  
20 right forward, you know -- you asked me to answer and I  
21 am answering.

22              EXAMINER WADE: If I may, this is beyond the  
23 scope of the direct. So do you have any questions on  
24 cross as to factual information that he has provided?

25       Q. (By Mr. Padilla) Did you prepare your exhibits?

1 A. Yes, sir.

2 Q. Mr. Danoff wrote a letter dated July 29, 2015.  
3 Who was the one who gave him the information for that  
4 letter?

5 A. Me.

6 Q. Did you write the items 1 through 8?

7 A. Did I write it?

8 Q. Yes.

9 A. Yes, sir.

10 Q. Did you hire anyone to assist you with compiling  
11 the information for Mr. Danoff's letter?

12 A. No, sir. You know, I will say this. I will  
13 qualify that by saying I do have people that work with  
14 me and for me and everything, and I may have  
15 collaborated and asked some questions and stuff, but I  
16 didn't hire anyone to write this letter.

17 Q. Mr. Briggs, what is your profession?

18 A. I am an optometrist.

19 MR. PADILLA: That's all I have.

20 EXAMINER McMILLAN: The state land office?

21 MS. MOSS: No, I don't have anything.

22 MR. DANOFF: I just want to correct the  
23 record. That's the July 29th letter that we sent and  
24 not the February --

25 EXAMINER WADE: Okay. Speaking of

1 clarifying the record; the court reporter is going to  
2 need a copy of what you want entered into the record as  
3 an exhibit. Do you have that today?

4 MR. DANOFF: Yes, I will have to make  
5 copies.

6 MR. PADILLA: I will give you one.

7 EXAMINER WADE: And what will you be marking  
8 that as?

9 MR. DANOFF: I would mark it Protester  
10 Briggs Exhibit 1, I guess.

11 EXAMINER WADE: That would probably be fine.  
12 And that is going to include -- I mean, this one has  
13 been marked as something already. So it would probably  
14 be best if you make a copy.

15 MR. DANOFF: I just gave --

16 EXAMINER WADE: This is marked OCD case  
17 15307, Oasis Water Solutions.

18 MR. DANOFF: I can put the stamp over that.

19 EXAMINER WADE: Okay. Anything further?

20 MR. DANOFF: No.

21 EXAMINER WADE: Closing statements.

22 EXAMINER McMILLAN: Have we accepted his as  
23 part of the record?

24 MR. DANOFF: I moved for it. It has been  
25 admitted; is that correct?

1 EXAMINER McMILLAN: Yes. I wanted to make  
2 sure. Closing statements.

3 MR. PADILLA: I go first.

4 EXAMINER McMILLAN: Yes.

5 MR. PADILLA: Okay. There's been no  
6 testimony or evidence that shows that there's going to  
7 be communication from the proposed well to the Capitan  
8 Reef. I am impressed with Mr. Holm's presentations, but  
9 he's basing it on somebody else's report.

10 There's no independent study of this area  
11 that he made. He did not present anything that would  
12 indicate that there would be communication between the  
13 proposed well and the outer limits of the Capitan Reef.

14 Now, he did talk about water flows and that  
15 sort of thing. But the fact of the matter is that no  
16 one is using this water for potable purposes for any use  
17 that is beneficial.

18 His admission also, Mr. Holm's testimony was  
19 that the state engineer is not really regulating. They  
20 may have jurisdiction, but they are not regulating this  
21 water because it's not a potable water source.

22 Now, as far as I can see, the land office  
23 probably has an ulterior motive by bringing this case  
24 and that they are going to permit water, sales of water  
25 here, and they don't want any injection.

1           And so we are here listening to protection  
2 of water sources, but the fact of the matter is is that  
3 the map that we presented has been used by the OCD. And  
4 it's prepared by the Bureau of Land Management or a  
5 federal agency. And that's been pretty much the Bible.

6           As far as knowing where to drill within the  
7 Capitan Reef and -- at the end of the day, there is just  
8 no water to be protected. Mr. Holm did not cite any  
9 federal regulation or any state regulation other than  
10 generally saying we have to protect -- these are  
11 protectable waters.

12           There's no testimony about the sources of  
13 authority for protecting this water. I think the only  
14 source -- the only authority is the Oil Conservation  
15 Division. And Dr. Briggs came up as far as his  
16 testimony is that he has -- he's in the business of salt  
17 water disposal. He does not want the competition.

18           You can color it anyway. He said I want to  
19 protect the environment and that sort of thing, but the  
20 Anderson Well is a separate deal.

21           I think the Oil Conservation Division  
22 according to even Mr. Williams's testimony was that that  
23 well needs to be plugged. And the authority is going to  
24 come down if Oasis does not plug that well or whoever is  
25 responsible for plugging it.

1           Whether or not the applicant is using  
2 another entity matters nothing. I mean, I would advise  
3 this lawyer to use a different entity every time you  
4 have one of these businesses, just for liability  
5 purposes. So that doesn't -- you are not -- Oasis is  
6 not trying to hide anything.

7           Simply form a corporation or an artificial  
8 entity for liability reasons. But, again, I don't see  
9 any connection between the proposed well where it is  
10 located and the Capitan Reef.

11           Now, there are rules for the Capitan Reef.  
12 And just by our Exhibit No. 2, the map, companies have  
13 drilled through the Capitan Reef forever, but you have  
14 to cement through that reef. But there's -- there's no  
15 evidence here that says that there's going to be  
16 communication between the proposed well and the aquifer.

17           Now, the only credible question here is the  
18 question that Mr. Goetze brought up, saying you did not  
19 bring geologic information to show that the upper and  
20 lower San Andres are -- is -- well, that the upper San  
21 Andres is going to be affected by injection into the  
22 lower San Andres.

23           I think that's a credible issue, and we  
24 would be glad to provide that information through either  
25 a continued hearing or where we get a geologist to

1     testify as to -- as to that issue.

2                     But other than that, I don't see any reason  
3     why this application should not be approved.

4                     EXAMINER WADE:   Closing.

5                     MS. MOSS:   The evidence that was presented  
6     through Mr. Holm strongly supports his conclusion that  
7     this injection well which is proposed by Oasis will  
8     contaminate a protectable water source.

9                     Looking at the well location, the chloride  
10    levels in that area and the hydrology and geology of the  
11    Capitan Reef, the only reasonable conclusion is that the  
12    injection of salt water in this area will contaminate  
13    protected water.

14                    EXAMINER WADE:   Mr. Danoff.

15                    MR. DANOFF:   Thank you, Mr. Hearing Officer  
16    for allowing us to be here and appear today as a  
17    protester.

18                    I think the dispositive thing we need to  
19    understand here is the testimony of Mr. Williams, which  
20    was not refuted.   Relative to that, they talked to  
21    district supervisor in the office of land management and  
22    as a condition or prerequisite to granting this approval  
23    or even considering it, the well had to be plugged, the  
24    predecessor well.

25                    And I submit to you that that has not been

1 done and that this would be moot at this time and this  
2 should be remanded until such time as the Anderson Well  
3 is plugged or taken care of.

4 His first testimony, I understood was, he  
5 didn't know whether he could do it simultaneously; he  
6 later said it was a condition of that.

7 And I submit to you this application, we are  
8 adopting the aspects relative to the -- what Mr. Holm  
9 testified for land management, but our issue is a  
10 different issue with regard to that. We feel that  
11 that's a condition to proceed, and that should be met  
12 before this application is even considered.

13 I realize there was a statement made by the  
14 Hearing Officer with regard to this, being tied to it or  
15 whatever. However, I think until that is done, that  
16 this matter should not even be considered. And that  
17 that's a pre-condition and prerequisite to filing for  
18 this.

19 In a court of law, I would have moved to  
20 dismiss on that basis. But I realize this is an  
21 administrative agency, and I am treating it accordingly.  
22 But, again, I think that would be in and of itself  
23 either summary judgment material or motion to dismiss  
24 material. I think you have to meet the conditions  
25 precedent before you go and file for an application.



1 EXAMINER McMILLAN: Okay. Case No. 15307  
2 shall be continued until September the 3rd. And at that  
3 time, we expect a geologist to testify whether or not  
4 there's going -- whether or not a barrier exists.

5 MR. PADILLA: Okay.

6 EXAMINER WADE: And, actually, I think we  
7 would like to see some clarification as to notice to  
8 make sure that the area review did include all affected  
9 persons and that they were all notified.

10 MR. PADILLA: All right.

11 EXAMINER WADE: And we will require  
12 publication obviously or notice again if that's not the  
13 case.

14 MR. PADILLA: All right.

15 MR. DANOFF: I have a concern with regard to  
16 procedurally speaking. If they get a geologist, are we  
17 going to be able to know who it is before or whatever,  
18 so if we need to get a rebuttal witness -- I mean it's  
19 very difficult just to come here and not know what the  
20 geologist is going to say. In courts we get at least a  
21 report or a summary of an opinion. It's very  
22 difficult --

23 EXAMINER WADE: We could require --

24 MR. DANOFF: I think we would need that to  
25 know whether we need to bring --

1 MS. MOSS: It also isn't clear to me whether  
2 we would be able to put on additional evidence.

3 EXAMINER WADE: Outside the scope of what  
4 was originally --

5 MS. MOSS: No. Just if we needed to be any  
6 clearer about the barrier.

7 EXAMINER WADE: I think that you would have  
8 the opportunity to rebut anything that the geologist  
9 that the applicant brings says.

10 MS. MOSS: Can we know that in advance?

11 EXAMINER WADE: I think what we can do is  
12 follow loosely our rules as far as filing a prehearing  
13 statement.

14 MR. DANOFF: You know, disclosure --

15 EXAMINER WADE: Of course, we don't follow  
16 the rules of civil procedure.

17 MR. DANOFF: I'm not saying you do. But I  
18 am saying fair notice that I would work with counsel on  
19 it; we could even, in view of the fact that this is an  
20 administrative hearing, I could even get on a phone and  
21 do it. We don't need a formal deposition to know what's  
22 going to be said.

23 EXAMINER McMILLAN: I want something on the  
24 record.

25 EXAMINER WADE: Yes, it's going to be on the

1 record. If you look at our adjudicatory -- that's  
2 1954 -- what we can do is follow that in that you need  
3 to file your prehearing statement, I think the rule says  
4 specifically the Thursday before the hearing date.

5 MS. MOSS: That doesn't give us time to get  
6 a rebuttal.

7 MR. DANOFF: That doesn't give us time to  
8 get a rebuttal.

9 EXAMINER WADE: You'd have three weeks to do  
10 that, that would not be enough time?

11 MR. DANOFF: The Thursday before the hearing  
12 you said.

13 EXAMINER WADE: We asked for four weeks from  
14 now that the geologist be brought, so you would have  
15 three weeks to get a witness. That wouldn't be enough  
16 time?

17 MS. MOSS: Since we don't know what  
18 exactly -- it's not close enough to what we're --

19 EXAMINER WADE: That's what's in our rules.  
20 That's a problem with these rules. Other than that, I  
21 mean what specifically would you need?

22 MS. MOSS: To know two weeks before what  
23 their witness is going to say would be a minimum for us  
24 to be able to -- I don't know how to make this argument  
25 but I am going to do it anyway.

1           There is a sense in which due process is  
2 triggered here, because when they come and testify if  
3 you rule against us, we are losing protectable water on  
4 state trust land. And so we need a little bit of time  
5 to know what this person is going to say in order to be  
6 able to hire someone, get someone, to do a study.

7           EXAMINER WADE: Just so we have it on the  
8 record, how soon do you think, Mr. Padilla, you can find  
9 a geologist?

10          MR. PADILLA: Let me put it this way. A  
11 geologist is easier than a petroleum engineer. I can  
12 probably -- by Friday, I should have someone.

13          EXAMINER WADE: And how soon before they  
14 could generate a report, a statement of some sort?

15          MR. PADILLA: The business is sort of slow  
16 so I think that -- probably two weeks.

17          EXAMINER WADE: So roughly two would weeks,  
18 within two weeks time which would put us at -- if we  
19 said -- it would be the 20th, that's a Thursday, the  
20 20th. If we said that you would provide the information  
21 by Monday the 24th, August 24th, that would give roughly  
22 two weeks. Would that be enough time for --

23          MR. DANOFF: The 24th is really -- that is  
24 ten days. It's not two weeks time.

25          EXAMINER WADE: Is that enough time?

1 MR. DANOFF: I would ask that it be the  
2 Friday before. And I am sure if counsel gets it done  
3 before then, he'd want to disclose it.

4 EXAMINER WADE: So let's disclosure will  
5 take place on August 21st of the applicant's geologist's  
6 report.

7 MR. DANOFF: When you say "disclosure" --  
8 not to be picky here -- "disclosure" means to a lot of  
9 people the name and address and telephone number of the  
10 expert. And so we are on the same plain, the disclosure  
11 would entail a brief summary of the witness's proposed  
12 testimony in an expert capacity.

13 EXAMINER WADE: I would like to see whatever  
14 report is generated, opinion be shared. We are trying  
15 to streamline this. This is not civil court. This is a  
16 rather informal according to the rules.

17 MR. PADILLA: I understand that but what  
18 puts me at a disadvantage of, if they show up with new  
19 geologic information that I haven't given to my expert.

20 MR. DANOFF: That's my concern. We'd have  
21 to do the same thing reciprocally, in return, but a  
22 four-week window is pretty quick. That's the problem, a  
23 four-week window is a quick window to do that.

24 EXAMINER WADE: Business is not slow for the  
25 geologists apparently?

1 MR. PADILLA: Assuming I can find one  
2 quickly. But I think it's easier today than it was a  
3 year ago. I see John Maxey testifying, and I called him  
4 to testify in one of my cases, and he called right back.  
5 About six months ago, he didn't have time. So it is,  
6 you know, I think -- I think I can get a geologist  
7 fairly soon. And, then, by the 21st give some summary  
8 of testimony.

9 MR. DANOFF: And to be fair to Counsel here,  
10 we in turn can give it to them in two weeks -- I mean,  
11 we're rushing and he wants to see what our guy is going  
12 to say, too. That's a disadvantage he's going to have,  
13 so...

14 EXAMINER WADE: Now that I am sitting here  
15 and thinking about this, Mr. Danoff, I am not quite sure  
16 how much testimony we'd consider when you have not  
17 raised specific geologic protests in your initial letter  
18 that I see.

19 MR. DANOFF: No, we didn't.

20 EXAMINER WADE: You have a different issue.  
21 It seems like your issue is factual regarding the  
22 Anderson --

23 MR. DANOFF: You're right, that is our  
24 issue. But I am just trying to be fair to everybody.  
25 We obviously have an interest in this, though. And we

1 adopted their position (indicating the state land  
2 office)so that's --

3 EXAMINER WADE: Okay.

4 MR. DANOFF: But I will do whatever you  
5 decide --

6 EXAMINER WADE: We can go to six weeks.  
7 These hearings are held every two weeks. And I just  
8 don't want to put it out there forever.

9 MR. PADILLA: I think six weeks is more  
10 realistic.

11 MR. DANOFF: When is the date of that? I am  
12 in a pretty big trial during part of that.

13 EXAMINER WADE: That would be  
14 September 17th. That still doesn't --

15 MR. DANOFF: I guess you don't really need  
16 us here even.

17 EXAMINER WADE: If you are just adopting the  
18 state land office's position, no.

19 MR. DANOFF: The other concern I have is,  
20 are you taking under advisement our --

21 EXAMINER WADE: Your concerns regarding the  
22 Anderson well?

23 MR. DANOFF: Yes, and whether that's a  
24 pre-condition here.

25 EXAMINER WADE: Yes. We're taking that

1 under advisement.

2 MR. DANOFF: You don't need further argument  
3 on that?

4 EXAMINER WADE: We do not.

5 MR. DANOFF: That ruling will be part of the  
6 overall ruling or you may make that preliminary to the  
7 overall ruling?

8 EXAMINER WADE: Likely it will be with the  
9 overall ruling.

10 MR. DANOFF: I am just trying to find out  
11 the procedure.

12 EXAMINER WADE: So we could still have an  
13 exchange of --

14 MS. MOSS: We can go on the 6th, which is  
15 your first suggestion -- right?

16 EXAMINER WADE: September 3rd.

17 MS. MOSS: September 3rd, and on the 21st we  
18 would get the written report.

19 EXAMINER WADE: At this point, the state  
20 land office would be leading the charge as far as the  
21 geologic --

22 MS. MOSS: I would rather have more time,  
23 but I don't think --

24 EXAMINER WADE: We can give you six weeks.  
25 That's not a problem. We will leave the exchange of



1 information as to August 21st because it sounds like you  
2 could do that, Mr. Padilla, and then we will put the  
3 hearing out until September 17th, which should give  
4 plenty of time to review and Mr. Padilla will have  
5 plenty of time to review whatever issues you raise.

6 MS. MOSS: That is fine.

7 EXAMINER WADE: Is that okay?

8 MR. PADILLA: That's fine.

9 EXAMINER McMILLAN: So the case is continued  
10 until September 17th. Okay?

11 MR. DANOFF: And then I might waive my  
12 appearance since it's more their issue for -- so I may  
13 not be here for that; because I do have a trial, so I  
14 want to make sure I am excused and not expected to be  
15 here.

16 EXAMINER WADE: We don't expect you to be  
17 here.

18 MR. DANOFF: Thank you.

19

20

21

(Time noted 3:24 p.m.)


22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 15307,  
heard by me on August 6, 2015.

 , Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO )  
2 ) ss.  
3 COUNTY OF BERNALILLO )  
4  
5  
6

7 REPORTER'S CERTIFICATE  
8

9 I, ELLEN H. ALLANIC, New Mexico Reporter CCR  
10 No. 100, DO HEREBY CERTIFY that on Thursday, August 6,  
11 2015, the proceedings in the above-captioned matter were  
12 taken before me, that I did report in stenographic  
13 shorthand the proceedings set forth herein, and the  
14 foregoing pages are a true and correct transcription to  
15 the best of my ability and control.  
16

17 I FURTHER CERTIFY that I am neither employed by  
18 nor related to nor contracted with (unless excepted by  
19 the rules) any of the parties or attorneys in this case,  
20 and that I have no interest whatsoever in the final  
21 disposition of this case in any court.  
22  
23  
24  
25



ELLEN H. ALLANIC, CSR  
NM Certified Court Reporter No. 100  
License Expires: 12/31/15