

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 13,750

APPLICATION OF BP AMERICA PRODUCTION)
COMPANY FOR APPROVAL OF A WATERFLOOD)
PROJECT, EDDY COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, JR., Hearing Examiner

August 3rd, 2006

Santa Fe, New Mexico

2006 AUG 17 PM 1 41

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, JR., Hearing Examiner, on Thursday, August 3rd, 2006, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

WVJ 8/17/06

I N D E X

August 3rd, 2006
 Examiner Hearing
 CASE NO. 13,750

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JEFFREY HARGROVE</u> (Engineer)	
Direct Examination by Mr. Carr	5
Examination by Examiner Jones	44
Examination by Ms. O'Connor	71
<u>DODIE HECKER</u> (Engineer)	
Direct Examination by Mr. Carr	74
Examination by Examiner Jones	80
STATEMENT BY JACKIE BREWER	83
REPORTER'S CERTIFICATE	88

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	11	44
Exhibit 2	18	44
Exhibit 3	20	44
Exhibit 4	43	44

* * *

A P P E A R A N C E S

FOR THE DIVISION:

CHERYL O'CONNOR
Assistant Counsel, NMOCD
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

ALSO PRESENT:

JACKIE BREWER
HC-60
Lovington, NM 88260

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

1 WHEREUPON, the following proceedings were had at
2 8:23 a.m.:

3 EXAMINER JONES: Okay, the next case is Case
4 13,750, continued from July the 20th, Application of BP
5 America Production Company for approval of a waterflood
6 project, Eddy County, New Mexico.

7 Call for appearances.

8 MR. CARR: May it please the Examiner, my name is
9 William F. Carr with the Santa Fe office of Holland and
10 Hart, L.L.P. We represent BP America Production Company in
11 this case, and I have one witness.

12 EXAMINER JONES: Okay, one witness.

13 Any other appearances here today?

14 Mr. Carr, we did get a letter -- I don't know if
15 you got a copy of it -- a letter that got faxed over to --
16 from a Jackie Brewer.

17 MR. CARR: Yes, we have looked at the letter and
18 will respond to the letter as part of our direct case.

19 EXAMINER JONES: Okay, will the witness please
20 stand to be sworn?

21 (Thereupon, the witness was sworn.)

22 MR. CARR: May it please the Examiner, before we
23 begin, for some reason when we were preparing the legal ad
24 and the Application in this case I added a well that is not
25 supposed to be part of the Application. It's the

1 Washington 33 State Well Number 14. And so that well
2 should be dismissed from this case. I put it in and I have
3 nothing to present in support of it. It's just my mistake.

4 EXAMINER JONES: Okay.

5 JEFFREY HARGROVE,
6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. CARR:

10 Q. All right, would you state your name for the
11 record, please?

12 A. My name is Jeffrey Hargrove.

13 Q. Mr. Hargrove, where do you reside?

14 A. I live in Houston, Texas.

15 Q. By whom are you employed?

16 A. I do contract consulting engineering work for BP
17 America Production Company. I'm self-employed.

18 Q. Have you previously testified before the New
19 Mexico Oil Conservation Division?

20 A. Yes I have, in the early 1990s.

21 Q. Not before Mr. Jones?

22 A. No, sir.

23 Q. Why don't you summarize for us your educational
24 background?

25 A. I have a bachelor's in petroleum engineering from

1 the University of Missouri, Rolla. I graduated in 1988.

2 Q. And since graduation, for whom have you worked?

3 A. I've worked for ConocoPhillips, Batch
4 Corporation, Baker Hughes. I currently have my own
5 consulting company. I've worked about 18 years as mostly
6 petroleum reservoir engineering -- doing petroleum
7 reservoir engineering work -- take a deep breath -- mostly
8 on field development projects, about six to eight years
9 international, 10 years of domestic experience, including
10 waterflood projects, secondary recovery projects and also
11 including projects in southeast New Mexico.

12 Q. Are you familiar with the Application that's been
13 filed in this case on behalf of BP America Production
14 Company?

15 A. Yes, sir, I am. I actually prepared the
16 Application.

17 Q. And are you familiar with BP's plans to implement
18 a lease waterflood project in the Artesia-Queen-Grayburg-
19 San Andres Pool --

20 A. Yes.

21 Q. -- located in Eddy County?

22 A. Yes.

23 Q. Are you familiar with the status of the lands in
24 the area that's the subject of this Application?

25 A. Yes.

1 Q. And have you made an engineering study of the
2 area?

3 A. I have.

4 Q. Are you prepared to share the results of that
5 work with Mr. Jones?

6 A. Yes, sir.

7 MR. CARR: We tender Mr. Hargrove as an expert
8 witness in petroleum and reservoir engineering.

9 EXAMINER JONES: Mr. Hargrove, what is your
10 specialty in petroleum reservoir engineering?

11 THE WITNESS: I -- Mostly like field development
12 projects. Usually -- I've worked in the mid-continent,
13 Permian Basin, worked in west Africa, usually with the
14 exploitation teams offering a reservoir engineering
15 perspective in terms of the best way to exploit the
16 reservoir in terms of development drilling, best way to
17 drill and complete the wells, to basically develop the
18 reservoir. I've also done secondary recovery projects in
19 west Texas and southeast New Mexico.

20 I'm not a -- I've done some reservoir simulation,
21 some specialty reservoir engineering, but I would call it
22 more in the field development type of work.

23 EXAMINER JONES: What did you do for Baker
24 Hughes?

25 THE WITNESS: Actually with Baker I consulted

1 mostly within these international -- a lot of times they
2 were the -- it was the -- like the reservoir engineering
3 groups in these foreign countries that -- like a BP or an
4 Exxon would be partnering up with on a project, whether
5 it's west Africa, I did a lot of work in Latin America, do
6 work for the Chinese National Offshore Oil Corporation,
7 some stuff in the North Sea.

8 So what I would do is, I would go in there and I
9 would add a reservoir engineering perspective to the
10 project and make recommendations on the best way to drill
11 and complete the wells, to optimize well performance and --
12 all kinds of different -- you know, different kinds of,
13 like, complex geologies, heavy oil, deep water -- deep-
14 water applications. You know, there's always different
15 geologic, environmental conditions that -- But these were
16 large-scale projects, the Latin American projects. I also
17 did a lot of work for PMEX down in Costa Rica and Veracruz,
18 some -- with Baker Hughes it was almost all international.

19 EXAMINER JONES: Okay, thank you.

20 THE WITNESS: You're welcome.

21 EXAMINER JONES: Mr. Hargrove is qualified as an
22 expert petroleum reservoir engineer.

23 Q. (By Mr. Carr) Mr. Hargrove, briefly summarize
24 for Mr. Jones what it is that BP America Production Company
25 seeks with this Application?

1 A. With this Application BP wishes to implement a
2 lease waterflood on the Washington 33 State Lease for the
3 purpose of secondary recovery of oil and gas.

4 Q. How many wells are we seeking authorization for
5 in this case?

6 A. With this Application --

7 Q. Yeah --

8 A. -- six wells.

9 Q. Before we get into the technical part of the
10 case, I think we ought to clarify for the Examiner exactly
11 where we are in terms of how the Application was filed and
12 what we have before him today.

13 When was the original C-108 actually filed?

14 A. In May of this year we filed the original C-108
15 application, application to convert the Number 2, Number 6,
16 8, 16, 23 and 27 to water injection.

17 Q. And then after you filed that application, did
18 you continue your reservoir analysis?

19 A. We didn't so much continue the reservoir analysis
20 as we started to put together a reservoir management
21 program and put this lease waterflood in, and at the same
22 time we started to map, flesh out, a strategy to manage --
23 to monitor the injection production and to manage the
24 waterflood.

25 And it was at that time, looking at it, we

1 thought that BP would be better served by converting three
2 different wells to water injection, tightening up the
3 pattern, and it was at that time that we filed the
4 addendum. So we took out the 6 and the 8 and the 27,
5 replaced it with the 4, the 10 and the 18. So that's when
6 we filed the addendum C-108, a continuation sheet that
7 addressed all the different questions, and also the well
8 injection data sheet, which I think is part 3.

9 The area of review actually shrunk a little bit,
10 so we didn't have an expanded area of review, so there
11 wasn't a well data table, P-and-A wells or anything like
12 that, so --

13 Q. All of that data was the same, you just had
14 deleted three wells, replaced them --

15 A. Exactly, yeah.

16 Q. Okay, identify the wells that we're addressing
17 here today by number, please.

18 A. Okay, Number 2, Number 4, 10, 16, 23 and 18.

19 Q. Now, there's one other well on this waterflood
20 project that's been previously approved by the Division?

21 A. That's correct, that --

22 Q. That is the -- Which well is that?

23 A. The Washington 33 State Number 12. It was
24 approved administratively with the NMOCD, SWD-988 Division
25 Order.

1 Q. And so if this project is approved, you will have
2 seven injection wells, the six we're dealing with here
3 today --

4 A. Right.

5 Q. -- plus the Number 12?

6 A. We'll have seven injection wells, 22 production
7 wells.

8 Q. Let's go to what's been marked as BP Exhibit
9 Number 1, and I ask you to first identify this and then
10 explain to Mr. Jones, what does it show? And he has a
11 copy, so...

12 A. Okay, this is -- this map depicts, first of all,
13 the Washington 33 State Lease, the boundaries of this lease
14 as depicted by this bold red line. But you've got, I'd
15 say, approximately 600 acres. You've got all of Section
16 33, except for the northwest northwest 40 acres.

17 The Number 12 is at the center of the lease.
18 That's the well that we received approval to convert to
19 water injection, and we're currently injecting into that
20 well right now, monitoring the injection rates and
21 pressures.

22 The triangles, the red triangles, are the --
23 depicts the six wells that we are asking to convert to
24 injection for this Application, 2, 4, 10, 16, 18 and 23.

25 Q. The red line around the project area, what does

1 that show?

2 A. The red line is a composite area of review.
3 You've got six wells that we're proposing to convert to
4 injections, and you've six different one-half-mile-radius
5 area of reviews. To keep a lot of circles -- we just made
6 a composite area of review, that those are one-half-mile-
7 radius circles around the proposed injection wells.

8 Some of these other boundaries or other
9 waterflood units in the Queen-Grayburg-San Andres
10 formation, so the Washington 33 State Lease is actually
11 surrounded by mature lease waterfloods in this reservoir.

12 Q. Now --

13 A. All the wells -- This map also depicts all the
14 wells that penetrate the proposed injection interval within
15 a two-mile radius, as required by the C-108 application.
16 You've got the operator, the well number, the last five
17 digits of the API number, and then the total depth of the
18 well. Each well should depict that information.

19 Q. As you go forward with this project, may you --
20 is it possible that you'd want to add some additional
21 injectors?

22 A. It is possible, we would --

23 Q. And you would propose to do that by an
24 administrative procedure --

25 A. An administrative --

1 Q. -- instead of coming back to hearing?

2 A. Yes.

3 Q. What's the current status of the six wells that
4 you are intending to utilize for injection?

5 A. These six wells produce approximately 25 to 30
6 barrels a day total. They're basically four- to five-
7 barrel-a-day Queen-Grayburg-San Andres production wells,
8 primary, you know, recovery.

9 Q. And why is BP proposing to implement this lease
10 waterflood project at this time?

11 A. Okay, right now the lease makes about 120 barrels
12 of oil per day and has an economic life, even with the high
13 oil prices of probably anywhere seven to eight years,
14 you're going to cum about a hundred and -- 150,000 barrels
15 of oil, if you produce this on down to the economic limit.

16 This is a good opportunity right now, with the
17 high oil prices. You've got a crude oil that's got a good
18 GO- -- it's got a lot of gas in it. The initial gas-oil
19 ratio for this crude oil was 2000 MC- -- 2000 standard
20 cubic feet per stock tank barrel.

21 We've produced this reservoir below the bubble
22 point, so you've got free gas breaking out, which -- which
23 is not a good thing for a secondary recovery project. You
24 want to go ahead and get that gas back in solution,
25 mobilize that oil and displace it.

1 With the secondary recovery project you can
2 recovery probably anywhere from 1 million to 1.5 million
3 BOE's, from this lease. And so it's -- you've got good
4 wellbore, you've got good wellbore integrity out here.
5 These are relatively new wells. This -- The Queen-
6 Grayburg-San Andres was drilled up on this lease in 1998.
7 Some wells were recompleted from the Abo and the Yeso, but
8 overall the average age of the well -- of the wellbore, is
9 about 15 years, 15, 16 years. So you've got relatively new
10 wells, you've got good casing. So from a structural
11 perspective it's a solid project.

12 You've got a good supply of injection water with
13 the Empire-Abo Unit and the Washington 33 State Lease. And
14 you've got -- you've got a reservoir that's continuous
15 throughout the lease. You've got a really favorable GOR.
16 You don't have a dead oil, you've got a -- you've got a
17 gassy oil, but a -- that's losing gas every day. You've
18 got free gas in the reservoir.

19 So the sooner you can go in there, push that gas
20 back in the oil, mobilize it and displace it through these
21 production wells, the better off you're going to be, from a
22 reserve -- from an economic perspective and a reserves-
23 recovery perspective.

24 And you've got a -- you know, you've got a lot of
25 analogous waterfloods. This thing is surrounded by

1 waterfloods, so --

2 Q. If the project isn't implemented, the 1.5 BOE --
3 most of it will be lost and wasted; isn't that correct?

4 A. Well, if you continue to produce this -- even
5 with the high oil prices, you know, you produce this thing
6 out to the economic limit on primary recovery, oil and gas.
7 You're probably going to make 150,000 barrels of oil.

8 EXAMINER JONES: Is that ultimate or --

9 THE WITNESS: Yeah.

10 EXAMINER JONES: -- cumulative? I mean, ultimate
11 or remaining?

12 THE WITNESS: That's remaining. Yeah, you've
13 probably got about 150,000 barrels of -- that's in the
14 ballpark, remaining recoverable reserves with the current
15 development. You can't drill a well out there and be
16 economic, you can't even work over a well.

17 You don't have enough reservoir energy to do
18 anything with this but produce the reserves from the
19 existing wellbores with the existing pressure, which is
20 about 600 p.s.i., well below bubble point. And so you're
21 just going to produce this down to an economic limit.

22 With the waterflood you could take that gas, put
23 it back in the oil, you can probably produce 10 times the
24 remaining primary recoverable reserves, with a leased
25 waterflood. So from a -- it's very -- it's an economic

1 product -- it's an economic project. The high oil prices
2 allow BP to invest their capital now to put in -- It's a
3 small waterflood, you know, 600 acres isn't a very big
4 project. But with the oil prices where they are now, you
5 can afford to go in there and spend the capital to develop
6 this thing and pressure-up the reservoir and have a 22- to
7 25-year producing property, as opposed to a seven- to 10-
8 year producing property on the primary.

9 Q. (By Mr. Carr) The boundaries of the project
10 area --

11 A. The lease.

12 Q. Just the lease?

13 A. Yeah, yeah.

14 Q. Is BP America Production Company the only working
15 interest owner in the area?

16 A. That's correct, BP has 100 percent of the lease.

17 Q. Okay. Now you stated that you're going to have
18 total, at least initially, of seven injection wells?

19 A. Right, seven injection wells, 22 production
20 wells.

21 Q. And the cum production to date has been what?

22 A. This -- this lease, this section, this -- the
23 Queen-Grayburg-San Andres in this 600 acres has produced
24 approximately 1 million barrels of oil and 2 BCF of gas.

25 Q. And you're hoping to add another --

1 A. Yeah --

2 Q. -- 1.5 --

3 A. -- and we're --

4 Q. -- or produce that much more?

5 A. Yeah, we're taking the gas and just dividing it
6 by six. I think there's about 1.5 MBOEs. You'll probably
7 have 1, you're going to probably -- you've got a good
8 chance of matching your primary production. A lot of it is
9 because this field was developed so late. Most of the
10 Grayburg-San Andres was drilled out here in the 1940s, '50s
11 and '60s.

12 For some reason -- You know, this lease was
13 developed in the 1940s and '50s. There was a company that
14 actually drilled some wells out here, produced about
15 250,000 barrels of oil, and then it was basically -- I
16 won't say neglected, they just didn't drill. And then in
17 1998 ARCO drilled the Washington 33 State Lease wells.

18 But the problem is the reservoir pressure. You
19 just don't have a lot of reservoir pressure.

20 You've got a good crude, you've got a lot of good
21 gas in there, you've got a lot of natural characteristics
22 of this crude oil.

23 You've got reservoirs that are continuous across
24 the lease, which are excellent candidates, the rock is a
25 really good candidate for waterflood, the crude is a really

1 good candidate for waterflood, and you've got some nice
2 wellbores to actually institute a waterflood in.

3 And the oil prices where they are now, BP can put
4 the capital in.

5 Q. Mr. Hargrove, would you identify what has been
6 marked as BP Exhibit Number 2?

7 A. Is this the application?

8 Q. Yes.

9 A. This is the original application.

10 Q. And it is dated May the 17th?

11 A. That's correct.

12 Q. Actually shows it was filed on June the 2nd?

13 A. That's correct.

14 MR. CARR: Mr. Examiner, what we have done is, we
15 have numbered the pages in Exhibit Number 2, and pages 1
16 through 54 are the original application and supporting
17 data, and then pages 55 through 64 are the addendum that
18 Mr. Hargrove indicated they filed after they decided to
19 alter the injection pattern.

20 Q. (By Mr. Carr) Mr. Hargrove, does the May 17,
21 2006, application, as amended by the addendum filed on the
22 date of the 21st of June, does that contain all required
23 information required by Form C-108?

24 A. Yes, sir.

25 Q. And have both of these applications been provided

1 to all affected parties?

2 A. Yes, sir.

3 Q. You indicated that the change that resulted from
4 the addendum actually decreased the areas of review instead
5 of expanding that area?

6 A. That's true, yeah, the three wells that we took
7 out of the -- from the initial application, the 6, the 8
8 and the 27, by coming in to the 4 and the 10 and the 16 we
9 shrunk the area of review slightly, that's true.

10 Q. Could you describe for Mr. Jones the general
11 characteristics of the Queen-Grayburg-San Andres formation
12 in this area?

13 A. Okay, I'm no geologist, but I'll try to -- this
14 is my interpretation of it.

15 The -- You've got five radioactive sandstones
16 that are pretty -- and locally when they were developing
17 these reservoirs, they called them the Penrose A, Penrose
18 B, Loco Hills, Premier and Lovington. You've probably
19 heard those names before. And then you've got the San
20 Andres dolomite down below.

21 The five upper sandstones, the radioactive
22 sandstones, they vary in thickness anywhere from 10 to 20
23 feet, and they're continuous across the lease, they're
24 probably continuous through most of this area here.
25 They're excellent for waterflooding because you've got

1 tight, impermeable dolomite that separates the sandstones.
2 They are continuous, they're not lenticular. An ideal rock
3 to waterflood. The San Andres is a dolomite. It seems to
4 -- it starts at about 2200 feet, it goes down about 2800.

5 The NMOCD calls it all the Queen-Grayburg-San
6 Andres. Those shallow sands start about 1400, they go down
7 to about 2000. And then the dolomite, the San Andres
8 dolomite, starts about 2200, 2300, goes down to about 2800.
9 So the gross injection interval is going to be from about
10 1400 feet down to 2800, 2900 feet.

11 Q. The sands are continuous across --

12 A. Yes, sir, yeah, they're -- these --

13 Q. -- the areal --

14 A. -- they're not lenticular. That's what makes
15 them an excellent candidate to flood, because they're
16 continuous.

17 Q. Is this an expansion of an existing project?

18 A. Yes, sir, an expansion of SWD-988.

19 Q. And a copy of that saltwater disposal order 988
20 is included in our material as BP Exhibit Number 3; is that
21 right?

22 A. Yes, sir, it is. This is it right here.

23 Q. Let's go back to Exhibit Number 2. Would you go
24 to page 11 and just identify that, please?

25 A. Oh, yeah, this is -- as required by the

1 Application, this is a lease map that identifies all the
2 leasehold operators in wells within two miles of the
3 proposed injection project, the waterflood project, and
4 we've got highlighted the Section 33.

5 Now I made a mistake when I was putting this
6 together. The circles are two-mile diameter, one-mile
7 radius, and it should have been one-half-mile radius.

8 Q. But the area of review is correctly set forth on
9 Exhibit Number 1, is it not?

10 A. But this is it, yeah, this is -- this is what
11 we've provided. This is what the State required, and this
12 is what we're providing for clarity purposes. This shows
13 all the wells within the two-mile -- within two miles of
14 any proposed injection well, all wells that ever penetrated
15 the proposed injection interval, and it also shows the
16 leasehold operators of these wells.

17 So all the information that the C-10- -- that the
18 NMOCD requires is on this map here. This was just one that
19 -- this part of the Application, it sounded like this is
20 what I needed to do.

21 Q. But if you're really trying to read this map,
22 it's much better to refer to what we've offered today as
23 Exhibit Number --

24 A. I think this is probably the -- yeah, the best
25 map to refer to.

1 Q. Okay. In this Exhibit Number 2, pages 12 to 24,
2 are some tables that contain well data. Does this table
3 set forth all information required for each well within the
4 areas of review, as required by OCD Form C-108?

5 A. Yes, sir.

6 Q. And also it shows plugged and abandoned wells?

7 A. This -- The well data table does not show plugged
8 and abandoned wells, we have a separate data table for
9 P-and-A'd wells.

10 Q. And at this point in time I think it's important
11 that we point out to the Examiner that there are actually
12 four wells where there is inadequate information on the
13 efforts to previously plug and abandon those wells, and we
14 will address those separately later in the testimony.

15 In Exhibit 2, do pages 25 through 30 contain well
16 data sheets for each of the proposed injection wells?

17 A. Yeah, this has got all the information on the
18 well as it is currently.

19 Q. And then --

20 A. And then also the proposed -- the condition of
21 the well, the packer setting depth, the injection tubing,
22 the proposed perfs. In some cases it's existing perfs, in
23 some cases we're going to add some perforations. All the
24 producing formations are not perforated in each one of
25 these wells, so you've got the before and after.

1 Q. And that's shown for each of the proposed
2 injection wells?

3 A. Yes, sir.

4 Q. What's set forth in pages 31 through 47 of this
5 exhibit?

6 A. Let's see here. 31 through 47 is the P-and-A
7 schematics for the 37 wells -- There's 37 wells that have
8 been P-and-A'd actually in the initial area of review, and
9 I can't tell you right now if we've lost a couple of those
10 or not, but these were all -- There was 37 in that initial
11 slightly larger area of review. This is the schematics for
12 all those wells.

13 Q. Have you reviewed all data on all the wells
14 within the area of review for this proposed waterflood and
15 satisfied yourself there's no remedial work required on any
16 of these to enable BP to safely operate this project?

17 A. Yes, sir.

18 Q. That's with the exception of those four wells
19 we're going to address --

20 A. Right --

21 Q. -- in a few minutes?

22 A. -- the four wells with the missing data that --

23 Q. Why don't we go to page 48 of this exhibit, and
24 I'd ask you to identify what that shows.

25 A. Okay, 48 is a table -- These are wells that we

1 didn't catch -- well, actually I caught them in the
2 *Dwight's* database, PI database, and these are actually five
3 wells that I submitted -- I think I talked to Mr. Jones
4 about this, about -- to submit this information, and this
5 is some information we got on *Dwight's*. And in a few of
6 the wells there was a little bit of information in the
7 NMOCD database, but we couldn't tell if it was a real well
8 or not, but we thought we'd better submit it as part of the
9 application.

10 Q. And what we have here is, we've identified five
11 wells, correct?

12 A. Yes, in the initial application we identified
13 five wells.

14 Q. And for each of these wells you have not been
15 able to locate sufficient information to establish how, in
16 fact, the wells have been plugged and abandoned?

17 A. That's correct.

18 Q. Now when were these wells drilled, approximately?

19 A. These wells were all drilled in the 1920s.

20 Q. And has BP been on the location for each of these
21 wells, trying to locate the wellbore?

22 A. Yes, we've sent field operators with GPS devices,
23 gave them the legal location, to go out and scout these
24 locations to see what kind of -- if there was P-and-A
25 markers or any kind of archaeological evidence to suggest

1 there was some kind of cable-tool drilling activity in
2 these locations.

3 Q. Mr. Hargrove, I'd like to look at these wells one
4 at a time with you.

5 A. Okay.

6 Q. I'd like to start with the Tigner State, which is
7 the third well on this list. Is that well an issue in this
8 case?

9 A. Tigner State. No, the Tigner State dropped out
10 when we modified our injection pattern, so that's one well
11 that actually dropped out of the area of review. So it
12 wasn't --

13 Q. Okay, what about the --

14 A. For purposes of this Application, it's not within
15 the area of review.

16 Q. What about the Workman Thompson Number 1 well,
17 the fourth well on the list?

18 A. Yeah, the Thompson Number 1 is actually located
19 closer to SDX Resources. This well is located .48 miles
20 from our Washington 33 State Number 23 well. It's about .3
21 -- it's about -- it's .48 miles from our Washington 33
22 State Number 23, and it's .35 miles from SDX Resources'
23 Northwest Artesia Unit Number 15, so --

24 Q. So it would have had to have been in an area of
25 review for the -- for that well --

1 A. I think so, yeah --

2 Q. -- is that right?

3 A. -- when the application on the C-108 for the
4 Number 15, we assume this well was probably addressed
5 during that application, but it's right at the -- it's .48
6 miles from our well, and it's actually .34 miles from the
7 Number 15. We've actually got -- We've actually got a
8 Queen-Grayburg-San Andres producer between our proposed
9 injection well and this well that we're not even, you know,
10 for certain that it exists.

11 Q. It was drilled when? Do you know, approximately?

12 A. This well was spudded in June of 1925.

13 Q. And how much --

14 A. Well, let me back off that. This is -- you're
15 talking about the -- the Thompson

16 Q. -- the Thompson --

17 A. -- the Thompson, yeah, I'm sorry, June, 1925.

18 Q. And how much information is there on this well?

19 A. We've got -- there was a little bit of -- there
20 was some data in the NMOCD database. When we say some,
21 there was an API number registered and just not a whole lot
22 of information there. Most of the data we got was from the
23 PI Dwight's database. We've got well location, we've got
24 casing size, we've got some setting depths, no cement,
25 we've got a TD, and we've got the original operator that

1 drilled the well, we've got an API number. So this is --
2 that's what we've got.

3 Q. What about the Delhi State Number 1 well?

4 A. Okay, the Delhi State Number 1 well is located
5 990 from the south, 1570 from the west, up in Section 28,
6 and it is --

7 Q. When you were on the surface, were you able to
8 find any actual physical evidence of this well?

9 A. Okay, yeah, we -- the field operator didn't find
10 anything, no P-and-A marker, no dry- -- no P-and-A marker,
11 no -- apparently with these cable-tool rigs there's some
12 archaeological evidence of an old drill site. He couldn't
13 find anything to suggest that there had ever even been a
14 well drilled there on this well.

15 Q. And how far is it from the nearest injector?

16 A. It's .46 miles northwest of our Number 4.

17 Q. What about the Bixby Fry State Number 1?

18 A. Okay, and also there was -- on this Delhi State
19 Number 1, if it's okay?

20 Q. Uh-huh.

21 A. -- there was no data in the NMOCD database on
22 this well. And so our operator couldn't find any evidence,
23 there was no data in the database.

24 We picked up some data -- location, casing, TD --
25 from the PI *Dwight's* database, and that's why we included

1 it in this Application.

2 Q. What about the Bixby Fry State Number 1?

3 A. Bixby Fry State 1 is located in Section 4. Okay,
4 this well is -- there wasn't any data on this well in the
5 NMOCD database because we picked it up in *Dwight's*. The
6 operator found what, quote, could be a cable-tool drilling
7 site. No P-and-A marker, no -- you know, nothing like
8 that. No wellhead, obviously no P-and-A marker. It's
9 about .4 miles south of our Number 23, so it's -- I don't
10 have it picked here, but it's .4 miles south of our Number
11 23.

12 There is good -- There is a Queen-Grayburg-San
13 Andres producer located between our Number 23 and this well
14 that we're not too sure exists.

15 Q. Finally, what about the Welch EP State Number 1?

16 A. Welch EP State 1 is up in Section 27, which is
17 northeast of Section 33. This well is located .34 miles
18 northeast of our Number 2 proposed injection well. There
19 was some data in the NMOCD database, but -- I don't have it
20 in front of me, but it's like very -- just very, very
21 little, like a few sheets, nothing -- no P-and-A
22 information, probably, no drilling information or anything
23 like that.

24 We actually found what could have been a cable-
25 tool drilling site on that well, and no wellhead, no

1 P-and-A marker, and this is a well that we've actually got
2 -- we've got to produce or -- directly between this well
3 that we're not too sure exists and our proposed injection
4 well, so it's outside of the proposed waterflood area.

5 Q. Mr. Hargrove, in fact, we have four wells --

6 A. There's -- yeah --

7 Q. --in this category; isn't that right?

8 A. Well, four wells that are within this area of
9 review that we just were not too sure if there's a well
10 there, that we picked up some data.

11 Q. And isn't it fair to say that each of these wells
12 are outside of the waterflood project area?

13 A. Right, they're outside of the waterflood project
14 area, we've got Queen-Grayburg-San Andres Producers between
15 our proposed injection wells and this -- and this well,
16 these four wells that we're talking about.

17 Q. Have you contacted the District Office concerning
18 these wells?

19 A. Yeah, I've had a couple of conversations with
20 Gerry Guye with the Artesia District Office. We're going
21 to try to work together and compare notes to see what
22 information he has as far as if these wells -- Maybe he has
23 some P-and-A information. He's the field rep inspector, I
24 believe, for the Artesia District, Gerry --

25 Q. Is it -- Is it your recommendation that any order

1 that would approve this waterflood project require BP to
2 work with the District Office of the Oil Conservation
3 Division to assure that there is no concern about the
4 potential of any of these four wells in terms of
5 contaminating water or becoming a vehicle to let injected
6 fluids get out of zone?

7 A. That's how we'd like to approach this, yes, we'd
8 like to work with the District Office.

9 Q. What injection volumes is BP proposing?

10 A. Well, we think before we actually fill up this
11 reservoir, we're going to inject about 2000 -- based on the
12 permeabilities and the thicknesses of the reservoir, doing
13 some basic injectivity calculations, we're thinking about
14 2000 barrels a day.

15 Q. And after fill-up, what will be the injection
16 rate?

17 A. We think once we get the reservoir pressure back
18 up to around bubble point, around 1200 p.s.i., 1300 p.s.i.,
19 with our -- we're going to inject about 500 barrels of
20 water per day.

21 Q. What is the source of the water you're proposing
22 to inject?

23 A. The source of the water is from the Empire-Abo
24 Unit, we've actually got a waterline from a disposal
25 facility over in the Empire-Abo Unit, over to our

1 Washington 33 State tank battery facility -- now it's kind
2 of a slash-water-injection-facility. We've got produced
3 water from the Washington 33 State.

4 And there's another lease, we take water from SDX
5 Resources. I need to look at this Application. We take
6 some water from SDX Resources. If you'll excuse me...
7 Their northwest Artesia unit, we actually take some water
8 -- that water gets combined at the Washington 33 State tank
9 battery.

10 So we've got three sources of water: SDX
11 Resources northwest Artesia unit, the Washington 33 State
12 Lease and then the Empire-Abo Unit.

13 Q. Do you use fresh water for makeup --

14 A. No --

15 Q. -- in this project?

16 A. -- no, no fresh water.

17 Q. Have you run water analyses to ensure there are
18 no compatibility problems with the --

19 A. Right, and it's included in the Application,
20 we've done analysis on the mixtures of the water, the water
21 at the Washington 33 State tank battery, the Empire-Abo
22 Unit water, scale analysis, we've done the -- you know,
23 which you'd want to do if you're going to put the lease
24 waterflood in -- we've done the scale analysis, and there's
25 no compatibility issues. We're going to have -- we'll have

1 a little scale-inhibition program, a little chemical
2 injection there at the water injection facility, but
3 there's no compatibility issues. There's no prospect or
4 potential to damage the reservoir, and -- you know, there
5 shouldn't be anything like that.

6 Q. What injection pressure is BP proposing to use?

7 A. We'd like to start out at the .2 p.s.i. per foot,
8 to the top depth. And once we -- that should be sufficient
9 to -- we should get -- you know, we expect to get 2000
10 barrels of water per day, or quite a bit of rate, because
11 you're so under pressure in this reservoir, you've got nice
12 permeability.

13 And once we get -- we start bumping that pressure
14 and we fill this thing up, we get the -- we start
15 pressuring up the reservoir, and we would like to go out
16 there and do a step rate test to see if we could actually
17 increase the injection pressure.

18 But for initially, we would just need the .2
19 p.s.i. per foot, which seems to --

20 Q. If you need to go above .2 pound per foot of
21 depth to the top of the injection horizon, will you contact
22 the Division and be certain that the step rate tests are
23 witnessed; is that --

24 A. Right, we'd do a step rate test to determine what
25 the parting pressure is, to make -- based on the results of

STEVEN T. BRENNER, CCR
(505) 989-9317

STEVEN T. BRENNER, CCR
(505) 989-9317

1 the step rate test, to see if we could get an increase in
2 the allowable on the injection pressure, to get to -- you
3 know, just for injection operations.

4 Q. How is BP going to monitor the wells to ensure
5 wellbore integrity?

6 A. We'll have a pressure gauge on the annulus.

7 Q. And will you fill the annular space with a fluid?

8 A. Yeah, it would be an inert fluid, sure.

9 Q. In other words, you're going to comply with the
10 Federal Underground Injection Control program --

11 A. Right, and do the mechanical integrity tests as
12 required by the State.

13 Q. In your opinion, will the proposed injection in
14 these wells pose any threat to any source of underground
15 drinking water?

16 A. No.

17 Q. What are the -- Are there freshwater zones in the
18 area?

19 A. There's the Ogallala aquifer, and it goes from
20 about 250 down to 400 feet.

21 Q. And there's nothing below -- no freshwater zones
22 below the injection horizon?

23 A. No.

24 Q. Are there freshwater wells within a mile of any
25 of these injection wells?

1 A. We've got one freshwater well that we know of --
2 Let me see here. It's the Depco Road water well, and we've
3 got -- on this application we've got -- I just hand-wrote
4 on the top of it, it's the water analysis from that
5 freshwater well.

6 Q. And that's page 9 of Exhibit 2?

7 A. Page 9, yes.

8 Q. Have we confirmed with the New Mexico State
9 Engineer's Office that this is the only water well in the
10 area?

11 A. Yes, we have.

12 Q. We also in this exhibit have included a water
13 analysis for what we call the Empire-Abo Unit waterline?

14 A. Yes.

15 Q. That is not a well; is that right?

16 A. It's a waterline, right, it's not -- it doesn't
17 -- it's just a waterline that --

18 Q. For some reason it was included in the
19 Application for the Number 12?

20 A. Still trying to find out who did that.

21 Q. And you -- And it was included for that reason;
22 is that right?

23 A. Yeah, it was included because it was a source of
24 fresh water.

25 Q. Let's go to pages 9 and 10 of this Exhibit 2.

1 A. Okay.

2 Q. And would you just identify those for us?

3 A. Nine and 10 is the net water analysis report,
4 where the -- Page 9 is the water analysis for the Depco
5 Road water well. That's the single freshwater well, and
6 this has all been confirmed with the --

7 Q. -- State Engineer.

8 A. -- okay, the State Engineer. This is a water
9 analysis of that particular well.

10 And page 10 is the water analysis for the water
11 coming from the Empire-Abo Unit freshwater line.

12 Q. Mr. Hargrove, you've examined the available
13 geologic and engineering data on this reservoir, have you
14 not?

15 A. That's correct.

16 Q. As a result of that examination, have you found
17 any evidence of open faults or other hydrologic connections
18 between an injection interval and any underground source of
19 drinking water?

20 A. No, this is not a naturally fractured reservoir,
21 water is not going to go through a fracture up into the
22 fresh water or any other hydrocarbon-bearing zones above
23 and below the Queen-Grayburg-San Andres.

24 Q. Oil Conservation Division Rules require that
25 notice of an injection application be provided to all

1 offset operators within a half mile of each proposed
2 injection well and that the owners of the surface land on
3 which the injection well is located. Does Exhibit Number 2
4 set out the names of all offset operators?

5 A. Yeah, we -- there was -- we identified 10
6 leasehold operators that operated properties within the
7 area of review, and two -- of course the State of New
8 Mexico Land Office, and then Bogle Limited, which I think
9 is a ranching outfit. We sent them a copy of the
10 Application also.

11 Q. And they actually have a surface lease; is that
12 right?

13 A. I believe so, yes.

14 Q. And the names of the offset operators are set
15 forth on pages 51 and 54; is that correct?

16 A. Yes, that's correct.

17 Q. Now, have you seen the e-mail that was sent to
18 the Division from Jackie Brewer concerning this
19 Application?

20 A. I read over yesterday, yes, about their --
21 they've got the Sandlott Number 1 down here in the
22 northwest northwest quarter of Section 4?

23 Q. Right.

24 A. Yeah, let me --

25 Q. Has BP previously responded to Mr. Brewer

1 concerning his concerns with our project?

2 A. Yeah, I've talked to him and --

3 Q. Have other --

4 A. -- let me get my notes --

5 Q. -- BP employees also contacted him and discussed
6 this situation with him?

7 A. Yes, I've talked to him, we've got a landman
8 that's talked to him. The name of the well is the
9 Daugherty Number 1.

10 Q. Mr. Brewer proposed the sale of this property to
11 BP, did he not?

12 A. Yes, he did. He's interested in selling it for,
13 I believe, \$400,000, is --

14 Q. And -- and what really is the going rate in this
15 area?

16 A. About \$160,000 for a 40-acre -- for a 40-acre
17 lease with some drilling potential. I mean, not just
18 throwing out a number, more like \$160,000.

19 Q. So more than two times the current going rate is
20 what Mr. Brewer is asking --

21 A. Yeah, yeah, it was quite a bit. This well makes
22 one barrels [sic] a day, it's --

23 Q. When was it drilled?

24 A. Let's see here. Back in 1970, I believe, earlier
25 -- Let me get my -- I'm going to have to get the well data.

1 Okay, the Daugherty State Number 1 was drilled
2 back in actually 1941, production -- yeah, back in
3 February, 1941.

4 Q. And when did it first produce?

5 A. Well, I've got production data back to 1970, so I
6 don't...

7 Q. In fact, it has been producing for a long period
8 of time?

9 A. Yeah, it's been producing since 1970. I don't
10 have in front of me any -- I assume it probably produced
11 before 1970, but...

12 Q. Do you know how many individuals have operated
13 the well since 1985?

14 A. I believe four or five.

15 Q. And do you know what the current production rate
16 is?

17 A. It makes about a barrel a day. It's on a timer.

18 Q. Do you have an opinion on whether or not BP's
19 proposed waterflood project will be able to damage the
20 Brewer well?

21 A. No, in my opinion our waterflood is not going to
22 have any impact on this well.

23 Q. And why is that?

24 A. Well, part of it is analogy. You've got the SDX
25 Resources Northwest Artesia Unit Number 15, which is

1 located approximately the same distance from this well,
2 updip, over in the southeast southeast quarter section.
3 This well has injected a half a million barrels of oil --
4 of water, as part of this waterflood, and this well has
5 never received any kind of waterflood response from that.

6 And there's actually no Queen-Grayburg-San Andres
7 production wells between this -- between this Sandlott well
8 and this proposed injection well. So by analogy, we've
9 actually got -- we're going to have Queen-Grayburg-San
10 Andres production wells between our proposed injection well
11 and this Sandlott well.

12 So not only do we -- I mean, this well has
13 injected a half million barrels of water, this well has
14 never received any kind of response. And this well is
15 completed in an open-hole interval that includes the
16 injection interval for the Number 15 well. We're proposing
17 to convert the Number 23 to injection. We have five Queen-
18 Grayburg-San Andres Unit wells that surround the Number 23,
19 including two in between this well and the Number 23.

20 And, you know, based on my experience, field
21 development projects, waterfloods and some -- and common
22 sense, honestly, I don't see any way we're going to impact
23 this well.

24 Q. Mr. Hargrove, have you reviewed the data on the
25 wellbore on the -- on Mr. Brewer's wellbore?

1 A. Yes, I have.

2 Q. Any problem with the wellbore?

3 A. No. This rock is very stable. There's -- I
4 don't see any chance to collapse the --

5 Q. Is Mr. Brewer's well outside the project area?

6 A. It's outside the project area.

7 Q. How are you going to manage this project? I
8 mean, you're going to be injecting in seven injection
9 wells, correct?

10 A. Yeah, we've got seven injection wells, 22
11 production wells, and --

12 Q. If we do the production wells between the
13 injection wells and Mr. Brewer's well, are you going to
14 keep them pumped off?

15 A. Yeah, we're going to keep them pumped -- we're
16 going to keep them pumped off. We --

17 Q. In fact, that would create pressure sinks at
18 those wellbores, will it not?

19 A. That's true.

20 Q. And so the injection fluids not only are going to
21 be moving toward wells between Mr. Brewer's well and the
22 injection well, but there are going to be pressure sinks
23 around those wells to catch the injection fluid; isn't that
24 right?

25 A. Right. The way we're going to manage this flood

1 is, we've got an injection well here, we've got our two
2 Queen-Grayburg-San Andres production wells. Yeah, we --

3 Q. And by managing the reservoir in this way, in
4 fact, it's not just for Mr. Brewer's well, it's for BP's
5 objective of keeping injected water on the lease --

6 A. That's correct, yeah.

7 Q. -- isn't that right?

8 A. That's just good reservoir management.

9 Q. And when you do that, you're not posing a risk to
10 an offset well like Mr. Brewer's --

11 A. No.

12 Q. -- isn't that correct?

13 You've identified, I think, for Mr. Jones, the
14 owner, the surface owner, being the State of New Mexico?

15 A. That's correct.

16 Q. And Bogle Farms is the only other interest owner,
17 and they just have a grazing lease; is that right?

18 A. On the surface, yeah.

19 Q. Have you reviewed your plans for this waterflood
20 with the State Land Office?

21 A. That's correct, yeah.

22 Q. And have any objections been expressed by the
23 State Land Office to what you're proposing?

24 A. No.

25 Q. Are affidavits confirming that notice of the

1 original application and the addendum herein have been
2 provided to all interest owners pursuant to Division Rules
3 -- are these affidavits included in Exhibit 2?

4 A. Yes.

5 Q. And they're on pages 49 through 58?

6 A. That's true.

7 Q. Do we have Federal Express confirmations --

8 A. Yes, we have, yeah --

9 Q. -- showing that --

10 A. -- we've got --

11 Q. -- were received?

12 A. -- for our tracking numbers, confirmations that
13 these --

14 MR. CARR: Mr. Jones --

15 THE WITNESS: -- that these --

16 MR. CARR: -- we did not put those in the exhibit
17 packet, but we can provide those if you desire.

18 EXAMINER JONES: As long as you have a --

19 MR. CARR: We have a --

20 EXAMINER JONES: -- testimony that you've done
21 it.

22 THE WITNESS: Yeah.

23 MR. CARR: We have them, and we can confirm with
24 -- Mr. Hargrove's testimony that we do have them and we
25 will keep them if there's ever a question concerning --

1 THE WITNESS: For the original application and
2 the addendum, we've got --

3 EXAMINER JONES: And the addendum.

4 Q. (By Mr. Carr) Is BP America Production Company
5 Exhibit Number 4 an affidavit confirming that notice of
6 this Application has been published in a newspaper of
7 general circulation in Eddy County, New Mexico, as required
8 by Division Rules?

9 A. Yes.

10 Q. Will approval of this Application and the
11 implementation of the proposed waterflood project be in the
12 best interest of conservation, the prevention of waste and
13 the protection of correlative rights?

14 A. Yes.

15 Q. How soon does BP desire to commence operations on
16 this waterflood project?

17 A. We'll start as soon as we get approval.

18 Q. Were BP America Exhibits 1 through 4 either
19 prepared by you, or have you reviewed them and can you
20 testify as to their accuracy?

21 A. They were prepared by me, and I can testify to
22 their accuracy.

23 MR. CARR: May it please the Examiner, at this
24 time we'd move the admission into evidence of BP Exhibits 1
25 through 4.

1 EXAMINER JONES: BP Exhibits 1 through 4 will be
2 admitted into evidence.

3 MR. CARR: And that concludes my direct
4 examination of Mr. Hargrove, and I pass the witness for
5 questions.

6 EXAMINER JONES: Thank you, Mr. Carr.

7 EXAMINATION

8 BY EXAMINER JONES:

9 Q. Mr. Hargrove, I just have a bunch of questions
10 written down, maybe kind of back and forth on some of
11 these, but these are existing injection -- existing wells
12 you're going to convert, they're not new-drilled injection
13 wells, right?

14 A. That's right, they're existing production wells,
15 they average about four to five barrels of oil per day.

16 Q. You chose to convert existing wells rather than
17 drill new wells, because these are relatively new wells; is
18 that correct? Or the pattern fits?

19 A. We think that the -- yeah, we've got sufficient
20 well penetration in this reservoir that we didn't need to
21 drill any -- make any additional penetrations. We could
22 utilize these existing seven wells for water injection and
23 effectively flood the Queen-Grayburg-San Andres with these
24 seven wells.

25 Q. Okay, what spacing will the well be on, and what

1 spacing will the patterns be on? Are these fivespot
2 patterns?

3 A. Yeah, they -- Well, it's not a perfect normal
4 fivespot, but we tried to create a tight pattern -- Let me
5 see my map here. These are kind of an inverted fivespot, I
6 would describe it.

7 Q. Okay. Okay --

8 A. And with what we have -- this is a small -- this
9 is a small lease, so you're kind of -- if it was a larger
10 lease, you know, you could be a little more uniform. But
11 it's -- I think it's a nice -- it's an inverted fivespot
12 pattern, should be able to effectively flood the reservoir
13 with these seven wells.

14 Q. Okay. I guess speaking of the reservoir itself,
15 you've got this dolomite on the bottom, and then you've got
16 the five sandstones above it.

17 A. That's right.

18 Q. Are you going to start out with the dolomite and
19 do the sands later, or are you going to do --

20 A. We're going to flood it all at one time. We're
21 going to -- we've fleshed out a reservoir management
22 approach. I think it's a work in progress, but we're going
23 to do some reservoir monitoring, see where our injection
24 water is going. We're going to do -- we're going to try to
25 find out where our water is going, see where we're -- once

1 we get waterflood response, see where the -- you know,
2 which zones are being effectively flooded. And then if
3 you've got a thief zone or one zone that doesn't look like
4 it's being flooded efficiently, we'll make -- we'll do some
5 remedial work.

6 But I think initially -- well, initially we're
7 going to set the packer within 100 feet of the top zone and
8 go in there and pressure up this reservoir and then just do
9 some monitoring, see what -- All these zones have been
10 flooded in the surrounding lease waterflood, so we believe
11 that they can be flooded on this lease too.

12 Q. So you are -- the BP engineers and you have
13 studied surrounding waterfloods in this same --

14 A. Yeah, right, we use part of the justification for
15 the project was analogies, field analogies.

16 Q. Okay. Well, which of these intervals would be
17 the best --

18 A. Well, yes, it's -- it's --

19 Q. -- as far as --

20 A. -- yeah, you know, it depends, the -- like the
21 Lovington in some areas is thicker, and there's some
22 variations on the isopach. The Premier is a pretty nice
23 reservoir, the Penrose A is nice.

24 The Loco Hills is a little bit thinner, it's more
25 of a 10-foot zone. It might be your least prolific

1 reservoir, but it is continuous. You have 10 feet of pay
2 there, you've got a nice oil saturation, you've got a gassy
3 reservoir. So it's worth flooding, it's continuous.

4 The San Andres has got more net pay, so it
5 probably has the greatest potential for waterflooding.

6 But all five of the shallower sands, the 1400- to
7 2000-foot, are continuous, they're -- you've got good
8 zone -- you should have good zone isolation out there in
9 the rock, in the rock strata, and we expect that this is
10 going to be an effective flood, I think in all six zones,
11 six zones.

12 Q. Are the gravities the same in all of these -- oil
13 gravities in all of these --

14 A. Only information we've got, it's all around 34
15 degrees API, yeah. You've got -- It's fairly gassy crude,
16 too, which makes it good for waterflood.

17 Q. But the bubble point was 1200; is that right?

18 A. The --

19 Q. Original pressure was 1200 --

20 A. Yeah, but the original pressure out here, if you
21 had to -- I mean, it might be a little bit more than that
22 down in the San Andres, just because, you know, it's a
23 little more -- higher, the deeper you go into the rock
24 sequence.

25 But if I had to say an average initial reservoir

1 pressure, it was probably around 1200 p.s.i., which is
2 probably around bubble point. You should be around 600
3 p.s.i. right now. It's well below bubble point, you don't
4 have a whole lot reservoir energy. Luckily, it's a fairly
5 gaseous crude, so even though you're below bubble point
6 you've got some drive just with that gas breaking out.

7 But from a reserves recovery perspective, you
8 don't want too much of that gas to break out, you want to
9 get it back in the oil, displace it. But you always get it
10 -- you'll get it eventually, but once that gas blows off
11 it's going to be harder to recover this oil.

12 Q. Okay. Will this ever be a CO₂ candidate?

13 A. I would never say never. I guess that would
14 depend on oil prices and what kind of -- you know, you
15 might get 20 percent of initial oil in place, 20, 25
16 percent, depending on how the waterflood goes. I'm not --
17 Boy, that's a tough question. It could be, yeah. I mean,
18 I mean, I would never say that if oil prices stay where
19 they are and keep going up, I mean, there might be CO₂
20 potential.

21 Q. So initial -- so primary, ultimate primary, will
22 be how much oil in place?

23 A. Ultimate primary should be about 120- -- or
24 1,150,000 barrels of oil, and that includes about 250,000
25 barrels of oil that was produced from this 600 acres, from

1 the Queen-Grayburg-San Andres, before ARCO drilled it in
2 1998.

3 And the total production from the Queen-Grayburg-
4 San Andres is around 9- -- almost 1 million barrels of oil
5 and 2 BCF of gas.

6 Q. Okay.

7 A. We think we can go in there with a secondary
8 recovery -- you're only going to get about 150,000 barrels
9 of oil now at this 120 barrels a day, it's declining 10, 15
10 percent. So even with the high oil prices you can --

11 Q. Did you -- Did you do a pore volume calculation?
12 In other words, what would be your ultimate primary as a
13 percent of original oil in place?

14 A. I think ultimate primary is going to be about 7
15 percent of --

16 Q. Seven -- and up to 25 with -- 20 to 25?

17 A. I'm not sure it would go that high. Let's go 20,
18 I think you could get 20 percent --

19 Q. Twenty, Okay.

20 A. -- recovery, yeah.

21 Q. Okay, so that's -- You're expecting to get more
22 than -- from secondary recovery than you got -- as a
23 percentage, than you got from --

24 A. Right. A lot of that is, you're going in -- This
25 field was developed, you know -- You're right, I think with

1 secondary we're going to get one -- one to two times
2 primary on this project. The oil is sitting there, the oil
3 is there. You've probably produced 7 -- I don't know,
4 you -- 7, 8 percent of your original oil in place on
5 primary. You might ultimately get 10 if you keep producing
6 this thing for a long time. But with a secondary recovery
7 project I think you can get your 7, 8 percent you've got
8 now, maybe up to 20 percent, at least.

9 Q. Okay, this -- I guess it will get more attention
10 when it's -- usually when it's a waterflood for workovers
11 and things like that, so maybe you'll do some more
12 stimulation on the --

13 A. Yeah --

14 Q. -- producing --

15 A. -- some of the -- yeah, there's a remedial to
16 really get this. Some of these wells are not completed in
17 all the producing horizons, actually, so we've got some
18 remedial work in some of the production wells, and actually
19 some of the injection wells. We have to go in there, and
20 -- and that's a pretty high skin, when you have casing --

21 Q. Yeah.

22 A. -- it's hard to go in there and perforate and
23 fracture stimulate and complete the -- some of the
24 injection wells for injectivity and some of the production
25 wells so all the zones will be open in each of the

1 injection wells and each of the production wells. We'll go
2 in there and start -- if we get the approval, get the gas
3 back in the oil.

4 And we think that the peak production should be
5 anywhere from 400 to 500 barrels a day, once we start
6 filling up that reservoir, and these things are going to --
7 you know, we expect something like that, and then -- you
8 know, and probably maybe a 10- or 15-percent decline.

9 Q. How long will it take to reach the peak, do you
10 think?

11 A. Two, three -- two years.

12 Q. So mainly it's -- you're using analogy here. You
13 didn't do a model or --

14 A. I did use a CGM model, which is a reservoir flood
15 model, to calculate -- determine fill-up. And then beyond
16 that I built a spreadsheet model --

17 Q. Oh.

18 A. -- because you have water injection coming -- you
19 have to use different injection wells. You've got
20 production wells, and you've got -- with the CGM model I
21 was able to predict and model the advancing waterflood
22 front --

23 Q. Oh.

24 A. -- and so once you had a waterflood response, I
25 built a spreadsheet model. And I layered in -- you've got

1 your primary coming from maybe one direction, and then all
2 of a sudden you've got a secondary hit, so I built kind of
3 a layered spreadsheet model --

4 Q. Right.

5 A. -- so it was kind of a hybrid approach.

6 Q. Okay.

7 A. And then we -- to justify the project, we took
8 that forecast, and we actually risked it. We brought it --
9 you know, we risked it and brought it back down to around a
10 million barrels of oil. And I think at the minimum you're
11 going to get a million -- million barrels with this
12 project. And you've got some -- I think some pretty good
13 upside too.

14 Q. Okay. Are we calling this a waterflood, not a
15 pressure maintenance project, then, right?

16 A. I call it a waterflood.

17 Q. A waterflood, okay. The -- Your pressure that
18 you want to put on the wells, what would be the optimum
19 pressure? I know what you said about the pressure limit,
20 but what would you --

21 A. I'd go -- I would go with the .2 -- I'd go with
22 the -- you know, the .2 per foot. And then once this thing
23 starts filling up and you start seeing some pressure at the
24 surface, do a step rate.

25 Common sense, I'd drop a couple hundred pounds

1 below what -- you know, you don't want to fracture that
2 thing, we don't want to fracture it. We don't want to open
3 up that rock and have that injection water going in some
4 other zone. Even though you don't have a lot of perm,
5 maybe, in these zones, I think you're better off just --
6 it's easier on our equipment at the surface, keep our water
7 into the reservoir, and I would say -- I'd say 100 or 200
8 pounds below your fracture pressure --

9 Q. Okay.

10 A. -- would make sense to me.

11 Q. Well, what would you do -- would you say to a
12 production foreman that if you go out there and you do some
13 injection surveys and you find out that some of your zones
14 are cycling water through pretty fast and almost basically
15 fracturing, and the others are not taking any fluid, what
16 are you going to tell them?

17 A. Like you have one zone that's already maybe
18 flooded out a -- one of your production wells, or
19 increasing -- I mean, what...

20 You go in there, the permeabilities don't vary a
21 whole lot in these zones. Actually, surprisingly, the
22 perms -- the San Andres is a lower perm, but you've got a
23 lot more net pay. I would go in there and look at -- maybe
24 you've got scale damage, and that's part of reservoir
25 monitoring.

1 But if you've got one deep zone that's highly
2 permeable, you might go in and acidize the other zones and
3 see if you can do a stimulation. And you can always go in
4 with some valves and mandrels downhole -- it's expensive --
5 but do an economics and see if it's worth it, and go in
6 there and put some downhole flow control valves and isolate
7 these zones with downhole packers so that you can actually
8 control and monitor them in a water injected -- Let's say
9 the Lovington is taking, you know, its -- more than its --
10 the lion's share of the water, and we don't want it -- we
11 want it to take 20 or 15 percent of the injection water,
12 and it's taking 40 percent. Then we'd go in there probably
13 with a downhole completion and choke it back so that it
14 doesn't take as much water.

15 And we've actually -- to justify the project we
16 actually built almost a million dollars in capital,
17 assuming that we may have to do that, just from a risk
18 perspective, say we may have to go in there once we fill up
19 this reservoir, and we're monitoring the injection into
20 these wells, and also the production wells, to maybe go
21 back in and do some -- install some downhole flow-control
22 equipment.

23 Q. Does BP have basically engineers as production
24 foremen, or do they -- In other words, is an engineer going
25 to be shepherding this project from the start, pretty much,

1 or is it going to be turned over to production --

2 A. There'll be --

3 Q. -- foremen that are watching their costs more
4 than they're watching their --

5 A. Yeah, actually, in -- part of the reservoir
6 management program is, we've got an engineer now dedicated
7 to developing the reservoir management strategy, and there
8 will be one reservoir engineer in the Houston office that
9 -- I mean, we'll take this data, injection data, production
10 data, and you'll have a reservoir monitoring -- ongoing
11 reservoir monitoring program. And then they're going to
12 communicate the results of that program and changes that
13 need to be made out in the field to, you know, increase
14 injection. And I actually have not been working on that as
15 much.

16 Q. Are you going to use a monitor well here, or just
17 do production profiles, injection profiles?

18 A. Well, they'll be monitoring the injection rates
19 and the pressures in each of the injection wells, and
20 also --

21 Q. But no downhole monitoring of different zones or
22 anything like that, in one well or --

23 A. There'll be -- no, they'll be downhole, they'll
24 be --

25 Q. Okay.

1 A. Yeah, Dodie Hecker -- Dodie is the -- she
2 developed the reservoir management program --

3 Q. That's great.

4 A. -- and applications and communication with the
5 field and everything. So yeah, there's going to be --

6 Q. Sounds like you --

7 A. -- ongoing, yeah.

8 Q. Sounds like you do have a concern about the
9 different intervals and monitoring them.

10 A. Yeah, you've got this many zones -- If you have
11 one or two, you may not be worried -- as worried. But
12 we've got five -- we've got six good zones that really need
13 to take water, and they're all excellent candidates for
14 waterfloods, so we want to make sure that they each get --
15 if you get 500 barrels a day, 600 barrels a day, whatever
16 that stabilizes at, we want to make sure that each zone is
17 receiving, you know, the water.

18 We'll have initially more monitoring, going with
19 spinner surveys and tracer surveys, things like that, to
20 see where the water is going. And then we'll kind of take
21 it as we go and see what we need to do.

22 Q. Okay. Okay, and I got your testimony about not
23 having any effect on Sandlot Energy's well. They're not
24 here today, so -- you know, you're an expert --

25 A. Yeah, that's --

1 Q. -- so I've got your --

2 A. They -- We looked at their water production, and
3 they -- yeah, we don't see any adverse effect on that -- on
4 that well.

5 Q. Most of your production wells, are they -- you
6 say a maximum of 400 barrels a day. With water it would be
7 another 400 or so?

8 A. Well, we would say that -- initially, we're
9 trying to fill this reservoir up. Even if -- we should be
10 able to get, we hope, about 2000 barrels of water per day,
11 because we've got good permeability, you've got a lot of
12 reservoir thickness with all the zones.

13 So once we fill it up, you're going to -- you're
14 going to start to -- the pressure is going to come up. And
15 as that pressure comes up above -- to the point where we're
16 at our max, then we'll probably want to go in there and do
17 a step rate test and see if we can increase it, not to
18 fracture the reservoir, but to -- you know, we've just got
19 more resistance down there.

20 Q. Right.

21 A. And so this is just based on some basic Darcy
22 inflow calculations, based on the total thickness and the
23 average permeability and what we think we could inject it.
24 Like we use 900 p.s.i. or so, just assuming that your
25 fracture pressure was eleven, dropped a couple hundred

1 pounds off of it, we assume that the res pressure is 1200
2 p.s.i., or --

3 Q. Okay.

4 A. -- and then we just did the calculations that
5 way.

6 Q. Okay. Your -- You didn't say anything about
7 porosity in the different zones and water saturation in
8 different zones, but I think I've got plenty of stuff for
9 my --

10 A. Yeah, right.

11 Q. -- use here. And let's see, the EUR tax credit,
12 I didn't see it advertised that way. You don't project oil
13 is going to --

14 MR. CARR: We're not requesting that.

15 EXAMINER JONES: -- ever go down below \$30
16 anymore?

17 MR. CARR: Well, and also we're already
18 injecting, and so there's a question of whether we would
19 qualify since we've already started injection --

20 EXAMINER JONES: Oh, okay.

21 MR. CARR: -- and it may take the project out of
22 that.

23 EXAMINER JONES: Okay.

24 MR. CARR: In the Number 12.

25 EXAMINER JONES: Okay. Could be -- Let's see

1 here. I'm sure Chuck Morgan at SDX is glad to give you
2 some of his water.

3 THE WITNESS: Yeah.

4 EXAMINER JONES: He's always trying to --

5 THE WITNESS: Yeah, we're --

6 EXAMINER JONES: -- sending us disposal
7 applications.

8 THE WITNESS: Right. He's actually -- he's
9 interested -- I mean, I think they're actually interested
10 in developing their flood a little bit more extensively,
11 based on our success in this Section 33. He's actually
12 indicated that to me --

13 EXAMINER JONES: Okay.

14 THE WITNESS: -- the guys at SDX in Midland,
15 Texas.

16 Q. (By Examiner Jones) Okay. Hm. The area of
17 review -- can you guys send an e-mail -- You've probably
18 got this all on a spreadsheet. Can you send that to me?

19 A. Sure, yeah. We've got that -- the -- the well
20 data table for --

21 Q. Yeah --

22 A. -- all the wells --

23 Q. -- all those tables.

24 A. -- in the area?

25 Q. My e-mail is on my -- on our website.

1 A. Okay.

2 EXAMINER JONES: Is that kosher, Cheryl?

3 MS. O'CONNOR: Do you want him to send it
4 directly to Mr. Jones?

5 MR. CARR: Mr. Hargrove --

6 EXAMINER JONES: It would be a duplicate of
7 what's --

8 THE WITNESS: Uh-huh.

9 MR. CARR: But it will be easier for you to work
10 with --

11 EXAMINER JONES: Yeah.

12 MR. CARR: -- in that format, and we'll be glad
13 to send that to you.

14 EXAMINER JONES: Yeah.

15 MR. CARR: We can send it directly to you.

16 Q. (By Examiner Jones) Oh, speaking of that, these
17 wells -- a lot of them are -- I see several of them to 6000
18 feet. What were they originally going for?

19 A. 6000-foot well would have been an Abo well.

20 Q. Okay.

21 A. You've got -- you've got some Morrow production
22 out there, you've got Abo, because the Empire-Abo units --
23 you've got Abo, you've got a little Yeso, spotty Yeso,
24 you've got some -- I mean, you've got some Seven Rivers,
25 and then of course the Queen-Grayburg-San Andres.

1 Q. So the original target out here in this area was
2 the Abo?

3 A. Well, you had some -- you had some wells from the
4 1920s to the Queen-Grayburg-San Andres --

5 Q. Okay, that's --

6 A. -- you know. Usually you --

7 Q. -- that's --

8 A. -- start kind of shallow and you go down, I
9 think, so I imagine the initial target was probably more
10 shallow.

11 Q. Okay, that's --

12 A. Yeah.

13 Q. The reason I'm asking that is to make sure that
14 this interval you're looking at is -- was a concern when
15 they drilled any wells out there, as far as covering it
16 with cement --

17 A. Uh-huh, right.

18 Q. -- for placement of DV tools and things like
19 that.

20 A. Right.

21 Q. Okay. Okay, let's see, so Number 2, 4, 10, 16,
22 23, 18, plus 12 is already approved, so --

23 A. Right, 12 is approved.

24 Q. -- seven wells, 22 injection wells -- or
25 production wells.

1 A. Part of the -- when we amended the application,
2 revised the injection pattern, one benefit of it also is,
3 we tightened up our injection, and we've got -- we've got
4 our production wells that -- basically along the perimeter
5 of the lease. So we -- from a reservoir -- it all came
6 together, really, when Dodie was looking at it from a
7 reservoir management perspective. It just made more sense,
8 and from a water -- from a water injection efficiency
9 perspective it makes so much sense to replace those other
10 three wells with the 4 and the 10 and the 18. And then,
11 you know, we keep our water on our lease, keep the water on
12 the lease and produce the reserves there.

13 Q. I don't know if this is really pertinent, but is
14 the royalty interest from the State Land Office -- is that
15 uniform all through the holding?

16 MR. CARR: Yes, it is, it's one lease and the
17 royalty is uniform.

18 EXAMINER JONES: It's like 1/8 or whatever --

19 THE WITNESS: Yeah, it's --

20 EXAMINER JONES: Whatever it is, it's --

21 MR. CARR: Carr.

22 EXAMINER JONES: -- uniform?

23 MR. CARR: Right.

24 THE WITNESS: Right.

25 Q. (By Examiner Jones) Okay, if you did -- if this

1 was a bunch of different leases and you had to do a --
2 participation parameters, which ones would you use?

3 A. Like a co-op?

4 Q. Yeah.

5 A. Which lease --

6 Q. No, which would you use? Remaining primary at a
7 certain percent? Would you use -- In other words, I'm
8 just --

9 A. Uh-huh.

10 Q. -- trying to get at --

11 A. Yeah.

12 Q. -- what phases would be --

13 A. I would probably look at the reserve -- the
14 remaining recoverable reserves after you put in a flood.
15 And as far as if you wanted to divvy up the interests from
16 the adjacent lease, if you expand it into a co-op I would
17 -- that makes sense to me, if you're going to flesh out a
18 co-op unit operating agreement --

19 Q. Okay.

20 A. -- yeah.

21 Q. Okay. The area of review -- one more time, I
22 guess. You drew the bubbles around all these six wells, I
23 guess, for this --

24 A. Right.

25 Q. -- current -- And is that outlined, the bubbles

1 around all six that's on this Exhibit Number 1?

2 A. Exhibit Number 1. Okay, yeah, this is just the
3 -- this is the composite, because we had a lot of circles,
4 just -- it got kind of messy inside the lease with all
5 these circles, so we just had the -- our mapping technician
6 in Houston take out that part. And so when they came in
7 and they started to cross, if you will, she just pulled
8 that out for clarity, because we had a lot of circles. So
9 this is our net area of review, I guess --

10 Q. Okay.

11 A. -- and we have wells, obviously, on Number 23,
12 and 18 had -- you know, we had overlapping wells. So we
13 just -- we thought for clarity it would be better to just
14 take out those middle lines, so --

15 Q. Okay. Did you ever -- Did you ever anticipate
16 converting wells closer to the lease line boundary than
17 these wells that you've got?

18 A. Initially we did. We had 6 and 8 and 27. But we
19 really felt like from a, you know, reservoir-management,
20 reserve-recovery perspective BP was really better -- we had
21 a better chance for covering these reserves with this
22 tighter pattern. We've got these wells out here on the
23 border.

24 And also, you know, we're putting -- we're going
25 to be injecting water, I think, to protect the offset

1 operators. We've got -- We've got these wells here that
2 are pressure sinks, like Bill -- Bill referred to them.
3 And so we don't -- We've got a lot better -- do a lot
4 better job of keeping our water -- keeping the pressure on
5 the lease and recovering those -- recovering those reserves
6 with these production wells, and not going over and getting
7 into the Sandlott Number 1, that kind of thing.

8 Q. The -- I guess what I was getting at is, you
9 didn't do a half-mile beyond the lease boundary in this
10 initial area of review?

11 A. No, no -- well -- because the area of review is
12 supposed to be from the well itself --

13 Q. Right.

14 A. -- we didn't base it on the lease line.

15 Q. So if in the future you guys send us a proposal
16 to add some injection wells, what we were trying to get
17 away from doing was having to do a rigorous area of
18 review --

19 A. Yeah.

20 Q. -- all over again, you know, and so --

21 A. Yeah.

22 Q. -- I guess what we'll have to look at then is
23 whether the well is beyond the limits of these wells as far
24 as closer to the lease line --

25 A. Yeah, we --

1 Q. -- just have to do --

2 MR. CARR: You know, and it would be possible to
3 identify those if the --

4 THE WITNESS: Yeah.

5 MR. CARR: -- new -- if the area of review for a
6 new injector extends beyond what you could identify --

7 THE WITNESS: It would --

8 MR. CARR: -- what is within and what outside the
9 prior review --

10 EXAMINER JONES: We can make that as a finding.

11 MR. CARR: -- but it would seem like with each
12 new application, administrative application, you would need
13 to include, if it extends beyond the boundary of this, the
14 full area-of-review information, so you would have that
15 with the application.

16 EXAMINER JONES: Yeah.

17 THE WITNESS: Yeah, we could probably separate
18 that, say this is the data table from this application, and
19 this is the new eight or 10 wells that were part of the
20 area of review with this -- with this new application.

21 That's a good question, though. We -- but we had so many
22 wells in the area of review just for this application --

23 EXAMINER JONES: Yeah.

24 THE WITNESS: -- yeah, we thought we would just,
25 you know, keep it at this and get this thing in, yeah.

1 Q. (By Examiner Jones) Can I ask you about the
2 production and the production facilities that you are going
3 to go ahead -- What production facilities are out there
4 now, and what ones are you going to be adding, and how are
5 you going to control the pressures on the wells? Is it
6 going to be a manifold or a wellhead of the well itself?
7 That kind of thing.

8 A. Okay, and I'm going to tell you everything I know
9 about the -- you know, about that. But there'll be -- my
10 understanding is, on the injection wells there's --
11 there'll be an injection well panel and like a reservoir-
12 monitoring -- like a SCADA system, if you will. So we'll
13 -- with telemetry. And you'll have an injection -- on the
14 wellhead you'll have a pressure monitor and a rate monitor,
15 and basically you could be monitoring rate and pressure.
16 And there'll be a panel, probably a -- I don't know -- I
17 guess it's probably electrified, actually, it's not a solar
18 panel. And then there'll probably be a central -- that
19 data will be sent to a -- probably a database system.

20 I don't know as much about the reservoir
21 monitoring, but I can tell you that the rates and the
22 pressures we've monitored at the wellhead, and that that
23 data will be transmitted via satellite, some kind of
24 telecommunication -- some kind of communication system to a
25 database that brings in all that data and slots it into

1 spreadsheet or some kind of access database for the
2 reservoir management.

3 If a well -- you know, you started scaling up and
4 the pressure went up, there would be, you know, like an
5 alarm-type -- I understand some kind of, you know, alarm
6 system or something, you know, something like that, that
7 triggers it, Hey, this well's got scale damage. There's --
8 there -- probably be a shutoff. There'll be a valve on
9 these wells, so that if your pressure went above the
10 allowable injection pressure then you shut the well in, I
11 mean, until we go out there and see what -- what's wrong
12 with the well. But -- So the wells will be monitored at
13 the wellhead.

14 And you're going to have the water injection
15 facility. It will be right there at the Washington 33
16 State tank battery facility. And it's located just maybe
17 less than a mile southwest of this Number 12. It's in the
18 central part of the lease. That's why the Number 12 was an
19 ideal well to convert initially to water injection. One,
20 it's in the centroid of the lease, if you will, it's right
21 there next to the battery.

22 So we'll have a -- as far as the production
23 facilities right now, I think you've got a tank battery,
24 you may have a heater treater, separator -- there'll be a
25 heater treater, because you're going to have probably more

1 water to separate your oil and your water. There's water
2 tanks, settling tanks.

3 And I don't know if the lease is -- I guess it's
4 probably trucked off. I don't think it's a -- it's
5 probably trucked off. But it's just a basic --

6 Q. Okay.

7 A. Is that wrong? Okay, I'm --

8 MR. CARR: I mean, Ms. Hecker is here if you need
9 additional information on this part of your question.

10 EXAMINER JONES: No, that kind of goes beyond the
11 scope of what you're asking for, so it's just kind of my
12 own...

13 MR. CARR: Sure.

14 Q. (By Examiner Jones) I guess I could ask one more
15 thing, is -- The production wells, are they -- what size
16 pumping units, that kind of thing?

17 A. I think they've got 320s or 456 --

18 Q. Are they electrified? Is it all electrified out
19 there?

20 A. Yeah, it's all electrified. You've got a -- you
21 know, you've got -- you've got -- we're going to have
22 probably three triplex plunger pumps, you'll have two pumps
23 working full time once we go -- once we expand, you'll have
24 a backup pump. One of those goes down, you maintain your
25 injection operations with the backup. You'll have, you

1 know, the wellhead monitoring, monitoring at the wellhead.
2 It'll be a pretty basic injection facility right there
3 that's on the grounds at the tank battery facility.

4 Q. It's probably going to require quite a big of --
5 re-look from engineers, I guess --

6 A. Right.

7 Q. -- to re-do that, but --

8 A. They've been working on that. I mean, it's -- it
9 got the -- the basics of it now, because we're injecting
10 into the 12, so we've got a -- and then we'll just expand.
11 You've got the footprint, you've got the bases, you'll just
12 expand with the two additional pumps, once we get approval,
13 if we get approval for this project.

14 (Off the record)

15 EXAMINER JONES: Okay, I'm sorry, we've just got
16 a -- I think Cheryl has a couple of questions for Mr.
17 Hargrove, and I think for just a second maybe we can --

18 MR. CARR: We are going to call --

19 EXAMINER JONES: Okay.

20 MR. CARR: -- Ms. Hecker to review how they
21 monitor this project.

22 EXAMINER JONES: Yes, and so we'll finish up with
23 -- and I think we have Mr. Brewer in the back of the room.
24 So Cheryl will say -- what? And you guys can talk about
25 that.

EXAMINATION

1
2 BY MS. O'CONNOR:

3 Q. Yes, I have just a couple of questions. I've
4 listened to your testimony about why you believe that these
5 injection wells are not going to affect Mr. Brewer's well.
6 But because you're in a slightly different location, in the
7 event that you are incorrect and that there is some
8 repercussion to Mr. Brewer's wells, or this one well for
9 Sandlott Energy, what effect would you anticipate there
10 being?

11 A. From my impression, it would be a positive
12 impact. He's got a source of pressure maintenance to the
13 north, probably going to get -- if anything, if there's any
14 impact at all, it would be, I would suspect, positive. He
15 would receive some type of pressure support right -- from
16 this -- just north of -- you know, north of his well,
17 possibly, and if anything an increase in oil production, is
18 what I would expect.

19 Q. And you had testified earlier as to what the
20 going economic value was of Sandlott's wells or of the
21 wells in this area, and what are you basing that on?

22 A. The land person, the landman -- and I'm not
23 involved too much in acquisitions and divestitures right
24 now, that sort of thing, but I believe it was like \$160,000
25 for a 40-acre section. And I could be wrong, but I think

1 \$160,000. And that's based more -- probably more on
2 acreage that has not been drilled.

3 This acreage has actually been drilled and
4 produced. You know, you had reserves production on this
5 lease. I don't know what mineral interests are owned, I
6 don't know if it's just Queen-Grayburg-San Andres or if it
7 actually goes deeper than that, but that was the number
8 that I was given. So the price that was asked was
9 considerably higher than that. But \$160,000, I think, is
10 what Mr. David Lawrence, which is BP's landman, indicated
11 to me.

12 Q. Okay, so you're just relying solely upon the
13 landman's -- what he has advised you; you have no
14 independent --

15 A. Yes, we --

16 Q. -- estimate to use on the value of this --

17 A. Yeah, I would have to go in and really look at
18 what's -- you know, the remaining reserves, what's
19 remaining there, you know, and how it would even fit with
20 this lease. You know, it's not something we --

21 Q. So has BP -- is it considering purchasing this
22 well if it was for sale?

23 A. I think that's correct. I mean, yeah, certainly
24 we would consider it. But I think that's as -- probably as
25 far as I could go. I'm really not qualified to answer that

1 question, to tell you the truth, because I don't work in
2 acquisitions or land, but I think we'd entertain -- I think
3 that we'd listen to a proposal. I think that was as far as
4 it went.

5 MS. O'CONNOR: That's all the questions that I
6 have.

7 But before you step down, Mr. Brewer, what would
8 your participation -- what are you anticipating your
9 participation is going to be at this hearing?

10 MR. BREWER: Just the -- you know, the fact that
11 I'm -- I'm a small producer, and I'm just -- I can't afford
12 the increased water or -- you know, it's just going to --
13 if I increase that water it's going to mess me up, you
14 know. The well's --

15 MS. O'CONNOR: Excuse me, I don't want to
16 interrupt you, but why don't we save your statement for
17 later? So what you're anticipating is just to make a
18 statement?

19 MR. BREWER: Yes, ma'am.

20 MS. O'CONNOR: Okay.

21 (Off the record)

22 EXAMINER JONES: Mr. Carr, do you have any
23 follow-up questions?

24 MR. CARR: I have no redirect.

25 EXAMINER JONES: Thanks, Mr. Hargrove --

1 THE WITNESS: Thank you.

2 EXAMINER JONES: -- appreciate it. We asked you
3 more questions than probably necessary here.

4 THE WITNESS: Oh, no, I -- My pleasure.

5 EXAMINER JONES: Thank you.

6 THE WITNESS: All right.

7 MR. CARR: May it please the Examiner, at this
8 time I'd like to call Dodie Hecker. And I think she could
9 testify from where she's sitting, if that's all right with
10 you, for just a couple of questions that are a follow-up on
11 things that were raised in your examination of Mr.
12 Hargrove.

13 And so with your permission we'd like to call
14 Dodie Hecker and ask that she be sworn.

15 EXAMINER JONES: Okay, will the witness please
16 stand to be sworn?

17 (Thereupon, the witness was sworn.)

18 DODIE HECKER,
19 the witness herein, after having been first duly sworn upon
20 her oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. CARR:

23 Q. Would you state your name for the record, please?

24 A. Dodie Hecker.

25 Q. Ms. Hecker, where do you reside?

1 A. Houston, Texas.

2 Q. And by whom are you employed?

3 A. BP America.

4 Q. And what is your current position with BP
5 America?

6 A. I'm a reservoir/production engineer for Permian
7 Basin, so I have -- I'm over Corrigan waterflood,
8 Washington waterflood and a couple other properties in the
9 Permian Basin.

10 Q. Have you previously testified before the Oil
11 Conservation Division?

12 A. No, I have not.

13 Q. Could you review your educational background for
14 Mr. Jones?

15 A. I have a BS in petroleum and natural gas
16 engineering from Penn State University.

17 Q. And when did you receive your degree?

18 A. In 2002.

19 Q. And since that time for whom have you worked?

20 A. I've worked for ExxonMobil for three years and
21 then BP for the past year.

22 Q. Are you familiar with the Application filed in
23 this case on behalf of BP?

24 A. Yes, I am.

25 Q. And have you been involved in developing the

1 waterflood proposal that has been presented here today by
2 Mr. Hargrove?

3 A. I've been involved in the addendum process. I
4 was not involved in the original application.

5 Q. You, in fact, made recommendations concerning the
6 adjustment that has been made to the injection pattern, did
7 you not?

8 A. I did.

9 Q. And your role has been related principally to
10 reservoir-management issues and efficiency issues; is that
11 fair to say?

12 A. That is.

13 Q. And Mr. Jones had questions for Mr. Hargrove
14 concerning how BP is going to manage this property to
15 assure that wells are properly operated, and really to
16 assure the water stays on the lease; is that fair to say?

17 A. That is correct.

18 Q. Could you explain to Mr. Jones how you intend to
19 accomplish that?

20 A. We have -- I'm going to go on to two separate
21 things. We have a reservoir-management/surveillance plan
22 which we've met out in the field and gone through, and
23 that's involving -- that's going to involve such things as
24 the surveillance of it, which would be the information-
25 gathering, such as the frequency of production testing, the

1 actual production testing method, the water testing at the
2 producers to watch for chloride changes.

3 We're going to have dynamometer and fluid levels,
4 and where that's going to actually be accomplished -- which
5 I'll go into what little I know about the surface
6 facilities -- each of our wells have a communication.

7 So on each of our producers we can manage -- we
8 can actually see real-time what the wells -- like the pump
9 rate, the fluid level, the pressure, backside pressure, and
10 that's actually communicated to a central computer -- I
11 don't know networking very much, but we have a dedicated --
12 what -- he's called an optimizer, who'll be looking over
13 each of these wells. So it's actually his job to pull up
14 the wells every morning and make sure that the fluid level
15 is at where we want it to be, and make sure that the wells
16 are pumped off properly and make sure the pumps are, you
17 know, not having problems in the lifting process.

18 And so that -- he would be the person that would
19 say we either need to decrease or increase our pump size or
20 rod, you know, stroke length and all that kind of stuff.
21 And so we have a dedicated person in the field.

22 And so we've set up a pretty -- I wouldn't say
23 intensive surveillance plan, but we have frequencies, we
24 have concerns, we've set up rules and responsibilities for
25 each of the field people. And as a matter of fact, next

1 week I'm going out to the field to ensure that we have
2 staffing, to ensure that we do this properly, deplete this
3 reservoir properly. And so that's been my role.

4 And on the injectors also, we do have pressure,
5 and we're actually adding more testing facilities to make
6 sure that we get at least two days of tests on each of our
7 producers. Currently we have two small -- well, one
8 testing production tank, and then we're actually going to
9 be adding another one to ensure that we're testing them at
10 a proper frequency.

11 And each of our injectors, we will have pressure
12 and -- I don't know about -- if each of them are going to
13 be able to measure rate, but we do have total flows on --
14 because we're getting water from the Empire-Abo water
15 lines, we have a total flow on that pump to go over here,
16 then we have a total flow on -- and that's going to
17 actually be able to separate because we have another
18 measurement for SDX water, so we're going to know how much
19 SDX water, we're going to know how much Empire-Abo water.

20 And then we're going to have a total flow on each
21 of the pumps to make -- and then we could do, obviously, a
22 subtraction and figure out how much the Washington is
23 contributing. And so we're going to be able to measure all
24 of our water, and it's going to be primarily at the pump.

25 And then at each of the pumps we're going to have

1 pressure and shutdowns and pop-valves, whatever is required
2 by State at our injection facilities.

3 And so each of our injectors we're going to be
4 doing -- our frequency for doing -- we were talking about
5 our conformance profiling. Currently we have it set up
6 that we're going to do an initial conformance profiling,
7 and then once a year -- and the first one is going to be a
8 tracer tap, and then probably the next year is going to be
9 just a temperature survey, and then -- So it's going to be
10 every other year we're going to run a tracer survey to
11 ensure that we're putting the water -- you know, because a
12 tracer survey is a lot more accurate. And so that's our
13 plan currently.

14 And then we're going to tag the wells and all
15 that kind of stuff, to ensure that our fill is not above
16 the formations.

17 Q. Ms. Hecker, what you've generally reviewed here
18 is how BP intends to manage this waterflood project?

19 A. Yes.

20 Q. And by doing that, is it BP's belief that they
21 will be able to keep producing wells pumped off?

22 A. Yes.

23 Q. And by keeping those wells pumped off, is it BP's
24 intention to keep the water that is injected on this lease
25 waterflood?

1 A. It is for BP and surrounding offset operators. I
2 mean, we have no want to let our water that we're paying
3 for to go into the ground and go off lease.

4 Q. It makes no sense for BP to operate a pressure
5 maintenance or waterflood project for the benefit of the
6 offsetting tracts?

7 A. That's exactly correct.

8 Q. And so to the same extent that Mr. Brewer is
9 concerned about there being an impact on the project -- on
10 his well as a result of your project, you're also concerned
11 that you're not going to be making this investment to
12 benefit offsetting leasehold?

13 A. That is correct.

14 Q. And is it your belief that the water you inject
15 will stay on your lease?

16 A. Yes, I do.

17 MR. CARR: That concludes my examination of Ms.
18 Hecker.

19 EXAMINATION

20 BY EXAMINER JONES:

21 Q. Ms. Hecker, the SCADA system will send data to --
22 also to you in Houston; is that right?

23 A. Currently it's a special program that we don't
24 have -- I could get it if I were to go out to Midland, and
25 I can actually, you know, net conference so I can actually

1 see someone else's screen. But currently the communication
2 does not go into Houston. But we have field engineers in
3 Midland, Texas, that are also involved on this project.

4 So how BP sort of sets it up is, I do reservoir
5 and make recommendations. The production engineer out in
6 the field, the Midland/Odessa office, is actually the
7 person responsible for carrying out the recommendation. So
8 he would be the person that I would call up and we could
9 conference. But yes.

10 Q. Okay, yeah, the pressure limit on each one of
11 these wells, even if they're a little bit different on the
12 top perforation, is it -- is it to you all's advantage to
13 have a set pressure limit instead of just a different one
14 for every well?

15 A. Yes, we would try and make this as simple but as
16 efficient of a process, since this is a new waterflood, and
17 we'd want to make it as efficient.

18 Q. So whatever we come up with in the relation of .2
19 p.s.i. per foot, it would be better if it was the same --

20 A. Correct.

21 Q. -- over all of them?

22 A. And we've looked at -- I have a couple
23 spreadsheets on the surrounding waterfloods, and I see what
24 they've asked for in their pressure limits, and we probably
25 -- and we know what formations they're injecting into, so

1 we would perform it as a step rate test and also bound it
2 by what other waterfloods in the area are doing too.

3 Q. Okay. So right now you've got 320 units on them
4 out there?

5 A. You know what, I do not know.

6 Q. That's okay. But you're going to have
7 dynamometers on all the rod strings in the wells, and
8 they're going to go into the SCADA system, and you'll have
9 rates and pressures on the injection wells and --

10 A. Yes.

11 Q. -- shutdowns on your injection wells, or at least
12 at the manifold or something, you'll have that?

13 A. Yes.

14 Q. Okay. I know you're concerned about keeping the
15 water on the lease, and I understand that you might have a
16 little trouble sometimes with that, but I think we're more
17 concerned with you getting the maximum amount out of
18 secondary recovery that you can get than you are -- totally
19 keeping the water totally contained on this lease, so -- I
20 hope I'm not speaking out of turn here, but that's -- I
21 think we're for prevention of waste and also protection of
22 correlative rights, but the San Andres and the others --

23 MR. HARGROVE: -- Grayburg --

24 Q. (By Examiner Jones) -- Queen zones or --

25 A. -- Grayburg --

1 Q. If they're a good waterflood candidate on this
2 lease, they may be good right off the lease also. So
3 anyway I thought I'd better say that.

4 That's pretty much -- I think we've -- Now we can
5 turn it over to Cheryl. Cheryl, do you have a question?

6 MS. O'CONNOR: I don't.

7 EXAMINER JONES: I don't have any other
8 questions.

9 MR. CARR: That concludes our presentation in
10 this case.

11 EXAMINER JONES: Okay. Thank you, Mr. Carr.
12 Thank you, Ms. Hecker and Mr. Hargrove.

13 And Mr. Brewer, would you like to stand and make
14 a statement?

15 MR. BREWER: Yes, sir. My final -- my main
16 concern is, you know, this is a very old --

17 MS. O'CONNOR: Mr. Brewer, could you introduce
18 yourself for the record, please?

19 MR. BREWER: Oh, I'm sorry, Jackie Brewer,
20 Sandlott Energy.

21 But my main concern, it's an old well, it's -- I
22 think it was drilled back in 1948 and, you know, we've got
23 open hole on so much of it. And if it was to get any, you
24 know, water from the flood, we would -- you know, I can't
25 -- I'm a small-time operator, I can't afford, you know --

1 we all know the cost of pulling units nowadays. This well
2 hasn't been pulled in 16 years, it's been a -- you know,
3 it's just daily, you know, three barrels a day.

4 Now I have had trouble with pumpjacks, you know,
5 tanks, occasionally, stuff like that. But as far as the
6 downhole, I have no problems at all. And if I was to get
7 water over there to it, you know, it would scale up, it --
8 corrosion, there'd be all kinds of problems. With hauling
9 the water off, it would be a problem.

10 You know, I'm sure increased production would
11 help me, but I don't think it would be that much increased
12 compared to what water would be increased.

13 And I'm just -- you know, I don't want to get in
14 no more bind than what I'm, you know, already presently in
15 with, and trying to prevent that from, you know, getting
16 this -- I mean, I understand their, you know, their plan
17 there, it's -- should it go that far. But then, you know,
18 if we inject water into that, we'd never know what's going
19 to happen, you know. This formation, something could bust
20 loose, and it could -- you know, it could -- the casing,
21 we'd have casing problems, you know, from corrosion, scale,
22 just a number of things, you know.

23 And I got thinking once, I thought, well, I'll
24 just leave it alone, you know, I shouldn't have to come
25 back. But the more I thought about it, the more I thought,

1 you know, this could be a problem. And, you know, if --
2 whatever BP decides, if they want to, you know, go in here
3 and, you know, if the water increases, help me out there,
4 you know, we can work something out.

5 But you know, I haven't had any kind of promising
6 results from going -- anything that they've said hasn't
7 helped me out, you know.

8 EXAMINER JONES: Mr. Brewer, how much does your
9 well make? Water and oil, right now?

10 MR. BREWER: It doesn't make any water unless I
11 go under and pump water down there, like with soap or
12 something. But it -- when the well runs pump, you know,
13 maybe eight hours, it'll make three barrels a day when it's
14 running constantly.

15 And so it's not big well and it's not a big
16 producer, but it is a good well. It doesn't make, really,
17 any water -- well, to speak of, maybe, you know, an inch or
18 two out of the month production. But that's, you know,
19 just condensate, more or less.

20 EXAMINER JONES: The -- Have you got a pumping
21 unit on it or --

22 MR. BREWER: Yes, sir.

23 EXAMINER JONES: -- are you just flowing it?

24 MR. BREWER: It has a pumping unit.

25 EXAMINER JONES: And how much does it cost to get

1 rid of your water, if you ever made any water?

2 MR. BREWER: Well, I'd have to have it hauled
3 off, so I really don't have any -- I know what, you know,
4 the price of hauling water is, it's skyrocketing right now.

5 EXAMINER JONES: Do you already have a tank
6 there?

7 MR. BREWER: No, it's not even set up, the
8 separator or -- it's got a water tank sitting there.
9 There's no separator, you know, it's -- just all goes to
10 the oil tank. There's no water to speak of, so there's no
11 need for a separator at this time.

12 EXAMINER JONES: Yeah. Do you agree with the
13 waterflood concept in this reservoir, that it's been
14 successful in other wells, other waterfloods?

15 MR. BREWER: I don't understand your question.

16 EXAMINER JONES: Do you see any beneficial use
17 whatsoever with BP injecting water in their wells?

18 MR. BREWER: Do I see any benefits for me?

19 EXAMINER JONES: For you?

20 MR. BREWER: No, I don't.

21 EXAMINER JONES: Okay.

22 MR. BREWER: I see just hazard.

23 EXAMINER JONES: So you look at it as a hazard --
24 hazardous --

25 MR. BREWER: Yes, sir.

1 EXAMINER JONES: -- potential hazard to your
2 well?

3 MR. BREWER: Uh-huh.

4 EXAMINER JONES: Okay. Okay, that's all of my
5 questions. Appreciate you coming up here and making a
6 statement anyway.

7 Okay, with that we're done. We'll take Case
8 13,750 under advisement. Thank you all.

9 MR. CARR: Thank you, Mr. Jones.

10 EXAMINER JONES: That being the last case on the
11 docket, the docket is --

12 MR. BREWER: Thank you.

13 EXAMINER JONES: -- closed.

14 (Thereupon, these proceedings were concluded at
15 10:00 a.m.)

16 * * *

17
18 I ~~do~~ hereby certify that the foregoing is
19 a complete record of the proceedings in
20 the Examiner hearing of Case No. _____,
heard by me on _____.

21 _____, Examiner
22 Oil Conservation Division
23
24
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 4th, 2006.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2006