

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 13,816

APPLICATION OF BLACK HILLS EXPLORATION)
& PRODUCTION, INC., FOR THE CREATION OF)
THE JICARILLA APACHE TRIBAL LANDS)
PRODUCTION AREA AND THE ADOPTION OF)
SPECIAL POOL RULES AND REGULATIONS)
THEREFOR IN THE PICTURED CLIFFS)
FORMATION, EAST BLANCO-PICTURED CLIFFS)
POOL, AND THE TERTIARY FORMATION,)
CABRESTO CANYON-TERTIARY POOL,)
RIO ARriba COUNTY, NEW MEXICO)

2006 DEC 13 3 12

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: RICHARD EZEANYIM, Hearing Examiner

November 30th, 2006

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, RICHARD EZEANYIM, Hearing Examiner, on Thursday, November 30th, 2006, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

November 30th, 2006
Examiner Hearing
CASE NO. 13,816

	PAGE
EXHIBITS	3
APPEARANCES	5
OPENING STATEMENT BY MR. CARR	9
APPLICANT'S WITNESSES:	
<u>BRENDA MUSTAIN</u> (Landman) Direct Examination by Mr. Carr	15
<u>RICHARD WHITE</u> (Geologist) Direct Examination by Mr. Carr	27
<u>THOMAS W. ZADICK</u> (Engineer) Direct Examination by Mr. Carr Examination by Examiner Ezeanyim	41 67
REPORTER'S CERTIFICATE	74

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	17	26, 41, 67
Exhibit 2	21	26
Exhibit 3	24	26
Exhibit 4	24	26
Exhibit 5	25	26

* * *

S L I D E S

Applicant's	Identified	Admitted
Slide 1	-	-
Slide 2	17	26
Slide 3	18	26
Slide 4	18	26
Slide 5	19	26
Slide 6	28	41
Slide 7	29	41
Slide 8	31	41
Slide 9	33	41
Slide 10	34	41
Slide 11	35	41
Slide 12	36	41
Slide 13	37	41
Slide 14	38	41
Slide 15	43	67
Slide 16	44	67
Slide 17	45	67
Slide 18	46	67

(Continued...)

S L I D E S (Continued)

Applicant's	Identified	Admitted
Slide 19	47	67
Slide 20	49	67
Slide 21	52	67
Slide 22	53	67
Slide 23	54	67
Slide 24	55	67
Slide 25	58	67
Slide 26	59	67
Slide 27	60	67
Slide 28	61	67
Slide 29	63	67
Slide 30	64	67

* * *

Additional submission by the Applicant, not offered or admitted:

	Identified
"Special Rules and Regulations for the Jicarilla Apache Tribal Lands-Production Area"	68

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS, JR.
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 1:46 p.m.:

3 EXAMINER EZEANYIM: The next case on the docket
4 is Case Number 13,816. This case was continued from the
5 November 9th Examiner Hearing. This is Application of
6 Black Hills Exploration & Production, Inc., for the
7 creation of the Jicarilla Apache Tribal Lands Production
8 Area and the adoption of special rules and regulations
9 therefor in the Pictured Cliffs and the Tertiary systems in
10 Rio Arriba County, New Mexico.

11 Call for appearances.

12 MR. CARR: May it please the Examiner, my name is
13 William F. Carr with the Santa Fe office of Holland and
14 Hart, L.L.P. We represent Black Hills Exploration &
15 Production, Inc., in this matter, and I have three
16 witnesses.

17 EXAMINER EZEANYIM: Any other appearances? Any
18 other appearances?

19 Okay, may the witnesses stand to be sworn,
20 please?

21 (Thereupon, the witnesses were sworn.)

22 EXAMINER EZEANYIM: Okay, Mr. Carr, you may
23 proceed.

24 MR. CARR: May it please the Examiner, most of
25 our exhibits are going to be presented on PowerPoint. I

1 have provided hard copies. Some of the land and geological
2 exhibits, the hard copies are a little small, and I also
3 have larger copies of those exhibits which I can leave
4 behind so you'll have a large copy to refer to --

5 EXAMINER EZEANYIM: Okay.

6 MR. CARR: -- and I have those for both the land
7 and the geological presentation.

8 With your permission, I'd like to give a brief
9 opening statement. I'd like to preview for you what we're
10 going to present. I'd like to tell you what we're seeking
11 and also point out what we're not seeking, because I think
12 it will help put the evidence in some sort of framework as
13 we present it.

14 EXAMINER EZEANYIM: Yeah, I think I would like to
15 hear that, but let me tell you what I think you are asking
16 so if I'm wrong you can correct me --

17 MR. CARR: Yes, sir.

18 EXAMINER EZEANYIM: -- let me go ahead and tell
19 you what I understand you are asking in this case.

20 First of all, you are asking for the creation
21 this Jicarilla Apache Tribal Lands Production Area, right?

22 MR. CARR: Yeah.

23 EXAMINER EZEANYIM: You want to create that. And
24 you want an adoption of special pool rules and regulations
25 for the production area?

1 MR. CARR: (Nods)

2 EXAMINER EZEANYIM: Okay. And then anyway, when
3 I looked at some other issues concerning this case, is it
4 Black Hills acquired this interest, or -- is it Mallon Oil?

5 MR. CARR: Yes, sir, that's correct.

6 EXAMINER EZEANYIM: -- is correct in this order.

7 Of course you know, the order we're talking about
8 here is Order Number R-11,858. It talks about the pilot --

9 MR. CARR: Correct.

10 EXAMINER EZEANYIM: -- AFE program as follows:
11 You are authorized to drill 50 wells in the one -- in the
12 25 160-acre, more or less --

13 MR. CARR: Right.

14 EXAMINER EZEANYIM: -- units in the Pictured
15 Cliffs.

16 MR. CARR: Correct.

17 EXAMINER EZEANYIM: You are authorized to drill
18 test wells, 14 test wells, in the 20 160-acre special
19 units, more or less, in the Tertiary system or --

20 MR. CARR: Correct.

21 EXAMINER EZEANYIM: -- system.

22 MR. CARR: Right.

23 EXAMINER EZEANYIM: Okay, I think the pilot
24 program is to collect data, engineering data, to see where
25 we are going to establish all these rules.

1 MR. CARR: Right.

2 EXAMINER EZEANYIM: Now, I think you are here now
3 -- what you are here now is to tell me that you need this
4 increased density --

5 MR. CARR: That's right.

6 EXAMINER EZEANYIM: -- in these units because of
7 the test results you have both in the Pictured Cliffs and
8 in the Tertiary systems.

9 MR. CARR: Correct.

10 EXAMINER EZEANYIM: Are you going to do both of
11 them or just one?

12 MR. CARR: No, we're going to look at both of
13 them.

14 EXAMINER EZEANYIM: Okay, are going to look at --
15 Okay. Okay, that's what I understand --

16 MR. CARR: All right --

17 EXAMINER EZEANYIM: -- you're asking.

18 MR. CARR: -- and as you stated, Mr. Examiner,
19 what we're seeking is the creation of what we have called
20 the Jicarilla Apache Tribal Lands Production Area --

21 EXAMINER EZEANYIM: Uh-huh.

22 MR. CARR: -- and the adoption of special pool
23 rules for this area. It includes both the Pictured Cliffs
24 formation, which is a portion of the East Blanco-Pictured
25 Cliffs Pool, and it includes the shallower Tertiary

1 formation that is now called the Cabresto Canyon-Tertiary
2 Pool in Rio Arriba County.

3 As you noted, Black Hills is the successor to
4 Mallon. Mallon was the company that was the primary
5 company developing the area. And Black Hills, through its
6 subsidiary -- and this is, I think, important -- Black
7 Hills Gas Resources, Inc., that's actually the subsidiary's
8 name that operates the properties. But they're here today
9 to present this case, seeking permanent pool rules for this
10 portion of the reservoir -- of the Tertiary and the
11 Pictured Cliff reservoir.

12 The evidence is going to show that it's a fairly
13 complex area and that there have been a number of factors
14 that bear on drilling wells in the area. First of all,
15 it's on the Jicarilla reservation, and they have concern
16 about surface disturbances and land use that affects the
17 way any operator develops properties.

18 And there are also other topographic issues,
19 geological issues, cultural issues and archaeological
20 problems, and these problems have been there for years.
21 And when Mallon was out developing this property, they
22 worked with the Oil Conservation Division to try and
23 develop pools to deal with all of these issues. And we're
24 going to present as part of our case a set of prior orders,
25 administrative and hearing orders that I think help provide

1 the history for this.

2 But basically what the OCD did back in 1999 was,
3 they approved Order NSL-4355. And that order, because
4 there were so many unorthodox locations being sought,
5 approved six of them, and then in an area that was in the
6 reservation that encompassed 60,000 acres authorized
7 unorthodox well locations without further OCD involvement.
8 All they had to do was get those approved by the Jicarilla
9 Apaches.

10 And that administrative order recognized all
11 these problems, archaeological sites, needing to protect
12 forest and wildlife habitat and all of those things.

13 So basically what we now have is an
14 administrative order that approves unorthodox locations
15 without having to come to you.

16 EXAMINER EZEANYIM: NSL-4- --

17 MR. CARR: And it is NSL-4355. And since we've
18 asked for special pool rules, we've asked that they all be
19 in one place and that basically that these same provisions
20 be incorporated into what we're seeking here today.

21 When Mallon was working the area back in the year
22 2000, there were at that time initially three Tertiary
23 pools, all called Cabresto Canyon. One was in the San
24 Jose, the other was in the Nacimiento, and then the other
25 one in the Ojo Alamo. And the OCD combined those into one

1 pool back in 2000, and all of a sudden we had too many
2 wells on a lot of spacing units.

3 And so Mallon again came in, and the Division
4 approved simultaneous dedication of 17 units because of
5 this. And we'll give you that order as well, as part of
6 the case.

7 And so today -- And then there was the pilot
8 project that you referenced a few minutes ago for Mallon.

9 And so today we're coming back, we're looking at
10 the same formation. We're going to give you a brief
11 history of the area. And the history and what we've been
12 talking about is somewhat complex for an area like this,
13 but really what we're seeking isn't that complex.

14 We're seeking basically one thing: We'd like to
15 increase the well density on this portion of the lands we
16 lease in the Jicarilla reservation.

17 The Mallon applications covered 60,000 acres.
18 We're looking at about a quarter of that, and we've cut it
19 down to the area where we actually believe we have the kind
20 of data that you're going to want to see, and we're going
21 to present that to you today.

22 We're going to call a geologist and an engineer
23 to review the technical data for you. We're going to ask
24 you simply, in terms of well locations, basically to
25 incorporate what was done before in the administrative

1 order.

2 You're going to hear testimony today about
3 drilling horizontal wells in this area in the Pictured
4 Cliffs, but that's really not an issue in this case,
5 because we're not asking for a change in the rules in
6 horizontal drilling. If we can get the increased density,
7 we'll just proceed under the existing Rule 111 to deal with
8 horizontal development in this area.

9 We're also seeking for these -- asking that these
10 special pool rules be limited to just this portion of the
11 Pictured Cliffs and Tertiary formations. And although this
12 isn't common, this has been done before. You have a --
13 different rules for part of the Basin-Fruitland Coal in the
14 fairway area, you've had different spacing rules in the
15 Bravo Dome depending on where in the reservoir you were
16 drilling.

17 And so what we're asking is that you carve out an
18 area over on the edge of the Basin and approve that for the
19 increased density.

20 You'll see that it is Jicarilla land. We have
21 been, our testimony will show, been to the Jicarilla
22 nation, and actually during the noon hour we received a
23 resolution from their tribal counsel endorsing this. And
24 you'll be getting a copy of that, we have one for you.

25 The BLM has also approved this and put conditions

1 on their approval asking that we report back to you at
2 regular intervals.

3 And if you look at the Mallon order that was
4 entered in the pilot case, for some reason there was no
5 provision in that order setting any time to ever report
6 back to you.

7 And so there were no reports. And the BLM thinks
8 that as we go forward, at least annually we should report
9 to you, and you need to know that Black Hills is certainly
10 prepared to do that and has no problems with the conditions
11 imposed by the BLM.

12 So that's what we're about.

13 I'm going to call Brenda Mustain, a land witness,
14 to review with you the status of the lands and the notice
15 that we've provided, and I believe I'll draw some notice
16 questions from Mr. Brooks --

17 (Laughter)

18 MR. CARR: -- and then we'll have Mr. White
19 present his geological data.

20 And then we have Tom Zadick, who is a reservoir
21 engineer, to review that part of the case for you.

22 So with your permission, at this time I'd like to
23 call Brenda Mustain.

24 EXAMINER EZEANYIM: Okay. Brenda, you have been
25 sworn.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BRENDA MUSTAIN,

the witness herein, after having been first duly sworn upon
her oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your full name for the record,
please?

A. Brenda Mustain, M-u-s-t-a-i-n.

Q. And where do you reside?

A. Golden, Colorado.

Q. By whom are you employed?

A. Black Hills Exploration and Production, Inc.

Q. And what is your current position with Black
Hills?

A. I'm currently a landman. For the last three
years -- three and a half years, I've been employed by
Black Hills, and the last three years I've been in charge
of maintaining the interests on the Jicarilla Apache
Nation.

Q. What is the relation between Black Hills
Exploration and Production, and Mallon Oil Company?

A. Black Hills is a successor to the Mallon -- to
Mallon Oil Company, which we acquired in 2003.

Q. Have you previously testified before the New
Mexico Oil Conservation Division?

1 A. No, I have not.

2 Q. Could you summarize your work in the oil and gas
3 industry?

4 A. I started in the oil and gas industry in 1980.
5 For the past 26 years I've worked at various companies in
6 the land area as a division analyst, lease and title
7 analyst and landman.

8 Q. And for what companies have you worked?

9 A. I've worked for Mitchell Energy, Miracle Oil and
10 Gas, Amoco Production, Key Production, St. Mary Land and
11 Exploration.

12 Q. And have you in the past 26 years always been
13 employed in a land position?

14 A. Yes.

15 Q. Are you familiar with the Application filed in
16 this case?

17 A. I am.

18 Q. And are you familiar with the status of the lands
19 in the area that is the subject of this Application?

20 A. I am.

21 MR. CARR: We tender Ms. Mustain as an expert in
22 petroleum land matters.

23 EXAMINER EZEANYIM: Ms. Mustain is so qualified.

24 Q. (By Mr. Carr) Initially, would you summarize for
25 Mr. Ezeanyim what it is that we are seeking in this case?

1 A. Black Hills is the principal operator of the
2 wells in the East Blanco-Pictured Cliffs Pool in this area.
3 We'd like the creation of a Jicarilla Apache lands
4 production area in the Pictured Cliffs formation, East
5 Blanco-Pictured Cliffs Gas Pool, and the Tertiary
6 formation, which is the Cabresto Canyon-Tertiary Pool.

7 We'd like adoption of special rules and
8 regulations for the Jicarilla Apache Tribal Production
9 Area, including provisions for infill drilling and special
10 well-location requirements.

11 Q. In the area that we're asking be created -- is
12 the Jicarilla Apache Tribal Lands Production Area, and in
13 these formations, the base of the Pictured Cliffs, is Black
14 Hills the only operator in this area?

15 A. Yes.

16 Q. Let's go now to our background maps that are on
17 PowerPoint. Is Exhibit Number 1 simply the entire
18 PowerPoint presentation?

19 A. Yes, it is.

20 Q. And what does it include?

21 A. It includes exhibits for land, geology and
22 engineering.

23 Q. And we've numbered the slides?

24 A. We have.

25 Q. Would you go to this slide -- it's actually page

1 2 in the handout material -- and explain to us what this
2 shows?

3 A. It's a little hard to see, and we do have bigger
4 maps for you as well, but this outline shows the Black
5 Hills leasehold on the Jicarilla lands.

6 Q. These are all your leasehold positions?

7 A. Yes.

8 Q. It's 100-percent Jicarilla property?

9 A. It is.

10 Q. And where is it located in the San Juan Basin?

11 A. It's at the eastern to northeastern edge of the
12 Basin.

13 Q. Let's go to the next slide. This is slide number
14 3, this is the same map. What is the difference?

15 A. This shows the -- the shaded blue areas show the
16 original infill pilot program.

17 Q. And this is the acreage that the Division
18 approved for Mallon to increase density?

19 A. Yes, it is.

20 Q. And the next exhibit? What have you added here,
21 Ms. Mustain?

22 A. The green shaded area shows our proposed
23 Jicarilla Apache Lands Production Area.

24 Q. And you've limited it to just this portion of the
25 Jicarilla reservation?

1 A. Just that portion.

2 Q. All right, now to the next exhibit. What is
3 this?

4 A. This shows the working interests within that area
5 of our Application. The yellow shows that Black Hills owns
6 100 percent of the working interest, surface to the base of
7 the PC. The green shows that we own surface to the base of
8 the PC, 80 percent, Energen owning the other 20 percent.

9 The peach-colored note there is -- Black Hills
10 owns from the surface to the base of the San Jose, 100
11 percent, and then Black Hills from the base of the San Jose
12 to the base of the PC owning 80 percent, with Energen
13 owning the other 20 percent.

14 Q. In the area that is the subject of today's
15 Application, are there only two working interest owners?

16 A. Yes.

17 Q. And the other working interest owner being
18 Energen?

19 A. Yes.

20 Q. Has Black Hills discussed the Application with
21 Energen?

22 A. Yes, we have.

23 Q. And what is your understanding of Energen's
24 position?

25 A. We understand that they're in support of our

1 Application.

2 MR. CARR: And Mr. Examiner, Mr. Poage is here
3 with Energen, if you would like to have him that they are
4 also in support of the Application.

5 EXAMINER EZEANYIM: Well, I take it on face value
6 that what you're telling me is correct.

7 Q. (By Mr. Carr) So we have 100 percent of the
8 interests in support of the Application; is that correct?

9 A. That's correct.

10 Q. So there should be no correlative rights issue?

11 A. That is correct.

12 Q. What rules currently govern the development of
13 this area?

14 A. Rule 104.C.(3) of the General Rules and
15 Regulations of the Oil Conservation Division.

16 Q. And what do those require?

17 A. 160-acre spacing and proration units, with wells
18 to be located at least 660 feet from the outer boundary of
19 the dedicated quarter section.

20 Q. And that's what we'd be superseding, in part,
21 with the proposed rules?

22 A. That is correct.

23 Q. Could you provide Mr. Ezeanyim with a general
24 historical background of the area? And I think we should
25 start by just generally explaining when this portion of the

1 Basin was developed.

2 A. It was substantially developed by Mallon in the
3 late 1980s to 1990s. They really did the majority of the
4 exploration and development of these lands.

5 Q. And as both Mr. Ezeanyim and I have already
6 discussed, this area has been the subject of prior OCD
7 orders and hearings, has it not?

8 A. Yes, multiple actions.

9 Q. And why was that?

10 A. It's a difficult area to develop.

11 Q. Is Exhibit Number 2 a compilation of orders, both
12 administrative and hearing orders that affect the area
13 that's under consideration here today.

14 A. Yes.

15 EXAMINER EZEANYIM: Where is Exhibit Number 2?

16 MR. CARR: Exhibit 2 -- and Mr. Ezeanyim, they're
17 behind the PowerPoint. There's a clip --

18 EXAMINER EZEANYIM: Oh, okay --

19 MR. CARR: -- on them.

20 EXAMINER EZEANYIM: -- this one.

21 MR. CARR: Yes, sir.

22 Q. (By Mr. Carr) Could you explain what that first
23 order is in Exhibit 2?

24 A. The first order is Administrative Order Number
25 NSL-4355, and this approved six unorthodox well locations,

1 recognizing the difficult development issues in the area.

2 A. In fact, the order addressed those, did it not?

3 A. It did, and it addressed archaeological sites to
4 minimize the disturbance of forest and wildlife habitats,
5 minimizing construction of well pads by avoiding rugged
6 terrain where practical, and positioned wellbores within
7 geologically more favorable locations in order to maximize
8 the likelihood of obtaining commercial gas production.

9 Q. And then what did it authorize Mallon to do?

10 A. It adopted procedures that allowed unorthodox
11 well locations within the contract area without further
12 regulatory review.

13 Q. And there's an order behind that, that is just an
14 amendment of --

15 A. That's correct.

16 Q. -- the administrative order.

17 A. Right.

18 Q. Does this exhibit also contain Order Number
19 R-11,445?

20 A. Yes, it does.

21 Q. And what does that do?

22 A. This consolidated the Cabresto-San Jose Pool,
23 Nacimiento Pool and Ojo Alamo Pools into the Cabresto
24 Canyon Tertiary Pool.

25 Q. As a result of that consolidation, did Mallon

1 have to come back to the OCD?

2 A. Yes, we needed an administrative order to
3 dedicate 1 spacing units in relation to that.

4 Q. And so you had multiple wells on 17 spacing units
5 as a result of this?

6 A. That's correct.

7 Q. And what was the order number that approved
8 those?

9 A. That was SD-02-03.

10 Q. Also included in this material is a copy of the
11 order approving the pilot project; is that correct?

12 A. It is, and that order is Number 11,858.

13 Q. Is Black Hills just concerned with the Pictured
14 Cliffs formation?

15 A. Not at all. It's the most important part of our
16 program, but we also have an interest in other areas as
17 well.

18 A. Now following the entry of the order approving
19 the pilot project, certain activity was undertaken in
20 response to that order; is that correct?

21 A. Right.

22 Q. And that has resulted in technical information
23 that is beyond your land expertise?

24 A. That is correct.

25 Q. And that will be reviewed by the geological and

1 engineering witnesses today?

2 A. It will.

3 Q. Is Exhibit Number 3 an affidavit confirming that
4 notice of this Application has been provided to affected
5 interest owners?

6 A. It is.

7 Q. And to whom was notice provided?

8 A. It was -- We noticed all of the operators within
(9 the pool.

10 Q. Did you also notify the BLM and the Jicarilla
11 nations?

12 A. We did indeed.

13 Q. And what response did you receive to these notice
14 letters?

15 A. We received a letter from the President of the
16 Jicarilla Apache Nation supporting our Application, which
17 is attached.

18 Q. Is that Exhibit 4?

19 A. Yes.

20 Q. Is that Exhibit also contained in a letter from
21 the Bureau of Land Management?

22 A. It does, in support of the Application, yes.

23 Q. And you're familiar with the conditions that the
24 BLM has imposed in terms of periodic reporting?

25 A. Yes, we are.

1 Q. Does Black Hills agree with those?

2 A. Yes, we do.

3 Q. Now Exhibit Number 5 is a new exhibit today.

4 A. Right.

5 Q. Would you identify that, please?

6 EXAMINER EZEANYIM: Where is Exhibit Number 4?

7 MR. CARR: Exhibit --

8 EXAMINER EZEANYIM: Five, 3 --

9 MR. BROOKS: This is 4.

10 EXAMINER EZEANYIM: I don't have that. I don't
11 have 4. I have 3, 5 -- Okay.

12 MR. CARR: Okay? And Exhibit 4 is the November
13 -- starts with the November 22nd letter, Mr. Ezeanyim
14 letter, Mr. Ezeanyim? Is that right? Do you have that
15 one?

16 EXAMINER EZEANYIM: Yeah.

17 Q. (By Mr. Carr) What is Exhibit Number 5, Ms.
18 Mustain?

19 A. Exhibit Number 5 is a resolution of the Jicarilla
20 Apache Nation in support of our Application.

21 Q. And we received this today, did we not?

22 A. Today.

23 Q. When did you make your presentation to the
24 Jicarilla --

25 A. We made that presentation this Monday.

1 Q. You had previously attempted to make the
2 presentation, but there were scheduling issues, were there
3 not?

4 A. We did, we attempted this on the 2nd of November,
5 but we were not able to present at that time.

6 Q. Ms. Mustain, were the Black Hills land exhibits
7 prepared by you or compiled under your direction?

8 A. Yes, they were.

9 Q. And we're talking about slides 2 through 5 and
10 Exhibits also 2 through 5; is that correct?

11 A. That is correct.

12 MR. CARR: May it please the Examiner, at this
13 time we'd move the admission of Slides 2 through 5 and
14 Exhibits 2 through 5.

15 EXAMINER EZEANYIM: At this point Slides 2
16 through 5 and Exhibits 2 through 5 will be admitted into
17 evidence.

18 MR. CARR: Yes, and that concludes my direct
19 examination of Ms. Mustain. We will be calling a geologist
20 and an engineer to review the technical portions of the
21 case.

22 EXAMINER EZEANYIM: Okay. Do you have any
23 questions?

24 MR. BROOKS: No questions. Looks like they gave
25 notice to everybody.

1 MR. CARR: And I would just for the record like
2 to point out that a couple of weeks ago I was called to
3 task for what the Commission counsel or Division counsel
4 thought was an inadequate notice letter. That was my shell
5 notice letter that --

6 MR. BROOKS: Yes.

7 MR. CARR: -- and I have revised that, but it was
8 after these notice letters.

9 MR. BROOKS: We'll appreciate that.

10 EXAMINER EZEANYIM: Thank you.

11 MR. CARR: May it please the Examiner, at this
12 time I call Dick White.

13 RICHARD WHITE,
14 the witness herein, after having been first duly sworn upon
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. CARR:

18 Q. State your full name for the record, please.

19 A. Yes, sir, I'm Richard White.

20 Q. And where do you reside?

21 A. I live in Evergreen, Colorado.

22 Q. By whom are you employed?

23 A. Black Hills Exploration and Production.

24 Q. And what is your current position with Black
25 Hills?

1 A. I'm a geologist at Black Hills.

2 Q. Mr. White, have you previously testified before
3 the New Mexico Oil Conservation Division?

4 A. No, sir, I have not.

5 Q. Would you review for Mr. Ezeanyim your
6 educational background and your work experience?

7 A. Yes, sir, I obtained a bachelor of science degree
8 from Northern Illinois University in 1980, master of
9 science from University of Wisconsin in 1982. I've worked
10 for Unocal, Tom Brown, Saudi Aramco, Black Hills and
11 Calpine Natural Gas.

12 Q. Are you familiar with the Application in this
13 case?

14 A. Yes, sir, I am.

15 Q. And have you made a geological study of the area
16 that is the subject of this Application?

17 A. Yes, sir.

18 Q. Are you prepared to share the results of your
19 work with Mr. Ezeanyim?

20 A. I am.

21 MR. CARR: Mr. Ezeanyim, we tender Mr. White as
22 an expert witness in petroleum geology.

23 EXAMINER EZEANYIM: Mr. White is so qualified.

24 Q. (By Mr. Carr) Mr. White, would you go to what is
25 marked Slide 6, identify that and review this for the

1 Examiner?

2 A. Sure. This is a location map in the San Juan
3 Basin. I have Dr. Faucett's map from the USGS in 2001 in
4 the lower left. This shows the Jicarilla Indian
5 Reservation marked in yellow on the east flank of the San
6 Juan Basin. Blown up out of that in the northeast map is
7 again the Jicarilla Indian Reservation in yellow. Black
8 Hills leases are shown in orange and green, and the
9 proposed increased density project is shown in green
10 itself.

11 This is a structure map on the Huerfanito
12 Bentonite, which is a stratigraphic marker in the Lewis
13 Shale. This structure map further shows that the acreage
14 of interest is on the east flank of the San Juan Basin.
15 Dip is very generally into the west, and there are minor
16 noses and troughs dipping into the Basin at this location.

17 Q. Let's go now to the information we have on the
18 Pictured Cliffs formation. If you'd go to the -- to Slide
19 7.

20 A. This is a north-to-south cross-section through
21 the proposed project area. It shows the stratigraphy that
22 we're interested in, beginning with the Tertiary
23 formations, the San Jose, Nacimiento and Ojo Alamo. The
24 San Jose is present at the surface over most of the
25 Jicarilla Indian Reservation. That formation, along with

1 the Nacimiento and Ojo Alamo, are composed of fluvial
2 sands. These are stream-deposited reservoirs. They are
3 laterally discontinuous as well as thin and lenticular in a
4 vertical sense.

5 Beneath the Tertiary intervals are the Cretaceous
6 Kirtland and Fruitland formations. These are swamp paludal
7 deposits of coals, sandstones and shales.

8 And finally, our main interval of interest, which
9 is the Pictured Cliffs. The Pictured Cliffs marks the
10 final regression of the Cretaceous seaway. It was
11 deposited generally from the southwest to the northeast
12 across the San Juan Basin from 70 to 90 million years ago.
13 It is a mappable unit. It has a fine boundary with the
14 Lewis shale below, and the Kirtland/Fruitland section above
15 these are mappable boundaries, and the porosity units
16 within the Pictured Cliffs are mappable as well.

17 Q. Your primary zone of interest is the Pictured
18 Cliffs?

19 A. It is.

20 Q. In the Tertiary formations, the Ojo Alamo is the
21 primary zone of interest?

22 A. Yes, it is.

23 Q. And you're going to be presenting geological
24 information on both of those --

25 A. Yes, I will.

1 Q. -- is that correct?

2 A. Yes, it is.

3 Q. All right, let's go to the next slide. This is
4 Slide Number 8.

5 A. Again, the -- a portion of the Black Hills leases
6 are shown in orange and in green, the green portion being
7 our proposed project area of interest. Along with this we
8 are showing the increased density pilot areas in the blue
9 stripes.

10 This -- Excuse me, this structure map in red is
11 on the top of the Pictured Cliffs, and again we can see
12 that the deepest portion of the Basin lies just to the west
13 of the proposed project area. The dip is to the west, and
14 you can see a structural nose exhibit itself across the
15 green project area in Township 30 North and 3 West. This
16 structural nose helps to accentuate the natural fracture
17 system in this area and keep those fractures open.

18 The natural fracture direction is exhibited by
19 the dark black lines, which are running generally north to
20 south with a slight east-to-southwest direction. These
21 dikes were emplaced in previously existing fractures, and
22 this is the primary fracture direction in this part of the
23 Basin.

24 Further evidence of the primary fracture
25 direction was exhibited by John Lorenz of Sandia

1 Laboratories in 1993 in some outcrop mapping that he had
2 done in the northeast portion of the Basin.

3 And then another point of evidence is an image
4 log that we ran in one of our wells that we drilled all the
5 way into the Dakota, and all the way through the section we
6 found that the primary fracture direction was just off of
7 straight north-south.

8 Q. Did you prepare this structure map from well
9 data?

10 A. I did.

11 Q. And this map has spotted on it well locations?

12 A. It does.

13 Q. It includes for your geologic interpretation
14 wells in the previously approved pilot area and also other
15 wells throughout the region; is that right?

16 A. Yes, it does, that's correct.

17 Q. Let's now go to the --

18 EXAMINER EZEANYIM: Yeah, before you -- before
19 you --

20 MR. CARR: Yes.

21 EXAMINER EZEANYIM: Hold it, please. Which one
22 do you have on the -- right? I mean, those shaded areas in
23 red. I know you have the green, and that nose there in the
24 PC?

25 THE WITNESS: It's a structure on top of the PC,

1 and you see the nose dipping off to the west from the east,
2 and that nose is very important, we believe, to
3 accentuating the natural fracture system. It works to
4 increase the density of the fractures, as well as hold
5 those fractures open as they're draped over that nose.

6 EXAMINER EZEANYIM: Okay, well, with all the
7 wells drilled in there, in the PC, both PC and Tertiary
8 systems?

9 THE WITNESS: These wells are almost exclusively
10 PC, but then of course they penetrate the Tertiary as well.

11 EXAMINER EZEANYIM: Yeah.

12 THE WITNESS: Correct.

13 EXAMINER EZEANYIM: Okay.

14 Q. (By Mr. Carr) Okay? All right, let's go to the
15 next slide, the stratigraphic cross-section, and what does
16 it show us?

17 A. This is a stratigraphic cross-section, again
18 generally north to south through the project area. It is
19 hung on the top of the Pictured Cliffs formation. You can
20 see the coals marked in black in the Fruitland section
21 above, and then the Lewis shales below.

22 There are two tracks per well on this cross-
23 section. The left track in yellow and gray indicates shale
24 content, and that's ranging from zero on the left to 100
25 percent on the right.

1 On the right track is an examination of the total
2 porosity, and that track is from zero percent on the left
3 to 20 percent on the right.

4 In the porosity track we have three colors: a
5 gray color which is irreducible porosity, blue which is
6 moveable water, and then red which is gas-saturated
7 porosity. In general you can see a coarsening upward
8 sequence on the clay volume track and increasing porosity
9 as we rise to the top of the Pictured Cliffs on the right
10 track.

11 The average porosity in the Pictured Cliffs is
12 about 11 1/2 percent. That increases to about 15 to 18
13 percent in the upper third of the Pictured Cliffs. The
14 upper third, which constitutes anywhere from 25 to 45 feet
15 in the Pictured Cliffs, is the primary reservoir of
16 interest. It is the best developed and has the highest
17 porosity and permeability.

18 Q. All right, let's now go to your Slide Number 10,
19 the net sand map.

20 A. This is a net sand map of the entire Pictured
21 Cliffs formation through the area of interest. I used a
22 cutoff of 8-percent effective porosity to generate this
23 map, and the orientation of the sandbodies you can see
24 generally running northwest to southeast is confined by
25 studies that have shown that that is the orientation of the

1 shorelines during the deposition of the Pictured Cliffs as
2 it migrated from the southeast to the northwest across this
3 area.

4 The average net sand in this area is about 65
5 feet, and that ranges from about 40 feet to as much as 103
6 feet.

7 Q. Let's go to Slide 11, the hydrocarbon pore height
8 map.

9 A. This map was derived from the net sand map. This
10 is the hydrocarbon pore height, again showing an
11 orientation northwest to southeast, exhibiting the ancient
12 shoreline during Pictured Cliffs deposition. The average
13 pore height in this area is about 7 pore-feet, and that
14 ranges from 4 pore-feet to 9 pore-feet.

15 EXAMINER EZEANYIM: Excuse me, on this -- on this
16 -- on this -- this is -- you have the green and the -- the
17 outline, is that -- what color is that? I'm not really
18 good at colors.

19 THE WITNESS: There are two colors. There is the
20 green outline which indicates our project of interest, and
21 the orange outline are the Black Hills leases.

22 EXAMINER EZEANYIM: Oh, okay. Is that why you
23 are including -- But really, where you want your special --
24 is in the green zone?

25 THE WITNESS: Yes, sir.

1 EXAMINER EZEANYIM: I'm not talking about Iraq.

2 Go ahead.

3 THE WITNESS: Okay.

4 Q. (By Mr. Carr) All right, are you ready to go to
5 your next slide?

6 A. Yes, sir.

7 Q. This is your schematic.

8 A. Right. This is an actual cross-section of one of
9 our horizontal wells that's been drilled in the northern
10 part of the Black Hills leases, and you can see the --
11 We're showing the same three formations of Fruitland, our
12 Pictured Cliffs, which is the main target, and the Lewis
13 Shale. There's a vertical exaggeration of 10 times in this
14 cross-section.

15 What we want to show here is how we drill these
16 horizontal wells in the Pictured Cliffs.

17 We come down and kick off in the top of the
18 Pictured Cliffs and begin turning the well immediately.
19 This allows us to build our full curve before we get to the
20 Lewis shale, in most cases at the bottom of the Pictured
21 Cliffs. We then build angle and rise into the upper one-
22 third of the Pictured Cliffs and get into that primary
23 reservoir in that formation, and then try to stay in that
24 better porosity and permeability zone for the duration of
25 the well.

1 This orientation helps us to expose the well to
2 the best reservoir in the Pictured Cliffs for the longest
3 duration, and we orient these wells generally east to west,
4 normal to the primary fracture direction, so that we get
5 exposure to the greatest number of natural fractures as we
6 can.

7 Q. Now what you've shown us is the way Black Hills
8 drills a horizontal well in the Pictured Cliffs?

9 A. That's correct.

10 Q. And the PC, you're developing that formation
11 primarily with horizontal wellbores?

12 A. That's correct.

13 Q. This wellbore also would intersect all of the
14 Tertiary horizons; is that correct?

15 A. Yes, it is.

16 Q. Does Black Hills develop the Tertiary with
17 horizontal or vertical wells?

18 A. The Tertiary is developed with vertical wells.

19 Q. Now let's go to the next slide. This concludes
20 the base information on the geology of the Pictured Cliffs.
21 Let's take a look now at the Tertiary formation. This
22 looks a lot like an earlier exhibit, Mr. White.

23 A. It is the same as Exhibit Number 7, sir, and I --

24 Q. Okay, and what is the purpose of it here?

25 A. -- I entered this only as a reminder of where the

1 Ojo Alamo formation is in the section. We are looking at
2 the basal Tertiary section. The Ojo Alamo is a fluvial
3 record of the initial Laramide uplift in the San Juan
4 Basin. It's high-energy streams, and again this unit is
5 highly mappable. It's high sand content, the V shale is
6 low, and porosities range from 9 to 15 percent.

7 And I say it's highly mappable, however it is
8 extremely discontinuous internally, and it is a very
9 complex -- it has a very complex internal structure.

10 Q. All right, let's go to the next slide.

11 A. This is a stratigraphic cross-section. The datum
12 this time is on the top of the Ojo Alamo formation, with
13 the Nacimiento above and the Kirtland formation below. It
14 is the same format as our Pictured Cliffs cross-section
15 earlier with the -- with clay volume on the left and
16 porosity on the right.

17 What I'd like to show on this is the internal
18 variability of the Ojo Alamo in this area.

19 In the well track you can see red bands which
20 indicate perforated intervals in the Ojo Alamo. In
21 general, the upper unit of the Ojo Alamo is productive in
22 the area of interest. However, you can see the second well
23 to the right is wet in that upper unit, and the far well on
24 the right has only a very minor amount of perfs in that
25 interval. This indicates that although in general this

1 unit is productive, it is not in every case.

2 Further, you see on the fourth well from the left
3 and the fourth well from the right, the absolute top of
4 that interval is wet, it's water-bearing. And my point
5 here is that this internal variability causes us to not be
6 able to map gas zones in the Ojo Alamo with any high degree
7 of confidence.

8 Gas zones are also found in the lower members of
9 the Ojo Alamo, but with lesser frequency than the upper.
10 The middle well shows some perforations about halfway down,
11 and although I'm not showing any on this cross-section, we
12 find Ojo Alamo sections that are entirely wet, with the
13 exception of one lone gas zone at the bottom of the
14 section.

15 So all this indicates that there are numerous
16 vertical and lateral permeability barriers which allow gas
17 to be entrained at any point in this Ojo Alamo section.
18 And again, although this main unit can be mapped, mapping
19 individual gas zones cannot be done with any degree of
20 confidence.

21 Q. Mr. White, what geological conclusions have you
22 been able to reach from your study of this proposed
23 development area?

24 A. The conclusions that we have come to are three.
25 First is that the Pictured Cliffs is a highly mappable

1 unit, both lithologically and porositywise, and it is -- it
2 is a very good candidate for development in a horizontal
3 drilling program. We can map that porosity interval in the
4 top of the Pictured Cliffs, and we can design our wells to
5 drill into that formation and remain in that formation.

6 Further, we believe that the development of the
7 Pictured Cliffs can be enhanced by drilling these wells
8 normal to the natural fracture direction, which in this
9 case is roughly east to west.

10 Another conclusion is that the Tertiary section
11 is stratigraphically very complex, and although we believe
12 that these wells that we will drill for Pictured Cliffs
13 will encounter gas in the Tertiary section, we will not be
14 able to predict those encounters with gas zones with any
15 degree of confidence.

16 EXAMINER EZEANYIM: Is the Kirtland in the
17 Tertiary system? The Kirtland, is that in the Tertiary
18 system?

19 THE WITNESS: I'm sorry, no, the Kirtland is the
20 top of the Cretaceous.

21 Q. (By Mr. Carr) Mr. White, were Exhibits or slides
22 6 through 14 prepared by you?

23 A. Yes, sir, they were.

24 MR. CARR: May it please the Examiner, at this
25 time we'd move the admission of Slides or Exhibits -- Pages

1 6 through 14.

2 EXAMINER EZEANYIM: Slides 6 through 14 shall be
3 admitted into evidence.

4 MR. CARR: And that concludes my direct
5 examination of Mr. White.

6 EXAMINER EZEANYIM: Do you have any questions?

7 MR. BROOKS: No questions.

8 EXAMINER EZEANYIM: You may be excused.

9 THE WITNESS: Thank you, sir.

10 MR. CARR: Mr. Examiner, as to both of the land
11 and geological presentations, I have large copies of the
12 exhibits I'll leave behind.

13 EXAMINER EZEANYIM: Okay, that will be good.

14 MR. CARR: And at this time I will call Mr.
15 Zadick.

16 THOMAS W. ZADICK,
17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. CARR:

21 Q. Would you state your name for the record, please?

22 A. Thomas W. Zadick, for the record Z like in zebra,
23 A, D like in dog, I, C, K.

24 Q. Mr. Zadick, where do you reside?

25 A. Colleyville, Texas.

1 Q. And by whom are you employed?

2 A. I'm self-employed, I'm a consultant reservoir
3 engineer.

4 Q. And what is your relationship with Black Hills?

5 A. I work for them on a contract basis.

6 Q. Have you previously testified before the New
7 Mexico Oil Conservation Division?

8 A. Yes, I have.

9 Q. Were you before Mr. Ezeanyim at that time?

10 A. No, I was not.

11 Q. Would you review for the Examiner your
12 educational background and your work experience?

13 A. I have a bachelor's and a master's degree in
14 chemical engineering from Montana State University. I went
15 to work for Shell Oil Company, worked for them for six
16 years, I had 23 years with Union Pacific Resources in
17 various reservoir engineering and management capacities.
18 For the last eight years I've been doing a consulting
19 practice in reservoir engineering.

20 Q. Are you familiar with the Application filed in
21 this case?

22 A. Yes, I am.

23 Q. Have you made an engineering study of the area
24 that is the subject of this Application?

25 A. Yes, I have.

1 Q. And are you prepared to share the results of your
2 work with Mr. Ezeanyim?

3 A. Yes, I am.

4 MR. CARR: We tender Mr. Zadick as an expert
5 witness in reservoir engineering.

6 EXAMINER EZEANYIM: Mr. Zadick is so qualified.

7 Q. (By Mr. Carr) Mr. Zadick, when were you retained
8 by Black Hills?

9 A. In July of 2006.

10 Q. And what were you asked to do?

11 A. To look at the -- to do reservoir studies on the
12 Tertiary formations as well as the Pictured Cliffs, and
13 determine whether there was an opportunity for increasing
14 recovery in these intervals.

15 Q. And have you concluded that study?

16 A. Yes, I have.

17 Q. Have you prepared exhibits for presentation here
18 today?

19 A. Yes.

20 Q. Let's go to Slide 15, and I'd ask you to explain
21 what this shows.

22 A. Well, Slide 15 is simply an overview of the
23 testimony on the Pictured Cliffs reservoir. I'm going to
24 start out with a recommendation, and then I will briefly
25 discuss the work that was done in three areas, the first

1 being normalized rate-time analysis. We did some finite-
2 difference modeling to look at idealized reservoir recovery
3 in these tight sands. And then we did a statistical study
4 to look at EURs that were calculated from decline curves,
5 and compare those to volumetric gas-in-place numbers
6 generated using wellbore parameters, and to arrive at a
7 recovery efficiency for the wells that were completed only
8 in the Pictured Cliffs formation.

9 Q. Before you go into the details of your study, I'd
10 like for you to review your recommendations for the
11 Examiner.

12 EXAMINER EZEANYIM: He said something I didn't
13 catch. Is this analysis only in the PC? Is that what you
14 said?

15 THE WITNESS: This part of the study is just the
16 Pictured Cliffs.

17 EXAMINER EZEANYIM: Yeah, the PC.

18 Q. (By Mr. Carr) All right, let's go to your
19 recommendations on Slide 16.

20 A. This slide is just based -- the recommendations
21 that were arrived at from the study, and the fundamental
22 recommendation, that is increased well density, is
23 technically justified. And we are recommending two
24 vertical wells per 160-acre drainage unit, or, as an
25 alternative, two horizontal wells per 320-acre drainage

1 unit.

2 EXAMINER EZEANYIM: Is that what you used in your
3 studies, you used two vertical wells, two horizontal wells
4 on the --

5 THE WITNESS: The study was done basically
6 looking at existing wells.

7 EXAMINER EZEANYIM: Existing wells. Not the two
8 wells on the 160 and the two wells on 320?

9 THE WITNESS: No.

10 Q. (By Mr. Carr) All right, now these are your
11 conclusions or your recommendations. Let's see how you got
12 there.

13 A. All right.

14 Q. Let's go to the next slide. This is your rate-
15 time analysis?

16 A. Yes, this slide is just simply a map across the
17 project area, showing the six wells that we used in rate-
18 time analysis. And normalized rate-time analysis is a way
19 of doing a well test without actually shutting in the well
20 and gathering pressure information, and the reason for
21 doing this is that these -- this reservoir is so tight that
22 it would take an extraordinary amount of time to see
23 meaningful pressure buildup data.

24 The wells were selected across the project area
25 to give us a broad geographical survey of the area, as well

1 as looking at a range in estimated ultimate recovery
2 numbers, as well as a range in producing time values.

3 And we also wanted to look at both vertical,
4 hydraulically stimulated wells, as well as horizontal wells
5 in the area. So that's how these wells were selected. And
6 of course we wanted to do the analysis on wells that were
7 completed only in the Pictured Cliffs area.

8 Q. Okay, let's go to Slide 18.

9 A. By way of background, this slide summarizes the
10 assumptions that are built into normalized rate-time
11 analysis, and these assumptions are pretty much across the
12 board for all of the models that are available in the
13 industry.

14 The basic assumption on the reservoir engineering
15 side of things is that you have idealized reservoir
16 properties, the same as the Hurst Van Everdingen model. So
17 we're talking about constant isotropic properties across
18 the drainage volume.

19 The second thing -- the primary data that we need
20 is either measured or calculated sand-face pressures, and
21 this is in order to get an idea of the magnitude of
22 drawdown on the reservoir, and then we need producing rates
23 for the various fluids. And having this data, we can then
24 input the data into the model along with other parameters
25 and come up with a continuous flowing well test.

1 The model has type curves for either vertical
2 radial wells, hydraulically fractured vertical wells, or
3 horizontal wells. And by matching on these type curves we
4 can get an idea of things like reservoir permeability,
5 skin, fracture half-length and drainage area.

6 If we're dealing with tubing pressures, flowing
7 tubing pressures that are measured at the surface, we need
8 a wellbore diagram and a hydraulic model that will
9 calculate sand face pressures. And this particular model
10 that I use has that incorporated into it. The model then
11 computes a normalized productivity index, which is just
12 rate over drawdown, and a flowing material balance time.

13 And flowing material balance time is similar to
14 the old Horner time where you just take cumulative divided
15 by rate, but it also incorporates into it a density term
16 that converts everything into moles. So what you're doing
17 is looking at the amount of depletion and material from the
18 reservoir over a period of time. And in effect, that's
19 what gives us the ability to do a continuous well test
20 without shutting in.

21 Q. All right, let's to go the technique employed and
22 go to Slide 19.

23 A. Yes, Slide 19 just summarizes the technique, and
24 I'm going to start with the figure over on the left and
25 then go across the page and then down.

1 What is shown here on the first figure is just
2 the basic data that goes into the model. And what we have
3 is, in red is the actual producing rate that was measured
4 on this particular well, and in black on the bottom is the
5 flowing tubing pressures that were measured on the well.
6 The model using the tubing-flow correlation then calculates
7 a sand-face pressure, and that's shown in the darker blue
8 or green number. I think it's blue on this slide.

9 So then having that data, we go in and transform
10 it into these dimensionless parameters.

11 So if you look over to the next slide, what you
12 see is a series of lines, and there are actually three
13 different type curves that we're matching to there, that
14 are summarized by these lines, and you see a bunch of
15 symbols. And the symbols are the actual data converted --
16 transformed into these dimensionless parameters.

17 So if you look at the dots it's a little easier
18 to follow.

19 The red curve, the red dots, are the productivity
20 index term, plotted as a function of material balance time.

21 The green curve is the derivative of that data.

22 And the blue curve is the integral of the data.

23 If you look at the white line that extends up
24 vertically from there, that's just separating the two data
25 sets into the transient-dominated regime versus the semi-

1 steady-state regime. And the idea here is that when you do
2 get into semi-steady-state flow, which is shown by the 45-
3 degree downslope, you're actually encountering a reservoir
4 boundary condition.

5 So the technique is to take this data and slide
6 it around until you get a simultaneous match on all three
7 curves. Once you're satisfied with that match, you pick
8 the match point and the model will calculate from the
9 material balance time the gas in place in the reservoir.
10 Then using the reservoir parameters that you input from the
11 logs, you get a drainage area term.

12 The model also calculates flowing efficiency
13 indices, like skin, and permeability for the reservoir. If
14 it's a fractured vertical well it will calculate for you a
15 fracture half-length, and if it's a horizontal well it will
16 calculate the effective horizontal length for the lateral.
17 And the model that I'm using for all of this work is called
18 RTA, and it's developed by Faquit up in Calgary, Alberta.

19 Q. All right, let's go to the next slide, Slide 20,
20 which shows the rate-versus-time-analysis results.

21 A. Yeah, these are the results for the Pictured
22 Cliffs reservoir from the rate-time-analysis work. RTA
23 actually gives you the ability to look at this data with
24 three or four different models. The ones that I most
25 typically use are Blasingame -- and the reason I like to

1 use Blasingame is, it's the only model that has type curves
2 for horizontal wells -- and then NPI, and I like NPI
3 because it seems to give the most consistent match of data
4 in comparing to the Blasingame curves.

5 Q. The Blasingame and NPI are both shown on this
6 exhibit?

7 A. And they're both shown, yes.

8 Q. All right.

9 A. And if you go -- if you look at the top of the
10 table, about the third or fourth line down, you see
11 Blasingame, and then over a ways you see NPI. And then
12 over to the right of that you see three more things.

13 The first is called FMB, and that's the flowing
14 material balance. And this is kind of like using the
15 calculated sand-face pressures to do a material-balance P/Z
16 curve for gas wells on a continuous basis from the flowing
17 data.

18 And then there's the traditional column, and
19 that's basic decline curve theory, so the old Arp's model.

20 And then finally Fetkovitch. And Fetkovitch was
21 really the first person to incorporate type-curve analysis
22 into decline-curve theory. And the problem or the
23 limitation with Fetkovitch is that he assumes that the well
24 is always being produced at a constant sand-face pressure,
25 so it's always being drawn down, say, to its maximum

1 capability, whereas Blasingame and NPI, because they
2 calculate this normalized rate-time parameter, they don't
3 have to necessarily -- you know, they can look at
4 situations where the well is being produced in a
5 constrained condition over a long period of time.

6 The leftmost column is just the well names. And
7 then under the Blasingame we have net feet of pay,
8 porosity, permeability that the model calculates. And
9 you'll notice that the first well has about .28
10 millidarcies average across the net pay interval. All the
11 balance of the other wells are less than a tenth of a
12 millidarcy, substantially less than a tenth of a
13 millidarcy.

14 $X_f/2$ is the calculated fracture half-length.
15 You'll notice two of the wells have relatively poor frac
16 jobs associated with them. And for the horizontal wells,
17 the next column is the effective horizontal well length.
18 You can see for the two that we have, that both of these
19 wells appear to be producing very efficiently from the
20 horizontal lateral. They have 1800 and 3000 feet of
21 effective lateral length.

22 The column titled OGIP, which is -- skip one and
23 -- you know, the final column under Blasingame, is the
24 calculated original gas in place using the material balance
25 time pick point. And then the area is the calculated area

1 from -- using the petrophysical parameters for the well.

2 And you can see from this data, in what's
3 highlighted in red, under the -- using the Blasingame
4 method, is that none of the wells are draining 160 acres.
5 The best well is draining about 120 acres, but most of them
6 are well under 80 acres in drainage area.

7 When we look at the NPI data, it pretty much
8 mirrors what we're seeing with Blasingame, and the drainage
9 areas are very close. The flowing material balance data is
10 also quite close in terms of OGIP. Flowing material
11 balance generally gives you -- if you employ it the way
12 that I do, it's a look to try to get, well, how big could
13 this thing really be, if I really push it as far as I can?

14 And then the last two columns just compare the
15 results to the traditional decline curve analysis and the
16 Fetkovitch. Now, one of the wells we could not calculate a
17 Fetkovitch type curve on because there was a problem with
18 the early time data.

19 So the basic message from this work is that it
20 does not appear that any of our wells in the Pictured
21 Cliffs are draining large areas.

22 Q. Let's go and look at the idealized recovery
23 factors now, and I'd ask you to refer to Slide 21.

24 A. When we saw how low the calculated gas
25 permeability numbers were from the RTA work, the natural

1 question was, well, what does this mean in terms of an
2 idealized recovery factor? Because you would think
3 intuitively that with this low of a permeability value you
4 wouldn't recover very much gas from the reservoir.

5 So what we wanted to do was build this same
6 idealized condition into a finite difference model, and in
7 this case we used a three-dimensional model that was 51 by
8 50 grids by one layer thick. It had a 160-acre drainage
9 volume, and we incorporated into it the average Pictured
10 Cliffs reservoir properties. So if you look over to the
11 table on the right, you can see a net pay of about 55 feet,
12 the porosity 11.5 percent, about .06 millidarcies in both
13 the X and Y direction, so no anisotropy, and about 50-
14 percent connate water saturation. And then so forth, the
15 rest of the properties.

16 The gridding technique hard-wired the fracture,
17 the hydraulically fractured condition into the well, so
18 what we did was, we used a real narrow grid with a high
19 permeability and 500 feet total length or a 250-foot half-
20 length to model to the fracture set in the gridding.

21 If you go to the next slide, this is just a
22 schematic that shows a visualization of the model using
23 grid permeability. And as you can see, it's constant grid
24 properties, and of course you would expect that because
25 we're trying to simulate the Van Everdingen condition,

1 except for in the middle where the well is located you see
2 that hot yellow line that's -- in dimension is about 500
3 feet long and one foot wide, and that simulates the
4 fracture.

5 Q. All right. Let's now go to Slide 23, and review
6 your efficiency results.

7 A. Slide 23 shows the results of the modeling work,
8 and let's start off over on the right side and look at the
9 figure.

10 On the X axis what is plotted is the assumed
11 economic limit, and it varies from 10 MCF per day all the
12 way up to 70 MCF per day. And of course, the price of gas
13 plays a big role in what that economic limit is going to
14 be. And with today's current high prices of gas, we can
15 produce these wells to unusually low economic limits.

16 On the Y axis we actually have two axes. On the
17 left is recovery efficiency, going from zero to 1. And
18 recovery efficiency is defined as the recovery divided by
19 160-acre gas-in-place number. And on the right, in the
20 magenta color, is the time to reach that economic limit.

21 Okay, now over on the left are the results. And
22 the first result that we saw, which was not too surprising,
23 was that recovery efficiency is very sensitive to economic
24 limit. But what's really surprising is how sensitive it
25 gets as you approach these lower values. In fact, recovery

1 efficiency is not as sensitive to permeability as it is to
2 economic limit when you're down in the 10-MCF-per-day
3 range.

4 But the time to reach that economic limit is
5 excessive. For example, to get -- for this model to get to
6 an economic limit of 10 MCF per day requires 72 years of
7 producing time.

8 The other thing that's troublesome is that the
9 ideal model results appear to be much higher in terms of
10 recovery efficiency than what we normally would think would
11 happen in fact or in actuality. And the reason for this is
12 because of the assumption of the idealized reservoir. If
13 you put in even a simple perturbation in the reservoir,
14 like changing the anisotropy from 1 to 1, to 3 to 1, it
15 makes a large difference in recovery efficiency.

16 And so what's happening in practice is, these
17 reservoirs are much more complex than we realize, and
18 that's why -- the Hurst Van Everdingen model, I should say,
19 and that's why the recovery efficiencies are so much lower.
20 But at the idealized condition the recovery efficiency is
21 76 percent, using a 10-MCF-per-day economic limit. And you
22 should remember that number because that shows up again in
23 some later slides.

24 Q. Okay, let's look at your EUR versus original gas-
25 in-place numbers, and that is Slide 24.

1 A. Now we're going to shift horses a little bit and
2 look at some statistical data that came out of the project
3 area, and these are wells that are completed only in the
4 Pictured Cliffs interval in the project area.

5 And if you look at this table, the first column
6 is EUR, estimated ultimate recovery, and this data was
7 generated from decline curve analysis.

8 The second column is original gas in place, and
9 this is calculated using the drainage area of 160 acres in
10 the wellbore parameters from the petrophysical work.

11 And then recovery efficiency is just the ratio of
12 the two.

13 Now if you look at the rows in the table, the
14 first one, N, is just the number of wells that we looked
15 at. Max is the maximum value encountered in that data set,
16 min is the minimum. Average refers to arithmetic average,
17 and that's, as we all know, considerably different than
18 geometric mean average. And finally the median is the
19 point in the data set where half of the values are above it
20 and half of the values are below it.

21 Now if you focus just on the column called
22 recovery efficiency, you'll notice that in the 41 wells
23 that we looked at, one well produced more gas than we could
24 volumetrically put into the 160-acre drainage area. The
25 arithmetic average was about 31 percent, the geometric mean

1 was only 13 percent, and the median value was about 25
2 percent.

3 EXAMINER EZEANYIM: How did you come up with that
4 1.06? You know, the OGIP is higher than the EUR.

5 THE WITNESS: The EUR for that particular well
6 appears to be draining more gas than we can put into the
7 160-acre drainage area around the well using the wellbore
8 parameter that -- from the petrophysics done on the well.
9 So one of two things could have happened.

10 One is, that -- the properties that came from the
11 log analysis are conservative when compared to the rest of
12 the drainage area.

13 A second possibility is that we're draining, you
14 know, some of the gas from outside of the drainage area,
15 we're draining larger than 160 acres. So you know, it
16 could be one of those two conditions. My guess is that by
17 -- you know, the problem is, we just used the wellbore
18 parameter from the well that was producing in that 160-acre
19 drainage area.

20 EXAMINER EZEANYIM: I was wondering how you
21 calculate that. EUR over OGP.

22 THE WITNESS: Right.

23 EXAMINER EZEANYIM: If that is the case, then how
24 can you come up with that number? I mean, I understand
25 what you are saying, is that -- calculated at 1.060, is

1 that -- the model calculated that?

2 THE WITNESS: No, no, it's not the model, it's
3 just the data.

4 EXAMINER EZEANYIM: Okay. Now we have an EUR --

5 THE WITNESS: The other possibility that -- the
6 third possibility is, our EUR is off. The EUR was taken
7 from decline curve work, extrapolating all the way out to a
8 10-MCF-per-day economic limit. Now if that decline curve
9 is a little bit optimistic in terms of the, you know, slope
10 that we decline the well at, we would calculate a larger
11 EUR. So I mean, this is just the way the data shook out.

12 But the important thing is that on the average,
13 independent of what average you look at, most of the wells
14 are recovering far less than 160 acres. And in fact, most
15 of them are down around 40 acres, in terms of drainage
16 area. And so that's telling us that if we go in and drill
17 additional wells in the Pictured Cliffs, we should expect
18 most of the reserves -- not all the reserves, but most of
19 the recovery from the new wells to be incremental reserves.

20 Q. (By Mr. Carr) All right, what is the next slide?

21 A. The next slide is a visualization of that same
22 data set. On the X axis is original gas in place, on the Y
23 axis is EUR, and then the 41 points from the wells that we
24 looked at.

25 And then there are two lines there. The first

1 line is the 45-degree line, and that's the condition where
2 the EUR equals the gas in place. The second line is the
3 condition where the EUR equals 50 percent of the gas in
4 place. And why 50 percent? Well, we're asking to double
5 the number of wells in each spacing unit.

6 As you can see, there is one data point, the one
7 that you questioned in the table, where the EUR is slightly
8 higher than the OGIP.

9 EXAMINER EZEANYIM: Uh-huh.

10 THE WITNESS: There are nine other wells that
11 fall in between the 50-percent line and the 45-degree line.
12 But there are 31 wells that fall below it.

13 EXAMINER EZEANYIM: Yeah.

14 THE WITNESS: So again, this is reinforcing our
15 belief that with this program we will be adding primarily
16 incremental reserves.

17 Q. (By Mr. Carr) All right, let's now go to the
18 recovery efficiency information.

19 A. Slide Number 26 is the same data, only now we're
20 looking at recovery efficiency. And I think this gets to
21 the problem that you were having with the earlier data, and
22 that is, you know, it's hard -- we know as reservoir
23 engineers that we are not going to recovery all of the gas
24 that is in place.

25 EXAMINER EZEANYIM: Yeah.

1 THE WITNESS: So my intention here was to show
2 what we would recover as a recovery-efficiency number if we
3 standardize everything back to the idealized model that
4 said we should expect to get 76 percent within the drainage
5 volume. Okay?

6 So what we have here is, on the X axis, once
7 again, is original gas in place. On the Y axis is recovery
8 efficiency, and there are two lines again. The first is
9 the blue line, and that's the condition where the recovery
10 efficiency is equal to 76 percent. The second line is the
11 red line, and that's the condition where the recovery
12 efficiency is equal to half of the 76 percent, or 38
13 percent.

14 We have two points now that exceed the 76-percent
15 recovery-efficiency value, and we have 12 points that fall
16 between the two. And the balance of the data, which is
17 some 27 points, fall below the 50-percent value. So again,
18 I think this reinforces our belief that there's significant
19 reserve additions to be made by going forward with this
20 program.

21 Q. (By Mr. Carr) Now let's go to Slide 27.

22 A. This slide shows the cumulative frequency plot
23 for recovery efficiency, so it's just another way of
24 looking at the same data set.

25 As we know, the median is the point where the

1 cumulative frequency on the Y axis is at the 50-percent
2 value, and when you stroll across to the data and come
3 down, it equates to the 25-percent recovery-efficiency
4 number.

5 The 76-percent recovery-efficiency number from
6 the idealized model, if we take that up to the data and
7 then across to read off a recovery-efficiency number, what
8 we see is that only five percent of the wells are going to
9 recover -- have a recovery efficiency above 76 percent.
10 And if we look at the 38-percent value and go up from
11 there, what we find is 65 percent of the wells will recover
12 less than the 38-percent recovery-efficiency value. So
13 once again, we think that statistically we're going to be
14 in a condition where most of our production is incremental
15 reserve additions.

16 Q. All right, Mr. Zadick. Well, that concludes the
17 portion of the presentation on the Pictured Cliffs.

18 Could you go to Slide 28 and review for Mr.
19 Ezeanyim the conclusions you have reached from your study
20 of the Pictured Cliff reservoir in this area?

21 A. These are conclusions as well as recommendations,
22 and the first is that 80-acre well density is recommended
23 in the project area to improve recovery, and we think that
24 we're going to get significant increased recovery because
25 of this.

1 The RTA analysis indicates that most of the wells
2 are draining less than 80 acres.

3 And the idealized model indicates that high
4 recovery efficiency should be expected within the drainage
5 volume if we, in fact, go to a 10-MCF-per-day economic
6 limit.

7 We think that complex reservoir behavior in the
8 Pictured Cliffs -- and by that I mean things like
9 anisotropy, layers, dual permeability and limited
10 continuity -- are the types of reservoir complexities that
11 are reducing our recovery efficiency.

12 Statistics on the existing Pictured Cliffs only
13 wells within the study area show that half of the wells
14 drain less than 30 acres, 65 percent of the wells have less
15 than the idealized 80-acre recovery efficiency, and only 5
16 percent of the wells exceed the idealized 160-acre recovery
17 efficiency.

18 We are confident with additional testing that we
19 can -- and by that I mean things like RFT data and logs --
20 that we can optimize Pictured Cliffs recovery.

21 And we think that with additional experience in
22 drilling the horizontal wells in the Pictured Cliffs we'll
23 be able to reduce costs for drilling these wells, as well
24 as to optimize the well design.

25 Q. Now Mr. Zadick, the last two points on this slide

1 are your recommendations?

2 A. Right.

3 Q. Additional testing and additional experience with
4 horizontal wells?

5 A. Yes, sir, that's true.

6 Q. That information is something that can be
7 reported back to the Division as the BLM is requesting we
8 do; is that correct?

9 A. Yes, sir.

10 Q. But would this information, either additional RFT
11 testing and log work or experience with horizontal
12 drilling, would either of these change your -- the
13 conclusions that you have reached that increased density in
14 this area is needed to access the reserves that can be
15 recovered from the area?

16 A. No.

17 Q. Now let's go to Slides 29 and 30, and I would ask
18 you to refer to those and review the conclusions you've
19 reached on the Tertiary formation.

20 A. Yeah, the work in the Tertiary area is -- or the
21 Tertiary formations in the project area leads us to the
22 conclusions that, A), the geology is extremely complex.
23 You know, we saw from Mr. White's presentation how variable
24 the water saturation was vertically within wells, how
25 difficult it was to look at stratigraphic units and

1 correlate them across the field. On a large -- on a gross
2 basis it's not difficult, but when you start looking at
3 individual sand members it is.

4 And so we think that, you know, additional
5 engineering data is required in order to properly evaluate
6 how to go about exploiting these reservoirs to increase
7 recovery. And the data that we've collected and analyzed
8 so far, in the Ojo Alamo area primarily, leads us to
9 believe that, you know, increased well density will result
10 in incremental production.

11 But as long as we're going to be drilling to the
12 Pictured Cliffs we have the opportunity to capture more
13 data -- and by "more data", once again I'm talking about
14 RFT data as well as, you know, open-hole logs -- and get a
15 better picture of the reservoir and try to understand both
16 vertically and laterally how things are changing.

17 So we'll be able to do this in the Tertiary zone
18 and plan an attack for those zones after we have completed
19 in the Pictured Cliffs and produced those reserves.

20 Q. All right, and your last slide?

21 A. This last slide is taken from work that was done
22 by a consultant from Mallon, who was the previous operator,
23 and it showed normalized rate-time analysis using a tool
24 called RPI, and this was done by another consultant back in
25 1998 and 1999 for that hearing. What we have here on the X

1 axis is permeability varying from zero to 1.2 millidarcies,
2 and that's average across the zone, versus drainage area.

3 And what they were trying to show with this slide
4 is, first off, there are a lot of points on the graph that
5 have an estimated drainage area below 80 acres using the
6 RPI tool. And secondly, they were trying to show that
7 there's no real clear-cut relationship between permeability
8 and drainage area. And that's a little bit troublesome,
9 because that's telling you, well, maybe, you know, the
10 stratigraphic component is very important. And my feeling
11 is that if you looked at this same data set with the kind
12 of economic limit that we employed, you would even see more
13 scatter in the data.

14 So for this reason we think that it's important
15 to capture this data up front as we're drilling for the
16 Pictured Cliffs and allow us to evaluate and use this data
17 to plan our completion intervals and strategies for
18 vertical completions in the Ojo Alamo.

19 Q. Now Mr. Zadick, in addition to acquiring
20 information on the Tertiary formation, do you have an
21 opinion as to whether or not by increasing well density in
22 that formation you will, in fact, increase recovery from
23 that formation?

24 A. Yes, I think we will.

25 Q. And do you have an opinion on whether or not that

1 would be rate acceleration or incremental recovery?

2 A. No, I'm talking incremental recovery. I think at
3 this point there will be incremental recovery. We're just
4 trying to fine-tune the best way to optimize it.

5 Q. Let's go back to Slide 16, and I'd ask you now
6 that you've completed your presentation to once again just
7 summarize your recommendation.

8 A. Yes, slide 16 is the slide that had my initial
9 recommendations for the Pictured Cliffs formation, and that
10 is that increased well density is technically justified.
11 We feel that two vertical wells per 160-acre drainage unit
12 is necessary, or, in the alternative, two horizontal wells
13 per 320-acre spacing unit.

14 Q. In your opinion, if this Application is approved
15 and these formations are developed with a second well,
16 either two vertical wells on a 160 or two horizontal wells
17 on a 320, in your opinion would that be in the best
18 interest of conservation, the prevention of waste and the
19 protection of correlative rights?

20 A. Definitely.

21 Q. Were slides 15 through 30 prepared by you?

22 A. Yes.

23 MR. CARR: Mr. Ezeanyim, at this time I would
24 move the admission into evidence of Black Hills Slides 15
25 through 30.

1 EXAMINER EZEANYIM: At this point Slides 15
2 through 30 will be admitted into evidence.

3 MR. CARR: That concludes my direct examination
4 of Mr. Zadick.

5 EXAMINER EZEANYIM: Okay, David?

6 MR. BROOKS: No questions.

7 EXAMINATION

8 BY EXAMINER EZEANYIM:

9 Q. Now, I'm still on Slide 16. You want two
10 vertical wells per 160-acre or two horizontal wells per
11 320?

12 A. Right.

13 Q. You want both, or would you prefer one? What do
14 you want?

15 A. Well, I think, you know, we're largely looking at
16 horizontal applications for the Pictured Cliffs, so I would
17 think that --

18 MR. CARR: Mr. Examiner, if in fact an order is
19 entered that increased the well density to allow the
20 optional infill well -- that's what we're seeking -- once
21 you do that under Rule 111 --

22 EXAMINER EZEANYIM: Okay, you can do --

23 MR. CARR: -- we can then go ahead and get the
24 horizontal or the two vertical, depending upon whether or
25 not we're in the Pictured Cliffs or in the Tertiary

1 formation.

2 EXAMINER EZEANYIM: Okay, yeah.

3 MR. CARR: And in terms of the way technically to
4 do that, I have prepared just a recommended set of rules
5 that I was going to give to you at the end of the hearing.
6 Basically, Mr. Examiner -- and I can hand them to you now,
7 if that's all right. But basically what they are is,
8 they're in two parts.

9 The uppermost portion simply creates the
10 Jicarilla Apache Tribal Lands Production Area, and then
11 starting with Rule 3 it authorizes an optional infill well.

12 And I'll tell you where I got these. The
13 creation of the Jicarilla Apache Tribal Lands Production
14 Area is simply drawn from the Basin-Fruitland Coal rules
15 where you create the high-productivity area. And then Rule
16 3 parallels the rules in the Blanco-Mesaverde and the
17 Basin-Dakota when you are drilling wells within federal
18 units, but it's been planed down to take out language which
19 wouldn't be applicable here.

20 But the purpose here was to just at the end of
21 the hearing clarify that, because that is a confusing
22 point, because depending on what horizon you're in, the
23 technique changes, but it's all covered, I believe, by
24 existing rule, and that's why we proposed the rules as we
25 have.

1 EXAMINER EZEANYIM: Okay, so if it happens that I
2 approve your two wells per 160, then you could exploit the
3 Tertiary system with vertical wells --

4 MR. CARR: We'd come in --

5 EXAMINER EZEANYIM: -- and then --

6 MR. CARR: I will --

7 EXAMINER EZEANYIM: -- using 111 --

8 MR. CARR: Correct.

9 Q. (By Examiner Ezeanyim) Okay, on the -- you know,
10 on the Tertiary system, we haven't done a lot of work on
11 the Tertiary system, but, you know, you told me that you
12 believe that increased density is appropriate because you
13 are going to be going through them as you explore the PC.
14 Is that on that basis you want me to approve the Tertiary
15 system?

16 A. Well --

17 Q. Are you going to do more work on that, as you did
18 the PC? You did a good job on the PC, but not much on the
19 Tertiary systems, so are you going to perform more work on
20 the Tertiary system to be able to really convince yourself
21 that you need this increased well density? I mean --

22 A. We've already done some work on the Tertiary --

23 Q. Uh-huh.

24 A. -- and the outshoot of that work was that we felt
25 that in order to adequately plan for the exploitation of

1 the Tertiary reservoir, that we would like to use the
2 Pictured Cliffs drilling as an opportunity to capture more
3 data and do more studies.

4 Q. Uh-huh. How many wells -- Out of these 14 wells
5 that you used, all of them went through the Tertiary
6 system, right?

7 A. Yes.

8 Q. But you didn't conduct the study then?

9 A. They did not -- These wells were just wells that
10 produced from the Pictured Cliffs only. Part of the
11 problem, particularly with the shallower horizons, is that
12 the data -- a lot of the data is commingled.

13 Q. From --

14 A. -- Tertiary.

15 Q. -- Tertiary to PC?

16 A. Yeah, over large intervals. We did look at some
17 wells, though. I can't recall how many.

18 EXAMINER EZEANYIM: Okay. I really need some
19 notice, I think you -- and I may have forgotten --

20 MR. BROOKS: Yes.

21 EXAMINER EZEANYIM: Yeah, he did --

22 MR. BROOKS: He did.

23 EXAMINER EZEANYIM: -- so everything is fine
24 there, okay.

25 MR. BROOKS: He's got -- he notified everybody.

1 EXAMINER EZEANYIM: Okay, good.

2 MR. CARR: Mr. Brooks is watching me very
3 carefully on that, Mr. Ezeanyim.

4 MR. BROOKS: Well, I can't contribute very much
5 to this last gentleman's presentation since I don't
6 understand very much of it. Fortunately, Mr. Ezeanyim
7 does.

8 EXAMINER EZEANYIM: So let me ask this question.
9 As soon as we approve this request, how frequently will you
10 be reporting the data to us, and what data are you supposed
11 to be reporting to us, to make sure that, you know, what
12 you're doing is correct?

13 MR. CARR: Mr. Ezeanyim, the BLM requested annual
14 reports, both to you and to them, at least, as I understand
15 it, during the first three years. And we'd be happy to
16 file written reports, or, if you look at that and decide it
17 would be worthwhile to bring us back, we'll come back.
18 It's your call.

19 EXAMINER EZEANYIM: Okay. Yeah, because we need
20 to keep abreast of what is going on in that area, now that
21 you -- having completed the study.

22 Q. (By Examiner Ezeanyim) On Slide 25, if you look
23 at Slide 25, that's a very important slide for me. Some of
24 the wells didn't produce anything, they have some gas wells
25 that didn't produce anything.

1 A. Well, some of that is --

2 Q. They are just --

3 A. -- some of that is just round-off. They produced
4 very, very small amounts of gas --

5 Q. On some of them it's almost zero --

6 A. Yeah, there is one well that has zero, but the
7 other wells that track along the -- close to the Y axis of
8 zero, they did produce gas, but it was like less than 100 --
9 -- you know, it was a very small volume.

10 EXAMINER EZEANYIM: I want to talk to you about
11 what you are talking about. These are the special rules
12 you want incorporated in this order, right?

13 MR. CARR: Yes, sir.

14 EXAMINER EZEANYIM: Okay. I'm not saying it's
15 going to be the same as that, but I need some help here.

16 MR. CARR: And I've also prepared a proposed
17 order, but I -- and I'll e-mail that to you and you can
18 open it or not --

19 EXAMINER EZEANYIM: Okay.

20 MR. CARR: -- depending on what you want to do
21 with it, but it does have all the descriptions, at least,
22 in it.

23 EXAMINER EZEANYIM: Okay, good. You know, you
24 can send it to me.

25 MR. CARR: Okay.

1 EXAMINER EZEANYIM: Anything further?

2 MR. CARR: Nothing further.

3 MR. BROOKS: Nothing.

4 EXAMINER EZEANYIM: Okay, Case Number 13,816 will
5 be taken under advisement.

6 (Thereupon, these proceedings were concluded at
7 3:19 p.m.)

8 * * *

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 13,816
heard by me on 10/23/88.
Oil Conservation Division, Examiner


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 6th, 2006.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2010