

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 13,837

APPLICATION OF APACHE CORPORATION FOR)
APPROVAL OF SIMULTANEOUS DEDICATION,)
AN UNORTHODOX GAS WELL LOCATION, AND)
TWO OPERATORS ON A GAS WELL UNIT,)
LEA COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, JR., Hearing Examiner

December 13th, 2006

Santa Fe, New Mexico

2006 DEC 27 PM 2 54

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, JR., Hearing Examiner, on Wednesday, December 13th, 2006, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

December 13th, 2006
Examiner Hearing
CASE NO. 13,837

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>STEFFANIE HAYES</u> (Landman)	
Direct Examination by Mr. Bruce	4
Examination by Examiner Jones	9
Examination by Mr. Brooks	12
Further Examination by Examiner Jones	14
<u>ROBERT E. CURTIS</u> (Geologist)	
Direct Examination by Mr. Bruce	15
Examination by Examiner Jones	22
<u>KEVIN MAYES</u> (Engineer)	
Direct Examination by Mr. Bruce	30
Examination by Examiner Jones	36
REPORTER'S CERTIFICATE	41

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	9
Exhibit 2	8	9
Exhibit 3	9	9
Exhibit 4	31	36
Exhibit 5	32	36
Exhibit 6	33	36
Exhibit 7	34	36
Exhibit 8	34	36
Exhibit 9	16	22

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS, JR.
 Assistant General Counsel
 Energy, Minerals and Natural Resources Department
 1220 South St. Francis Drive
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE
 Attorney at Law
 P.O. Box 1056
 Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 8:55 a.m.:

3 EXAMINER JONES: Okay, let's call Case Number
4 13,837, Application of Apache Corporation for approval of
5 simultaneous dedication, an unorthodox gas well location,
6 and two operators on a gas well unit, Lea County, New
7 Mexico.

8 Call for appearances.

9 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
10 representing the Applicant. I have three witnesses to be
11 sworn.

12 EXAMINER JONES: Any other appearances?

13 MR. BRUCE: Mr. Hall did enter an appearance in
14 writing on behalf of Kaiser-Francis Oil Company in support
15 of the Application.

16 EXAMINER JONES: Will the witness please stand to
17 be sworn -- witnesses?

18 (Thereupon, the witnesses were sworn.)

19 STEFFANIE HAYES,
20 the witness herein, after having been first duly sworn upon
21 her oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your name for the record?

25 A. Steffanie Hayes.

1 Q. And where do you reside?

2 A. Tulsa, Oklahoma.

3 Q. Who do you work for and in what capacity?

4 A. I'm a senior landman for Apache Corporation.

5 Q. Have you previously testified before the
6 Division?

7 A. No, I have not.

8 Q. Could you summarize your educational and
9 employment for the Examiner?

10 A. Certainly. I have a bachelor's degree from
11 Oklahoma State University, a juris doctor from Oklahoma
12 City University, and I have approximately ten years of
13 experience in oil and gas, including the last two and a
14 half at Apache as a senior landman.

15 Q. And does this area of southeast New Mexico -- are
16 you responsible at Apache for land matters involved in this
17 area of southeast New Mexico?

18 A. Yes, I am.

19 MR. BRUCE: Mr. Examiner, I'd tender Ms. Hayes as
20 an expert petroleum landman.

21 EXAMINER JONES: Ms. Hayes is qualified as an
22 expert petroleum landman.

23 Q. (By Mr. Bruce) Ms. Hayes, could you identify
24 Exhibit 1 and briefly describe what Apache seeks in this
25 case?

1 A. Certainly, Exhibit 1 is a Midland map which shows
2 the area around Section 6, Township 23 South, Range 34
3 East, Lea County. In Section 6 Apache seeks an order
4 allowing us to recomplete the North Bell Lake Federal Well
5 Number 3 from the ~~Fusselman~~ ^{OK Ellenburger} formation to the Devonian
6 formation.

7 Q. What is the current status of this well?

8 A. It marginally produces from the ~~Fusselman~~ ^{OK Ellenburger}.

9 Q. What Devonian pool covers Section 6, and what are
10 its pool rules?

11 A. Section 6 is the North Bell Lake-Devonian Gas
12 Pool. The pool rules require 640-acre spacing, which means
13 only one well can produce in the unit, and be no closer
14 than 1650 feet from the ~~quarter~~-section line.

15 Q. Is Section 6 currently dedicated to an existing
16 well?

17 A. Yes, it is.

18 Q. And what is that well?

19 A. It is the Bell Lake Unit Well Number 6. It is
20 located 660 feet from the south line and 1980 feet from the
21 east line of Section 6. It's operated currently by Kaiser-
22 Francis.

23 Q. So the first thing Apache requests is to have two
24 wells on this well unit, which is contrary to the pool
25 rules?

1 A. Correct.

2 Q. What is the footage location of Apache's well?

3 A. It is 1930 feet from the north line and 660 feet
4 from the east line.

5 Q. And therefore the second request is for an
6 unorthodox gas well location?

7 A. Correct.

8 Q. Does Apache request that after the recompletion
9 it be allowed to remain as operator of the well?

10 A. Yes.

11 Q. And so that is the third part of this
12 Application?

13 A. Correct.

14 Q. What is the status -- in looking at Exhibit 1,
15 it's outlined, there's a nine-section-block outline.

16 A. Right.

17 Q. What is the status of this well -- of Section 6?

18 A. Section 6 is in the center of a nine-section
19 participating area in the Bell Lake Unit operated by
20 Kaiser-Francis.

21 Q. Okay. Does Kaiser-Francis object to this
22 Application?

23 A. No, Kaiser Francis actually suggested that we
24 apply for this recompletion in order to recomplete the well
25 to the Devonian formation.

1 Q. And are letters between Kaiser-Francis and Apache
2 submitted as Exhibit 2?

3 A. Correct.

4 Q. Now Exhibit 1 outlines the Bell Lake Unit.

5 A. Uh-huh.

6 Q. What types of lands are in that unit?

7 A. In this unit are federal and state lands.

8 Q. And Kaiser-Francis is the overall operator of the
9 unit?

10 A. Correct.

11 Q. And Kaiser-Francis and Apache are working
12 interest owners?

13 A. Correct.

14 Q. Were Kaiser-Francis, the Bureau of Land
15 Management, and the Land Office notified of this
16 Application?

17 A. Yes, they were.

18 Q. Are there any potentially affected offset
19 operators?

20 A. Just one, Devon Energy Production Company.

21 Q. And they're located to the --

22 A. -- east.

23 Q. -- to the east of your well?

24 And will there be some more data on those Devon
25 Energy wells from the technical witnesses?

1 A. Yes.

2 Q. Is Exhibit 3 an affidavit regarding notice mailed
3 to the interested parties in this case?

4 A. Yes, it is.

5 Q. Were Exhibits 1, 2 and 3 prepared by you or under
6 your supervision or compiled from company business records?

7 A. Yes, they were.

8 Q. And in your opinion, is the granting of this
9 Application in the interests of conservation and the
10 prevention of waste?

11 A. Yes, it is.

12 MR. BRUCE: Mr. Examiner, I'd move the admission
13 of Apache Exhibits 1 through 3.

14 EXAMINER JONES: Apache Exhibits 1 through 3 --
15 1, 2 and 3 -- will be admitted.

16 EXAMINATION

17 BY EXAMINER JONES:

18 Q. Ms. Hayes --

19 A. Yes.

20 Q. -- the -- when you drill a well you have capex,
21 and then when you produce it you have operating costs, and
22 then you have income --

23 A. Correct.

24 Q. -- coming in --

25 A. Correct.

1 Q. -- so how will you handle all of those, as a
2 second operator in this unit?

3 A. Well, we took the -- when we purchased this
4 particular area from Amerada Hess, it was already set up
5 with debts to the working interest owners and such, so we
6 will handle it in our normal course as we would and carry
7 on as Amerada Hess did before us.

8 Q. Okay, so everything will be -- Now as far as the
9 income goes, which is probably the most pertinent to my
10 questions here --

11 A. Right.

12 Q. -- that will be distributed to all the royalty --

13 A. Correct.

14 Q. -- and the revenue interest owners --

15 A. Correct.

16 Q. -- in Section 6?

17 A. Section 6, as well as how it is allocated
18 throughout the nine-section participating area.

19 Q. Oh, okay.

20 A. Yes.

21 Q. So it's the Bell Lake Unit?

22 A. Correct.

23 Q. It's a participating area, is that what it is?

24 A. Correct.

25 Q. Okay. Is the entire -- Can you tell me what the

1 participating area of the Ellenburger is?

2 A. The Ellenburger?

3 Q. I'm sorry, the Devonian.

4 A. Devonian is the hach-marking around Section 6 as
5 you see on Exhibit 1.

6 Q. Oh, okay, so it's a nine-section --

7 A. Correct --

8 Q. -- okay --

9 A. Yes.

10 Q. Okay.

11 A. This is also -- it's the same nine-section that's
12 allocated to the Morrow formation as Devon producers out
13 there --

14 Q. Okay.

15 A. -- as well as the Ellenburger, formerly produced
16 by Amerada Hess and now Apache, and also the Devonian.

17 Q. Okay. Did Kaiser-Francis initially have any
18 problems with this?

19 A. It was their idea, actually, to do this.

20 Q. Okay.

21 A. Yes. They had had trouble with ConocoPhillips
22 previously in getting this recompletion performed when
23 Conoco was the operator of the unit, and when Kaiser-
24 Francis took over operations of the unit they suggested to
25 us that we perform the recompletion.

1 EXAMINER JONES: Okay. Mr. Brooks?

2 EXAMINATION

3 BY MR. BROOKS:

4 Q. Now let's see, does Kaiser-Francis have an
5 existing well in this unit?

6 A. Yes, they have an existing well in Section 6,
7 it's the Number 6.

8 Q. Section 6, they have an existing well, which
9 is --

10 A. Correct, which is a Devonian producer.

11 Q. And that well in the southwest of the
12 southeast --

13 A. Yes, it is.

14 Q. And it is completed?

15 A. Yes, sir.

16 Q. And that's why you're asking for simultaneous
17 dedication?

18 A. Correct.

19 Q. The field rules only allow one well per unit?

20 A. Per 640, uh-huh.

21 Q. Okay. And your well is in the southeast of the
22 northeast?

23 A. Correct.

24 Q. Okay, and then this was an Ellenburger that
25 you're recompleting to the Devonian.

1 A. It's currently a Fusselman producer, originally
2 drilled to the Ellenburger, I believe.

3 Q. Okay. And it's unorthodox because it encroaches
4 towards Section 5 over on the east?

5 A. Correct, 660 feet from the line.

6 Q. And what is the field rule for that?

7 A. It needs to be 1650 feet.

8 Q. Sixteen hundred and -- Okay.

9 A. Correct.

10 Q. The land is in a federal exploratory unit, right?

11 A. Correct.

12 Q. And this whole nine-section area is the
13 participating area for the Devonian?

14 A. Correct.

15 Q. Covered under the unit operating agreement that
16 names Kaiser-Francis as operator?

17 A. They subsequently, yes, took over from Conoco --

18 Q. Right.

19 A. -- earlier this year, as a matter of fact.

20 Q. And do you have a sub-operating between you and
21 Kaiser-Francis --

22 A. Yes, we did.

23 Q. -- that authorizes you to operate this on behalf
24 of Kaiser-Francis --

25 A. Correct, carried over from the Conoco-Amerada

1 contract.

2 MR. BROOKS: All right, very good. Thank you.

3 THE WITNESS: All right?

4 FURTHER EXAMINATION

5 BY EXAMINER JONES:

6 Q. Ms. Hayes --

7 A. Yes.

8 Q. -- the Section 6, is it standard -- standard
9 size?

10 A. Yes --

11 Q. Exactly --

12 A. -- 640 acres.

13 Q. Okay. And what was the -- Kaiser-Francis well
14 was nonstandard also, then?

15 A. Correct.

16 Q. Do you have a number for their nonstandard --

17 A. I don't.

18 Q. Okay, I can find it.

19 A. Okay.

20 MR. BRUCE: Yeah, it's a pretty old well --

21 THE WITNESS: It is.

22 EXAMINER JONES: Oh, okay.

23 THE WITNESS: It was the original well drilled
24 out there.

25 EXAMINER JONES: It's one of those that are

1 whited out in our image system somewhere. Okay. Okay, I
2 guess that's all we have.

3 THE WITNESS: Okay, thank you.

4 MR. BRUCE: Mr. Examiner, for the next witness
5 we're skipping to Exhibit 9, which is Mr. Curtis's exhibit.

6 ROBERT E. CURTIS,

7 the witness herein, after having been first duly sworn upon
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. BRUCE:

11 Q. Would you please state your name and city of
12 residence for the record?

13 A. Robert E. Curtis, Tulsa, Oklahoma.

14 Q. Who do you work for and in what capacity?

15 A. Apache Corporation, I'm a senior geologist
16 responsible for this part of Lea County, New Mexico?

17 Q. Have you previously testified before the
18 Division?

19 A. Yes, I have.

20 Q. And were your credentials as an expert petroleum
21 geologist accepted as a matter of record?

22 A. Yes.

23 Q. And you are familiar with the geology involved in
24 this Application?

25 A. Yes.

1 MR. BRUCE: Mr. Examiner, I'd tender Mr. Curtis
2 as an expert petroleum geologist.

3 EXAMINER JONES: Mr. Curtis is qualified as an
4 expert petroleum geologist.

5 Q. (By Mr. Bruce) Mr. Curtis, could you, just
6 generally referring to your Exhibit 9, maybe give us a
7 little bit of the history of the Devonian in this area and
8 what your view of the geology is in Section 6 on this --

9 A. Yes, sir. Exhibit 9 is a little busy, but it
10 contains a lot of information we need.

11 First of all, the few contour lines you see, or
12 few isopach lines you see, are based upon Devonian pay.
13 There's a 50-foot contour interval.

14 The scale is rather odd, being an inch to 2192
15 feet, but that was done in order to fit a standard 11-by-17
16 sheet of paper, and we could see some details.

17 The wells -- colored donuts, if you will, around
18 each well are based upon the current production formation,
19 the Devonian being green and the Ellenburger being in red,
20 and I believe that we had some confusion in the North Bell
21 Lake Federal Number 3 well in that it is currently
22 producing quite poorly from the Ellenburger rather than the
23 Fusselman.

24 There is a red triangle around our North Bell
25 Lake Federal Number 3 well. There's also a dashed green

1 circle around it, which is labeled 32 acres. That is a
2 drainage radius that Mr. Mayes will discuss later.

3 The date above each wellbore is the date the well
4 was spud. Then the current operator is -- and the well
5 name and number are located to the right of the well
6 symbol. And the numbers below in green, red and blue are,
7 respectively, current cumulative oil, gas and water
8 production from the Devonian.

9 The various pools in the area have been
10 identified by name. There are some orthogonal or
11 rectilinear boxes with R-dash numbers around the various
12 wells. These are the OCD order numbers pertaining to the
13 various tracts of land. For example, R-2187 is the order
14 published by the Commission dated March 1 of 1962,
15 establishing the North Bell Lake-Devonian Gas Pool. At
16 that point in time it was just a 160-acre pool for Devonian
17 gas.

18 Then in September of 1980 BTA applied to the
19 Commission -- or pardon me, to the Division -- to extend
20 that pool o the south to include -- well, to the north and
21 south, actually, to include all of Sections 6, 7 and 18;
22 furthermore, to make special rules providing for the 1650-
23 foot well locations, which automatically then made the Bell
24 Lake Number 6 well a nonstandard, so I assume it was
25 grandfathered in. Also it set out the 640-acre spacing for

1 the Devonian in that pool.

2 Then to the south of our section in question
3 today is the Bell Lake-Mid -- Middle Devonian Gas Pool. It
4 was established by Order R-3709 in April of 1969. The
5 Division then extended it to the south in R-3758. They
6 again then extended it to the north with R-6240, and then
7 shortly after BTA applied for their 640-acre rules and the
8 extension of the North Bell Lake-Devonian Pool, contracted
9 the Mid Devonian Gas Pool.

10 Then to the east of us is the Northeast Bell
11 Lake-Devonian Gas Pool. It was set up originally in 2004
12 as a 320-acre Devonian gas pool, and extended to the north
13 in R-12,223, and then extended to the south with 12,317.
14 There's been a lot of -- a lot of activity in the general
15 area.

16 Q. In looking at your map, you show basically zero -
17 - a zero contour line just to the east of your proposed
18 recompletion, and I notice there is a well in Section 5.
19 Can you discuss that well a little bit?

20 A. Yes, the Apache -- as it is now, North Bell Lake
21 Federal Number 2, produced from the Ellenburger during
22 drilling. It was tested twice -- drill stem tested twice
23 in the Devonian. Both of those drill stem tests recovered
24 only water. Interestingly enough, it recovered water from
25 a depth slightly higher than where the North Bell Lake --

1 or excuse me, the Bell Lake Unit Number 6, was producing
2 gas.

3 Also it was drilled, as you can see on the map,
4 one year prior to the drilling of the North Bell Lake
5 Federal Number 3, which was drill stem tested in the
6 Devonian, recovering both gas and water from a lower depth,
7 subsea depth, than what the North Bell Lake federal had
8 tested.

9 You know, the geologic implication there is,
10 there's some sort of hydraulic barrier between the two
11 wells in Section 6 and the North Bell Lake Federal Number 2
12 well in Section 5.

13 Q. And in fact, when the Northeast Bell Lake Pool
14 was created, there was considerable testimony, summarized
15 in Order R-12,106, which discussed the Devonian being wet
16 to the east of Section 6, and other factors, was there not?

17 A. Yes, there was. At that point in time, the
18 parties involved in that application used the same 3-D
19 seismic surveys and had faults in various different places,
20 i.e., you know, saying the interpretation was a little open
21 to interpretation. Devon, especially, had placed a fault
22 to the east of the Number 2 well. You know, they were
23 trying to separate their acreage over in Section 4 from the
24 currently existing 640-acre pool in Section 6.

25 Looking, however, at the drill stem test

1 recoveries from the Number 2 well and then hydrocarbon
2 production and recoveries from the wells in Section 3 -- or
3 6, pardon me -- my inference is, that fault, if it does
4 exist, must be to the west of the Number 2 well. But for
5 various reasons, you know, Section 5 does not appear to be
6 capable of hydrocarbon production, for the most part.

7 Q. And in looking at -- because of the pool rules in
8 the Northeast Bell Lake-Devonian Gas Pool, they can have --
9 they're spaced -- actually, there's essentially two wells
10 per section there right now, is there not?

11 A. Yes. And in fact, in R-12,106 the OCD made some
12 pretty extensive comments, one of which was, as of that
13 date in 2004, there were 21 Devonian gas pools in southeast
14 New Mexico. Seven were spaced 160 acres, 11 were spaced
15 320 acres, and only three were spaced 640. You know, thus
16 the 320-acre spacing is way more common than any other
17 spacing, and in fact the 640-acre spacing is quite
18 uncommon.

19 Again in that order, the OCD stated that as to
20 the nearby Antelope Ridge-Devonian Pool, which would
21 include the Devon Mad Dog Federal in the southeast portion
22 of the map, Shell also based its request for 640-acre
23 spacing on drilling and economic data, which showed that at
24 the time drilling Devonian wells on 160s or 320s was not
25 commercial.

1 Again, down in Antelope Ridge, the OCD stated
2 that even though wells were effectively spaced 160 acres
3 apart, there was no apparent production interference.
4 Additionally, there was very little pressure depletion seen
5 in wells that were drilled over a 24-year time frame, and
6 that the Antelope Ridge field appeared to have a higher
7 recovery factor than North Bell Lake, again because of the
8 greater density drilling allowed.

9 Q. So looking at the well we're here for today, the
10 North Bell Lake Federal Number 3, certainly from the data
11 you've seen, the well logs, et cetera, the Devonian
12 reservoir is present at this well?

13 A. Yes, it is present and should be worthy of a test
14 at least.

15 Q. Yeah. And from what you see, it should not be
16 wet.

17 A. Should not be wet, no.

18 Q. And insofar as the Ellenburger goes, it's at the
19 end of its useful life, and --

20 A. It's at the end of its useful life, and Apache
21 needs to consider recompletions --

22 Q. And in your opinion --

23 A. -- in the event of having to plug the well.

24 Q. And in your opinion, is the granting of this
25 Application in the interest of conservation and the

1 prevention of waste?

2 A. Yes, it is.

3 Q. And from what you've seen geologically, it's not
4 going to adversely affect any offset operator?

5 A. No, it will not.

6 Q. Was Exhibit 9 prepared by you?

7 A. Yes.

8 MR. BRUCE: Mr. Examiner, I'd move the admission
9 of Apache Exhibit 9.

10 EXAMINER JONES: Exhibit 9 will be admitted to
11 evidence.

12 EXAMINATION

13 BY EXAMINER JONES:

14 Q. Mr. Curtis, the -- So what's different between
15 these Devonian gas reservoirs geologically and the Devonian
16 oil pods that are over in Lea County?

17 A. Well, these are deeper, first of all.

18 Q. Okay.

19 A. And, you know, there are -- you know, one
20 difference between the Bell Lake Unit Number 6 and our
21 North Bell Lake Federal 3 and the other Devonian wells you
22 see is, for the most part those other Devonian wells only
23 perforated the top few tens of feet, whereas the Bell Lake
24 Number 6 perforated down 250 feet or so below the top. And
25 as you can see, it's recovered substantially more gas than

1 what the other wells have. So it appears there's, you
2 know, pay -- potentially pay below the total depth drilled
3 of these other wells.

4 Q. And you're mapping it -- both those wells about
5 the same spot on the --

6 A. Yes, sir.

7 Q. Is that an isopach or --

8 A. Yes, sir, that is an isopach of Devonian pay.

9 Q. Okay, but you've projected to have the same --
10 almost the same amount?

11 A. Yes, sir. The way I counted, using old sonic
12 logs, they look very similar.

13 Q. That's all you've got, sonic --

14 A. Well, we do have some modern neutron density
15 wells in our Bell Lake 3 -- or pardon me, neutron density
16 logs in the Bell Lake Number 3 and also the Bell Lake 2.
17 However, the old Bell Lake 6 only has a sonic.
18 Fortunately, I also had sonics on the two newer wells, so I
19 was able to compare apples to apples, and then we went back
20 and looked at the neutron density logs to get total
21 porosity rather than just, you know, what is commonly known
22 as the primary porosity.

23 Q. How much porosity -- in a range? Is it 10
24 percent, or is it real tight?

25 A. It's the Devonian at 14,500 feet, so it tends to

1 be tight. You know, these rocks, as carbonates, will have
2 fractures and vugs in them, so the matrix porosity is in
3 the neighborhood of 2 to 3 percent, whereas the total
4 porosity -- it can get up to 10 percent. Looking at the
5 neutron density logs, Mr. Mayes and I were able to conclude
6 that the average total porosity, as we see in our Bell Lake
7 Number 3, was 5 1/2 percent.

8 Q. Wow, wow. Okay. So basically, you're depending
9 on a lot of fractures and vugs and stuff?

10 A. Yes, sir.

11 Q. And those fractures, are they -- they're
12 obviously vertical fractures, I guess?

13 A. At that depth, that would be the presumption.

14 Q. No telling what the orientation is.

15 A. We have no data with which to interpret that.
16 You know, you would think they would probably be parallel
17 to semi-parallel to whatever the major faults are in the
18 region, but without an imaging log of some type it would be
19 purely speculative.

20 Q. The Ellenburger and the -- I notice down in --
21 straight south and a little bit east here in Texas, they
22 have Ellenburger and Devonian also. Is this similar to
23 that, as far as -- In other words, is -- the Ellenburger
24 and the Devonian reservoirs follow a similar path as far as
25 -- Well, I was going to ask Mr. Mayes about that, but as

1 far as geologically, are they similar?

2 A. I would expect them to be. You know, we're not
3 that far away from Texas.

4 Q. But I mean as far as -- That Ellenburger, was it
5 gas or was it oil?

6 A. It's gas.

7 Q. Okay, so it was gas and water -- some water
8 contact down there?

9 A. Yes.

10 Q. Is that really defined on the logs, that water
11 contact?

12 A. In my opinion, no. Devonian carbonate rocks, you
13 know, have very low porosity, so the resistivities tend to
14 be very high. Industry's knowledge of carbonate reservoir
15 parameters is rather limited, so the water-saturation
16 calculations you make tend to be estimates. That's why in
17 this case we're fortunate to have a number of drill stem
18 tests, so we're able to look at the drill stem tests and
19 the production and, you know, make an estimate as to where
20 the water contact was.

21 Q. Is drill stem testing still the way to go out
22 here, or -- If you were drilling a new well, for instance,
23 what logs would you run and what tests would you do?

24 A. Oh, my.

25 Q. If you had your wish list, and your manager

1 didn't tell you no.

2 A. Yes. Well, you know, I would definitely run
3 resistivity, neutron density and sonic. One could go to
4 the more high-end and esoteric logs, like an imaging device
5 to see the fractures and even vugs, if you will. I'm not
6 sure that would really materially impact a completion
7 decision. You know, one would definitely want a mudlogger
8 on the well to see oil and gas shows, you know, and a drill
9 stem test sure would be nice. You know, the recoveries
10 from the three closest wells here to what we're talking
11 about were, you know, very definitive, gas versus water.

12 Q. What caused those fractures? Are they --

13 A. Carbonate rocks tend to be very brittle, so --
14 and, you know, Devonian and Ellenburger are lower
15 paleozoic, so all the moving that occurred in later
16 geologic history stressed those rocks, and when they get
17 stressed they tend to break a little.

18 Q. And what is this boundary that is somewhere
19 around the North Bell Lake Number 2? Is it a fault or --

20 A. I -- we -- I did not have access to the 3-D
21 seismic that the parties in R-12,106 had, being Devon,
22 Southwestern, EGL and Landreth. You know, they did
23 interpret a fault being just to the east of the Number 2
24 well. You know, their interpretation of why it was wet,
25 though, was that it was low to the Number 6. Well, a year

1 later the North Bell Lake Number 3 was drilled, and it
2 tested gas higher than what the North Bell Lake Number 2
3 tested water. Therefore, you know, there's got to be some
4 sort of hydraulic separation between the two wells in
5 Section 6 and that one well in Section 5.

6 Q. So it's between the two -- between those two --

7 A. It must be, to account for water being produced
8 higher in the Number 2 than what gas was being produced in
9 the Number -- or tested in the Number 3 and being produced
10 in the Number 6.

11 Q. But you still like that location. Well, you guys
12 are recompleting, so you don't have a choice here.

13 A. No, correct. And that's why we -- you know, we
14 also needed to apply for the nonstandard location, is -- I
15 believe Mr. Mayes will testify to a potential of around 2
16 billion cubic feet of gas. We can't afford to drill a well
17 for that.

18 So we have a wellbore sitting -- approaching a
19 state of idleness, so it's a very logical place to test the
20 Devonian.

21 Q. Where would you drill it if you were going to
22 drill a well and you could afford it?

23 A. Oh, well, looking at my map I definitely would
24 move it, you know, to the west of the Number 3 location to
25 try to hit the -- you know, hit more porosity, probably --

1 well, you know, all things being equal, probably south and
2 west to try and get a little higher too.

3 Q. Okay. The recompletion sometimes is not quite as
4 -- How old is this well?

5 A. It was drilled -- spudded in 1995, so it's --

6 Q. It's not too old.

7 A. -- just over ten years old.

8 Q. Do you think they -- they didn't damage it while
9 they drilled it? Do you think recompleting is -- would be
10 a good enough --

11 A. We do.

12 EXAMINER JONES: Okay. I ran smooth out of
13 questions here, so...

14 MR. BROOKS: I don't have any questions.

15 THE WITNESS: I'm about out of answers.

16 MR. BRUCE: Mr. Brooks, do you remember that
17 Devon -- I think you were involved in that Devon- --

18 MR. BROOKS: I do remember --

19 MR. BRUCE: -- Landreth thing.

20 MR. BROOKS: -- an EGL-Landreth controversy. I
21 don't remember all the details, but I do remember that. I
22 don't remember how it ever ended up. I think they settled
23 it, did they not?

24 MR. BRUCE: No, the -- Landreth wanted 640-acre
25 spacing, and Devon and Southwestern wanted 320, and that's

1 what the Division -- the Division granted the 320-acre
2 spacing.

3 MR. BROOKS: Well, yeah.

4 EXAMINER JONES: And how far away is that?

5 MR. BRUCE: It's just, you know --

6 THE WITNESS: A mile to the east.

7 MR. BRUCE: -- all those Devonian wells to the
8 east.

9 EXAMINER JONES: Oh, okay. That's R-12,106?

10 THE WITNESS: Yes, sir, that's fascinating
11 reading.

12 MR. BROOKS: Yes, and I think I wrote part of
13 that order. I remember that various things were said about
14 the result the Division reached in that case. You say it
15 stuck. I don't remember how it all came out.

16 MR. BRUCE: I think -- I don't know if Landreth
17 pursued the appeal. I believe he dropped the appeal.

18 MR. BROOKS: Yeah, I think it was -- there was an
19 appeal to the Commission, and I lost track of what happened
20 to it after that. I'm pretty sure it was dropped.

21 EXAMINER JONES: Okay, the -- I was going to ask
22 one more question, but pertaining to this letter of support
23 I forgot to ask Ms. Hayes about it, but perhaps I'd better
24 ask before I forget.

25 Kaiser-Francis's letters support -- it says

1 approval for the unorthodox location and simultaneous
2 dedication, but it doesn't say approval -- they support the
3 second -- them being a different operator. I guess they
4 implied that, though.

5 MR. BRUCE: Yeah. I mean, certainly Mr. Hall --
6 You could ask Mr. Hall, but Mr. Hall told me they supported
7 the Application.

8 MS. HAYES: My letter back to them says that
9 we're going to do operations, and I received communication
10 that that was fine with their landman --

11 EXAMINER JONES: Okay --

12 MS. HAYES: -- after I sent the letter.

13 EXAMINER JONES: -- okay, thanks a lot. Thank
14 you, Mr. Curtis.

15 MR. CURTIS: Thank you.

16 KEVIN MAYES,
17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. BRUCE:

21 Q. Would you please state your name and city of
22 residence for the record?

23 A. Kevin Mayes. I reside in Tulsa, Oklahoma.

24 Q. And who do you work for?

25 A. I work for Apache Corporation in the capacity of

1 a senior reservoir engineer.

2 Q. Have you previously testified before the
3 Division?

4 A. I have.

5 Q. And were your credentials as an expert reservoir
6 engineer accepted as a matter of record?

7 A. They were.

8 Q. Does your area of responsibility at Apache cover
9 this portion of southeast New Mexico?

10 A. Yes, it does.

11 Q. And are you familiar with the engineering matters
12 related to this case?

13 A. Yes, I am.

14 MR. BRUCE: Mr. Examiner, I tender Mr. Mayes as
15 an expert reservoir engineer.

16 EXAMINER JONES: Mr. Mayes is qualified as an
17 expert reservoir engineer.

18 Q. (By Mr. Bruce) Mr. Mayes, why don't we -- I'll
19 give you very little guidance here. Why don't we run
20 through your exhibits? Why don't you first discuss the
21 current status of the North Bell Lake Federal Number 3?

22 A. Okay, Exhibit Number 4 is a production graph of
23 the well we're applying for. It's production oil, water
24 and gas coming out of the current completion of the
25 Ellenburger formation.

1 Two points to make from this exhibit. One, this
2 well was drilled in 1995, and they did run a DST in the
3 Devonian formation while going down to the Ellenburger. I
4 believe in the public record the volume of gas that flowed
5 during that DST was 2.2 million cubic feet a day, so a very
6 attractive drill stem test. That's what's prompted this
7 Application.

8 Second point from this exhibit is, the current
9 rate in the Ellenburger is approaching its economic limit
10 if it's not already there, so -- and we see no future
11 potential in the Ellenburger, so ideal wellbore to
12 recomplete up to the Devonian.

13 Q. There wouldn't be any other portions of the
14 Ellenburger that you would recommend to management that you
15 should perforate?

16 A. No, there's not.

17 Q. Let's move on to your Exhibit 5 and discuss the
18 current Devonian producer in Section 6.

19 A. Correct, Exhibit 5, again, is a production graph,
20 oil, water and gas, of the offsetting Devonian well, Bell
21 Lake Number 6, which is down in the southern half of
22 Section 6.

23 A couple points to make from this exhibit. One,
24 I did post and penciled the pressure in the DST. In our
25 applied-for well, the Number 3 well, you can see it was

1 virgin pressure on that DST.

2 The other point to make from this exhibit is that
3 the Devonian completion in the Number 6 well is going to go
4 to an approximate ultimate recovery of 34.2 BCF of gas.

5 Q. And in looking at the production figure, although
6 this well is quite a good well, it also did produce a lot
7 of water, did it not?

8 A. That's correct.

9 Q. What is your opinion of the remaining reserves in
10 the North Bell Lake Number 6?

11 A. Yeah, the best tool to discuss that is Exhibit 6,
12 which is a P/Z material balance graph, again, of the offset
13 Devonian producer, Bell Lake Number 6. You can see what I
14 calculate as an ultimate recovery on the material balance
15 P/Z graph versus the decline curve agrees very well at 34.2
16 or ~~3.3~~ BCF of gas, using an abandonment pressure of 2000
17 pounds, which I believe is reasonable for single
18 completion, 640 acres.

19 What I anticipate from the recompletion in the
20 Number 3 well is that we'll be able to drive down the
21 abandonment pressure in the proration unit, down to 1000
22 p.s.i., which would be 36.3 BCF. Thus I believe the
23 recompletion will give us 2 BCF of new reserves.

24 Q. And based on what you said with respect to the
25 prior exhibit, at least when the well was drilled, the

1 pressure at the Number 3 location was higher than at the
2 Number 6 location, was it not?

3 A. That's correct.

4 Q. So it wouldn't be totally pressure-depleted at
5 your new location?

6 A. That's correct. What I've also done on Exhibit
7 Number 6, the P/Z, I believe the Devonian in the Number 3
8 recompletion will be tied to the Number 6 Devonian
9 production to some degree, and I'm anticipating 50 to 100
10 pounds of pressure in that Devonian when we do our
11 recompletion.

12 Q. Okay. Next, why don't you go to Exhibits 7 and 8
13 together? What do they reflect?

14 A. Okay, these are -- both exhibits are volumetric
15 calculations. Exhibit 7 deals with the entire proration
16 unit, the entire 640 acres. We can run down some key
17 numbers there. Kind of in the middle of the page, net pay,
18 154 feet, on average underneath the entire 640 acres, and
19 I'm actually getting 633 because the zero line does cut off
20 seven acres at the edge of the 640 acres.

21 As Mr. Curtis talked about, the average porosity
22 is 5.5 percent, average water saturation 27 percent.
23 Initial pressure, virgin pressure underneath the proration
24 unit, was 6400 pounds. Again, we believe we can take the
25 abandonment pressure to 1000 pounds with both completions.

1 And then kind of shifting over to the lower right-hand
2 numbers there, that gives us a recovery factor of 82
3 percent, and we're getting recoverable gas underneath the
4 entire 640 acres of 42 BCF, so plenty of reserves to
5 justify this recompletion.

6 Q. What is the approximate cost of the recompletion
7 going to be?

8 A. \$189,000 is the AFE that was sent out to
9 partners.

10 Q. So it certainly makes sense to recomplete the
11 well at that cost for those amount of reserves?

12 A. That's correct, it would be very attractive
13 economics to the working interest owners.

14 Q. And not only the working interest owners, but the
15 royalty and overriding royalty owners also?

16 A. Absolutely.

17 Q. In your opinion, is the granting of this
18 Application in the interests of conservation and the
19 prevention of waste?

20 A. Yes, it is.

21 Q. And were Exhibits 4 through 8 prepared by you or
22 under your supervision?

23 A. Yes, they were.

24 MR. BRUCE: Mr. Examiner, I'd move the admission
25 of Apache Exhibits 4 through 8.

1 EXAMINER JONES: Apache Exhibits 4 through 8 will
2 be admitted to evidence.

3 EXAMINATION

4 BY EXAMINER JONES:

5 Q. Mr. Mayes, is this a water drive?

6 A. The Devonian is known to be water drive in
7 southeast New Mexico. I don't think that's the biggest
8 component in this particular reservoir, due to the P/Z
9 curve taking a pretty good nose dive recently.

10 Q. Okay. What caused that Ellenburger to drop off
11 like that?

12 A. I think it just -- I think it's depleted,
13 pressure depletion. They acidized that well back in 2003,
14 and you can see no effect was made to the production curve
15 at that point, the well just continued to decline. So I
16 don't think it's a plugging problem or a scaling problem or
17 a mechanical problem, I think it's just pressure depletion.

18 Q. Okay. How would you -- how do you do this
19 completion? Are you going to -- How are you going to do
20 that? How are you going to produce it after that?

21 A. Well, yeah, that 14-5, we hope it flows on its
22 own for several years. When it becomes incapable of flow
23 we will try to rod-pump it in some way or form, so it will
24 probably take some type of artificial-lift equipment
25 somewhere down the road.

1 Q. Is that -- So you anticipate the water -- or a
2 velocity string or handling the water somehow?

3 A. I'm afraid we're going to have water volumes a
4 velocity string will not move. It could probably be a, you
5 know, band-aid on the problem. You know, whenever it won't
6 come up 2-3/8 tubing anymore we'd probably try a velocity
7 string, but I imagine we'll be bringing up so much water
8 and the friction will eat us up on a velocity string, and I
9 imagine we'll just have to go to artificial lift.

10 Q. You'll just perforate and acidize that?

11 A. Correct.

12 Q. Okay. Have you seen any evidence of this
13 boundary they're talking about on the -- any kind of
14 pressure tests, or has Kaiser-Francis -- did you talk to
15 them about any tests on their well?

16 A. I did not talk to Kaiser-Francis. Really, the
17 best evidence is these DSTs that they ran. Like Mr. Curtis
18 was referring to, the Bell Lake Number 2 is structurally
19 higher but yet was completely wet on the DST, versus, you
20 know, our Number 3 well, the DST produced gas with some
21 water at a lower structural level. So there's got to be
22 some type of hydraulic boundary in there.

23 Q. And it seems like a big component here is this
24 5-1/2-percent porosity, you know, versus all the fractures
25 and vugs and stuff, you know. How do you reconcile all

1 that?

2 A. Yeah, I think like Mr. Curtis talked about, I
3 don't know as we have enough information to really say this
4 thing is naturally fractured. It would be nice to run an
5 imaging log. However, the well is, of course, already
6 cased, so we're not going to get that information, so --
7 We'd need more information to figure out which component is
8 contributing more.

9 Q. So in your opinion, the 320-acre spacing is more
10 pertinent to this area --

11 A. Yes, sir, I do.

12 Q. -- also?

13 A. Yes, sir.

14 EXAMINER JONES: I don't have any more questions.

15 MR. BROOKS: I don't have anything for this
16 witness. I have a question for Ms. Hayes that I forgot to
17 ask.

18 MS. HAYES: Would you like me to come back up?

19 MR. BROOKS: No, you're --

20 MS. HAYES: Okay.

21 MR. BROOKS: -- you can answer it from your
22 chair, it's just one question.

23 MS. HAYES: Okay.

24 MR. BROOKS: Under the unit operating agreement
25 in this case, is the working interest allocated according

1 to participating area or some other way?

2 MS. HAYES: Some other way.

3 MR. BROOKS: What other --

4 MS. HAYES: It has been busted up since 1953, and
5 it is allocated based on the leases that have been assigned
6 from our predecessors, particularly ConocoPhillips, in
7 which Amerada Hess received their full interest in Sections
8 5 and 6 only.

9 MR. BROOKS: So the working interest is allocated
10 according to the ownership that it would have it were not
11 in a participating area?

12 MS. HAYES: Correct.

13 MR. BROOKS: Okay. Yeah, I learned about that
14 wrinkle when I was new to the west --

15 MS. HAYES: Yes.

16 MR. BROOKS: -- and it caught me by surprise --

17 MS. HAYES: It did me too, I --

18 MR. BROOKS: -- I had to re-do a title opinion.

19 MS. HAYES: I have an 86-pager right here, if
20 you'd like to see it. It's pretty cut up.

21 MR. BROOKS: Okay.

22 MS. HAYES: Okay.

23 MR. BROOKS: Very good, that's all -- But the
24 bottom line from that is that Devon is the operator in the
25 adjoining unit to the east, and they actually do own an

1 interest?

2 MS. HAYES: They do not in 5 and 6. They do to
3 the east, they do to the north, and they got that via
4 ConocoPhillips also.

5 MR. BROOKS: Okay, thank you.

6 EXAMINER JONES: Thank you, Mr. Mayes.

7 MR. BRUCE: I have nothing further in this
8 matter, Mr. Examiner.

9 EXAMINER JONES: Thank you, Mr. Bruce. With
10 that, we'll take Case 13,837 under advisement.

11 (Thereupon, these proceedings were concluded at
12 9:43 a.m.)

13 * * *

14
15
16
17 I do hereby certify that the foregoing is
18 a complete record of the proceedings in
19 the Examiner hearing of Case No. _____,
20 heard by me on _____.

21 _____, Examiner
22 Oil Conservation Division
23
24
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 17th, 2006.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2010