

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

APPLICATION OF KAISER-FRANCIS OIL)
COMPANY FOR POOL CREATION, PROMULGATION)
OF SPECIAL POOL RULES, FOR AN EXCEPTION)
TO THE GAS-OIL RATIO LIMITATION,)
ASSIGNMENT OF A SPECIAL DEPTH BRACKET)
ALLOWABLE AND TEMPORARY SUSPENSION OF)
DRILLING PERMITS WITHIN THE UNDESIGNATED)
PORTIONS OF THE PROPOSED POOL, EDDY)
COUNTY, NEW MEXICO)

CASE NOS. 13,771

2006 SEP 28 AM 8 51

APPLICATION OF KAISER-FRANCIS OIL)
COMPANY TO AMEND ADMINISTRATIVE ORDER)
NSL-5133 TO ESTABLISH A NONSTANDARD)
SPACING AND PRORATION UNIT, AND FOR AN)
EXCEPTION TO RULE 104(B)(1), EDDY)
COUNTY, NEW MEXICO)

13,894

APPLICATION OF HAYES LAND AND)
PRODUCTION, LP, TO APPROVE A NONSTANDARD)
80-ACRE OIL SPACING AND PRORATION UNIT)
OR AN 80-ACRE PROJECT AREA, OR IN THE)
ALTERNATIVE TO RESCIND DIVISION ORDER)
NO. R-12,459, EDDY COUNTY, NEW MEXICO)

and 13,778

(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: WILLIAM V. JONES, JR., Hearing Examiner
September 14th, 2006
Santa Fe, New Mexico

ORIGINAL

These matters came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, JR., Hearing Examiner, on Thursday, September 14th, 2006, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

September 14th, 2006
 Examiner Hearing
 Case Nos. 13,771, 13,594 and 13,778 (Consolidated)

	PAGE
EXHIBITS	3
APPEARANCES	4
BACKGROUND INFORMATION BY MR. HALL	8
KAISER-FRANCIS WITNESS:	
<u>JAMES T. WAKEFIELD</u> (Engineer)	
Direct Examination by Mr. Hall	11
Cross-Examination by Mr. Bruce	51
Examination by Examiner Jones	54
STATEMENT BY J. CLEO THOMPSON	56
THOMPSON/HAYES WITNESSES:	
<u>WILLIAM BENNETT</u>	
Direct Examination by Mr. Bruce	65
Examination by Examiner Jones	73
<u>JEFF BRYDEN</u> (Geologist)	
Direct Examination by Mr. Bruce	75
Cross-Examination by Mr. Hall	85
Examination by Examiner Jones	88
KAISER-FRANCIS WITNESS (Recalled):	
<u>JAMES T. WAKEFIELD</u> (Engineer)	
Direct Examination by Mr. Hall	92
REPORTER'S CERTIFICATE	103

* * *

E X H I B I T S

Kaiser-Francis	Identified	Admitted
Exhibit 1	12	50
Exhibit 2	13	50
Exhibit 3	15	50
Exhibit 4	19	50
Exhibit 5	20	50
Exhibit 6	21	50
Exhibit 7	24	50
Exhibit 8	28	50
Exhibit 9	30	50
Exhibit 10	30	50
Exhibit 11	32	50
Exhibit 12	37	50
Exhibit 13	40	50
Exhibit 14	41	50
Exhibit 15	42	50
Exhibit 16	43	50
Exhibit 17 (Affidavit in Case 13,771)	49	50
Exhibit 18	45	50
Exhibit 1 (Affidavit in Case 13,594)	49	50
	* * *	
Hayes	Identified	Admitted
Exhibit 1	67	72
Exhibit 2	68	72
Exhibit 3	70	72
	* * *	
Thompson	Identified	Admitted
Exhibit 1	77	85
Exhibit 2	79	85
	* * *	

A P P E A R A N C E S

FOR THE DIVISION:

GAIL MacQUESTEN
Deputy General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR KAISER-FRANCIS:

MILLER STRATVERT, P.A.
150 Washington
Suite 300
Santa Fe, New Mexico 87501
By: J. SCOTT HALL

FOR J. CLEO THOMPSON & JAMES CLEO THOMPSON, JR., L.P.;
and HAYES LAND & PRODUCTION, L.P.:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

FOR MARBOB ENERGY CORPORATION:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: OCEAN MUNDS-DRY

* * *

ALSO PRESENT:

J. Cleo Thompson
117 West Yukon Road
P.O. Box 12577
Odessa, Texas 79768-2577

* * *

1 WHEREUPON, the following proceedings were had at
2 11:30 a.m.:

3 EXAMINER JONES: Let's go back on the record, and
4 we'll call all three cases. Those cases will be
5 consolidated for purposes of hearing.

6 The first case will be Case Number 13,771,
7 Application of Kaiser-Francis Oil Company for pool
8 creation, promulgation of special pool rules, for an
9 exception to the gas-oil ratio limitation, assignment of a
10 special depth bracket allowable and temporary suspension of
11 drilling permits within the undesignated portions of the
12 proposed pool, Eddy County, New Mexico.

13 Call for appearances.

14 MR. HALL: Mr. Examiner, Scott Hall, Miller
15 Stratvert, PA, Santa Fe, appearing on behalf of Kaiser-
16 Francis Oil Company, and I have one witness this morning.

17 EXAMINER JONES: Okay, any other appearances in
18 that case?

19 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
20 and I am representing J. Cleo Thompson and James Cleo
21 Thompson, Jr., L.P. -- that is one entity -- and also Hayes
22 Land and Production, L.P. I have two witnesses, one from
23 each company.

24 EXAMINER JONES: Okay, any other appearances?

25 MS. MUNDS-DRY: Mr. Hearing Examiner, Ocean

1 Munds-Dry of the law firm Holland and Hart, representing
2 Marbob Energy Corporation. I have no witnesses.

3 EXAMINER JONES: Okay, no witnesses.

4 Okay, let's call the next case also. It's Case
5 Number 13,594, which was from Order Number 12,459, reopened
6 and re-advertised, the Application of Kaiser-Francis Oil
7 Company to amend administrative Order NSL-5133 to establish
8 a nonstandard spacing and proration unit, and for an
9 exception to Rule 104(B)(1), Eddy County, New Mexico.

10 Call for appearances.

11 MR. HALL: Mr. Examiner, Scott Hall, Miller
12 Stratvert, PA, on behalf of Kaiser-Francis Oil Company.

13 EXAMINER JONES: Other appearances?

14 MR. BRUCE: Mr. Examiner, I am representing the
15 same two entities in that case.

16 EXAMINER JONES: Other appearances? Okay.

17 And we'll also at this time call Case 13,778,
18 Application of Hayes Land and Production, LP, to approve a
19 nonstandard 80-acre oil spacing and proration unit or an
20 80-acre project area, or in the alternative to rescind
21 Division Order Number R-12,459, Eddy County, New Mexico.

22 Call for appearances.

23 MR. BRUCE: Mr. Examiner, that is my Application.
24 Obviously I'm representing Hayes Land and Production, L.P.,
25 in that matter.

1 EXAMINER JONES: Other appearances?

2 MR. HALL: Mr. Examiner, Scott Hall appearing on
3 behalf of Kaiser-Francis Oil Company in that case.

4 EXAMINER JONES: Any other appearances?

5 Okay, will all witnesses that intend to testify
6 please stand to be sworn?

7 (Thereupon, the witnesses were sworn.)

8 MR. HALL: Mr. Examiner, if I may be allowed to
9 provide you with some procedural background, this series of
10 cases was first initiated by the Application heard on
11 behalf of Kaiser-Francis last year in Case Number 13,594,
12 which resulted in the issuance of Order 12,459 on December
13 1st, 2005. In that initial case Kaiser-Francis sought
14 authorization for an unorthodox well location for a former
15 Morrow-Strawn well that added the Delaware and Bone Spring
16 pursuant to a previous administrative NSL order that
17 required a hearing if any additional formations were added.

18 Unique situation involved with that well because
19 of its original location for a Morrow test at 2661 from the
20 south line and 660 feet from the west line. It resulted in
21 a location only 19 feet off the quarter quarter line.

22 In that same proceeding Kaiser-Francis had
23 requested approval for an 80-acre unit, and that was
24 determined by the Hearing Examiner to be unnecessary at the
25 time, so the order that issued in that case simply approved

1 the unorthodox well location for what is now Bone Spring
2 completion.

3 After a certain amount of production data were
4 obtained from the Kaiser-Francis Mesa Grande 11 Well Number
5 2, it was clear that spacing the well on 40 acres was
6 inappropriate. It was obvious it was a very unique Bone
7 Spring producer capable of draining much more than 40
8 acres.

9 And so that precipitated the filing of the
10 Application in Case Number 13,771. It's the primary
11 Application before you today. And by that Application we
12 proposed the promulgation of special pool rules
13 establishing for an oil well 320-acre units, increasing the
14 GOR limitation to 3000 to 1, and then a commensurate
15 increase in the depth bracket allowable for oil production.

16 We were and are proposing that with the creation
17 of the new pool, that the vertical limits of the pool be
18 designated as 6312 through 6412 feet, consisting primarily
19 of the second Bone Spring limestone formation, based on the
20 Mesa Grande well log.

21 It was proposed that the horizontal limits of the
22 new pool be comprised of the west half of Section 11, 22
23 South, 26 East, and we also proposed 660-foot well location
24 setbacks for completions in this particular pool. Because
25 there was some concern about development in the Bone Spring

1 in the offsetting locations, we had asked for the temporary
2 suspension of drilling permits for those offsets until the
3 spacing and unit configurations were finally resolved.

4 In addition, ownership equities in the west half
5 of Section 11 have become a factor and are determining in
6 some part the relief that we're requesting from you today.

7 After the Application was filed, there have been
8 a significant number of discussions with the other
9 operators in the Bone Spring to the west, and as a result
10 of those discussions and a result of further evaluation of
11 well data, production data, we're changing the relief we're
12 asking from the Division somewhat. We're now asking for
13 160-acre units on a standup basis. The first unit would be
14 the west half of the west half of Section 11, which would
15 be dedicated to the existing Mesaverde well. We're asking
16 for a little bit higher GOR limitation. We're asking that
17 the vertical limits of the pool be as previously described.

18 It's my belief, subject to correction from other
19 witness testimony here today, that we may have agreement
20 from the other operators in the Bone Spring to this
21 approach. So obviously this will require us to file an
22 amended application with you and re-notice and re-advertise
23 the case for a subsequent time. But if the Division is
24 agreeable, we'd like to go ahead and present testimony to
25 you today and keep the record open until a new application

1 is filed, and then at such time that may be taken under
2 advisement, order issued.

3 MR. BRUCE: And I have no objection to that.

4 EXAMINER JONES: Mr. Bruce?

5 MR. BRUCE: I have no objection to keeping it
6 open and re-filing.

7 EXAMINER JONES: Okay, do you want to present
8 background information also?

9 MR. BRUCE: You know, let's get rolling. I think
10 the background information can be presented through my
11 witnesses.

12 EXAMINER JONES: Okay. Ms. Munds-Dry?

13 MS. MUNDS-DRY: No objection.

14 MR. HALL: With that, Mr. Examiner, we'd call our
15 first witness, Mr. Jim Wakefield.

16 JAMES T. WAKEFIELD,

17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. HALL:

21 Q. Mr. Wakefield, if you would, please, tell us
22 where you live and by whom you're employed?

23 A. I live in Tulsa, Oklahoma. I'm employed by K-F
24 Energy, LLC, a wholly owned subsidiary of Kaiser-Francis
25 Oil Company.

1 Q. And in what capacity are you employed by Kaiser-
2 Francis?

3 A. I'm a petroleum engineer. My current position is
4 vice president.

5 Q. And you're familiar with the well that's the
6 subject of this Application and the lands that are the
7 subject of the Application?

8 A. I am.

9 Q. You've previously testified before the Division
10 and, in fact, this Examiner and had your credentials as a
11 petroleum engineer established as a matter of record; is
12 that correct?

13 A. That is correct.

14 MR. HALL: At this point, Mr. Jones, we would
15 again offer Mr. Wakefield as a qualified expert petroleum
16 engineer.

17 EXAMINER JONES: Mr. Wakefield is an expert
18 petroleum engineer.

19 Q. (By Mr. Hall) Mr. Wakefield, turning to Exhibits
20 1 and 2, would you utilize those two exhibits to give the
21 Hearing Examiner some historical background to this
22 proceeding? Tell us how we got where we are today.

23 A. Exhibit 1 is a Form C-102 that was submitted with
24 our Application for permit to drill the subject well, the
25 Mesa 11 Grande Number 2. I'll probably call it the Mesa

1 Grande 2-11 from here out. It's the same well.

2 Mr. Kaiser, our president, wanted to drill the
3 well in the center of the west half, west half, and we had
4 very little information at that time that would indicate
5 that anything other than the Strawn and the Morrow were
6 productive in the west half of Section 11. And as we go
7 through and show you some of the other exhibits, you'll see
8 that prior to the drilling of this well there was no
9 indication that anything in the Bone Springs might be
10 commercially productive.

11 And so we applied for a nonstandard location,
12 which was approved to drill the deeper test, with the
13 stipulation that we would be able to come back if that well
14 for some reason was dry in the deeper zones and if
15 something came up, then it would be applied for
16 specifically for that shallower zone. So the nonstandard
17 location application initially was constrained to just the
18 deeper zones. Okay?

19 We then -- and Exhibit 2 pretty much states what
20 I just said in the letter from November 17th, 2004, from
21 the New Mexico Energy, Minerals and Natural Resources
22 Department to us, to Mr. Kellahin who at the time was of
23 counsel. And that's what that states. It gives us the
24 initial well within the west half of Section 11 at the
25 nonstandard location we requested, with the stipulation

1 that a shallow test, if wanted or applied for, would be set
2 for hearing and approved on the merits. Okay?

3 Subsequent to that we did have a hearing, because
4 the Strawn zone that we went after, primarily which offset
5 the Mesa Arriba 1-10 that J. Cleo Thompson had completed in
6 the Strawn, our well was slightly downdip and wet, we could
7 not produce commercial gas. We went to squeeze it off to
8 go back down to the Morrow, where we knew we had commercial
9 gas from the open hole logs and the drilling shows.

10 However, mechanically we managed to cement over
11 2000 foot of drill pipe in the hole and could no longer use
12 that wellbore for the Morrow, or for that matter for the
13 Strawn, which left us with either re-entering it for a
14 sidetrack, which was as expensive as drilling a new well
15 and in that case we were better off drilling a new well for
16 the Morrow, or recompleting it to a really nice show we
17 had, and we'll talk about that in a minute too, in the
18 second Bone Springs.

19 At that point, which would be last November, we
20 came back to you at this Commission and got approval for a
21 nonstandard location to test the Bone Springs and Delaware
22 on 40 acres. And since then it took a while to get the
23 permit approved. We didn't get that accomplished until May
24 of this year. And so we've been producing the second Bone
25 Springs lime since May through today. Okay?

1 Q. All right, let's turn to Exhibit 3, Mr.
2 Wakefield. We've explained we're deviating somewhat from
3 the relief we requested in the Application. Would you
4 explain what Exhibit Number 3 is?

5 A. Well, first we can talk about what we applied
6 for, I guess.

7 We applied for 320-acre spacing. I had a number
8 of conversations with the NMOCD about this issue, because
9 what we envisioned completing in was an oil zone, and what
10 we got produced very high rates of gas, as much as a
11 million and a half a day at 1800, 1900 pounds flowing
12 tubing pressure, with oil, initially as much as 250, now
13 about -- oh, less than a hundred.

14 So we have a situation, we did some pressure-
15 volume-temperature test data testing, we did some pressure
16 testing, we've done a borehole spinner survey to see where
17 the gas, the oil, is coming from. We've done several
18 things to try to figure out exactly where the gas is coming
19 from and where the oil is coming from. And when it all
20 comes down to it, it looks like we're drilling into an oil
21 zone and in the middle of the pay found a gas zone.

22 And so what we've got is a well that has an oil
23 zone in it, or a completion that has an oil zone in it, and
24 a gas zone that are communicated vertically, behind pipe.
25 And so we've tried to find a way to accommodate royalty

1 owners, offset operators, prevent waste from drilling too
2 many wells. And in doing all that, it didn't appear to be
3 an easily solvable situation.

4 So we applied for the 320 since when we drilled
5 the well everyone anticipated it being a gas well in the
6 first place, and the NMOCD indicated they would not
7 unfavorably look at that as an option, depending upon the
8 facts.

9 And as we've gone along since we filed the
10 Application we've got some more data, we've had
11 conversations with royalty owners and with offset
12 operators. It really, when you look at the data, is more
13 conducive to filing an application for 160-acre spacing,
14 being the west half of the west half, and it would also be
15 the east half of the west half, there would be two 160-acre
16 standup units.

17 If the well is not drilled at a nonstandard
18 location, if it's not drilled almost exactly in the center
19 of the west half of the west half, we'd probably do
20 something else, although geologically that would be the
21 right thing to do in our opinion, that it conform to more
22 conventional spacing NMOCD uses. We would probably do
23 northwest quarter, southwest quarter.

24 But given the fact it's right in the center of
25 the west half, west half, that doesn't appear to be a

1 reasonable thing to do from the standard of the statement
2 of drilling unnecessary wells and drainage areas.

3 And so what we've done, given all those facts,
4 is, Exhibit 3 tries to set out some field rules. And we'll
5 just go through them real quick.

6 The first one is, the vertical limits of the pool
7 would be constrained to the second Bone Springs limestone
8 zone in our well, located between the depths of 6312 feet
9 and 6452 feet. I've got a cross-section in a minute, will
10 show you what that looks like. Those are delineated by our
11 open hole log in the Mesa Grande 2-11.

12 The second Bone Springs limestone zone, in item
13 number 2), would be spaced on the basis of the standup 160-
14 acre units we just described, west half of Section -- west
15 half, west half -- west half, west half of Section 11, and
16 east half, west half of Section 11.

17 The oil allowable for the pool would be based
18 upon the established NMOCD depth bracket allowable for 160-
19 acre units at this depth, which would be 382 barrels of oil
20 per day.

21 The 2000-to-1 GOR limitation for oil wells would
22 increase to 4000-to-1, which would then allow us to produce
23 something like about 1400 MCF a day, which is more than
24 adequate to produce this well.

25 The horizontal boundaries designed for the pool

1 would initially be limited to just the west half of Section
2 11.

3 These pool rules would also only be expanded to
4 offset completions if such wells are completed in a
5 stratigraphic equivalent zone described above in item 1) --
6 in other words, the second Bone Springs lime porosity
7 interval -- and for wells that produce at rates in excess
8 of 568 MCF a day, which is equivalent to 40-acre oil at a
9 4000-to-1 GOR. And you could substitute wording, GOR,
10 4000-to-1, instead of the 568 MCF a day. They're
11 equivalent.

12 Again, trying to make it comparable throughout
13 and allow a high volume oil -- a higher volume gas
14 production from an oil well on 40 acres.

15 The pool rules also would provide for the
16 drilling of an additional infill well in the remaining 80-
17 acre tract in each 160-acre spacing unit if later
18 production warrants that, by hearing. In other words, it
19 could be that you'd find that you don't -- you know, it
20 falls on its face, for instance, it just depletes
21 overnight, and you don't have as big a reservoir as you
22 first think. There may be a need, even with offset
23 drilling, to show you you need to drill another well. That
24 way you're not limited to just one well on 160 acres.

25 So the idea is that we would not constrain

1 anybody from drilling 40-acre oil well in the Bone Springs.
2 Any 40-acre oil can be drilled.

3 If the offsetting well were to be drilled and
4 have a gas rate in excess of 568 MCF a day -- and I've got
5 some information later, I'll show you that that's a very
6 high rate for a second Bone Springs, or any Bone Springs
7 oil well in the State of New Mexico -- then you would not
8 need more than the 40-acre spacing for the oil well, so you
9 could go back to statewide, which would allow J. Cleo
10 Thompson, Marbob, whoever, around us to go ahead and drill
11 for the Bone Springs and develop it on 40 acres.

12 So we'd only constrain -- initially we'd
13 constrain the field rules to just the west half of Section
14 11. And the only reason you'd expand it is if there was a
15 hearing called to do so. And that's what Exhibit 3 is
16 trying to achieve, give you the maximum latitude and
17 protect us from having to drill unnecessary wells.

18 Q. Mr. Wakefield, is Exhibit 4 an attempt at a draft
19 of proposed special pool rules for this pool? And by the
20 way, this pool is designated the East Happy Valley-Bone
21 Spring Pool currently; is that correct?

22 A. That's correct. Yeah, and this Exhibit 4
23 summarizes in the wording necessary to make those kind of
24 suggestions we made in Exhibit 3 into a field rule
25 nomenclature. Essentially it's the same thing.

1 Q. Let's turn now to Exhibit 5, your area
2 production, if you would review that for the Hearing
3 Examiner, please.

4 A. Exhibit 5 is a production plat showing the
5 location of the well in question at this hearing, the Mesa
6 Grande 2-11, and all the wells within a one-mile radius of
7 that wellbore.

8 And as you can see from this plat -- with yellow
9 being Morrow completions, kind of a brownish-orange color
10 being Strawn completions, and orange being Atoka
11 completions, and green being Wolfcamp -- the only
12 completions on this plat that are shallower than the
13 Wolfcamp is a test of the Bone Springs in the Delaware in
14 the south half -- center south half of Section 22, the
15 White Wing 22 Fed Com Number 1, and some Delaware tests
16 over in Section 24 to the southeast.

17 And the White Wing 22 Fed Com Number 1 well that
18 is shown as being a Bone Springs completion was producing
19 from the third Bone Springs at the base, actually, of the
20 third Bone Springs, just above the third Bone Springs lime,
21 just above the third Bone Springs sand, around 7800 feet.
22 So it's not a well that was having shows in our zone or
23 produced from our zone. And the recompletion of that well
24 was into the Delaware, the lower Brushy Canyon of the
25 Delaware. This well never tested the zone we're talking

1 about, and neither have any of the wells on this plat.

2 There's a new well drilled by Mesa, by J. Cleo
3 Thompson. It's located in the northwest of the -- it's
4 actually the south -- Let's see what it says. It's in the
5 southwest of the northeast, it's the Mesa Arriba 4, and it
6 drilled to a TD of 6500 feet. That well has been cased, it
7 has not been completed. And they're attempting to complete
8 that well in the near future, to test the equivalent zone
9 we're producing from.

10 And I have a log for that well to show you in
11 comparison to ours here in a few minutes, another exhibit.
12 And I'll show you that that log would indicate that well
13 has marginal pay in it.

14 Other than that, none of the wells on here
15 recorded any kind of appreciable shows in this zone or had
16 any flows while drilling in this zone. So it's a truly new
17 reservoir for the area.

18 Q. Let's turn to Exhibit 6, your ownership exhibit.
19 Please explain that to the Hearing Examiner.

20 Exhibit Number 6 shows the -- section plat for
21 Section 11. I don't have any well spots on here, but the
22 well spot for the well in question, the Mesa Grande 2-11,
23 would sit in the in the center of the west half, west half.
24 If you need me to, I can mark that on your plat, but it --

25 EXAMINER JONES: It's just the center of --

1 THE WITNESS: Right. And you'll see that the
2 west half of the northwest is an 80-acre tract or lease,
3 initially to a person named Rice, and the west half of the
4 southwest was an 80-acre tract initially leased to people
5 called the Spindlers.

6 So there's two 80-acre tracts that make up the
7 west half of the west half. The Rice tract is kind of a
8 reddish-brown, and the Spindler tract is kind of a grayish
9 blue.

10 When we asked for the nonstandard location to
11 test the Bone Springs one of the questions was, Are the
12 interests the same? And I answered, Yes, they are.
13 However, part of that question had to do with the royalty
14 ownership, not just the working interest. The working
15 interest is the same throughout Section -- the west half of
16 the section. The royalty interests are not. I misspoke in
17 that hearing because I had misunderstood what my land
18 department told me. They told me the correct thing to say,
19 but I didn't give the correct answer. There are
20 differences in the royalty ownership in these different
21 tracts.

22 And so the nonstandard location that was spaced
23 on 40 acres, part of the reason they did that, they -- in
24 the write-up anyway, was that they thought by my testimony
25 that there'd be no difference for 40-acre, 80-acre or 160-

1 acre tracts. So that is my error, and it was a
2 misunderstanding on my part. I apologize to the Commission
3 for that.

4 So part of what you're also going to be hearing
5 today is from Mr. Bill Bennett. Mr. Bill Bennett, along
6 with his brother Brad, own undivided interest in the west
7 half of the northwest quarter under the -- originally the
8 Rice lease. Okay.

9 And so by combining the west half of the
10 southwest and the west half of the northwest, which is
11 leases 1 and 2, is the way I've got it numbered there, you
12 then share equally between those two tracts the production
13 from our well.

14 And to deviate for just a second, we started
15 production in May in this well. We have not disbursed any
16 revenues, no one's been paid anything. So however this
17 hearing turns out will then set the spacing unit and
18 determine the way the royalty will be paid for 100 percent
19 of the production. So we've not -- distribute anybody
20 who'll be -- money taken away from or money owed to. Okay?

21 That's all this plat does, is try to give you the
22 information as to why it's important that we do a
23 nonstandard 160-acre tract, because the interests will be
24 different, versus a standup 160-acre tract.

25 Q. (By Mr. Hall) Let's turn to Exhibit 7, your

1 isopach. Review that with the Hearing Examiner.

2 A. Exhibit 7 is a -- my attempt at an isopach map.
3 I don't pretend to be a licensed geologist, I'm a petroleum
4 engineer, but for -- since 1972 when I graduated, I've
5 pretty much done my own geology by necessity, for lack of
6 support, which makes me probably wrong in most of what I
7 do. But in any event, this is my attempt at this.

8 And if you'll notice -- we'll just walk through
9 it real quickly -- the wells that are important are the
10 ones closes to the well. And the two wells -- And I've got
11 a cross-section; in a minute we'll go through and we'll
12 talk about how we came to these numbers.

13 But what we've got is, each well is shown and
14 then below the name of the well there is a -- two numbers
15 and then usually one below the line. I guess there's none
16 below the line. There's two numbers above the line. Two
17 numbers above the line. One is for net pay greater than 6
18 percent density porosity -- not crossplot but density
19 porosity -- and the gross pay interval across the zone of
20 interest in the second Bone Springs lime. Again, that's my
21 determination, not someone else's.

22 And doing that, you quickly see that the Mesa
23 Grande 2-11 well has 30 feet of greater than 6-percent
24 porosity, 137 gross. The 30 feet of pay, net, is by far
25 the most of any well out here. The Mesa Grande 1-11 has

1 nine feet, to the east. The J. Cleo Thompson Mesa Arriba
2 1-10 is not a very good log, it's very difficult to read; I
3 have four feet. The well they just completed, the Mesa
4 Arriba 4-10, I have five feet.

5 North of that is the Chi Operating WC 3-3 well in
6 the southeast southeast of Section 3, has nine feet.

7 And to the south, the J. Cleo Thompson Mesa
8 Federal 1-15 has 11 feet in the northeast northeast of 15.

9 And I've been told by J. Cleo Thompson this
10 morning that the Bennett 1-10 in the northeast of the
11 northwest also has some good pay in it, which I either
12 didn't have the log or didn't look at it, one of the two.
13 I can't remember at the moment whether I had that or not.
14 It supposedly has pay in it, and I think they have an
15 exhibit that's -- I wanted to talk about that.

16 My interpretation, because of the thickness of
17 our well being south of the Mesa Arriba 1-10 and the Mesa
18 Grande 1-11, and then having some thickness in the WC 3-3
19 and the Mesa Federal 1-15 north and south of our location,
20 is that most of the porosity is going to run north-south.
21 And that's my interpretation. I think that you're going to
22 hear from J. Cleo Thompson. They're going to have a
23 slightly different interpretation of that, but that's my
24 interpretation, and I think it's reasonable.

25 I like to think that these things typically run

1 along strike of the dip, and dip here is east-west and tend
2 to be north south and that.

3 Now having said that, the Strawn does run
4 northwest-southeast to some extent. It's mostly north-
5 south but it runs a little bit northwest-southeast, and it
6 wouldn't be unusual for this to run a little bit west of
7 north.

8 But for the main porosity interval it looks like
9 that main porosity, at least right here, is that way.

10 And it could be -- an alternative geologic
11 opinion that I would also probably champion is that you
12 have a series of these. You don't just have one -- one
13 development, you may have several of these around. Another
14 one could be the Bennett 1-15 and the Mesa Arriba 4-10, and
15 they could be a totally separate reservoir. They don't
16 have to be the same.

17 These things typically don't -- or don't have to
18 have a lot of aerial extent. They can, but they may not.
19 There's a lot of single and two-well-type fields like this
20 running around in southeast New Mexico. And there's --
21 fields sitting around too. But as you can see in this
22 general area, that hasn't been the case.

23 So at least at this point, until something else
24 happens, it looks to me like a -- mostly a one-well
25 reservoir, maybe a two-well reservoir.

1 And this particular geologic interpretation would
2 indicate that most of the pay -- and I'd represent that
3 it's -- based on this contouring, that 75 percent of the
4 pay or roughly 70 percent of the pay on this map lies
5 within the west half, west half of Section 11, and that the
6 permeability, which I'll talk about in a minute, is such
7 that I think this well can drain most of that connected
8 pay.

9 Q. Mr. Wakefield, are you satisfied that a 6-percent
10 cutoff is a meaningful porosity cutoff to use here?

11 A. Yes, I do. A couple of reasons we'll talk about
12 in a minute with the cross-section some more, but typically
13 -- lack of any better information, I always use a 4-percent
14 density porosity cutoff in limestones. And then after it's
15 tested you can then begin to make the determinations of,
16 you know, if it's better -- you know considerable amount of
17 better pay, is the better pay what is contributing the
18 production?

19 In this case I'm pretty sure that when we look at
20 this log you'll agree that the majority of the pay that's
21 contributing production is that pay in excess of 4 percent.
22 And I think 6 percent will, based on the log information,
23 be a porosity cutoff that should be the kind of porosity
24 cutoff you would use in this reservoir.

25 Q. Let's first look at your mud log, Exhibit 8.

1 What does this tell us about what you encountered during
2 drilling?

3 A. Okay, Exhibit 8 is a mud log of -- starts at
4 about the top of the Bone Springs and -- top of the second
5 Bone Springs, actually, 6230, top of the second Bone
6 Springs, actually starts 6230. And we drill some tight
7 second Bone Springs limestone till we get down to 6312, and
8 at that point we begin to see some porosity. And at 6330,
9 the mud logger started showing porosity in the samples and
10 started having shows.

11 And if you will notice that we were running -- if
12 you look at 6300, right below there on the right-hand side
13 of the -- where the formation is designated, there's a
14 track that says -- that has gradation units, and the units
15 are 0, 30, 60, 90. So we only had -- prior to drilling
16 into the porosity zone we're going to talk about in the
17 second Bone Springs lime, we only had about 50 units or
18 less of gas show. So we had virtually no gas in the mud
19 when we drilled into this.

20 And then if you'll notice, was, we drop below
21 6312, we start seeing gas increases. And we get to 6330,
22 suddenly the gas goes offchart where it's 620 units. And
23 then below there at 6350 we're 715 units, and then we start
24 getting up to about 2000 units. And at 6380 we have a
25 blowout, got about a 50-foot flare at that point. The well

1 kicked on us.

2 And we also had a -- you know, during this
3 drilling phase we also had some -- maybe two to three
4 inches of frothy oil in the pit. So we knew we had a zone
5 that's going to produce something. How much, we don't
6 know.

7 We got it back under control, 6400, and we're
8 coming back down. And the time we get to 6450, 52 feet at
9 the bottom of the interval, we're back down to our list in
10 the 100, slightly 100-plus units of show. So we increased
11 the mud weight, killed the show, got it under control. And
12 then we go ahead and drill at less than 100 unit shows
13 below that.

14 So this is on a strictly segmented -- it's
15 defined between certain limits, it's the interval we
16 perforated in our testing. And it looks like, to me at
17 least, that we were drilling an oil zone, and then we
18 drilled into a gas zone. So we may have a separated
19 reservoir with oil above it and gas below.

20 Now I'll also show you in a few minutes why I
21 think that it's completely vertically communicated.

22 And we perforated this -- we'll talk about that
23 in a second -- in a way that makes it virtually impossible
24 to isolate these reservoirs, even if we -- it wasn't
25 vertically communicated.

1 Q. Let's turn to Exhibit 9, your well diagram.

2 A. Exhibit 9 shows the story history of this well.
3 We were trying to -- we drilled it through the Morrow,
4 cased it, we were trying to make a Strawn completion in the
5 9956 down to 10,306, so there's three distinct intervals
6 within the Strawn we were trying to test.

7 And in doing all out that, we started out by
8 squeezing the 10,302 to -306 interval. We were then
9 squeezing the 10,006 to 10,128. The cement broke around,
10 and we wound up with the top of cement and the top of fish
11 at 7763, after it communicated around behind us. And we
12 wound up putting a cast iron bridge plug at 7700 feet to
13 permanently abandon everything below that point.

14 We then perforated the interval 6321 to 6426,
15 which is the interval that had the shows on Exhibit Number
16 8. We'll see in a minute on the cross-section, this is
17 also the interval that had the porosity development.

18 We're now -- packer at 6211 feet. A viable
19 wellbore, but only for this zone.

20 Q. Let's look at the cross-section now, Exhibit 10.

21 A. Sorry, this is a large cross-section, but there's
22 a lot to talk about on it and if we made it small you
23 wouldn't be able to see anything.

24 If you'll also put out your plat that we gave
25 you, which is Exhibit Number 5, we'll talk about where

1 these wells are located at.

2 Starting on the left, it's the WC Number 3, which
3 is in the southeast southeast of 3. That is a Morrow and
4 Strawn completion, of which most of the gas is the Strawn,
5 and there may actually be a plug between the two. The
6 sundry notices aren't very clear about that, but I'm pretty
7 sure that production is predominantly from the Strawn.

8 The Mesa Arriba 1-10 is the well in the southeast
9 of the northeast of Section 10 that's currently producing
10 from the Strawn. And you'll notice on your plat, while
11 we're talking about it, that there was an application for a
12 permit to drill submitted by J. Cleo Thompson for a well
13 called the Mesa Arriba 3. I understand that because of the
14 presence of the Mesa Arriba 1-10 wellbore and its potential
15 availability very soon due to the demise of the production
16 in the Strawn, that that well will be recompleted and the
17 J. Cleo Thompson Mesa Arriba 3-10 will be dismissed, will
18 be pulled back and not be an application. There's only
19 going to be one test of that 40-acre tract, of the Bone
20 Springs.

21 The next well on the cross-section is the well in
22 question, the Mesa Grande 2-11, west half of Section 11.

23 The next well is the Mesa Grande 1-11 wellbore in
24 the southeast of the northwest, producing from the Morrow.

25 And then the final well on the far right-hand of

1 the cross-section is the Mesa Federal 1-15 in the northeast
2 northeast of Section 15, and that well produces from the
3 Morrow and, I understand, the Atoka, the Strawn not being
4 productive.

5 At the time I did this cross-section, that was
6 all the wells that were either available to me or that I
7 had information on. Since then -- Let's pull out Exhibit
8 Number 11, which is the next exhibit. It's a log from -- a
9 copy of the log from the J. Cleo Thompson Mesa Arriba 4-10,
10 and I think that you can move it around enough to -- and
11 compare it to the other logs that it will be useful for you
12 to compare that.

13 Talking about the Mesa Grande 2-11 first, I
14 initially drew on this cross-section 4-percent porosity
15 cutoff for the determination of net pay. Subsequently, due
16 to the production logs that we have and the way the well
17 has produced have determined that the 4-percent pay
18 probably isn't contributing much of anything, and it
19 probably is the 6-percent or better high-graded pay that is
20 producing.

21 And if you look at the porosity log you'll notice
22 that -- it's quite clear that the porosity intervals on the
23 Mesa Grande 2-11 porosity log either come up to 6 percent,
24 the majority of them, or exceed that. In fact, we have
25 some porosity as much as 14 percent in the area that blew

1 out on us, some of which did not have any samples back to
2 surface on that mud log that you were looking at a moment
3 ago.

4 The zone above that high porosity interval is
5 predominantly, I think, oil. It was what we were drilling,
6 we were getting oil shows and porosity in it. The zones
7 below there, below that high porosity section where it blew
8 out, are noticeably tighter and have very little porosity.

9 So I think you have a -- and even if you look at
10 the gamma ray, which is colored green on this map, you'll
11 notice that above the blowout interval there's what looks
12 like to be two fairly clean-looking lime intervals and a
13 shale break right at 6370. And then you go into 6372 down
14 to -- through 6402, and they're a little higher porosity;
15 it probably is the gas zone.

16 And then if you'll look, then, next to that log,
17 is -- to the porosity log on the left-hand side, is the
18 lateral log that we ran. If you'll notice that -- although
19 they're not exactly on depth, which I have to apologize
20 for; it's hard to get these things exactly on depth and
21 they do -- they stretch.

22 But if you look through there and look, every
23 time you have a low reading in the lateral log and spread
24 between the deep and the medium curves -- And I can show
25 you. The deep curve is the long dashed line, the medium

1 curve is the short dashed line, and the lateral log is the
2 solid line.

3 And when you have the separation like you see --
4 Let's look at 6330 to -40. That separation is a good
5 indication of permeability. And the interval down here
6 where we had our gas blowout, again, you have very large
7 separation between the curves. And up throughout this
8 section of the zone you have pretty nice-looking indication
9 of permeability, which predominantly coincides with the
10 better-looking porosity on the -- 6-percent or better on
11 the porosity log. Which leads me to think that the net pay
12 here is probably about 30 feet, due to the higher porosity,
13 to go up to those sections.

14 And then if you want to look at the J.C. Mesa Rio
15 Arriba 4-10 -- the reason I say "if", versus some of the
16 other logs in the cross-section, is that it's a new log.
17 It's a modern log with -- ran without any real problems,
18 and it wasn't -- A lot of these other logs are deep logs
19 and they're older and they had a lot of time for mud
20 invasion and maybe didn't give you a clear picture of what
21 was going on. But this well was TD'd at 6500, so the time
22 frame of mud being on the formation is pretty low. These
23 are pretty good logs.

24 And you can see there's a couple of zones on the
25 dual lateral log where you again have some indications of

1 permeability, specifically at 6300 feet. But anyway I have
2 it colored yellow there for you.

3 And you'll notice it's also -- ties to a porosity
4 zone on the porosity log at 6300 feet, on that same cross-
5 section, that same Exhibit 11 you're looking at. That's
6 the log you're looking at in your hand. Right there, yeah.
7 The right-hand log is the porosity log, the left-hand log
8 is the lateral log.

9 EXAMINER JONES: Okay.

10 THE WITNESS: And 6300 -- you notice that there's
11 porosity and separation on the lateral log. Now there
12 isn't a lot of medium and deep, but there is quite a bit of
13 microlog. I'd like to see some more medium and deep. My
14 inference of their log is that they're out of zone, that
15 probably will produce but not be as good as ours. It has
16 less pay, doesn't have as much porosity. The maximum
17 porosity is 9 percent, and they have two or three foot of
18 it. Total of about -- I put on my isopach a minute ago,
19 Exhibit Number 7, I had them with five feet greater than 6
20 percent.

21 And they had -- they were running, just like our
22 well on that mud log that we just talked about a minute
23 ago, above the pay zone they had less -- 100 or less mud
24 readings, and during the zone they get up to 200, maybe
25 300, and then below it it went back down. So they have

1 some gas show, have some oil in the samples, so they've got
2 a zone that should produce. But probably be a -- in my
3 opinion, probably be an oil well, not a gas well.

4 And similarly, you know, you can see on the Mesa
5 Arriba 1-10 porosity and lateral log, it's very difficult
6 to read the log, and it's very -- you know, it's pretty
7 difficult to see if there's anything there that's really,
8 truly productive. And by high-grading a little bit I give
9 them five feet of pay.

10 Same thing with WC 3 Number 3 well. That log
11 looks like it's just pretty tight all the way up and down
12 it. There are a few little zones that has as much as 6
13 percent, but again not a log that would encourage you to go
14 drill a well, or maybe even test it. I don't have a mud
15 log on it, so I don't know what shows it had.

16 The Mesa Grande 1-11, we have a mud log on it,
17 and it didn't have -- not have much show. And if you'll
18 look at the lateral log and the porosity log on it, there's
19 not much pay in it. It's the well to the right on your
20 cross-section, to the Mesa Grande 1, 2-11.

21 And then if you look to the log even further to
22 the right, the Mesa Federal 1-15 which is in the northeast
23 northeast of 15, very little pay zone. I mean, I gave it
24 -- it's got just little pieces that come up to 6 percent of
25 porosity development. It might produce, but it's not going

1 to be much of a well.

2 So in looking at this, you know, at least it
3 looks to me that you've got a zone that's pretty much
4 isolated. It's a one-well-type field at the moment unless,
5 you know, additional drilling proves otherwise.

6 And again, the one well I don't have information
7 on, which J. Cleo Thompson may testify to in a minute, is
8 the Bennett 1-15. And if it does, it doesn't mean it's --
9 has pay, it doesn't mean it's in the same reservoir, it may
10 be in a separate reservoir. Until we have more information
11 we won't know that.

12 Q. (By Mr. Hall) Let's turn to your production data
13 now. Start with Exhibit 12. What does the production data
14 tell us about producing characteristics of this well?

15 A. Okay, Exhibit Number 12 has actually got two
16 pieces of paper. The first one is a graphic representation
17 of the production history from the Mesa 11 Grande Number 2
18 well. And attached to it is the information -- production
19 information that is plotted on the first page. So if you
20 want a particular value for a particular day or you wanted
21 to, you know, more accurately see what is going on, you can
22 look at the appropriate column.

23 And what we've plotted on here to show how this
24 well has behaved is, the top graph -- this is a logarithmic
25 plot versus time, and I just initiated the first day to be

1 the day one and went up to 103 days on -- 108 days, I'm
2 sorry, on the production history as shown here. And day
3 one was actually May 19th. There's been some shut-in
4 times, as you can see on the graph.

5 The initial gas-oil ratio started out around
6 2000-to-1 to 3000-to-1 level, and we were producing about
7 two hundred and -- well, 120 up to 250 barrels of oil a day
8 that first week. Gas rate was around 300 up to 700. We
9 could see in that first week that we were tending up to at
10 least a 4000 producing GOR before anything.

11 So we stopped and were shut in a couple days by
12 El Paso, turned it back on, and we were trying to keep --
13 get it to stabilize at a low gas rate, and we just weren't
14 successful. We were producing it at 13- to 14-, 15/64
15 choke in the time period the 27th of May through the 15th
16 of May [sic], which would be days through 28.

17 In that time frame, on a fairly consistent choke
18 setting, the gas rate went from 400 MCF a day to 1400 and
19 the oil rate varied from 125 up to 180. At the end of that
20 time frame it was about 150. So we could see we're not
21 gaining on this at all.

22 We shut it in to do an extended bottomhole
23 pressure, to learn some more information, take some PVT
24 analysis, thinking that we needed to come in here to you to
25 show you that we had to do something different than 40-acre

1 oil spacing.

2 And then we turned it back on, and again the gas
3 rate quickly -- from let's say day 37 through day 60, that
4 time frame, the production started out around -- when we
5 first came back on we started at a low rate, quickly built
6 to about 700. At the end of that time we were coming back
7 a little bit again to about 700. But if you drop down just
8 to the days 64 through about 70 you can see it's at a
9 pretty constant 1000 to 1100 MCF a day, and the oil rate
10 during that time frame is 150, dropping down to maybe 100
11 at different times. Oil rate is not real consistent.

12 And of course our gas-oil ratio during this time
13 is increasing. We're now up around 7000 gas-oil ratio,
14 which is the top curve, the kind of purple curve at the top
15 line.

16 And once we drop below there, during the month of
17 August, which is .75 through 105, we're trying to flow it
18 consistently at a 14/64, the whole time. And the gas rate
19 starts out just under 1000 a day, and most of that month
20 we're right at 1000 to 1100. At the end of the month we
21 were about 1300 MCF a day.

22 And our oil rate during that time is at or below
23 100 the whole time. So our gas -- our GOR now is up around
24 14,000, 15,000.

25 And in September, you know, just continue the

1 same thing, 1300 MCF a day in the early part of September,
2 and oil is dropping down below 100. We have some -- a
3 couple days there less than 70. And again our GOR is
4 anything from 13,000 to 20,000.

5 We shut it in to get another bottomhole pressure
6 prior to having this hearing, just to give us a second
7 check to see if maybe we're flattening out on pressure or
8 whatever. We turned it back on. We also did an AOF test
9 which we'll talk about in a minute, but the trend is
10 clearly pressure is decreasing in the reservoir, gas rate
11 is going up, oil rate is going down, and the combination of
12 the oil zone and the gas zone shows clearly that the gas
13 zone is producing most of the production.

14 It's really not an oil well, a conventional oil
15 Bone Springs oil well.

16 Q. Let's turn to Exhibit 13 now, your P/Z plot.

17 A. Exhibit 13 also has two pages. First one is a
18 P/Z plot versus cum gas. And we have the three pressure
19 points: one when we first perforated the formation, before
20 production; a second one in June of this month [sic]; and
21 the third one September 1.

22 And those really do match up fairly nicely on
23 there, which is unusual for early pressure data. It
24 implies that -- to me, that the gas cap is probably in the
25 400- to 500-million-cubic-foot range, based on this early

1 information. I don't think it says much about the oil
2 zone, because the oil zone really doesn't behave on a
3 pressure versus P/Z basis.

4 Now there's obviously some gas being produced
5 from the oil zone. How much is difficult to tell, but I
6 went through and did some analysis with the 2000-to-1 GOR,
7 and at least 85 percent of the gas is coming from the gas
8 zone.

9 Q. Let's turn to Exhibit 14, your production log, if
10 you would explain that.

11 A. Okay, Exhibit 14 was a production log we ran at
12 the end of June, trying to better define if we could do
13 something to shut off the gas. Given our perforations,
14 which are shown -- on the left-hand side you have a track
15 for depth and then you have a Z track, and the Z track is
16 where the perforations are at. And you can see them as
17 blocky red little intervals. There's not much separation
18 there between any of those perforate intervals.

19 And when we ran the production log we found that
20 all of the production is coming out of the top part of the
21 pay, 100 percent of the production. It implies that we
22 have vertical communication between all the perfs.

23 If you go back to when we completed the well, we
24 did a small acid job and dropped twice the number of balls
25 we needed to ball off. We could not achieve a ball-off.

1 Vertical communication prevents a ball-off, because as soon
2 as you get one ball to seat one somewhere else pops off.
3 You just can't get a ball-off effect, so you can't get
4 isolation.

5 So we have a zone that we've determined we can't
6 get an isolation between the gas and the oil. So if we
7 were to even try to go back and -- you know, I guess we
8 could squeeze everything off, which seems like a waste of
9 money, and then try to perforate where we think the oil is
10 at and produce it, then go back for the gas. That seems
11 like a futile effort and one that would probably result in
12 reduced recoveries.

13 Q. Let's look at the AOF data on your C-122, which
14 is your Exhibit 15. What does this tell us about the
15 strength of your gas zone?

16 A. We had never tried to do just a conventional AOF
17 test on the well. So we shut it in in the first part of
18 this month. After a 72-hour shut-in and the bottomhole
19 pressure we took, I asked them to just do a conventional
20 P/Z -- conventional AOF test, excuse me.

21 And in doing so, you don't get a conventional,
22 nice straight line, one-dot-after-the-other plot. If you
23 look at page 2 of your AOF test, you get three fairly flat
24 points, and the fourth one starts to move up into the range
25 of what you'd expect to see. And because we -- in 72

1 hours, the bottomhole pressure that we took showed that the
2 well was completely evacuated of any oil.

3 This is a four-hour test. We didn't recover any
4 oil, one barrel of oil is all we recovered. So don't look
5 at this and say, Well, it's not producing any oil. It did
6 produce oil after that, but during this four hour period it
7 did not. I just want to point that out to you, don't let
8 that cloud your judgment.

9 But what does show, that if you were to take that
10 gas rate and extrapolate it to atmospheric conditions, we
11 could produce 5.5 million a day. So it's a very high-perm
12 gas zone that we're producing gas from.

13 Q. What is Exhibit 16?

14 A. As I said earlier, Exhibit 16 -- First of all,
15 Exhibit 16 shows just some parameters and their values that
16 relate to the second Bone Springs lime zone we're
17 producing. The initial gas-oil ratio, the formation volume
18 factor, are from the PVT analysis that we did, those being
19 the initial conditions.

20 The API oil gravity, we've tested it consistently
21 throughout all this and it remains around 43 degrees. So
22 the oil zone that we -- oil that we -- producing, is coming
23 from an oil zone, it is not coming from condensation from
24 the gas zone.

25 The gas gravity is .7, which does mean that it

1 has quite a bit of liquids with it. And like we've
2 estimated, 22 to 30, somewhere around 26, 27 is an average
3 gallons per thousand. So it's a fairly rich gas, as you
4 would be in somewhat association with an oil column. And
5 in fact, maybe the gas from the oil column is what's
6 contributing the liquids. We really can't get a separate
7 determination.

8 The initial formation pressure shown here, 2931
9 from the PVT analysis, is the bubble-point pressure for the
10 oil. In other words, it existed at initial completion as
11 an oil zone and a gas cap, because you don't have -- you
12 can't get all the gas we're producing into the oil. You'd
13 have to have a bubble-point pressure of 7800, 8000 pounds
14 to get all the gas into the oil. So you clearly have an
15 oil zone and a gas zone.

16 And then using these parameters, the oil zone,
17 stock tank barrels per acre-foot, is 257 barrels per acre-
18 foot, and the gas cap, gas in place, is 541 MCF per acre-
19 foot.

20 Now how you share those two back and forth
21 becomes a different question, and we don't have enough
22 information at this point to tell you how big the gas zone
23 is versus the oil zone. We feel certain it's contained --
24 as we talked about in our exhibit, our geologic exhibit,
25 the isopach map, we think defines that areal extent.

1 Q. Exhibit 7?

2 A. Exhibit 7. I planimetered that plat and if it
3 was 100 percent oil, which of course it's not, that plat
4 has 4323 acre-feet in it, which would be 1.1 million
5 barrels in place.

6 If you look at just the west half, west half,
7 which is 70 percent of the acre-foot of -- 3051 acre-feet,
8 which is 70 percent of the total, that is 781,000 stock
9 tank barrels.

10 If you look at a 12-1/2-percent recovery factor
11 as being somewhat average for the Bone Springs -- it
12 usually ranges between as low as 7, and I've seen as high
13 as 18, but 10 to 15 is the typical range -- you have 97,000
14 barrels that you'd produce if that was 100-percent oil,
15 which is very unlikely.

16 So I went through and -- I guess if I -- Did you
17 put in that other one?

18 Q. Mr. Wakefield, I've handed you what I've marked
19 as Exhibit 18. Would you explain that, please?

20 A. Exhibit 18 takes the production data that was
21 detailed in Exhibit 12, and I tried to make two, three
22 months' production out of that information, not taking May
23 as May as 18, but take three 30-day segments, if you would.
24 So it represents the first 90 days of production without
25 the shut-in time. So just -- if you try to make it match

1 the numbers it's not going to match directly.

2 But if you do that, then you get -- for the oil
3 it begins at around 4200 barrels, next month is 2800, and
4 the next month is 2600. You'll see that there's three
5 points that line up, and it's shown as oil production.
6 They've got little X's. Sorry, it may be difficult to see
7 on your graph. That decline the last two months is 74
8 percent per year.

9 And an evaluation of a number of Bone Spring
10 wells show that no matter where you start, that if you -- a
11 decent Bone Springs well, I'm not talking about, you know,
12 wells that make 2000 barrels but decent Bone Spring wells,
13 30,000, 50,000-plus -- around 400 barrels a month is kind
14 of a breakover point where the porosity in the oil zone
15 tends to be dominated by the lower-permeability sections
16 rather than the high-permeability sections. And that
17 typically declines at about 20 percent.

18 And then at about three barrels a day you get
19 down to that really bad-looking permeability in the Bone
20 Springs, and that's usually about 6 to 8 percent. And if
21 you take that curve and you apply it to this well, that
22 would be 60- -- roughly 61,000 barrels of oil. I mean,
23 that is an idealized to the great extent of putting a
24 normalized curve. In actuality, there's no guarantee it
25 won't take 74-percent decline to the end point and never

1 flatten. So we've got a range between 60,000 and, say,
2 61,000 as recovery, if you would.

3 And then if you take -- the same for the gas, you
4 start out at roughly 28,000, then we had a lot of reduced
5 flow rate as we tried to play with the well, dropped it
6 down to 24,000, and then the last 30 days was 30,000
7 percent.

8 And then if you -- you believe that most of the
9 gas is coming from P/Z of 450,000, roughly, in MCF, coming
10 from the gas zone, and you say, Well, that's all I'm ever
11 going to produce. Then you get a 62-percent decline, which
12 is the first decline you see on the gas production side.

13 And again, looking at the Bone Springs wells,
14 eventually the oil-column gas will dominate over the gas-
15 column. It's going to last longer. And about a 4 -- about
16 a 5000 MCF per month appears to be a rate at which a lot of
17 Bone Springs wells tend to break over from a steep initial
18 decline to a much flatter decline of about 12 percent. And
19 so if you do that, then all the gas from both the oil
20 column and the gas column, if that were true, would be 800
21 million cubic feet of gas. So you have a pretty nice well.

22 Potentially it's maybe only 20,000 oil and 450
23 million cubic foot. Maybe you don't recovery as much out
24 of the oil column. Maybe all you get is the gas column, or
25 very little help from it. So you've got a pretty wide

1 range of potential end points for producing this well.

2 So you could have a reservoir size that's quite
3 small. Or it could be as much as the entire west half of
4 the west half of Section 11. You're not going to know for
5 a while.

6 So you take this information and all the
7 information we gave you. It's obvious to us, due to our
8 nonstandard location, that the 40-acre oil tract that we
9 initially obtained approval from NMOCD for back in November
10 or December of '05 is not applicable, it should be changed.

11 So we're here today to ask for a different
12 spacing. And initially we asked for 320 because we were
13 trying to find a meeting ground to shoot at. You know, if
14 we included all the pay in the west half, that would be
15 reasonable. Mr. Bennett feels that's unreasonable to him
16 as a royalty owner in the west half of the northwest
17 quarter, and there's no 320-acre Bone Springs spacing,
18 which puts you in a bind. So why do that?

19 Based on geology, we can at least reasonably show
20 that most of the gas is contained in the west half, west
21 half of Section 11. So it make sense on a gas well spacing
22 of 160 acres, which is typically what gas wells below the
23 -- or above the base of the Bone Springs, or above the top
24 of the Wolfcamp, are spaced on. So you could preserve the
25 160-acre spacing the Commission usually gives shallow gas

1 wells by giving it the west half, west half of Section 11
2 as a spacing unit, and we -- because we don't want to
3 interfere with anyone's development of the Bone Springs as
4 oil wells. If they are oil wells, then we think this is a
5 strange creature, different and unique from everything
6 else. We don't want to impose that spacing on anyone
7 unnecessarily.

8 So it is our proposal that if the Commission set
9 rules, that the 160-acre standup in the west half, west
10 half, would be in the east half, west half, that that
11 spacing would be restricted to the west half of Section 11.

12 And the only reason you would extend it beyond
13 that would be by hearing, for someone to prove that what
14 they had also was like that, and that they would then also
15 want gas spacing on that same basis. Otherwise, they'd go
16 down the road and develop an oil well on 40-acre statewide
17 basis.

18 Q. Mr. Wakefield, were Exhibits 1 through 16 and
19 Exhibit 18 prepared by you or at your direction?

20 A. Yes.

21 MR. HALL: And Mr. Examiner, Exhibit 17 is our
22 notice affidavit for this case.

23 Let me also give you, for the record, our notice
24 affidavit for Case 13,594. This is the reopened case for
25 the unorthodox well location from last year. We've

1 provided additional notification to Mr. Bennett of Hayes
2 Production and Land. We don't believe that was necessary,
3 but we believe we had adequate notice to begin with. We
4 identified all the operators pursuant to the Rules, he
5 interposed an objection, we reopened only for purposes of
6 providing him with notification.

7 We may find ourselves in a position now that we
8 can agree that Case 13,594 can be dismissed, and we no
9 longer consider that in connection with this case. Mr.
10 Bruce will correct me if I'm wrong.

11 I'm anxious to hear what the Thompson position
12 is. We didn't get a prehearing statement from them so we
13 don't know. It's my hope that we have agreement on the
14 proposal.

15 But with that, we'd move the admission of all
16 those exhibits, Exhibits 1 through 18 in Case Number 13,771
17 and Exhibit 1 in Case 13,594.

18 And that concludes our direct of this witness.

19 EXAMINER JONES: Objection to the exhibits?

20 MR. BRUCE: No objection to the exhibits.

21 EXAMINER JONES: Okay, we'll admit Exhibits 1
22 through 18 in Case 13,771 and also Exhibit 1 in Case
23 13,594.

24 Objection to dismissing the case?

25 MR. BRUCE: Well, Mr. Examiner, I'm going to put

1 Mr. Bennett in -- we are -- Mr. Bennett is actually, in his
2 case -- the Hayes Land and Production case is basically
3 asking for the same thing as was requested in the case that
4 Mr. Hall seeks to dismiss. And I still think -- Depending
5 on what the Division decides, I don't think it should be
6 dismissed. Certainly I'm not going to dismiss the Hayes
7 Land and Production case. Obviously it will be what the
8 Division decides with respect to spacing, but if spacing
9 isn't 160 acres, Mr. Bennett would like an 80-acre
10 nonstandard unit, or some type of 80-acre unit.

11 EXAMINER JONES: Okay. Ms. Munds-Dry?

12 MS. MUNDS-DRY: We have no dog in that fight.

13 EXAMINER JONES: Okay, yeah.

14 Okay, do you want to redirect to the witness?

15 MR. BRUCE: Just maybe a couple of questions.

16 I'm going to really wait, just ask my geologist about this
17 stuff.

18 CROSS-EXAMINATION

19 BY MR. BRUCE:

20 Q. But Mr. Wakefield, are you aware that the
21 Division's general rules provide that a gas well is a well
22 that produces at a GOR of greater than 100,000 to one?

23 A. I do.

24 Q. Okay. But in this case you're proposing that a
25 gas well essentially be defined as a well that is producing

1 at greater than 4000 to 1?

2 A. No, I don't think I said that. Our well's
3 producing in excess of 20,000 to 1 right now. What we ask
4 for is an oil spacing, 160-acre oil spacing, with a 4-to-1
5 [sic] GOR.

6 Q. You're asking for a new producing GOR of 4000 to
7 1?

8 A. That is correct.

9 Q. And in item -- well, on Exhibit 3 you're stating
10 that --

11 A. Let me catch up with you first.

12 Q. Okay, Exhibit 3.

13 A. All right, I'm getting close.

14 Q. It's a one-page exhibit.

15 A. Okay, I have it.

16 Q. On item 5 you're basically stating that if a well
17 produces at rates in excess of 568 MCF per day then it
18 would in essence be a gas well, in which case --

19 A. No, what I'm asking for, and what I think I
20 testified to was that in the event that an offset well --
21 which is what this case involves -- were to be completed
22 with a GOR in excess of that -- or actually, it's not even
23 a GOR, it's a gas rate. In other words, 568 MCF a day is
24 the gas rate for a standard statewide 40-acre oil well with
25 a 4000-to-1 GOR.

1 Q. 142 barrels a day times 4000?

2 A. 568, I believe.

3 Q. So in essence, though, you are saying that if a
4 well produces in excess of a 4000-to-1 GOR for a 40-acre
5 unit it is a gas well?

6 A. No, that's not what I'm saying. What I'm saying
7 is that if the gas production from the well limitation is
8 exceeded, then that well should be considered as a gas well
9 by hearing. That's all I'm saying.

10 Q. Okay.

11 A. Or not a gas well, but not -- That's the wrong
12 statement. It should be considered for the larger spacing.
13 And actually if you get a well that's producing in excess
14 of 568 MCF per day, there's no one that's going to want to
15 drill 40-acre wells that make very little oil and they're
16 going to be drained by the other well. They're going to
17 want to drill wells on a wider spacing.

18 So the premise is that by drilling wells with
19 high gas rates, oil wells with high gas rates, if it is in
20 the same reservoir that we are producing, or the same type
21 reservoir, no one's going to want to recover 10,000 barrels
22 of oil or 12,000 barrels of oil if they're producing mostly
23 gas and drain each other on 40-acre spacing. It's
24 economically not achievable. I'm not saying anything about
25 being a gas well.

1 Q. Well, what you're saying, though, is if it
2 produces in excess of that rate, then it has to have 160-
3 acre spacing?

4 A. I'd like for it to be considered to be that.
5 That -- have to do by hearing. I'm not saying
6 automatically do it.

7 Q. So --

8 A. In other words, if -- whatever the evidence would
9 propose, I mean, whoever's drilling the well and producing
10 it would have evidence to what the well is capable of
11 producing.

12 Q. So the operator --

13 A. And the only --

14 Q. -- so the operator would have to propose that or
15 come into the pool?

16 A. Yes.

17 MR. BRUCE: I have no further questions, Mr.
18 Examiner.

19 EXAMINER JONES: Ms. Munds-Dry?

20 MS. MUNDS-DRY: No questions.

21 EXAMINATION

22 BY EXAMINER JONES:

23 Q. Mr. Wakefield, it looks like you've done a lot of
24 work to distinguish this reservoir. Is it --

25 A. Well, I felt like I was in a lot of trouble.

1 Q. Looks like a fun project.

2 A. Yeah, it's been fun, but it's also been very
3 frustrating. We had no idea what we were going to find.

4 Q. It looks like you may have a gas -- or an oil
5 zone, and then a lower permeability, a lower porosity but
6 fractured lower zone that produces gas. Is that the way
7 you look at it?

8 A. Well, the -- I think the majority of gas is
9 coming from the high-porosity intervals that we talked
10 about earlier, where the well blew out on your --

11 Q. Okay.

12 A. -- your mud log.

13 Q. Right, the top of your -- considered the gas
14 interval?

15 A. Top part was oil. On Exhibit 8, down to 6380 we
16 predominantly were producing -- you know, we're drilling
17 through zones that had mostly oil.

18 Q. Yeah.

19 A. And then around 6380 we started drilling high-
20 porosity gas zones. And when they were drilled into they
21 kicked. We had just brine in the hole, we had to mud up
22 and get above the formation pressure in order to continue
23 drilling.

24 Q. Okay. So there's some decent porosity in the top
25 of that gas zone?

1 A. But it would be oil.

2 EXAMINER JONES: Yes, sir?

3 MR. THOMPSON: Mr. Examiner, I haven't been sworn
4 in, but I've been recognized by the State of New Mexico as
5 an expert for many years, long time ago.

6 MR. BRUCE: And Mr. Examiner, for the record this
7 is Mr. Thompson.

8 EXAMINER JONES: Mr. J. Cleo Thompson?

9 MR. THOMPSON: J. Cleo Thompson. There's
10 something that's probably -- I concur by a whole lot here,
11 and that's hard me to say.

12 But there's one point that is a little
13 misleading, and that is this porosity question. The
14 porosity tools are influenced by caliper. Clearly it's --
15 the caliper shows an increase. That copy doesn't show it
16 good, but another one does. You're probably dealing with a
17 fractured reservoir to some extent. I just wanted to bring
18 this point out to you.

19 I hate to see the State of New Mexico encouraging
20 overproduction with a high GOR where you leave oil in the
21 ground. The Lord knows we need all the oil we can muster,
22 and the higher that GOR is, the lower your oil recoveries
23 will be. This is universal. It's not just in New Mexico,
24 it's not just in the United States. It's everywhere. And
25 when you increase that and allow an operator to take

1 advantage of it, it's going to hurt the recoveries not only
2 to him but to the neighbors.

3 I appreciate -- You've asked some brilliant
4 questions today, and I compliment you. I've enjoyed
5 sitting in with you.

6 EXAMINER JONES: Thank you, Mr. Thompson.

7 MR. THOMPSON: Thank you for letting me speak.

8 Q. (By Examiner Jones) Okay. I guess the rub here
9 is the combination of an oil reservoir and a gas reservoir
10 where your analysis of how much bubble-point pressure it
11 would take to compress that much gas into that much oil was
12 pretty revealing, I thought.

13 It does seem like you got kind of below that high
14 permeability zone in the top of your -- what you consider
15 the gas leg, which is below your oil. It looks like you
16 may have a bunch of fractured gas.

17 A. (By the witness) And that's what we tried to
18 show on Exhibit Number 14.

19 Q. Okay.

20 A. And all of it's coming out the top, it's all
21 flowing behind pipe. There's no separation of the two.

22 I don't disagree with Mr. Thompson's comment
23 that, you know, preserving oil production is our number one
24 goal. I'm not trying to circumvent that in any way, shape
25 or form. However, we have examined this well for 108 days,

1 trying to produce it to do just that, and we are unable to
2 do so.

3 And I would tell you that -- if you go back and
4 look at some of the production data, which doesn't tell the
5 whole story, but it does tell some -- when we try to keep
6 the gas rate within, you know, 4 to 1 -- you know, Mr.
7 Thompson implies that 2 to 1 is the maximum gas. Well, I'd
8 represent that nobody in the State of New Mexico adheres to
9 that, necessarily.

10 There's numbers of -- high numbers of wells that
11 produce more initially than 2000 to 1 GOR in the Bone
12 Springs. And the provision for the NMOCD is to allow that,
13 that's happened over and over again. 4000 to 1 is not
14 unheard of. The South Bone Springs Field was developed in
15 the 1970s with a 5000-to-1 GOR on 160-acre spacing in the
16 first Bone Springs lime. We produce it.

17 Now it never produced any kind of these -- you
18 know, anywhere near these kind of gas rates. It's produced
19 about 650,000 barrels of oil and about 950 million cubic
20 feet of gas. But the initial setup on it was that it would
21 have the capability -- the capacity of producing at higher
22 rates.

23 Q. Right.

24 A. So there is precedent for forming 160-acre units
25 in the Bone Springs and at high GORs. I'm not saying that

1 the goal would not be for the NMOCD to produce at lower
2 GORs, but there is provision for higher GORs.

3 And certainly here, our goal was to preserve oil
4 rate. Because we were not aware of how much gas we were
5 going to produce, we didn't perforate this one perforation
6 at a time, we perforated the entire interval. And I don't
7 know that it would have done any good with the vertical
8 connectivity that we have.

9 So it is our position that the only fair way to
10 preserve equities here is to form a west-half -- Do you
11 want to submit that?

12 MR. HALL: Do you want to discuss it? Go ahead.

13 THE WITNESS: He just handed me the field rules
14 for the field we're talking about, South Bell Lake Unit. I
15 can tell you the -- it was Order Number R-4539.

16 Q. (By Examiner Jones) Can you say that one more
17 time?

18 A. R-4539, Case Number 4937, back in September of
19 1974.

20 Q. Okay.

21 A. The only point I'm making is -- trying to make
22 here is that since we have a nonstandard location we're
23 trying to make it equitable for all parties, for -- we have
24 the same interest regardless. But what we don't want to do
25 is be saddled with 40-acre development for uneconomic wells

1 to be drilled. And they would be uneconomic given these
2 conditions, because there isn't enough gas and oil there to
3 justify additional drilling on 40-acre spacing. That we
4 also, because it is a nonstandard location, be sensitive to
5 the equities for the people in the west half of the
6 northwest quarter, Bill Bennett being one of those.

7 Now having said that, the 160-acre makes a better
8 situation, we think, over an 80 that he's proposed. His 80
9 would wind up being a standup 80, being the northwest of
10 the southwest and the southwest of the northwest, and a
11 commensurate 80 being the southeast of the northwest and
12 northeast of the southwest, with a laydown in the north
13 half of the northwest and the south half of the southwest.

14 The Commission, when we came here before, did not
15 want to do that. They felt like that was the wrong thing
16 to do. And it wasn't necessarily because of the equities,
17 it was just they didn't want to do that, to form standups
18 and laydowns in the same half section.

19 Now if that's what you deem you want to do,
20 that's fine with us. We can live with that, because it
21 would protect us for a lease drilling an offset in the
22 southwest northwest.

23 Q. Okay, this rule number 2 you propose, with --
24 where someone else is coming to hearing if they drill a
25 well over on the -- Section 10 -- I should say, if you've

1 got a well there, would that be an east half of the east
2 half spacing unit, if they came and they had the higher --

3 A. It would be that, yes. If that's what they
4 wanted.

5 Q. If they want it.

6 A. I mean, more than likely they're going to find an
7 oil well.

8 Q. Okay. And you're not afraid they're going to get
9 into your fractures and drain you where you're not --

10 A. That's what I'm saying --

11 Q. -- you're not limiting yourself to one well?

12 A. That's -- well, but we have the option of
13 drilling an optional 80.

14 Q. Okay, okay, you've got an option to drill one
15 more?

16 A. Right.

17 Q. Okay.

18 A. And on this kind of a well it's going to be
19 uneconomical to drill more than one anyway, for us anyway.

20 Q. Yeah, I see that.

21 A. Our economics.

22 Q. So you're saying somebody else, if they get into
23 those fractures, they're going to kill their economics
24 also?

25 A. That's right, 40 acres will not be supported by

1 that kind of a reservoir. They will want protection from
2 doing that.

3 Q. Okay.

4 A. These wells cost nominally \$850,000 to drill and
5 complete, because they don't have to be treated. If they
6 have to treat the well, then the costs go up to a million
7 dollars.

8 Q. How much -- what kind of completion do you do on
9 these?

10 A. On ours it's just a light acid job involved. If
11 you have to frac it, the frac job is minimally going to
12 cost \$150,000, puts it up to about a million bucks. You
13 need -- at a million dollars you need 45,000 barrels of oil
14 at a 3-to-1 GOR lifetime, to make it work on a 2-to-1
15 basis.

16 Q. Okay, do you think your cement job -- it
17 obviously wasn't really good across this interval, but it
18 is -- production is coming from where --

19 A. The cement log we ran -- or the cement bond log
20 was good.

21 Q. That was okay?

22 A. Yeah.

23 Q. But you had communication --

24 A. -- in the reservoir.

25 Q. -- in the reservoir, okay. Okay. Well, this is

1 interesting. There's no other Bone Spring pools out here,
2 I take it?

3 A. The closest one is identified by J. Cleo Thompson
4 as being in the Section 1 and 2 of 21 South, 27 East, which
5 would make it seven, eight miles to the northeast.

6 Q. Northeast.

7 A. It's the closest Bone Springs production.

8 Q. Okay.

9 A. Of a commercial nature, I'll put it that way.
10 There are some 2000, 3000, you know, plugback completions,
11 but that's it.

12 Q. It's a shame we can't figure out the orientation
13 of any of those fractures down there.

14 A. I'm sure J. Cleo is going to try.

15 Q. You'll figure it out eventually, I guess. Okay.

16 A. Their first well may not have been real
17 successful. They'll probably drill another one.

18 EXAMINER JONES: Well, I think that's all I have
19 right now to ask.

20 Anybody else want to ask this witness any
21 questions?

22 MR. BRUCE: I have nothing -- no further
23 questions.

24 EXAMINER JONES: Okay.

25 MR. HALL: That concludes our direct --

1 EXAMINER JONES: I'm sorry.

2 MS. MacQUESTEN: Before we move on to the next
3 witness, because Mr. Thompson made a statement, under the
4 rules of procedure for these proceedings the other parties
5 do have the opportunity to cross-examine him if they wish,
6 so I wanted to ask if either of you wanted to ask Mr.
7 Thompson any questions after his statement.

8 MR. HALL: I don't believe so, thank you.

9 MS. MUNDS-DRY: No questions.

10 EXAMINER JONES: Okay, thank you.

11 MR. HALL: That concludes our direct case, Mr.
12 Examiner.

13 EXAMINER JONES: Okay. Mr. Bruce?

14 MR. BRUCE: I promise to be much shorter. I'm
15 going to call Mr. Bennett to the stand first.

16 MR. WAKEFIELD: Mr. Bruce, do you want any of
17 these exhibits left up here?

18 MR. BRUCE: You can leave whatever you want up
19 there, Jim.

20 MR. HALL: Are you going to use them?

21 MR. BRUCE: No, I don't think so.

22 MR. WAKEFIELD: Bill, do you want the plat with
23 the wells on it?

24 MR. BENNETT: I've got everything I need.

25 MR. BRUCE: Mr. Examiner, I'm going to have

1 William Bennett testify. I'm not going to qualify him as
2 an expert. He's an interest owner in Hayes Land and
3 Production, and I just want to get some basic facts on the
4 -- in the record.

5 WILLIAM BENNETT,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. BRUCE:

10 Q. Mr. Bennett, could you state your full name and
11 city of residence?

12 A. William Bennett, Midland, Texas.

13 Q. And for the record, what is your normal
14 occupation?

15 A. I'm a landman.

16 Q. What is your relationship to Hayes Land and
17 Production, L.P.?

18 A. I'm the sole owner.

19 Q. Okay. Does Hayes Land and Production, L.P., own
20 a mineral interest in Section 11?

21 A. Yes.

22 Q. And you have in front of you Kaiser-Francis
23 Exhibit 6. What -- Looking at this, what does Hayes Land
24 and Production own?

25 A. It owns a half mineral interest in the west half

1 of the northwest quarter, shown as tract 1, 80 acres, on
2 his Exhibit Number 6.

3 Q. Okay. And a mineral interest, and it has been
4 leased to someone, right?

5 A. Yes, yes.

6 Q. And so you are a royalty owner?

7 A. Yes.

8 Q. Does Hayes Land and Production own a mineral
9 interest in the west half, southwest quarter, which is
10 designated tract 2 on this exhibit?

11 A. No.

12 Q. Okay. So the well is actually located on tract
13 2, correct?

14 A. Nineteen feet from the centerline, yes.

15 Q. So it's located on tract 2, but only 19 feet from
16 your lease?

17 A. Right.

18 Q. Now these combined matters concern that well
19 which is in the northwest southwest of Section 11. The
20 previous case, 13,594 was filed asking for a nonstandard
21 80-acre unit comprised of the northwest southwest and the
22 southwest northwest. Are you now aware of that case?

23 A. I'm now aware of it.

24 Q. At the hearing in that case there was testimony
25 -- and Mr. Wakefield did refer to that, that due to some

1 confusion there was some testimony that all parties were
2 notified and that the interests were the same throughout
3 the west half, west half. You read the transcript of that
4 case, did you not?

5 A. Yes.

6 Q. Was that testimony correct?

7 A. No.

8 Q. And to summarize, it's because Hayes Land and
9 Production owns in the southwest northwest, but not in the
10 well site, the northwest southwest?

11 A. Correct.

12 Q. And Hayes Land and Production was not notified of
13 the Application; is that correct?

14 A. That is correct.

15 Q. Now what is Exhibit 1 that has -- Hayes Exhibit
16 1?

17 A. It's a copy assignment from Hayes Land -- Hayes
18 -- excuse me, Hayes Properties, Inc., to Hayes Land
19 Corporation and Hayes Land Production Company, assigning
20 each a one-half mineral interest and surface interest in
21 the west half, northwest quarter.

22 Q. So Hayes Properties, Inc., owned the entire
23 surface and mineral estate in that 80-acre tract?

24 A. Yes.

25 Q. And then assigned it to two different entities?

1 A. Yes.

2 Q. Even though the names are similar, they are two
3 separate corporate entities, are they not?

4 A. Yes.

5 Q. And their ownership is different?

6 A. Yes.

7 Q. You own Hayes Land and Production, and who owns
8 Hayes Land Company?

9 A. My brother, Brad Bennett.

10 Q. Now the assignment was into Hayes Land and
11 Production -- I don't have that in front of me, but
12 Company. Is entity now Hayes Land and Production, L.P.?

13 A. Yes, it was converted to L.P.

14 Q. Okay, and is Exhibit 2 a copy of the certificate
15 showing the conversion into the L.P.?

16 A. Yes.

17 Q. Now you said you're a landman. You're not a
18 technical witness, are you?

19 A. Correct.

20 Q. But in your opinion, must either the southwest
21 quarter, northwest quarter, or the entire west half,
22 northwest quarter of Section 11 be in the well unit for the
23 Mesa Grande Number 2?

24 MR. HALL: Well, I guess I'm obliged to object if
25 he's calling for opinion testimony from a fact witness.

1 THE WITNESS: Well, for the basis that I'm 19
2 feet from it is why, you know, field rules would be 330.

3 MS. MacQUESTEN: Mr. Bruce, are you sure you
4 don't want to qualify him as an expert?

5 Q. (By Mr. Bruce) Well, he's a landman, he's not a
6 geologist or engineer, but let's -- I'll retract that
7 question and say, how far is the well from your lease line?

8 A. Nineteen feet.

9 Q. And in the Application for the pool rules case,
10 Kaiser-Francis stated in its Application, thereby
11 admitting, that the well was draining more than 40 acres,
12 correct?

13 A. Yes.

14 Q. And you sat through Mr. Wakefield's testimony,
15 did you not?

16 A. Yes.

17 Q. Where he orients a north-south reservoir?

18 A. Yes.

19 Q. Based on that, do you think that well is draining
20 from your acreage?

21 A. Yes.

22 Q. Since it's -- without doing the math, certainly
23 if it's draining more than 40 acres and you're 19 feet
24 away, it's just a commonsense conclusion?

25 A. Yes.

1 Q. And if you're being drained, you think your
2 correlative rights are being adversely affected if you're
3 not receiving proceeds from that well?

4 A. Yes.

5 Q. And Mr. Wakefield stated that all proceeds have
6 been suspended, but you certainly have not received any
7 proceeds from that well?

8 A. No, I have not.

9 Q. Also any -- any -- whether it's a pool rules
10 change or a nonstandard unit in which all or a portion of
11 your tract is included in a well unit, do you think that
12 should be effective as of the date of first production from
13 the Mesa Grande 11 Well Number 2?

14 A. Yes.

15 Q. And were Exhibits 1 and 2 prepared by you or
16 compiled from your company business records?

17 A. Yes, they were.

18 Q. In your opinion, is the granting of the
19 Application of Hayes Land and Production in the interests
20 of conservation and the prevention of waste?

21 A. Yes.

22 MR. BRUCE: Mr. Examiner, the final exhibit I
23 included was an affidavit, Exhibit 3, of notice. I have a
24 tale of woe to tell you. I submitted simply the notice to
25 Kaiser-Francis to show that they did receive notice, and

1 obviously they did because they entered an appearance in
2 the case.

3 I have notified -- Mr. Hall has stated he's going
4 to either file an amended application or continue this
5 case. I basically notified everyone that Mr. Hall did for
6 his pool rules case. I was without an office facility
7 basically from September 1 to September 12th and
8 everything. I will submit my notice affidavit at the
9 continued hearing, showing notice to everyone.

10 In addition I need to, I think, publish notice in
11 the newspaper because there was some return mail. But I
12 would request your permission to do that at the continued
13 or the renewed hearing on Kaiser-Francis -- I would
14 continue -- ask to continue the Hayes Land and Production
15 case to coincide with the hearing date of the amended
16 application in the Kaiser-Francis matter.

17 EXAMINER JONES: So you will not be restating it,
18 just continuing it, and it will be worded exactly --

19 MR. BRUCE: It would be worded -- yeah, there's
20 no change, I just would like it continued so that we can
21 get the notice materials in.

22 And I'd just move the admission of Exhibits 1
23 through 3, and I'd pass the witness.

24 EXAMINER JONES: Any objection?

25 MR. HALL: No objection to the exhibits.

1 No questions.

2 EXAMINER JONES: Exhibits 1 through 3 will be
3 admitted.

4 And no questions -- Ms. Munds-Dry?

5 MS. MUNDS-DRY: No questions.

6 EXAMINER JONES: I really -- Gail, do you have
7 questions?

8 MS. MacQUESTEN: No, I don't, thank you.

9 EXAMINER JONES: You still -- I guess you guys
10 are all going to come back to the next hearing and present
11 witnesses again or --

12 MR. BRUCE: You know, I don't anticipate
13 presenting witnesses. I think -- I would like to get it
14 all on the record today, other than presenting my notice
15 materials.

16 MR. HALL: That's our preference as well. I will
17 discuss with Ms. MacQuesten and Mr. Bruce the notice I
18 think we need to have accompany an amended application.

19 And so you know, we have notified everybody in
20 the west half of Section 11, royalty interest owners
21 included. We've also notified all the adjoining offset
22 operators. That brought us Thompson --

23 MR. WAKEFIELD: -- Marbob --

24 MR. HALL: -- Marbob --

25 MR. WAKEFIELD: -- Devon.

1 MR. HALL: -- and we also notified Devon. I'm
2 thinking now that with the amended application we would
3 need to notify on 40s, whoever else might be out there.
4 We'll find that out and add notification to them as well.

5 MR. WAKEFIELD: Should be the same.

6 MR. HALL: That's all we contemplate doing. I
7 don't foresee the need for bringing back witnesses.

8 EXAMINATION

9 BY EXAMINER JONES:

10 Q. Okay. Mr. Bennett, are you still -- you still --
11 after hearing Mr. Wakefield, you still want a standup 80
12 acres?

13 A. It seems to be more reasonable to me.

14 Q. What would happen to your -- to that 40 acres in
15 the northwest northwest, then? It would have to be a
16 laydown 80-acre spacing unit, and do you think it would
17 ever get drilled?

18 A. Would it have to be a laydown? It couldn't be a
19 standard location on 40, if the infill wells are 80, 40?

20 EXAMINER JONES: Talking to a landman, here I go.

21 (Laughter)

22 Q. (By Examiner Jones) Anyway, do you still --

23 A. I guess I want to say I'm not opposing the 160, I
24 just feel that 40 -- that the 80 would be more reasonable.
25 But I'm not opposing the 160.

1 Q. It would be more reasonable because -- Say that
2 one more time. Why do you think it would be more
3 reasonable?

4 A. Just Bone Spring wells on a 160-acre proration
5 unit, I've just never participated in one. I say it just
6 doesn't seem --

7 Q. Sounds a little bit --

8 A. -- a little --

9 Q. -- stretched?

10 A. -- stretched.

11 EXAMINER JONES: Okay. Okay, that's -- Other
12 question?

13 MR. HALL: No, sir.

14 MR. BRUCE: No further questions.

15 EXAMINER JONES: Ms. Munds-Dry?

16 MS. MUNDS-DRY: No questions.

17 EXAMINER JONES: Okay, thank you, Mr. Bennett.

18 THE WITNESS: Thank you.

19 EXAMINER JONES: And did Marbob have a statement,
20 or are they still after the -- changing from 320s down to
21 160s? They still don't want it to extend beyond the -- As
22 proposed by Mr. Wakefield, you know, it would be possibly
23 extended through hearing, so I guess --

24 MS. MUNDS-DRY: And I don't know, this change was
25 just brought to my attention today, so obviously since my

1 client's not here I don't know what the position is yet, so
2 I'll have to relay that --

3 EXAMINER JONES: They would always have a chance
4 to come to hearing --

5 MS. MUNDS-DRY: Sure, sure.

6 EXAMINER JONES: Okay. This is still Case
7 13,778?

8 MR. BRUCE: Well, I think this is more related to
9 the Kaiser-Francis pool rules Application.

10 EXAMINER JONES: Okay.

11 MR. BRUCE: And this witness is from J. Cleo
12 Thompson.

13 JEFF BRYDEN,
14 the witness herein, after having been first duly sworn upon
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. BRUCE:

18 Q. Would you please state your name and city of
19 residence for the record?

20 A. Jeff Bryden, Midland, Texas.

21 Q. Who do you work for and in what capacity?

22 A. I'm a geologist for J. Cleo Thompson.

23 Q. Have you previously testified before the
24 Division?

25 A. No, sir.

1 Q. Could you summarize your educational and
2 employment background for the Examiner?

3 A. I graduated with a bachelor's degree in
4 environmental geology, geohydrology, from the University of
5 Wyoming in 1999. I got a master's degree in geology, also
6 from the University of Wyoming.

7 Since then I've been working in the oil and gas
8 field in Midland for -- interned for Burlington, and then
9 Nadel and Gussman for five years, and then J. Cleo
10 Thompson.

11 Q. And not only with J. Cleo Thompson but with Nadel
12 and Gussman, did your area of responsibility cover
13 southeast New Mexico?

14 A. Yes, sir.

15 Q. And are you familiar with the geology involved in
16 the Bone Springs wells in this general area?

17 A. Yes, sir.

18 MR. BRUCE: Mr. Examiner, I'd tender Mr. Bryden
19 as an expert petroleum geologist.

20 MR. HALL: No objection.

21 EXAMINER JONES: No objection, okay, Mr. Bryden
22 is qualified as an expert petroleum geologist.

23 Q. (By Mr. Bruce) Mr. Bryden, could you, I think,
24 go first -- your -- you sat through Mr. Wakefield's
25 testimony, did you not?

1 A. Correct.

2 Q. And he presented some cross-sections that you
3 looked at also, correct?

4 A. That's correct.

5 Q. Could you identify your Exhibit 1, which is a
6 cross-section, go through that and maybe outline your
7 points of agreement and disagreement with Mr. Wakefield?

8 A. This is a four-well cross-section running from
9 west to east, starting at the J. Cleo Thompson Bennett well
10 found in the northwest corner of 10, through our new well
11 the Mesa Arriba Number 4, through the Morris Antweil Mesa
12 Arriba Number 1 which recompleted into the Strawn, which is
13 now the J. Cleo Thompson Mesa Arriba Number 1, and then the
14 final well on the right-hand side is the Kaiser-Francis
15 Mesa Grande, I guess, 11 Number 2 is their full name.

16 I have outlined the zone of interest in green to
17 just highlight for everybody, showing that this zone is
18 present in an east-west fashion from the Bennett well,
19 continuing through the Mesa Arriba, the Mesa Arriba Number
20 4, and over to the Kaiser-Francis well, showing that they
21 are the same stratigraphic interval. There's a carbonate
22 zone that shows similar porosities, permeabilities, from
23 east-west.

24 Q. Now does this -- and you'll get into this in a
25 minute in a little more detail, but does this indicate,

1 number one, a -- perhaps a different shape reservoir than
2 Mr. Wakefield --

3 A. It does.

4 Q. -- testified about? Does it also indicate that
5 the reservoir may not be as limited as Mr. Wakefield --

6 A. That -- I would agree to both of your statements.
7 I do not agree that it is a north-south-trending Bone
8 Springs field, and I do not agree that it is a one-well
9 feature that he is showing in his isopach here.

10 As you can see, we have the well -- the Bennett
11 well is almost a mile away to the northwest, showing that
12 same equivalent zone, and I've gone back using Mr.
13 Wakefield's porosity cutoffs.

14 I have also included a gamma-ray cutoff, which I
15 will explain why I believe the reservoir is also in that
16 Morris Antweil Mesa Arriba Number 1. I show that the J.
17 Cleo Thompson Bennett Number 1 well to the northwest has 20
18 feet of net pay, that our well -- I agree with him -- only
19 has around five feet of net pay.

20 The Morris Antweil Mesa Arriba Number 1, it is a
21 poor log. What we can go off of partially is the gamma
22 ray. We do have a cleaner gamma ray, which would possibly
23 indicate the presence of a reservoir there. It has -- You
24 know, from the porosity log I can agree that it shows
25 possibly only -- what does he show on his map? -- four feet

1 of pay. But because of the poor quality of the log and the
2 cleanness of the gamma ray, it could be upwards of 20 feet
3 of pay.

4 And then over in the Kaiser-Francis well, using
5 again his porosity cutoff but also looking at the gamma ray
6 to somewhat -- I could only come up with 18 feet of pay.
7 I'm not going to argue too much of the reservoir quality,
8 but I guess what I'm saying is, the J. Cleo Thompson
9 Bennett Number 1 well to the northwest is equivalent from a
10 log standpoint of a well as to the Kaiser-Francis.

11 Q. Okay. Let's move on to your Exhibit 2, which is
12 a package of data, and the first page kind of sets up some
13 information. In looking at Exhibit 2, let's just start
14 with the first page, Mr. Bryden, and let's start out with
15 the yellow-colored acreage --

16 A. Okay.

17 Q. -- and the outline you have there, could you
18 describe that first of all?

19 A. Okay. Page 1 shows -- Let me back up and tell
20 you that the green dots on here show all Bone Springs
21 producing wells. The yellow acreage that is colored in is
22 the acreage -- is the J. Cleo Thompson acreage.

23 And the four red boxes that are on there are a
24 blowup of four different areas, one around our well, just
25 to show the detail of the cross-section, to show the wells

1 that we're talking about, and then three fairly close Bone
2 Springs fields up to the northeast.

3 Q. And before we get off of this page, the blue
4 squares is the cross-section you just discussed?

5 A. Yes, the -- it's actually four blue dots with
6 lines interconnecting it.

7 Q. And in looking -- you looked at Bone Spring data,
8 and you're showing some Bone Spring pools to the north
9 northeast. Did you look to the south and southwest?

10 A. I did, and there was no significant pools down to
11 the south and the southwest. I'm using commercial
12 databases, Dwight's Production Data, and a Tobin land grid
13 to create this map, and there was no significant fields
14 either to the west or to the south. The significant fields
15 were up to the northwest -- northeast, I'm sorry.

16 Q. Okay. Let's move on to the second page of
17 Exhibit 2, and that's a blow-up of one of those boxes,
18 correct?

19 A. Yeah, it's a blow-up of the first box around the
20 four key wells in the cross-section, again going -- just
21 showing that the cross-section runs from the Bennett well
22 to the Kaiser-Francis well. This is a -- Let's call it an
23 illustration of the potential gut of the reservoir, showing
24 that it has a northwest-to-southeast trend. In looking at
25 the other Bone Springs fields in Eddy County, they seem to

1 also have this same trend of -- the northwest-to-the-
2 southeast trend.

3 Q. Okay. Now by this red line, what you said -- to
4 show the gut of this pool, you're not indicating that this
5 would be the ultimate limit --

6 A. No, sir.

7 Q. -- of the reservoir?

8 A. It is sort of the gut of the known pool right
9 now. We know that the reservoir is in the Bennett well.
10 We believe we are on the edge of it in the Mesa Arriba
11 Number 4, we believe it is in the Mesa Arriba Number 1, and
12 it is obviously in the Kaiser-Francis well.

13 Q. Okay, let's move on to the next page of this
14 exhibit. What does this reflect?

15 A. The next page of this exhibit shows a field up in
16 the northeast corner of 21 South, 27 East. It is the
17 Avalon East-Bone Springs. And I showed a blow up of this
18 to show the Bone Springs production underneath, from
19 Dwight's Data, shows the oil and gas production of these
20 Bone Springs oil wells.

21 Cums on these wells range anywhere from 5000 to
22 45,000 barrels of oil and up to .6, .9 of a BCF. I'm just
23 looking at some wells in there, showing what -- typical
24 production of what you're calling 40-acre oil wells in the
25 Bone Springs that have already been pre-established.

1 Q. And down in the lower right, above the J. Cleo
2 Thompson heading --

3 A. That's correct.

4 Q. -- the 40 acres -- this indicates that this pool
5 is spaced on statewide 40 acres --

6 A. That's correct.

7 Q. -- correct? And there is a special order which
8 instituted a 5000-to-1 GOR for this pool?

9 A. That's correct.

10 Q. But just looking at this, I forget the exact
11 quote, but Mr. Wakefield said something about the well
12 might produce -- his well, the Kaiser-Francis well, might
13 produce .4 of a BCF. Obviously a lot of these Bone Spring
14 wells produce quite a bit more than that, do they not?

15 A. That's correct. He -- His testimony showed that
16 their well either produced .4 of a BCF or, in another plot,
17 up to .8 of a BCF, and these fall right in the range of
18 these 40-acre oil wells on the Avalon East-Bone Springs
19 field.

20 Q. Okay. Now let's go to the next page. What does
21 this page show?

22 A. Again, this is a blowup of a Bone Springs field.
23 This is the Old Millman Ranch-Bone Springs field, showing
24 again production in the -- I'm looking at some oil
25 production here, I'm seeing as low as, oh, 40,000 to 50,000

1 barrels of oil and as high as .6 -- I do believe there's
2 1.5-BCF, 1.9-BCF well in this field. The field rules are
3 again listed right above where it says J. Cleo Thompson at
4 40-acre oil, 80-acre gas and --

5 Q. This is an associated pool, so you could have
6 either an oil well or a gas well on it?

7 A. Right.

8 Q. But even the gas wells -- and take a step back.
9 This well has a 5000-to-1 GOR --

10 A. Right.

11 Q. -- under special rules, does it not?

12 A. I believe so.

13 Q. But even for gas wells, they're only providing
14 for 80-acre spacing?

15 A. That's correct.

16 Q. And the GOR, the 100,000 to 1, that's the normal
17 OCD definition of a gas well?

18 A. That's correct.

19 Q. Let's move on to the next page and discuss that
20 briefly.

21 A. Last one is the Burton Flat-Bone Springs Pool.
22 Again the production is listed underneath showing
23 production anywhere from 2000 barrels up to, I believe,
24 27,000 barrels of oil, anywhere from just under .1 of a BCF
25 to upwards of almost a BCF.

1 Q. This pool doesn't appear to be quite as large in
2 areal extent or as prolific as the other two pools?

3 A. I would agree.

4 Q. And again, this is -- the Burton Flat is an
5 associated pool, correct?

6 A. Correct.

7 Q. Which provides for 40-acre oil spacing and 160-
8 acre gas well spacing?

9 A. Correct.

10 Q. And again, this third pool also has a producing
11 GOR of 5000 to 1 --

12 A. Correct.

13 Q. -- under special pool rules?

14 A. Correct.

15 Q. Okay. And I know this is a new producing area
16 you're talking about with respect either to Kaiser-Francis'
17 well or the Thompson wells, but do you see -- have you seen
18 anything in your examination which would differentiate the
19 Kaiser-Francis well from the wells in these other three
20 pools?

21 A. They're all Bone Springs reservoirs. That is a
22 lumping together of all the Bone Springs. Could be Bone
23 Springs sand, could be Bone Springs carbonates. This is a
24 Bone Springs carbonate reservoir. But other than that, no,
25 I do not.

1 Q. Okay. And is it fair to say that J. Cleo
2 Thompson does not want 160-acre spacing on its acreage?

3 A. Our opinion is, we do not want to be denied the
4 ability to drill a well in that northeast corner, so I
5 believe we would like the 80-acre spacing.

6 Q. 80 acres, with one well per quarter quarter
7 section?

8 A. Yes.

9 Q. Do you have anything further you'd like to state
10 at this time, Mr. Bryden?

11 A. No, sir.

12 Q. Were Exhibits 1 and 2 prepared by you or under
13 your supervision?

14 A. Yes.

15 MR. BRUCE: Mr. Examiner, I'd move the admission
16 of Exhibits 1 and 2.

17 EXAMINER JONES: Objection?

18 MR. HALL: No objection.

19 MS. MUNDS-DRY: No objection.

20 EXAMINER JONES: Exhibits 1 and 2 of J. Cleo
21 Thompson will be admitted into evidence.

22 Mr. Hall?

23 CROSS-EXAMINATION

24 BY MR. HALL:

25 Q. Mr. Bryden, do you have enough confidence in the

1 well log for the Mesa Arriba Number 4 well to establish the
2 continuity of this reservoir all the way across to the
3 northwest corner of Section 10?

4 A. I do know I have two end points, being the
5 Bennett well and the Kaiser-Francis well. This well lays
6 directly in between those wells. We did recover oil and
7 gas on a drill stem test of this zone. There's nothing in
8 my geologic opinion that says that that should not be
9 connected in.

10 Q. But what did the drill stem tests show you?

11 A. It did show that we did have a tighter zone. I
12 have testified that we believe that we're on the edge of
13 the reservoir. We had five feet of free oil, 45 feet of
14 drilling mud and I believe 1500 feet of gas, and we had gas
15 and oil in the sample chambers.

16 Q. What were the recoveries from that zone?

17 A. From the sample chamber?

18 Q. Yes.

19 A. Sample chamber was 900 cc's -- Let me look at my
20 notes real quick, I don't want to --

21 Q. Sure.

22 A. Sample chamber was 900 cc's of free oil, .12
23 cubic feet of gas.

24 Q. Mr. Bryden, as I understand Thompson's position
25 here, you're more interested in anything from being

1 constrained from drilling another well in the northeast
2 quarter of Section 10; is that right? You want to be able
3 to do that?

4 A. That's correct.

5 Q. Wouldn't you agree that if we adopted 160-acre
6 standup units with the option for an additional infill well
7 in the undrilled 80, that would put you in the same
8 position?

9 A. We currently have two wellbores in the Bone
10 Springs, not producing from them, but we will -- we have
11 two wellbores that have penetrated the Bone Springs, and I
12 believe it is our position we would like to have an
13 additional wellbore up in the northeast corner.

14 Q. If we adopt what I understand is your position,
15 if we go to 80-acre spacing, that will leave you with two
16 laydown units north and south of the resulting 80-acre unit
17 in the west half of Section 11 and the east half of
18 Section --

19 A. I don't think I quite follow your -- currently --
20 The Mesa Arriba Number 4 was drilled on a standup 80, is
21 when we permitted the well.

22 Q. Wouldn't you agree it's a possibility that if we
23 adopt 80-acre spacing in the west half of Section 11, you
24 would still face the possibility of having four locations
25 with two laydown units in the north and the south?

1 A. Of our Section 10?

2 Q. Section 11?

3 A. Section 11. Yes, I would agree to that. I mean,
4 I would agree that your statement is correct.

5 Q. Would you agree at all that development on what
6 is essentially 40-acre spacing would be unwarranted in view
7 of the evidence you've heard today?

8 A. I don't know if I have a firm answer on that.
9 Not knowing the extent of the pool, I don't think we truly
10 know at this point in time.

11 Q. Thompson understands, doesn't it, that if the
12 well comes in at lower gas rates it may be permitted as an
13 oil well --

14 A. Yes.

15 Q. -- spacing, and that acreage may be developed on
16 40-acre spacing?

17 A. That's correct.

18 MR. HALL: Nothing further, Mr. Examiner.

19 EXAMINATION

20 BY EXAMINER JONES:

21 Q. Well, Mr. Bryden, you didn't give us an isopach
22 map?

23 A. That's correct.

24 Q. You just did most of the work doing the cross-
25 section, but you didn't do the map?

1 A. Yes, sir.

2 Q. But you basically think it should be trending
3 northwest-southeast?

4 A. That's correct.

5 Q. Which means that your Mesa Arriba well might be
6 even improved by going north?

7 A. That's correct.

8 Q. Well, that's -- I mean, you have tested the well,
9 you said? You --

10 A. No, we have not.

11 Q. -- just did a drill stem test on --

12 A. We have drill stem tested on it. We should be
13 completing that well probably within the next week.

14 Q. Have you already picked your perfs?

15 A. We've picked some zones of interest. I agree
16 with his testimony that where we're getting the resistivity
17 spread on our well, in our log, is where we're going to
18 perforate. It's the same equivalent interval that they
19 tested.

20 Q. Are you going to perforate the lower part and
21 then test it and then perforate the upper part and test it
22 separately?

23 A. At this point in time we have no plan to test
24 things separately.

25 Q. Have you looked at the way the other Bone Springs

1 -- You showed other pools that are reasonably high GOR for
2 ultimate recovery pools, and do you think -- Did you look
3 at those to see how those wells were completed and --

4 A. I have not yet. I've been focusing in on their
5 completion. I know they did two acid jobs, a small ball-
6 out job the first time and a larger job the second time.

7 Q. Have you seen any of the PVT data that Mr.
8 Wakefield alluded to?

9 A. I saw it today. They had supplied us with
10 pressure data about a week ago, I guess.

11 Q. Pressure data, but not PVT data?

12 MR. HALL: I believe they got PVT data as well.

13 EXAMINER JONES: You got it --

14 MR. WAKEFIELD: I don't remember that. We've
15 given PVT data to anyone who's asked for it. Whether they
16 asked for it and got it, I can't remember. If they don't
17 have it, I'm more than willing to give it to them.

18 THE WITNESS: Yeah, they've -- they've supplied
19 us everything we've asked for, so...

20 Q. (By Examiner Jones) Okay. Do you think the
21 fractures in the lower part might be a major contributor or
22 just an initial burst of gas?

23 A. I do believe it is a -- you know, it has a chance
24 to be a fractured reservoir. We are seeing skipping on the
25 resistivity log, which can also indicate a chance of

1 fractures. And the whole reservoir makeup, I'm not exactly
2 sure what's going on there. We do know that they did have
3 oil in the pits when they drilled through it and then got a
4 big gas kick. That's really all we can go off of right
5 now.

6 What secondary porosity is really contributing to
7 the reservoir, it's really hard to say without -- without
8 more detailed logs at this point in time.

9 Q. Okay. The well that you would drill in the
10 northeast northeast, would you run any kind of different
11 logs, like an FMI maybe, to --

12 A. I believe so at this point in time, if we had
13 reservoir-quality rock.

14 Q. Yeah.

15 A. FMI or what Schlumberger, I guess, calls a sonic
16 scanner is the best way to identify secondary porosity and
17 fractures in carbonate reservoirs.

18 Q. And oriented fractures?

19 A. And oriented fractures.

20 Q. Okay. Did you have time to look at these
21 proposed rules and have any proposed modification up or
22 down of the GOR that Mr. Wakefield presented?

23 A. We have talked about it, but I don't know where
24 we -- what conclusions we came to.

25 MR. BRUCE: I would gladly submit comments on the

1 Rules.

2 I did see Mr. Hall's letter, he wrote a letter to
3 Holland and Hart and to me, and I think I -- As I said, my
4 office was down for two weeks. I think I saw it Tuesday.
5 And since the case is continued I don't mind making my
6 comments and having Scott respond to them in writing.

7 EXAMINER JONES: That sounds like a reasonable
8 use for us to look at the case, definitely, is once you get
9 together with your engineer, and -- you know, you guys hash
10 out how you think these rule should be modified or left the
11 way he's proposed them or whatever, or totally be done
12 different.

13 THE WITNESS: Okay.

14 EXAMINER JONES: Any more questions of Mr.
15 Bryden?

16 MR. BRUCE: I have no further questions of my
17 witness.

18 MR. HALL: I want to briefly recall Mr.
19 Wakefield, if we might.

20 JAMES T. WAKEFIELD (Recalled),
21 the witness herein, having been previously duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. HALL:

25 Q. Mr. Wakefield, you've heard Mr. Bryden's

1 testimony. Specifically with respect to the way he
2 attempts to correlate from the Mesa Grande 11-2 well over
3 to the Bennett Number 1 well, I believe he said he saw the
4 equivalent for the second Bone Springs lime that we're
5 talking about here today. Do you agree with his
6 characterization that that's an equivalent zone?

7 A. Well, part of it's equivalent. As we talked
8 about earlier, the upper part of what we drilled on that
9 mud log -- I don't have my stuff in front of me, I think
10 it's Exhibit A -- showed that we were drilling an oil zone.
11 I think that oil zone is equivalent to what he's seeing in
12 the Bennett 2-15 from -- on his log it would be 6270 to
13 6320. That's what I would consider to be the oil zone.

14 I think what we have is the gas zone, it's
15 immediately below that, which is not developed appreciably.
16 It's pretty shaly on their log. And they didn't get a
17 kick. They're updip to us, first of all, so if they were
18 going to -- if they -- it was actually going to be high gas
19 all the way through the reservoir and they're updip, they
20 would have mostly gas and they would see the same gas zone,
21 if they have the equivalent interval. Undoubtedly they
22 would see it.

23 Since they didn't see it -- it wasn't seen in the
24 Mesa Arriba 1 well or the Mesa Arriba 4 well -- I would
25 represent that that is not equivalent to what they're

1 seeing in their logs.

2 Now having said that, in looking at the exhibit
3 that he presented, I had not seen. We did a search of --
4 through my technician. I should have done some more work,
5 I guess, on it. I didn't catch these three fields. But
6 they do show the same thing we're talking about.

7 They show -- particularly if you look at the
8 third page of his exhibit for the Avalon East-Bone Springs
9 field, if you look at the cum oils and the cum gas, it's
10 obviously a gas zone. There's very little oil involved. A
11 lot of these wells are 150,000-to-1, 75,000-to-1-type GOR
12 cumulative.

13 I don't have the production graphs. It would be
14 interesting to see what their initial rates were. I did
15 pull a couple of wells out of these in the sample that I
16 looked at, and they didn't have very high rates. They had
17 them for a long period of time. They recovered, 200,000,
18 300,000, 400,000 barrels, MCF of gas, but at low rates, for
19 a long period of time.

20 Now there are probably some here that are a much
21 higher rate, because there's one that's nearly a BCF. I
22 suspect that it was predominantly a higher-rate well to
23 begin with.

24 If you go to the one he turned in on the Old
25 Millman Ranch -- that's right, okay -- again, very high

1 gas-oil ratios. But in a couple of wells, you know, much
2 better production than the first field showed. This is a
3 better oil field than the first one, than the Avalon. This
4 has a lot more oil versus the gas, and GORs are much less.

5 But again, they felt the necessary situation to
6 get a 5000-to-1-GOR field rule, much like we talked about
7 on the South Bell Lake Unit Bone Springs. Even though it
8 was unnecessary, it was given at the very beginning. But
9 they didn't know that, based on the initial production of
10 the well. The initial production of the well indicated
11 that they needed it, and it was granted by the NMOCD.

12 And the last one that they show, which is the
13 Happy Valley-Bone Springs again -- Did I do that wrong?
14 Burton Flat-Bone Springs, Burton Flat-Bone Springs -- on
15 that one the spacing is much broader. You know, it's
16 obviously a different kind of animal than the first two in
17 terms of how they wanted to develop it. And the gas-oil
18 ratios are still quite high, 50,000 to 1 on some of the
19 better wells and more than 100,000 to 1 on several. So --
20 and the Commission deemed on that that they did need the
21 provision for 160-acre gas. Okay?

22 And what we're asking for here -- We're again
23 kind of reaching out. We've reached out to J. Cleo
24 Thompson, Marbob, Bill Bennett, trying to find a resolution
25 that makes everyone happy here. We're not trying to

1 railroad anybody, we're not trying to preserve equities.
2 Our leasehold is solid, with or without whatever spacing
3 comes up here.

4 But what we're trying to do is prevent the
5 drilling of more wells than is necessary to develop the
6 formation, develop the reserves. And with our nonstandard
7 location we need that spacing unit that gives credence to
8 the fact that the recovery is going to be in the northwest
9 quarter and the southwest quarter, and particularly in the
10 west half of the southwest and the west half of the
11 northwest.

12 We prefer 160-acre spacing, that's a reasonable
13 conclusion based on our understanding of the reservoir. An
14 80-acre, which is actually what we initially recommended to
15 the Commission and they did not like at all, does not
16 necessarily preserve -- or create -- or avoid creating of
17 waste, because eventually you may have to go up and drill
18 the northwest northwest and the southwest southwest of the
19 section, two more wells that are in our opinion at this
20 time unnecessary for this reservoir.

21 Now if J. Cleo Thompson goes and drills a well in
22 the northeast quarter, our field rules are not preventing
23 them from doing anything on 40-acre spacing in the east
24 half of Section 10. They can drill whatever spacing they
25 want.

1 If they get two oil wells on the existing two
2 wells they've got, which they probably are going to do,
3 then our field rules don't prohibit them from doing
4 anything for a gas well they might happen to drill in the
5 northeast northeast or the northwest northeast. They would
6 still be able to do that, because the spacing rules for the
7 gas would be different than for the oil.

8 So we're just recommending that the Commission
9 give credence to what we've presented, that you look at the
10 equities involved, and we would pray that you would come up
11 with the recommendation -- or approve the recommendation
12 we've made.

13 Again, it's not our intent to create any angst on
14 the part of J. Cleo Thompson to go out and develop on 40
15 acres, if that's what they want to do. We're leaving it up
16 basically to them to create an 80-acre unit if they so deem
17 they want to do it, or a 160-acre unit.

18 Q. Let's clarify one thing, Mr. Wakefield. I think
19 we've given more than one description of the vertical
20 limits of the pool we're proposing. Just so the record is
21 clear, are we proposing that the vertical extent of the
22 pool be from 6312 feet to 6452 feet --

23 A. Yes.

24 Q. -- based on the log?

25 A. Stratigraphic equivalent.

1 MR. HALL: Yeah.

2 Nothing further, Mr. Examiner.

3 MR. BRUCE: Mr. Examiner, like I said, I think if
4 we could submit comments in writing maybe at the next
5 hearing, or I'll give advance notice and Scott can respond
6 to whatever we propose.

7 I did just want to say two things, which is, you
8 know, the 5000-to-1 GOR that is in these other pools that
9 Mr. Bryden testified about, that's a producing GOR. That's
10 not used to define a gas well. It's just simply the
11 producing GOR.

12 And I think if you go through the transcript of
13 the reopened case, the Kaiser-Francis reopened case, it's
14 not that the Division wouldn't grant a nonstandard unit.
15 The testimony at the time was that it was not necessary
16 because of uniform ownership, and as Mr. Bennett testified,
17 interest ownership is not uniform.

18 So I just wanted to make those two clarifying
19 points.

20 MR. HALL: Mr. Examiner, I think with an amended
21 Application and renotification, that's putting us on a
22 track for bringing this matter back up for hearing probably
23 late October, I'm guessing.

24 I would suggest that so we can avoid having to
25 have the witnesses come back twice, Thompson could get

1 their comments in in writing, say, within 10 days, and we
2 would provide a response to those within 10 days and I
3 think close the record based on that and come back and with
4 a new notification and simply ask you to take it under
5 advisement at that time.

6 EXAMINER JONES: October 26th is late October.
7 Is that what you guys are looking at?

8 MR. HALL: I think that will allow us to get
9 notice out.

10 MR. BRUCE: Yeah.

11 EXAMINER JONES: Okay, and so we're intending to
12 continue the first two cases and -- all three cases,
13 basically.

14 MR. BRUCE: All three.

15 EXAMINER JONES: All three.

16 MR. BRUCE: Subject to Mr. Hall's motion to
17 dismiss his case, I think.

18 MR. HALL: Well, I don't know that it much
19 matters, really. The only relief accorded in that earlier
20 order was the unorthodox well location, so I think -- you
21 know, and I don't think anyone's objecting to that, so
22 really the salient issues are in the other two cases, so it
23 simply does not matter what we do.

24 MR. BRUCE: Okay. But yeah, I would continue the
25 case -- land case for four weeks.

1 EXAMINER JONES: Okay. Is Marbob going to
2 present an opinion on this?

3 MS. MUNDS-DRY: I'd like to ask them if they --
4 I'd like us to have the option, I guess. I mean, I don't
5 know but I'd like to be able to respond, and we can
6 certainly respond in the same time frame as Hayes.

7 MR. HALL: Just so you know, Mr. Examiner, we
8 have provided both Thompson and Marbob the equivalent of
9 what's been expressed in Exhibit 3, which explains the
10 proposal --

11 EXAMINER JONES: Okay.

12 MR. HALL: -- and it's my understanding that
13 Marbob was in agreement with it, but I certainly welcome
14 their comments.

15 MR. WAKEFIELD: Mr. Bennett, is -- possible to
16 supply that information.

17 MR. HALL: That's correct.

18 EXAMINER JONES: Mr. Bennett, okay.

19 MS. MacQUESTEN: Do you want to go ahead and
20 formalize the schedule that Scott proposed?

21 (Off the record)

22 MS. MacQUESTEN: Are the parties in agreement
23 that the proposal that Mr. Hall made for a schedule for
24 comments -- is that acceptable?

25 MR. BRUCE: Yeah, I think so. If I need a day or

1 two extra, I'll ask Scott, but I -- we'll try to get
2 comments over to Scott and to Ocean within 10 days.

3 MS. MacQUESTEN: And --

4 MS. MUNDS-DRY: That is time, Ms. MacQuesten, we
5 can do that.

6 MS. MacQUESTEN: All right, so the comments will
7 be due 10 days from now, and then Mr. Hall will have 10
8 days to respond to those if he wishes.

9 MR. HALL: Right. And I'd like to get us in a
10 position that if we establish agreement on a path forward
11 that we're on schedule to get an amended application to you
12 before October -- well, it would be September 28th. So I
13 think a 10-day response and reply would put us where we
14 need to be.

15 MR. BRUCE: Yeah.

16 MS. MacQUESTEN: All right, so --

17 MR. WAKEFIELD: Ten days is the 24th, gentleman.
18 Total of 10 days. Are we talking about 20 days total --

19 MR. HALL: That's correct.

20 MR. WAKEFIELD: -- or ten days total?

21 MR. BRUCE: We'll work it out.

22 MR. HALL: We'll get there.

23 MS. MacQUESTEN: Okay.

24 EXAMINER JONES: Okay, with that we'll -- We've
25 heard testimony.

1 We'll continue Case 13,771 till October 26th and
2 Case 13,594 till October 26th, and Case 13,778 until
3 October 26th.

4 And those being the last cases in this docket,
5 this docket is closed.

6 (Thereupon, these proceedings were concluded at
7 1:47 a.m.)

8 * * *

9
10
11
12
13 I do hereby certify that the foregoing is
14 a complete record of the proceedings in
15 the Examiner hearing of Case No. _____,
16 heard by me on _____.

17 _____, Examiner
18 Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 19th, 2006.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 16th, 2006